OFFICIAL TRANSCRIPT OF PROCEEDINGS

Agency: U.S. Nuclear Regulatory Commission Advisory Committee On Reactor Safeguards

Title: 370th ACRS General Meeting

Docket No.

LOCATION Bethesda, Maryland

DATE:

Friday, February 8, 1991

PAGES 179 - 233

011

ACRS Office Copy - Retain for the Life of the Committee

ANN RILEY & ASSOCIATES, LTD. 1612 K St. N.W. Suite 300 Washington, D.C. 20006 (202) 293-3950

9102140011 910208 PDR ACR5 T-1834 PDR



3.	
2	
3	
4	PUBLIC NOTICE BY THE
5	UNITED STATES NUCLEAR REGULATORY COMMISSION'S
6	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
7	
8	DATE: February 8, 1991
9	
10	
11	
12	
2.3	The contents of this transcript of the
14	proceedings of the United States Nuclear Regulatory
15	Commission's Advisory Committee on Reactor Safeguards,
16	(date), February 8, 1991,
17	as reported herein, are a record of the discussions recorded at
18	the meeting held on the above date.
19	This transcript has not been reviewed, corrected
20	or edited, and it may contain inaccuracies.
21	
22	
23	
24	
25	

	179
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	***
4	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
5	370TH ACRS GENERAL MEETING
6	
7	Nuclear Regulatory Commission
8	Room P-110
9	7920 Norfolk Avenue
10	Bethesda, Maryland
11	Friday, February 8, 1991
12	
13	The above-entitled proceedings commenced at 8:30
14	o'clock a.m., pursuant to notice, David A. Ward, Committee
15	Chairman, presiding.
16	PRESENT FOR THE ACRS SUBCOMMITTEE:
17	Paul G. Shewmo ce Chairman
18	James. C. Carroll, Member
19	Carlyle Michelson, Member
20	Ivan Catton, Member
21	William Kerr, Member
22	Harold W. Lewis, Member
23	Charles J. Wylie, Member
24	J. Ernest Wilkins, Jr., Member
25	Herman Alderman, Cognizant ACRS Staff Member

PARTICIPANTS:

4				
3	R.	Fraley	s.	Duraiswamy
4	c.	Haughney	J.	Roberts
5	т.	King	в.	Burson
6	J.	Murphy	h.	Taylor
7				
8				
9				
10				
11				
12				
13				
14				
15				
16				
17				
18				
;19				
20				
21				
22				
23				
24				
25				

PROCEEDINGS

1

2

[8:30 a.m.]

MR. WARD: The meeting will now come to order. 3 This is the second day of the 370th meeting of the Advisory 4 Committee on Reactor Safeguards. During today's meeting the 5 Committee will discuss or hear reports on the following. 6 First, spent nuclear fuel storage casks; second, containment 7 criteria for future light water reactors; third, primary 8 systems piping integrity; fourth, definition of a large 9 release for severe accidents; and, five, ACRS activities. 10

11 This meeting is being conducte: in accordance with 12 the provisions of the Federal Advisory Committee Act. Mr. 13 Herman Alderman is the designated Federal official for the 14 initial portion of the meeting. We have received no written 15 statements nor requests for time to make oral statements 16 from members of the public.

17 A transcript of portions of the meeting is being 18 kept, and I will ask each speaker to use one of the 19 microphones.

20 Our first topic is spent nuclear fuel storage 21 casks, and Bill Kerr will lead the discussion.

MR. KERR: Thank you, Mr. Chairman. On the 29th of January the Subcommittee on Defueling and Fuel Pool Storage of Spent Fuel met with members of the NRC staff to discuss a proposed standard review plan which has been

promulgated to assist in the review of safety analysis reports for dry metallic spent fuel storage casks.

1

2

25

The 1982 Nuclear Waste Policy Act gave utilities 3 primary responsibility for interim storage of spent fuel, 4 and these casks turn out to be one of the vehicles being 5 used by some utilities for that purpose. In this Nuclear 6 7 Waste Policy Act the DOE was also given responsibility to conduct research and development of such storage facilities, 8 and to assist in cooperative demonstrations of their 9 10 capability.

In 1986 the Surry plant was issued an ISFSI -which I think is interim storage of spent fuel or something or other --license for storage in horizontal concrete modules. In 1990 the Oconee Plant of the Duke Power Company was given a license for storage in a spent fuel storage facility.

In 1990, also, the 10 CFR 72 which was the 17 18 regulation under which fuel storage was described and the regulations associated therewith, was amended to permit use 19 of certified cask designs. A licensee who wanted to store 20 fuel could refer to this certified cask design and would not 21 have to undergo any further review of the design itself. 22 They would, of course, have to be local reviews of the site 23 and the operation of the facility. 24

Rather detailed criteria which are in 10 CFR 72

have been established for the licensing of these cask 2 designs and, of course, for the operation of the casks. Among these are the licensing period that is now 20 years with the possibility that an extension can be applied for and received. There is one step licensing of their site 5 boundary doses established for both normal and accidental 6 situations. 7

1

3

4

Licenses for such facilities have now been issued 8 to three facilities. There are five applications from 9 other utilities now under consideration. Nine topical 10 reports submitted by the vendors of casks describing their 11 designs have been approved by the NRC staff, and three are 12 being reviewed. A regulatory guide associated with 10 CFR 13 72 but specifically aimed at the way in which one must 14 prepare a request for licensing has been issued. This 15 standard review plan that was discussed, there are plans to 16 publish that as a NUREG and eventually to also formulate a 17 standard review plan for concrete storage casks as well. 18 This is one of at least two standard review plans that we 19 20 can expect to see.

Mr. Ward, who was the other member of the 21 Subcommittee present and I received a very well organized 22 and detailed presentation on the standard review plan. 23 Previously I think all of you have received a copy of the 24 25 standard review plan. Because it was rather detailed and

because of the detailed presentation and because I believe we found no particular difficulty with it, I decided not to ask for a presentation by the staff this morning but to ask them to have representatives here who could respond to questions that you might have.

3

4

5

I have prepared a draft letter, copies of which 6 you have with essentially comments I would want. I don't 7 think Dave Ward had a chance in time to add to or subtract 8 from the comments. At this point, I will stop and ask if he 9 has any further comments on the Subcommittee meeting. 10 Following that, we will ask for questions from any of you 11 which either I will try to answer or will ask staff 12 assistance in answering. 13

14 MR. WARD: Maybe since the staff is here if we 15 could ask them to comment. I see you mention that in your 16 letter. One of the comments or observations we had was some 17 concern or question over the format content of the 18 regulatory guide and the relationship of the regulatory 19 guide to the standard review plan.

It seemed to be unorthodox or different from what we are used to seeing in regulatory guides and standard review plan. I guess that is what Bill says in the letter, that the standard review plan seemed to contain material that had been expected to be found in a Reg Guide. I don't know whether that is an important problem or whether it

really is different, or it's just our perception that it is different.

1

2

Does the staff have any comment on that? MR. HAUGHNEY: Good morning, Mr. Chairman. I am Charlie Haughney, Chief of the Fuel Cycle Safety Branch. I remember the comment well, and I have had a chance to reflect on it. I haven't been able to really compare both documents yet to come to a final decision in my own mind.

9 My preference would be to publish the standard 10 review plan as a NUREG -- it's still in a draft status and 11 not out in the wide circulation yet -- but to take that 12 comment under advisement and consideration to see if we need 13 to adjust the content of both documents to a more craditional arrangement. I would prefer not to reset the 14 15 entire process back to zero at this stage because I think we 16 have a compelling need to have all the information in wider 17 distribution.

18 MR. SHEWMON: Could you tell me what in here or 19 where, what limits the age of the fuel that can be put into 20 this facility?

21 MR. ROBERTS: Specifically two things. One, the 22 rule itself, Part 72 says that fuel shall have age decayed 23 at least one year. The other is design dependent, and that 24 gets into how you design the shielding for your cask for 25 example and other factors that would set effectively the age

of the fuel. Typically people are designing casks for five to ten year old fuel, and it is moving toward ten because of the perception and the reality that higher burn up is also 3 being seen. 4

2

5

Those are the factors that enter in.

MR. SHEWMON: It's primarily radiation -- how much 6 shielding you want to put there and not necessarily the 7 temperature of the fuel as it sits in there. 8

MR. ROBERTS: The temperature is also a factor in 9 the sense that we maintain the temperatures -- of course, 1% this fuel is stored typically in helium so there's no 11 oxidation -- you do wish to maintain the temperatures 12 sufficiently low and generally around below 400 degrees C. 13

MR. SHEWMON: That 400 degrees C, does that appear 14 in this document someplace? 15

MR. ROBERTS: No. Again, we are talking --16 methodology to address that does. It is, again, a design-17 dependent phenomenon dependent on the fuel and the design of 18 the cask baskets. It does appear the methodology for 19 arriving at the correct temperature -- I mention that as an 20 21 example.

MR. KERR: This comes about, Paul, through field 22 degradation --23

MR. SHEWMON: Tell me again, what parameters in 24 25 here limit the age of the fuel? It's a minimum of one year,

and you say it all depends on the design. But, something 1 has to fix the design. If that's radiation dose on the 2 outside, that's one parameter but that wouldn't define --3 4 MR. ROBERTS: That's right. MR. SHEWMON: -- the temperature particularly. 5 MR. ROBERTS: That's right. The temperature is 6 defined in terms of looking at the long term storage of the 7 fuel and what damage to the fuel cladding could occur. 8 MR. SHEWMON: I can appreciate that. Is there a 9 temperature limit in here? 10 MR. SHEWMON: It is not a set limit because it 11 depends upon the fuel itself. In other words, the --12 MR. SHEWMON: What is in here to limit the age 13 14 then? MR. ROBERTS: There is an analysis dependent upon 15 diffusion cavity growth for the fuel cladding in terms of 16 the zircloid cladding. There is an analysis for arriving at 17 a temperature, and this involves looking at integrated 18 19 damage to the fuel over the period of storage. MR. SHEWMON: Diffusion cavity growth. 20 MR. ROBERTS: Yes. That is essentially the only 21 mechanism that has been seen for storage because you are 22 storing in helium. Hydrating and other effects have been 23 basically eliminated. 24 25 MR. SHEWMON: All those are words that I am

187

vaguely familiar with, but I am not familiar with the phenomena. What cavity are we talking about?

1

2

14

25

MR. ROBERTS: If you look at the polycrystalline structure you can get diffusion of basically your microcavities to the grain boundaries. This is a phenomenon that is temperature and pressure dependent, and this is why I say it's dependent upon the fuel and the temperature and the power history of the fuel and so forth.

9 You can calculate starting with what initial 10 temperature you would store at which is design dependent and 11 integrate the potential damage factor out. The limit we 12 have generally set is 15 percent damage to the fuel over the 13 period of storage.

MR. SHEWMON: Fifteen percent growth ?

15 MR. ROBERTS: Fifteen percent damage to the 16 structural strength of the cladding over the period of 17 storage due to this potential --

18 MR. SHEWMON: The cladding is damaged because the 19 fuel expands when the bubbles come to the grain boundaries, 20 is that it?

21 MR. ROBERTS: It basically reduces the strength of 22 the cladding, that is correct, because of the Giffusion. 23 MR. WARD: The cavity growth is in the cladding, 24 not in the --

MR. SHEWMON: Fuel.

MR. ROBERTS: No, it's in the cladding. We are 1 talking cladding because --2 MR. SHEWMON: What kind of voids are there in the 3 cladding? 4 MR. ROBERTS: You have microcavities in the metal 5 because of the nature of the material, radiation damage and 6 other things. These diffuse to the grain boundaries of the 7 8 material, and that's a function of temperature and temperature and pressure on the cladding from the hoop 9 10 stress. MR. SHEWMON: What section is all this explained 11 12 in here? MR. ROBERTS: I don't have the copy with me. 13 MR. SHEWMON: I have heard of the phenomena that 14 you are talking about in breeder fuel, but I have never 15 16 heard of it in light water reactor fuel which I assume we 17 are talking about here. MR. ROBERTS: Yes, that's right. 18 19 MR. SHEWMON: This known only to a few people phenomena you are talking about, there is some presumed 20 model of how it occurs. 21 MR. ROBERTS: Yes. 22 MR. SHEWMON: It's this presumed model which 23 limits the temperature which the fuel can rise to; is that 24 correct? 25

•

2

1 MR. ROBERTS: That's correct. There are 2 publications out on this and so forth. It's been a 3 phenomenon that, as I say, has been examined in dry storage over the last decade. 4 5 MR. SHEWMON: I would be interested in seeing some of the references. These are voids? 6 7 MR. ROBERTS: Yes. MR. SHEWMON: Are they helium filled? 8 MR. ROBERTS: No. Let's see if I -- you have 9 damage in the metal, displacements in the structure. These 10 will migrate under temperature and pressure to the grain 11 boundaries rather than remaining essentially uniformly, if 12 you will, dispersed. It is this migration to the grain 13 boundary that effectively, if you will, makes the fuel less 14 15 strong or brittles it. MR. SHEWMON: It makes the cladding less strong. 16 MR. ROBERTS: Yes, the cladding. This phenomenon 17 18 has been recognized, as I say, for now many years. It is the only mechanism we have seen where you might have a 19 potential problem. 20 21 MR. SHEWMON: It occurs out of pile but doesn't 22 occur in pile? 23 MR. ROBERTS: That's right. Basically I think 24 when you get below about 300 degrees C, the phenomenon drops 25 off so fast that it becomes effectively non-existent, if you

190

÷

will. It no longer has an effect. A corollary for this for ~xample is, if the fuel had a pinhole in the cladding and released the internal pressure, then this mechanism would not work either so nothing would happen to further degrade the fuel.

It is basically a phenomenon of the interior hoop stress on the cladding and the temperature of storage. Once you get below a pretty much critical temperature at about 300 degrees C, it now stretches out sc far that it is no longer a phenomenon of interest.

MR. SHEWMON: In effect this model says stay below 300 degrees C or don't go --

13 MR. ROBERTS: Or design to assure yourself that 14 you will get there at the appropriate time with a minimum 15 amount of damage to the cladding.

MR. SHEWMON: What drives it is some grain
boundary embrittlemen' phenomena which somebody has found.
MR. ROBERTS: That's correct. Both DOE and
Livermore have examined these phenomena.

20 MR. SHEWMON: What section is that presumed model

21 in?

22 ME. ROBERTS: Let me go through here and cross-23 check this.

24 MR. KERR: My memory is that what is in here is 25 when which one does temperature calculations and the

1 temperature --

2	MR. ROBERTS: On page 2-7 under Subsection 2.5.1
3	fuel cladding, it discusses the diffusion control cavity
4	growth mechanism as the pary damage mechanism. Like I
5	say, the
6	MR. SHEWMON: The temperature is given where?
7	This says about what you said.
8	MR. ROBERTS: Yes. There are, as I say, reports
9	out published by Livermore. There is also work by DOE for
10	evaluation of the damage to the cladding.
11	MR. SHEWMON: The temperature is given where? I
12	don't see a reference in the report.
13	MR. ROBERTS: That's what I was trying to say,
14	there is not.
15	MR. SHEWMON: It's a time dependent assumption.
16	MR. ROBERTS: Yes.
17	MR. SHEWMON: But there is a time dependent
18	assumed time temperature integral which
19	MR. ROBERTS: That's precisely it, and that is
20	MR. SHEWMON: Where is that given?
21	MR. ROBERTS: That is given in separate reports
22	where people have developed a calculation
23	MR. SHEWMON: Where is that report referenced?
24	Where can a designer go for this?
25	MR. ROBERTS: I don't see it here at this point.

Let me check the end of the chapter. It should be referenced at the end of Chapter 2, but I don't see it being done so in this particular document. It leaves it to the designer to provide a calculational model to confirm that, as on page 2-11, that it does not exceed 15 percent reduction in the cladding -- the cross-section is addressed in Chapter 3 here.

8 MR. SHEWMON: That is extremely model dependent 9 with some deference. Mechanical engineers are fine people, 10 but they probably don't dream up models like this too well 11 Defore lunch.

MR. KERR: It says the confirmatory analysis is
addressed in Chapter 3, so it might be in Chapter 3.

MR. ROBERTS: Let me go further in Chapter 3 here
and find it. It is reference 14 in Chapter 3, on page 324.
MR. SHEWMON: There is a well defined model which
gives this time temperature integral there?

MR. ROBERTS: Yes. In fact, there is contained in this report a short computer code that allows you to do the time pressure temperature integration for determining the damage.

MR. SHEWMON: In reference 14?
MR. ROBERTS: Yes.
MR. SHEWMON: All right, thank you.
MR. WARD: Could I ask another question? John or

Charlie, I recall at the Subcommittee meeting the 1 2 criticality analysis was described at the present required 3 for the casking and at the present time is using the reactivity properties of fresh fuel, unspent fuel, no credit 4 for burn up, no credit for presence of fission product 5 6 cross-sections. As I understood it, their plans in the future to permit maybe some more elaborate calculations but 7 there are complications with that. 8

9 My question is, what is done for spent fuel basin 10 criticality in the analysis now? Are the assumptions 11 limited to fresh fuel?

MR. ROBERTS: No, they are not. In fact, I think 12 there are over a dozen pools that have a two region type 13 pools where they have allowed burn up credit. These are all 14 in pressurized water reactor storage pools and, 15 consequently, there is the presence of boron solution in the 16 17 water. In the type of cask situation that we are looking at, the concern is the intrusion of fresh water. Also, 18 there is a long term concern of being able to ship these 19 20 perhaps directly offsite. That is certainly the way the newer designs are aiming. 21

That's a direct requirement in Part 71. We have looked at this and DOE presently basically has a research project to examine the problem. To be brief the problem is this, that as you get to the end of the active part of the

fuel development of course the burn up drops off quite rapidly. In the last foot or so of the active region it becomes a question of whether or not you might have essentially a slab, if you will -- I use that word advisedly -- of material that could go critical.

6 That is our concern. Consequently, the additional 7 work both in calculational and in measurement systems that 8 DOE is pursuing to try and give us the same essentially 9 degree of marginal safety is as the present assumptions do.

MR. WARD: I can see that it is complex or can be, but I thought if the problem is solved -- if there are methods for dealin. In it in pool storage it seems those same methods could be used in a cask. I guess what you are saying -- PWR pools, boron used and they are so deeply subcritical and there are smear over some of these approximations.

MR. CARROLL: I only remember we did have boron --MR. ROBERTS: That is correct. The calculations I believe that NRR does in this instance for the normal condition, they use an averaged value to account for the burn up, essentially averaging out the drop off. But my understanding is that for accident cases they do take into account the presence of the boron in the water.

24 MR. KERR: Are there further questions? Did that 25 answer your question, Mr. Chairman?

MR. WARD: Yes. What sort of penalty is there on the cask designer? I mean, how much incentive is there to make a sharp penciled criticality analysis?

MR. ROBERTS: Well, let me answer your question 4 this way, probably you are talking a difference of 30 5 percent increased capacity or better if you go to an 6 assumption of burn up credit. There is a strong incentive. 7 The reason DOE is deeply into this is, they are pushing this 8 9 for the designs for their transportation cask fleet. It is initially from that point of view, a transportation 10 question. 11

MR. KERR: Is there a requirement that the neutron flux be measured as the cask is loaded in the pool? MR. ROBERTS: There is no such requirement. MR. KERR: That would be an easy way to tell whether you were going critical or not.

MR. ROBERTS: You are doing an approach to criticality experiment though, and that is --

MR. KERR: Here you have a classic approach to criticality, you load one element at a time.

MR. CARROLL: Where you put your detectors --MR. ROBERTS: There is work, as I say, ongoing by DOE on a measurement system. There is also some work being done by one of the cask vendors, Nuclear Assurance Corporation, on a measurement system. That would, as you

say, it would probably go a long way towards resolving concerns about misloading of fuel and misidentification of 2 fuel and that sort of thing. 3

1

9

22

25

MR. SHEWMON: What kinds of materials construction 4 for these casks are people talking about? 5

MR. ROBERTS: They are talking about conventional 6 stainless steel and lead with a solid neutron shield, which 7 8 is usually something like a Bisco material --

MR. SHEWMON: Usually a what?

MR. ROBERTS: A bisco material. It's a 10 hydrogenous material that physically is somewhat the 11 consistency of concrete. It is poured in and solidified. 12 In most transportation casks they are still using 13 water/ethylene glycol in the storage cask because you are 14 assuming that the cask remains there for 20 years. The 15 emphasis has been on solid neutron shields. This bisco 16 material has been used in the NAC casks. It is then covered 17 18 with an outer metal sheet.

MR. WILKINS: I am not familiar with that 19 material. Is the hydrogen density comparable to that of 20 21 water --

MR. ROBERTS: Yes.

MR. SHEWMON: It sounds like boron may be part of 23 that or --24

MR. ROBERTS: It can be borated as well, that is

correct. So, you can also -- it's a p rietary material so
 I won't go too far in describing it. The material can be
 varied and it is used fairly widely now.

4 MR. SHEWMON: Can it be removed without a jack 5 hammer?

6 MR. ROBERTS: No. It's a part of the cask. 7 MR. SHEWMON: I had the impression that you had 8 this fuel cans which you put in there and you are now 9 casting it all in concrete -- it would be removed, which 10 doesn't sound too bright.

MR. ROBERTS: Let me give you an example. At the 11 Oconee site, for example, there was a transfer cask that was 12 13 not used for storage but was developed specifically for transfer of fuel. You have your major stainless steel and 14 lead, and at the outer perimeter you have your bisco in a 15 steel in a guarter-inch stainless steel jacket. That 16 particular cask was dropped 40 feet at one point before it 17 got to the site. It was on delivery actually. They had to 18 19 repair it.

Effectively, that meant stripping off that outer husk, replacing it and repouring the bisco. We audited the QA on that. Other types of casks are solid ferretic steel. The Westinghouse MC-10 is an example, and I think it's in our slides there.

25

MR. SHEWMON: You guys have never backed off on

1 meonite or non-ductile iron?

2 MR. ROBERTS: In storage the Castor V -- and I 3 think there are now 11 or 12 at Surry -- are all nodular cask iron cask. The wall thickness is about 14 inches 4 thick. Of course, that material contains such a 5 6 sufficiently large amount of carbon that in effect the material itself constitutes a neutron shield. There is also 7 some shadow shielding of polyethylene rods. As I say, that 8 has peen in place since 1986 there. 9

MR. SHEWMON: But it is not over the road
certified.

MR. ROBERTS: No. There is some continuing work at EPRI on that material for getting it into the ASME code as there is on borated stainless steel for baskets and so forth.

16 MR. WARD: Any other questions or comments? 17 MR. CARROLL: Did you get your initial question 18 answered, Dave, about how they are we going to put this more 19 in the traditional format?

20 MR. WARD: Or whether it needs to go into the 21 traditional format. I think they said they are going to 22 think about it. That's all right with me. Anything else, 23 Dr. Kerr?

24 MR. KERR: I have no further questions.
 25 MR. WARD: We are done with the transcribed

1	portion of the meeting.
2	[Whereupon, at 9:12 a.m., the transcribed portion
3	of the meeting recessed, to reconvene at 1:30 p.m., this
4	same day.]
5	
6	
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

AFT	ERN	OON	SESSIC	N
*** *	823.56.7	25. 20. 2.1	that dad had had also be	

1

2

[1:30 p.m.]

MR. WARD: Our next topic is on the definition of a large release. We are going to have a presentation from the staff on this. We had a Subcommittee meeting on Tuesday afternoon at which we heard a presentation, presumably similar to what we are going to hear today. Some of the members who are missing now were at that Subcommittee meeting so I thought we could go ahead.

ACRS has been very interested in the development 10 of the safety goal and in the development of a means by 11 which the safety goal might be implemented. One of the 12 parts of the safety goal implementation program that remains 13 to be developed is the so-called definition of a large 14 release. The Committee has had some thoughts on that which 15 16 we have expressed in previous letters, and I guess in some discussions with the Commission. 17

The staff has taken account of what we have said 18 and what the Commission has said on the topic, and is 19 working toward the development of a definition of a large 20 release. We asked them to come in sort of early in the 21 process so that if we think they are going off in the wrong 22 direction we can tell them our views in advance of six 23 months of work put into the final development of the 24 definition. So, don't look for a final definition but just 25

for indication of the sort of definition that they plan to 1 2 develop. Is there inyone that was at the Subcommittee 3 meeting that has something they would like to say about this 4 5 before we go to Mr. King and the staff? 6 [No response.] 7 We have this pink cover sheet with the large 8 number 12 that has some related material, including some 9 thoughts that Dr. Lewis provided on the bulletin board before the Subcommittee meeting, which he was unable to 10 attend. Are there any comments? 11 12 [No response.] 13 Okay, Tom King, proceed. 14 MR. KING: My name is Tom King, and I am with the 15 Office of Research, Division of Safety Issue Resolution. 16 We, in that division ended up being assigned the responsibility to implement that part of the Commission's 17 18 staff requirements memo that came back dealing with implementation of safety goal policy. We got the part 19 dealing with the large release. 20 21 [Slide.] 22 As Dr. Ward said, we are here at your request to 23 give you a status briefing on where we stand and where we plan to go in terms of trying to define a large release. I 24

25 want to mention at this point in time that we have sent a

paper to the Commission which you have seen, SECY 90-405.
We have not heard back from the Commission yet. In
addition, we have not done any calculations yet, so we don't
have any numbers to show you. We will talk about what we
plan to do to get some numbers.

In the presentation I just want to give you a 6 little background leading up to what went into the SECY 90-7 4-5, a brief summary of what is in there and what we plan to 8 do, both the approach and the schedule of what we plan to 9 do. We are not asking for a letter at this time, but we 10 will plan to come back later as you will see on the schedule 11 and at that time we will request a letter, after we get some 12 numbers and some recommendations to talk about. 13

14

[Slide.]

By way of background you recall the statement from 15 the 1986 Safety Goal Policy Statement which requested or 16 suggested that the large release -- provided a statement 17 actually that the large release of radioactive materials to 18 the environment from a reactor accident should be less than 19 one in one million per your of reactor operation. The ACRS, 20 in putting forth their hierarchy of safety goal objectives, 21 had that as a level III objective which was really a general 22 plant performance objective. 23

[Slide.]

25

24

In the staff's paper that went to the Commission

back in 1089 on implementation of the safety goal policy the large release was discussed. There was a definition that was proposed in that paper, namely that it would be a release that would have the potential for causing one or more offsite early fatalities. In enclosure one to that 5 paper there were four other potential definitions discussed, 6 not in a lot of detail but they were touched upon there. 7

1

2

3

4

25

What we did in responding to the Commission's SRM 8 where they asked us to develop an alternate definition, was 9 to go back and look at those alternate definitions proposed 10 in the original SECY paper. Basically what we ended up 11 evaluating were the bottom three in preparation of our SECY 12 90-405. The top two were discarded because they were 13 specifically tied to individual site parameters which the 14 15 Commission was against.

In looking at these alternate definitions we did 16 have a ground rule that basically we felt that a large 17 release should have a connection to offsite consequences; 18 that we chose early fatalities as offsite consequence that 19 20 the connection should be made to, because it was the more restrictive of the quantitative health objectives. 21

MR. SHEWMON: Is the one at the bottom of that 22 page the one you will proceed with; is that what I 23 understood? 24

MR. KING: The bottom three ---

MR. SHEWMON: You said you had gotten rid of the first two, so I assume it was the bottom one --

MR. KING: We looked at the bottom three in preparation of the SECY 90-405 paper. We ended up recommending the magnitude of release option. We will talk about that.

[Slide.]

1

7

19

MR. KING: At about the same time the original 8 SECY paper went to the Commission on implementation of 9 safety goals, there was an ACRS letter that commented on the 10 large release definition and had basically four points in 11 it. The large release should be consistent with the 12 qualitative goals and quantitative health objectives; that 13 it should be in terms of the release itself, for example 14 curies, fraction of the core inventory; that it should be 15 independent of the site characteristics; and, that it should 16 provide some criteria against which the design and 17 performance of containments can be tested. 18

[Slide.]

20 MR. KING: The Commission, in responding to the 21 staff's SECY paper on safety goal implementation in their 22 item they talked about the large release, basically agreed 23 with the ACRS. They specifically requested that an 24 alternate definition be developed that would be independent 25 of the site; that it should focus on accidental releases; it acknowledged that the large release guideline might be in order of magnitude more conservative than the quantitative health objectives, but they seemed to accept this in order to simplify the goals.

5 MR. LEWIS: I don't remember that, but did they 6 actually encourage you to make it an order of magnitude more 7 conservative --

8 MR. KING: No. Not encourage, but I think they 9 recognized the simplification to go to a large release was 10 approximately an order of magnitude -- potentially an order 11 of magnitude more conservative.

MR. LEWIS: It sounds as if they are comfortable 12 with this thing being an order of magnitude more 13 conservative -- not conservative, more strict --14 MR. KING: That's the way we interpret their SRM. 15 MR. LEWIS: That surprises me. 1.6 MR. WILKINS: It might be useful to read the exact 17 language. Let me read the exact language. 18 MR. LEWIS: Yes, I would like to hear it. 19 MR. WILKINS: This more conservative result is 20 with in an order of magnitude, not --21 MR. LEWIS: That's rather different. 22 MR. WILKINS: It is slightly different, I think, 23 of the Commission's health objectives and provides a goal 24 which has generally been accepted. That is the sentence. 25

MR. LEWIS: Within an order of magnitude is --1 MR. WILKINS: A lot different than --2 3 MR. LEWIS: That's right. It's the difference 4 between less than and greater than. That helps a lot 5 Ernest, I appreciate that. 6 MR. SHEWMON: Is the quantitative health 7 objectives the same as the safety goals, one-tenth of a percent change in --8

9 MR. KING: Yes, that is the quantitative health 10 objectives, the one-tenth.

MR. LEWIS: I think Paul distinguished that the goals are that nuclear power shouldn't hurt anybody very much from the quantitative health objectives, which are the things that give the .1 percent. I think that's the way they make the distinction.

Given what Ernest has read to us, I would challenge the interpretation -- not the words that you have on the viewgraph which are consistent with what Ernest said -- but the intent as I read the additional words is that they didn't want you to get very far from the QHO's.

21 MR. KING: Yes, I will agree with that. I 22 probably should have just quoted right from the letter 23 instead of paraphrase it.

24 MR. SHEWMON: Is it true from what Ernest read 25 that it could be either more or less conservative?

MR. WILKINS: No. I didn't read the entire paragraph. It's more conservative. They said that.

MR. LEWIS: But it was certainly not that they were encouraging it, they were just acknowledging that in a different world you might go conceivably that far. If I were staff I would certainly not interpret it as a fishing license to pick up a factor of ten here.

8 MR. KING: Finally in their SRM, the Commission 9 asked that the staff should advise them on the large release 10 development and its use including with the proceeding of a 11 new definition. That ultimately resulted in our SECY 90-12 405 paper that went to the Commission in December.

In that paper we talked about two options. Actually, I mentioned earlier we considered three in putting the paper together and I am going to talk about the three. We only put two in the paper because the one was obviously, we felt, a bad candidate and wasn't worthy of being put in the paper.

19

1

2

[Slide.]

20 MR. KING: The first one discussed was a 21 qualitative statement dealing with early containment 22 failure. It will just read it. Basically it said a large 23 release is any release from an event involving severe core 24 damage, reactor coolant system pressure boundary failure and 25 early failure of significant bypass of containment. The

idea there was to come up with a definition that would be independent of site characteristics, would not require detailed fission product release calculations, would be potentially less work for the analyst. 4

We felt that the biggest problems that it had were 5 in the areas of interpretation. It was subject to a lot of 6 interpretation like, what is early containment failure, what 7 is significant bypass and so forth. Another problem was 8 that it may not in all cases be tied to the quantitative 9 health objective, the early fatality number. Potentially you 10 could have some sequences that would fall under this 11 definition but really wouldn't be tied to an early offsite 12 13 fatality.

Mainly for those reasons we didn't recommend this 14 one. It also had another drawback, in that it was limited 15 we felt, to reactors with conventional type containments. 16 The biggest drawback we felt was the problem in interpreting 17 it and the potential problems needing a consistant 18

interpretation. 19

20

1

2

3

[Slide.]

MR. KING: The second option we talked about in 21 the paper, and the one we recommended was the one based upon 22 a magnitude of release. That was that we would define a 23 large release as a release of radioactivity from the 24 containment to the environment of a magnitude equal to or 25

greater than, and that would either be a number in terms of 1 curies or a percentage of the core inventory. The staff 2 would have to do some work to define that number. What we 3 would plan to do is, using some representative site 4 characteristics and the NUREG-1150 information and 5 calculational techniques to find that magnitude, and we will 6 talk a little bit more later about exactly what we have in 7 mind there. 8

When I say the word has the potential based in 9 there based upon representative site characteristics for 10 causing one or more offsite early fatalities, again, we 11 would tie that magnitude to one that, through calculation 12 would be tied to an offsite early fatality. Maybe the word 13 potential might be a little confusing. What we really mean 14 is predicted based upon the state of the art techniques and 15 data that we would propose to use. 16

We felt this definition had several advantages. 17 One, it does tie the definition to an offsite consequence. 18 I think it's fairly easy in concept to understand. It is 19 20 independent of site parameters. It doesn't require a Level 3, PRA. It could be extended to be applicable to any type 21 of reactor, conventional containment or non-conventional 22 containment. But we would have to define a representative 23 site, and we will talk a little bit more about that. 24

25

I felt it could be applied more consistently than

the first option that I talked about. That was a big advantage that we felt and one of the main reasons that we recommended this one.

[Slide.]

4

MR. KING: The third option that we considered, 5 the one that you won't find in the paper but we did do some 6 work on it, was one that deals with offsite dose. By offsite 7 dose I mean fence post dose, a dose at the exclusion area 8 boundary. Again, it was a definition that would basically 9 read a large release is one which causes a dose of -- and we 10 haven't settled in on a dose but it would be a dose that is 11 equivalent to an early fat. Lity -- to an individual located 12 13 at the exclusion area boundary.

Again, it had some advantages, in that it was 14 based upon an offsite early fatality considerations. You 15 didn't need to consider offsite parameters like population 16 density or evacuation effectiveness. It did have some 17 drawbacks, in the sense that we thought it was a more 18 19 deterministic type of definition that was not really keeping with the true spirit of the safety goals which are more 20 risk-based and take into account probabilistic 21 22 considerations.

Plus, when you do the fence post type of
calculation you have to make some deterministic assumptions
that could cause this thing to be even more conservative
than a factor of ten beyond the quantitative health
 objectives.

MR. SHEWMON: The difference between this one and option two is that option two, the people would be distributed in a more reasonable way and option three they are all sitting at the fence post or something; is that it?

7 MR. KING: Yes. Option two, you consider the 8 distribution of people offsite. You define a representative 9 site which would include a distribution of people, include 10 the meteorology effects and so forth whereas option three 11 wouldn't do that. It would just look at what is happening 12 right at the fence post.

Because of our concern that this may be more
conservative and was more deterministic than probabilistic,
we decided not to pursue this one.

One of the other things we did in comparing the 16 17 definitions was, if you recall in the original SECY paper 89-102 that went up, there was a list of guidelines for the 18 subsidiary objectives that were provided in enclosure one of 19 that paper, there were seven of them. We took a look at 20 seeing how the various definitions, the original one in the 21 SECY paper and the three options that we looked at, stacked 22 up against those seven guidelines. I won't go through all of 23 them. 24

25

We felt the one that we arrived at did meet all of

the guidelines. On top of that, it was site-independent, which the Commission was asking for and did not require a Level III PRA. So, that sort of led is to the choice of the definition that is in the paper and recommended in the paper.

5

[Slide.]

7 MR. KING: Let's talk about what are we going to 8 do. Again, I will mention that we haven't heard from the 9 Commission yet, but we are trying to lay out our plans 10 assuming that they agree with our recommendation. We are 11 trying to finalize our statement of work at this point in 12 time to get some calculations underway.

The whole idea of what we are trying to do is to work backwards from an offsite consequence back to what would come out of the containment building from an accident. We feel there are two basic pieces to that. There's one, what are the radioactive releases we are going to use and how are we going to develop this representative site to do that.

With the radioactive releases we propose to use the source term or release data from the NUREG 1150 plants plus LaSalle. Several reasons for that. One, the data is available and believe that it represents the best state of the art information available on releases. It is available for input into the MACCS code, so that makes it attractive 1 from the time standpoint. We think the 1150 plants plus 2 LaSalle provide a pretty good representative sample of the 3 total population of plants out there. They represent all 4 the containment types, they are large plants, and we figure 5 they cover about 80 percent of the plants that are out 6 there.

So, using those I think is a reasonable choice.
Doing the calculations we are not going to pick any one of
those as the plant, we are going to use information from all
Jix of them.

For what is this representative site going to be, 11 we plan to coordinate that with the work going on now and 12 looking at updating Part 100, where the staff is developing 13 a proposed rule change to Part 100 to put site parameters in 14 and take out the dose calculation. We would propose that 15 the representative site parameters we use for the large 16 release definition be the same that go into Part 100 in this 17 revision to Part 100. That will deal with things like 18 exclusion area distance, low population zone distance, 19 population density around the plant and so forth. 20

21 We will also have to make some other assumptions 22 on the representative site that won't be picked up in the 23 Part 100 update, things that would deal with meteorology, 24 precipitation, emergency plaining assumptions and so forth. 25 We would propose to look at those characteristics as they

stand now for the 74 sites that are out there and pick some 1 representative value and not a bounding value necessarily 2 that covers everything but something that covers a large 3 percentage of those plants in terms of those other 4 parameters that would factor into the calculation. 5 6 [Slide.] MR. KING: What are we going to do with this 7 information. As I said, we are going to try and work 8 backwards from offsite. What we would plan to do is take 9 each of the source term bins from each of the 1150 plants 10 11 plus LaSalle and using the MACCS code calculate a series of curves that would look something like this for each plant. 12 MR. LEWIS: Next time around you should spell 13 effect with an "e" instead of an "a" in there. 14 MR. KING: Excuse me? 15 MR. LEWIS: Next time around you should spell 16 effect on the third bullet with an "e" instead of an A. 17 18 MR. KING: Okay. MR. CARROLL: Or, put a six in there. 19 MR. LEWIS: Or a sic, yes. With a K? 20 MR. KING: What we would get out of the 21 calculation would be for any given plant you would have a 22 23 series of curve, one curve for each of the source term bins for that plant, that would be a plot of number of offsite 24 early fatalities versus the conditional frequency of that 25

occurring. The conditional frequency would come out of the meteorology and so forth that the MACCS code calculates.

1

2

3 What we would look for would be where the integral under that curve equals one. In other words, the average 4 5 value or mean value of when one early offsite fatality is 6 predicted. We probably have curves if the release is large 7 enough, you would be protecting a lot more than one offsite 8 early fatality and some where it is smaller and lot less. We are interested in those that come in right about one. We 9 will do that for the six plants, all using the same 10 11 representative site characteristics.

Then we want to look for those releases that come 12 13 in to predict about one offsite early fatality and look at the characteristics of those in terms of what are the 14 fraction and types of isotopes that are being released, what 15 is the timing, is there some common thread among those that 16 we can learn from that would influence the way we would 17 define a large release. If there is no common thread and 18 they are all over the place, I think we would end up having 19 to define the large release in terms of the number of curies 20 or effective curies, or equivalent curies. If there is some 21 common thread among the releases, then we may want to define 22 23 it differently.

24 Until we actually run the numbers, we are not 25 going to be able to answer that.

MR. CARROLL: What would be a common thread, for example?

MR. KING: Always have 100 percent of the nobles, MR. KING: Always have 100 percent of the cesium. It's always released in one to two hours. I am just speculating, but something like that.

MR. CARROLL: So, it would be an accident?
 MR. KING: Yes, these are all accident source
 terms from accidents or releases from accidents.

MR. WARD: Could I ask you a question? You say you are going to evaluate the extent of land contamination and other effects. Can I ask you a question about that? In the SECY paper, 90-405 I guess it is on page nine you have a section on other considerations.

15 It refers as a source of typical numbers the 16 Limerick final environmental statement. It says for a 17 release of the order of magnitude of that required for an 18 early fatality -- that is what you are driving at -- these 19 other impacts are about 1,000 latent fatalities, a billion 20 dollars for offsite mitigation measures, and ten square 21 miles of land subject to long term interdiction.

MR. KING: Yes.

22

MR. WARD: Those are other effects which can certainly be -- I am surprised at the 1,000 latent fatalities. Earlier you said and I have heard before, that

the early fatality calculation is usually the more
 restrictive.

MR. KING: Yes. The 1,000 -- in the FES's they didn't restrict the population to one or ten miles out beyond the plant. They did the calculation out essentially to like 1,000 miles out from the plant. So, there's a lot of people when that 1,000 number is calculated, it is based upon small doses to a lot of people. We are talking millions of people that are getting small doses.

MR. WARD: That sort of thing still shows up in the environmental -- what sort of a number do you have for the -- I take it, it is less than one for latent fatalities for typical cases for the safety goal comparison. I forgot what that definition is.

MR. KING: You mean, would it meet the quantitative health objectives for the --

17 MR. WARD: Yes.

25

18 MR. KING: Yes, it would meet the quantitative 19 health objectives.

20 MR. WARD: When you make numbers for a particular 21 plant it is true the early fatality number always comes up 22 one before the latent fatality number does.

MR. KING: That is, what we found. I don't know ifJoe wants to comment on that.

MR. MURPHY: I have never seen a case where it

1 didn't, let' put it that way.

2 MR. WARD: This 1,000 is just i ding those in 3 California and everything --

MR. MURPHY: Yes.

MR. KING: Following up on that, we are going to, 5 besides calculating this magnitude of release, we are going 6 to in a couple of things as you mentioned, calculate land 7 contamination. We are not exactly sure if we are going to 8 use that at this point, but we do feel that it is a piece of 9 information that is important for the Commission to be aware 10 of when they finally settle in on a large release 11 12 definition.

The second thing we are going to is, we are going 13 to look at the effect of some different emergency planning 14 assumptions, particularly the evacuation start time and the 15 speed of evacuation. The thought is that probably the large 16 MR. SHEWMON: The land contamination would then be 17 site specific because you talk about what would take it out 18 of effective service, or how would you avoid site 19 specificity there? 20

MR. KING: Land contamination would be based upon this representative site characteristics, the meteorology and so forth associated with that, which we feel covers a fairly broad set of the site characteristics that are out there today. MR. SHEWMON: But would you state it at a level where they couldn't grow beans anymore or what and sell the beans commercially, or how do you set up a level of contamination, that people couldn't eat picnics there or people couldn't drive through it, or what for contamination level?

7 MR. KING: You can define it in terms of how far 8 out crops would have to be interdicted, how far out people 9 wouldn't be able to live in there for a certain period of 10 time. There are several different ways to describe it, but 11 I am not exactly sure how we are going to end up doing that 12 at this point, but that kind of thing.

13 MR. CARROLL: That is an extremely safe dependent 14 thing?

MR. KING: As far as --

15

MR. CARROLL: Palos Verdes, for example --MR. KING: If they are not growing crops out it that's true, you don't have to worry about that. Again, it would be based upon this representative site which we feel would cover most of the sites that are out there:

As far as emergency planning variations go, we suspect that early releases from the plant are going to dominate the early offsite fatality. We want to test that through looking at some different emergency planning assumptions and see if that's true. I think that would be

one less variable then that we would have to consider in settling in on a final large release definition. So, we are 3 going to do some different set of calculations looking at some different emergency planning assumptions. 4

The idea is to settle in on a single value when we 5 6 are all done.

MR. LEWIS: I am beginning to lose track of the 7 logical stream here, so cornect me if I say it wrong as I 8 try to put all of this in context. What you are trying to 9 home in on is a particular number of curies or something 10 like that --11

MR. KING: Fraction of core inventory.

MR. LEWIS: This whole exercise is to find out 13 what a reasonable number is to suggest to the Commission as 14 a reasonable number of curies. 15

16

12

1

2

MR. KING: Yes.

MR. LEWIS: The purpose of the exercise then is to 17 18 make sure that the number that you propose is consistent in some way with the Commission's other safety goals and 19 quantitative health objectives. Is there any other reason 20 for making these rather elaborate calculations? 21

Putting it differently, if I were in your shoes, I 22 would invent a number that some multiple of ten, 100 or 23 1,000 that is defensible in terms of the other objectives 24 25 and simply propose it to the Commission. You seem to be

wanting to do it much more precisely than I would if I were in your shoes, and I think I am missing a logical point 2 3 somewhere.

1

MR. KING: If I could just pick a number without 4 doing the calculations I would, but I guess I feel that we 5 need to do some analysis like this to pick a number. I just 6 can't pull one out of the air and suggest it. I don't have 7 8 an intuitive feel for what that number would be at this point util we go through some calculations. 9

10 MR. LEWIS: Since I have interrupted you, the second thing I guess I am also missing is in the paragraph 11 12 that Ernest was reading earlier from the Commission's instructions to you. They say a conclusion that specifying 13 the frequency as an overall mean value is inherently more 14 conservative than either of the quantitative health effects 15 16 objectives.

I am not understanding why it is inherently more 17 18 conservative. In the end it depends on what number you put in. Why is specifying it as a mean value inherently more 19 conservative than the quantitative health objectives? This 20 21 is related to the other question. I am really not seeing how these things hang together. Does that make sense? 22

MR. WARD: Yes. Hal, I think it's because we are 23 24 stuck with the ten to the minus six. If you let it all go 25 and make any sort of credible calculation about how it gets

delivered to people as a dose it is going to be less of an 1 effect than the quantitative health effects. 2 MR. LEWIS: It is going to be less than? 3 MR. WARD: Yes, less of an effect. 4 MR. LEWIS: Why does it --5 MR. WARD: See, unless you want it back down to 6 7 ten to the minus seventh ---MR. LEWIS: What it says here is not that the 8 ö number is inherently more conservative but that specifying the frequency as an overall mean value is inherently more 10 conservative. That's what I don't understand. It seems to 11 say that the technique is inherently more conservative and 12 not the number. 13 MR. WARD: I don't think so. I think it is 14 inherently more conservative because we are starting with a 15 mandated number of ten to the minus six. 16 MR. LEWIS: That number which is a probability, 17 has to be combined with an effect before you can speak of 18 consequence. 19 MR. WARD: Even if you take the worst -- you could 20 make it 100 percent of the core. 21 MR. LEWIS: I see. 22 MR. WARD: Dumped out over here with some kind of 23 24 nasty atmospheric dispersion --MR. LEWIS: And you are still not doing much 25

damage you are telling me.

1

2

MR. WARD: That's what I understand the argument 3 to be.

4 MR. LEWIS: I suppose that could be. I would have to think about that. 5

MR. WARD: Let the staff correct me. We have some 6 7 experts, so go ahead.

8 MR. MURPHY: I interpret it exactly the way Dr. 9 Ward does. If you have ten to the minus six as the mean 10 value for large release or quantitative health objective 11 when you get quantitative, it comes out five times ten to 12 the minus seven. If I have a large release at ten to the 13 minus six, the quantitative health objective is only a 14 factor of two away from it but I will pick up something 15 approaching a factor of ten or more from Winrose 16 considerations alone.

17 The ten to the minus six for a large release is 18 inherently more conservative than the five times ten to the minus seven for the early fatality limit that comes out of a 19 tenth of a percent calculation. 20

21 MR. LEWIS: I am having trouble with my mathematics. I would have thought that quantitative health 22 objective that is equivalent to five times ten to the minus 23 24 seven large release is more conservative than a ten to the minus six probability for large release. 25

MR. MURPHY: What I am saying is if I set at ten to the minus six and say what would it then take to get to an early fatality number, I would get a number lower than five times ten to the minus seven just from Winrose considerations.

MR. LEWIS: I have to believe you.

7 MR. KING: Let me just wrap this up. Our schedule 8 is that we hope to start this month --

MR. TAILOR: I am not sure whether I am adding 9 more context or more confusion here. Back a few years ago 10 when I was involved a little more actively with safety 11 goals, we found that an SST-1 which characterizes 12 conservatively -- envelopes a whole host of the most severe 13 reactor accidents and releases --would achieve the 0.1 14 percent goals. Inherently if you set that release 15 magnitude, that enveloping one, one order of magnitude more 16 conservative than a ten to the minus five that would meet 17 the .1, you inherently have more conservatism. It's an up-18 19 front frequency.

20

6

[Slide.]

21 MR. KING: Our schedule for doing this work is to 22 start this month in getting a statement of work out and get 23 people set up and the calculations underway. We hope to 24 have those complete in about four months, in June. We would 25 plan to develop a NUREG to document all of this work and support the recommended definition of a large release. We
 hope to have that done around September.

We plan to come back to the Committee, we estimate now in October, and provide you that NUREG in advance and come back and present the results and our recommendations. We hope to have something to the Commission toward the end of the year, we are projecting November right now. That's our best estimate of the schedule for where we are going.

[Slide.]

9

25

MR. KING: The only other thing I wanted to mention is how this is going to be used. In parallel with our work that we just talked about, doing these calculations, the staff is looking at how to use the large release as part of a broader look at how to implement safety goal considerations into the development of regulations and other regulatory actions.

There was a Steering Group set up last month by 17 18 Eric Beckjord -- as I understand you have a copy of the 19 letter that set that up -- to take a look not only at the large release but the whole safety goal question, as to how 20 21 we are going to use that and implement that into the regulatory process. As I understand it, their schedule is 22 shooting for about two months to have an interim position 23 developed as to how that would work. 24

We plan to interact with that. I talked to Jack

Heltemes who is the head of that Steering Group, and we plan to interact with them on the work we are doing. What comes out of that may have some influence on ultimately where we end up. We will be interacting with them as this goes on.

1

2

3

4

19

5 With that, unless you have any questions, that is 6 where we stand.

7 MR. KERR: From what I have just heard Mr. Taylor 8 say, are you likely to conclude after doing the calculation 9 that you propose to do that the large release is likely to 10 be bigger than the amount of fission products that are 11 contained in the reactor after having been operated at full 12 power for some significant length of time?

13 MR. KING: We estimated in the paper based upon 14 the Sequeyah analysis that was done for 1150, just to give a 15 rough idea of the magnitude of a large release, and it was 16 like 100 percent of the nobles, 20 percent of the iodine and 17 20 percent of the cesium and one percent of the other stuff, 18 just to give people a ball park idea of what that is.

20 MR. KERR: It won't turn out to be more than the 21 amount of fission products in the core.

Sequoyah is a fairly large plant ---

22 MR. KING: I guess it's conceivable, if you had 23 some small plant out there, that they could release a larger 24 fraction of their core inventory than Sequoyah. I herea't 25 done the math but it would be fairly easy to do.

MR. LEWIS: I am really quite confused. Is that 1 2 contradictory to what Dave said earlier? MR. WARD: No. 3 MR. LEWIS: It isn't? 4 MR. WARD: It is the same thing. 5 MR. LEWIS: It takes the whole core at ten to the 6 7 minus six. MR. KING: No. 8 MR. LEWIS: That is what everyone seems to be 9 10 telling me. MR. KING: No. That is not true. For Sequoyah it 11 takes 20 percent -- approximately 20 percent of the iodine 12 and cesium and 100 percent of the nobles. If you had a 13 plant smaller than Sequoyah, if you are expressing it in 14 terms of fraction of the core inventory, that fraction would 15 be higher. 16 MR. LEWIS: For a full size thing like Sequoyah, 17 then it is --18 MR. KERR: Some of the earlier plants that are 19 down by a factor of two or three from Sequoyah --20 MR. LEWIS: What is bothering me is that everyone 21 seems bothered because that seems to be consistent -- it 22 seems to all hang together that if you put in a number of 23 curies which is comparable with -- I don't care about 24 25 factors of three or four -- comparable with the inventory of

the plant and combine it with ten to the minus six and you are consistent with the quantitative health objectives, and we can all go home. Why is that all wrong?

MR. KERR: My question was not to imply that I thought it was wrong. I just wanted to see if I understood what I was hearing.

7 MR. LEWIS: I know, and you were helping me
 8 understand.

1

2

3

9 MR. SHEWMON: Tom, in the numbers that you just 10 estimated for Sequoyah, you said you remembered -- was this 11 sort of one hour after the rods went in or one day? It must 12 make some difference.

MR. KING: The release, as I recall from Sequoyah that dominated the large release, were all early releases. You remember what the accidents were -- were they containment bypass events or something -- it happened early.

17 MR. MURPHY: It was early containment failure type 18 things which would mean the release occurred two to three 19 hours after the time core damage started.

20 MR. WARD: Tom, you mentioned that I guess Mr. 21 Beckjord has formed the safety goal steering group --22 interoffice Safety Goal Steering Group, and you have a 23 couple of memos setting that up in this little package here 24 that Dave passed out. I would like to read to you one point 25 which I am really glad to hear this. This is a memo from Tom

Murley to Jack Heltemes, where Tom is nominating the NRR
 representative for it.

One of the comments that he makes is that in the spirit of the Commission's guidance -- whoever wrote this for Tom -- in the spirit of the Commission's guidance, we could give the safety goal a more prominent role in our evaluation of generic safety issues. J believe our staff's continue to spend a great deal of time and effort on issues that are of very low safety significance.

10 That is the Committee's interest, in getting a 11 safety yoal out there to help deal with that sort of thing. 12 I think we ought to be interested in following up on how the work of the Steering Group develops. That is not the 13 business of Tom King here today, but I think it should be of 14 interest to the Committee. They are supposed to come up 15 with something in a couple of months, so I guess we will be 16 asking to hear about that. 17

Are there any other questions? Tom said that they aren't asking for a letter from us now. I don't think it is necessary that we write a letter, unless we think they are going off in a wrong direction with this. We would like to advise them of that and perhaps how we think they ought to go. My personal view is that I think they are going in the right direction.

25

MR. LEWIS: I agree, Dave. I have no problem with

that, but I look forward with anticipation to find out how 1 many curies they come up with. 2 3 MR. WARD: Yes. That is going to be some months from now I think. 4 MR. LEWIS: That is really, if there is any 5 battle, that's when it will be joined. 6 MR. WYLIE: Do you think, Hal, that they are 7 headed in the right direction to arrive at the number of 8 curies that they come up with? 9 MR. LEWIS: I guess I have already expressed 10 myself. I think they are working too hard. 11 MR. CARROLL: Work smarter, not harder. 12 MR. WARD: I guess you suggested to Tom that you 13 could just cook up a number and tell the Commission this is 14 what we propose, but the problem is that the Commission 15 would come back to him and ask for some justification. 16 17 MR. LEWIS: Oh, I know. MR. WARD: He is trying to develop that in 18 19 advance, I think. MR. LEWIS: I know that, and I think there is 20 probably something in between. People have been giving 21 estimates more or less off the tops of their heads involving 22 the whole inventory of a particular plant and that sort of 23 24 thing. 25 MR. WARD: Yes.

MR. LEWIS: That sort of argument -- bear in mind, this doesn't have to be precise within 20 percent. I think it would probably do the job, but if they want to work hard I won't discourage them from working hard.

5 MR. KERR: There is one part of the task that the 6 Commission gave to the staff which has not been mentioned 7 but which we did discuss briefly in the Subcommittee 8 meeting. The Commission not only asked for this recipe but 9 asked how they would use it. If I remember what Mr. King 10 said earlier, they are going to try to decide how they would 11 use it after they have developed it.

Again, I don't know whether we ought to comment on that approach or not, but it is apparently --

14MR. KING: I don't think that is quite correct.15MR. KERR: Please correct me.

16 MR. KING: For the next couple of months the two 17 efforts will be going on in parallel, but the Steering group 18 should have an interim position on how to use this long 19 before we arrive at the number.

20 MR. KERR: So, it's the Steering Committee's job 21 to come up with how it is to be used.

22 MR. LEWIS: That is going to be much harder, of 23 course. It is easy to buy a tennis racket but hard to learn 24 to use it.

25

MR. KERR: Well, it seems to me that in order that

the Steering Committee know how to use it they have some idea of what it is to be. Maybe having told them what you have told them, at least they can guess what it will be and, hence, how to use it possibly.

5 MR. KING: We certainly have a ball park number 6 that we estimated for Sequoyah in the 1150 work. So, at 7 this point, at least it is not -- we have a general idea of 8 the size that we are talking about.

9 MR. WILKINS: Let me follow on Hal's analogy. At 10 least you know it's a terris racket, it's not a baseball 11 bat.

MR. LEWIS: No, but if you get involved with
 LaCrosse and these other things you can get mixed vp.

MR. WARD: Are there any other questions for Mr.King or any of the rest of the staff?

16 [No response.]

MR. WARD: Thank you very much, Tom. We appreciate your coming down. Don't look for a letter. We have finished well ahead of schedule. Our next item is a break, and I don't think we need to take that. The next is preparation of ACRS reports. Do we have any reports that are ready? We could start -- we want to get back to the -we can go off the record at this point.

24 [Whereupon, at 2:30 p.m., the transcribed portion 25 of the meeting concluded.]

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission

in the matter of:

NAME OF PROCEEDING: 370th ACRS Meeting

DOCKET NUMBER:

PLACE OF PROCEEDING: Bethesda, Maryland

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.

Mary C. Larlin

Official Reporter Ann Riley & Associates, Ltd.

RES STAFF PRESENTATION

SAFETY GOAL

LARGE RELEASE DEFINITION

ACRS FULL COMMITTEE MEETING FEBRUARY 8, 1991

TOM KING (X23980)



PURPOSE OF BRIEFING

• TO RESPOND TO AN ACRS REQUEST FOR A STATUS REPORT ON THE STAFF'S EFFORTS TO DEFINE A LARGE RELEASE, AS DESCRIBED IN SECY-90-405.

 STAFF IS NOT REQUESTING A LETTER AT THIS TIME.

BACKGROUND

• IN THE 1986 SAFETY GOAL POLICY STATEMENT, THE COMMISSION PROPOSED A GENERAL PERFORMANCE GUIDELINE FOR FURTHER STAFF EXAMINATION:

> "CONSISTENT WITH THE TRADITIONAL DEFENSE-IN-DEPTH APPROACH AND ACCIDENT MITIGATION PHILOSOPHY REQUIRING RELIABLE PERFORMANCE OF CONTAINMENT SYSTEMS, THE OVERALL MEAN FREQUENCY OF A LARGE RELEASE OF RADIOACTIVE MATERIALS TO THE ENVIRONMENT FROM A REACTOR ACCIDENT SHOULD BE LESS THAN 1 IN 1,000,000 PER YEAR OF REACTOR OPERATION."

• ACRS HAD PROPOSED A 5 LEVEL SAFETY GOAL HIERARCHY:

LEVEL 1 - QUALITATIVE SAFETY GOALS

LEVEL 2 - QUANTITATIVE HEALTH OBJECTIVES

LEVEL 3 - LARGE RELEASE GUIDELINE

LEVEL 4 - PERFORMANCE OBJECTIVES

LEVEL 5 - REGULATIONS AND REGULATORY PRACTICES

OPTIONS FOR LR DISCUSSED IN SECY-89-102

RECOMMENDED OPTION:

RELEASE THAT WOULD HAVE THE FOTENTIAL FOR CAUSING ONE OR MORE OFFSITE EARLY FATALITIES.

 OTHER OPTIONS DISCUSSED IN ENCLOSURE 1 TO SECY-89-102.

- OFFSITE HEALTH EFFECTS:

COLLECTION OF ALL RELEASES THAT WOULD RESULT IN ONE OR MORE EARLY FATALITIES.

- OFFSITE DOSE:

EXPOSURE TO ANY OFFSITE INDIVIDUAL RESULTING IN A DOSE OF X REM OR MORE.

- MAGNITUDE OF RELEASE:

ALL THE NOBLE GASES, AND %% OR MORE OF ANY OF THE OTHER SOURCE TER ELEMENT GROUPS.

- CONTAINMENT FAILURE MODES:

ANY RELEASE FROM AN EVENT INVOLVING SEVERE CORE DAMAGE, PRIMARY SYSTEM PRESSURE BOUNDARY FAILURE, AND EARLY CONTAINMENT FAILURE.

PREVIOUS ACRS COMMENTS ON "LARGE RELEASE" DEFINITION (FROM FEB. 16, 1989 ACRS LETTER):

- IT SHOULD REPRESENT A LEVEL OF SAFETY CONSISTENT WITH THE QUALITATIVE GOALS AND QUANTITATIVE HEALTH OBJECTIVES
- IT SHOULD BE IN TERMS OF THE RELEASE ITSELF, E.G., CURIES, LEAK OR RELEASE RATE, FRACTION OF THE CORE, OR CONTAINMENT INVENTORY
- IT SHOULD BE INDEPENDENT OF THE SITE CHARACTERISTICS
- IT SHOULD PROVIDE SOME CRITERIA AGAINST WHICH THE DESIGN OR PERFORMANCE OF CONTAINMENTS CAN BE TESTED

COMMISSION GUIDANCE TO THE STAFF

- o COMMISSION REJECTED STAFF PROPOSED DEFINITION IN A JUNE 15, 1990 SRM:
 - LARGE RELEASE SHOULD BE SITE INDEPENDENT
 - LARGE RELEASE SHOULD FOCUS ON ACCIDENTAL RELEASES
 - ACKNOWLEDGED THAT LR GUIDELINE MAY BE AN ORDER OF MAGNITUDE MORE CONSERVATIVE THAN QHOS
 - STAFF SHOULD ADVISE THE COMMISSION ON LR DEVELOPMENT AND USE, INCLUDING A PROPOSED NEW DEFINITION
- ADDITIONAL LR DEFINITION OPTIONS WERE THEN SUBSEQUENTLY CONSIDERED AND DISCUSSED IN SECY-90-405, DATED 12/14/90

OPTION: 1

QUALITATIVE STATEMENT ON EARLY CONTAINMENT FAILURE:

A LARGE RELEASE IS ANY RELEASE FROM AN EVENT INVOLVING SEVERE CORE DAMAGE, REACTOR COOLANT SYSTEM PRESSURE BOUNDARY FAILURE, AND EARLY FAILURE OR SIGNIFICANT BYPASS OF CONTAINMENT. DISCUSSION:

- **0** DOES NOT REQUIRE DETAILED FISSION PRODUCT RELEASE CALCULATIONS
- **0** INDEPENDENT OF SITE CHARACTERISTICS
- o LIMITED IN APPLICATION TO REACTORS HAVING CONVENTIONAL CONTAINMEN' S
- DIFFICULT TO DEFINE KEY TERMS, e.g., "EARLY CONTAINMENT FAILURE" AND "SIGNIFICANT BYPASS."

OPTION 2 (Recommended by Staff)

MAGNITUDE OF RELEASE

"A LARGE RELEASE IS A RELEASE OF RADIOACTIVITY FROM THE CONTAINMENT TO THE ENVIRONMENT OF A MAGNITUDE EQUAL TO OR GREATER THAT: (AN AMOUNT, TO PE DETERMINED BY THE STAFF, EXPRESSED IN CURIES OR FRACTION OF THE CORE INVENTORY, WHICH HAS THE POTENTIAL, BASED ON REPRESENTATIVE SITE CHARACTERISTICS, FOR CAUSING ONE OR MORE OFFSITE EARLY FATALITIES.)"

DISCUSSION:

- TIES THE RELEASE DEFINITION TO AN OFFSITE CONSEQUENCE WHICH IN CONCEPT IS EASILY UNDERSTOOD BY THE PUBLIC
- INDEPENDENT OF PLANT OR SITE CHARACTERISTICS
- **o** NO PLANT SPECIFIC LEVEL III PRA REQUIRED
- USE OF "EQUIVALENT CURIES" COULD EXTEND THE APPLICATION OF THIS OPTION TO ADVANCED REACTORS WHICH WILL HAVE DIFFERENT RADIONUCLIDES IN THE RELEASE
- **o REPRESENTATIVE SITE NEEDS TO BE DEFINED**

OPTION 3 (Not discussed in SECY-90-405)

OFFSITE DOSE

A LARGE RELEASE IS ONE WHICH CAUSES A DOSE OF (250-450) REM TO AN INDIVIDUAL LOCATED AT THE EXCLUSION AREA BOUNDARY. DISCUSSION:

- o DOSE SELECTED BASED ON OFFSITE FATALITY CONSIDERATIONS
- NO NEED TO CONSIDER OFFSITE PARAMETERS (E.G., POPULATION DENSITY OR EVACUATION EFFECTIVENESS)
- SIMILAR IN NATURE TO THE FENCEPOST DOSE USED IN CURRENT LICENSING ACTIVITIES (E.G., ASSUMES GROUND LEVEL RELEASE, WIND IN ONE DIRECTION, ETC.)
- MORE THAN AN ORDER OF MAGNITUDE CONSERVATIVE THAN A PROJABILISTIC BASED APPROACH (E.G., CRAC OR MACCS).
- A SINGLE VALUE COULD BE CALCULATED USING REPRESENTATIVE SITE CH. RACTERISTICS.

COMPARISON OF LARGE RELEASE DEFINITIONS

GUIDELINES FOR SUBSIDIARY DEFIN OBJECTIVES IN SECY-89-102 SECY-		FINITIC4 CY-89-102	DEFINITION-EARLY CONTAINMENT FAILURE	DEFINITION- MAG. OF RELEASE	DEFINITION OFFSITE DOSE
1)	SHOULD BE CONSISTENT WITH LEVEL ABOVE	YES	YES	YES	YES
2)	SHOULD NOT BE MORE CONSERVATIONS SUCH THAT IT IS A NEW POLICY	VE YES	YES	٩Ĕ٢	NO
3)	SHOULD BE A SIMPLIFICATION OF PREVIOUS LEVEL	YES	NO	YES	YES
4)	SHOULD PROVIDE A BASIS FOR ASSURING QHOS ARE MET	YES	YES	YES	YES
5)	SHOULD HAVE BROAD GENERIC APPLICABILITY	YES	NO	YES	YES
6)	SHOULD BE UNDERSTANDABLE	YES	YES	YES	YES
7)	SHOULD COMPORT WITH CURRENT PRA PRACTICE	YES	YES	YES	NO

APPROACH TO DEVELOPMENT OF LR DEFINITION

RADIOACTIVE RELEASE:

USE NUREG/1150 PLANTS PLUS LASALLE FOR CALCULATIONS:

- CONSIDER THESE PLANTS TO BE "REPRESENTATIVE" OF U.S. FLANTS ACTING AS SURROGATES FOR ALL OTHERS
- **0** DO NOT SELECT ANY ONE AS BEING TYPICAL
- 0 DATA AVAILABLE FOR MACCS AND RELEASE CALCULATIONS

DEVELOPMENT OF REPRESENTATIVE SITE

0 COORDINATE WITH PART 100 UPDATE

• REPRESENTATIVE SITE CHARACTERISTICS TO BE THE SAME AS WHAT IS SELECTED FOR PART 100 UPDATE PLUS ADDITIONAL ASSUMPTIONS ON OTHER FACTORS, SUCH AS PRECIPITATION, EP, METEOROLOGY.

LARGE RELEASE MAGNITUDE DETERMINATION

- USE 1150 PLANTS AND LASALLE RELEASE DATA AND MACCS TO DETERMINE RELEASES APPROXIMATING 1 EARLY FATALITY AT THE REPRESENTATIVE SITE
- o EVALUATE MAGNITUDE. TIMING, AND COMPOSITION OF CANDIDATE RELEASES
- WILL EVALUATE AFFECT OF DIFFERENT EP ASSUMPTIONS (EVACUATION START TIME AND SPEED)
- 0 WILL CALCULATE EXTENT OF LAND CONTAMINATION
- **o** SELECT A SINGLE VALUE

O


SCHEDULE

- o START CALCULATIONS 2/91
- CALCULATIONS CO' 1PLETE 6/91

1

1

- o DRAFT NUPEG 9/91
- o ACRS/CRGR 10/91
- o TO COMMISSION 1_/91

USE OF LARGE RELEASE DEFINITION

• STEERING GROUP ESTABLISHED IN JANUARY 91 TO DETERMINE NOW TO INCOPPORATE SAFETY GOAL CONSIDERATIONS INTO THE DEVELOPMENT OF REGULATIONS AND OTHER REGULATORY ACTIONS

0 INTERIM POSITION FOR TRIAL USE BY APRIL 91