

ACRST-1834
ORIGINAL

OFFICIAL TRANSCRIPT OF PROCEEDINGS

Agency: U.S. Nuclear Regulatory Commission
Advisory Committee On Reactor Safeguards

Title: 370 ACRS Meeting

Docket No.

LOCATION: Bethesda, Maryland

DATE: Thursday, February 7, 1991 PAGES: 1 - 178

ACRS Office Copy - Retain
for the Life of the Committee

ANN RILEY & ASSOCIATES, LTD.

1612 K St. N.W., Suite 300
Washington, D.C. 20006
(202) 293-3950

9102140018 910207
PDR ACRS
7-1834 PDR

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PUBLIC NOTICE BY THE
UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

DATE: Thursday, February 7, 1991

The contents of this transcript of the proceedings of the United States Nuclear Regulatory Commission's Advisory Committee on Reactor Safeguards, (date) Thursday, February 7, 1991, as reported herein, are a record of the discussions recorded at the meeting held on the above date.

This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

370th ACRS MEETING

Nuclear Regulatory Commission
Conference Room P-110
7920 Norfolk Avenue
Bethesda, Maryland

Thursday, February 7, 1991

The above-entitled proceedings commenced at 8:30
o'clock a.m., pursuant to notice, D. Ward, Chairman,
presiding.

PRESENT FOR THE ACRS:

D. Ward	W. Kerr
P. Shewmon	C. Michelson
J. Carroll	E. Wilkins, Jr.
I. Catton	C. Wylie
H. Lewis	R. Fraley

1 PARTICIPANTS:

2	T. King	N. Chokshi
3	L. Shao	J. Flack
4	A. Murphy	B. Beckner
5	J. Chen	B. Marcus
6	J. Trotter	E. Marinos
7	T. Kenyon	J. Joyce
8	G. Bagchi	J. Hannon

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

P R O C E E D I N G S

[8:30 a.m.]

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. WARD: The meeting will now come to order. This is the first day of the 370th meeting of the Advisory Committee on Reactor Safeguards. During today's meeting, the Committee will discuss or hear reports on the following subjects:

First, individual plant examination for external events; second, EPRI requirements for advanced light water reactors; third, containment design criteria for future light water reactors; fourth, implementation of Regulatory Guide 1.97; and fifth, ACRS activities.

Topics for tomorrow's discussion are listed on the schedule posted on the bulletin board at the rear of the room. This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act.

Mr. Raymond F. Fraley is the designated federal official for the initial portion of the meeting.

We've received no written statements or requests for time to make oral statements from the members of the public regarding today's sessions. A transcript of portions of the meeting is being kept, and I request that each speaker use one of the microphones and identify herself or himself and speak with sufficient clarity and volume so that he or she can be readily heard.

1 Before going to the first item on the agenda --
2 the technical agenda, I have several items of interest to
3 mention.

4 First, Dr. Lewis' book on technological risk is
5 now in the ACRS Library. It's -- you might have to get on
6 the waiting list if you want to get it, there's a lot of
7 demand for it up there I understand from Ethel.

8 MR. LEWIS: I want the record to show I did not
9 pay Dave to say that.

10 MR. MICHELSON: I thought we were going to get
11 free copies.

12 MR. LEWIS: People kept raising that question, and
13 the stated answer is that, as surprising as it may appear to
14 you, I have more friends than copies.

15 MR. WARD: We have, relative to new members, we
16 have a couple of visitors during the meeting this week. Mr.
17 Spencer will be here from about 10:00 a.m. to 2:00 p.m.
18 today. I'd like some of you to talk with him. Please, if
19 you'll contact Mable, she can arrange a -- a time so that we
20 get as many people as possible can talk with him.

21 Mr. Kress will be here tomorrow. The same deal,
22 from about 10:00 a.m. to 2:00 p.m. So, please try to talk
23 to one or both of these gentleman.

24 Chet Siess won't be here today. We do have a
25 favorable report that his wife is doing much better and he

1 expresses appreciation for the flowers we sent, as a
2 Committee. He does expect to be here next month.

3 The first topic today was the IPEEE, and I
4 understand Carl Michelson will handle that for Dr. Siess.

5 The -- in March, I think it's about the 26th, the
6 Aging Research Annual Meeting is going to be held. I know
7 some of you have been interested and have attended that last
8 year. Mr. Igne has provided copies of the agenda to members
9 of the Subcommittee on Aging, but anybody else who wants it
10 can see Al, he'll give you a copy.

11 Let's see. It's my pleasure to announce that the
12 ACRS members are going to get a raise in pay. Some of the
13 members of the audience may be surprised that we get paid,
14 but we do. There is a -- I think there's a general four
15 percent raise for NRC employees, but also there's some caps
16 removed or adjusted. As a result, ACRS members are actually
17 going to get a 25 percent raise. So, that's pretty
18 substantial. I think that's pretty darn good I pulled it
19 off my first month as Chairman, so --

20 [Laughter.]

21 MR. CATTON: We really appreciate it.

22 MR. WARD: Okay. I think that -- I gather that
23 was effective the first of the year.

24 Let see. Oh, we have a new co-op working with us.
25 Roberta Romero is a senior engineering student at the

1 University of Texas at El Paso. She's in metallurgy and
2 materials and I think she's right here. Roberta, would you
3 stand up? So, we'll be glad to have you here and I think
4 Dr. Shewmon may be able to benefit from your advice.

5 I also understand that Mark Stella will be
6 returning next month to a job, another appointment as an
7 ACRS Fellow, or Senior Fellow, I guess it is.

8 We -- looking at the agenda, it appears that we
9 will need to have the Saturday session as scheduled. We
10 have several letters and some of them really don't come up
11 till kind of late in the day tomorrow. So, in all
12 probability, we'll need Saturday morning to work on those.

13 Relative to the Containment Letter, which we'll be
14 considering again today and also have some time for
15 tomorrow, there's a letter I'd like you to look at, if you
16 have a chance.

17 There's a letter we got from FPRI, from Bill
18 Sugnet, in response to what they heard -- what's -- I guess,
19 some representatives for their organization, heard when we
20 discussed and read our first draft of the containment
21 criteria letter at the last meeting. They have some
22 concerns about some of the things. So, Dean Houston is
23 going to pass it out a little later in the morning, and some
24 of you might be interested. I hope some of you will read
25 that, I think it will be of interest.

1 Anything else that we need to bring up before
2 going to the IPEEE discussion? Ernest?

3 MR. WILKINS: Do you have any information about
4 Larry Minnick's condition?

5 MR. WARD: I don't. Does anyone else? Is Ray
6 here? I'm sorry, I don't, Ernest.

7 Okay. Let's go to the first agenda item, and Mr.
8 Michelson.

9 MR. MICHELSON: Thank you, Mr. Chairman.

10 The first agenda item deals with the IPEEE
11 Program which we first saw extensively in the form of a
12 generic letter in November of '88. In May of '90, the
13 Committee wrote a letter on the program. A workshop was
14 held in Pittsburgh in September, and we now have a revised
15 material which appears in tab two. The staff is here this
16 morning to make a presentation on the material and answer
17 any questions that we may still have.

18 So with that, Tom King, I think, is going to lead
19 the staff's presentation.

20 [Slide.]

21 MR. KING: My name's Tom King. I am with the
22 Office of Research, Division of Safety Issue Resolution.

23 We have in that division the responsibility for
24 finalizing the generic letter and guidance document and
25 getting it out for IPEEE.

1 This morning what we're going to do is quickly
2 I'll give an introduction and the status and schedule, where
3 we're going from here on the IPEEE.

4 Larry Shao is going to talk about the workshop
5 that we had, the major comments and changes we've made to
6 the package, and the Andy Murphy and John Chen will go
7 through the three major subsections of the package, seismic,
8 fires, high winds, floods, transportation, and talk about
9 the major changes that have been made since the draft
10 version that you saw back in May.

11 In the handout it's got all the slides for
12 everybody. We sent you a copy of the entire draft package on
13 January 11th. There have been some word engineering changes
14 that have taken place since then but there's been no
15 substantive change to the package. The technical content is
16 essentially the same.

17 [Slide.]

18 MR. KING: The purpose of the briefing today, as I
19 said, we want to summarize the status of where the package
20 stands, major comments that we received, and the changes
21 that we made.

22 We're going to emphasize the changes in the
23 presentation.

24 We do request a letter from the full Committee
25 after this meeting if that's possible.

1 MR. CARROLL: The changes that you refer to, Tom,
2 are they reflected in what we have in our binder?

3 MR. KING: Yes. Yes, the changes are reflected in
4 your binder.

5 You mean are they highlighted in your binder?

6 The SECY paper, there should have been a SECY
7 paper attached to the generic letter and draft NUREG-1407,
8 which highlights the major changes and we tried to highlight
9 in boldface type --

10 MR. CARROLL: Oh, okay, yes. That's fine.

11 MR. KING: -- in the package, okay.

12 MR. CARROLL: That was also in the January 11th.

13 MR. KING: That was the January 11th package that
14 we sent you.

15 MR. CARROLL: I mean the one we got earlier.

16 MR MICHELSON: The one we got in the mail is the
17 same one, I think. There may be changes from what we got in
18 the mail. I haven't had time --

19 MR. CARROLL: That's what I was trying to
20 establish.

21 MR. KING: What I'm saying is the package you got
22 January 11th there's been some word engineering changes but
23 no substantive technical change to the package.

24 MR. MICHELSON: And the word engineering is
25 reflected in the one we have in our binder, or do you know?

1 MR. KING: Well, I'm not sure what you have in
2 your binder. I thought you had the January 11th version in
3 your binder.

4 MR. CARROLL: We do.

5 MR. KING: Okay. I'm saying there's been some
6 word engineering changes since then as it worked its way
7 through concurrence but no change to the technical content.

8 MR. CARROLL: All right.

9 [Slide.]

10 MR. KING: By way of background, the purpose of
11 the IPEEE hasn't changed from what we originally proposed
12 and really is essentially the same purpose that the entire
13 IPEEE both internal and external events has.

14 That's summarized in four items.

15 It's to have licensees develop an appreciation of
16 severe accident behavior for their plants; to help them
17 understand the most likely severe accident sequences that
18 can occur at their plants; understand the overall likelihood
19 of core damage and radioactive material release and
20 ultimately to reduce the overall likelihood of core damage
21 and radioactive material release where that's appropriate.

22 [Slide.]

23 MR. KING: The scope of the IPEEE, the overall
24 scope is not just for the package you saw back in May,
25 although some of the depth and the details of the review

1 have been modified, particularly in the seismic margins
2 method area and we'll talk about that later.

3 Basically the scope is seismic events, internal
4 fires, high winds, floods, transportation, nearby facility
5 hazards, and then in the other sites, unique hazard that a
6 particular licensee may have or a guidance document provides
7 guidance for the first three. The site-unique one is up to
8 the licensee to identify and address.

9 MR. WARD: Tom, let me ask you a question about
10 the scope. When the IPE process was initially -- I mean
11 just the IPE process initially developed, there was a lot of
12 conversation about it. An important purpose was to look for
13 outliers, things that -- not necessarily in the mainstream
14 of understanding about risk but things that might be missed
15 absent a systematic search.

16 I don't find any language like that here.

17 Is there a change?

18 MR. KING: Well, I think "outliers" -- the word's
19 been replaced by vulnerabilities.

20 That's the word we use. Let me go back to page --

21 MR. CARROLL: You say vulnerabilities on page 3.

22 MR. KING: To identify vulnerabilities to severe
23 accidents. That's really synonymous with outliers, which I
24 think is the word that is used in the Commission's policy
25 statement.

1 Yes, the intent is still to look for those. We're
2 just calling them vulnerabilities.

3 MR. KERR: A vulnerability is synonymous with an
4 outlier?

5 MR. KING: We don't use the word "outlier" in the
6 package anywhere.

7 MR. KERR: But I thought you said that the word
8 "vulnerability" is synonymous with "outlier" -- that may be
9 an NRC definition but it certainly isn't the way the English
10 language is normally interpreted.

11 MR. KING: Well, I think in the sense the word
12 "outlier" was used in the Commission's policy statement, the
13 way that's been implemented and translated into language in
14 the IPEEE, what we're asking the licensees to look for is
15 vulnerabilities. That's the word we're using.

16 MR. WARD: You don't think the Commission really
17 meant outliers, I guess?

18 MR. KING: Well, I think the way we're using the
19 word "vulnerabilities" I think that that essentially
20 translates to "outliers."

21 MR. KERR: As the Queen said, words mean what I
22 want them to mean.

23 [Slide.]

24 MR. KING: Let me go on briefly as to what's
25 happened since May.

1 When you saw the original draft package and
2 commented on it, it went to the Commission.

3 At the end of May we received a Staff requirements
4 memorandum in the middle of July from them which approved
5 issuing the documents for comment and conducting the
6 workshop. It also requested that the final documents be sent
7 back to the Commission for their review prior to issuing
8 them as final, that that be done via negative consent paper,
9 and that that package address additional ACRS comments as
10 well as the workshop results, so that's the package in front
11 of you is an attempt to do that.

12 As was mentioned earlier, we had the workshop in
13 September -- a lot of interest, a lot of attendees. Larry
14 Shao is going to talk some more about what came out of that
15 workshop.

16 MR. LEWIS: If Chet Siess were here, he would
17 point out that the word "verbally" --

18 MR. KING: Oral and written.

19 MR. CARROLL: This is going to be a long two days.

20 MR. LEWIS: I thought we might as well get off on
21 the right foot.

22 [Slide.]

23 MR. KING: Where we stand today is, we have
24 developed the revised package that addresses the comments
25 that we have received. We've made changes to the package as

1 a result of some of those comments. All of the comments are
2 summarized at Appendix D to the NUREG 1407 which is included
3 in your package.

4 Our current schedule calls for providing the
5 package to the EDO the end of this month. It goes to the
6 Commission in early March and we hope we have timely action
7 by the Commission and will be able to issue it to the
8 industry in late March.

9 One item that's continuing is to complete our
10 review of NUMARC and EPRI's proposed fire methodology which
11 we now believe we can have done by July of this year. You
12 will see a more detailed schedule later on the steps that
13 are involved in doing that.

14 We're requesting that licensees submit their plans
15 for doing the IPEEE 180 days after the final generic letter
16 is issued. So, if it gets out in March, that would be in
17 September. The IPEEE actual work is done and the
18 information submitted three years after the issuance of the
19 generic letter. MR. CARROLL: Is industry more
20 comfortable with those schedules than they were with the
21 earlier ones?

22 MR. KING: Industry had asked that the three years
23 be extended to something like four or five years, but we
24 have a direction from the Commission to complete things,
25 including our review, by mid-'95, so we have to stick with

1 the three years. We originally had 60 days in the package.
2 We've extended it to 180 days, primarily because of
3 industry's comment that the fact that we're still looking at
4 the fire methodology that NUMARC have developed, they would
5 like to be able to make a decision as to if they can use
6 that or not, which means that if we're going to not act on
7 it till July, they need some time beyond that to actually
8 look at it and make a decision. That's why we've gone to
9 180 days.

10 Just a quick word about what the staff is going to
11 do with this information when it comes in: We have not yet
12 developed our detailed staff review plans, although we would
13 expect the review process we conduct to be similar to what
14 we're doing now for the internal events IPEEEs which are --

15 All submittals receive a screening review and
16 depending upon the results of that screening review, certain
17 submittals are selected for more in-depth review. We plan
18 to write a supplement to each plant's SERs by way of
19 documenting the results of the IPEEE internal event review,
20 as well as the external event review.

21 Again, if the staff would disagree with the
22 licensee's conclusions in terms of additional improvements
23 that are needed, we would pursue anything beyond what the
24 licensee has included in his submittal through the backfit
25 rule. That's the same process we're following for the

1 internal events.

2 With that, I'm going to have Larry Shao talk about
3 the workshop and cover the major comments as well as changes
4 that we've made.

5 [Slide.]

6 MR. SHAO: My name is Larry Shao. I was the
7 Chairman of the External Events Steering Group. The
8 External Events Steering Group provided the technical input
9 to the IPEEE generic letter. Today, I'm going to talk about
10 the summary of the workshop which took place on September
11 10th to 13th, 1990 at Pittsburgh.

12 Also, I'm going to briefly discuss the major
13 public comments.

14 [Slide.]

15 MR. SHAO: What are the purpose of the workshop?
16 The purpose of the workshop are to give the NRC staff an
17 opportunity to clarify the objective of the generic letter
18 and to clarify the guidance and proposed procedures. The
19 staff want to make sure the industry understand the package
20 and what they have to do.

21 The workshop also give the public and the industry
22 an opportunity to discuss and comment on the package.
23 Altogether, there were about 250 participants, consisting of
24 people from the federal and state government, utilities,
25 architect/engineers, consultant companies.

1 There were several major general comments. The
2 first comment is just like the generic letter for the RP for
3 internal event. The IPEEE generic letter were be sent as
4 50.54 F letter which is essentially an information request.

5 NUBARG which stand for Nuclear Utility Backfitting
6 and Reform Group, they commented that the 10CFR109 backfit
7 analysis should be performed before the IPEEE generic letter
8 is issued. The NUBARG comments were very carefully reviewed
9 by the Office of General Counsel.

10 The ODC response was, the IPEEE generic letter is
11 not a backfit, as this letter does not involve any
12 modification or addition to hardware or design. It just
13 asks for search for vulnerabilities. Any modification or
14 addition to the plant will be voluntary on the part of the
15 licensee.

16 If the staff asks for any modification or changes,
17 then it is subject to backfit analysis. I have a copy of
18 the OGC letter. If you are interested, I can make a copy
19 for you.

20 The second important general comment was the staff
21 estimate for connecting the IPEEE is too low. The staff
22 estimate was derived from the resources spent on performing
23 external event PRA for NUREG 1150, from the Hatch seismic
24 study and by talking to various industry organizations.

25 The staff estimate to conduct IPEEE is about man-

1 year. The industry thinks it's much higher.

2 MR. KERR: You recognize that one part of the
3 staff insists that one can't draw any general conclusions
4 about other plants from the plants treated in 1150, I take
5 it?

6 MR. SHAO: I realize, but I think on the resources
7 part of it, I think for the 1150, they did a survey and at
8 Peach Bottom and we got approximately how much time they
9 spent on the IPEEE area. It was much smaller than the 6
10 manyear, but we doubled it anyway, so --

11 Also, we talked to the different architectural
12 engineer of some utilities. We think we're in the ballpark,
13 but industry doesn't agree; they think it's much higher than
14 6 manyear.

15 The third general comment is NUMARC want to extend
16 the completion date. As Tom said, according the Commission
17 mandate, all RPs should be completed by 1995. However, the
18 staff will give extensions on a case-by-case basis.

19 Supposing the utility has several units to work on or maybe
20 they are really busy with some project modification or other
21 safety issues, they just don't have time to work on it.

22 The last general comment was the industry thinks
23 the 60 days for initial response time is too short, so we
24 extended it to 180 days.

25 [Slide.]

1 MR. MICHELSON: You did intend to introduce
2 yourself?

3 MR. MURPHY: Yes, I will.

4 MR. MICHELSON: Okay. Thank you.

5 MR. MURPHY: Just as soon as I figure out who I
6 am.

7 MR. MICHELSON: All right.

8 MR. WILKINS: We haven't even started to ask you
9 questions.

10 MR. MURPHY: I am Andrew Murphy, Branch Chief of
11 the Structural and Seismic Engineering Branch. I was the
12 Chairman and Co-Chairman, with Leon Reiter, for the Seismic
13 Subcommittee working for the External Events Steering Group,
14 and I will be making a presentation on, in fact, the changes
15 that we have implemented based upon public comments and
16 internal staff comment on the seismic portion of the generic
17 letter and the guidance document.

18 Just by quick review, the guidance document has
19 noted that there are two acceptable ways of carrying out the
20 seismic portion of the IPEEE. The first is with a
21 probabilistic analysis. The second is with the seismic
22 margin method, and here, we have accepted both the NRC and
23 the EPRI methodology for doing these but have requested some
24 enhancements.

25 MR. WARD: Andy, now if they do a PRA -- I mean a

1 seismic PRA, what do you have to say about which curve they
2 -- seismic hazard curve they use?

3 MR. MURPHY: Let me get a couple of slides into
4 this, and we can get really going.

5 MR. WARD: Okay.

6 [Slide.]

7 MR. MURPHY: The major comments that came in upon
8 the seismic portion of the IPEEE were objections to using
9 both the hazard curves and for comments about the scope of
10 the relay chatter evaluation. I will talk on both those
11 topics, starting now, with the comments on the seismic
12 hazard and using the two curves.

13 [Slide.]

14 MR. MURPHY: Basically, the comment was, as it
15 said, the industry felt that the use of the two curves was
16 unwarranted and too burdensome.

17 We think part of that comment was that, initially,
18 they didn't understand how much effort we thought was
19 involved in carrying out the two sets of calculations.

20 We thought that they would be a minimal amount of
21 additional effort. I would hate to try to put numbers and
22 exact times on them, but we didn't think that they were --
23 would be significant. But industry disagreed with us.

24 So, the response of the staff was that the option
25 would be given of the IPEEE seismic review being done with

1 the more conservative of the two seismic hazard curves that
2 are available, and the emphasis is on more conservative,
3 rather than on conservative.

4 I don't know at what level of conservatism either
5 one of them have. All we're doing is saying to use the more
6 conservative one, so that we will know that we've captured
7 all the vulnerabilities that would be --

8 MR. WILKINS: I am now ready to make the comment
9 that I refrained from making earlier.

10 MR. MURPHY: Okay.

11 MR. WILKINS: You're supposed to use the more
12 conservative. Is there a theorem that says that one of them
13 is more conservative than the other?

14 MR. MURPHY: The only way we're --

15 MR. WILKINS: How do you know which is -- in the
16 absence of such a theorem, how do you know which is more
17 conservative until you have done both?

18 MR. MURPHY: We are simply saying one is more
19 conservative than the other because it's higher and lower on
20 the graph.

21 MR. WILKINS: No, no, no, no, no.

22 MR. MURPHY: I understand.

23 MR. WILKINS: You didn't hear my question.

24 MR. MURPHY: Yes, sir. I did.

25 MR. WILKINS: Which is more conservative? Can you

1 answer that now, in advance?

2 MR. CHOKSHI: This is Nilesh Chokshi from the
3 staff.

4 The higher one will give you the higher numbers.

5 MR. WILKINS: You are not paying any attention to
6 what I said. Now, please listen. I'll try it one more
7 time.

8 Can you tell me today, in this room, whether the
9 EPRI or the LLNL is more conservative?

10 MR. CHOKSHI: No.

11 MR. WILKINS: Then how can the utility decide in
12 advance of doing both calculations which is the more
13 conservative?

14 MR. CHOKSHI: I think what we can say is which one
15 is higher and which one is lower.

16 MR. WILKINS: How can he say that?

17 MR. CHOKSHI: Because you have the two hazard
18 estimates.

19 MR. SHAO: There are two curves for each plant,
20 for each site of a plant. There are two curves drawn for
21 each site, and the higher curve usually give --

22 MR. LEWIS: If I can contribute a little bit, they
23 don't mean conservative. They just mean bigger. They don't
24 know that it comes from conservatism. They just know that
25 it's bigger.

1 MR. WILKINS: They know that the answer is bigger.

2 MR. LEWIS: That's all they know. They do not --

3 MR. WILKINS: Before they do it.

4 MR. LEWIS: They use the word "conservative," but
5 they don't know that that's what it is.

6 MR. MURPHY: Do you understand that we already
7 have these curves all calculated out?

8 MR. WILKINS: No. That's clearly my problem. In
9 other words, they already have these answers.

10 MR. MURPHY: They already have all of the seismic
11 hazard --

12 MR. KERR: They don't have the risks calculated.
13 They have the earthquake curve calculated but not the
14 associated risk.

15 MR. LEWIS: I think Ernest has put his finger on a
16 fairly important point.

17 They're taking for granted that it's a consequence
18 of conservatism, and that's far from assured. It could be
19 just a mistake.

20 MR. SHAO: There are so many sites in the United
21 States. Each site has two curves drawn. One is drawn by
22 EPRI; one is drawn by Livermore.

23 So, the high curve, we think, is more
24 conservative.

25 MR. CARROLL: But it isn't always the EPRI curve

1 that's high.

2 MR. MURPHY: There is a little bit of change in
3 frequency, but generally, if you want to characterize them,
4 most of the time you'd be correct in calling the Livermore
5 more conservative -- no -- higher, excuse me.

6 MR. LEWIS: If you were to simply take the
7 Livermore results and triple them, that would be even more
8 conservative. Right?

9 MR. MURPHY: It would be even higher, yes.

10 MR. LEWIS: You do learn.

11 MR. MURPHY: Yes. I try.

12 MR. MURPHY: Okay. That's the comment and
13 response.

14 The staff requested the calculations, that two
15 calculations be done to, in our minds, highlight the
16 uncertainty in the bottom-line numbers. We didn't want to
17 give these bottom-line numbers life of their own.

18 The second point was to highlight the robustness
19 of the results using both sets of calculations.

20 MR. KERR: What is meant by highlighting the
21 uncertainty in terms of something that is accomplished
22 there?

23 MR. MURPHY: Highlighting the uncertainty, what we
24 are just trying to say is to make certain, just as the word
25 implies, that it's noticed, that it's seen, that it's

1 visible.

2 MR. KERR: No. But what does that accomplish in
3 terms of increased safety at the plants, which I assume is
4 your ultimate objective?

5 MR. MURPHY: Our ultimate objective is, in part,
6 that the differences and the uncertainties that are
7 associated with the seismic hazard curves be properly
8 compared with the other uncertainties, the other risks, so
9 that -- to quote my colleague, Leon Reiter, that we're not
10 comparing apples and oranges.

11 We just want to make certain that people are
12 intelligent about what information they have in their hands
13 and how they make use of it. That's it.

14 MR. KERR: Do you think that there is anybody out
15 there who is doing these calculations that thinks that these
16 hazard -- either one of these hazard curves is exact?

17 MR. MURPHY: I don't think -- I can't name names,
18 no. I don't think there is anybody that I can specifically
19 point out that says this is the correct answer, period.

20 MR. KERR: Then why will doing the two sets of
21 calculations make them recognize, somehow, that there is
22 uncertainty?

23 MR. MURPHY: I guess I'd say we're getting into
24 the philosophy and the psychology here.

25 I think what we're saying is that if you have been

1 given a single number, even with some error bands on it,
2 uncertainty bands on it, you are far more likely to run and
3 sa, - no, not necessarily you, but people are far more
4 likely to say this is a good number, this is a number we
5 should be using, and just go ahead with it, and forget,
6 neglect, or play down the role of the uncertainty. That's
7 all.

8 [Slide.]

9 MR. MICHELSON: You did intend to introduce
10 yourself?

11 MR. MURPHY: Yes, I will.

12 MR. MICHELSON: Okay. Thank you.

13 MR. MURPHY: Just as soon as I figure out who I
14 am.

15 MR. MICHELSON: All right.

16 MR. WILKINS: We haven't even started to ask you
17 questions.

18 MR. MURPHY: I am Andrew Murphy, Branch Chief of
19 the Structural and Seismic Engineering Branch. I was the
20 Chairman and Co-Chairman, with Leon Reiter, for the Seismic
21 Subcommittee working for the External Events Steering Group,
22 and I will be making a presentation on, in fact, the changes
23 that we have implemented based upon public comments and
24 internal staff comment on the seismic portion of the generic
25 letter and the guidance document.

1 Just by quick review, the guidance document has
2 noted that there are two acceptable ways of carrying out the
3 seismic portion of the IPEEE. The first is with a
4 probabilistic analysis. The second is with the seismic
5 margin method, and here, we have accepted both the NRC and
6 the EPRI methodology for doing these but have requested some
7 enhancements.

8 MR. WARD: Andy, now if they do a PRA -- I mean a
9 seismic PRA, what do you have to say about which curve they
10 -- seismic hazard curve they use?

11 MR. MURPHY: Let me get a couple of slides into
12 this, and we can get really going.

13 MR. WARD: Okay.

14 [Slide.]

15 MR. MURPHY: The major comments that came in upon
16 the seismic portion of the IPEEE were objections to using
17 both the hazard curves and for comments about the scope of
18 the relay chatter evaluation. I will talk on both those
19 topics, starting now, with the comments on the seismic
20 hazard and using the two curves.

21 [Slide.]

22 MR. MURPHY: Basically, the comment was, as it
23 said, the industry felt that the use of the two curves was
24 unwarranted and too burdensome.

25 We think part of that comment was that, initially,

1 they didn't understand how much effort we thought was
2 involved in carrying out the two sets of calculations.

3 We thought that they would be a minimal amount of
4 additional effort. I would hate to try to put numbers and
5 exact times on them, but we didn't think that they were --
6 would be significant. But industry disagreed with us.

7 So, the response of the staff was that the option
8 would be given of the IPEEE seismic review being done with
9 the more conservative of the two seismic hazard curves that
10 are available, and the emphasis is on more conservative,
11 rather than on conservative.

12 I don't know at what level of conservatism either
13 one of them have. All we're doing is saying to use the more
14 conservative one, so that we will know that we've captured
15 all the vulnerabilities that would be --

16 MR. WILKINS: I am now ready to make the comment
17 that I refrained from making earlier.

18 MR. MURPHY: Okay.

19 MR. WILKINS: You're supposed to use the more
20 conservative. Is there a theorem that says that one of them
21 is more conservative than the other?

22 MR. MURPHY: The only way we're --

23 MR. WILKINS: How do you know which is -- in the
24 absence of such a theorem, how do you know which is more
25 conservative until you have done both?

1 MR. MURPHY: We are simply saying one is more
2 conservative than the other because it's higher and lower on
3 the graph.

4 MR. WILKINS: No, no, r|, no, no.

5 MR. MURPHY: I understand.

6 MR. WILKINS: You didn't hear my question.

7 MR. MURPHY: Yes, sir. I did.

8 MR. WILKINS: Which is more conservative? Can you
9 answer that now, in advance?

10 MR. CHOKSHI: This is Nilesh Chokshi from the
11 staff.

12 The higher one will give you the higher numbers.

13 MR. WILKINS: You are not paying any attention to
14 what I said. Now, please listen. I'll try it one more
15 time.

16 Can you tell me today, in this room, whether the
17 EPRI or the LLNL is more conservative?

18 MR. CHOKSHI: No.

19 MR. WILKINS: Then how can the utility decide in
20 advance of doing both calculations which is the more
21 conservative?

22 MR. CHOKSHI: I think what we can say is which one
23 is higher and which one is lower.

24 MR. WILKINS: How can he say that?

25 MR. CHOKSHI: Because you have the two hazard

1 estimates.

2 MR. SHAO: There are two curves for each plant,
3 for each site of a plant. There are two curves drawn for
4 each site, and the higher curve usually give --

5 MR. LEWIS: If I can contribute a little bit, they
6 don't mean conservative. They just mean bigger. They don't
7 know that it comes from conservatism. They just know that
8 it's bigger.

9 MR. WILKINS: They know that the answer is bigger.

10 MR. LEWIS: That's all they know. They do not --

11 MR. WILKINS: Before they do it.

12 MR. LEWIS: They use the word "conservative," but
13 they don't know that that's what it is.

14 MR. MURPHY: Do you understand that we already
15 have these curves all calculated out?

16 MR. WILKINS: No. That's clearly my problem. In
17 other words, they already have these answers.

18 MR. MURPHY: They already have all of the seismic
19 hazard --

20 MR. KERR: They don't have the risks calculated.
21 They have the earthquake curve calculated but not the
22 associated risk.

23 MR. LEWIS: I think Ernest has put his finger on a
24 fairly important point.

25 They're taking for granted that it's a consequence

1 of conservatism, and that's far from assured. It could be
2 just a mistake.

3 MR. SHAO: There are so many sites in the United
4 States. Each site has two curves drawn. One is drawn by
5 EPRI; one is drawn by Livermore.

6 So, the high curve, we think, is more
7 conservative.

8 MR. CARROLL: But it isn't always the EPRI curve
9 that's high.

10 MR. MURPHY: There is a little bit of change in
11 frequency, but generally, if you want to characterize them,
12 most of the time you'd be correct in calling the Livermore
13 more conservative -- no -- higher, excuse me.

14 MR. LEWIS: If you were to simply take the
15 Livermore results and triple them, that would be even more
16 conservative. Right?

17 MR. MURPHY: It would be even higher, yes.

18 MR. LEWIS: You do learn.

19 MR. MURPHY: Yes. I try.

20 MR. MURPHY: Okay. That's the comment and
21 response.

22 The staff requested the calculations, that two
23 calculations be done to, in our minds, highlight the
24 uncertainty in the bottom-line numbers. We didn't want to
25 give these bottom-line numbers life of their own.

1 The second point was to highlight the robustness
2 of the results using both sets of calculations.

3 MR. KERR: What is meant by highlighting the
4 uncertainty in terms of something that is accomplished
5 there?

6 MR. MURPHY: Highlighting the uncertainty, what we
7 are just trying to say is to make certain, just as the word
8 implies, that it's noticed, that it's seen, that it's
9 visible.

10 MR. KERR: No. But what does that accomplish in
11 terms of increased safety at the plants, which I assume is
12 your ultimate objective?

13 MR. MURPHY: Our ultimate objective is, in part,
14 that the differences and the uncertainties that are
15 associated with the seismic hazard curves be properly
16 compared with the other uncertainties, the other risks, so
17 that -- to quote my colleague, Leon Reiter, that we're not
18 comparing apples and oranges.

19 We just want to make certain that people are
20 intelligent about what information they have in their hands
21 and how they make use of it. That's it.

22 MR. KERR: Do you think that there is anybody out
23 there who is doing these calculations that thinks that these
24 hazard -- either one of these hazard curves is exact?

25 MR. MURPHY: I don't think -- I can't name names,

1 no. I don't think there is anybody that I can specifically
2 point out that says this is the correct answer, period.

3 MR. KERR: Then why will doing the two sets of
4 calculations make them recognize, somehow, that there is
5 uncertainty?

6 MR. MURPHY: I guess I'd say we're getting into
7 the philosophy and the psychology here.

8 I think what we're saying is that if you have been
9 given a single number, even with some error bands on it,
10 uncertainty bands on it, you are far more likely to run and
11 say -- no, not necessarily you, but people are far more
12 likely to say this is a good number, this is a number we
13 should be using, and just go ahead with it, and forget,
14 neglect, or play down the role of the uncertainty. That's
15 all.

16 MR. LEWIS: I do have a lot of respect for Leon
17 Reiter, who is a fine fellow, but speaking for myself, I
18 have no trouble comparing apples with oranges. You also
19 have no trouble.

20 MR. MURPHY: But anyway, that's why the staff put
21 the two of them in there, okay? The justification that we
22 came to within our minds as to why we could allow the use of
23 one of the curves and the higher one was that there was no
24 technical basis for selecting one over the other.

25 The higher estimate -- see, we got it right

1 finally -- the higher estimate will capture all of the
2 potential sequences that we're looking for, the dominant
3 sequences that are going to lead to core damage.

4 MR. LEWIS: Okay. I can't resist responding to
5 that because that's a substantive point. The argument that
6 you should always take the higher one because it will
7 capture more sequences can be carried logically to my
8 original suggestion, which is to take any of them, triple
9 it, because that will also capture even more sequences.

10 Capturing sequences that are not real is not a
11 benefit for the health and safety of the public. The
12 purpose of an analysis of this kind is to make a fair
13 estimate of what the risks are, what the sequences are that
14 are important.

15 There's a cut-off somewhere that takes out the
16 sequences which are not important. You don't cover them
17 all, nobody ever pretends to, and to deliberately choose a
18 higher one because it gives you more sequences is simply
19 misuse of probabilistic risk assessment. I got to say that.

20 MR. MURPHY: I don't think -- the staff wants to
21 use both of them, in part because of some of the arguments
22 that you are making.

23 MR. LEWIS: I don't think so.

24 MR. MURPHY: Fine. That's your opinion. That if
25 you have got two pieces of information, you have two sets of

1 hazard curves, we suspect, as shown by the NUREg -1150
2 example at Peach Bottom and Surry, that the curves are
3 similar in shape and will expose the same sets of sequences
4 and components.

5 The concern as you pointed out is that if you use
6 one over the other, there may be sequences that are
7 important that gets loss. The staff is interested --

8 MR. LEWIS: How do you know they're important?
9 That's my whole point. They may not be important if the
10 other one is right.

11 MR. MURPHY: That's correct, they may not be
12 important. That's why after you have found them, which
13 takes some effort, you have to understand where they came
14 from, why they are there, and if they are not important, you
15 reject them.

16 MR. LEWIS: I'm not going to argue with you, but I
17 will assert that that is a misuse of probabilistic risk
18 assessment because you carry it absolutely to the point of
19 saying you should double every probability you get because
20 that will expose more.

21 Whatever you do, you will expose more sequences on
22 the way down, and what you need is a consistent rationale
23 for cutting it off, and it's got to be based on the best
24 knowledge you have of the system, not just going for the
25 lowest. That's my view, and I don't particularly want to

1 argue it.

2 MR. CHOKSHI: May I say something? This is Nilesh
3 Chokshi again. I think you are right, but we are not
4 arbitrarily raising the level of hazard. We are starting
5 with the two sets of hazard given by experts. We have two
6 estimates, and that's where we are starting from.

7 I think you are absolutely right, if you start it
8 arbitrarily -- say I want to use something higher to capture
9 all potential sequences. Both curves are supposedly
10 estimates made by experts. That's the first point.

11 I think the second point, that is the reason we
12 would like to use both, and then you can see when the
13 results come out, Are we getting off at right places? What
14 sequences are we getting from this higher curve versus lower
15 code? Are they reasonable?

16 MR. LEWIS: I will make one more effort to say
17 what I was trying to say. Any rationale that treats them
18 evenly by throwing darts or something like that would not
19 trouble me because there is genuine uncertainty here. What
20 troubles me here is automatically taking the largest and
21 then pretending to have a rationale for it which is not a
22 rationale that will survive scrutiny. That's my only point.

23 MR. SHAO: Actually, we don't want to pick the
24 largest. We wanted a true curve. Suppose you're in the
25 Florida area or in the very low seismic sound, they can do

1 the high curve and everything is okay. Then they don't have
2 to do any more work.

3 MR. LEWIS: I only want to stipulate that having
4 the last word doesn't mean I agree with you.

5 MR. CATTON: Just out of curiosity, how much does
6 it cost to do each of the calculations? Is it an expensive
7 --

8 MR. MURPHY: I mean the difference between doing
9 one calculation and two is the question.

10 MR. CATTON: In cost?

11 MR. CHOKSHI: I would say a dollar figure would be
12 something like in the \$10,000, \$20,000 range.

13 MR. CATTON: I think, if we discuss it anymore,
14 we're wasting more money than not.

15 MR. CARROLL: Particularly with our pay raise.

16 [Laughter.]

17 MR. CATTON: You're right.

18 MR. WILKINS: By the way, these guys got a raise,
19 too.

20 MR. CATTON: Well, we're wasting even more money,
21 then.

22 MR. SHAO: By the way, the 1150 is done in the
23 same way, the 1150.

24 MR. MICHELSON: Go ahead.

25 [Slide.]

1 MR. MURPHY: Okay. The next item that we'll
2 discuss is the relay chatter, and I'll just give it to you
3 quickly here. The comments that came in from industry,
4 basically, at the workshop was that the relay chatter review
5 requires a considerable resource expense. The case of Hatch
6 was used as an example, and the numbers were quite large.

7 They also came in with the comment that even with
8 Hatch, the problems that were identified were recoverable
9 using existing procedures. In other words, if a relay did
10 chatter and something happened, that the relays that
11 chattered could be reset or mitigated before there was an
12 opportunity for there to be a serious problem.

13 The staff response was, We recognize the resource
14 issue, and we proposed a graded approach to reducing the
15 burden for most plants. This is -- and that what we came
16 back with was that there would be a division of our plants
17 and that we would have these things called a full-scope set
18 of plants, which we'll get into a little bit later. We'll
19 do a more thorough review to provide additional confidence
20 that the conclusions in 2 above are generic.

21 This was based upon a scope being consistent
22 between the seismic margins and the PRAs. So both sets
23 would be doing the same kind of review.

24 MR. MICHELSON: How do you determine that existing
25 procedures will take care of your relay chatter problem

1 until you identify the relay chatter possibilities?

2 MR. MURPHY: This was done based on the experience
3 of Hatch.

4 MR. MICHELSON: That's just one plant.

5 MR. MURPHY: Pardon?

6 MR. MICHELSON: That's just one plant.

7 MR. MURPHY: Hatch, Limerick, and Diablo Canyon.

8 MR. MICHELSON: Well, that's three plants out of
9 the total.

10 MR. MURPHY: That's three plants. This was the
11 three plants for which in-depth, we'll call them in-depth
12 reviews of the relay chatter problem were looked at. These
13 three cases --

14 MR. MICHELSON: So on the basis of that sample,
15 you're concluding that, generically, all plants should be
16 able to recover with existing procedures?

17 MR. MURPHY: No.

18 MR. MICHELSON: Is that right? Oh.

19 MR. MURPHY: What we're doing is saying that at
20 this time, we're taking the position that it's probably an
21 undue burden to force a full chatter relay on all the
22 utilities. But what we're doing, and we'll see in later
23 slides, is setting up a series of full-scope plants which
24 have a mix of different vendors and different type plants,
25 that we'll look at this thing in more detail.

1 MR. MICHELSON: Okay. You'll take a bigger
2 sample?

3 MR. MURPHY: Right.

4 MR. MICHELSON: Okay.

5 MR. MURPHY: And then if there is a problem
6 detected in the larger sample, it will be incumbent upon the
7 staff to go back and require --

8 MR. MICHELSON: This will be tacked down before
9 1995 if it shows up?

10 MR. WARD: That's right.

11 MR. MICHELSON: So it's just moving it out without
12 asking everybody to be included in the sample.

13 MR. MURPHY: Exactly.

14 MR. MICHELSON: How big a sample are you taking?
15 you're concluding

16 MR. SHAO: We are looking in detail at seven
17 plants.

18 MR. MICHELSON: Maybe I'm getting ahead of your
19 presentation.

20 MR. MURPHY: You're getting a little bit ahead.

21 MR. MICHELSON: I thought you were going on to
22 something else.

23 MR. CATTON: I'm a little behind. How do you
24 define the relay chatter? Does it bang a lot of times, or
25 is it just one opening and shutting, or what?

1 MR. MURPHY: There is a definition that involves
2 so many chatters. Nilesh, what are the exact numbers?

3 MR. CHOKSHI: What was the question?

4 MR. MURPHY: The actual definition of relay
5 chatter.

6 MR. CATTON: I'm just curious. I realize that
7 these relays were being testing. They would put in a
8 constant loading and give different frequencies over a
9 period of time. It seems to me that that's not what an
10 earthquake does, so I'm just curious as to how you define
11 relay chatter when you go looking for it.

12 MR. CHOKSHI: Well, here, the first approach is to
13 foresee whether relay is susceptible to chatter, emit
14 chatters.

15 MR. CATTON: When you look to see whether it's
16 susceptible to chatter, how do you do that?

17 MR. CHOKSHI: Test data.

18 MR. CATTON: Test data. But how do you run your
19 tests? That's a constant "g" level at some frequency for a
20 period of time, isn't it?

21 MR. MURPHY: There is an industry standard. IEEE
22 501 has --

23 MR. CATTON: I'm asking out of ignorance. I don't
24 know what these things are.

25 MR. MURPHY: There is an industry standard that

1 defines relay chatter under a different series of sequence
2 of tests.

3 MR. CATTON: But you don't put in what you think a
4 seismic event might look like.

5 MR. MURPHY: Yes.

6 MR. CATTON: Do they do that?

7 MR. MURPHY: Yes.

8 MR. CATTON: So you get a large impulse, and then
9 it sort of drops off?

10 MR. CHOKSHI: Yes. Exactly. Yes. We actually
11 calculate that.

12 MR. CATTON: Okay.

13 MR. MICHELSON: Has that same procedure been used
14 for instrument contacts, because relay chatter by definition
15 includes all kinds of contacts --

16 MR. MURPHY: Right, it does.

17 MR. MICHELSON: -- both relays and instruments and
18 so forth.

19 MR. MURPHY: Yes.

20 MR. MICHELSON: And it's very dependent -- whether
21 it's a problem is dependent upon the time response of the
22 system to which the particular contact is inserted into.
23 Some of them are microsecond response times, some of them
24 are high millisecond response times. That makes a big
25 difference.

1 MR. MURPHY: Yes, it does.

2 MR. MICHELSON: That is a problem with the old
3 tests they did. A lot of them, they looked at the results
4 and looked at their circuit, and said it's a nonproblem.
5 But somebody else using the same relay in a different time
6 response circuit, it became a problem. And people said oh,
7 that's a seismically-qualified relay. It really wasn't, for
8 the circuits you were going to use it in. And people lost
9 that and just started saying, taking off the shelf these so-
10 called seismically-qualified relays, and they weren't
11 qualified for their circuit, they were qualified for
12 somebody else's circuit.

13 MR. CHOKSHI: I think you are right. And that's
14 one of the reasons why it's so expensive. The way the
15 analysis is being done --

16 MR. MICHELSON: Oh, it's very expensive.

17 MR. CHOKSHI: -- assume all relay is chatter in
18 the first cut, and then look at the consequences on a
19 system-by-system basis, then look at whether you can weaken
20 the time frame. So you have to do almost all circuit
21 analysis. And that's why it takes so much results.

22 MR. MICHELSON: I was hoping the IPEEE at least
23 would find all the mercury switches that might still be in
24 the plants, including the ones you found at Peach Bottom, I
25 think, during the 1150, or in that time frame.

1 MR. CHOKSHI: I think you will see that in a later
2 slide, what we are going to look at.

3 MR. MURPHY: Like Nilesh said, we're going to get
4 away from exact relay chatter scope at the moment.

5 MR. MICHELSON: So you are going to use really
6 your experience with this next seven, did I understand,
7 plants?

8 MR. SHAO: Seven Eastern plants.

9 MR. MICHELSON: Seven Eastern. Plus what?

10 MR. SHAO: And Western plants.

11 MR. MICHELSON: Okay. Seven more.

12 MR. CARROLL: Are the people that got chosen to be
13 among the seven happy with your choice?

14 [Laughter.]

15 MR. MURPHY: We haven't asked them yet.

16 MR. CARROLL: They must have been volunteers.

17 MR. MURPHY: They were volunteered, by us.

18 MR. MICHELSON: That includes all four vendor
19 types in the sample?

20 MR. KING: It's more than seven. It's seven
21 Eastern plants plus probably, what, five or so Western
22 plants.

23 MR. MICHELSON: Oh. So it's seven plus.

24 MR. WILKINS: Seven Eastern and all the Western.
25 Right? All the Western plus seven Eastern. I found the

1 list in here. I just can't find it again.

2 MR. MURPHY: It's the end of Chapter, Section 3.

3 [Slide.]

4 MR. MURPHY: The margins approach.

5 There are in effect two major, we'll call them two
6 major changes to the margin approach.

7 The first was the using the seismic hazard and
8 seismic design basis for determining the scope of the
9 review.

10 In the first cut, we had used seismic hazard
11 alone. Based upon this, we came up with a revised scope for
12 the relay chatter review, and in effect this introduced what
13 we call a concept of a focused-scope review. This was a
14 concept or an idea that was suggested by NUMARC, both in
15 comments and in public meetings.

16 MR. MICHELSON: Now what is the focused-scope
17 review?

18 MR. MURPHY: We'll get to that in a minute.

19 MR. MICHELSON: Oh.

20 [Slide.]

21 MR. MURPHY: So based upon the public comments,
22 what we did was we took the .3G bin and subdivided that. By
23 way of reminder, the staff had proposed three bins for the
24 margins review, a .5G, a .3G, and a reduced scope. And the
25 reduced scope was basically the plants that, if you want,

1 were in Florida and Texas, low-seismicity plants. Okay. We
2 took what was the one bin, the .3G bin, and we subdivided
3 that into a full-scope and a focused-scope. The basic
4 difference or the principal difference between the two bins
5 was the level of relay chatter review that was done.

6 We made our decisions on the plants that were
7 going into the full-scope review based upon plants with
8 relatively higher seismic hazard and relatively lower
9 seismic design basis.

10 MR. WARD: Do you mean that combination?

11 MR. MURPHY: Yes, sir.

12 [Slide.]

13 MR. MICHELSON: That is sort of based on the
14 assumption that all plants have the same kind of
15 accelerations at that particular level in a cabinet and so
16 forth? You can have a low seismic plant with a very high
17 seismic vulnerability in a given cabinet, depending on its
18 design and so forth, can't you? Relatively speaking, you
19 can run into that.

20 MR. MURPHY: That particular item is covered in
21 what is done for the relay review. The elevation above, I
22 think it's 40 feet, is taken into consideration.

23 MR. MICHELSON: Okay.

24 MR. WARD: Could you explain to me how a plant has
25 a high seismic hazard and a low seismic design basis?

1 MR. MURPHY: That's what we're getting at right
2 here.

3 MR. WARD: Oh.

4 MR. MURPHY: And again, those are definitely
5 relative terms.

6 So again, the staff made an assignment of
7 subdividing the .3G bin. And the criteria is one that was
8 initially proposed by NUMARC and was very similar to the
9 criteria that the staff initially used for binning the
10 plants to begin with.

11 What we did was, we developed a composite
12 conditional probability of exceeding the seismic design
13 basis that four special ordinates for the EPRI, the
14 Livermore, with four ground experts and with five ground
15 experts, we examined this at the median level, the mean, and
16 at the 85th percentile.

17 So in effect what we did was we came up with a
18 number, a composite, conditional probability for nine cases.
19 EPRI mean, EPRI median, EPRI 84th percentile. Livermore
20 five experts, Livermore four experts, for the same thing.
21 And what we did was again, as we did before, we simply made
22 lists of these and looked at the list to see where the
23 relative plants came.

24 Based upon that examination, there was a clear
25 demarcation between what we call the top six plants and the

1 rest of them, or the top six sites and the rest of them.

2 MR. WARD: That sounds suspiciously like you
3 averaged the seismic hazard curves.

4 MR. MURPHY: No, we didn't average them.

5 MR. WARD: Oh.

6 MR. MURPHY: We didn't do any mathematical
7 manipulation with these conditional composite probabilities,
8 once we had them in our hot little hands. All we did was
9 make lists. And when we looked at the lists, you got, in
10 effect you got a checkmark if you were high on the list; you
11 didn't get a checkmark if you were low on the list.

12 The six plants that we looked at and put into the
13 full-scope bin were all consistently at the top of the
14 list. And on that basis, we were saying that they had a
15 high seismic, a relatively high seismic hazard and a
16 relatively low seismic design basis.

17 MR. WARD: Okay. So you've already done some
18 decision-making based on composite conditional probability
19 of exceeding some hazard criteria?

20 MR. MURPHY: Right.

21 MR. WARD: Which sounds, again, like averaging the
22 curves.

23 MR. MURPHY: In the sense that you looked at them
24 all together and you eyeball-averaged them, fine, that's one
25 way of looking at it. In the sense that you added them all

1 up and divided by nine, that was not done.

2 MR. ROTHMAN: Each of those hazards was looked at
3 independent. And there had to be agreement that the plant
4 was at the top of the list for all three. There was no
5 averaging done. There was consistency between the different
6 hazard curves. If it was an outlier, let's say, for one
7 hazard curve and not the other two, then it was not
8 considered at the top of the list.

9 MR. MURPHY: Then the bottom third says, the
10 resolution of the Eastern U.S. seismicity issue identified
11 five plants at five sites as outliers. There's that word
12 again. These were decided that these plants would do a
13 full-scope margins review, if that's the way they chose to
14 do their IPEEE. Based upon that review, one additional
15 plant was added to the list of six, giving us the seven
16 Eastern plants that are being requested to do a full-scope
17 margins review at the .3G level.

18 MR. MICHELSON: Is it clear from your generic
19 letter that if the results of this examination show some
20 real seismic relay chatter vulnerabilities, that other
21 licensees will then be added to the list? Is that somewhere
22 in this generic letter? Because I didn't find it on a very
23 quick perusal.

24 MR. KING: No. What we're going to do is, if the
25 examination of these additional plants show that relay

1 chatter is a problem, we're going to raise it as a generic
2 issue. We're not going to reopen the IPEEE and go back --

3 MR. MICHELSON: Okay. You're not going to add to
4 the IPEEE, you're going to go back and introduce it as a new
5 generic issue?

6 MR. KING: Introduce it as a new generic issue and
7 deal with it that way.

8 MR. WARD: So these seven plants were chosen,
9 based on this sort of argument rather than an argument that
10 they were somehow representative -- that their designs were
11 representative of the whole population?

12 MR. MURPHY: That's correct. They were selected,
13 and then, in hindsight, we went back and looked at them to
14 see what kind of mix we had of vendors, plant type and that
15 sort of thing. Based upon that, we were reasonably
16 satisfied that we had a good mix; that it would help us, in
17 hindsight, answer the question of whether or not Comment 2
18 on the generic applicability of recovery was appropriate.

19 This decision was made and then we looked at it
20 afterwards to see if we were satisfied with what we had.

21 MR. MICHELSON: In doing the IPEEE, if a utility
22 finds a vulnerability, do they have to report it before they
23 fix it, or can they fix it and then report they have none?

24 MR. KING: They can fix it and report they fixed
25 it. We encourage them to --

1 MR. MICHELSON: But they must report any they find

2 -- MR. KING: Yes.

3 MR. MICHELSON: -- before the fix them?

4 MR. KING: No.

5 MR. MICHELSON: I mean, that the have found it?

6 MR. KING: Yes.

7 MR. MICHELSON: Okay.

8 MR. KING: We encourage them to fix it without
9 waiting.

10 MR. MICHELSON: Okay.

11 MR. KERR: What is meant by encouraging them to
12 fix it? What sort of encouragement do you provide?

13 MR. KING: We put a sentence or two in the generic
14 letter that says we would like to see the go ahead and make
15 the fixes as soon as they decide it's a vulnerability,
16 without having to submit something to us.

17 MR. KERR: Thank you.

18 MR. SHEWMON: Have we defined what a vulnerability
19 was, or have you in this. As I recall, a year or so ago,
20 there was a certain element of faith that when we saw one,
21 we'd recognize it, but nobody could give a very quantitative
22 definition. Has it changed?

23 MR. MURPHY: That's correct. The staff has not
24 defined vulnerability, either in the IPE or the IPEEE.
25 That's a -- if you want to say, a definition left to the

1 utility.

2 MR. SHAO: All of these are on what we call a
3 reporting level, just a reporting level.

4 MR. KERR: You are not going to question the
5 utility's judgment, once they identify a vulnerability?

6 MR. MURPHY: No, that's not true. If the --

7 MR. KERR: Then you've got to have a definition of
8 a vulnerability if you aren't.

9 MR. KING: We're going to use the backfit rule.
10 If we disagree with what the licensee has done, we're going
11 to use the backfit rule to determine --

12 MR. KERR: But you're going to use it because you
13 detect a vulnerability which they didn't see.

14 MR. KING: Or they saw it and didn't do something
15 about it.

16 MR. KERR: That means that you have to have your
17 own definition -- some sort of working definition of what a
18 vulnerability is.

19 MR. KING: It's called the backfit rule.

20 MR. KERR: The backfit rule is a rule you use
21 after you have identified something that needs fixing. The
22 backfit rule doesn't identify it.

23 MR. KING: We're looking at the results of an
24 IPEEE submittal and we see something that would, we believe,
25 pass the backfit test and the licensee hasn't done something

1 about it, we will pursue it through that avenue.

2 MR. KERR: Go ahead.

3 [Slide.]

4 MR. MURPHY: Basically, the staff is not going to
5 define vulnerability. We probably can't be forced into it
6 yet. This is what we propose to do for our relay chatter
7 evaluation --

8 MR. KERR: Excuse me. I really think this is
9 important because what's going to happen is that the group
10 of people who have looked at this a lot and has decided that
11 they really can't define a vulnerability, is now going to
12 pass on the responsibility of defining a vulnerability to a
13 different group of people that has not looked at it and
14 thought about it nearly as much as you guys have.

15 It's therefore going to be a rather arbitrary
16 thing. I think it's important that you think about this if
17 you are really going to do what you tell me you're going to
18 do.

19 MR. MURPHY: I fully understand the comment.

20 MR. MICHELSON: Let me ask this: the utilities
21 are going to do this analysis and they're going to decide
22 whether it's a vulnerability. I guess when they see
23 something they suspect, they'll call it a potential
24 vulnerability and then they'll chew around on it for a while
25 and then decide whether to consider it a vulnerability or

1 not.

2 You haven't provided any ground rules by which the
3 judgment is reached that it is a vulnerability.

4 MR. KING: We've asked them to define what they
5 consider to be a vulnerability.

6 MR. MICHELSON: If I were a utility, I could --
7 depending on my degree of conservatism, I might report
8 nothing to you as a vulnerability and then the next utility
9 that would look at the same situation might report a long
10 list of vulnerabilities.

11 MR. KING: That's true.

12 MR. MICHELSON: I don't know what the results of
13 this 7 sample even means.

14 MR. SHAO: For instance, let's say we have margin
15 survey for a few plants like Hatch, Maine Yankee and a
16 couple others. When they go through -- they look at the
17 vulnerability. There are three things the utility just fix
18 it, like the anchorage and things like DC. They think it's
19 a vulnerability and they just fix it.

20 There were no argument.

21 MR. MICHELSON: They wouldn't even report it to
22 you if they just --

23 MR. SHAO: They report to us and fix.

24 MR. MICHELSON: Wait a minute now. They only
25 report to you what they finally arrive at as vulnerability.

1 MR. KING: No, that's not true.

2 MR. MICHELSON: Oh?

3 MR. KING: There's a set of reporting criteria
4 that they have to report, sequences that contribute so much
5 to core damage frequency and so --

6 MR. MICHELSON: You report anything they find that
7 they might fix?

8 MR. KING: They have to report -- there's a set of
9 reporting criteria that tells them what they have to report.
10 Within that set of things that they have to report, they may
11 identify a few or a lot of those as being vulnerabilities
12 that they fixed or didn't fix, and they --

13 MR. MICHELSON: I guess the reporting criteria is
14 almost a definition of vulnerability then? Maybe I need to
15 see the -- did we get the reporting criteria somewhere in
16 this?

17 MR. KING: Yes. They're in one of the appendices
18 or enclosures to the generic letter.

19 MR. MICHELSON: That may be where the definition
20 of vulnerability is.

21 MR. KING: No, you can't consider those
22 vulnerabilities. They're reporting criteria.

23 MR. MICHELSON: They're less -- they're potential
24 vulnerabilities or something.

25 MR. KING: They're things that we want the

1 licensee to look at and that we want to look at.

2 MR. CATTON: How many iterations of the PRA are
3 they allowed before they submit it?

4 MR. KING: I am not sure I follow your question.
5 I mean, could they go through and fix everything and then
6 come back and say --

7 MR. CATTON: No, you run the PRA and then you say,
8 gee, that's sticking up a little bit and maybe I better take
9 a look at the conservatism and you wiggle it a little bit
10 and they all go away.

11 MR. KING: That's up to them. We haven't set any
12 criteria on how many iterations they --

13 MR. CATTON: So how do you know that you're
14 getting equality from all of the different utilities? Is
15 the same person going to do all the PRAs?

16 MR. KING: No, but we haven't --

17 MR. CATTON: Then you have no idea.

18 MR. KING: We have identified certain guidance
19 documents that define how to do a PRA and what should be in
20 a PRA.

21 MR. KERR: You do not want the utility to take the
22 bottom-line number seriously anyway.

23 MR. MICHELSON: Go ahead.

24 [Slide.]

25 MR. MURPHY: Relay chatter evaluation: Reduced

1 scope plants, these are the ones -- well, we'll call them
2 Texas and Florida, mainly.

3 Under that, we've got two sets. We've got two
4 sets under all of them, some of those that are covered
5 already by the A-46 review.

6 The A-46 plants obviously have to do the A-46
7 review for relay chatter. The non-A-46 in the reduced scope
8 areas have no action.

9 For the focused scope plants, these are the ones
10 that were not identified. This is the bulk. Approximately
11 50 sites in the east United States do a focused scope
12 review. The A-46 plants have to do the A-46 review.

13 If the low ruggedness relays are found, they have
14 to expand the scope from the A-46 review to the scope of the
15 IPEEE, which means instead of just doing a single success
16 path, they have to do the alternate success path that's
17 required by the margins or the IPEEE program.

18 MR. MICHELSON: What's low seismic ruggedness?
19 Is there some kind of a definition?

20 MR. MURPHY: Yes, there is. There is a set or a
21 list of relays that specifically fall into that
22 classification.

23 MR. MICHELSON: That are known, from testing, to
24 be of low seismic ruggedness?

25 MR. MURPHY: Known from testing and from -- I

1 believe from experience, as well.

2 MR. MICHELSON: Now, of course, relays, again,
3 means instruments and the whole spectrum.

4 MR. MURPHY: Everything.

5 MR. MICHELSON: That spectrum wasn't very well
6 tested in the past when it comes to instrument contacts.
7 There was much better testing when it came to relays.

8 Is there a good set of data on all potential
9 contacts in a plant that might be susceptible to chatter?

10 MR. CHOKSHI: We had done a lot of testing.

11 MR. MICHELSON: We've done a lot of testing, but
12 on the variety of things that are out there and not just on
13 relays?

14 MR. CHOKSHI: Well, I think that's part of the
15 reason that we wanted them to do this. The full-scope
16 plants --

17 MR. MICHELSON: We're not going to do any testing,
18 though. So, they don't know what -- they're going to go to
19 your table, I guess, for low seismic ruggedness or your
20 guidelines.

21 MR. CHOKSHI: The plants in the full scope will
22 look at everything. So, we are, you know, counting on
23 those.

24 As of now, we have a list of relays known to be
25 low capacity.

1 MR. MICHELSON: Yes.

2 MR. CHOKSHI: And that's not necessarily a
3 complete list, and we are still doing some tests, more
4 tests.

5 MR. MICHELSON: But on that list, there are not
6 such things as mercury bowl contact-type relays and so
7 forth, necessarily, because nobody ever, in their right
8 minds, even bothered to test them. They already knew what
9 they would do, but yet they showed up in plants.

10 Now, how was that sort of thing found such as was
11 found at Peach Bottom?

12 MR. CHOKSHI: Well, that particular has been known
13 from experience.

14 MR. MICHELSON: Well, you don't need any
15 experience to know how they behave when you shake them a
16 little bit.

17 MR. CHOKSHI: Those things will be probably
18 removed.

19 MR. MICHELSON: I bet you they aren't on your
20 list.

21 MR. CHOKSHI: I don't recall now. It's a well-
22 known relay problem.

23 MR. MICHELSON: So, the bad actors somehow
24 everybody knows already and is going to look for them.

25 MR. MURPHY: Okay.

1 The full-scope plants, which includes those in the
2 0.3G bin and also those in the 0.5G bin, which includes some
3 of the western sites, for the A-46, they have to follow the
4 A-46 review, the procedures.

5 They have to review the IPEEE systems using those
6 that are part of or included in the scope of the A-46 review
7 but at the assigned IPEEE level: i.e., either at the 0.3G or
8 the 0.5G level. And for the non-A-46 plants, they have to
9 review the relays, all the relays at the -- all the relays
10 within the IPEEE systems: at the IPEEE assigned value; i.e.,
11 at either 0.3 or 0.5G.

12 That's basically my presentation.

13 MR. MICHELSON: Let me ask you: When you look at
14 the G values alone, of course, that doesn't settle the issue
15 of whether or not there is a problem with the fast response
16 of the electronics on that particular system.

17 How do they include that? Because a lot of these
18 in the past were qualified because the -- it was mostly
19 electromagnetic systems, and they were very slow response
20 compared with relay chatter frequency. But if somebody's
21 gone back and put a digital system in or something and these
22 instrument contacts start chattering into a digital system,
23 the response is entirely different.

24 MR. CHOKSHI: I think the assumption, the way the
25 reviews will be done is to assume first the chatter. Look

1 at the circuits, see what are the consequences.

2 MR. MICHELSON: Well, is that the rule, that you
3 first assume all relays chatter?

4 MR. CHOKSHI: That's how, basically, the margin --

5 MR. MICHELSON: Is that in the guidelines? Is
6 that what this says to do?

7 MR. CHOKSHI: EPRI margin method has digital
8 guidelines on doing the review.

9 MR. MICHELSON: But that's only true of these
10 seven plants plus the western ones?

11 MR. MURPHY: They're the full review, right.

12 MR. MICHELSON: They'll do it right.

13 MR. CHOKSHI: Plus A-46 plants will do the review.

14 MR. MICHELSON: Those sample plants will assume
15 that every relay -- every instrument contacts, all contacts
16 chatter.

17 MR. CHOKSHI: That's how it has been done.

18 MR. MICHELSON: Contact by contact. That's a
19 large job.

20 MR. CHOKSHI: Yes.

21 MR. MURPHY: Yes, sir. That was the complaint.

22 MR. MICHELSON: I wonder if they understood it was
23 that large a job.

24 MR. SHAO: When they did the hatch, they found out
25 it's a big job.

1 MR. MURPHY: Okay. That's my presentation.

2 MR. CARROLL: Just to follow up on Carl, so you're
3 absolutely certain that people are looking inside of
4 instruments. You walk in a power plant, and there are relay
5 boards. There's also a hell of a lot of relays inside of
6 things.

7 MR. MURPHY: I've got to say I believe that's
8 correct. Will I say it's absolutely certain? I'm just not,
9 right this second, prepared.

10 MR. CARROLL: Was this issue discussed at the
11 workshops? Did people get into that kind of detail?

12 MR. MURPHY: I don't believe that particular issue
13 was explicitly addressed at the workshop. I believe some of
14 that was discussed at a couple of the public meetings that
15 we had, basically, with NUMARC, discussing the relay scope
16 review.

17 MR. MICHELSON: Fortunately, there are also a lot
18 of black boxes in plants that -- that the utility even
19 replaces as a black box, if anything goes wrong with it, but
20 not necessarily full knowledgeable of all the circuitry
21 within the box, because they don't repair it and they don't
22 maintain it. They just replace it if it gives a problem.

23 Do they know what's inside the box in enough
24 detail to analyze the response of the box?

25 MR. KERR: If it's a safety-grade box, doesn't it

1 have to be qualified?

2 MR. MICHELSON: That's the question. Was it
3 qualified? How was it qualified? Under what group does it
4 come?

5 If you've got test data on the box, you're in
6 great shape, on the electronic response of the box, not on
7 the physical response. Sometimes people made sure the box
8 didn't come apart, but it didn't necessarily monitor all the
9 electronics during the shaking.

10 MR. MURPHY: That's what they're expected to do.

11 MR. MICHELSON: If it's done right.

12 MR. CARROLL: The full-scope program requires you
13 to assume the relay chatters and really follow it out
14 through the circuit to see what effects result from that.

15 MR. MURPHY: I believe that is correct. That is
16 specific guidelines within -- at this time, within the EPRI
17 guidance document on how to carry out the relay review for
18 the margins program.

19 Niles, do you have the specifics on it?

20 MR. CHOKSHI: That procedure was carried out at
21 the hatch, a trial review for the margin method, and it
22 basically looked at all circuits.

23 MR. MURPHY: Which is why they came up, like I
24 said, with a tremendous amount of expense and burden
25 associated with that.

1 MR. MICHELSON: And you have to give them a
2 frequency response of each contact, also, because depending
3 on the electronics, that frequency may be a non-problem.

4 MR. CARROLL: When circuit "A" malfunctions
5 because of relay chatter, it may have some impact on circuit
6 "B" and "C" and "D".

7 MR. MURPHY: That's right.

8 MR. CARROLL: And you've got to assume all of
9 these are --

10 MR. MURPHY: You've got to chase forever.

11 MR. MICHELSON: I think he was making a larger
12 point, though. Are you doing it as a simultaneous
13 examination or as a one-at-a-time contact chatter exam?

14 MR. CHOKSHI: In Diablo Canyon, which I am
15 familiar with, all relays were assumed to chatter.

16 MR. MICHELSON: At the same time.

17 MR. CHOKSHI: At the same time. And then you look
18 at combination of relays, which can get you in trouble.

19 MR. MICHELSON: So, you have to look at relay
20 races and all the other things.

21 MR. CHOKSHI: Sneak circuit and all kind of
22 things.

23 MR. MURPHY: Right.

24 MR. MICHELSON: Sounds great.

25 MR. MURPHY: Okay.

1 The next speaker will be John Chen.

2 MR. WARD: Let's take a 15-minute break.

3 [Brief recess.]

4 MR. WARD: Mr. Michelson, back to you for --

5 MR. MICHELSON: Why don't you proceed. I believe
6 the next speaker is ready to move.

7 [Slide.]

8 MR. CHEN: My name is John Chen, I'm with Severe
9 Action Issue Branch.

10 What I'm going to tell you is basically, summarize
11 what we did on the fire and the high-wind flood areas.

12 Basically, we feel, as a result of this workshop
13 and also the comment we received, we don't see any major
14 comment which cause us to make any kind of major changes in
15 the guidance documents as well as the generic letter.

16 In the fire area, one of the important comment
17 raised during the workshop and later on we received in the
18 public comments, is related to NUMARC's fire methodology.
19 That's currently in the developing.

20 Another one is we made a lot of procedure
21 clarifications in Appendix D of the NUREG 1407. We
22 basically provided a lot of clarification about procedures,
23 how you're going to carry on your work.

24 As far as fire, our planning is because of the
25 current procedures, it's not compatible with our current

1 schedule, it's not compatible with our issuance of the
2 IPEEE.

3 [Slide.]

4 MR. CHEN: So our -- what the plan is endorse,
5 after our evaluation and acceptance of the fire endorse, in
6 a separate letter. This probably will come in -- probably
7 will come in July.

8 MR. CATTON: Have your questions gone to NUMARC
9 yet?

10 MR. CHEN: We sent out a question back in
11 September, and we received their revised five write-up.
12 We're also waiting for their submittal related to database,
13 also related to their demonstration plan review, Palo Verde
14 and Duane Arnold.

15 We now -- we are reviewing their write-up for the
16 "FIVE." At the same time, we are reviewing the validation
17 of their calculation for the look-up tables.

18 MR. MICHELSON: Now, you will -- you will write an
19 SER for the "FIVE?"

20 MR. CHEN: That's comparable to SER, is a letter
21 in evaluation of --

22 MR. MICHELSON: That is some time in July?

23 MR. CHEN: Before -- I think it some time -- will
24 be issued in July. That's our current plan.

25 MR. MICHELSON: By issue, you mean that's the

1 first we'll see it or is that when the public gets it?

2 MR. CHEN: Our plan, let me put a few things in
3 here. We are anticipating to receive the data base,
4 originally in -- well, we're hoping to receive in February.
5 I think, right now, we'll talk about February in here. We
6 also will receive the demonstration report in March. Then
7 we will firm up our draft position some time in April.
8 We're hoping that we will come to ACRS before June, and
9 we'll also meet CRGR to express -- to get their review.
10 After that, then we can issue the letter to say our
11 endorsement, as well as if there's any enhancement, we'll
12 see what we needed, will be in that letter.

13 MR. CATTON: Were you at our subcommittee meeting
14 of the 17th of January?

15 MR. CHEN: No.

16 MR. CATTON: There was a lot of discussion about
17 the numbers that come out of a PRA versus commonly held
18 beliefs about risk associated with fire. We really didn't
19 get anywhere, at least, I still don't know why. But, the
20 consultant that we had, who's Jim Quiutierra, was at the
21 National Bureau of Standards, now, I guess, is at the Fire
22 Engineering Department or something, at the University of
23 Maryland.

24 He postulated a series of questions that maybe if
25 you asked of the PRA at the front-end, might eliminate some

1 of this. I can just -- you can get a copy of his report, if
2 you want. But some of them are like -- things like, what is
3 the actuation time of alarms, sprinkler heads, etcetera, to
4 a given fire. By given fire, that means fire somewhere of
5 some magnitude. That means you have to make an estimate in
6 a given area of what the magnitude is going to be, and you
7 can't just use data that there have been so many fires in a
8 given plant. You can't just randomly use it. You have to
9 say something about the fire.

10 The second question deals with that. What is a
11 typical fire, in terms of energy and smoke release? If
12 you're going to have a fire in a given location, say
13 something about its energy and smoke release, because then
14 that impacts the first question for the various locations
15 that are of importance.

16 There were -- there are some other things like
17 consequences of hot smoke exposure to equipment and so
18 forth.

19 MR. CHEN: But those are what --

20 Our work we line up for now is -- we are now
21 currently review --

22 MR. CATTON: Are these up-front kinds of questions
23 that you look for?

24 MR. CHEN: I think what you just described are
25 four things.

1 MR. CATTON: Well, there are six of them, but I'll
2 -- you can get a copy of this.

3 MR. CHEN: Okay. What you described is really
4 essential to PRA procedures, what you are going to carry out
5 to assess all those problems.

6 MR. MICHELSON: Have you looked at fire PRAs?

7 MR. CATTON: As near as I can tell --

8 MR. MICHELSON: You don't find that sort of thing
9 in a fire PRA, at least presently or at least the ones I've
10 looked at. Maybe -- I keep asking, please tell me which one
11 to look at that has that sort of thing in it, and I'd be
12 happy to look at it.

13 MR. CHEN: If you look at it -- if you look at the
14 procedures described in NUREG CR4040 --

15 MR. MICHELSON: No, I'm talking about the PRA now,
16 not the procedures that somebody might have used in doing
17 this. It's the PRA, itself, that I look for, because that's
18 what people get their bottom lines from.

19 MR. CHEN: No, that's why I'm saying this
20 procedure has been applied to five --

21 MR. CATTON: Now, wait. Does the procedure
22 include questions like those being answered?

23 MR. CHEN: Yes.

24 MR. CATTON: So you actually do then calculate the
25 magnitude of a fire in a given room and the impact on

1 everything that's in it?

2 MR. CHEN: Yes.

3 MR. CATTON: Impact on barriers? Well, this is a
4 little bit contrary to what we learned on the 17th.

5 MR. CHEN: No, barrier -- that's -- you did not
6 state it in your first four items.

7 MR. CATTON: No, I said there were more questions;
8 barriers was one of them.

9 MR. CHEN: Okay. But what you described -- first
10 you identified the location of the fire and how significant
11 this fire will be, how it's going to impact your systems,
12 and what the consequences will be. All those procedures are
13 described --

14 MR. CATTON: Do you calculate the energy release
15 of smoke generation?

16 MR. CHEN: Yes.

17 MR. CATTON: You locate the fire, then you ask
18 what's the impact on the surrounds, then you put that into
19 your PRA.

20 MR. CHEN: Yes. Those are all --

21 MR. CATTON: You do that?

22 MR. CHEN: -- the procedures -- standards
23 procedures in the PRAs.

24 MR. MICHELSON: Do the PRAs reflect these
25 procedures then? I would expect to find these calculations

1 as a part of the PRA, including the heat and smoke migration
2 and the --

3 MR. CHEN: Not -- not smoke migration.

4 MR. MICHELSON: Heat migration -- heat and smoke.

5 MR. CHEN: We'll talk about the heat -- if you
6 have a fire in a room, how this fire will affect your safety
7 equipment. That will be either calculate or like right now,
8 we have alternative methodology, which will be a look-up
9 table saying how far away your fire versus your target for
10 say, safety systems; how it's going to impact this system.
11 That will be able to address those in the procedures.

12 MR. CATTON: You don't include smoke?

13 MR. CHEN: Pardon?

14 MR. CATTON: You don't include smoke?

15 MR. CHEN: The impact of smoke is not because we -
16 - we don't have -- we don't have a specific handle how to
17 address smoke.

18 MR. CATTON: Well, I met a guy from Factory Mutual
19 earlier this week, and heard some horror stories about
20 smoke. The relative damage from the fire was one-tenth of
21 the damage from the smoke. The damage from the smoke was
22 bizarre, what it could do. In one case that he described
23 there was a machine shop of some kind that was controlled
24 with some sort of equipment. The actual problem occurred a
25 couple of months later.

1 MR. CHEN: That -- that essentially, is what we
2 are facing with certain problems we have -- we'll talk about
3 somewhere in unknown stage -- the current state of art.

4 MR. CATTON: Do you have any research request
5 letter to look into smoke transport and impact?

6 MR. FLACK: This is John Flack speaking. There is
7 a generic -- generic issue that has been raised with regard
8 to smoke propagation.

9 MR. CATTON: How are you going to deal with this
10 in the IPEEE?

11 MR. FLACK: From the point of view of trying to
12 resolve that issue, we're not. But we are -- we did put in
13 the attempt that they are to think about it while they're
14 doing their analysis, but we're not expecting that they're
15 going to use sophisticated codes to analyze it.

16 MR. CATTON: I don't think you need sophisticated
17 codes. I mean, I hope I didn't imply that.

18 MR. FLACK: Well, I don't need them, myself, but,
19 nevertheless, we believe that the issue --

20 MR. CATTON: How about simplistic codes?

21 MR. FLACK: Well, there's a few out there.

22 MR. MICHELSON: How about any?

23 MR. CHEN: We have not talked about the code, we
24 have talked about actual impact if you have smoke. The
25 long-term impact.

1 MR. CATTON: Can you tell me how you get the
2 impact without considering the smoke? How can you talk
3 about impact?

4 MR. CHEN: That's why we have not specifically
5 addressed in IPEEE, related to smoke migration. We talk the
6 smoke hindrance on your detecting of the fire. That part we
7 want the people to address, because that part can be
8 addressed. But we cannot address, at this time, how the
9 smoke will affect the long-term specifically; whether they
10 will cause any kind of short in the circuit or any short in
11 the cables or what other impact, we've not asked them to
12 address at this moment.

13 MR. MICHELSON: Could I ask one question on your
14 look-up tables? Apparently you've developed look-up tables
15 on some kind of a calculational process that tells you what
16 the thermal distribution is in the vicinity of a fire. Does
17 that look-up table start with temperatures like 150
18 fahrenheit, or does this start with temperatures like 5, 600
19 fahrenheit?

20 MR. CHEN: The look-up table is still --

21 MR. MICHELSON: In other words, can I tell, from
22 the that table the temperature at the floor level on the
23 opposite side of the room in which the fire is located?

24 MR. CHEN: At this moment, the look-up table is in
25 the development. That's not in this package.

1 MR. MICHELSON: Oh, I thought it existed, okay.

2 MR. CHEN: But the idea is starting from ambient
3 temperature.

4 MR. MICHELSON: It should. Yes.

5 MR. CATTON: Is there any way we could get a
6 preview of this NUMARC "FIVE" methodology? I there --

7 MR. CHEN: Well --

8 MR. CATTON: I may already have it.

9 MR. MICHELSON: I think you do.

10 MR. CATTON: I think I do.

11 MR. MICHELSON: It's going to be the subject of --
12 apparently of our meeting on the -- whenever.

13 MR. CATTON: I think I ask for it every time. I
14 have several copies now.

15 I think you've got to address smoke somehow.

16 MR. CARROLL: Now, the thirdullet talks about a
17 data base to be submitted. This is a fire frequency data
18 base?

19 MR. CHEN: Yes. The accumulation -- our data base
20 -- so far we have NRC-developed data base, up to 85. It's
21 by Sandia. NUMARC is taking the data base, expand it and
22 added this up to 88 or later.

23 MR. CARROLL: You expect that database to be what?

24 MR. CHEN: More comprehensive.

25 MR. CARROLL: And it would probably predict more

1 frequent fires?

2 MR. CHEN: That's the part we want to review,
3 because we want to know the database itself, whether there
4 is encompassed all the fires or some have been screened out
5 because there is certain justification to put on those
6 fires.

7 MR. CARROLL: Do you believe the Sandia database
8 as it exists today needs some screening, that there are
9 many, many fires in that database that are so trivial that
10 you can't even think of them in terms of causing a major
11 fire?

12 MR. CHEN: I think to some extent it may be true.
13 For instance, the construction fire, which may not be
14 applicable to the operating plant. And those parts, if it's
15 included in there, and it will be unlogical to take it out.

16 MR. MICHELSON: Why don't we move on, since we'll
17 go back to all of this when we look at this "FIVE"
18 methodology later on, in March or whenever?

19 MR. FARMER: Farmer, of the Staff. In response to
20 Dr. Catton's comments on smoke, the Research Office is
21 working with the German HDR program. They're conducting
22 large-scale fire tests in a containment vessel over in
23 Germany. And we expect to get from those tests a fair
24 amount of information on the behavior of equipment with the
25 smoke. So we do have access --

1 MR. CATTON: You are not going to get information
2 on the behavior of equipment from smoke, you are going to
3 get information on the propagation of smoke throughout a
4 containment building from those tests. There's a
5 difference.

6 MR. FARMER: Well, we intend to ask the Germans
7 and discuss with them putting in a few items of electrical
8 equipment to test directly cable tests that would come up
9 later this year, or early in 1992.

10 MR. CATTON: I believe that you could already do
11 at least zero with water kinds of calculations of smoke
12 propagation with the tools you have. And it seems to me to
13 wait to dot all the "Is" and cross all the "Ts" is a mistake
14 with the IPEEE coming down the road now and with this NUMARC
15 "FIVE" in front of you. You ought to bring to bear, they've
16 done a lot of experiments at the HDR containment. They've
17 already set off a number of fires in lower rooms to see
18 where the smoke goes. They just finished cleaning the walls
19 from the last one.

20 MR. FARMER: Yes, they ran one in November.

21 MR. CATTON: They've run some before November,
22 too.

23 MR. FARMER: Yes. There's been a heavy emphasis
24 in the tests that they've done on smoke migration, and
25 collecting smoke on filters and trying to clean it from the

1 atmosphere so they would have escape routes for operators,
2 but there has been less emphasis on what happens to
3 equipment located in the vessel.

4 MR. CATTON: They are actually separate questions.
5 The first question is the migration. I think you have
6 enough data to do something. The second question is the
7 impact on the equipment. If you can't address the first,
8 I'm not sure what good the second does you.

9 MR. MICHELSON: I think we'll have to proceed to
10 finish on time. We're going to get into this in great depth
11 later.

12 MR. CATTON: This is the preview for NUMARC FIVE.

13 [Slide.]

14 MR. CHEN: In the high wind, flood and
15 transportation, or other areas, we don't have, we did not
16 make any major changes. A few questions have been raised
17 more or less as a clarification, and they want to see why we
18 feel a few things, why we should include it. And it's, the
19 response is addressed in Appendix D. And this is basically
20 related to fire, high wind, and flood.

21 MR. MICHELSON: Now, floods mean water coming to
22 the building from beyond the building?

23 MR. CHEN: Basically, the flood we talk about in
24 here is external.

25 MR. MICHELSON: But external means what? External

1 to the buildings, or external to the equipment?

2 MR. CHEN: External from the external source.
3 It's from the buildings. If you talk about, if it's like
4 rainfall.

5 MR. MICHELSON: Okay.

6 MR. CHEN: And all those floods.

7 MR. MICHELSON: Internal flooding, now, has always
8 been the confusion. Sometimes you say it's already been
9 covered.

10 MR. KING: That's pipe break kind of flooding.
11 We're talking about flooding from --

12 MR. MICHELSON: But the pipe break flooding
13 unfortunately was a rather limited spectrum of flooding
14 potentials, too. You remember the whole problem of the
15 nonqualified tank in a room. You didn't even look at the
16 water; you looked at the structural impact of the tank under
17 A-46, but you never looked at the water running across the
18 room, at least it's not a regulatory requirement to look.

19 And now, when is that kind of flooding being
20 considered?

21 MR. CHEN: I think under IPEEE we have a seismic-
22 induced flood. That's covered in this area.

23 MR. MICHELSON: That's clearly covered in here?

24 MR. CHEN: Yes, that's covered in our seismic,
25 fire, or say with a seismic and flood interaction aspect.

1 MR. MICHELSON: Okay.

2 MR. CHEN: But our guideline basically is based on
3 the EPRI --

4 MR. MICHELSON: There are some interesting kinds
5 of floodings that some sites can get into. Namely, the
6 flooding from groundwater, when you shut the groundwater
7 pumps off, like when you lose offsite power and so forth.
8 Is that sort of flooding being looked at? This happened one
9 time at Brown's Ferry, as the Staff well knows, in which the
10 groundwater pumps were taken out of service. The first
11 thing you know, they flooded the basement. And the
12 groundwater is a very high level there, and if you shut the
13 pumps off, and it starts rising, the head forces the water
14 into the building.

15 Now, is that considered flooding? Is the IPEEE
16 going to check for that sort of thing?

17 MR. CHEN: We are hoping some of those things were
18 brought, would bring the utilities' attention. I think for
19 instance, we talk about in a fire database, we talk about
20 one spent type.

21 MR. SHAO: That should be covered.

22 MR. CHEN: Yes. Those are the kind of things, if
23 you have that kind of potential, then you should think about
24 it.

25 MR. MICHELSON: It's somehow, some general word

1 that says if you think you got any kind of a potential like
2 that, you better check your power sources and your effects
3 of earthquake and so forth, because those are non-seismic
4 pumps as well.

5 MR. CATTON: Mr. Farmer, could you get me some
6 information on that program at HDR?

7 MR. FARMER: Yes. We have several reports. I'd
8 be glad to send copies.

9 MR. CATTON: Particularly something that would
10 give me an overview of the plan.

11 MR. FARMER: I'm sorry?

12 MR. CATTON: An overview of what your objectives
13 are and what you plan to get out of the tests.

14 MR. FARMER: All right.

15 MR. CATTON: Thank you.

16 MR. MICHELSON: One further question on the
17 flooding. In the case of cooling-tower basins and so forth,
18 is that the kind of flooding you're talking about on a
19 landslide, if those should rupture during an earthquake?

20 MR. KING: Yes, that would be included under the
21 flooding.

22 MR. MICHELSON: The licensee is supposed to look,
23 and he first of all, I guess, just postulates a burst and
24 makes sure nothing happens, or if it does, then he's got to
25 go back and do some kind of an analysis and show it really

1 won't burst; is that what he does?

2 MR. KING: It is in the package.

3 MR. CHEN: That is in the package. That is more
4 or less addressed through the guidance of the EPRI 6041
5 tank.

6 MR. MICHELSON: What do you do about all your non-
7 qualified chemical tanks and so forth out in the yard
8 containing chlorine and hydrogen gas and whatever? A lot of
9 that is non-seismic. How is that brought into this
10 analysis? It's not a safety-related piece of equipment,
11 it's not a flood. It's a flood of gas, it's not a flood of
12 water, which people usually think of.

13 MR. CHEN: I think basically, this kind of
14 interaction type of problem, in the licensing stage, we have
15 addressed that. We believe to a certain extent, those
16 things have already been addressed.

17 MR. MICHELSON: I thought all these problems were
18 already in the regulations. The problem was that you are
19 going back now to make sure you really took care of it.
20 That's what IPEEE was about, wasn't it, because there is a
21 question of whether you've overlooked some of these.

22 MR. SHAO: Well, we look beyond design basis.

23 MR. MICHELSON: You're looking for vulnerabilities
24 which aren't supposed to be there. They were supposed to
25 have been analyzed.

1 MR. KERR: In this, you are also looking at higher
2 earthquake potentials in the design basis.

3 MR. MICHELSON: To that basis, yes.

4 MR. KING: We are trying to look at beyond the
5 design basis, and to that extent, a licensee would be
6 expected to look at those kind of hazards.

7 MR. MICHELSON: Hopefully, you'll find all these
8 others because it turns out that there was no design basis
9 and that for those kind of earthquakes, they, indeed, do
10 fail, and you look at the effect of failure. I'm just
11 trying to figure out what you did with site equipment
12 outside the buildings.

13 MR. KING: We would expect them to look at that
14 even though it's non-safety-grade kind of equipment.

15 MR. MICHELSON: And even though it's not a flood
16 and so forth?

17 MR. KING: Yes. I think that's covered under the
18 catch-all of other external hazards that may be site
19 specifically unique.

20 MR. MICHELSON: All right. Tom, do you have
21 anything further?

22 MR. KING: No, that completes our presentation.

23 MR. MICHELSON: We're a little ahead of schedule,
24 I believe. Eleven o'clock was the scheduled time. So I
25 guess we can go to a committee discussion on this.

1 MR. WARD: Okay. Sounds good.

2 MR. MICHELSON: Do we want to record the committee
3 discussion? I have no preference.

4 MR. WARD: I have no problem with that.

5 MR. MICHELSON: Okay. We'll go ahead and record
6 it.

7 I think that, first of all, it's my understanding
8 that Chet looked at the proposed documents and had no
9 problem. Is that correct? I looked at the proposed
10 documents and I have no problem with them. They seem to
11 cover the appropriate caveats, what we've been most
12 concerned about, at least what I was highlighting. So I
13 wonder, have other members looked at the documents and do
14 they have any problems with them?

15 MR. KERR: From the preliminary discussions, do
16 you think that most of the licensees are likely to use a
17 margins approach or the PRA approach in dealing with the
18 seismic issue?

19 MR. CHEN: I think the idea, it depends on what
20 they feel comfortable using. Given those people already
21 sent in their response, a lot of them are using PRAs. But
22 on the other hand, the methodology developed by EPRI, the
23 margin methodology, is very advantageous for them to use
24 because it's much easier for them to understand what's going
25 on in their plant. So there is a trade-off on their part, I

1 think. We are thinking about maybe 50-50.

2 MR. SHAO: We think about 50.

3 MR. KERR: Thank you.

4 MR. WILKINS: I don't have a substantive point,
5 but it does disturb me that the draft letter cites as
6 authority from the Office of Management and Budget a
7 clearance which expired in December of 1990.

8 MR. CHEN: Okay. Let me provide some
9 clarification on that. That has been modified to April
10 30th. That's interim clearance, because we are negotiating
11 for three years. We haven't reached that stage yet.

12 MR. WILKINS: Just make sure the letter shows
13 April.

14 MR. CHEN: Yes.

15 MR. WILKINS: Thank you.

16 MR. MICHELSON: Other comments?

17 MR. WARD: Carl, there are a couple of points that
18 were discussed here this morning, and this definition of
19 vulnerability is one. It's one that seems to come up every
20 time we talk about the IPEEE, and it's hasn't been resolved.
21 Are you going to say anything about that in the letter?

22 MR. MICHELSON: If the committee wishes, of
23 course, we will say something. It's a problem of specifying
24 beauty -- it's hard to do.

25 [Laughter.]

1 MR. MICHELSON: But we can attempt to indicate. I
2 think that's the staff's problem, is it's very difficult to
3 provide a specification for this.

4 MR. KING: Yes. We chose not to do that. We
5 chose to let the licensees define it.

6 MR. MICHELSON: Now, if the committee thinks that
7 we should define vulnerability in some way --

8 MR. KERR: Carl, it isn't a question of what the
9 committee thinks. The staff is going to have to define it
10 when they do their reviews. They will make a de facto ad
11 hoc definition that works, but at some point, it has to be
12 defined.

13 I don't disagree with them that it's difficult,
14 but if they're going to do the review that they say they are
15 going to do, and if they are going to disagree, as they may
16 well, with the conclusion reached by licensees, then they
17 are going to have to have a working definition.

18 MR. MICHELSON: Comments?

19 MR. FLACK: This is John Flack. I'd like to just
20 make a comment on that. We're not trying to define
21 vulnerability in an absolute sense. I think it's impossible
22 and I think it's inappropriate to define it in an absolute
23 sense across all plants.

24 I think it's something that would come out of the
25 review process. It's something that you have to look at the

1 entire PRA, what the IPE is telling you before you can
2 determine whether you have a vulnerability or not. I don't
3 think we can do that in an absolute sense.

4 MR. MICHELSON: It's like a beauty contest, then -
5 - if you r a few, you can make a choice.

6 MR. KERR: I am not insis'ng that one do it in an
7 absolute sense or a numerical sense or any other sense. I'm
8 simply saying you're going to need a working definition, one
9 that a reviewer can apply. Otherwise, it will be up to the
10 individual judgment of the individual reviewer, and it seems
11 to me that is somewhat capricious.

12 MR. MICHELSON: Other comments on that point?

13 MR. FLACK: Just one more comment. It will not be
14 left up to any specific individual. There will be teams
15 reviewing the IPES. There will be contractors to support
16 that team review. It would be done in that type of frame
17 work. It's not to be determined by any specific individual.

18 MR. KERR: It doesn't make me feel any better that
19 it's going to be done on an ad hoc basis by committee
20 because that means it'll be done at the lowest common
21 denominator probably. That's what usually happens,
22 especially if nobody has really thought about it before
23 hand. They sort of get together and say, Well, what's a
24 vulnerability? Well, I know one when I see one.

25 MR. MICHELSON: Ernest, did you have a comment?

1 MR. WILKINS: I am not sure if this is meaningful,
2 but am I correct in inferring that the licensee will furnish
3 his own definition of vulnerability in his IPEE?

4 MR. KING: Yes. We have asked that he provide his
5 definition of a vulnerability.

6 MR. MICHELSON: Did you ask that literally? I
7 mean, you literally asked him to define it.

8 MR. KING: Yes.

9 MR. WILKINS: Now, then you could audit or at
10 least you could examine their response in light of their own
11 definition without having to invent your own definition for
12 that purpose. Of course, that would mean that you might
13 well be inconsistent between licensees.

14 MR. MICHELSON: I would think that that definition
15 ought to come up front and be kind of discussed with the
16 staff before they spend three, four years doing the work.
17 That would seem logical.

18 MR. WILKINS: One might think that was prudent.

19 MR. MICHELSON: Yes. And that might be a valid
20 suggestion. Maybe after you look at enough utility
21 definitions, you can arrive at what appears to be acceptable
22 to the staff, and then all utilities can use that
23 definition.

24 MR. SHEWMON: Well, is there an owners group or an
25 EPRI group that has been working on this or helping

1 coordinate? NUMARC.

2 MR. KING: NUMARC.

3 MR. SHAO: They have two working groups. One is a
4 seismic working group; the other one is called Severe
5 Accident Working Group. There are two groups working on it.

6 MR. SHEWMON: And they could come up with
7 something that would perhaps reflect the safety goals of the
8 Commission or some such thing, or do we know yet?

9 MR. SHAO: I don't think they have come up with
10 anything yet. They may be working on it in the future, but
11 not right now, no.

12 MR. CARROLL: That seems to me to be the key,
13 Paul. It seems to me vulnerability has some relationship to
14 the safety goals.

15 MR. MICHELSON: But neither the industry nor the
16 staff has been willing to define it so far, I gather.

17 That would certainly be a valid suggestion.

18 MR. SHEWMON: The staff believes that the industry
19 is going to blink first.

20 MR. MICHELSON: Yes.

21 MR. WARD: Does the staff see a connection with
22 the safety goal here? I mean, do you plan to use the safety
23 goal in reviewing the IPEFE?

24 MR. SHAO: For the seismic methodology, there is
25 no quantity in numbers, so you cannot really use safety

1 goals. For PRA, maybe you can do that, but --

2 MR. WARD: You sound pretty tentative like you
3 don't really want to or you don't think it's applicable?

4 MR. SHAO: For seismic margin, you cannot use
5 safety goals.

6 MR. WARD: I understand that part.

7 MR. BECKNER: This is Bill Beckner. We said in
8 the IPEEE documentation that we would, once this is all over
9 and we get insights from all the plants, we would go back
10 and make use of the safety goals for the whole to see if
11 we've identified any vulnerabilities in our regulations that
12 might cause plants not to meet the safety goal, but not as a
13 criteria for the individual reviews.

14 That was stated, I think, pretty clearly in the
15 original generic letter.

16 MR. WARD: Okay.

17 MR. CARROLL: You have come up with a definition
18 of a vulnerability in regulation?

19 MR. BECKNER: It's called the Backfit Rule.

20 MR. MICHELSON: I don't think that's the case, but
21 I don't want to spend time to argue that one. Is that your
22 only definition? Is that what you think vulnerability
23 means; that something that I have now apply the backfit rule
24 to?

25 MR. KING: No. If the staff wants apply some

1 additional requirement on a plant, they're subject to the
2 backfit rule.

3 MR. KERR: I am sorry, but if the staff determines
4 that something makes a plant not appropriately safe, it does
5 not have to apply the backfit rule.

6 MR. MICHELSON: It depends.

7 MR. KING: That's not true. The staff has to
8 follow the backfit rule.

9 MR. KERR: Even if a plant is deemed not
10 adequately safe to protect the public?

11 MR. KING: The backfit rule covers that
12 possibility, unless you're talking compliance. If you're
13 talking compliance, that's true, you do not have to use the
14 backfit rule.

15 MR. KERR: Sure, I'm talking compliance; I'm
16 talking about compliance.

17 MR. KING: That's something new, over and above --
18 no, compliance, that's true.

19 MR. WARD: I guess he's saying the backfit rule
20 acknowledges the issue of adequate protection and it doesn't
21 require the cost/benefit test.

22 MR. KING: That's right.

23 MR. KERR: That's all I'm saying. In the case
24 where it is deemed that something does not provide adequate
25 protection or makes you conclude that this plant has not

1 provided it, the backfit rule doesn't apply.

2 MR. WILKINS: You don't have to make a
3 cost/benefit analysis.

4 MR. KING: Yes.

5 MR. WILKINS: But the statement that the backfit
6 rule doesn't apply, isn't correct because that's in the
7 backfit rule.

8 MR. WARD: That's my understanding, yes.

9 MR. KING: The backfit rule makes you make the
10 case that you don't need cost/benefit.

11 MR. MICHELSON: We do need to prepare a letter, I
12 think, with whatever views, if any, we have, just to keep
13 the record on this clean. We have a copy of our previous
14 letter on page 4 of Tab 2.

15 I would suppose, since Chet's not here, I will see
16 to it that an introductory paragraph is prepared. Now, as
17 to what else you need: I read through the letter. I find
18 that our comments there still stand.

19 I think that it would be appropriate in our
20 transmittal letter to say they still stand. Is that truly
21 the case, or do they -- does any member have any problem
22 with what was said as to whether it still stands, and do we
23 have any additions and possibly this question of the
24 definition of vulnerability could be an additional
25 paragraph?

1 That would all be what I would envision for the
2 letter.

3 MR. WILKINS: The final sentence of this letters
4 says we'd like to have the opportunity to review such
5 changes and provide our comments.

6 MR. MICHELSON: That's what we're doing now.

7 MR. WILKINS: It would be appropriate to comment
8 on the changes if we think we have any comments.

9 MR. MICHELSON: If we have any comments on the
10 changes, plus the -- you know, new things or anything else,
11 yes. That's what we're doing now, so I think we need our
12 followup letter, all right, and it's just a question of what
13 we would like to see in it.

14 Bill, would you like to draft a paragraph dealing
15 with the question of definition of vulnerability?

16 MR. KERR: I will attempt to.

17 MR. MICHELSON: I think that would be a useful
18 paragraph. I kind of agree with your comment. Let's see
19 what it looks like.

20 Would there be any other paragraphs needed?

21 MR. WARD: The other point that was discussed at
22 some length here this morning is this issue of the two
23 seismic hazard curves; whether it's meaningful to require
24 use of both of them and the issue of whether conservatism is
25 an appropriate approach.

1 MR. SHAO: By the way, the two seismic curves,
2 there were no changes. We just give an alternate. They
3 were the same before.

4 MR. MICHELSON: Maybe it's our increased
5 understanding that's changing these things.

6 MR. SHAO: There were no changes.

7 MR. SHEWMON: I think that the point that Al was
8 making was that there was not a criteria for a cutoff, but
9 there should be one.

10 MR. MICHELSON: I think it's an appropriate
11 paragraph to see, if we can get Hal to draft. See if you
12 can get Hal to draft a paragraph then.

13 MR. WARD: Why don't you say something to him?

14 MR. MICHELSON: I think it would be useful to see
15 what that paragraph would look like. Any others?

16 [No response.]

17 MR. MICHELSON: I was not intending to go back and
18 retouch on anything that's already clear in our previous
19 letter and still stands; for instance, fire is the same
20 situation. There's nothing new, nothing changed. We don't
21 disagree with what the staff's doing. They're coming up
22 later to tell us. By July, we'll reach agreement on the
23 FIVE program.

24 I wouldn't intend to mention fire since there's no
25 change.

1 MR. CARROLL: For the last couple of days, we've
2 heard quite a bit about bad grounding and its impact on
3 control and protection systems.

4 MR. WILHE: I'll do that.

5 MR. CARROLL: Okay, it's referenced in here.

6 MR. SHAO: By the way, there was no change in this
7 area from the last.

8 MR. MICHELSON: One of the things we also, along
9 that same line, we heard about the last couple of days was
10 the fact that a number of plants are now going to digital
11 control systems, some a little ways, some of them rather
12 extensively. Of course, one always wonders if they had
13 really analyzed the integration of the digital controls into
14 the old pressure instruments they're still using and so
15 forth, because the noise levels are now changed and the
16 response is vastly changed.

17 You're now talking about microsecond response
18 systems put in with the old relay -- the old contact chatter
19 of the instrument. Have they done that sort of thing? I
20 assume that's all integrated into these words, but I -- it
21 depends on how you read them.

22 But they will have to do -- they can't depend upon
23 all the evaluations in all cases. They've got to go back
24 and reevaluate.

25 MR. KING: Yes. It is mentioned in the package

1 that they have done a PRA in the past and they have made
2 changes to the plant that the IPE analysis should reflect
3 today's plant.

4 MR. MICHELSON: You realize relay chatter is
5 generally not included in PRAs as such.

6 MR. KING: That's right.

7 MR. MICHELSON: So it's got to be something --
8 can't use the PRA route to make that determination. It's
9 got to be some -- whatever, but you think the generic letter
10 makes it clearer that you do have to make sure that when you
11 put these other systems in that you've re-examined from the
12 head end of the process.

13 MR. SHAO: I think we think it's clear here.

14 MR. MICHELSON: Okay.

15 MR. WILKINS: Let me ask a naive question. I've
16 read the description on page 3 of this generic letter that
17 talks about identifying the external hazards and I
18 understand the philosophy here.

19 You don't mention sabotage at all. Is that
20 considered an external event?

21 MR. SHAO: No. That's not part of it anyway.

22 MR. WILKINS: I know it's not part of -- not here
23 so it's definitely not part of it.

24 Is it covered anyplace else?

25 You don't care anymore?

1 You know the events in the last few weeks it seems
2 to me have increased the probability -- I mean if they can
3 fire mortars at 10 Downing Street, I don't know why they
4 can't fire mortars at --

5 MR. MICHELSON: Oh, they can do better things than
6 that.

7 MR. WILKINS: They probably can. Is this
8 something that anybody is worrying about or needs to worry
9 about?

10 MR. KING: Yes, people worry about it. It's not
11 part of IPEEE anywhere but there is a division in NMSS that
12 deals with the threat, the external threat from sabotage and
13 periodically tries to keep up to date with the latest
14 potential threats and deals with it through their channels
15 but not through this channel.

16 MR. MICHELSON: It's specifically included by
17 words though in this program, isn't it? Doesn't it say
18 somewhere you do not include sabotage? Or does it?

19 MR. KING: I didn't see it in this paragraph on
20 page 3 of the generic letter.

21 MR. MICHELSON: I was thinking I've read it
22 somewhere --

23 MR. CARROLL: It has never been included in --

24 MR. CHEN: It has never been included in IPEEE but
25 in our response, in the Appendix D, we have a section

1 specifically address that sabotage is not included in the
2 IPEEE.

3 MR. KERR: There has been a recent request for
4 rulemaking to change the NRC "defined threat."

5 MR. CARROLL: Which was denied -- and Mr. Bernero
6 in denying it noted that the NRC is continually reviewing
7 the threat environment associated with commercial nuclear
8 facilities and then based on evaluation of the intelligence
9 community and other relevant data.

10 The Staff has determined that there continues to
11 be no credible threat of terrorist actions against any NRC-
12 licensed facility that warrants implementation of
13 contingency plans.

14 MR. MICHELSON: Recent?

15 That was February 23rd, 1990.

16 MR. WILKINS: When did we start bombing Kuwait?
17 January 15th?

18 MR. MICHELSON: I think, gentlemen, that Charlie
19 had planned on bringing this up as an added agenda item
20 during our future agenda discussion in which we will talk
21 about what we wanted to do, so I'd rather not spend any time
22 for this subcommittee --

23 MR. CARROLL: We are just killing time 'til 11:00.

24 [Laughter.]

25 MR. WARD: I don't understand. Jay brought up a

1 thing about lightening and Charlie said you're going to take
2 a look at it.

3 Where do we go from there? What happens?

4 MR. MICHELSON: You may have a letter, a paragraph
5 in a letter, depending on what he decides, I assume --

6 MR. WARD: Oh, I see.

7 MR. MICHELSON: -- even if it's a caveat, which I
8 think we need to put in here. If there are things you
9 really think need to be looked at and haven't been discussed
10 and don't appear here, then we need it in our letter.

11 Any other paragraphs we think ought to be added,
12 at least at this time?

13 If not, then we'll all proceed on this basis. I
14 expect to get at least two paragraphs from people and
15 perhaps a third and I'll take care of the boilerplate and
16 the rest of the letter.

17 I believe that's all, Mr. Chairman.

18 MR. WARD: All right, well, thank you very much,
19 gentlemen.

20 MR. MICHELSON: Oh, excuse me. One more thing --
21 I'm sorry. I was handed a note here that says that Dr.
22 Siess also wondered about the definition of vulnerability.
23 That adds encouragement to your paragraph.

24 It's yours, Mr. Chairman.

25 MR. WARD: Let's just take a five minute break for

1 the meeting room to clear and then you're on at eleven
2 o'clock, right?

3 [Brief recess.]

4 MR. WARD: For the next topic, Mr. Wylie will lead
5 off.

6 MR. WYLIE: This portion of our meeting concerns
7 the staff's plans to complete its review of the EPRI
8 Advanced Light Water Reactor requirements documents and
9 specifically what the staff intends to do with the rollup
10 documents which were submitted September 7, 1990.

11 Tab 3 contains a very good status report and
12 summary of the activities in this regard over the last
13 several years.

14 Just for a moment, I'd like to refresh the
15 memories of ourselves.

16 The original purpose of the EPRI Advanced Light
17 Water Reactor requirements documents was to identify and
18 define all of the features and requirements which the
19 utilities wanted in the future advanced light water reactor
20 plant designs and to identify and reach a position or
21 agreement with the NRC on all regulatory policies and safety
22 issues by way of the review of the documents and the
23 issuance of the staff's SERs.

24 Thirteen chapters of the original version were
25 developed and submitted between June '86 and October of '89.

1 The staff has issued SERs covering all except Chapters 10
2 and 11, I believe. However, they are remaining open items.

3 I believe that the original intent was that the
4 original version of the documents were to be revised to
5 reflect the final agreements and staff positions, much like
6 a FSAR. However, it was -- it is my understanding that so
7 many revisions had to be made that EPRI decided to issue
8 what is known as the rollup documents, which were submitted
9 September 7, 1990, to reflect the final agreements reached
10 with the staff and the positions.

11 The rollup documents consist of Volume 1, which is
12 the executive summary and policy, and Volume 2, consisting
13 of 13 chapters covering the evolutionary advanced light
14 water reactor plants, and Volume 3, 13 chapters covering the
15 passive advanced light water reactor plants.

16 These rollup documents are somewhat different from
17 the original versions. They expand the scope, and they do
18 not reflect all of the staff positions or agreements which
19 have been reached or in the SERs. And of course, there are
20 a lot of open items yet.

21 Before we proceed -- well, we'll come back to
22 this. I had first asked EPRI to be prepared to answer some
23 questions. I believe they are prepared to wait until the
24 staff makes their presentation, and then we'll ask those
25 questions.

1 So, go ahead.

2 [Slide.]

3 MR. KENYON: My name is Tom Kenyon. I'm the NRC
4 Project Manager on the EPRI requirements document for both
5 the evolutionary and the passive plant.

6 MR. WYLIE: First of all, let me ask a question,
7 Tom. Do you agree with what I said?

8 MR. KENYON: There's a few corrections I'd like to
9 make, and I figure either I or Mr. Trotter from EPRI can
10 make them as we go along.

11 [Slide.]

12 MR. KENYON: The purpose of my presentation is to
13 discuss the status of the review of the requirements
14 document, both the evolutionary and the passive. I'm going
15 to discuss the review that's taken place to date.

16 We'll address the regulatory significance of the
17 requirements document and then discuss the remaining work
18 that has to be done and the review schedule. I intend to
19 emphasize on some of the work that we expect will have to be
20 done with interactions with the ACRS.

21 [Slide.]

22 MR. KENYON: The next few slides are nothing more
23 than a chronology of what's taken place since the inception
24 of the review back in '86.

25 Since I last met with the Committee, which was

1 sometime in July, a number of major occurrences have taken
2 place.

3 EPRI has submitted the rollup document on Volume 2
4 of the evolutionary plant, as well as the original -- their
5 original version of Volume 3.

6 It's my understanding and it's always been EPRI's
7 intent to provide a rollup document that would reflect
8 modifications that were agreed upon after we have performed
9 our review.

10 The original plan with the rollup document was
11 that it was going to be submitted after all the draft SERs
12 and after the review of the original document was completed.

13 However, for a number of reasons, EPRI has
14 submitted -- decided to submit the document based on the
15 five draft SERs that have been issued on Chapter 1 through 5
16 and also including what they knew of what our concerns were
17 on the other chapters.

18 So, the rollup document on the evolutionary plant
19 does not reflect all the concerns that you've seen in the
20 other six draft SERs that we just issued.

21 MR. MICHELSON: One of the problems I'm having,
22 though, with your SERs is that they don't reflect what
23 changes EPRI has made in the rollup document that had -- I
24 don't know if they were negotiated or not. I have no way to
25 know.

1 But they have significantly changed some areas,
2 moved things around, and significantly added and sometimes
3 moved them from one category to another and so forth. Has
4 all this been negotiated with the staff?

5 MR. KENYON: I understand the concern. There's a
6 couple of ways that EPRI and the staff have arranged to
7 mitigate the problem.

8 First, EPRI has submitted a third document --
9 well, I shouldn't say a third -- a version of the
10 evolutionary requirements document that shows us what
11 changes were made. It will help the staff identify where
12 things have been moved around.

13 MR. MICHELSON: Is that big book or something
14 that's manageable that I could get a copy of?

15 MR. KENYON: No. It's a small box.

16 MR. MICHELSON: You mean it's a foot of paper.

17 MR. EL-ZEFTAWY: It's about an inch for each
18 chapter. We've got 13 chapters.

19 MR. KENYON: It's a markup. It shows what was
20 deleted and what was added.

21 MR. MICHELSON: When it's been deleted or added,
22 was that after negotiation or before negotiation with the
23 staff?

24 MR. KENYON: Well, for Chapters 1 through 5, I
25 would say it was -- you know, these modifications were made

1 after they saw what our concerns were.

2 MR. MICHELSON: Okay. So, the rollup document
3 reflects your views at least on Chapters 1 through 5?

4 MR. KENYON: Well, no. It reflects the views of
5 EPRI, as they understood what our concerns were on the draft
6 SER.

7 MR. MICHELSON: Okay. The rollup has been
8 negotiated already on 1 through 5. So, I can believe that
9 the staff is at least aware of the changes and doesn't have
10 a violent disagreement.

11 MR. KENYON: Well, we're going to be reviewing it
12 to determine that. We haven't started the review of the
13 rollup document in a great deal -- in a great amount of
14 detail.

15 MR. MICHELSON: I thought the rollup was to
16 represent some sort of a final consensus.

17 MR. WYLIE: Well, just like he said, Carl, it
18 doesn't reflect that, and so, you plan to review those and
19 comment on those?

20 MR. KENYON: I guess what I'm getting at is it
21 should reflect what we've discussed and what EPRI
22 understands to be the resolution to the problem. Until we
23 review it, I'm not in a position to say that it does.

24 MR. MICHELSON: I see.

25 MR. KENYON: As you can see, in January we have

1 issued six more SERs, and that was based on the original
2 document, not on the rollup document. There were a number
3 of reasons for that. But the primary reason is, by the time
4 EPRI submitted the rollup document, we were too far along in
5 our review of those chapters in order to efficiently switch
6 to the rollup document. So we decided to issue the draft
7 SERs, get them out on the table, and begin our review of the
8 rollup document.

9 MR. WYLIE: Let me ask, when you've issued
10 SERs and you've got the rollup documents, what are you
11 to review in the future?

12 Say you review Chapter 5 of the rollup document
13 and you've got comments and open items there. What are you
14 going to correct? The original document or the rollup
15 document?

16 MR. KENYON: I assume it's going to be the rollup
17 document. Perhaps John Trotter might want to address the
18 mechanism EPRI intends to use to fix it.

19 MR. WYLIE: I am curious as to whether we should
20 review the rollup documents or whether we should review the
21 original documents.

22 MR. KENYON: We're going to review the rollup
23 document to see how it reflects resolutions for Chapters 1
24 through 5. EPRI has provided us what I call a roadmap,
25 telling us where in the rollup document they've addressed

1 our concern.

2 And so we're going to go back, take a look at the
3 rollup document, and if we have a disagreement, of course,
4 we'll get back to EPRI, we'll have appropriate meetings,
5 and, if necessary, have documentation, you know, questions
6 sent out, et cetera.

7 MR. WYLIE: Chapter 1, for example, in the
8 evolutionary, the old version and the new one, the amount of
9 information for certification no doubt will be changed,
10 depending on what the Commission comes down on, on that
11 decision. I would expect that to be changed in both cases.

12 MR. KENYON: Are you saying you're expecting the
13 level of information in EPRI's document?

14 MR. WYLIE: The way it's defined, yes.

15 MR. KENYON: You have to remember that EPRI is not
16 coming in for design certification.

17 MR. WYLIE: I understand that. But they're
18 saying, though, this is a guide for the industry, saying
19 this is the information required for certification, is in
20 that document.

21 MR. KENYON: No, I don't think it's going to that
22 point.

23 MR. WYLIE: Yes, I think it does, too.

24 MR. MICHELSON: Yes.

25 MR. KENYON: John Trotter would like to make a

1 comment.

2 MR. TROTTER: Yes. That was one of the questions
3 that I was warned about is we did go back and look at, it's
4 Attachment 2 to Section 11 to Chapter 1. And in the
5 original issue, there was a list of category of engineering
6 activities in Categories 1, 2, 3, and 4, 3 and 4 being site-
7 specific I believe.

8 Category 1 was the engineering effort necessary
9 for certification.

10 Category 2 was the engineering details, and our
11 requirements were addressed toward two utility decision
12 points.

13 The first decision point was the decision to buy.
14 And that one, although it's not as clearly stated as perhaps
15 it should be, a prerequisite for the decision to buy is a
16 certification. The intent of that split in the list was to
17 say the decision was just that, that the prereq. to buy was
18 the certification. What goes in that certification, or what
19 is necessary for that certification, our list was intended
20 merely to reflect the status of that issue when we were
21 writing that rollup. That was July, August of last year.
22 So it reflects a negotiation process that's ongoing in the
23 industry and being led by NUMARC.

24 Our requirement for completion is more strongly
25 stated toward the completion of engineering before first

1 concrete. And that's the 90 percent of engineering, before
2 first concrete.

3 So I wouldn't, we are not taking a position; we
4 are reflecting our understanding of where that list, which
5 always existed in our document, now reflects, beyond going
6 to negotiation.

7 MR. MICHELSON: That list is going to move
8 significantly; the distribution has been changed
9 significantly. It exists, yes, the list did exist on that.

10 MR. TROTTER: Right.

11 MR. MICHELSON: But you just moved it, appeared to
12 be moving it from the category of what you need for
13 certification to what you need for detailed design.

14 MR. TROTTER: I think as people got closer to
15 understanding the impacts and understanding the needs, yes,
16 that list got changed. But we are not particularly devoting
17 much effort to understanding where that goes.

18 MR. MICHELSON: Well, this all depends upon what
19 we finally decide this is ever useful for.

20 MR. TROTTER: Absolutely.

21 MR. MICHELSON: That apparently we hear last
22 instead of first. If I knew upfront what the Staff was
23 going to do with this, I'd change a lot of my comments.

24 MR. WYLIE: Go ahead and proceed, and then we'll
25 ask that question, what you're going to do with it.

1 MR. WARD: Charlie, could I ask a question?

2 MR. WYLIE: Sure.

3 MR. WARD: Tom, in this past month, you issued
4 these SERs on Chapters 6 through several of them. Now,
5 eventually you're going to issue SERs on those same chapters
6 in the rollup document.

7 MR. KENYON: That's correct.

8 MR. WARD: All right. Are you going to refer to
9 these January '91 SERs when you do that? Are the SERs you
10 write months from now going to depend on these January '91
11 SERs on the original document?

12 MR. KENYON: Well, the draft SERs, the January
13 SERs are identifying where we feel are the open issues. So
14 we're going to be using that as the base. We're going to be
15 using that as our talking point with EPRI. We intend to be
16 meeting with EPRI over the next several months, and for that
17 matter, with the committee, over the next several months, to
18 talk about what the issues are, and the proposed
19 resolutions.

20 I'm not sure of the mechanism EPRI intends to use,
21 but EPRI will need to respond to these open issues, and, if
22 necessary, modify the rollup document from that point,
23 before we would write our final SER.

24 MR. WARD: Okay. So you're saying this is the
25 same SER, that this is a draft based on the original

1 document. Some months from now, the final SER will be based
2 on responses to this draft and also on what's in the rollup
3 document.

4 MR. KENYON: That's correct.

5 MR. MICHELSON: Are you going to rewrite the SERs,
6 though, so they make sense, so I can throw away the old
7 draft document, use the final rollup, and that's self-
8 contained? I don't need to go back? Unfortunately, I threw
9 my old one out, because I was under the impression that when
10 I got the new one, the old one was superceded, and it turned
11 out it wasn't. But eventually it will be superceded; your
12 SER will be based only on the final rollup document?

13 MR. KENYON: Oh, that's correct.

14 MR. MICHELSON: It's self-contained; I don't need
15 to save the, don't have to have the old document?

16 MR. KENYON: The original version and the draft
17 SERs are just an interim stage to get to the final.

18 MR. WYLIE: You might, if you're trying to use the
19 draft SERs that you've got, in reviewing the open items,
20 because they refer to the old document.

21 MR. KENYON: Well, that's true. We're going to be
22 using that to identify where in the rollup document EPRI has
23 made changes to answer the questions.

24 MR. WYLIE: Unless you're going to rewrite your
25 draft SERs. You're not going to do that?

1 MR. KENYON: No. We intend to have only one more
2 final SER, you know, one more SER on all the chapters.

3 MR. MICHELSON: Then I believe the answer to my
4 question is I must keep both the draft EPRI document and the
5 rollup document, because the words are, some places they've
6 even moved the thing to another part of the book. I don't
7 see how you do this, unless you have both parts in front of
8 you, or rewrite it for the final rollup.

9 MR. KENYON: EPRI is providing us with two aides
10 to help us see what the changes were in the roll-up
11 document. Number one is the red-line version, the mark-up
12 version of the requirements document, and then, number two,
13 they're going to be providing us with the road map I
14 mentioned earlier.

15 MR. CATTON: Where will the 90-016 items be
16 addressed?

17 MR. KENYON: A lot of them have already been
18 addressed in the Chapter 5 draft SER. Presumably, it would
19 wind up either in Chapter 1 or Chapter 5.

20 MR. CATTON: Chapter 5.

21 MR. KENYON: Things like station blackout -- it
22 depends on the subject. Things like station blackout would
23 wind up in the electrical chapter, which is --

24 MR. CATTON: Well, in particular, I'm interested
25 in the .02 square meters per megawatt thermal for the --

1 MR. KENYON: That would be in either Chapter 5 or
2 Chapter 6.

3 MR. CATTON: Five or six. The reason I ask is
4 that rumor has it that the recent experiments at Argonne, a
5 20 centimeter layer of molten materials didn't solidify very
6 fast, and that .02 megawatts squared is 30 centimeters deep,
7 which says that that area ought to be bigger by maybe a
8 factor of two.

9 MR. KENYON: We intend to be reviewing it as part
10 of our development of the final SER.

11 MR. CATTON: Okay.

12 MR. KENYON: It's my understanding -- correct me
13 if I'm wrong, Jim -- that we intend to have a meeting to
14 talk about the review results. Is that correct?

15 MR. SHEWMON: Ivan, is there water assumed to be
16 down there when this stuff comes down?

17 MR. CATTON: That's not clear. I don't know. I
18 think you have to plan on that maybe being dry and then
19 putting water on top of it. I don't know. But the Argonne
20 experiment was a layer of molten materials that supposedly
21 were prototypic. It put water on the top of it and it
22 didn't cool very fast. Now, they're going to repeat those
23 experiments. I just wanted these people to be aware that
24 there could be a big headache out there for containment
25 design.

1 MR. KENYON: I think that will be addressed as
2 part of our review to the final. My understanding is there
3 is a meeting, it's not necessarily an EPRI specific meeting,
4 but there is a meeting to discuss the results of that. From
5 that, we will --

6 MR. CATTON: Maybe EPRI could comment because EPRI
7 is funding those.

8 MR. SHEWMON: And this is half of the course
9 spread uniformly over the electrical area?

10 MR. CATTON: Well, I don't know where the 30
11 centimeter number came from, but that was in some of the
12 discussions with EPRI and also in the Fauske & Associates
13 report that they based the .02 on. That's where I got the
14 30 centimeters, roughly. Well, if 20 centimeters doesn't
15 cool, then I think you have to come to the conclusion that
16 .02 is sufficient by another direction, and they probably
17 ought to start thinking about it.

18 MR. SHEWMON: I guess where I come from repeatedly
19 is you are never going to get that stuff melting as hot as
20 it does, pour it out on a cold surface to spread uniformly.

21 MR. CATTON: Well, I don't believe you're ever
22 going to have to deal with all the core, either.

23 MR. SHEWMON: Well, so it ought to be half --

24 MR. CATTON: I'd like somebody to show me that.

25 MR. SHEWMON: -- and it ought to be some sort of a

1 cone, and you may get the same answer.

2 MR. CATTON: I would hate to see the process
3 until the end when the final SER is being written to come
4 grips with this question. They ought to be thinking about
5 it now.

6 MR. WYLIE: Have the 90-016 issues been
7 incorporated in the roll-up document? I don't think they
8 have.

9 MR. TROTTER: This is John Trotter. Yes, we
10 reflected the 90-016 issues in the roll-up to the degree
11 that A) we understood how to implement them in a
12 requirements level document, and B) to the extent that we
13 agreed that they were the proper technical answers. There
14 are some where we would like to continue the discussion, but
15 I believe that's not more than one, I think, on the
16 evolutionary plant.

17 MR. WYLIE: So far, the staff has not really
18 reviewed that, I guess.

19 MR. KENYON: That's correct.

20 MR. CATTON: Well, the EPRI document, at least for
21 this .02, has been available for some time.

22 MR. MICHELSON: Could I get one clarification?
23 When I read the roll-up document, do I assume that there's
24 no flag there that says that the NRC hasn't agreed or
25 whatever? Do I interpret the roll-up document then to mean

1 that the NRC is aware of this position and hasn't indicated
2 any disagreement? Is that how I read that?

3 I thought the roll-up was to roll up the SER
4 responses and everything into a final document, and now I'm
5 beginning to be uncertain as to whether that's -- I think
6 it's just Revision 2 of the document or Revision 1, and
7 there's another roll-up. The roll-up is later, because if
8 you haven't rolled up the SERs in this thing, I don't know
9 how to read it.

10 MR. CATTON: Maybe the roll-up was wishful
11 thinking.

12 MR. MICHELSON: I think it's just another revision
13 and that really, there is a roll-up coming after this
14 document I have so far in front of me. Is that correct?

15 MR. TROTTER: Yes, I think that is substantially
16 correct.

17 MR. MICHELSON: This isn't the roll-up that we
18 used to talk about.

19 MR. TROTTER: Right. We got to a point where we
20 had received many comments from many people, including the
21 NRC. We wanted to keep both the requirements for the
22 passive plants and the evolutionary plants in sync, and it
23 was time to submit the requirements for the passive plant.
24 So rather than have two sets out there that were out of
25 sync, we submitted Rev 1 of the evolutionary plant and Rev 0

1 of the passive plants.

2 We will intend to submit -- you know, where
3 negotiations result in necessary word changes to the
4 evolutionary plant requirements, we will submit page
5 changes.

6 MR. MICHELSON: Well, I had been reading it like
7 it was the roll-up, and I thought I knew what the roll-up
8 meant, and I said, Gee, this can't be the roll-up. The
9 staff certainly hasn't agreed to some of the --

10 M... WARD: For the passive plant you're talking
11 about now?

12 MR. MICHELSON: No, in the evolutionary. Your
13 comment was on the evolutionary, right?

14 MR. TROTTER: Sure.

15 MR. MICHELSON: So what they're saying is that
16 we're looking at a new revision, but it's not the roll-up
17 that we all envisioned as the final wrapping up of the
18 disagreements and so forth. Okay. That helps me immensely.

19 MR. WYLIE: As Carl says, the format of it is
20 different, too.

21 MR. MICHELSON: Yes.

22 MR. WARD: Some things have been moved around.

23 MR. MICHELSON: Well, they can do anything they
24 want in the revision.

25 MR. WYLIE: I know, but if you're trying to

1 compare it --

2 MR. MICHELSON: You can't. Yes. It's difficult.
3 Unfortunately, I threw out the one that they wrote the SER
4 on because I thought this was the roll-up. I was
5 misinformed. It really wasn't the roll-up.

6 MR. WYLIE: Please proceed.

7 [Slide.]

8 MR. KENYON: I've only provided this slide just to
9 remind the committee of the number of interactions that
10 we've had with the staff between the EPRI and the staff, and
11 I didn't really intend to belabor the point.

12 [Slide.]

13 MR. KENYON: I have a second list of packages
14 given to Med. It has a cover letter like that. All it does
15 is it lists all of the open issues that are present in the
16 draft SERs that we've issued to date.

17 A bean counting of those issues is my next slide.
18 My main point is to point out there's about 186 open issues.
19 Now, I want to point out that about 50 of those open issues
20 are redundant and that they were identified in one chapter
21 and perhaps identified in several different chapters. So
22 what we're really looking at is roughly about 130 open
23 issues.

24 MR. CARROLL: I guess I had a question in that
25 regard. I almost fell out of my chair when I read your

1 comments on Chapter 13, where you're presuming to make
2 things or insist that EPRI do things. Generator
3 instrumentation, for example. What has this got to do with
4 public health and safety and where does the NRC get the
5 expertise to decide that fiber optics generator intern
6 monitoring should be required or shouldn't be required?

7 MR. KENYON: Well, in Chapter 13, we noticed that
8 we didn't have a lot of regulatory authority in that area,
9 and I'll grant that.

10 MR. CARROLL: Not a lot or any?

11 MR. KENYON: What we tried to do in the draft SER
12 is identify areas of suggestions. If you read the SERs, I
13 think we tried to make it clear which areas were suggestions
14 and which areas were things that we thought needed to be
15 met.

16 MR. CARROLL: I didn't see that distinction in the
17 language. It keeps saying this is an open item that must be
18 satisfactorily addressed.

19 MR. KENYON: Jim, do you want to address that.

20 MR. WILSON: Jim Wilson, NRR. I think we
21 identified this as an area that was -- there was no
22 information requirements document, and without prejudging
23 what EPRI might respond or the way they might respond, one
24 response might be this is out of the scope of the
25 requirements document and will be addressed at the design

1 specific stage where it was in some other fashion. But --

2 MR. CARROLL: But you are going to review whether
3 somebody puts intern winding vibration monitoring in a
4 generator? If so, why?

5 MR. KENYON: I guess I'd have to see how we stated
6 the issue. I know that there were a number of items in
7 there that we put in as recommendations.

8 MR. CARROLL: This is an open item that must be
9 satisfactory addressed.

10 MR. KENYON: I can't answer that. Perhaps we can
11 answer that when we discuss Chapter 13.

12 MR. CARROLL: I just picked one, but there's a
13 whole bunch of stuff in here. It seems to me your only
14 involvement historically in turbine generators has been
15 turbine missiles.

16 MR. KENYON: That's probably a fair statement.

17 MR. CARROLL: And this thing just gets into all
18 kinds of stuff that seem to me to be totally outside the
19 purview of the NRC.

20 MR. KENYON: I guess --

21 MR. WILSON: One thing is this is a draft and it's
22 points for discussions, and the final SER may be quite
23 different in character from what the draft was. This is
24 just something to get issues out to the staff and begin the
25 dialogue.

1 MR. WYLIE: Yes, but why do you want to discuss it
2 if it's not germane to your regulatory mission?

3 MR. KENYON: Well, I guess we thought it was
4 appropriate, you know, to provide recommendations to a
5 number of issues. Now, I'm afraid I don't have the right
6 people to discuss the technical issues here. Perhaps the
7 best thing to do is to put this off until we come to the
8 Chapter 13 discussion.

9 MR. CARROLL: All right. You might forewarn them,
10 though, that they better be ready to answer the question,
11 What does this have to do with public health and safety?

12 MR. KENYON: To be quite honest, we had several
13 discussions on what was required and what wasn't.

14 [Slide.]

15 MR. KENYON: This is a slide that I've used in the
16 past regarding the conduct of the staff's review. Really,
17 the main points here I wanted to present is that we tried to
18 do the review of the requirements document of the different
19 levels of information that they've given us.

20 A question was asked regarding how the level of
21 detail issue affects the EPRI requirements document, and the
22 way this is set up is EPRI has determined the level which
23 they wanted to go into. We reviewed it to that level, and
24 unless we recommended otherwise, we generally went to that
25 level of information.

1 The other point that I wanted to present is that
2 the requirements document, as I'm sure you are all aware,
3 does not follow the standard review plan, and so it was kind
4 of a difficult review. But because it didn't follow the
5 standard review plan, we didn't look at this as a
6 completeness review.

7 We asked EPRI and they have provided in their
8 Appendix B to Chapter 1 in their roll-up document to -- they
9 have provided -- identified areas of compliance with the
10 Commission's regulations. We don't look at that as detailed
11 enough to be able to come to the conclusion that -- if they
12 say that they've met all the regulations, we have to review
13 it to see if we agree with them. It is not that easy to
14 determine whether or not -- given the level of detail, it's
15 not that easy to determine that they've met these
16 regulations. That's what's causing us to go back and look
17 at the design certification applications.

18 MR. MICHELSON: I guess what you are saying is
19 that whatever is said in the EPRI requirements document does
20 not in any way bind you when it comes to reviewing a
21 specific application, such as ABWR? Is that what you're
22 saying?

23 MR. KENYON: We are not legally bound to that.

24 MR. MICHELSON: Well, that's the only thing that
25 really counts, doesn't it, on finality? Part 52 talks about

1 finality, but it's a legal document. Now that's the
2 finality I'm talking about.

3 MR. KENYON: Let me discuss that in the next
4 slide. Maybe that will answer your question.

5 MR. WYLIE: Wait a minute, before you leave that
6 one. I think that's a very important point. You say the
7 staff assumed that all regulatory requirements would be met
8 by a design that complied with the EPRI ALWR requirements
9 document except where deviations are identified in the
10 document by EPRI, where the staff identified essential
11 incompatibility in EPRI proposed design requirements and the
12 current regulatory requirements or where the staff
13 identified a possible misinterpretation of regulatory
14 requirements.

15 Now, all this depends on identifying something,
16 right?

17 MR. KENYON: That's correct.

18 MR. WYLIE: And if you don't, the staff then
19 assumes that the requirements are correct.

20 MR. KENYON: No. We're assuming that EPRI has
21 complied with our requirements, and if we've missed it --
22 we're reviewing it to determine whether or not the
23 requirements document conflicts with our regulations. If we
24 haven't identified that it has and we haven't brought it
25 out, we're working under the assumption that they comply

1 with our regulations. But if we do miss it, we expect to be
2 able to pick it up in the design certification review of an
3 actual design.

4 MR. MICHELSON: So, therefore, the EPRI
5 requirements document doesn't really bind you in any way in
6 terms of Part 52, that you do your Part 52 review, and
7 that's where you make your final determinations as to
8 whether you've met regulatory requirements?

9 MR. KENYON: That's correct.

10 MR. MICHELSON: Okay. So this is a for-
11 information-only document, as I see it.

12 MR. KENYON: I'm sorry, what was that?

13 MR. MICHELSON: I say it's a for-information-only
14 type document. In other words, you read it as nice,
15 interesting guidance and so forth, but it isn't a binding
16 document at all.

17 MR. CARROLL: The next page will tell you what
18 they think it is.

19 MR. MICHELSON: Oh, okay. Go ahead, then.

20 MR. WARD: But on the other hand, the utilities
21 are hoping that EPRI has settled some of these issues with
22 the NRC.

23 MR. MICHELSON: Well, that was thought to be the
24 goal.

25 [Slide.]

1 MR. KENYON: That is the goal, and that's the way
2 we've treated it. First off, my first statement is that it
3 has no legal regulatory status. That in some ways has
4 always been a problem in doing the review of this document.

5 The next three items identify the way the staff
6 sees the EPRI requirements document. It serves as a vehicle
7 to get consistent resolution of a number of open issues.
8 It's what I think EPRI calls their regulatory stabilization,
9 where they're trying to get a consistent solution on EPRI
10 and under the assumption that that will be reflected in all
11 of our design certification reviews.

12 MR. MICHELSON: How do I know, in looking at the
13 EPRI document, that the second bullet has been the process
14 by which the statement was reached? In other words, how do
15 I know that there's been a resolution between the staff and
16 EPRI when I read this Revision 1 that I have, or let's say
17 Revision 0 -- well, the roll-up document, whenever it comes?

18 MR. KENYON: It would be identified in the final
19 SER when we complete our review.

20 MR. MICHELSON: If it's not identified in the SER
21 as a problem that was resolved, then I assume it was
22 resolved or I assume that it wasn't even discussed, or how
23 do I know?

24 MR. KENYON: Well, we are assuming that if we have
25 not identified any places of -- any other areas where

1 regulatory --

2 MR. MICHELSON: Okay. Having not identified it,
3 then you're satisfied with the EPRI requirements document,
4 even if you might not have even thought of it. Is that the
5 type of finality it is, or is it -- I can understand that if
6 the document clearly says the staff reviewed this item, this
7 is a resolution, and if it's clearly stated, I have no
8 problem. But a lot of what I read is never clear to me
9 whether it's a one-sided statement or both parties have
10 agreed to it.

11 MR. KENYON: I think the point is that we've tried
12 -- the staff has reviewed the entire document, every review
13 area of responsibility. Reviewers have looked at that
14 document and they've identified where they have been able to
15 or where EPRI conflicted with their regulations. If they
16 didn't identify it, then we're working under the assumption
17 that they are complying with our regulations.

18 Now, as I said before, even though an applicant
19 for design certification comes in and says they complied
20 with the EPRI requirements document, we're going to do our
21 normal review of the application, and if we've missed
22 something on EPRI, we'll identify it.

23 MR. MICHELSON: You are going to independently
24 review it irrespective of the EPRI document, I think you're
25 saying.

1 MR. KENYON: That's correct.

2 MR. MICHELSON: Okay. Then that's fine. Then
3 it's meaningless.

4 MR. KENYON: On the path of plants, we see the
5 EPRI document as being a method of identifying what the
6 major issues are going to be with the design concepts for
7 these passive designs.

8 In addition, as a kind of aside is that it
9 identifies with the utilities' desire to have in their
10 future designs.

11 To go on to the next three slides, it was not
12 intended to demonstrate complete compliance with the
13 Commission's regulations. Although they've made an attempt
14 in their Appendix B to Chapter 1 to identify where they
15 complied with our regulations, we still don't feel that
16 there's enough detail in order to come to feel that we've
17 done a completeness review of that -- to ensure that they've
18 met all of our regulations.

19 MR. MICHELSON: Are those the optimization issues?

20 MR. KENYON: What, Appendix B?

21 MR. MICHELSON: Yes.

22 MR. KENYON: Well, I think optimization issues are
23 identified in there. They also made a listing of all of our
24 Commission's regulations, GDCs.

25 MR. MICHELSON: Maybe the optimization was in

1 Appendix A.

2 MR. TROTTER: The new Appendix B has three parts.
3 The first part is a list of regulations applicable to LWRs,
4 and in its righthand column, it'll say "copy
5 optimization." So it'll identify where it goes.

6 Later on in Appendix B is this set of optimization
7 --

8 MR. MICHELSON: Those are very interesting.
9 Everybody should read those. But I don't know if they were
10 one-sided or whether that's a mutual agreement because it
11 turns out that the staff hasn't even reviewed them yet.

12 MR. KENYON: We are still reviewing them.

13 MR. MICHELSON: But I assume they're the end
14 product of a negotiation, but I'm not sure that the end
15 product is even agreed to. I'm just not clear what I'm
16 reading. But they are nice. They are very interesting, and
17 some of them I wondered if the staff really did agree to.
18 Those are key issues that the committee might be interested
19 in looking at. These are the optimization issues,
20 apparently in Appendix B, Chapter 1.

21 MR. TROTTER: Right. In the Revision 1, it's
22 Appendix B to Chapter 1. It's the second part of Appendix
23 B, I believe.

24 MR. MICHELSON: I think some of those are very
25 interesting.

1 MR. WYLIE: Of the new document.

2 MR. MICHELSON: Of the new document, yes. I don't
3 have the old one. I threw it out.

4 MR. WARD: Well, you're asking what standing they
5 have, though?

6 MR. MICHELSON: Yes. Reading them, it sounded
7 like they were all resolved.

8 MR. WARD: Yes.

9 MR. MICHELSON: But I said, Geez, I can't believe
10 the staff decided it that way. But we'll see.

11 MR. WYLIE: I assume, then, that the staff will
12 review those and --

13 MR. KENYON: The staff is intending to review the
14 roll-up document like we did the original.

15 MR. WYLIE: Okay. And you will comment on those
16 issues.

17 MR. KENYON: And we will issue a final SER on
18 that. We'll talk about this later, but we will be meeting
19 with the committee on the results of our final review, too.

20 To get back to another point that Dr. Michelson
21 was talking about earlier, it's not intended to be used as
22 the basis for supporting the design certification. It is
23 one of those things that if they say that they comply with
24 the EPRI requirements document, that's fine, but the staff
25 is going to continue to do its review to ensure that it does

1 meet the regulations.

2 [Slide.]

3 MR. KENYON: The next slide is a further
4 discussion of the regulatory status and partly explains why
5 we're doing the review. The Commission has directed the
6 staff to give the requirements document for the evolutionary
7 plant equal priority with that of the ABWR and the System
8 80+ reviews.

9 As part of that same SRM that gave that direction,
10 the Commission instructed the staff to compare future
11 designs against the requirements document. So we will have
12 an indication from the vendors as to whether or not they
13 comply with the requirements document.

14 As far as the passive designs are concerned, the
15 Commission instructed the staff to complete the review
16 before submitting the LRB on passive designs to the ACRS.
17 Now, development that occurred after that is the Commission,
18 in a SRM, in a later SRM, said that LRBS for the passive
19 designs were not going to be required. However, the staff
20 is interpreting this directive in that the Commission still
21 wants us to complete our review of the passive requirements
22 document before significant review effort is put onto the
23 actual passive designs.

24 Then on one last note, the Commission has
25 indicated that its major technical and policy issues should

1 be raised in the context of the requirements document, and
2 the staff sees that as its prime goal.

3 MR. WARD: So if I read the third bullet -- I
4 mean, you've given, up above it says equal priority in the
5 evolutionary designs for the requirements document and the
6 submittals for design certification.

7 MR. KENYON: That's correct.

8 MR. WARD: For passive designs, you're giving
9 higher priority or first priority to the requirements
10 document.

11 MR. KENYON: That's correct.

12 MR. WARD: And that's how you're interpreting
13 that? The Commission wants you to get everything settled
14 with EPRI before you plunge into a real review of the
15 submittals?

16 MR. KENYON: That's our current interpretation,
17 yes.

18 MR. MICHELSON: Do you have a schedule yet --

19 MR. WYLIE: Next page.

20 MR. KENYON: Let's go on to the next page.

21 [Slide.]

22 MR. KENYON: The best I can give you right now is
23 the short-term review schedule. I'll talk a little bit more
24 about the future milestones in a minute. As you already
25 know, we've issued eleven of the 14 draft SERs we intended

1 to issue. The draft SERs are review of Chapters 10 and 11,
2 which is the I&C and the electrical systems, are expected to
3 be completed by the end of this month and sent up to the
4 Commission, and a review of Appendix A, which is -- a review
5 on how to do PRA reviews is expected sometime in April.

6 We are focused right now on developing detailed
7 requests for additional information on the passive
8 requirements document, and we expect to be done with that
9 some time in March.

10 We began our review when EPRI submitted the
11 passive requirements document by looking at big ticket
12 issues and trying to identify major issues, and we're in the
13 process of sorting those out right now and preparing a
14 policy paper to be sent up to the Commission.

15 Now we're trying to get into the nuts and bolts of
16 the requirements document and get into a more detailed
17 design review -- I'm sorry -- a more detailed review of the
18 document.

19 MR. WYLIE: Do you plan to use the same procedure
20 on the passive that you did on the evolutionary as far as
21 the issuance of SERs per chapter?

22 MR. KENYON: That's correct.

23 The future milestones that I have listed are based
24 on SECY-90-065, which was issued last year and provided a
25 review schedule. It's currently under reevaluation, and we

1 expect this to slip, but we haven't determined how much yet,
2 and when we find out, we will inform the committee.

3 MR. WYLIE: That draft SER on the passive, that's
4 the final overall SER. Is that right?

5 MR. KENYON: I'm sorry?

6 MR. WYLIE: The passive draft SER, that's the
7 final overall SER, right?

8 MR. KENYON: The passive draft SER would be based
9 on the original version of the passive requirements
10 document.

11 MR. WYLIE: Yes, but you are going to issue one
12 per chapter and then a final overall, right? This is the
13 final overall?

14 MR. KENYON: Well, we would issue one per chapter,
15 and then we would issue one final overall that's a final.

16 MR. WYLIE: That's what this is, this schedule?

17 MR. KENYON: Right. Well, this was the schedule
18 for completing our evolutionary requirements document
19 review.

20 MR. WYLIE: Yes.

21 MR. KENYON: Okay. Obviously, we're not going to
22 meet it --

23 MR. WYLIE: No, I was talking about the passive,
24 though.

25 MR. KENYON: Okay. On the passive, they have

1 submitted the roll-up document -- I'm sorry -- on the
2 passive, they have submitted the original version. We're
3 going to review that and issue 14 draft SERs on the
4 original, and then we're going to go back and review the
5 passive final.

6 MR. WYLIE: Between now and July '91?

7 MR. KENYON: That was the original schedule, yes.
8 Like I said before, I don't think we're going to meet it.

9 MR. MICHELSON: Refresh my memory. Your final SER
10 is to be written before or after the roll-up document on the
11 evolutionary?

12 MR. KENYON: It was supposed to be written after
13 the roll-up document was completed.

14 MR. MICHELSON: After the roll-up document. But
15 we haven't yet received the roll-up document. If I
16 understood EPRI a little while ago, I received Revision 1 of
17 the original document, but it's not purported to be the
18 roll-up document.

19 MR. KENYON: I guess it's a question of semantics.
20 EPRI considers it the roll-up document.

21 MR. MICHELSON: Well, it isn't semantics. It's a
22 question of another revision coming along before your SER, I
23 guess.

24 MR. KENYON: But they will be making additional
25 changes to the document.

1 MR. MICHELSON: Yes. I have no problem there. I
2 was just trying to determine, I will see another revision of
3 the EPRI requirements for evolutionary plants before I see
4 the final SER?

5 MR. KENYON: That's correct.

6 MR. MICHELSON: Okay.

7 MR. KENYON: By the way, there will be a roll-up
8 document for the passive requirements, too.

9 MR. MICHELSON: Yes.

10 MR. KENYON: Our final SER would be based on that.

11 MR. WARD: So you showed us these three dates
12 here, and those were from this last year's SECY.

13 MR. KENYON: That's correct.

14 MR. WARD: And there are new dates, and you don't
15 have any --

16 MR. KENYON: Well, we haven't established the new
17 dates yet.

18 MR. WARD: But they're obviously a lot later than
19 these.

20 MR. KENYON: I expect they will be later. It's
21 just that we haven't determined what they will be yet. Dr.
22 Murley is meeting with EPRI today. He met with GE
23 yesterday. I believe some of the topics will be with regard
24 to these review schedules.

25 [Slide.]

1 MR. KENYON: Many of you may remember this diagram
2 that we created back in early or mid 1990. It comes from
3 SECY-90-065.

4 The reason I put this on the board is I wanted to
5 show the committee what kind of interactions the staff
6 thinks are necessary with the ACRS Committee. If you
7 recall, this diagram was put together based on all the
8 inputs and SRMs that we had received from the Commission.
9 We sent it up to the Commission. This was in the form of
10 SECY-90-065, and the Commission has endorsed it as a review
11 process to follow.

12 The important things I wanted to identify was the
13 ACRS has identified three basic review stages, as it were.
14 The policy issues are identified on either the evolutionary
15 or the passive requirements document, or, for that matter,
16 during our reviews of the design certification reviews. We
17 would identify them to the Commission, to the ACRS, and we
18 would expect to work on a resolution of those issues such as
19 we did in 90-016.

20 MR. MICHELSON: Aren't the optimization issues in
21 that category?

22 MR. KENYON: They should be.

23 MR. MICHELSON: I don't recall --

24 MR. KENYON: I don't know which ones are.

25 MR. MICHELSON: -- ever seeing the first one yet.

1 That was why I was so surprised to read about all of them in
2 the EPRI Revision 1. I don't think the ACRS has ever seen
3 any of these optimization issues come through us. But I'll
4 stand corrected if you can just go back and look, but I
5 don't think we've been getting them. But I've been reading
6 about them.

7 MR. TROTTER: In the original organization of the
8 books, the optimization issues were appendices to a given
9 chapter.

10 MR. MICHELSON: They were in the --

11 MR. TROTTER: So there were several optimization
12 issues on Chapter 5.

13 MR. MICHELSON: But these are resolutions that
14 I've been reading. They appear to be resolutions.

15 MR. TROTTER: I think that's where earlier our
16 earlier discussion on "This is a revision" is more proper.

17 MR. MICHELSON: And they aren't really
18 resolutions, but perhaps postulated resolutions?

19 MR. KENYON: They are EPRI proposed resolutions.

20 MR. TROTTER: It's where the utility group has
21 proposed resolutions to these problems.

22 MR. MICHELSON: Okay. And the staff has yet to
23 look at them.

24 MR. TROTTER: The staff has yet to endorse them.

25 MR. MICHELSON: Okay. So when the staff looks at

1 these optimization issues, then we'll start seeing them
2 floating toward us. Is that it?

3 MR. KENYON: Well, I think it's fair to say that
4 some of the optimization issues have already been addressed.

5 MR. MICHELSON: Well, is it fair to say the --

6 MR. KENYON: Not most of them.

7 MR. MICHELSON: -- ACRS ever saw any of them?
8 Perhaps they have and I just didn't recognize it.

9 MR. KENYON: Well, they either showed up in the
10 draft SERs or perhaps in SECY-90-016. I'm not sure which.

11 MR. MICHELSON: Well, I'm thinking beyond SECY-90-
12 016. Those particular issues, yes, we've seen. We were
13 intimately involved in them. But beyond that, I'm trying to
14 find any of these other issues that are in that optimization
15 set.

16 MR. KENYON: Well, as John said, John Trotter
17 said, the optimization issues were identified in different
18 chapters, primarily in Chapter 5, and they were addressed in
19 those draft SERs.

20 MR. MICHELSON: well, somehow from your flow
21 diagram, I got the impression that when an optimization
22 issue came up, it was because it was a very important issue,
23 it needed a lot of thought and resolution, and that we would
24 see each of those individually, not drifting in through an
25 SER where they are mentioned or something like that.

1 MR. SHEWMON: May I get into this for a minute?

2 MR. MICHELSON: Yes.

3 MR. SHEWMON: I'd be interested in a definition of
4 an optimization issue. The only time I saw one had to do
5 with hydrogen, and there, I got the impression that an
6 optimization issue was one where the probability was low
7 enough to be below ten to the minus five or something, and
8 therefore you could use different criteria with regard to
9 its resolution. It was imaginable, but still very
10 improbable. Did I misunderstand that? Did that only apply
11 to hydrogen, or what is the definition?

12 MR. TROTTER: Our most straightforward definition
13 of optimization issue is one where we think there is an
14 alternative to current regulation, and we would like to
15 pursue that alternative to current regulation.

16 MR. CARROLL: Source term would be a good example.

17 MR. TROTTER: I think I can name them. Source
18 term, source term hydrogen, OBE/SSE. No, I can't name them
19 right now. But there are ten or eleven, I believe.

20 MR. SHEWMON: These are items where you want to
21 find the optimum way to get them below some probability.

22 MR. TROTTER: It's ones where we feel that based
23 on the plants described by the ALWR requirements that we
24 think it's appropriate to have a change in the regulation or
25 the guidance.

1 MR. MICHELSON: It's a change in regulation.
2 That's pretty important.

3 MR. WYLIE: Okay. Let's proceed. We have to be
4 through by twelve.

5 [Laughter.]"

6 MR. KENYON: As I said earlier, the ACRS was
7 identified in three areas. One in policy issue discussions,
8 one, they were identified to be involved after the draft
9 SERs are issued, and they were also identified to be
10 involved in the review of the final SER and the final roll-
11 up requirements document.

12 As a result of that, the staff feels that there
13 are a large number of meetings that will have to take place
14 in order to complete a review of the requirements document.
15 First, of course, there will be meetings put together, as we
16 did in 90-016, to talk about resolution of any policy issues
17 that are identified.

18 To give you an example of some that may be coming
19 up, we expect to have three or four coming out of our
20 reviews of Chapter 10 and 11 on I&C and electrical systems.

21 We're in the process, as I said earlier, trying to
22 identify what we consider the major policy issues on the
23 passive requirements document. We'll be putting together a
24 SECY paper shortly and be sending that both to the
25 Commission and to the ACRS.

1 The larger number of meetings that we expect to
2 have are going to be meetings that will have to take -- that
3 need to take place in order to just complete review of the
4 requirements document.

5 We expect to be -- we just issued six draft SERs
6 and we expect to issue the remaining three within the next
7 several months. We will need to meet with the subcommittees
8 a number of times to discuss these issues.

9 We already have one set up for February 12th,
10 where we will meet with the subcommittee to talk about
11 Chapters 6 and nine. Six is --

12 MR. MICHELSON: Are you referring now to the
13 Volume II evolutionary?

14 MR. KENYON: Volume II is EPRI's designation of
15 what they call the Evolutionary Requirements Document.
16 Volume III is the 13 chapters set for the passive.

17 MR. MICHELSON: Okay.

18 MR. KENYON: So we expect to be meeting in the
19 next several months to talk about the contents of the
20 requirements document and then the results of the staff's
21 review.

22 In addition to that, once EPRI addresses our
23 concerns in all of our SERs, we'll be producing the final
24 SER, and we will have to discuss all 13 chapters, plus the
25 two appendices to discuss the final resolutions. Then we

1 have to go through the same process over again on the
2 passive requirements document.

3 [Slide.]

4 MR. KENYON: In conclusion, I think the basic
5 point I wanted to make was that there's a lot of work ahead
6 of us for all of us to complete our review of the
7 requirements document.

8 Are there any other questions?

9 MR. MICHELSON: Do you intend to -- you know, you
10 are going to write these SERs and so forth. Are you going
11 to write any kind of a letter transmitting or enforcing or
12 whatever you do to the EPRI requirements document? Are you
13 going to write a letter that says what the document is
14 really good for in the regulatory sense, or how does one
15 then know, after you write all these SERs, what your final
16 conclusion is about the usefulness of the EPRI document and
17 when it can be used in a regulatory arena?

18 MR. KENYON: I believe that was discussed in the
19 draft SERs and you'll find it in the file. Our end product
20 is a final SER talking about the final --

21 MR. MICHELSON: Of course, I haven't seen your
22 final SER. I've seen the draft SERs, but I haven't seen the
23 final yet. You won't approve the EPRI requirements
24 document, I guess, since you've already said that it has a
25 very limited usage, there's no finality to it. So what do

1 you do? Do you just say, This looks like a good document?

2 MR. KENYON: If there are any remaining open
3 issues, we'll identify the remaining open issues that we're
4 aware of and we'll -- we're going to review it to determine
5 if it conflicts with our regulations, and that's it.

6 MR. MICHELSON: Okay. Now, when we come to ABWR,
7 we don't even reference the EPRI requirements document, I
8 guess.

9 MR. KENYON: Well, only in that GE and CE and
10 Westinghouse will be providing an evaluation of where they
11 comply or don't comply with the requirements document.

12 MR. MICHELSON: But are reviews of the ABWRs
13 totally based on the ABWR submittal per se?

14 MR. KENYON: That's correct. That's a stand-alone
15 document.

16 MR. WYLIE: Let's take the hypothetical case where
17 one comes in and says, "Okay, we comply with the EPRI
18 document." Then what would be the status with the staff on
19 that?

20 MR. KENYON: It's additional information that
21 gives us that warm feeling that they've complied with the
22 regulations, but we're still going to review it to make sure
23 that it does.

24 MR. MICHELSON: And if it doesn't for any reason,
25 you're in no way bound by whatever you might have written in

1 a letter about the EPRI requirements document.

2 MR. KENYON: Well, if we identify areas that were
3 missed, then obviously we will fix it in the actual design
4 certification.

5 MR. MICHELSON: But I mean there's no binding
6 agreement that if you did what the EPRI requirements
7 document said, you're okay?

8 MR. KENYON: Not any legal binding agreement.

9 MR. MICHELSON: Yes.

10 MR. WYLIE: I'll ask Mr. Trotter if he has any
11 comments he'd like to make.

12 MR. TROTTER: Earlier this week, there were a
13 couple of questions asked, and since I'm in the overtime
14 period here, I'll try to make it brief, one of which was on
15 the utility use of the requirement, which is really what the
16 document was written for, was for utilities.

17 A point that we would like to make is that the
18 degree of use of the requirement depends to a degree on the
19 quality of the regulatory review and how much of the
20 Commission positions get reflected in their SER. I think
21 that's important, that if the quality of the review and the
22 quality of the SER is high, then we would expect the
23 requirements document to be more useful.

24 It was designed to be part of a procurement spec.
25 That was always its intention from the beginning. There

1 have been a couple of international cases where they have
2 taken our requirements document and modified it for their
3 conditions and, in fact, used it in bid specs.

4 The ideal case -- which I don't think we have any
5 ideal, cases, but the passive plant is closer -- the ideal
6 case is where the design follows the requirement in time so
7 that the designer has the best possibility idea of what
8 staff positions are on issues.

9 Now, I have to go along with what Tom said -- it's
10 not a legally binding document. We don't have a role in 10
11 CFR.

12 The corollary to this question was, you know, What
13 do I think the NRC believes the requirement document should
14 be, and my first caveat is to most certainly say that I
15 consciously avoid the business of telling other people how
16 they should run their shop, and I think that's one of those
17 questions.

18 However, having said that, I think there are
19 several possible uses that the staff can make of their SER,
20 and that includes closure or a clear statement of what are
21 acceptable positions on issues, on specific issues, a clear
22 identification.

23 Certainly, in the Commission SRM on a passive
24 plant, they used the term the closure or resolution of open
25 issues. I want to make sure that that maintains part of the

1 process, not just to identify issues but to close them as
2 well.

3 There are a number of NRC positions which have not
4 been updated in a long time. Adherence to, you know, codes
5 and standards have moved along, and sometimes the NRC
6 endorsement of that has not. We would think this would be
7 one place to get the NRC to write in whatever form is
8 appropriate, you know, their endorsement of new technology,
9 new standards, and get that in the SER, in their SER. It's
10 their document; they can write that.

11 MR. SHEWMON: Does your document call out those
12 things that you think need to be updated or would profit
13 from updating?

14 MR. TROTTER: We list in a couple of places the
15 codes and standards which we believe are the current ones
16 that a plant should be built to today, and they're listed
17 with revision numbers. We did not consciously go back and
18 say, Okay, this one has been NRC endorsed, this one has not
19 been. But they are listed.

20 Overall, I think the advantage of using the
21 requirements document SER as a method to standardize versus
22 using the one-plant-at-a-time approach that we historically
23 had, I think there are all the advantages of standardization
24 that people have talked about. So addressing things at the
25 requirement stage and making all the vendors aware of those

1 requirements has a tremendous impact on standardization.

2 MR. WYLIE: Mr. Kenyon thank you very much.

3 MR. CARROLL: There was one issue that came up
4 earlier that maybe John might want to comment on. It was
5 certainly news to me.

6 That is the so-called Phase III program, where,
7 after these requirements have been reviewed and approved by
8 the Commissioner, negotiated with the Commissioner,
9 whatever, as I understood it, teams from EPRI will then go
10 and visit the vendors who are designing these plants and do
11 evaluations to establish that General Electric indeed meets
12 all of the requirements, for example, that are in the
13 requirements document with respect to digital reactor
14 protection systems and feed that back to the Utility
15 Steering Committee, which sort of puts them in a kind of an
16 NRC or INPO or whoever role.

17 MR. TROTTER: I think it puts us more in the role
18 of utility representative. In the old days, when somebody
19 brought a plant, they quite often would have their own
20 engineers go out and do that did-you-meet-my-bid-spec sort
21 of work.

22 In this case, where much of the design is going to
23 get finished before there is a purchase order, we are
24 performing that function, certainly not substituting for any
25 sort of regulatory review.

1 MR. CARROLL: I just thought it was an interesting
2 thing that came up.

3 MR. WARD: Charlie, one point. The meeting next
4 week on the 12th is to review the SERs for these new
5 chapters and the old. Do you have any thoughts about
6 whether the ACRS should be doing that now or not?

7 MR. WYLIE: Well, it would be helpful to see how
8 they review the roll-up document when we have that meeting.
9 We can review this, but it seems like to me we're going to
10 have to review what comes out of the roll-up document
11 reviews. Maybe we need to talk about that further.

12 MR. WARD: Okay. Before the end of this --

13 MR. MICHELSON: Which chapters are we going to
14 cover?

15 MR. WARD: Six and nine.

16 MR. MICHELSON: Six and nine are the only ones I
17 thought we really were going to cover in that meeting. The
18 advantage of having that meeting, of course, is we can get a
19 better appreciation for what the quality of the SERs are and
20 so forth in case there's any feedback, or we can just wait
21 until the SER on the roll-up comes through. Of course, by
22 that time, we'll have the roll-up to read as well. The SER
23 comes after the roll-ups, the final SER.

24 MR. WARD: We'll have the EPRI document.

25 MR. MICHELSON: Yes. If we're talking about

1 reviewing only the final SER, then we will certainly have
2 gotten the real roll-up and be talking about one document
3 again instead of two documents.

4 MR. WYLIE: Why don't we talk about this further?

5 MR. CARROLL: One additional comment for Tom. I
6 did sort of skim Chapters 6 through 13, and you need a good
7 proofreader. There are a lot of typos and misspellings, and
8 it's not up to the normal NRC quality for these kind of
9 things.

10 MR. CATTON: They haven't run it through
11 Grammatical 4 in the spell-checker yet.

12 MR. CARROLL: I don't know what they haven't done,
13 but I found quite a few problems.

14 MR. WARD: Okay. Let's break for lunch and come
15 back at 1:10 p.m.

16 [Whereupon, the meeting recessed for lunch, to
17 reconvene this same day at 1:10 p.m.]

18

19

20

21

22

23

24

25

1 A F T E R N O O N S E S S I O N

2 [2:34 p.m.]

3 MR. KERR: By the powers vested in me by David
4 Ward, if Paul doesn't show up, I'm supposed to start the
5 meeting. So I am hereby starting the meeting.

6 MR. CARROLL: Are you going to turn it over to the
7 subcommittee chairman?

8 MR. KERR: I'm going to turn it over to the
9 subcommittee chairman to consider implementation of
10 Regulatory Guide 1.97 and the material associated with this
11 is in 5.1.

12 Those of you who have been around a long time will
13 recall that this is a topic that has been discussed at
14 considerable length even before TMI-2, but given original
15 impetus by TMI-2.

16 We recently expressed some interest in learning
17 about the current status of implementation of the regulatory
18 guide, and the purpose of the meeting this afternoon is to
19 hear as much of that information as the staff can provide
20 us, and also to discuss a specific difference of opinion
21 that exists now between the staff and the PWR Owners Group.

22 Without taking up any more time, because we really
23 want to find out what's going on -- I'm not sure who is
24 going to tell us.

25 MR. CATTON: Which tab was it?

1 MR. KERR: Five.

2 MR. WILKINS: Mr. Chairman, let me ask a question.
3 I noticed there is reference to the existence of
4 commercially available monitors. Now, that did not exist
5 before, and I have a personal reason for asking who are the
6 manufacturers.

7 MR. MARINOS: I will defer this to the individual
8 that will give the formal presentation, if I may.

9 MR. WILKINS: Who are the manufacturers of
10 commercially available equipment? I need to know because I
11 may have a conflict of interest and I need to resolve it.

12 MR. JOYCE: What monitors?

13 MR. WILKINS: The ones that are talked about that
14 BNW doesn't want to use and that you say they exist.

15 MR. JOYCE: I'm Joe Joyce with the Instrumentation
16 and Control Systems Branch. If the question could be more
17 specific, we could answer it.

18 MR. CARROLL: Tell who the vendor is that you're
19 concerned about.

20 MR. JOYCE: Neutron flux. There were several
21 variables, and I didn't know which one you were concerned
22 with. General Electric and Gamma Metrics.

23 MR. WILKINS: Thank you. We won't be going into
24 the details of neutron flux, anyway. Thank you.

25 MR. MARINOS: My name is Angelo Marinos. I am a

1 section chief in the Instrumentation and Control System
2 Branch in the Division of System Technology in NRR.

3 As of last November of '90, I was assigned the
4 technical oversight responsibility for the implementation of
5 Regulatory Guide 1.9, and at the same time, of course, the
6 individual that has been doing the review of this
7 implementation, Barry Marcus, has been transferred to my
8 section, where he, at the request of the committee, will
9 give a status of this implementation of Regulation 1.97.

10 We did not have any specific guidance about
11 technical implementation of specific items of the guide, but
12 we will try to address any questions you have as we go
13 along, and Barry will take over in our presentation.

14 Along with Barry, Joe Joyce is here with us, who
15 had the previous technical oversight responsibility with the
16 branch, and he's here to help us as Barry gives his
17 presentation.

18 [Slide.]

19 MR. MARCUS: I am Barry Marcus of the
20 Instrumentation and Control Systems Branch of NRR.
21 Regulatory Guide 1.97, which is entitled "Instrumentation
22 for Lightwater Cooled Nuclear Power Plants to Assess Plant
23 and Environment Conditions During and After an Accident."
24 It's also referred to as "Post Accident Monitoring
25 Instrumentation," or "PAM Instrumentation."

1 [Slide.]

2 MR. MARCUS: As Mr. Marinos has just stated, we're
3 prepared to discuss the status of implementation today. Reg
4 Guide 1.97 provides an acceptable method of providing
5 instrumentation to monitor a plant during and after an
6 accident.

7 [Slide.]

8 MR. MARCUS: As a result of the accident at Three
9 Mile Island, Revision 2 of Reg Guide 1.97 was issued in
10 December, 1989. NUREG 0737, Supplement 1, provided
11 requirements for safety parameter display systems, detailed
12 control room design reviews, upgrading emergency operating
13 procedures, emergency response facilities, and Regulatory
14 Guide 197.

15 This document also required that licensees and
16 applicants submit proposed schedules for implementation of
17 Regulatory Guide 1.97. In May of 1985, the NRC issued
18 confirmatory orders concerning those implementation
19 schedules.

20 Reg Guide 1.97 consists of approximately 70
21 different variables that are a combination of different
22 types and categories that are called out in the regulatory
23 guide.

24 MR. KERR: Excuse me.

25 MR. MARCUS: Yes?

1 MR. KERR: Would you put that slide back on?

2 MR. MARCUS: Okay.

3 MR. KERR: So the confirmatory order was for
4 licensees and applicants to implement schedules, and the
5 schedules were schedules for what?

6 MR. MARCUS: These are the schedules for when the
7 licensees planned to implement the regulatory guide.

8 MR. KERR: Now, since a regulatory guide is not a
9 regulation, did the Commission require that all licensees
10 conform to a regulatory guide?

11 MR. MARCUS: NUREG-0737, Supplement 1, which was
12 issued by Generic Letter -- was it 87-23 -- I think that was
13 the number -- required -- 82-33 -- excuse me -- okay --
14 required the licensees to tell how they planned on meeting
15 the recommendations of the reg guide.

16 MR. KERR: But suppose they chose not to meet the
17 recommendations of a reg guide. What?

18 MR. MARCUS: Joe, can you --

19 MR. JOYCE: Yes, I'll help with that. Going back
20 to the first question about the schedules, back in '83, when
21 NUREG-0737, Supplement 1, was issued, because there was more
22 than one item in that particular NUREG and we did not have a
23 handle on the living schedule at the time, and we told
24 licensees and utilities to implement Reg Guide 1.97, but do
25 not implement it in a vacuum, take into consideration the

1 other ingredients in the NUREG, such as control and design
2 review, SPDS and the other items, and come back in to the
3 staff and negotiate your dates with the project manager that
4 will fit in the overall schedule and the scheme of things,
5 at that time, once you submitted schedules to the individual
6 project managers and they had been worked out and agreed
7 upon, then at that time, the project manager would issue
8 confirmatory orders on each plant.

9 Second question: --

10 MR. KERR: The first question really was how can
11 you tell applicants to implement a regulatory guide since it
12 is not a regulation, it's not a requirement.

13 MR. JOYCE: I'm sorry, how could you what?

14 MR. KERR: How did a regulatory guide become
15 something that you could tell a licensee to implement since
16 it isn't a regulation?

17 MR. JOYCE: That's true. It is not a regulation.
18 All reg guides are just that, they are just guidance. At
19 the time, like I said, that the NUREG went out and the
20 generic letter, management decided at the best way to get
21 this implemented was to go off and put confirmatory orders
22 on each licensee that committed -- they've already made a
23 commitment -- to do the implementation of 1.97.

24 MR. KERR: Okay. So you didn't tell them to
25 implement it. They voluntarily said, We will implement it.

1 MR. JOYCE: That is correct.

2 MR. CATTON: And then you ordered them to?

3 MR. KERR: Ordered them to provide a schedule.

4 MR. JOYCE: The schedules. We sent confirmatory
5 orders out on the schedule. Then came the review process,
6 where we went into the exceptions and deviations that Barry
7 will get into. As you know, well know, it's the prerogative
8 of the user of a regulatory guide to take exceptions and
9 deviations, and that he did, and what was what our review
10 process was about.

11 MR. KERR: One of the reasons I ask this question
12 is because in a document which was provided to us by our own
13 staff, this is an SER, I guess, on the BWROG Licensing
14 Topical Report, NEDO-31558, and one of the reasons given for
15 rejecting this proposal by the applicants was that they
16 don't meet the requirements of Reg Guide 1.97.

17 It seems to me that unless someone -- I mean,
18 maybe all the owners' group committed to 1.97, committed to
19 that, but unless they had, I didn't see that as a very
20 strong reason for turning down the range required of the
21 neutron monitors.

22 MR. JOYCE: You are correct with respect to the
23 regulation. Reg guides are reg guides, and there's nothing
24 more to be said about it. With respect to neutron flux
25 monitoring, you are referring to the BWR owners group and

1 the one that is on appeal at the office director level?

2 MR. KERR: Yes.

3 MR. JOYCE: Okay. That particular issue is still
4 under consideration by Dr. Murley, and we did not come down
5 today to discuss the details of that, but we can give you
6 some background as to what led up to --

7 MR. KERR: I was just trying to understand the
8 basis on which that was a significant influence in your
9 decision to reject the owners group.

10 MR. JOYCE: We rejected the owners group submittal
11 on technical content, both of the reg guide and of their
12 submittal, technical content being the criteria for a
13 Category 1 variable with respect to environmental
14 qualification of range and power supply.

15 MR. KERR: As I read it, the lack of range, they
16 apparently proposed one percent and the reg guide requires
17 ten to the minus six --

18 MR. JOYCE: To 100 percent.

19 MR. KERR: -- to 100 percent.

20 MR. JOYCE: Yes. That's correct.

21 MR. KERR: One of the reasons for rejecting it is
22 that so-called reg guide requirement.

23 MR. JOYCE: That's correct. That was one of the
24 reasons.

25 MR. KERR: Yes.

1 MR. JOYCE: Yes.

2 MR. KERR: Now, does that mean, then, that all the
3 BWR owners group people had previously committed to 1.97?

4 MR. JOYCE: Does that mean what?

5 MR. KERR: Does that imply that all of the BWR
6 owners group members previously committed to 1.97?

7 MR. JOYCE: What they previously committed to was
8 to a schedule to implement Reg Guide 1.97. What has to take
9 place after they have committed to the schedule was to go in
10 and address the exceptions and deviations that each
11 individual licensee took with respect to 1.97 variable by
12 variable.

13 For example, Barry will probably mention about if
14 a licensee came in and said that they conformed to Reg Guide
15 1.97 in its entirety, then in that case, there was not a
16 staff SER. We did not do a review. It was the way the
17 review process was set up when we started this review.

18 MR. KERR: Your discussion of the range of a
19 neutron monitor didn't really give any technical
20 justification, it seemed to me. It just simply said, We
21 won't accept this because it doesn't conform to Reg Guide
22 1.97.

23 MR. JOYCE: And which one are you reading from?
24 There was one where we had a technical discussion.

25 MR. KERR: I'm reading from the safety evaluation

1 report, BWR OG Licensing Topical Report, NEDO-31558.

2 MR. JOYCE: Okay. You're correct. The technical
3 discussions are not in this one, and those technical
4 discussions are in the package that Dr. Murley had that came
5 from Reactor Systems Branch of why range and why EQ and why
6 battery were rejected by the staff.

7 I guess once the decision is made with respect to
8 the acceptability of the owners group proposal or the
9 rejection of it, I think at that time it will be
10 appropriate, if you'd like, for us to come back down and
11 brief you on the technical content of that issue.

12 MR. KERR: Well, I was trying to understand -- I
13 was getting mixed up between requirements and the regulatory
14 guides, and I wanted to make sure I understood the current
15 status of 1.97. It hasn't become a regulation.

16 MR. JOYCE: No. I wish it had, but it hasn't
17 been. We've been wrestling with that one since 1983. But
18 it stands as a reg guide, as any other reg guide, and it
19 carries the same --

20 MR. KERR: Thank you. Please proceed, Mr. Marcus.

21 MR. MARCUS: A point of clarification on your
22 question about licensees' commitments to meeting the reg
23 guide. Not all licensees have committed to meet the reg
24 guide on neutron flux. Some did. Some have not. I don't
25 have a handle on the numbers.

1 [Slide.]

2 MR. MARCUS: As was stated before, the NUREG-0737
3 Supplement 1 required licensees and applicants to report on
4 how they met the guide or planned to meet the guide. It
5 also stated that deviations should be shown, along with
6 justifications or alternatives.

7 If a licensee or applicant stated that it
8 conformed to the guide, no further review was necessary.
9 The review only looked at the exceptions and deviations
10 taken to the guide.

11 [Slide.]

12 MR. MARCUS: The review approach was the same for
13 operating reactors, operating license applicants, and
14 construction permit applicants. We had a contractor help us
15 in the review by issuing a technical evaluation report for
16 each plant. An NRC review was not a prerequisite for
17 implementation of the guide. The staff has issued SERs
18 based on installed instruments and commitments for future
19 installations.

20 [Slide.]

21 MR. MARCUS: A hundred and twenty units have been
22 reviewed. This includes some plants where the review was
23 complete and the plant was cancelled after that.

24 Reviews have been completed for 118 plants. In
25 addition, we have issued 29 supplemental safety evaluation

1 reports. Work is continuing on eleven additional
2 supplemental evaluation report requests.

3 [Slide.]

4 MR. MARCUS: Inspections have been performed in
5 accordance with a temporary instructions. The regions are
6 responsible for performing these inspections. NRR has
7 assisted in the performance of a number of these
8 inspections.

9 The inspections consist of an audit of Type A,
10 Category 1 and selective Category 2 variables. Eighty-nine
11 units have been inspected so far. Most have conformed to
12 the temporary instruction, with only a few deviations found.

13 The current schedule is for all plants to be
14 inspected by the end of Fiscal Year 1991.

15 MR. KERR: Excuse me. The inspections were in
16 accordance with Temporary Instruction 2515/87. Does that
17 mean it was promulgated in 1987?

18 MR. MARCUS: The temporary instruction was
19 promulgated in '87 and it was revised in 1990. There were
20 some minor revisions. Eighty-seven is when the first
21 inspections took place.

22 MR. KERR: Is it still temporary?

23 MR. MARCUS: It still has the "Temporary
24 Instruction" title.

25 MR. KERR: How long will it be temporary?

1 MR. CARROLL: Doesn't that mean an ad hoc?

2 MR. KERR: I don't know what it means.

3 MR. JOYCE: Joe Joyce, Instrumentation Branch. To
4 my knowledge, it remains temporary for the life of it. It's
5 a document that goes out in the region. It's called
6 "Temporary Instruction." It may some day turn into a fixed
7 document or a file or something, but to my knowledge --

8 MR. HANNON: Joe, I can help with that.

9 MR. JOYCE: Go ahead.

10 MR. HANNON: This is John Hannon, Project
11 Director. The term "temporary instruction" is meant to
12 indicate that it's a one-time-only. So as soon as it's been
13 done at all the plants, it will effectively be deleted.

14 MR. LEWIS: Things could be worse. It could be
15 1887.

16 MR. MARCUS: Twenty-units have fully implemented
17 the reg guide. Of those that are not implemented, 53 are
18 related to generic issues. The next slide is the subject of
19 the generic issues. Thirty-nine of those units not
20 implemented are related to either generic issues and plant
21 specific issues or plant specific issues only. In other
22 words, if the generic issues were resolved, only 39 plants
23 would not be fully implemented.

24 MR. WILKINS: Your count doesn't add up, does it?

25 MR. MARCUS: Well, it may be off by one or two.

1 MR. WILKINS: What was the total number?

2 MR. MARCUS: I came up with 114.

3 MR. WILKINS: This adds up to 114.

4 MR. MARCUS: Okay. Well, we have --

5 MR. WILKINS: It's not important.

6 MR. MARCUS: Well, we have reviewed some plants
7 that were not -- construction were not finished or have
8 closed down. That's why we did more reviews than there are
9 active plants.

10 The BWR generic issue is post-accident monitoring
11 and post-accident neutron flux monitoring. Reg Guide 1.97
12 recommends that this instrumentation meet the Category 1
13 criteria of Reg Guide 1.87.

14 Neutron flux monitoring instrumentation that met
15 this criteria did not exist when the reg guide was issued,
16 and it was an industry development item at that time. Until
17 this instrumentation became available, the staff allowed
18 operation on an interim basis with the existing
19 instrumentation.

20 [Slide.]

21 MR. MARCUS: The owners group submitted a
22 deviation request which was rejected based on environmental
23 qualification, seismic qualification, range and power supply
24 issues. The owners group has appealed the staff's position
25 to the director of NRR. Dr. Murley is in the process of

1 reviewing this appeal. You know, if you desire further
2 information, we can set up a time to come down after Dr.
3 Murley rules on that.

4 MR. KERR: Okay. Thank you.

5 MR. CARROLL: Could you at least tell us what the
6 controversy is?

7 MR. MARCUS: Joe?

8 MR. JOYCE: Joe Joyce, Instrumentation Branch.

9 The controversy were the four bullets that Barry mentioned.
10 The first one was with range. The regulatory guide requires
11 that the range for neutron flux monitoring to be from ten to
12 the minus six to 100 percent of full power. This particular
13 piece of instrumentation should be environment qualified in
14 accordance with 10 CFR 50.49. It should also be seismically
15 qualified, and it should be tied to a Class 1E power supply.

16 Those were the three issues -- those were the four
17 issues. I believe they decided they wanted just ten to the
18 minus second to 100 percent. They were taking issue with
19 the EQ because of present equipment. The drive motors and
20 the cables were not environment qualified.

21 Class 1E power supply -- that was only an issue on
22 some plants, not all. Seismic was an issue. I'm not sure
23 how tough of an issue it was because early on in this review
24 effort, when we went around to the regions and talked to
25 each of the regions and all the utilities about the

1 implementation of Reg Guide 1.97, we stated that the
2 instrumentation that was going into Reg Guide 1.97 with
3 respect to seismic qualification only had to meet the
4 seismic qualification program at the time of licensing. So
5 there are a few BWRs that took issue with the seismic. I
6 don't have the detail on them.

7 MR. KERR: Thank you.

8 MR. JOYCE: You're welcome.

9 [Slide.]

10 MR. MARCUS: The PWR generic issues deal with
11 containment sump water temperature, accumulator tank level
12 and pressure. The regulatory guide recommends that these
13 instruments meet the Category 2 criteria of Reg Guide 1.97.

14 The majority of the plants took issue with the
15 Category 2 classification for these variables. Since a
16 majority of the plants raised this issue, the staff is
17 reviewing it on a generic basis.

18 MR. KERR: What was the difficulty?

19 MR. MARCUS: Most of the installed instrumentation
20 did not meet environmental qualification requirements, and
21 some of them don't meet the power supply recommendations of
22 the reg guide.

23 MR. JOYCE: Joe Joyce, Instrumentation. The only
24 other point I can add to that was that there were some
25 strong arguments that made sense to a lot of the staff

1 members that, particularly with respect to accumulator tank
2 level and pressure, that they are passive systems, and there
3 were some strong arguments that once the conditions are
4 correct, they dumped what they had to do, and it was over,
5 you know, within a matter of minutes, and what else did you
6 want to know with respect to range and pressure?

7 MR. KERR: Thank you.

8 MR. MARCUS: That is the conclusion of --

9 MR. CARROLL: What is the answer to that question?

10 MR. JOYCE: The answer to that question, as I
11 said, it was convincing enough for a lot of the staff
12 members, and we said, Yes, why should we go off accepting a
13 deviation on a plant-by-plant basis? The majority of these
14 are asking for it. Let's do it generically.

15 The only thing that has to happen now is the staff
16 has to get together, write up the position, write an SER on
17 it, got to CRGR on it. It will be a relaxation, and part of
18 the CRGR charter for relaxations are other interpretations
19 of reg guides. So we'll probably put together something on
20 this, I suspect, sometime in the near future. It's been on
21 our list for at least a couple of years now.

22 MR. MARCUS: Since 1987, the SERs that have gone
23 out on these two issues have basically stated that the staff
24 is, you know, in the process of generically reviewing it.
25 So the net result is the licensees did not have to do

1 anything. They just basically sit back and wait for the NRC
2 to act on those issues.

3 MR. WILKINS: That's why they're not pushing you
4 to get it finished.

5 MR. MARCUS: Actually, some of them are,
6 surprisingly. That's the end of the prepared text.

7 MR. CARROLL: I remember a few years ago, when I
8 last was involved with this reg guide, that there was a big
9 problem with containment gamma monitoring and finding an
10 environmentally qualified gamma monitor. Has that all gone
11 away?

12 MR. MARCUS: I don't remember anything on that.
13 Do you, Joe?

14 MR. JOYCE: I do not remember anything on a
15 containment gamma monitoring. We have containment
16 radiation. That's the one that was up on the dome. It was
17 high level. Yes, that eventually became environmentally
18 qualified. That is no longer an issue.

19 MR. CARROLL: And when this reg guide first came
20 out, was it an ash issue?

21 MR. JOYCE: Range was a big factor in the EQ
22 aspect because it was a lot -- temperature, etcetera was --
23 but that -- to my knowledge, we haven't seen too many
24 deviations of that.

25 Surprisingly enough, when you look at the number

1 size plants, 120 plants and 70 variables, you generate a
2 large matrix. So when you start looking at individual
3 deviations -- and we've been keeping track. We have a
4 pretty good track record and documentation of what plants
5 took what deviations for what reasons. That's how we picked
6 up on the accumulator tank level and pressure.

7 It may look like it was generic. We stopped doing
8 that on a one-to-one basis and decided to handle it
9 generically. The one that you mentioned, I do not recall it
10 being a problem in the last four or five years.

11 MR. CARROLL: I guess people just went on and did
12 it.

13 MR. JOYCE: Yes, similar to the neutron flux
14 monitoring.

15 MR. KERR: In the course of accident management
16 studies which are now underway, are the people who are doing
17 that research looking at Reg Guide 1.97 or anything similar
18 to see whether instrumentation that might be needed during
19 an accident management strategy exists or will exist when
20 1.97 is implemented?

21 MR. MARCUS: Can you address that, Joe?

22 MR. JOYCE: Sure. I've talked to a number of
23 people that were doing severe accidents, and we scanned 1.97
24 -- not scanned -- we looked at it, because when you look at
25 1.97, you know, it says it's for accident during and

1 following -- for instrumentation during and following an
2 accident. There are some variables in it that really are
3 severe accidents when you look at the temperatures and the
4 pressures and the qualification of them. So we specifically
5 looked at what variables already could probably meet perhaps
6 what the severe accidents requirements are going to be.

7 The answer to your question is, yes, we have
8 looked at some of it, but we certainly have not made any
9 determination or conclusion that when we go off and the
10 severe accident scenario is over with, that Reg Guide 1.97
11 in its entirety will already take care of those conditions.
12 The answer is no to that because there are --

13 MR. KERR: I didn't mean whether it would take
14 care of it, but rather to see whether changes in the
15 requirement would be desirable as one looks in more detail
16 at accident management strategies.

17 MR. JOYCE: I suspect that changes are going to
18 have to take place in the Reg Guide 1.97 for the severe
19 accident scenarios.

20 MR. KERR: Do you have any guess as to when some
21 significant majority of the plants -- say 90 percent -- will
22 have implemented 1.97?

23 MR. MARCUS: John?

24 MR. HANNON: John Hannon aka . . . , Project Director.
25 I've only done a small sample. Of the plants that I talked

1 to -- again, it was a small sample -- about seven facilities
2 -- most of them are already essentially complete. One of
3 them has tied the wide range steam generator instrumentation
4 to the change out of the steam generators, which is not
5 scheduled for another five years. So there are some
6 outliers on some of the variables that might go out in time
7 if we're going to accept that kind of a schedule.

8 But from my small sample, I'd say that probably 90
9 percent of all the facilities are going to be done by the
10 next refueling outage.

11 MR. JOYCE: I would probably have to concur with
12 that, particularly with respect to -- when you saw the
13 slider, we were going off and doing the inspections. When we
14 do the inspections, we also look at the implementation with
15 respect to all the other variables even though we take a
16 small sample during that audit. As Barry pointed out, very
17 few that we did an inspection to had deviations, and that
18 included even with the schedules.

19 So, if I had to guess, it would be in the 90s by
20 the --

21 MR. KERR: This inspection means that you go to
22 the plant and look to make sure that the equipment actually
23 exists?

24 MP. JOYCE: Yes, sir. What we do is there is
25 probably three members. NRR was involved, probably did all

1 but one inspection at Region V, and we've had members of
2 ICSB go out with all the other regions, with perhaps Region
3 IV, but we've had them up to NRR with training sessions to
4 share with them what we've reviewed on their plants and what
5 the deviations were.

6 When we go out on these audits, there are probably
7 generally three people, and we pick -- like Barry pointed
8 out, we look at the Category 1 and the Type A variables, and
9 some Category 2 that perhaps would be suspect dependent on
10 our safety evaluation report.

11 We look at drawings, we do drawing reviews, we do
12 walk-downs, we go into the control room. So we look at all
13 the criteria with respect to the Category 1 variables. If
14 you go in the reg guide and you look at the criteria, you
15 can see what we're looking at.

16 So based on that sample, then there is a report, a
17 region report on each one that is inspected.

18 MR. KERR: You previously had a written report
19 from the plant, or you had no information until you go on
20 the inspection trip?

21 MR. JOYCE: A prerequisite before inspection is a
22 staff's SER.

23 MR. KERR: So you've had fairly complete
24 information in order to write the SER?

25 MR. JOYCE: Yes, sir.

1 MR. KERR: What do you typically see on an
2 inspection visit that you wouldn't get from a package of
3 written information?

4 MR. JOYCE: Well, a lot of times what happens is
5 when we go in and we start doing a review, we find out that
6 these variables -- for range -- range may be one of the
7 criteria. When we go into the control room, and perhaps
8 you're supposed to see a temperature, the reg guide says
9 have a temperature from 200 to 500 degrees, and you'll go
10 into the control room and perhaps they'll be short under
11 range even though they say they committed to the reg guide.

12 One of the weak links in the review process, if I
13 may, was the review technique that was set up early on. We
14 told all the licensees, utilities in the regions, We are
15 only going to look at exceptions and deviations that you
16 identified to the staff, okay? So whether the utility
17 thought he had an exception or a deviation and called it
18 out, then we reviewed it and found it acceptable or not
19 acceptable.

20 So a lot of times what happens when we go out and
21 we're doing this audit, we'll find something, and there will
22 be an interpretation: Well, we didn't think that was a
23 deviation, or, That's not an exception because our system
24 does this, our system does that.

25 Also, during the drawing reviews, we find out

1 they're not necessarily -- we find that -- for Category 1
2 variables, it has to be single failure. Well, you find out
3 that both these instruments are tied to the same power
4 supply.

5 With respect to EQ, we do not do an EQ inspection.
6 There is another arena and group that are doing EQ with
7 respect to 50.49. What we do is ask, we say, Show us your
8 master list. Identify on the list where this instrument is.
9 If that instrument is on the list, then we go to the next
10 subject. That's the extent we do for EQ, and the same with
11 seismic.

12 So we do find things in that three- or four-day
13 audit when we do inspection, and I guess we could send some
14 sample TIs reports in, send them down to you if you'd like
15 to see the type of things we're finding.

16 MR. KERR: I was just curious as to why an on-the-
17 spot audit was necessary, but I guess if people don't
18 understand the single failure criterion by now, it's
19 necessary.

20 MR. MARCUS: Some plants where we have gone in and
21 done an inspection, you know, they have come out extremely
22 clean. In other plants, there are a lot of little things.
23 You know, sometimes you find a big thing. It varies from
24 utility to utility.

25 MR. KERR: Thank you. Are there further

1 questions?

2 MR. CARROLL: I am not sure these are the right
3 folks to ask this of, but I keep looking at the status of
4 TMI action items. It's published every few months, and I
5 keep seeing a large number -- I guess I have done here 66
6 units don't have their control room design review complete.
7 I guess that's the human factors people that are more
8 involved in that.

9 MR. MARCUS: Yes, that is.

10 MR. CARROLL: Do you have some idea what the issue
11 is?

12 MR. MARCUS: No, I do not have an idea on that.

13 MR. KERR: Are you satisfied with the speed with
14 which implementation of this issue is occurring?

15 MR. MARCUS: Do you want to handle that, John?

16 MR. HANNON: I'll try, but I didn't hear the
17 question.

18 MR. KERR: Are you satisfied with the speed with
19 which this implementation process is going? It certainly
20 existed before TMI-2 and was somewhat emphasized by TMI-2. I
21 guess if we conclude that severe accidents are rare, it's
22 not something that we need to push, but --

23 MR. HANNON: I think the answer to that is mixed.
24 We have some good success stories and then some that we're
25 still not happy with. The one particular case I mentioned a

1 while ago about postponing a wide range steam generator
2 level until steam generator replacement, which may not occur
3 for another five or six years, I think is pushing us out a
4 little too far.

5 So we have some plants that we are going to be
6 continuing the dialogue with to try to improve their
7 schedule. I suspect that part of the inspection activity
8 will address that. When we find issues that aren't being
9 done on a reasonable schedule, that will be an issue for us
10 to get involved with and try to get an improvement in the
11 schedule.

12 MR. KERR: You mean you inspect before people
13 finish the implementation?

14 MR. MANNON: If our inspection determines that
15 there are open items at a particular plant that aren't being
16 addressed on what we think is a reasonable schedule, then I
17 would anticipate having discussions with that particular
18 licensee.

19 MR. KERR: No, I guess I didn't word my question
20 very well. I would have thought that you wouldn't go in and
21 inspect until the plant decided they had completed their
22 implementation.

23 MR. MARCUS: I can answer that one. We do perform
24 inspections whether or not the implementation is complete.
25 If there's an item that's found that is not completed during

1 the inspection that's noted in the inspection report, then
2 it's an item open for reinspection after completion.

3 MR. WILKINS: There is no implication in that that
4 it should have been completed.

5 MR. MARCUS: None. Sometimes it's an agreed upon
6 schedule, and, you know, we have agreed with their schedule,
7 and the inspection just came before that time.

8 MR. KERR: You have a certain number of inspectors
9 that do this sort of thing, and they go out periodically
10 sort of independently of how far along the utility is in the
11 process?

12 MR. MARCUS: Yes. Let me point out one thing.
13 When I stated that a number of plants were not fully
14 implemented, not fully implemented means at least one
15 variable was not implemented. You know, they could have 69
16 variables implemented and have one not implemented, and
17 they're not fully implemented.

18 MR. KERR: So by the next refueling, 99.8 percent
19 of all the plants will have implemented 1.97?

20 MR. MARCUS: I don't know if we'd put the
21 percentage that high.

22 MR. KERR: Ninety-nine-point-five?

23 MR. HANNON: I don't think we have enough data
24 right now to pin that down. As I said before, the very
25 small sample that I took, I was satisfied that the majority

1 of our plants are moving towards complete resolution of this
2 issue, and I estimate that the majority of them will be done
3 within the next refueling outage. However, there are going
4 to be some isolated cases where we're going to have to
5 follow up because of, you know, delays in the schedule.

6 MR. KERR: I just wasn't sure what a majority was.
7 Is it 51 percent?

8 MR. JOYCE: In the 90s.

9 MR. WILKINS: I was observing it can't be as high
10 as 99 percent because that's one out of 100.

11 [Laughter.]

12 MR. HANNON: To make sure we're clear, though,
13 what we've just talked about is excluding the generic issues
14 that we're still working on.

15 MR. KERR: I understand that. And the staff has
16 been working on one of those now for about two years.

17 MR. JOYCE: That is correct, with respect to the
18 second one we talked about, the PWRs.

19 MR. KERR: That's a real tough one.

20 MR. JOYCE: No, that's a real easy one. It's just
21 priority.

22 MR. KERR: Any further questions for Mr. Marcus or
23 his colleagues?

24 [No response.]

25 MR. KERR: Well, we thank you. We probably will

1 want to get another progress report.

2 MR. WARD: Thank you. Thank you very much.

3 That's the end of the record for the day.

4 [Whereupon, at 3:20 p.m., the meeting adjourned.]

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission

in the matter of:

NAME OF PROCEEDING: 370 ACRS Meeting

DOCKET NUMBER:

PLACE OF PROCEEDING: Bethesda, Maryland

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.

Marilynn Estep

Official Reporter
Ann Riley & Associates, Ltd.

BRIEFING TO ACRS FULL COMMITTEE

ON

**INDIVIDUAL PLANT EXAMINATION
FOR EXTERNAL EVENTS (IPEEE)**

FEBRUARY 7, 1991

**T. KING - RES (x23980)
L. SHAO - RES (x23800)
A. MURPHY-RES (x23860)
J. CHEN - RES (x23919)**

PURPOSE OF BRIEFING

- o TO SUMMARIZE THE STATUS OF THE STAFF'S PROPOSED FINAL IPEEE GENERIC LETTER AND GUIDANCE DOCUMENT.
- o TO SUMMARIZE THE MAJOR COMMENTS RECEIVED AND CHANGES MADE TO THE DOCUMENT SINCE THE COMMENT PERIOD.
- o TO REQUEST AN ACRS COMMENT LETTER ON THE STAFF'S PROPOSED FINAL IPEEE DOCUMENTS.

PURPOSE AND SCOPE OF IPEEE

- 0 PURPOSE - TO HAVE LICENSEES:
- DEVELOP AN APPRECIATION OF SEVERE ACCIDENT BEHAVIOR FOR THEIR PLANT(S).

 - UNDERSTAND THE MOST LIKELY SEVERE ACCIDENT SEQUENCES THAT COULD OCCUR AT THEIR PLANT(S) UNDER OPERATING CONDITIONS.

 - UNDERSTAND THE OVERALL LIKELIHOOD OF CORE DAMAGE AND RADIOACTIVE MATERIAL RELEASE AT THEIR PLANTS(S).

 - TO REDUCE THE OVERALL LIKELIHOOD OF CORE DAMAGE AND RADIOACTIVE MATERIAL RELEASE, WHERE APPROPRIATE.

PURPOSE AND SCOPE OF IPEEE (CON'T)

- o SCOPE - LICENSEES ARE TO PERFORM A PLANT SPECIFIC SYSTEMATIC EXAMINATION TO IDENTIFY VULNERABILITIES TO SEVERE ACCIDENTS RESULTING FROM EXTERNAL EVENTS:
 - SEISMIC EVENTS
 - INTERNAL FIRES
 - HIGH WINDS, FLOODS, TRANSPORTATION AND NEARLY FACILITY HAZARDS
 - OTHER SITE UNIQUE HAZARDS

PROGRESS SINCE MAY 1990

- o SECY-90-192, MAY 30, 1990 - SENT PROPOSED IPEEE GENERIC LETTER AND GUIDANCE DOCUMENT TO COMMISSION.

- o SRM, JULY 17, 1990 - COMMISSION APPROVED ISSUING THE DOCUMENTS FOR COMMENT AND CONDUCTING A WORKSHOP. COMMISSION ALSO REQUESTED THAT THE FINAL DOCUMENTS BE SENT FOR THEIR REVIEW PRIOR TO ISSUANCE.

- o WORKSHOP - SEPTEMBER 11-13, 1990 - APPROXIMATELY 250 ATTENDEES. VERBAL AND WRITTEN COMMENTS RECEIVED.

CURRENT STATUS AND SCHEDULE

- o GENERIC LETTER AND GUIDANCE DOCUMENT (NUREG-1407) REVISED IN CONSIDERATION OF PUBLIC/INDUSTRY COMMENTS. SUMMARY OF AND RESPONSE TO COMMENTS INCLUDED IN APPENDIX D OF NUREG-1407.

- o SCHEDULE:
 - TO EDO - LATE FEBRUARY
 - TO COMMISSION - EARLY MARCH
 - ISSUE AS FINAL - LATE MARCH
 - COMPLETE REVIEW OF NUMARC/EPRI FIRE METHODOLOGY - JULY 1991
 - LICENSEE PLANS SUBMITTED - 180 DAYS AFTER ISSUANCE OF GL
 - IPEEE SUBMITTALS DUE - 3 YEARS AFTER ISSUANCE OF GL

STAFF REVIEW OF IPEEE SUBMITTALS

- o DETAILED STAFF REVIEW PLAN NOT YET DEVELOPED.
- o EXPECT STAFF REVIEW TO BE SIMILAR TO THAT FOR INTERNAL EVENTS IPE:
 - SCREENING REVIEW - ALL SUBMITTALS
 - MORE INDEPTH REVIEW - SELECTED SUBMITTALS
- o IF STAFF BELIEVES ADDITIONAL IMPROVEMENT IS WARRANTED BEYOND WHAT A LICENSEE HAS PROPOSED, STAFF WOULD USE THE BACKFIT RULE TO IMPLEMENT.

SUMMARY OF WORKSHOP

L. SHAO

IPEEE WORKSHOP

DATES: SEPTEMBER 10-13, 1990

PLACE: PITTSBURGH, PENNSYLVANIA

ATTENDANCE:

APPROXIMATELY 250 REGISTRANTS

UTILITY & UTILITY ORGANIZATIONS 50%

A/E & NSSS 10%

CONSULTANTS 25%

GOVERNMENT (STATE & FEDERAL) 15%

GENERAL COMMENTS

1. PERFORM A BACKFIT ANALYSIS BEFORE ISSUANCE OF THE GENERIC LETTER

NOT REQUIRED

2. UNDERESTIMATED COST AND RESOURCE REQUIREMENT

ESTIMATES BASED ON NUREG-1150 AND HATCH SEISMIC MARGINS EVALUATION (EXTRAPOLATED TO IPEEE SCOPE)

SOME INDUSTRY ESTIMATES COMPARABLE WITH STAFF'S

3. EXTEND TIME FOR PERFORMING THE IPEEE

CONSIDER EXTENSIONS ON A CASE-BY-CASE BASIS

4. EXTEND THE 60 DAY INITIAL RESPONSE TIME

TIME EXTENDED TO 180 DAYS

FIRE

NO MAJOR COMMENTS EXCEPT REQUEST FOR
NRC EXPEDITIOUS REVIEW OF FIRE
VULNERABILITY EVALUATION METHODOLOGY

WIND, FLOOD & OTHERS

NO MAJOR COMMENTS

SEISMIC EVENTS

1. USE OF BOTH LLNL AND EPRI HAZARD CURVES
STAFF PREFERS THAT BOTH CURVES ARE USED
USE OF A SINGLE CURVE (THE MORE
CONSERVATIVE ONE) IS ACCEPTABLE

2. FOCUSED SCOPE FOR RELAY CHATTER EVALUATION

SEISMIC

A. MURPHY

EXAMINATION METHODS FOR THE SEISMIC IPEEE

PROBABILISTIC RISK ASSESSMENT

SEISMIC MARGIN METHOD

NRC

EPRI

PRA APPROACH FOR SEISMIC IPEEE

THE FOLLOWING AREAS OF THE GENERIC LETTER OR GUIDANCE DOCUMENT WERE CHANGED:

USE OF BOTH LLNL AND EPRI SEISMIC HAZARD ESTIMATES

SCOPE OF THE RELAY CHATTER EVALUATION

SEISMIC HAZARD ESTIMATES

COMMENT USE OF BOTH IIRC/LLNL AND EPRI SEISMIC HAZARD CURVES IS UNWARRANTED AND TOO BURDENSOME

RESPONSE OPTION OF USING A SINGLE (MORE CONSERVATIVE) SEISMIC HAZARD CURVE INTRODUCED

USE OF BOTH HAZARD ESTIMATES WOULD:

HIGHLIGHT UNCERTAINTY IN BOTTOM LINE NUMBERS

HIGHLIGHT ROBUST RESULTS, SUCH AS, DOMINANT COMPONENTS AND RELATIVE CONTRIBUTIONS

USE OF THE MORE CONSERVATIVE HAZARD ESTIMATE JUSTIFIED

NO TECHNICAL BASIS TO SELECT ONE ESTIMATE OVER THE OTHER

HIGHER ESTIMATE WILL CAPTURE ALL POTENTIAL SEQUENCES

RELAY CHATTER EVALUATION

COMMENTS 1. RELAY CHATTER REVIEW REQUIRES
CONSIDERABLE RESOURCE
EXPENDITURE

2. IDENTIFIED PROBLEMS WERE
RECOVERABLE USING EXISTING
PROCEDURES

RESPONSE RECOGNIZED RESOURCE ISSUE - A GRADED
APPROACH ADOPTED TO REDUCE BURDEN
FOR MOST PLANTS

FULL-SCOPE PLANTS WILL DO THOROUGH
REVIEW TO PROVIDE ADDITIONAL
CONFIDENCE THAT CONCLUSION IN
COMMENT 2 IS GENERIC

SCOPE CONSISTENT WITH THE SITE'S SEISMIC
MARGIN REVIEW LEVEL EARTHQUAKE
CLASSIFICATION

SEISMIC MARGIN APPROACH FOR SEISMIC IPEEE

THE FOLLOWING AREAS OF THE GENERIC LETTER OR GUIDANCE DOCUMENT WERE CHANGED:

USE OF SEISMIC HAZARD AND SEISMIC DESIGN BASIS IN DETERMINING THE SCOPE OF THE REVIEW

SCOPE OF THE RELAY CHATTER EVALUATION (INTRODUCTION OF FOCUSED-SCOPE REVIEW PROPOSED BY NUMARC)

REVIEW LEVEL EARTHQUAKE

0.3G BIN WAS FURTHER DIVIDED INTO TWO
CATEGORIES BASED ON THE SEISMIC DESIGN BASIS
AND SEISMIC HAZARD ESTIMATES

FULL-SCOPE 0.3G

FOCUSED-SCOPE 0.3G (NEW)

PLANTS WITH HIGHER SEISMIC HAZARD AND LOWER
SEISMIC DESIGN BASIS REQUIRE MORE DETAILED
EVALUATION

PROCEDURE USED TO "SUBBIN" J.3G PLANTS

ASSIGNMENT BASED ON SEISMIC DESIGN BASIS
COUPLED WITH SEISMIC HAZARD ESTIMATE AND
ENGINEERING JUDGEMENT

CRITERIA, INITIALLY PROPOSED BY NUMARC, IS
SIMILAR TO THE WEIGHTED APPROACH USED BY THE
STAFF FOR THE INITIAL PLANT BINNING

DEVELOPED A COMPOSITE CONDITIONAL
PROBABILITY OF EXCEEDING THE UNIFORM
HAZARD SPECTRA AT 4 GROUND MOTION
FREQUENCIES FOR EPRI, LLNL4, & LLNL5 CURVES
AND FOR MEAN, MEDIAN, & 84%

SIX SITES CONSISTENTLY FELL INTO THE TOP GROUP
(FULL-SCOPE)

RESOLUTION OF THE EASTERN U.S. SEISMICITY ISSUE
IDENTIFIED EIGHT PLANTS AT FIVE SITES AS OUTLIERS

THESE PLANTS SHOULD BE IN THE FULL-SCOPE
BIN

ADDED ARKANSAS NUCLEAR ONE, UNIT 1 TO THE
FULL-SCOPE BIN

RELAY CHATTER EVALUATION

REDUCED SCOPE

USI A-46 PLANTS: A-46 REVIEW

NON A-46 PLANTS: NO ACTION

FOCUSED SCOPE

USI A-46 PLANTS: A-46 REVIEW

IF LOW SEISMIC RUGGEDNESS
RELAYS ARE FOUND EXPAND
SCOPE TO INCLUDE RELAYS
OUTSIDE A-46 BUT IN IPEEE

NON A-46 PLANTS: LOCATE AND EVALUATE LOW
SEISMIC RUGGEDNESS RELAYS

FULL SCOPE AND 0.5G (INCLUDING WESTERN US SITES)

USI A-46 PLANTS: FOLLOW A-46 PROCEDURES
FOR A-46 REVIEW

REVIEW IPEEE SYSTEMS,
INCLUDING THOSE THAT ARE
ALSO PART OF A-46 SCOPE AT
THE ASSIGNED REVIEW LEVEL.

NON A-46 PLANTS: RELAY REVIEW FOR ALL IPEEE
SYSTEMS AT THE ASSIGNED
REVIEW LEVEL

FIRES/HIGH WINDS - FLOODS

J. CHEN

FIRE EVALUATION

- PRA METHODOLOGY
 - o PROCEDURAL CLARIFICATIONS ONLY
- NUMARC/EPRI FIRE VULNERABILITY EVALUATION (FIVE) METHODOLOGY
 - o TO BE ADDRESSED SEPARATE FROM IPEEE GENERIC LETTER AND GUIDANCE DOCUMENT

- PROCEDURAL CLARIFICATIONS:

CABLE ROUTING VERIFICATION

DATABASE AVAILABILITY

SAFETY SYSTEM SEPARATION

TREATMENT OF TRANSIENT
COMBUSTIBLES

FIRE SAFETY EXPERTS

TREATMENT OF CRITICAL AREAS WITH
COMMON FIRE BARRIERS, PENETRATION
SEALS

DAMAGING POTENTIAL OF FIRE
SUPPRESSION AGENTS

SCHEDULE FOR STAFF REVIEW OF NUMARC/EPRI "FIVE" METHODOLOGY

- o METHODOLOGY CURRENTLY UNDER REVIEW
- o QUESTIONS TO NUMARC - 2/91
- o DATA BASE TO BE SUBMITTED FOR REVIEW - 2/91
- o REPORT FROM NUMARC ON DEMONSTRATION DUE - 3/91
- o DRAFT STAFF POSITION - 4/91
- o ACRS - 6/91
- o CRGR - 6/91
- o LETTER TO NUMARC - 7/91

HIGH WINDS, FLOODS, TRANSPORTATION AND
NEARBY FACILITY HAZARDS

- NO MAJOR CHANGES

NRR STAFF PRESENTATION TO THE
ACRS

SUBJECT: Status of Review of EPRI ALWR Requirements Document

DATE: February 7, 1991

PRESENTER: Thomas J. Kenyon

PRESENTER'S TITLE/BRANCH/DIV.: Project Manager
Standardization Project Directorate
Division of Advanced Reactors
and Special Projects
Office of Nuclear Reactor Regulation

PRESENTER'S NRC TEL. NO.: (301) 492-1120

- Introduction and Purpose
- Background/Chronology
- Results of Review
- Conduct of Review
- Regulatory Significance
- Review Process and Schedule
- Conclusions

PURPOSE

- To discuss status of review of EPRI ALWR Requirements Document for evolutionary and passive LWRs
- To discuss results of staff's review to date
- To discuss regulatory significance of Requirements Document
- To discuss remaining work on Requirements Document
- To discuss review schedule

CHRONOLOGY OF EPRI ALWR PROGRAM

Date	Type	Milestone
07/86 - 10/89	Evolutionary	Chapters 1 - 13 submitted by EPRI
09/87	Evolutionary	DSER on Chapter 1 issued by staff
02/88	Evolutionary	Revision to DSER on Chapter 1 issued by staff
02/88	Evolutionary	DSER on Chapter 2 issued by staff
03/88	Evolutionary	Interim position on ALWR Design Basis Tornado issued by staff
05/88	Evolutionary	DSER on Chapter 3 issued by staff
06/88	Evolutionary	DSER on Chapter 4 issued by staff
07/89	Evolutionary	SECY-89-228 forwarded DSE on Chapter 5 to Commission
01/90	Evolutionary	SECY-90-016 on ALWR policy issues forwarded to Commission
02/90	Evolutionary	DSER on Chapter 5 issued by staff
04/90	Evolutionary	ACRS letter to Commission providing Com- mittee's views on issues in SECY-90-016
05/90	Passive	Preliminary views on passive designs identified by staff
06/90	Evolutionary	SRM issued regarding Commission guidance on issues in SECY-90-016
09/90	Evolutionary/ Passive	EPRI submits rollup of Volume II (evolutionary) and original Volume III (passive)
11/90	Passive	Additional views on passive designs identified by staff
01/91	Evolutionary	DSERs on Chapters 6, 7, 8, 9, 12, & 13 issued by staff

CHRONOLOGY OF ACRS MEETINGS ON EPRI ALWR PROGRAM

Date	Milestone	Meeting Subject
03/86	ACRS Subcommittee on Standardization of Nuclear Facilities	EPRI ALWR Program
06/86	ACRS Subcommittee on Standardization of Nuclear Facilities	EPRI ALWR Program
06/86	ACRS Full Committee	EPRI ALWR Program
10/87	ACRS Subcommittee on Standardization of Nuclear Facilities	Chapter 1
08/88	ACRS Subcommittee on Improved LWRs	Chapters 2, 3, 4, & 5
04/89	ACRS Subcommittee on Improved LWRs	EPRI ALWR Program (Chapters 1 - 13)
09/89	ACRS Full Committee	EPRI ALWR Program, including key outstanding issues
02/90	ACRS Full Committee	Issues in SECY-90-016
03/90	ACRS Full Committee	Issues in SECY-90-016
03/90	ACRS Joint Subcommittee on Extreme External Phenomena and Severe Accidents	Fire protection issues
04/90	ACRS Joint Subcommittee on Containment Systems and Structural Engineering	Containment Performance Criteria
04/90	ACRS Full Committee	Issues in SECY-90-016
07/90	ACRS Subcommittee on Improved LWRs	Chapters 1 - 5
07/90	ACRS Full Committee	Chapters 1 - 5
02/91	ACRS Full Committee	Status of EPRI Review
02/91	ACRS Subcommittee on Improved LWRs	Chapters 6 & 9

SUMMARY OF ISSUES

<u>Chapter</u>	<u>Open</u>	<u>Confirmatory</u>	<u>Vendor/Utility- Specific</u>
1	22	25	8
2	3	0	1
3	9	9	4
4	11	5	5
5	41	6	11
6	30	12	19
7	11	1	5
8	15	5	2
9	18	16	12
12	5	5	5
13	<u>21</u>	<u>0</u>	<u>6</u>
Total	186	84	78

EPRI ALWR Requirements Document

Volume I - Evolutionary and Passive

Volume II - Evolutionary

Volume III - Passive

Chapter 1 - Overall Requirements

Appendix A - PRA Key Assumptions and Groundrules

Appendix B - Licensing and Regulatory Requirements
and Guidance

Chapter 2 - Power Generation Systems

Chapter 3 - Reactor Coolant System and Reactor Non-Safety
Auxiliary Systems

Chapter 4 - Reactor Systems

Chapter 5 - Engineered Safety Systems

Chapter 6 - Building Design and Arrangement

Chapter 7 - Fueling and Refueling Systems

Chapter 8 - Plant Cooling Water Systems

Chapter 9 - Site Support Systems

Chapter 10 - Man-Machine Interface Systems

Chapter 11 - Electric Power Systems

Chapter 12 - Radioactive Waste Processing Systems

Chapter 13 - Main Turbine-Generator Systems

CONDUCT OF STAFF'S REVIEW

- As requested, the staff endeavored to review the EPRI ALWR Requirements Document at the various levels of detail presented.
- Standard review plan was used as guidance, but the level of detail did not permit a completeness review.
- Staff assumed that all current regulatory requirements would be met by a design that complied with the EPRI ALWR Requirements Document, except:
 - where deviations are identified in the document,
 - where the staff identified a potential incompatibility between EPRI-proposed design requirements and current regulatory requirements, or
 - where the staff identified a possible misinterpretation of regulatory requirements.
- EPRI has modified its Chapter 1 in the rollup to identify areas of compliance with the Commission's regulatory requirements.

REGULATORY STATUS

- Does not have legal or regulatory status.
- Serves as a vehicle to obtain consistent resolution of common operating plant problems, issues generically applicable to designs, severe accident issues, and certain USIs/GSIs.
- Serves as a vehicle to identify major concerns with LWR design concepts using passive safety systems early in the design process.
- Identifies what utilities desire in future designs
- Not intended to replace staff's review of future design-specific certification applications
- Not intended to demonstrate complete compliance with Commission's regulations, regulatory guidance, and policies
- Not intended to be used as basis for supporting design certification rule for design-specific application

REGULATORY STATUS (CONTINUED)

- Commission has assigned review of evolutionary Requirements Document equal priority with that of ABWR and System 80+ (December 15, 1989 SRM).
- Commission has instructed staff to compare future designs against the Requirements Document (December 15, 1989 SRM).
- Commission has instructed staff to complete review of Volume III (passive) of Requirements Document prior to submitting the LRB on passive designs to the ACRS (December 15, 1989 SRM).
- Commission has stated that major technical and policy issues should be formally resolved in the context of the EPRI review on passive plants (June 22, 1990 SRM).

REGULATORY STATUS (CONTINUED)


- Commission has assigned review of evolutionary Requirements Document equal priority with that of ABWR and System 80+ (December 15, 1989 SRM).
- Commission has instructed staff to compare future designs against the Requirements Document (December 15, 1989 SRM).
- Commission has instructed staff to complete review of Volume III (passive) of Requirements Document prior to submitting the LRB on passive designs to the ACRS (December 15, 1989 SRM).
- Commission has stated that major technical and policy issues should be formally resolved in the context of the EPRI review on passive plants (June 22, 1990 SRM).

REVIEW SCHEDULE

- Staff issued DSERs on Chapters 1-9, 12, and 13.
- DSERs on Chapters 10 & 11 to be forwarded to Commission in February 1991.
- DSER on Appendix A to Chapter 1 to be forwarded to Commission in April 1991.
- Detailed RAls on passive Requirements Document to be issued by March 1991
- Future Review Milestones (SECY-90-065)
 - Evolutionary Final SER - May 1991*
 - Passive Draft SER - July 1991*
 - Passive Final SER - February 1992*

* Under reevaluation

EPRI REQUIREMENTS REVIEW



PLANNED MEETINGS WITH THE ACRS

- Meetings will be planned, as necessary, to discuss resolution of any policy issues identified during review.
- Meetings are planned between the ACRS, EPRI, and the staff to discuss:

<u>Volume</u>	<u>Version</u>	<u>Staff Document</u>	<u>Chapters</u>
Volume II (evolutionary)	original	DSER	6 - 13, App. A
Volume II (evolutionary)	rollup	SER	1 - 13, App. A & B
Volume III (passive)	original	DSER	1 - 13, App. A & B
Volume III (passive)	rollup	SER	1 - 13, App. A & B

CONCLUSIONS

- Significant work remains to be done by EPRI, ACRS, and the NRC to complete review of the Requirements Document.
- Staff's review of original version of evolutionary Requirements Document (Volume II) nearly complete.
- Staff's review of evolutionary rollup document (Volume II) and Volume III (passive) underway.
- Meetings with the ACRS to discuss review results will be set up, as appropriate.

Outstanding Issues

As a result of the NRC review of the ALWR Utility Requirements Document, a number of items discussed in the DSERs on Chapters 1 through 9, 12 and 13 remain outstanding. Because it has either not completed its review and reached a final position or it has reached a conclusion different from EPRI in these areas, the staff considers these issues to be open. These issues fall into one of four categories: (1) issues that require satisfactory resolution before the staff can complete its review of that particular chapter of the Requirements Document, (2) issues which are addressed in other related chapters of the Requirements Document, (3) confirmatory issues for which the staff will ensure followup of commitments in the Requirements Documents, and (4) issues that require satisfactory resolution in support of a vendor- or utility-specific application. The open items, with references to sections of the EPRI Requirements Document given in parentheses, are listed below:

The following is a list of issues obtained from the DSER on Chapter 1:

Issues To Be Resolved Before the Staff Can Complete Its Review of the Chapter

- (1) EPRI ALWR Public Safety Goal (2.1.4.A.1, 10.0)
- (2) 60-year life (2.1.4.B.1, 8.0)
- (3) plant site parameters (2.3.C)
- (4) station blackout classification (Table 3-2, Table 3-3)
- (5) classification of certain types of events (Table 3-2, Table 3-3)
- (6) seismic classification of seismic Category II items (4.3.B)
- (7) damping values in Code Case N-411 (4.4.C, 4.6)
- (8) vibratory loads with significant high frequency input/deviation from R.G. 1.92 (4.4.C, 4.6)
- (9) seismic equipment qualification (4.4.C, 4.6)
- (10) tornado effects/non-compliance with R.G. 1.76 (4.4.C, 4.6)
- (11) OBE/SSE relationship (4.6, 4.9, 4.10)
- (12) BWR safety relief valve loads (Appendix A)
- (13) leak-before-break (Appendix A)
- (14) In-plant hazards regarding remaining BWR suppression pool loads after demonstration of leak-before-break (Appendix A)
- (15) decoupling SSE from LOCA (Appendix A)
- (16) materials selection for reactor coolant pressure boundary piping/compliance with NUREG-0313 (5.3.A.1)
- (17) construction program quality assurance (7.2.C.3)
- (18) reference to IEEE P1023/D5 and EPRI-2360 for guidance regarding human factors engineering (8.2.b.4)
- (19) meaning of NRC approval of EPRI ALWR Requirements Document (10.0)

Issues Addressed in Other Requirements Document Chapters

- (1) coincident occurrences (3.3.A.3)
- (2) event frequency classifications (Table 3-1)
- (3) protection of control room personnel against toxic and radioactive gases (8.3.A)

Confirmatory Issues

- (1) Section XI of BPVC/ASME code (2.2)
- (2) living PRA (2.2.F.3, 2.2.F.4)
- (3) sabotage protection (2.2.F.7)
- (4) internal flooding (2.2.F.7)
- (5) initiating events (3.3.A.3)
- (6) seismic ductility factors and ductility limits (4.3.B.2)
- (7) seismic and dynamic qualification by experience (4.7.A)
- (8) seismically qualified anchorage (4.7.A)
- (9) structural codes and standards for structures, systems, and equipment (Table 4-1)
- (10) hardness limits for martensitic stainless steel (5.3.A.2)
- (11) use of Alloy 600 (5.3.A.3.b(1))
- (12) allowance for carbon and low alloy steel corrosion (5.3.A.5)
- (13) failure mechanisms (6.2.B.4)
- (14) construction verification milestones (7.2.C.2)
- (15) inspectability and provisions for inservice inspection (8.2.B)
- (16) acoustical monitoring (8.2.B)
- (17) preventative maintenance and inspections (8.2.C.2)
- (18) use of life extension experience (8.2.C.3)
- (19) personnel qualification requirements (8.2.C.4)
- (20) operation problem areas (Table 8-2)
- (21) quality assurance requirements (9.2.B)
- (22) quality problems during design and construction (Table 9-1)
- (23) updating Appendix B cross-reference table (10.0)
- (24) cross-reference table of unresolved and generic safety issues (10.0)
- (25) compliance with GDC-4 (10.0)

Vendor/Utility-Specific Issues

- (1) performance capabilities - step and ramp power changes and inadvertent control insertion without reactor trip (Table 3-6)
- (2) use of ANSI/ANS 51.1 and 52.1 versus R. G. 1.26 for quality group classification (4.3.A, 4.4.4)
- (3) compliance with 10 CFR 50.55a (4.4)
- (4) probabilistic approach to modifying existing loads and/or loading combinations (4.5)
- (5) OBE/SSE relationship (4.6, 4.9, 4.10)
- (6) conflicting codes and standards not approved by the NRC (Table 4-2)
- (7) compatibility with NRC generic resolutions of unresolved and generic safety issues (10.0)
- (8) list of principal design criteria (10.0)

The following is a list of issues obtained from the DSER on Chapter 2:

Issues To Be Resolved Before the Staff Can Complete Its Review of the Chapter

- (1) classification of power generation system components (2.0)
- (2) clarification of guidance regarding valving and piping materials (2.2.C)

Issues Addressed in Other Requirements Document Chapters

- (1) functional requirements of instrumentation and controls (2.0)

Vendor/Utility-Specific Issues

- (1) acceptability of turbine trip without reactor trip (3.2.A.1.b)

The following is a list of issues obtained from the DSER on Chapter 3:

Issues To Be Resolved Before the Staff Can Complete Its Review of the Chapter

- (1) bolting degradation or failure (GSI-29) (2.0)
- (2) reactor coolant pressure boundary leakage detection system (3.1.3.9, 3.1.3.10, 3.3.2.2, 3.3.4, 3.3.4.2)
- (3) low-temperature overpressure protection (LTOP) (2.3.2.3)
- (4) pressurizer relief tank system (3.3.2)
- (5) automatic isolation of component cooling water to reactor coolant pumps (3.4.2.2.1)
- (6) cooling of reactor coolant pump seal during station blackout (GSI-23) (3.4.2.2, 3.4.2.6, 3.4.2.11, 6.3.1)
- (7) BWR main steamline isolation valve leakage control (GSI C-8) (5.3.3.9, 5.4.1.4, 5.4.1.5)

Issues Addressed in Other Requirements Document Chapters

- (1) protection of non-critical components inside containment (2.2.1.1)
- (2) functional and performance requirements for instrumentation and controls (2.3)

Confirmatory Issues

- (1) protection of non-critical components inside containment (2.2.1.1)
- (2) corrosion-resistant bolting (2.2.11, 4.4.1.1)
- (3) overfrequency transient during loss of electrical load (3.2.1.4.1)
- (4) non-safety power supply design (3.2.1.4.2)
- (5) power for pressurizer heaters (II.E.3.1) (3.4.3.4.3, 3.4.3.4.4)
- (6) reactor coolant temperature instrumentation for cold leg (3.5.1.2)
- (7) emergency feedwater actuation (4.2.3.4, 4.2.8.1)
- (8) steam piping supports (4.3.2.4)
- (9) contaminant limits for abrasives (4.4.1.1.3)
- (10) eddy current inspection procedures (GSI-67.7.0) (4.4.1.4, 4.6.2)

Vendor/Utility-Specific Issues

- (1) snubber requirements (2.4.4)
- (2) PORV block valve electrical connections (II.G.1) (3.3.2.1)
- (3) manual control of pressurizer heater sources (II.E.3.1) (3.4.3.4.3, 3.4.3.4.4)
- (4) compliance of CVCS with SRP section 9.3.4 (6.0)

The following is a list of issues obtained from the DSER on Chapter 4:

Issues To Be Resolved Before the Staff Can Complete Its Review of the Chapter

- (1) power oscillations in BWRs (2.2.4)
- (2) low-temperature overpressure protection (GSI-94) (2.0)
- (3) protection of reactor pressure vessel from brittle fracture (thermocouples/materials surveillance program) (3.0)
- (4) performance requirements for BWR core and fuel (thermal-hydraulic stability) (4.0)
- (5) effect of natural circulation cooldown on reactor pressure vessel (GSI-79) (6.2)
- (6) thermal-hydraulic characteristics of PWRs (7.2.1.2)
- (7) positive moderator coefficient above 50% power (7.3.1.3)
- (8) materials requirements for fuel assemblies, fuel rod cladding, and control rods (7.3.1.4)
- (9) 60 year service life of control rod drive mechanisms (8.2)

Issues Addressed in Other Requirements Document Chapters

- (1) functional and performance requirements for instrumentation and controls (2.0)
- (2) scram pilot solenoid valves (5.3.5.3)

Confirmatory Issues

- (1) low-temperature overpressure protection (2.3.1.7)
- (2) percentage of copper in reactor pressure vessel forging (2.3.1.2)
- (3) reactor pressure vessel surveillance program (2.3.1.8)
- (4) fracture toughness specifications (2.3.1.8.1)
- (5) irradiation dosage limits for the reactor pressure vessel internals (2.3.2.1.1)

Vendor/Utility-Specific Issues

- (1) irradiation dosage limits for the reactor pressure vessel internals (2.3.2.1.1)
- (2) fatigue design margin for reactor pressure vessel (2.3.2.1.4)
- (3) preconditioning of fuel for maneuvering (4.2.1.4.2)
- (4) operation with reduced feedwater temperature (BWR thermal-hydraulic stability) (4.2.1.6.2)
- (5) maneuvering capability/rate of power increase for hot startups of plant (7.2.1.4.2)

The following is a list of issues obtained from section 1.4 of the DSER on Chapter 5:

Issues To Be Resolved Before the Staff Can Complete Its Review of Chapter 5

- (1) severe-accident containment performance criteria (2.1, D.3.4)
- (2) metal-water reaction and hydrogen generation and control during a severe accident (2.3, 6.5.1, B.8, C.3, D.3.1)
- (3) automatic standby liquid control system (4.3)
- (4) effective distribution of boron injection (4.3)
- (5) safety classification of containment spray system (4.4, 7.2)
- (6) suppression-pool-bypass leakage (4.5, 7.2)
- (7) suppression-pool temperature-monitoring system (4.6)
- (8) operation of residual heat removal (RHR) system with reduced reactor coolant system inventory (Generic Letter 87-12) (5.2, B.5, D.2.2)
- (9) safety depressurization and venting system (5.5, 6.6.5, 8.10, D.3.3)
- (10) use of remote manual valves on essential non-ESF lines (6.2)
- (11) containment isolation provisions for IRWST connections (6.2)
- (12) Type C leak testing (6.2)
- (13) Type B testing of air-locks (6.3.2)
- (14) Type C containment valve leak rate testing interval (6.3.3, C.1)
- (15) interface requirements for fission product leakage control systems (6.4)
- (16) control systems for radiolytically generated hydrogen (6.5.2, B.8, C.3)
- (17) timing of igniter activation in the event of an accident (6.5.3, B.8, C.3)
- (18) containment heat removal (6.6.3)
- (19) functionality of fission product control systems during a severe accident (6.6.4)
- (20) equipment survivability criteria for severe accidents (6.6.6, D.3.5)
- (21) severe-accident management (6.6.8)
- (22) dynamic effects of pipe breaks during severe accidents (7.2, 8.1)
- (23) main steam isolation valve (MSIV) leakage rate (7.2)
- (24) containment leak rate (8.1, 8.2, C.2.5, D.1.2)
- (25) postaccident pH control (8.2, C.2.1)
- (26) containment integrity check (6.2)
- (27) high/low-pressure interface design (B.5, D.2.5)
- (28) deletion of charcoal adsorbers (C.2.2, D.1.2)
- (29) BWR suppression pool fission product scrubbing (C.2.3, D.1.2)
- (30) timing of fission product releases into containment (C.2.4, D.1.2)

Issues Addressed in Other Requirements Document Chapters

- (1) ALWR public safety goal (2.1, D.1.1)
- (2) station blackout (2.2, B.9, D.2.3)
- (3) fire protection (2.5, D.2.4)
- (4) inservice testing of valves (3.1, D.4.1)
- (5) anticipated transients without scram (3.4, 4.2, D.2.1)
- (6) containment loading during severe accidents (6.6.1)
- (7) cavity/pedestal-drywell configuration, debris coolability (6.6.2, D.3.2)
- (8) containment atmosphere mixing (6.6.7)
- (9) externally initiated severe accidents (6.6.9)
- (10) protection against BWR containment reverse pressurization (7.1)
- (11) fission product leakage control system (7.1)

Confirmatory Issues

- (1) 10 CFR Part 50, Appendix J local leakage testing (3.1)
- (2) low-temperature overpressure protection (LTOP)(5.2)
- (3) automatic/manual initiation of feedwater flow (5.3)
- (4) use of liquid in Type C containment leak rate testing (6.3.3)
- (5) actuation of the containment spray system (8.2)
- (6) low-temperature overpressure protection (B.10)

Vendor- or Utility-Specific Issues

- (1) station blackout (2.2, B.9, D.2.3)
- (2) inservice testing of valves (3.1, D.4.1)
- (3) diesel generator start times (3.2)
- (4) elimination of BWR core spray (4.1)
- (5) safety injection system (SIS) design pressure (5.4)
- (6) radiolytically generated hydrogen control system (6.5.2)
- (7) analysis of oxygen generation during a severe accident (6.5.3)
- (8) suppression pool design (7.3)
- (9) emergency feedwater system design analysis (B.4)
- (10) high/low-pressure interface design (B.5, D.2.5)
- (11) pressure isolation valve testing (B.5, D.2.5)

The following is a list of issues obtained from section 1.4 of the DSER on Chapter 6:

Issues To Be Resolved Before the Staff Can Complete Its Review of Chapter 6

- (1) human factors considerations (2.1 and 4.6.5)
- (2) structural steel members' growth due to fire and design basis loss-of-coolant accident (2.1)
- (3) inspections of potential structural degradation of safety-related structures (2.1)
- (4) standard embedment depth (2.1)
- (5) qualification of analytical techniques for structural and mechanical design (2.1)
- (6) stiffness degradation of modular concrete structures (2.1)
- (7) anchorage design and installation of safety-related tanks (2.1)
- (8) steel containment corrosion, spent fuel pool leakage, and degradation of intake structures (2.1)
- (9) reliability and structural strength of modularly constructed components (2.2 and 4.2.12)
- (10) location of oil-filled transformers (2.3)
- (11) computer codes for shielding design evaluation (2.4 and 4.2.8)
- (12) use of American National Standards Institute/American Nuclear Society Standard 2.8-1981 to determine the maximum probable flood (3.3.1, 3.3.2, and B.1)
- (13) design requirements for outdoor tanks containing liquid radioactive material (3.3.10)
- (14) alternative seismic restraint devices (4.2.3)
- (15) modification of the requirements for the design of instrument impulse lines (4.2.4)
- (16) inservice inspection considerations (4.2.7)
- (17) use of the containment air volume to dilute the containment hydrogen concentration to less than 13 percent as the sole means of postaccident combustible gas control (4.3.2)
- (18) core debris coolability and cavity sizing criteria (4.3.2)
- (19) movement of fuel (4.3.3)
- (20) containment design leak rate of 0.5 percent per day (4.3.4)
- (21) location of the control complex (4.6.5) (22) computer room, which is part of the "control room emergency zone," is not included in "control room envelope" (4.6.5)

Issues Addressed in Other Requirements Document Chapters

- (1) design considerations for reduction of vulnerability to sabotage (2.1 and 2.3)
- (2) fire protection requirements (2.3)
- (3) HVAC systems design (4.2.5)
- (4) containment systems (4.3.1)
- (5) fuel handling and storage facility (4.6.2)
- (6) radwaste facility (4.6.3)
- (7) emergency onsite power supply facility (4.6.4)
- (8) man-machine interface systems (4.6.5)

Confirmatory Issues

- (1) design criteria for fire exits (2.3)
- (2) fire barriers between the control room complex and peripheral rooms (2.3)
- (3) clarification of the discussion of the general security requirements related to building design and arrangement (2.3)
- (4) level of embedment for PWR containment building (3.3.2)
- (5) alternative seismic restraints (4.2.3)
- (6) vertical separation requirements for cable trays (4.2.6)
- (7) compliance with Institute of Electrical and Electronics Engineers Standard 384 (4.2.6)
- (8) use of lightweight conduit, fittings, and cable tray materials (4.2.6)
- (9) assigning of aisles and corridors to the safety trains (4.2.6)
- (10) use of American National Standards Institute (ANSI) Standard N101.4-1972 for coatings (4.2.10)
- (11) addition of the commitment to meet ANSI Standard N101.4-1972 for qualification of coatings (4.3.2)
- (12) design for probable maximum precipitation (B.1)

Vendor- or Utility-Specific Issues

- (1) deviations from National Fire Protection Codes and Standards (2.3)
- (2) qualification criteria for fire barriers (2.3)
- (3) fire protection features in the heating, ventilation, and air conditioning design criteria (2.3)
- (4) compliance with the requirements of Three Mile Island (TMI) Action Plan Item 11.B.2 (2.3)
- (5) details of shielding design (2.3, 2.4, and 4.2.8)
- (6) effect of site-specific topography on standard overall site arrangement (3.1)
- (7) flooding protection design requirements (3.3.1)
- (8) description of airborne radioactive material sources (4.2.5)
- (9) potential high-radiation areas, shielding, and exposure minimization measures (4.2.8 and 4.2.9)
- (10) review of coatings against SRP Section 6.1.2 (4.2.4.10 and 4.3.2)
- (11) containment access control (4.3.3 and 4.3.4)
- (12) details of design of BWR reactor building (4.4.2)
- (13) details of design of PWR auxiliary building (4.4.3)
- (14) details of design of BWR turbine generator building (4.5.4)
- (15) details of design of fuel handling and storage facility (4.6.2)
- (16) details of design of radwaste facility (4.6.3)
- (17) details of emergency onsite power supply facility (4.6.4)
- (18) details of design of control complex (4.6.5)
- (19) details of design of technical support center (4.6.6)

The following is a list of issues obtained from section 1.4 of the DSER on Chapter 7:

Issues To Be Resolved Before the Staff Can Complete Its Review of Chapter 7

- (1) human factors considerations (2)
- (2) radiological consequences of a fuel handling accident (3.2.2)
- (3) storage of radioactive non-fuel components (3.2.3)
- (4) criticality of new fuel in new fuel storage facility (5.0)
- (5) radiological consequences of fuel cask drop accident (6.5)
- (6) safety classification of the refueling platform assembly (7.1.2)
- (7) high-radiation areas (7.2)
- (8) segregation of fuel pool area used for fuel reconstitution (7.4)
- (9) Generic Safety Issue 82 (Appendix B)

Issues Addressed in Other Requirements Document Chapters

- (1) fuel pool cooling and cleanup system (4.2)
- (2) fuel handling area heating and ventilation system (7.3)

Confirmatory Issues

- (1) quality group classification of components for the new and spent fuel storage racks (3.2.1 and 5)

Vendor- or Utility-Specific Issues

- (1) protection against tampering during refueling activities (3.2.4)
- (2) design of the overhead bridge crane (6.1.2)
- (3) design of the fuel handling system (7.1.2)
- (4) high-radiation areas (7.2)
- (5) reactor disassembly and servicing equipment for BWRs (7.5)

The following is a list of issues obtained from section 1.4 of the DSEB on Chapter 8:

Issues To Be Resolved Before the Staff Can Complete Its Review of Chapter 8

- (1) human factors considerations (3.1)
- (2) probable maximum precipitation (3.1)
- (3) justification for the reduction of surveillance testing and improved limiting conditions for operation (3.1)
- (4) inservice testing of pumps and valves (3.2)
- (5) division requirements for the component cooling water system of the nuclear steam supply system for BWRs (4.1)
- (6) design of the reactor coolant pump seal cooling system (5.1)
- (7) evaluation of postulated intake structure failure (5.1)
- (8) evaluation of postulated electrical power supply failure for service water system (5.1)
- (9) independence of decay heat removal cooling from fuel pool cooling and cleanup system (9)
- (10) heat exchanger testing (3.1, B.1)
- (11) biofouling in service water systems (3.1, 5.1, B.1)
- (12) reliability of essential service water system (B.1)

Issues Addressed in Other Requirements Document Chapters

- (1) probable maximum precipitation (3.1)
- (2) instrumentation and control considerations for essential service water pump failures at multi-plant sites (Generic Safety Issue 130) (5.1)
- (3) BWR suppression pool cooling, BWR postaccident containment heat removal systems (9)

Confirmatory Issues

- (1) sabotage protection (3.2)
- (2) effect of inadvertent actuation of non-safety-related equipment on safety-related components (3.2)
- (3) flow indication for the component cooling water system (4.1)
- (4) compliance with Federal Guideline on Dam Safety (7.1)
- (5) maximum temperature for essential service water system (7.1)

Vendor- or Utility-Specific Issues

- (1) pump minimum flow line or recirculation line design (3-1)
- (2) availability of emergency power supply for the fuel pool cooling and cleanup system following a design-basis accident (9)

The following is a list of issues obtained from section 1.4 of the DSER on Chapter 9:

Issues To Be Resolved Before the Staff Can Complete Its Review of Chapter 9

- (1) human factors considerations in the design of fire protection systems (2.2.5 and 3.4.11)
- (2) independence of ventilation systems inside the containment (3.3.1)
- (3) requirements for smoke-removal capability (3.3.1)
- (4) sabotage considerations for the control room (5.1)
- (5) effects of instrument air supply problems on safety-related equipment (Generic Letter 88-14) (7.1)
- (6) design of air filtration systems (8.2.1)
- (7) structural design of heating, ventilating, and air conditioning (HVAC) system (8.2.1)
- (8) Charcoal filters in air filtration systems (8.2.1)
- (9) control room capacity following design-basis accident (8.2.2)
- (10) determination of airborne iodine concentration during an accident (Section III.D.3.3 of NUREG-0737) (9)

Issues Addressed in Other Requirements Document Chapters

- (1) building structural and physical arrangement features that enhance fire protection (3.1)
- (2) effect of fire protection features on electric power systems (3.1)
- (3) radiation monitors (4.1)
- (4) instrumentation and controls for environmental monitoring system (4.4.1)
- (5) physical barrier requirements (5.1)
- (6) protection against computer viruses (5.2.13)
- (7) containment penetrations for compressed air and gas systems (7.1 and 7.2)
- (8) charcoal filters for emergency filter units (8.2.1, 8.2.5, 8.2.6, 8.3.4, 8.4.2, 8.4.3 and 8.4.4)

Confirmatory Issues

- (1) use of radiation- damage-resistant materials in high-radiation areas (2.2.4 and 8.2.1.3)
- (2) control room cable fires (3.4.9)
- (3) use of seismically sensitive relays in fire protection systems (3.4.13)
- (4) design enhancements for sabotage protection (5.1)
- (5) guidance designation of vital equipment (5.2.1)
- (6) insider sabotage vulnerability analysis (5.2.2 and Appendix B)
- (7) inaccessibility of cable and piping runs connecting two protected areas (5.2.4)
- (8) installation of security door hardware (5.2.5)
- (9) alarm assessment coverage of interior of intrusion detection system (5.2.7)
- (10) use of hand-held radios in plant buildings (5.2.11)
- (11) backup power for security lighting (5.2.12)
- (12) use of duct wrap or other material for protecting ventilation system penetrations of fire barriers (8.2.1)
- (13) operability of safety-related systems in areas with shared HVAC systems (8.2.1)

- (14) bullet resistance of control room (8.2.2)
- (15) resistance to penetration of an unalarmed grating (8.2.4)
- (16) potential for insider sabotage (B.1)

Vendor- or Utility-Specific Issues

- (1) fire protection review (3)
- (2) fire hazard analysis (3.2.2)
- (3) security hardware on fire doors (3.3.1)
- (4) separation of redundant shutdown equipment in the containment (3.3.1)
- (5) control room cable fires (3.4.9)
- (6) security area devitalized during unit shutdown (5.1)
- (7) operability of safety-related systems in areas with shared HVAC systems (8.2.1)
- (8) criteria for design of HVAC duct work (8.2.1)
- (9) HVAC design for PWR auxiliary building (8.2.5 and 8.4.4)
- (10) HVAC design for miscellaneous areas (8.2.6)
- (11) containment purging during normal operation (Branch Technical Position CSB 6-4, NUREG-0800) (8.4.2)
- (12) design, equipment, and instrumentation for laboratories (9)

The following is a list of issues obtained from section 1.4 of the DSER on Chapter 12:

Issues To Be Resolved Before the Staff Can Complete Its Review of Chapter 12

- (1) fuel source term parameters (2.2.2)
- (2) process and effluent radiological monitoring instrumentation and sampling systems (2.2.9)
- (3) fire protection requirements (2.2.10, 3.3.6, 4.3, and 5.F)
- (4) use of turbine seal steam (3.3.1)
- (5) use of high-efficiency particulate air filters downstream of charcoal adsorbers (3.3.3)

Confirmatory Issues

- (1) use of reasonably demonstrated technology to reduce population doses (2.2.1)
- (2) transfer of gaseous radioactive wastes to plant vent through the heating, ventilating, and air conditioning systems (3.3.2)
- (3) potentially explosive mixtures of hydrogen and oxygen (3.3.4)
- (4) configuration of charcoal adsorber beds (3.3.5)
- (5) shipping container design (5.5)

Vendor- or Utility-Specific Issues

- (1) inputs and releases from the radioactive waste processing systems (2.2.1)
- (2) use of demonstrated technology (2.2.1)
- (3) estimate of personnel radiation exposure (2.2.4)
- (4) potentially explosive mixtures of hydrogen and oxygen (3.3.4)
- (5) shipping container design (5.5)

The following is a list of issues obtained from section 1.4 of the DSER on Chapter 13:

Issues To Be Resolved Before the Staff Can Complete Its Review of Chapter 13

- (1) 60-year design life (2.2)
- (2) foundation design for turbine-generator systems (2.3)
- (3) seismic design of BWR main steam lines (3.1.1)
- (4) dynamic seismic system analysis for seismic Category II BWR components or systems (3.1.1)
- (5) seismic design of BWR turbine stop valves (3.1.1)
- (6) inspection and quality assurance guidelines for turbine stop valves, turbine control valves, turbine bypass valves, and main steam leads (3.1.2)
- (7) testing/inspection techniques for main turbine (3.1.2)
- (8) turbine maintenance program (3.1.3)
- (9) probability of turbine missile generation (3.1.4)
- (10) post-machining inspection of one-piece rotor (3.1.5)
- (11) performance requirement for turbine exhaust boot (3.1.7)
- (12) nozzle block alignment (3.1.8)
- (13) overspeed limit for governor (3.3)
- (14) load shedding without turbine trip (3.3)
- (15) screens for reheat stop or intercept valves (3.3)
- (16) inservice inspection of main stop and control valves and reheat stop and intercept valves (3.3)
- (17) extraction steam check valves (3.3)
- (18) hydrogen seal oil leakage detection (4.5)
- (19) generator instrumentation (4.8)

Issues Addressed in Other Requirements Document Chapters

- (1) turbine/reactor interface instrumentation (3.5.3)
- (2) voltage surge testing (3.5.6)

Confirmatory Issues

None

Vendor- or Utility-Specific Issues

- (1) performance and safety requirements for main turbine (3.1.3)
- (2) effect of other duty cycles on probability of turbine missiles (3.1.4)
- (3) need for prototype-testing new or significantly changed designs (3.1.6, 4.1.1)
- (4) bearing flow control orifices of the turbine lube oil system (3.2)
- (5) oil collection of the turbine lube oil system (3.2)
- (6) seal clearances of gland seal system (3.4)

EPRI ALWR Requirements Document

Volume I - Evolutionary and Passive

Volume II - Evolutionary

Volume III - Passive

Chapter 1 - Overall Requirements

Appendix A - PRA Key Assumptions and Groundrules

Appendix B - Licensing and Regulatory Requirements
and Guidance

Chapter 2 - Power Generation Systems

Chapter 3 - Reactor Coolant System and Reactor Non-Safety
Auxiliary Systems

Chapter 4 - Reactor Systems

Chapter 5 - Engineered Safety Systems

Chapter 6 - Building Design and Arrangement

Chapter 7 - Fueling and Refueling Systems

Chapter 8 - Plant Cooling Water Systems

Chapter 9 - Site Support Systems

Chapter 10 - Man-Machine Interface Systems

Chapter 11 - Electric Power Systems

Chapter 12 - Radioactive Waste Processing Systems

Chapter 13 - Main Turbine Generator Systems

REGULATORY GUIDE 1.97

INSTRUMENTATION FOR LIGHT-WATER-COOLED
NUCLEAR POWER PLANTS TO ASSESS PLANT
AND ENVIRONS CONDITIONS DURING AND
AFTER AN ACCIDENT

BARRY S. MARCUS
INSTRUMENTATION AND CONTROL SYSTEMS BRANCH
DIVISION OF SYSTEMS TECHNOLOGY
OFFICE OF NUCLEAR REACTOR REGULATION

FEBRUARY 7, 1991

PRELIMINARY COMMENTS

- PRESENTATION IS FOR THE PURPOSE OF PROVIDING A REVIEW OF THE STATUS OF THE IMPLEMENTATION OF REGULATORY GUIDE 1.97

- REGULATORY GUIDE 1.97 PROVIDES AN ACCEPTABLE METHOD FOR COMPLYING WITH THE COMMISSION'S REGULATIONS TO PROVIDE INSTRUMENTATION TO MONITOR PLANT VARIABLES AND SYSTEMS DURING AND FOLLOWING AN ACCIDENT

R.G. 1.97 BACKGROUND

- REGULATORY GUIDE 1.97, REV. 2
ISSUED - DECEMBER, 1980
- NUREG-0737 SUPPLEMENT 1
(CLARIFICATION OF TMI ACTION PLAN
REQUIREMENTS) AND GL 82-33
(REQUIREMENTS FOR EMERGENCY
RESPONSE CAPABILITY) - JANUARY,
1983
 - REQUIRED LICENSEES AND APPLICANTS
TO SUBMIT PROPOSED SCHEDULES FOR
IMPLEMENTATION
- CONFIRMATORY ORDERS ISSUED FOR
LICENSEES AND APPLICANTS TO
IMPLEMENT SCHEDULES - MAY, 1985
- R.G. 1.97 CONSISTS OF 70
VARIABLES THAT ARE TYPES A, B, C,
D, OR E AND CATEGORY 1, 2, OR 3

REVIEW APPROACH

- NUREG - 0737 SUPPLEMENT 1
REQUIRED LICENSEES AND APPLICANTS
TO SUBMIT A REPORT DESCRIBING HOW
THEY MEET THE GUIDANCE OF
REGULATORY GUIDE 1.97
- DEVIATIONS FROM THE GUIDANCE IN
REGULATORY GUIDE 1.97 SHOULD BE
EXPLICITLY SHOWN, AND SUPPORTING
JUSTIFICATION OR ALTERNATIVES
SHOULD ALSO BE PRESENTED
- WHERE LICENSEES OR APPLICANTS
EXPLICITLY STATED THAT AN
INSTRUMENT SYSTEM CONFORMED TO
THE PROVISIONS OF THE GUIDE NO
FURTHER STAFF REVIEW WOULD BE
NECESSARY
- REVIEW EFFORTS TREATED ONLY THE
EXCEPTIONS AND DEVIATIONS FROM
THE GUIDE IDENTIFIED BY THE
LICENSEES OR APPLICANTS

REVIEW APPROACH (CONTINUED)

- GENERAL IMPLEMENTATION APPROACH WAS THE SAME FOR OPERATING REACTORS (OR), OPERATING LICENSE (OL) APPLICANTS, AND CONSTRUCTION PERMIT (CP) APPLICANTS
- A CONTRACTOR (EGG/INEL) ASSISTED IN THE REVIEW OF LICENSEES AND APPLICANTS IMPLEMENTATION OF REGULATORY GUIDE 1.97
- NRC REVIEW WAS NOT A PREREQUISITE FOR IMPLEMENTATION OF REGULATORY GUIDE 1.97
- NRC ISSUED SAFETY EVALUATION REPORTS (SER) BASED ON INSTALLED INSTRUMENTATION AND COMMITMENTS FOR FUTURE ACTIONS

SAFETY EVALUATION STATUS

- 120 UNITS HAVE BEEN REVIEWED
- REVIEWS COMPLETED FOR 118 UNITS
 - WATTS BAR 1 AND 2 CURRENTLY UNDER REVIEW
- 29 SUPPLEMENTAL SAFETY EVALUATION REPORTS ISSUED
- 11 REQUESTS FOR SUPPLEMENTAL SAFETY EVALUATION REPORTS BEING REVIEWED

INSPECTION STATUS

- INSPECTIONS IN ACCORDANCE WITH TEMPORARY INSTRUCTION 2515/87 BY THE REGIONS / NRR
 - INSPECTIONS CONSIST OF AN AUDIT OF TYPE A AND CATEGORY 1 VARIABLES
- 89 UNITS HAVE BEEN INSPECTED
 - MOST UNITS CONFORMED TO TI 2515/87 WITH FEW DEVIATIONS
- REMAINING UNITS ARE SCHEDULED TO BE INSPECTED DURING FY 1991
- IMPLEMENTATION STATUS
 - 22 UNITS FULLY IMPLEMENTED
 - 53 NOT IMPLEMENTED RELATED TO GENERIC ISSUES
 - 39 NOT IMPLEMENTED RELATED TO GENERIC ISSUES AND/OR PLANT SPECIFIC ISSUES

BWR GENERIC ISSUES

- POST-ACCIDENT NEUTRON FLUX MONITORING INSTRUMENTATION
 - REGULATORY GUIDE 1.97 RECOMMENDS THAT NEUTRON FLUX MONITORS MEET THE CATEGORY 1 CRITERIA
 - STAFF RECOGNIZED NEUTRON FLUX INSTRUMENTATION AS AN INDUSTRY DEVELOPMENT ITEM
 - WHEN INSTRUMENTATION BECAME AVAILABLE THE BWR OWNERS GROUP SUBMITTED A DEVIATION REQUEST WHICH WAS REVIEWED BY THE STAFF AND REJECTED
 - BWR OWNERS GROUP HAS APPEALED THE NRR STAFF POSITION TO DIRECTOR OF NRR

PWR GENERIC ISSUES

- **CONTAINMENT SUMP WATER TEMPERATURE AND ACCUMULATOR TANK LEVEL AND PRESSURE**
 - REGULATORY GUIDE 1.97 RECOMMENDS THAT CONTAINMENT SUMP WATER TEMPERATURE AND ACCUMULATOR TANK LEVEL AND PRESSURE INSTRUMENTATION MEET THE CATEGORY 2 CRITERIA
 - OVER HALF OF THE PWR PLANTS TOOK ISSUE WITH CATEGORY 2 CLASSIFICATION FOR THESE VARIABLES
 - NRR STAFF GENERICALLY REVIEWING THE ISSUE