

DOCKETED
DATE

JUL 20 11 06

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

BRANCH

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

----- -x
:
In the matter of: :
:
COMMONWEALTH EDISON COMPANY : Docket Nos.:
: 50-454
(Byron Nuclear Station, : 50-455
Units 1 and 2) :
:
----- -x

10th Floor Conference Room
Nuclear Regulatory Commission
Maryland National Bank Building
Bethesda, Maryland

Wednesday, July 7, 1982

The deposition of EMMETT MURPHY and JAI RAJ
RAJAN, witnesses called by counsel for the Intervenors,
convened at 9:07 a.m., pursuant to agreement, taken
before Ann Riley, a Notary Public in and for Montgomery
County, Maryland.

1 Appearances:

2 For the Applicant:

3 JOSEPH GALLO, ESQUIRE
4 Isham, Lincoln & Beale
5 1120 Connecticut Avenue, Northwest, Suite 840
6 Washington, D.C. 20036

7 For the Staff:

8 STEVEN GOLDBERG, ESQUIRE
9 U.S. Nuclear Regulatory Commission
10 Office of Executive Legal Director
11 Washington, D.C. 20555

12 For Intervenors DAARE/SAFE:

13 MICHAEL JENKINS, ESQUIRE
14 326 North Avon
15 Rockford, Illinois 61103

16 Also Appearing:

17 Leslie Bowen, Commonwealth Edison

18 John Connor, Westinghouse

19 Steven Chesnut, NRC

20 Richard Bunch, DAARE/SAFE

21 Richard Udell, DAARE/SAFE

22

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

<u>Witnesses:</u>	<u>Examination by:</u>	<u>Page:</u>
Emmett Murphy) and) Jai Raj Rajan)	Mr. Jenkins	6
	Mr. Gallo	68
	Mr. Goldberg	132
	Mr. Jenkins	153
	Mr. Gallo	157
	Mr. Goldberg	161

E X H I B I T S

	<u>Page:</u>
Murphy/Rajan Depo. Exhibit 1 - "Steam Generator Status Report, February 1982, U.S. Nuclear Regulatory Commission	116

P R O C E E D I N G S

1
2 MR. GOLDBERG: As I indicated in my July 2nd
3 letter to Diane Chavez of DAARE/SAFE, this deposition of
4 Emmett Murphy and Jai Raj Rajan is being conducted pursuant
5 to Ms. Chavez' June 29th telephone request.

6 I understand from Ms. Chavez that she has
7 contacted the local Illinois parties concerning this
8 deposition, including the legal representative for the
9 Rockford League of Women Voters, who is not in attendance
10 at this deposition.

11 I agreed to make Mr. Murphy and Dr. Rajan
12 available for deposition concerning their June affidavit
13 on DAARE/SAFE Contention 9-C, despite the fact that the
14 formal discovery period has closed.

15 There is obviously greater latitude normally
16 accorded the topics for deposition, but I would expect
17 that the deposition will focus on the affidavit for which
18 these gentlemen are prepared to respond.

19 Any evidentiary objections I may make are for
20 the record. I will not instruct the witnesses to decline
21 to answer on the grounds that I have interposed an
22 evidentiary objection, and I would not encourage discussion

1 on those objections, nor do I anticipate a necessity for
2 inviting any ruling by the presiding officer.

3 I understand also under the rules and practice
4 that objections are not waived if they are not made, and
5 I will try not to disrupt the orderly flow of the deposition
6 unnecessarily.

7 And with that, I have nothing further.

8 MR. JENKINS: Gentlemen, the purpose for our
9 gathering here today is to just get some information. We
10 are not going to be asking any trick questions or anything
11 like that. All our questions are going to be in the area
12 of your expertise.

13 MR. GALLO: You have to talk louder.

14 MR. JENKINS: I'm sorry.

15 If there are any questions I ask that you don't
16 understand, please just tell me and I will rephrase the
17 question or ask it in a different manner.

18 Now I've never asked questions of two witnesses
19 at once, and I'm not sure where your areas of expertise
20 overlap. So if either of you feels more qualified to
21 answer than the other, then, please, that person answer
22 the question. And if the other person has some information

1 to add to that, please go ahead and add that information at
2 the end of the previous person's discussion.

3 Whereupon,

4 EMMETT MURPHY

5 and

6 JAI RAJ RAJAN

7 were called as witnesses by counsel for the Intervenors
8 and, having been first duly sworn, were examined and
9 testified as follows:

10 E X A M I N A T I O N

11 BY MR. JENKINS:

12 Q Gentlemen, a couple of brief questions relating
13 to technical expertise in the licensing of these plants.

14 First of all, what areas of technical expertise
15 are required for a thorough understanding of steam
16 generator problems?

17 A (Witness Murphy) I'll do this one first, Jai,
18 and then you add to it.

19 For a thorough understanding of steam
20 generator problems, it requires a knowledge of a variety
21 of technical disciplines; mechanical, materials, chemistry,
22 and systems. Understanding of how the reactor plant works.

1 Q Which of these areas do you individually have
2 expertise in?

3 A I personally am knowledgeable regarding the
4 history of steam generators to date, surveillance programs
5 to monitor steam generator performance and inspection
6 techniques. I have considerable background in structural
7 mechanics, and I have been involved in the review of
8 steam generators, primarily operating steam generators for
9 the past three years.

10 Q Dr. Rajan?

11 A (Witness Rajan) My involvement has been primarily
12 in the area of mechanical engineering aspects of the steam
13 generator internals modifications, and I have been involved
14 in development of plugging criteria for degraded steam
15 generator tubes. And my involvement has been for a
16 number of years in this area, off and on.

17 Recently, the last two years, has been more
18 than the previous years.

19 Q What is you gentlemen's specific authority and
20 expertise with reference to Byron's SER?

21 A (Witness Murphy) In terms of authority -- I'm
22 not sure I understand the question. Speaking for myself,

1 I felt qualified to respond to the contentions set forth
2 and there were others that could have also responded, were
3 I not involved. I'm not quite sure I understand the full
4 breadth of the question.

5 MR. GALLO: Can we go off the record?

6 (Discussion off the record.)

7 WITNESS RAJAN: I don't know if I can call it
8 an area of expertise, but I did review the steam generator
9 design for the Byron-Bradewood plant, as I did for several
10 other plants, and our review was primarily within the
11 mechanical engineering aspects of the steam generator side.

12 This includes the internals, primarily, and does
13 not get involved with the systems aspects.

14 BY MR. JENKINS:

15 Q Could you define for me what is an unresolved
16 safety issue?

17 A (Witness Murphy) One, an issue for which
18 perhaps the safety significance is not fully understood,
19 and one where perhaps some question exists as regards
20 to whether additional regulatory action or study, perhaps,
21 should be devoted to this particular issue.

22 Basically I think an unresolved safety question

1 is one of whether or not the Staff is -- we have sufficient
2 -- sufficient regulatory control over the situation, over
3 the issue.

4 Q Are there any -- I'm sorry.

5 A (Witness Rajan) I have nothing to add to that.

6 Q Are there any safety issues which might be
7 described as unresolved that might be unacceptable? I'm
8 not asking for specific safety issues, but is that contem-
9 plated within the definition of a safety issue?

10 A (Witness Murphy) In terms of -- I'll go on and
11 I'll answer your question in a moment.

12 Q Okay.

13 A But let me mention the fact that at the NRC,
14 we have a specific organization assigned to perform
15 unresolved safety issue studies, and I'm sure they can
16 give you a much more polished and perhaps a better
17 philosophical feel for what these -- how these issues
18 interrelate to existing regulatory approaches to reactor
19 plants, or nuclear plants.

20 Would you mind repeating the question? I'll
21 answer your question.

22 Q Right. Are there any unresolved safety issues

1 which might be deemed unacceptable over the life of the
2 plant?

3 A With regards to steam generators, in my opinion,
4 there are areas that certainly deserve further study by
5 the Staff. These studies are in progress, but in my
6 opinion, pending the outcome of these studies, we have
7 sufficient -- we have sufficient requirements and checks
8 and balances in place to ensure the safe operation of the
9 unit.

10 In my opinion, it is important that we not
11 sit on our present position indefinitely. I think it's
12 important that we continue to study the matter and identify
13 any of the areas where improvements should and can be made.

14 Q Okay. I want to discuss briefly some of the
15 history of tube degradation problems.

16 How many Westinghouse reactors are currently
17 operational, approximately?

18 A On the order of 40.

19 Q How many of that number have had tube problems
20 of some sort?

21 A I think I have seen -- somebody has actually
22 gone down a list and counted it, a number of approximately

1 40, so therefore my first answer to -- maybe change my
2 first answer a little bit. We must have a bit more than
3 40 operating Westinghouse -- no, wait a minute.

4 MR. UDELL: There are 49 PWRs.

5 WITNESS MURPHY: I think you are correct. I
6 don't think we have that many Westinghouse plants. I
7 did bring a document, if it were necessary I could
8 physically run down a list of plants and count the number
9 involved.

10 Let me just say that, one, the number of PWR --
11 operating PWR plants is well known, and the number of
12 plants that have reported anywhere from minor to severe
13 degrees of tube degradation has also been reported in NRC
14 reports. I think we are talking on the order of in excess
15 of 40 PWR systems, total.

16 A major share of those, off the top of my head,
17 60 percent, might involve Westinghouse plants, and the vast
18 majority of PWR plants have reported anywhere from very
19 minor degrees of tube degradation ranging to severe degrees
20 of tube degradation.

21 BY MR. JENKINS:

22 Q What proportion is that? Would you repeat that?

1 Approximately?

2 A (Witness Murphy) Does 60 percent sound reasonable
3 to you, Jai?

4 Let me refer you to NUREG 0886. I don't think
5 it serves any purpose for me to speculate.

6 Q Please do.

7 A NUREG 0886 provides a listing of all operating
8 PWRs, and a summary of what kinds of tube degradation have
9 been experienced in each of these facilities, ranging from
10 very minor degrees of tube degradation to the most severe
11 forms of tube degradation.

12 Q Would you refer now to that document and tell me
13 the number of Westinghouse plants that have had tube
14 degradation problems?

15 A I count 29.

16 Q Okay. And how many Westinghouse reactors are
17 there?

18 A Operating reactors?

19 Q Yes.

20 A Nine, eleven -- I count 31. That doesn't say
21 I may not have missed one or two.

22 Q Are you aware of any problems since the

1 publication of that document?

2 A Yes.

3 Q And how many?

4 A I'd have to give some thought to that answer.

5 Westinghouse plants -- I'm not aware of any plants
6 which have not experienced -- previously experienced
7 degradation, now having experienced degradation, with
8 the exception of McGuire. McGuire, I think, since the
9 publication of this document, has reported some very minor
10 degrees of -- some degree of tube degradation as a result
11 of the preheater vibration problem.

12 Q So virtually all of the plants have experienced
13 some sort of problem; is that fair to say?

14 A Yes, ranging from very minor degrees to very
15 severe degrees.

16 Q One of the measures that your affidavit suggests
17 to minimize tube degradation problems is AVT water
18 chemistry. How many of the Westinghouse reactors employ
19 AVT?

20 A All but two.

21 Q How many of this number have had some type of
22 tube degradation problem, to the best of your knowledge?

1 A Well, to the best of my knowledge, the vast
2 majority have had tube degradation problems.

3 Q Your affidavit lists, along with AVT, three
4 other measures to deal with tube integrity problems. Have
5 these measures been employed at the other Westinghouse
6 units as well?

7 A Let me refer to my affidavit.

8 Regarding item 2, improved controls and
9 monitoring secondary water chemistry, I'm really not the
10 one to address what steps, what specific steps the
11 industry in general has taken in regards to operating
12 plants to improve secondary water chemistry control.

13 Plants that have -- well, in-service inspection
14 requirements in accordance with various criteria, plants
15 which have been licensed in the past several years, have
16 been subject to the requirements of the standard technical
17 specifications, in addition to the requirements of --
18 the criteria of Regulatory Guide 1.83 and the ASME Code.

19 The standard tech specs represent a general
20 upgrading of steam generator tube surveillance requirements
21 with respect to Regulatory Guide 1.83 and the Code.

22 Q And the fourth item there, limiting allowable

1 primary to secondary leakage rate?

2 A Leakage rate limits are specified in technical
3 specifications. The newer plants, subject to the standard
4 technical specifications, have the most stringent limits
5 on -- tech spec limits on primary to secondary leakage.

6 Let me just add there that where a plant runs
7 into severe difficulties with corrosion and so forth, it
8 is not at all uncommon for the Staff to require much more
9 stringent limits on allowable primary to secondary leakage,
10 as a special license condition, which are lower than the
11 actual tech spec limits.

12 Q Are there any plants that you are aware of
13 that have employed all four of these measures?

14 A Yes. In saying yes, it is based upon my
15 understanding that many of the newer plants have implemented
16 improved controls and monitoring of secondary water
17 chemistry. So my response to that would be that some of
18 our more recently licensed plants would have implemented
19 all four of these items listed.

20 Q What is the record of tube problems in these
21 plants?

22 A Mixed. One thing to keep in mind is that the

1 newer plants have had the least amount of operating
2 experience and short-term trends may or may not be
3 indicative of long-term trends. Just looking over a list
4 of plants which we have licensed in the past -- oh, since
5 1980, none of these plants have experienced any extensive
6 degradation, tube degradation problem.

7 Q But they have still experienced some degradation
8 problems?

9 A Some have experienced some degradation problems.
10 Sequoyah 1, for example, has experienced minor amounts of
11 denting. Salem Unit 2 has not reported -- Sequoyah 1 was
12 issued a license in September 1980. Salem Unit 2, it was
13 issued a license in April 1980, and has not reported any
14 degradation to date.

15 That is not to say that they don't have any
16 degradation. It just isn't significant enough to be
17 reportable to us. Neither of these two plants have plugged
18 any tubes as of last February.

19 Q Are these plants at 100 percent operation?

20 A There is nothing in the steam generators that
21 would preclude their operating at 100 percent. I can't
22 speak to other constraints.

1 Q You earlier mentioned the imposition of license
2 conditions where problems have emerged. Instead of
3 imposing license conditions, why didn't you simply revise
4 the technical specifications?

5 A That is sometimes done, too, where we feel
6 that a common vehicle for changing the requirements is
7 to revise the tech specs.

8 Another vehicle that has been used in the past
9 has been to place special license conditions on the plant
10 which govern it, which, you know, are the governing
11 requirements, as long as the conditions are in effect.

12 Q In your affidavit you state, and I quote:

13 "Several steam generator design features
14 are employed at Byron to limit the regions
15 where deposits could tend to accumulate
16 and possibly cause corrosion."

17 What are these design features?

18 A One that immediately comes to mind is the
19 elimination of the tube to tube sheet crevices. These
20 crevices -- they've added a design feature to enhance
21 the coolant flow, secondary coolant flow across the tube
22 sheet to minimize the buildup of sludge deposits on the

1 tube sheet. A traditional location of corrosion problems
2 in steam generators has been within the area of sludge
3 accumulation.

4 Those are two that come to mind immediately.

5 Q Are these features employed in any other plants?

6 A Tube sheet crevice -- tube sheet crevices have
7 been eliminated at a handful of domestic plants, operating
8 domestic plants. None of these plants have, to my knowledge,
9 experienced any tube degradation, because the crevice has
10 been eliminated. They are not subject to the crevice
11 corrosion that earlier plants had been. There have been
12 no reported difficulties for domestic units as a result
13 of eliminating the tube sheet crevice.

14 Q That was my next question.

15 A With regards to the second part of the question,
16 I'm not sure that we have any significant or any significant
17 amount of operating experience yet.

18 Q In February 1982, the NRC issued a report
19 entitled "Steam Generator Status Report." This report
20 chronicled some of the problems of tube integrity, and
21 in section 3 it states, and I quote:

22 "Short-term solutions to one problem may

1 create other problems. Conversion from
2 phosphate to AVT water chemistry, which
3 minimized wastage and stress corrosion
4 cracking but was followed by denting,
5 is a case in point.

6 "Finally" -- I'm still quoting -- "it
7 should be noted that the majority of plants
8 under review for operating licenses have
9 SGs of similar design to those currently
10 in operation, so that the potential for
11 SG tube degradation exists in these plants
12 as well."

13 Is this steam generator at Byron similar to
14 those currently in operation?

15 A It's basically similar. I believe one of the
16 Byron units employs a D-5 steam generator.

17 Q We'll go into that. I just want to go into
18 the history first.

19 A They are basically similar.

20 Q Based on the history of tube degradation
21 problems, what is the probability of a tube degradation
22 problem emerging at Byron within the operational life of

1 the plant?

2 A I would say based upon previous experience,
3 there is a high probability that they will encounter
4 somewhere between minor and significant amounts of
5 corrosion.

6 It's very difficult to project whether these
7 will be minor problems or severe problems.

8 Q What is the probability of tubes needing to be
9 repaired? Can you speculate on that?

10 A There is a possibility -- oh, repaired? You
11 mean plugging?

12 Q Right.

13 A I would say there is a likelihood that Byron
14 might expect to have to plug tubes during the life of its
15 plant.

16 Q Is this a high likelihood?

17 A Based upon previous experience, it would seem
18 yes.

19 Q After how many years is this likely to occur?

20 A Five years. Just a ball-parkish number.

21 Q Is it possible that a tube problem could emerge
22 in the first year of operation?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

A Possible.

Q How long is the vendor's warranty period?

A I don't know.

A (Witness Rajan) To this I would like to add that plugging of a few tubes should not be put out of perspective. It really does not affect the operation of the steam generator, and also it does not, in my judgment, constitute a safety problem. So if a few tubes need to be plugged during the early life of a plant, it should not be blown out of perspective.

Q Mr. Rajan, does plugging or sleeving the tubes require any worker exposure as a result of the work exposure?

A I do not have the numbers with me, but obviously during the early stages the exposure is less. As it goes to -- after the plant has been in operation for a longer period of time, and also the techniques have now been continuously refined to the point -- the plugging techniques, that is, that exposure is limited to a minimum, and plugging of a few tubes is within acceptable limits.

MR. JENKINS: Just a moment, please.

(Pause.)

1

BY MR. JENKINS:

2

3

4

5

6

7

Q I want to go on and talk about a comparison between the different models of steam generators. I have reviewed the schematics of the D-2, D-3, and the D-4, D-5 model, and other than the size of the preheater, I couldn't note any differences. Could you describe how the models are different?

8

9

10

11

12

13

A (Witness Rajan) Well, primarily the D-4, D-5 preheater section has a flow pattern in it, in which the flow, as it enters from the main feedline, hits an impingement plate and is directed downwards, and then it curves upwards again. This is referred to as a counterflow type.

14

15

16

17

The reason for the preheater is to -- the object of a preheater is to increase the flow within that region so as to increase the efficiency of the steam generator, and this is one way of doing it.

18

19

20

21

22

In the D-2 and D-3 type, primarily the flow hits an impingement plate and then is split almost half and half upwards and downwards, but the basic idea in both the preheater designs is to create a region of flow in which there is mixing and high rate of heat

1 transfer.

2 Q So, then, other than the design of the preheater,
3 there is no significant difference between the designs?

4 A I would say that it is a significant difference
5 in one sense: In the D-4, D-5 case, the impingement plate
6 directs the flow downwards, and in that sense its effects
7 on the steam generator tubes would be different from those
8 that the tubes would experience in the D-2 and D-3 model,
9 because in that case there is a high cross-flow component.
10 The flow, after hitting the impingement plate, goes upwards
11 and towards the tubes.

12 A (Witness Murphy) It's my recollection that D-5
13 steam generators employ stainless steel support plates as
14 opposed to carbon steel support plates of earlier designs.
15 With stainless steel support plates, we would expect the
16 D-5 steam generators to be less susceptible to denting.

17 Q Your affidavit discusses flow-induced vibration
18 and subsequent wear of tubes and preheater. You state,
19 and I quote:

20 "The tube excitation mechanism appears to
21 be a combination of a threshold type of
22 fluid elastic instability and turbulent buffeting."

1 Would you please define those two terms?

2 A (Witness Rajan) In fluid elastic instability
3 type of phenomenon, if a tube is excited by a range of
4 frequencies, it responds to a very narrow band of
5 frequencies. And when those frequencies are -- when
6 those frequencies excite the tube, this narrow band of
7 frequencies, the tube goes into a rather violent mode of
8 vibration.

9 In turbulent buffeting, on the other hand,
10 the tube responds to the exciting forces at all frequencies
11 and as the power level increases, the buffeting forces
12 increase, and therefore the tube vibrations increase, and
13 in such a case the vibration of the tube increases with the
14 power level.

15 Whereas, if the tube is excited by turbulent --
16 by fluid elastic instability, it is possible it may not
17 experience violent oscillations and vibrations at other
18 power levels, except at which it goes into resonance.

19 Q What happens if there is vibration and subsequent
20 wear of tubes in the preheater?

21 A Some vibration is obviously acceptable. It is
22 only when the vibrations of the tubes -- as a matter of

1 fact, all tubes in the steam generator vibrate to cross-
2 flow velocities and axial velocities. So that is some
3 level of vibration which is acceptable and will not create
4 any damage over the life of the plant.

5 However, if the tube, for some reason, goes into
6 a violent state of vibration, only then the wear rates --
7 the wear rates as a result of the tube hitting the support
8 plates-- the wear rates increase to such levels that
9 degradation is rapid and can lead to a tube failure in a
10 shorter period of time than it is designed for.

11 Q Has this ever happened in an emergent situation?

12 A (Witness Murphy) What?

13 Q An emergent situation.

14 A Emergent?

15 Q Creating an emergency.

16 A We have not, to my knowledge, had a tube failure
17 rupture, or a rupture event, rather, as a result of tube
18 vibration. There have been some large leaks as a result
19 of tube vibration, but not one which we formally classified
20 as a tube rupture event.

21 Q Are you aware of any that may have occurred in
22 foreign facilities?

1 A Not as a result of vibrations, that I'm aware of.

2 A (Witness Rajan) Are you talking of a leak, or
3 are you talking of a severance?

4 A (Witness Murphy) Emergency -- the emergency --
5 we're speaking of rupture events.

6 A (Witness Rajan) You're talking of severance of
7 a tube. I agree with Emmett.

8 MR. JENKINS: Just a moment.

9 (Pause.)

10 BY MR. JENKINS:

11 Q Mr. Murphy, you can go ahead. I was going to
12 ask you about Ginna. You can go ahead and make your statement
13 on the record.

14 A (Witness Murphy) Okay, we'd like to amend our
15 previous answer to say at Ginna the tube that ruptured
16 at Ginna did not rupture directly as a result of vibration.
17 Vibration did play a role.

18 A (Witness Rajan) But the primary mode of failure
19 was another mechanism.

20 A (Witness Murphy) Vibration did play a role in
21 transferring -- in the overall failure scenario which was
22 initiated by foreign objects and through a complicated

1 sequence of events, led to excessive wear and pressure
2 burst of the failed tube.

3 A (Witness Rajan) We were responding, or I was
4 responding primarily in terms of the flow-induced
5 vibration phenomenon and the fluid elastic and the turbulent
6 buffeting type of phenomena. But as Emmett pointed out,
7 at Ginna, vibrations had a role in tube failures, although
8 not the primary cause of failure.

9 Q What was the nature of the problem with the
10 Ringhals plant in Sweden, if you're familiar with that?

11 A Primarily flow-induced vibrations acting on
12 the tubes in the vicinity of the preheater section. And
13 as a result the tubes impacted against the support plate,
14 the holes in the support plates, and there was a high
15 rate of wear in those regions. And I believe one tube
16 was degraded to the point, or worn down to the point that
17 it started to leak.

18 Q Was there any warning of this leakage?

19 A As far as I know, it was not a failure that
20 resulted in the severance of the tube. When the tube wall
21 wore down to the point that there was a throughwall area
22 of leakage, that obviously provided a warning to shut the

1 plant down, because of the high leakage. And in that sense,
2 there was warning.

3 Q But there was no warning of the problem emerging
4 or arising?

5 A (Witness Murphy) not prepared to answer
6 whether or not the leak may have grown from very
7 insignificant amounts slowly to something that was
8 detectable at plant shutdown, or whether the tube was
9 penetrated in one instant leading to a sudden small leak,
10 if you will, we can't answer that question without checking.

11 It was a relatively small leak, though, when
12 you are comparing it to Ginna or Point Beach or something
13 like that.

14 Q Has there been a design fix for this problem
15 in the D-2, D-3 model steam generators?

16 A (Witness Rajan) In my judgment, there is a
17 design fix which is in an advanced stage of test and
18 evaluation, and from what results that I have seen, I am
19 convinced that this problem will be taken care of.

20 Q Has this design fix been implemented in any
21 plants in operation?

22 A No. It has -- the first domestic plants during

1 which it will be implemented are scheduled in September or
2 October.

3 Q Describe the nature of this design fix.

4 A There are a number of modifications in the
5 preheat section that are being -- they have been finalized,
6 and these involve -- the basic change is the replacement
7 of the impingement plates by a manifold, internal manifold,
8 which has two double walls and a large number of holes in
9 both the plates, and the object of this impingement --
10 internal manifold is to produce a uniform flow velocity
11 at the first row of tubes beyond the inlet region, which
12 is the 49th row.

13 And as a result of this uniform velocity, the
14 flow-induced vibrations and the turbulent buffeting on
15 these tubes, it has been shown has dramatically decreased.

16 Q How long would it take to retrofit this to
17 existing operational plants?

18 A I do not remember the exact periods involved,
19 but the time required for tooling and installation is
20 within weeks.

21 Q Will this design fix totally eliminate all
22 problems with tube degradation?

1 A No, this fix is aimed at the flow-induced
2 vibration phenomenon that is experienced in the D-2, D-3
3 models only. It is not expected to, for example, have
4 any effect on corrosion -- stress corrosion cracking or
5 other denting or other problems.

6 Q I see. Okay. That's a good clarification.

7 Will these design fixes be applied to the steam
8 generators used at Byron?

9 A No. As I pointed out, this fix is directed at
10 the model -- is designed only for the D-2 and D-3 steam
11 generator design -- steam generator models and will therefore
12 not be applicable for Byron.

13 MR. JENKINS: Excuse me just a moment.

14 (Pause.)

15 BY MR. JENKINS:

16 Q As the denting and corrosion problems
17 occur in plants, as they get worse in the plant, is it
18 necessary to reduce the operating capacity of the plant
19 to lessen the possibility and the probability of new
20 ruptures occurring?

21 A (Witness Murphy) Would you repeat the last
22 part of the question, please.

1 Q Yes. Is it necessary then to decrease the
2 operational level of operating of the plant in order to
3 reduce the possibility of rupturing?

4 A Is it necessary to reduce the rated power
5 of the plant to reduce the potential for accidents?

6 Q Right.

7 A No. Once you get into large-scale plugging of
8 steam generators, ultimately you may reach the point where
9 you have physically removed such a substantial part of
10 your heat transfer area, your available heat transfer
11 area, that you do affect your capability to produce heat
12 and power, but does not affect the propensity for -- the
13 level of plugging, as Jai Rajan pointed out earlier, does
14 not affect the potential for a rupture or a failure.

15 Q How did Westinghouse test its D-2, D-3 steam
16 generators prior to its use in a nuclear facility?

17 A (Witness Rajan) Basically, the design is
18 verified on a computer model which simulates the flow
19 phenomenon and the thermal hydraulics within the tube --
20 within the steam generator, and this is done with the
21 aid of several highly sophisticated computer codes.

22 In addition to this, some verification is

1 obtained with scale models.

2 Q How did those test results correlate with
3 in-plant experience?

4 A This particular phenomenon, which occurred at
5 Ringhals and McGuire, was obviously not predicted by the
6 computer codes and the scale modeling tests.

7 Q In your expert opinion, why do you think there
8 is a disparity between the predicted results and the actual
9 results?

10 A Well, for one thing, we have to recognize that
11 this phenomenon is occurring only in a limited area of
12 the preheat section, and is not something that the
13 conventional thermal hydraulic codes used in the design
14 of the steam generator.

15 They would predict -- as I pointed out earlier,
16 there is a high degree of turbulence and this was
17 purposely created to extract more heat in that region.

18 So, with this high degree of turbulence, some
19 tubes were excited into resonant modes which was not --
20 which had not been anticipated.

21 Q Your affidavit states that Westinghouse will
22 do "extensive analyses and tests, including large scale

1 model tests" on the D-4, D-5 generators.

2 How large a scale?

3 A I believe it's the -- the preheat section is
4 being -- it's a two-thirds scale model, the largest one.
5 Although it's entirely possible to obtain meaningful data
6 from smaller models.

7 Q Does NRC plan to empirically verify these tests?

8 A What do you mean by empirically, empirically
9 verify?

10 Q Well, are you planning to run your own tests, or
11 are you planning to look at the data and put it into your
12 own model?

13 A As far as I know, there are no such plans.

14 Q What is your level of confidence, based on your
15 expert opinion, that Westinghouse's results can be
16 extrapolated to actual use experience?

17 A Now are we talking of which?

18 Q D-4, D-5.

19 A D-4, D-5? I have not seen any results of
20 model test data on D-4, D-5 yet, although I understand
21 that Westinghouse is in the process of conducting analyses
22 and test data for the D-4, D-5 models in a similar fashion

1 as they have done for the D-2 and D-3.

2 My understanding is that these will be available
3 by the end of the year.

4 A (Witness Murphy) I think it's important to
5 note that once it was recognized they had a problem in
6 the preheater, that they were able to determine -- they
7 were able, through analysis and tests, to demonstrate how
8 the wear mechanism worked. With the ability of hindsight
9 they were able to demonstrate, yes, you know, you certainly
10 would expect a wear process to take place as a result of
11 vibration.

12 So they have been able, by analysis and test,
13 to say, yes, under these conditions you will get wear and
14 vibration, and it explains the wear patterns that we are
15 actually observing in the field, and being able to do this
16 gives you confidence that they have a model where, if they
17 adjust certain parameters, they have the tools necessary
18 to evaluate the effect of these parameters on the overall
19 performance of the preheater section.

20 A (Witness Rajan) To this I would add that one
21 nondomestic plant has been instrumented which has a model
22 D-4 design, and data obtained from that is providing useful

1 information as to which modifications would be effective,
2 and which may not be of that great utility.

3 Q Is this domestic or foreign?

4 A One foreign plant.

5 Q Let's jump ahead to that. Are you aware --
6 you're referring to the KRSKO plant in Yugoslavia?

7 A Yes.

8 Q Are you aware of the current operating status
9 of that plant?

10 A I am aware that it has had about 2000 hours of
11 operation, approximately, and there was negligible -- there
12 was no detectable degradation found as a result of measure-
13 ments in the tubes that normally would be affected.

14 The instrumented data from that plant indicated
15 that there is a higher level of tube vibration than is
16 expected. So while there seems to be evidence that this
17 problem is there, there is no evidence of degradation of
18 the tubes as such -- detectable level of degradation of
19 the tubes as such, so far.

20 Q Eddy current testing, I understand, is capable
21 of determining whether thinning has occurred only past 20
22 percent; is that correct?

1 A (Witness Murphy) That's not exactly correct.
2 At the support locations where the degradation is occurring,
3 we would be a little hard-pressed to say what the threshold
4 of detectability is, but I think it is something less than
5 20 percent. Certainly 20 percent, I believe, should be
6 detectable.

7 Q Is 2000 hours of operation in the KRSKO plant
8 sufficient to establish whether you have reached that
9 threshold of being able to determine if thinning has occurred?

10 A (Witness Rajan) Well, definitely it indicates
11 one thing, that the mechanism of degradation is not so
12 severe that it would manifest itself in a short while. But
13 it certainly does not preclude degradation if the operation
14 were continued.

15 Q If repairs are an eventuality at Byron, which I
16 believe is a fair assessment of your earlier statement --

17 A (Witness Murphy) Plugging? Plugging repairs?

18 Q Right, plugging or sleeving repairs. -- would
19 their retrofit be a radioactive task?

20 MR. UDELL: I'm sorry, excuse me for a minute.

21 (Discussion off the record.)

22 MR. JENKINS: Okay, I retract that question. We

1 got an answer to it previously.

2 BY MR. JENKINS:

3 Q Let me ask the question this way:

4 Is a design fix inevitable at Byron, do you
5 think?

6 A (Witness Rajan) Are we talking -- a design
7 fix -- okay, now we are talking of the tube vibration
8 problem?

9 Q Right.

10 A I believe there would be some fix. Now what
11 that exact fix would be, it's not -- there are several
12 options available, and I don't know exactly what form that
13 fix will take.

14 Q Okay. Now if the plant starts up before you are
15 able to establish that design fix, would that then be a
16 radioactive task?

17 MR. GOLDBERG: Excuse me. I don't know if
18 the witnesses understand the question, but what would be
19 a radioactive task? Starting up the plant without
20 implementing a vibration fix?

21 MR. JENKINS: Doing the design fix after the
22 start-up of the plant.

1 MR. GOLDBERG: Okay.

2 WITNESS MURPHY: It would seem reasonable to
3 assume that installation of a fix after start-up would
4 involve some amount of occupational exposure.

5 BY MR. JENKINS:

6 Q Okay, as a summary question here, in light of
7 the variety of tube integrity problems, in light of
8 Westinghouse's track record in testing, and in light of
9 NRC's own observation that solutions to one problem may
10 create other problems, why are you recommending that Byron
11 be permitted to operate before ultimate resolution of these
12 various issues?

13 A (Witness Murphy) I'm not sure that we've --

14 A (Witness Rajan) Let me say this: That it is
15 our -- that we anticipate that the fix will be in place
16 before Byron goes into operation.

17 A (Witness Murphy) But we may want to discuss
18 this. I understand there is some question on this point
19 which we may want to discuss later, but the Staff has not
20 made its conclusions regarding the preheat -- regarding
21 the preheat problem and what an acceptable basis for
22 start-up of the plant will be.

1 The Staff has committed in its SER to review it,
2 the generic problem, as it relates to Byron, and it has not
3 concluded -- and in the SER, that a fix is a necessary
4 condition for start-up. It has not made any conclusion
5 whatsoever as yet. The Staff must make a conclusion and a
6 finding before start-up. We would issue, to the extent
7 that -- if it were to turn out that a fix could not be
8 implemented prior to start-up, then the Staff would have
9 to evaluate the acceptability of a program for interim
10 operation pending a fix.

11 MR. GOLDBERG: Mike, I would interject, your
12 question was a broad summary question, and if I understood
13 the answer, when the term "fix" is used, are you talking
14 about now a fix for the tube vibration phenomenon?

15 WITNESS RAJAN: That's precisely what we are
16 talking about.

17 MR. GOLDBERG: So I don't know if you got an
18 answer to your question. Their remarks were devoted to
19 a position of tube vibration. I don't want to unduly
20 confuse the process, but I think they confined their
21 answer to vibration, their position on tube vibration.

22 MR. JENKINS: I'm satisfied with the response.

1 MR. GOLDBERG: Okay. Fine. Fine.

2 MR. JENKINS: Hold on just a moment, please.

3 (Pause.)

4 BY MR. JENKINS:

5 Q When a steam generator tube cracks, ruptures or
6 leaks, what is the potential for radiation to escape to
7 the environment?

8 A (Witness Murphy) When a tube leaks or ruptures,
9 there is a potential for radiation to escape to the environ-
10 ment. I am not the one to -- I cannot provide any sort of
11 expert testimony regarding the amounts of doses, offsite
12 doses as a result of leakage or ruptures.

13 Q Let me ask it this way:

14 How large a leak would be necessary before
15 radiation could leak to the environment?

16 A I can only give you my nonexpert understanding,
17 and that is that you will get some amount of radiological
18 release with leakage. But once the -- once radioactive
19 water gets into the secondary, the pathways are available
20 for the radioactivity to get into the environment.

21 Q Have there been any tube degradation problems
22 which resulted in radiation leaks?

1 A Oh, I think -- again I think if you want to
2 discuss radiological releases to the environment, perhaps
3 I think you need a different --

4 Q Different set of experts?

5 A -- different set of experts.

6 A (Witness Rajan) The answer is yes, but we are --
7 I don't think we can quantify the releases.

8 Q Okay.

9 A The answer to your question is yes. Yes.

10 A (Witness Murphy) We'll say that the Staff does
11 have regulations regarding acceptable offsite releases, and
12 that these are enforced.

13 Q Well, now, I have a number of other questions
14 here relating to radiation leaks and safety design and so
15 forth, and I understand that you are not experts in this
16 area, so if you could just -- I want to run through them
17 and see if I can get an answer to the best of your knowledge,
18 and just advise me if I'm going out of bounds here.

19 Are you familiar with the safety response systems
20 in the event of a ruptured steam generator tube? And if
21 so, could you please describe it?

22 A Jai, do you want to take a stab at that? I'm

1 not, in terms of how the plant is brought to a cold shutdown,
2 in event of a rupture event, I'm not prepared to comment.
3 I cannot comment on that.

4 A (Witness Rajan) I am also not a systems man.

5 Q Is there a potential for any multiple failures,
6 for example, the pilot operated safety valve sticking
7 open? Is there a potential for that to occur during a
8 tube rupture event?

9 A (Witness Murphy) Once you have a tube rupture
10 event, and you go into emergency shutdown situation, I
11 would have to assume that there is something -- there is
12 no reason why something else couldn't necessarily go wrong
13 during the shutdown.

14 Q Do you know if this has ever happened in multiple
15 failures of some sort?

16 A I would assume that it has. I would refer you
17 to an interesting document to review in that regard,
18 would either be the Ginna report put out by the Staff
19 that described the shutdown in excruciating detail. Any
20 problems that were experienced with valves and the like
21 are all in there.

22 There have been -- we have had a number of these

1 rupture accidents. The first three are described in very --
2 in great detail in a NUREG report entitled "Evaluation
3 of Steam Generator Rupture Events." I don't know the
4 NUREG number right off the bat. And the Ginna event was
5 analyzed separately in a more recent NUREG.

6 Q Do you know if there is any potential for
7 secondary to primary tube leaks under certain accident
8 conditions?

9 A Under certain accident conditions, if you have a
10 tube failure, there is a potential for secondary to primary
11 tube leaks.

12 Q What could that result in? What could that
13 leak do, do you know?

14 A Ultimately if one were to have excessive
15 secondary to primary leakage, you could affect your
16 capability to adequately cool the core. It's an ultimate
17 consequence of excessive leakage.

18 Q Now my next question --

19 A Well, not ultimate, but it's a consequence.

20 Q My next question I think you probably have a
21 little bit more expertise in. Is there a potential for
22 more than one steam generator tube to fail at or about the

1 same time?

2 A During normal operation, steady state normal
3 operation, I cannot imagine that we would get more than a
4 single tube failure. Ruptures obviously have happened,
5 tube ruptures have happened four times in this country.
6 They have been single failures. I cannot imagine -- to
7 get more than one tube failure, you need a triggering event,
8 you need a transient of some sort.

9 Otherwise, under normal steady state conditions,
10 the rupture will occur, assuming the degradation is out
11 of control and not being adequately surveilled, it
12 will occur in a random fashion.

13 Q But doesn't flow-induced vibration affect many
14 tubes at once?

15 A Yes, but you would not expect that each tube
16 would be degraded to exactly the same degree, such that
17 the failures would occur simultaneously.

18 (Pause.)

19 Q Okay. Again another summary question here
20 relating to safety and so forth.

21 In your expert opinion, do you agree with a
22 statement of Mr. Harold Denton that there is no way to

1 ensure that tube leaks will never happen?

2 MR. GALLO: I'm going to object to that question.
3 Did you answer it?

4 WITNESS MURPHY: No, I didn't answer it.

5 MR. GALLO: There is no foundation that Harold
6 Denton made such a statement. Do you want to try to do
7 that?

8 MR. JENKINS: I think I'll just withdraw the
9 question. It was more of a fun question, anyway.

10 MR. GALLO: All right. Well, then, I have a
11 fun objection.

12 (Laughter.)

13 MR. JENKINS: Could I hear that?

14 BY MR. JENKINS:

15 Q Now I have a series of questions that are a
16 bit more technical than what we've gone into so far.

17 Off the record.

18 (Discussion off the record.)

19 BY MR. JENKINS:

20 Q Okay, I have some questions about what to me
21 at least are technical questions relating to corrosion.

22 What, besides deposition of corrosive products

1 in the tube and tube-supporting annulus, contributes to
2 tube denting?

3 A (Witness Murphy) What besides deposition of --

4 Q Deposition of corrosion products in the annulus.

5 A Neither Jai nor myself is well versed in the
6 dynamics of corrosion. I can speak only in general terms.
7 The dynamics of corrosion is not information I need to
8 have to do my job. But magnetite -- the corrosion
9 products you are referring to is magnetite, and it's
10 the corrosion product that results from corrosion of the
11 carbon steel support plates. The corrosion products aren't
12 carried to these crevices from elsewhere in these plants.
13 The corrosion product is a result of corrosion leaks
14 in the support plate itself.

15 A (Witness Rajan) The denting phenomenon
16 essentially consists of these carbon steel support plates
17 that react adversely in a certain environment, and as a
18 result of their interaction they put excessive stresses
19 on the tubes, and they also can cause cracking within the
20 support plate itself. And if the denting progresses, it
21 progresses unchecked. Then the plate itself can be
22 broken into smaller pieces, and that's an advanced stage

1 of denting.

2 Q Is it necessary for the annulus to be completely
3 filled with corrosive products for denting to occur?

4 A (Witness Murphy) Yes.

5 Q Has tube denting occurred in any plants using
6 AVT water chemistry?

7 A Yes.

8 Q What design features dealing with tube denting
9 have been used at other plants, and to what extent have
10 you evaluated their effectiveness?

11 A For new generation steam generators, the support
12 plate designs will be used employing different materials,
13 stainless steel, different tube hole designs will be used
14 to reduce the potential for denting.

15 Unfortunately, to my knowledge -- well, we don't
16 have any Westinghouse steam generators with these new
17 features on line as yet, so we have no operating experience.
18 So that answers the question.

19 Q What, in your opinion, is the combined effect
20 of reduced water flow velocity and increased secondary
21 water temperature and pressure relative to promoting
22 corrosion at the annulus?

1 A I think to answer that question, you'd want
2 to refer to our corrosion specialists.

3 Q Okay. What, in your opinion, is the cause of
4 the flow-induced vibration problem?

5 A (Witness Rajan) Flow-induced vibrations are a
6 result of high cross-flow velocities. Either the feedwater
7 or steam flow.

8 Q And this is true of all the D-4, D-5 models?

9 A Yes.

10 Q Have you been able to verify the Westinghouse
11 findings alluded to in your affidavit that quote:

12 "Vibration response in the preheater
13 section is negligible for main feedwater
14 flow rates, up to about 70 percent."

15 A This is primarily based on data obtained at
16 KRSKO. In that plant, some tubes were instrumented and
17 their vibratory characteristics were obtained at different
18 power levels, and the data from that plant seems to bear
19 this out.

20 A (Witness Murphy) Let me add something else:

21 Even if the work Westinghouse has done --
22 and what they have recorded has provided us with a certain

1 amount of confidence that they are pursuing the right
2 approach -- but even if they're wrong, if they developed a
3 problem, it will be discovered probably most likely through
4 eddy current inspection, or perhaps small leaks in the
5 case of Ringhals, and if necessary, additional actions
6 can be taken as the need arises.

7 I'd just like to make that point.

8 Q Mr. Rajan, what is your definition of a
9 negligible vibration response?

10 A (Witness Rajan) Well, a negligible vibration
11 response would be such that it would not cause -- it
12 would not cause a wear of the tube as a result of its
13 impacting with a support plate.

14 Q Is it possible that testing and power escalation
15 process at Byron might fail to detect any vibration
16 problems in the steam generators?

17 A If the tubes are not instrumented, then
18 obviously there is no way to detect any flow-induced
19 vibration.

20 Q Are you going to require instrumentation?

21 A Well, we are assuming that their fix will be
22 available for Byron, and if we are convinced from the data

1 that is provided to us that the fix is adequate, then we may
2 not require instrumentation.

3 But in answer to your question, we have not
4 ruled the option out that it may be instrumented.

5 A (Witness Murphy) Let me add, one, we do have
6 another vehicle, that is eddy current testing. What the
7 program will be for eddy current testing, of course, has
8 not been reviewed by the Staff as it applies to Byron.
9 But instrumentation, internal instrumentation, is one method
10 by which one might detect the onset of vibrations. Eddy
11 current testing is another.

12 Q What is the significance of determining the
13 optimum combination of main to auxiliary feedwater flow
14 rates, preheated water temperatures, tube support design,
15 and tube length between supports that would result in a
16 tube oscillation rate equal to the natural frequency of
17 the tubes?

18 A (Witness Rajan) I'm not in a position to
19 respond to that. I can see what you are asking, but I
20 don't have the answers to it.

21 Q Is this part of the SER?

22 A I'm sorry?

1 Q Is this evaluation part of the SER?

2 A Not within the scope of the review that we
3 conducted in the mechanical engineering branch.

4 Q What is the significance of determining the
5 effects on dented steam generator tubes of a natural
6 frequency drop by a factor of four to eight?

7 A (Witness Murphy) Would you mind repeating the
8 question?

9 Q Sure. What is the significance of determining
10 the effects on dented steam generator tubes of a natural
11 frequency drop by a factor of four to eight?

12 A What is the --

13 MR. CHESNUT: Are you talking about dropping
14 the frequency or the magnitude of the vibrations, or what?

15 MR. GOLDBERG: Excuse me, Steve. The witness
16 wants the question clarified.

17 WITNESS MURPHY: Why is natural frequency
18 dropping in a dented tube?

19 BY MR. JENKINS:

20 Q If you do drop the natural frequency, what is
21 the effect on a dented tube?

22 A (Witness Murphy) How do we drop the natural

1 frequency? The natural frequency is a property of the tube
2 and its supports. It's a property of the tube system.

3 Q How is that affected by the denting?

4 A (Witness Rajan) It would tend to make it
5 stiffer, if anything.

6 Q Is this a part of the SER? Is this something
7 that is evaluated in the SER?

8 A (Witness Murphy) For new plants, not typically.
9 Generally speaking, you know, denting per se does not
10 adversely affect the -- operating experience does not
11 indicate that denting per se adversely affects the
12 dynamic response of the tube. If you have very severe
13 denting, you get support plate cracking. For tubes near
14 the periphery of the bundle you might effectively lose your
15 lateral support.

16 A (Witness Rajan) Let me add to this. In the
17 denting phenomenon, the support plate tends to crimp the
18 tube and the supports and this results in a much stiffer
19 system than one normally would have, when the tube is
20 free to oscillate within the support plate holes.

21 So, as a result of denting, whatever happens to
22 the natural frequency of the tube is not likely to be a

1 matter of concern.

2 A (Witness Murphy) That's generally -- for most
3 of the tube bundle, that is the situation. In row 1 and
4 row 2 you have a peculiar situation where cracking can
5 lead to islanding, the islanding effect, whereby effectively
6 you are losing that lateral support.

7 A number of plants have run into this situation,
8 and have therefore found it necessary to reanalyze the
9 dynamic response of the tubes. We are now making the
10 assumption of no lateral support at these support plates.

11 Q To what extent have you compared -- I'm sorry.

12 (Discussion off the record.)

13 BY MR. JENKINS:

14 Q To what extent have you compared AVT parameters,
15 monitoring and control systems at Byron with those in other
16 plants?

17 A (Witness Murphy) We personally have not done
18 this. This again would be within the cognizance of our
19 corrosion specialists who have responsibility for reviewing
20 secondary water chemistry controls.

21 Q Are you aware if those other individuals have
22 recommended any changes that Commonwealth Edison should

1 incorporate in the Byron plant?

2 A They have made an evaluation which is described
3 in the SER of the Byron secondary water chemistry program.
4 There is also generic activity ongoing, both on the part
5 of the industry and the NRC.

6 Q What has been, in your opinion, the significance
7 of condenser leakage as a contributing factor to tube
8 degradation?

9 A It's had a significant effect.

10 Q To what extent will this continue to be a factor?

11 A I believe it will be over the long term -- it
12 will become a decreasing factor, primarily for the reason
13 that to implement the improved secondary water chemistry
14 controls and monitoring, it will be necessary to more
15 closely monitor and control the performance of condensers
16 to achieve the objectives.

17 Q Are you aware of any specific changes that
18 have been required of Commonwealth Edison in its condenser
19 materials and designs in its condensate clean-up system?

20 A This particular area did not fall within our
21 area of cognizance. The condenser materials and so forth
22 have been evaluated and are discussed in our SER.

1 Q Do you know when you will be issuing NUREG 0844?

2 A Is that Task Action Plan A-3, A-4, A-5? Then
3 the answer is yes. No, I do not.

4 Q Do you have any prediction on the impact of any
5 requirements that may be required -- you will be issuing
6 it by January 1st of 1983; correct? I believe that's in
7 your affidavit?

8 A I don't think so.

9 Q I read that somewhere.

10 A Let me check. I don't think I would have said
11 that.

12 Q Well, then, are you familiar with any proposed
13 requirements under that NUREG 0844?

14 A Yes. But, you see, this is -- at this point --
15 an internal -- we have a draft report that is being
16 intensely reviewed and critiqued at this very moment, and
17 the sponsoring organization -- for you to understand --
18 if you wish information regarding the exact status of the
19 program and where it's going, I think you'd have to inter-
20 view somebody from the sponsoring organization for the
21 TAPS report, the generic issues organization in NRR.

22 Q Well, it's hard for us to go a hearing in which

1 one of the methods of evaluating the success of the steam
2 generator is its in-service inspection requirements, without
3 knowing what some of those requirements are.

4 Can you describe some of the proposed requirements
5 and what will be the impact?

6 A I'm not sure that it's really appropriate for me
7 to do so, because right now the various recommendations
8 are being proposed internally by the Staff and are being
9 debated internally and discussed internally, and I cannot
10 predict how this is going to come out, necessarily.

11 I can offer some judgment on that viewpoint,
12 but I don't think it's really appropriate for me in this
13 forum, because it might be prejudicial to the proceeding.
14 So I think the Staff is doing an intense review right now
15 and it is not for me -- I'm not the right person who should
16 comment upon the status of the program. I think I'd be
17 overstepping my areas.

18 MR. GOLDBERG: Let me try to ask a question,
19 because I think your question and answer were two different
20 things.

21 I understood you first to want some kind of
22 broad indication of what the Staff proposals were in the

1 prospective Staff document on Task A-3, 4 and 5. And then
2 you switched and confined your answers to, I gather,
3 what the proposed in-service inspection program was for
4 Byron.

5 And correct me if I'm wrong, Mr. Murphy, is not
6 that program discussed in the Staff SER?

7 WITNESS MURPHY: I was not addressing myself
8 to in-service inspection requirements for Byron. I guess I
9 was addressing what I thought was the question, what is
10 the status of the TAPS issue, and where are we going with
11 it, what will our recommendations be, and I can only respond
12 that it's in progress and being reviewed very intensely by
13 the Staff.

14 MR. GOLDBERG: Maybe we can get from the generic
15 to the specific, because I think the witness is a little
16 confused. I was confused whether you were talking about
17 generic recommendations or specific plans for Byron.

18 BY MR. JENKINS:

19 Q Well, let me ask it this way:

20 Can you confirm for the record whether any
21 generic requirements will have an effect on the plant
22 capacity performance or in any other respect of the proposed

1 requirements in this document on the Byron plant?

2 A (Witness Murphy) The Staff is considering -- has
3 under consideration a number of recommendations-- it is
4 part of A-3 and it is part of other generic reviews -- a
5 number of recommendations that may have some effect on
6 surveillance requirements, methods for improving the
7 performance of the steam generators, the corrosion
8 performance. We have a number of these things under
9 consideration.

10 Q Have you required, or is it possible that these
11 new requirements may require Commonwealth Edison to
12 install radiation monitoring equipment at potential release
13 points in the event of a steam generator tube rupture?

14 A I don't know the answer to that question.

15 Q What changes in Commonwealth Edison steam
16 generator operational procedures or design in secondary
17 water chemistry monitoring and control systems will be
18 necessary to comply with this NUREG 0844?

19 A Well, I have no way to answer that question,
20 because I don't know how it's going to end up. The
21 generic recommendations are under -- being reviewed right
22 now. I can't predict how it's going to end up.

1 MR. JENKINS: I have just a couple more questions
2 more, but let me go off the record for a minute.

3 MR. MURPHY: Let me make one comment, just for
4 the record:

5 Task A-3, A-4 and A-5 is a generic ongoing
6 activity. It is not the-- there is a separate generic
7 activity ongoing right now directly as a result of the
8 Ginna incident, but it's getting into areas that were
9 initially addressed by A-3, A-4 and A-5. So we have this
10 generic program ongoing, too.

11 (Discussion off the record.)

12 BY MR. JENKINS:

13 Q First of all, I'm going to refer to a telegram
14 from Mr. Goran Mandeus of the Swedish Nuclear Power
15 Inspectorate, and I have a copy of this, Mr. Gallo, if
16 you'd like. It's a telegram addressed to Mr. Joseph
17 LaFleur of the Office of International Programs. It's
18 titled "Urgent Telegram," and it says:

19 "This message should reach the persons
20 who will be in telephone contact. . ." concerning
21 the Almarz plant, and so forth, and I quote here
22 from the second to the last page:

1 statement in the document, Mr. Jenkins?

2 MR. JENKINS: Yes.

3 MR. GOLDBERG: Could you just refer to that for me?

4 BY MR. JENKINS:

5 Q I will read the last three sentences prior to
6 paragraph 4:

7 "If the support in one or two plates
8 is lost partly or in whole, the natural
9 frequency may drop substantially. Approxi-
10 mately by a factor of four to eight.
11 According to the theoretical model cited
12 by Westinghouse, the threshold fluid velocity
13 for instability drops by the same factor or
14 down into the region of what can be described
15 as idling power for the plant."

16 My question is: What is the significance of
17 a drop in the natural frequency of four to eight?

18 A (Witness Rajan) I think that's a very large
19 drop. When we are talking of a drop of the natural frequency
20 of four to eight, we have to assume that the support plates
21 are no longer effective at at least two locations, so that
22 you have a much larger length of the tube now free to

1 oscillate in its natural mode.

2 I cannot visualize losing support at least in
3 support plates in order for that to happen, but if one
4 were to make that assumption, then obviously the tubes
5 would then have a different natural frequency in response
6 to fluid elastic vibrations, but also be substantially
7 different.

8 Q Go ahead.

9 A (Witness Murphy.) The Staff has considered the
10 fact that with some wear of the tubes, there may be some
11 effect on the rate of wear, that the rate of wear may not
12 be constant -- that may not remain constant, as you wear
13 away the surface of the tube.

14 In our monitoring and following of McGuire,
15 we have taken the consideration into account in reviewing
16 and approving of their interim operating program.

17 Q If this scenario were to occur, what would
18 happen if the plant were not dropped to idling power?

19 A (Witness Rajan) Are we assuming --

20 Q The drop in frequency rate by a factor of
21 four to eight.

22 A Is this drop being assumed for just one or two

1 tubes, or a whole bunch of tubes?

2 Q Why don't you assess the response to that
3 question for both circumstances?

4 A (Witness Murphy) Let me -- we have developed
5 between Ringhals and Almarz and McGuire a considerable
6 degree now of operating experience. We have a good idea
7 of qualitative -- an idea of the qualitative relationship
8 between operating at higher power levels and what effect
9 it has on the observed wear rates.

10 In the case of McGuire, we have been -- McGuire
11 has been performing steam generator inspections very
12 frequently, on the order of every couple of months, some-
13 thing of that -- two or three months, something of that
14 frequency. And based upon what is observed regarding the
15 amount of degradation or the incremental degradation that's
16 taken place since the last inspection, that experience is
17 factored into our evaluation of the next short period of
18 operation, in that we would not -- we do not predict that
19 during each succeeding interval of operation, that the
20 wear will be excessive or exceed allowable limits during
21 that period. And even if it did -- which we don't expect --
22 but even if it did, we would -- the likely consequence is a

1 small leak, but we don't expect that to be the situation.

2 Q Let me repeat the question, just so we can get
3 that on the record:

4 If this scenario did occur, what would be the
5 effect if the plant were not dropped to idling power
6 following that scenario?

7 A I guess my response is that we'd eventually be
8 shutting down for steam generator inspections, we'd
9 observe the degradation had proceeded beyond what we had
10 anticipated, and we'll take appropriate corrective action.

11 At worst, I would expect that we'd get a leak
12 and that would precipitate the corrective action.

13 Q Mr. Rajan?

14 A (Witness Rajan) My response would be that if
15 the natural frequency of certain tubes were to change by
16 this order of magnitude that has been postulated here,
17 there would be excessive -- there would be excessive
18 vibrations for those affected tubes, and the damage, if
19 it were to occur in those tubes would be at the supports
20 which are affected, and as Emmett pointed out, there would
21 be -- these would be detected by eddy current measurements.

22 Q Earlier you gentlemen stated that you thought

1 there was not a great probability of multiple tube leaks,
2 but would you say that leaks --

3 A (Witness Murphy) Multiple tube failures, gross
4 failures.

5 Q I'm sorry, I misunderstood that.

6 A We do have occasion to experience multiple tube
7 leaks, simultaneous leaks.

8 Q Is there any increased safety risk that occurs
9 from that?

10 A From multiple tube leaks?

11 Q Yes.

12 A No. The leak rate limit, the tech spec leak
13 rate limit for Byron, has been set such that if you have a
14 throughwall crack or leaking crack which is leaking at
15 less than the technical specification leak rate limit,
16 that the length of the crack is smaller than the length of
17 the crack that it would take to result in a tube rupture
18 under postulated main steam line break conditions.

19 The fact that the leaks are occurring at less
20 than the leak rate limit will provide assurance that these
21 leaks would not result in any rupture or gross leakage
22 under accident conditions.

1 Q For the record, would you -- excuse me just a
2 moment.

3 (Pause.)

4 BY MR. JENKINS:

5 Q Well, then, would you say that ruptures of
6 vibrations -- ruptures resulting from vibrations in the
7 D-4, D-5 model, the probability of those ruptures occurring
8 is greater than at plants without preheaters?

9 I'm sorry, let me withdraw that question. We're
10 having problems with it.

11 (Pause.)

12 BY MR. JENKINS:

13 Q Two very quick questions here for the record:
14 Would you compare Westinghouse's record with
15 that of other vendors in problems of tube degradation?

16 A (Witness Murphy) They've all had tube degrada-
17 tion. Sometimes the problems tend to be unique to a
18 particular vendor, but they have all had tube degradation.

19 A (Witness Rajan) The nature of the problems may
20 be different, but degradation is not confined to just
21 Westinghouse steam generators.

22 Q Okay. Relative to one another, are any of the

1 vendors better or worse in terms of the seriousness of
2 the tube degradation problems?

3 A (Witness Murphy) Well, you know, one can make
4 the qualitative observation that four plants -- steam
5 generators in four units have been replaced as a result
6 of tube degradation.

7 Q These are Westinghouse plants?

8 A Westinghouse plants. And additional replacement
9 activities are scheduled for certain Westinghouse facilities.

10 A (Witness Rajan) One, and possibly two.

11 A (Witness Murphy) Pardon?

12 A (Witness Rajan) One, and possibly two.

13 A (Witness Murphy) Yes.

14 Q My very last question:

15 In your expert opinion, would you say that it
16 is possible that a steam generator tube will rupture at
17 an operating plant in the future?

18 A Possible.

19 (Discussion off the record.)

20

21

22

- - - - -

E X A M I N A T I O N

BY MR. GALLO:

1
2
3 Q Gentlemen, do you have a copy of the contention
4 in front of you? It's the steam generator tube integrity,
5 9-C. I take it you have it? Is that right?

6 A (Witness Rajan) Yes.

7 Q Are you able to identify that the paper that
8 counsel gave you contains Contention 9-C?

9 A (Witness Murphy) Yes, the paper that we have
10 just been given contains that particular contention.

11 Q Is that the contention, Mr. Murphy, that your
12 affidavit addresses?

13 A Yes.

14 Q How about you, Dr. Rajan?

15 A (Witness Rajan) Yes.

16 Q The second sentence of the contention states
17 that -- refers to the previous sentence and indicates that
18 certain problems indicated in the first sentence, and now
19 I am quoting:

20 ". . .constitutes a hazard, both during
21 normal operation and under accident conditions."

22 Do you see that sentence in the contention?

1 A (Witness Murphy) Yes, sir.

2 A (Witness Rajan) Yes.

3 Q Mr. Murphy, what does the term "under accident
4 conditions" mean to you as used in this contention?

5 A (Witness Murphy) It means whether -- it means,
6 for example, a main steam line break transient or LOCA
7 transient could precipitate or initiate a tube failure.

8 Q It's not referring or -- strike that.

9 Is it referring to a situation where a steam
10 generator break -- I'm sorry, steam generator tube break
11 might cause an accident in and of itself?

12 A I think that the statement is general enough,
13 perhaps, to encompass that also.

14 Q But it's also including, if I understand your
15 testimony, a situation where during the course of an
16 accident, the accident phenomena, if I can use that phrase,
17 caused a steam generator tube rupture. Is that correct?

18 A Yes. The tube rupture, I guess, is an accident
19 in and of itself. Secondly, there are other accidents
20 which one must be sure that you don't run into a situation
21 where another type of accident could precipitate a failure.

22 Q All right, fine.

1 Dr. Rajan, do you agree with that statement --
2 that interpretation of this part of the contention?

3 A (Witness Rajan) Yes, I agree with this, and
4 I would add to the accident scenario an earthquake event,
5 for example, a seismic earthquake, which can precipitate
6 a steam line break.

7 Q Okay. Now it's not clear to me which of you
8 gentlemen is expert in the area of what I will call what
9 we've just been talking about, I'll call it accident
10 analysis involving steam generator tubes.

11 Mr. Murphy, are you an expert in that area?

12 A (Witness Murphy) In terms of accident analysis,
13 it depends on what exactly what you mean. I have a solid
14 background regarding what it takes to fail a tube. I know
15 pretty well what it takes to fail a tube. Regarding the
16 systems aspects of the shutdown transient, I am not expert
17 on that matter.

18 Q Well, how about the -- do I take it from the
19 last statement you made that as far as the effects of
20 an accident involving -- let's use hypothetically a design
21 basis loss-of-coolant accident, the effects of that
22 accident on a steam generator tube rupture? Is that an

1 area of your expertise?

2 A It's an area I have knowledge regarding
3 the potential for a rupture event to aggravate certain
4 accident situations. For example, LOCA. I'm aware of
5 studies that have been done to assess these effects.

6 Q And would that include the effects on systems
7 within the reactor, including the ability to keep the core
8 cool?

9 A I'm aware of some of the analyses that have
10 been done and the conclusions which have been reached. I
11 am not an expert on how the analyses were conducted, what
12 the assumptions were.

13 Q All right, I want to ask that question again.
14 Do you consider yourself an expert in this area as we have
15 defined it here?

16 A I'm not quite sure exactly what we're -- I
17 know what it takes to break a tube. I have a general
18 knowledge of what may constitute excessive leakage during
19 accident situations. This is information I must have
20 in order to make a finding as to whether or not we have
21 adequate assurance that we are doing enough to ensure
22 steam generator tube integrity.

1 Q I guess that's the answer you gave me previously.
2 Really, what I wanted to know is whether or not you're
3 an expert in terms of the consequences of steam generator
4 tube failure in a design basis LOCA and its effect on
5 reactor systems operation?

6 A No, but I am knowledgeable regarding some of
7 the conclusions that have been derived from such studies.

8 Q Essentially you have acquainted yourself with
9 the work of others; is that correct?

10 A That's correct.

11 Q What about you, Dr. Rajan? Are you an expert
12 in this area?

13 A (Witness Rajan) No, I am not. I am aware of
14 the forces and the stresses that would cause -- that would
15 act on steam generator tubes during a LOCA event, and a
16 seismic event.

17 I am not, however, an expert on how other
18 systems would be affected during a LOCA event, and also
19 how the LOCA would -- a LOCA event would affect the
20 coolability of the core, for example.

21 Q Who is within the Staff? Either one of you
22 can answer that.

1 MR. GOLDBERG: Mr. Gallo, let me suggest this:
2 If you have some questions which you want answered, these
3 witnesses haven't shown any reluctance to indicate where
4 they are an expert or ill-equipped to provide the answers.
5 Why don't you ask the question?

6 MR. GALLO: I am asking the questions. He is
7 doing a fine job of telling me the answers to the questions
8 I'm asking. They have now established they are not
9 experts in the area I am inquiring in, and I am asking
10 who is in the Staff.

11 MR. GOLDBERG: But you haven't made any
12 particular inquiry. You have outlined some --

13 MR. GALLO: Do you have an objection? If so,
14 state it. I want to get on with my cross-examination here.
15 All right?

16 WITNESS MURPHY: Okay. Studies of the effects
17 of tube ruptures on accidents have been done under the
18 heading of the Task Action Plan. The task manager for
19 that program is Jack Strosnider.

20 BY MR. GALLO:

21 Q Can you spell that for me?

22 A (Witness Murphy) S-t-r-o-s-n-i-d-e-r.

1 Q He's the task action plan manager?

2 A Yes. Task manager, I think, was the formal
3 description. He managed and coordinated the studies done
4 by a variety of organizations and outside consultants
5 having to do with the effects of ruptures on LOCAs and
6 main steam line breaks, et cetera, and so he could refer
7 you to the specific people who did the analysis.

8 Q I understand. All right. But now to your
9 knowledge, do you know of any individual within the Staff
10 who is an expert on this accident analysis area that we
11 have been discussing here? I mean to your knowledge? I
12 recognize that if Mr. Strosnider were here, perhaps he
13 could tell us, as well, but he's not.

14 A Yes, I think I know of guys that are fairly
15 knowledgeable in this area.

16 Q Can you name them for me?

17 A Chris Parcheski.

18 Q Can you spell that one?

19 A No, sir. It starts with a P.

20 (Laughter.)

21 Q What's his first name?

22 A Chris.

1 Q Can you pronounce his last name again?

2 A Parcheski.

3 Q All right, that's close enough.

4 A I believe he was very involved in the LOCA
5 study, the one that was done to evaluate tube ruptures
6 concurrent with LOCA.

7 Q Is that the one that was performed out at Idaho?

8 A Yes.

9 Q Anybody else that comes to mind?

10 A A person by the name of Akstulewicz.

11 (Laughter.)

12 I think his first name is Frank, but that's
13 not for sure. He was involved in the -- was involved
14 in the evaluation of tube ruptures concurrent with main
15 steam line break.

16 Q Could you try that name on me again, please?

17 A Akstulewicz.

18 MR. CHESNUT: I can give you the spelling of
19 that name if you need to know the name.

20 A-k-s-t-u-l-e-w-i-c-z.

21 BY MR. GALLO:

22 Q Is that gentleman a member of the NRC Staff?

1 A (Witness Murphy) Yes.

2 Q Is that it?

3 A Those are people that I know for sure that were
4 involved. People I think -- a person I think had considerable
5 involvement is Pasedag, Walt Pasedag.

6 Q That I can spell.

7 How about you, Dr. Rajan?

8 A (Witness Rajan) In my judgment, in answer to
9 your question, I don't have any other names besides these,
10 but my feeling would be that there would be more than one
11 person who would be involved in the kind of study that
12 you are looking for, and these people probably would be
13 from the Reactor Systems Branch and the Accident Analysis
14 Branch.

15 Q Let me tell you where I'm going with my
16 questions. If I look at your affidavit, and I'm limiting
17 myself to just what's in your own affidavit, let me ask
18 a preliminary question:

19 Am I correct in concluding that beginning
20 with page -- I'm sorry, beginning with paragraph 5,
21 through the end, which I believe is paragraph 12, that
22 that represents a joint statement by both Mr. Murphy and

1 Dr. Rajan?

2 A (Witness Murphy) Don't we address that up front?
3 8 through 12.

4 Q Say again?

5 A 8 through 12.

6 Q Paragraphs 8 through 12 are your testimony; is
7 that correct?

8 A It was sort of a joint prepared testimony.

9 Q Oh, 8 through 12. And what about paragraphs
10 5 through 7?

11 A That more or less represents mine. That does
12 represent my testimony.

13 Q I see. All right.

14 Now in reviewing paragraphs -- well, strike
15 that.

16 Paragraphs 8 through 12 appear to be talking
17 about a particular problem which has been referred to
18 here as the flow-induced vibration problems; is that
19 correct, Dr. Rajan?

20 A (Witness Rajan) That's correct.

21 Q Paragraphs 5 through 7 are addressing, I guess,
22 the generic question of steam generator tube integrity; is

1 that correct, Mr. Murphy?

2 A (Witness Murphy) Yes.

3 Q And this is primarily your testimony; correct?

4 A Yes.

5 Q Where in these three paragraphs or any place
6 else in the affidavit, for that matter, do you discuss
7 the accident aspects of Contention 9-C?

8 A Item 5 is intended to address our assessment
9 of the requirements that have been imposed to prevent
10 tube failures.

11 Q So paragraph 5 deals -- is intended to deal
12 with routine operation and tube failure under accident
13 conditions, as well; is that correct?

14 A The approach, the regulatory approach to date
15 to preventing tube failures through normal operation or
16 accidents, is to surveil the tubes, inspect them regularly,
17 periodically, to remove those from service that are
18 excessively degraded within our acceptance criteria, and
19 to reinforce these requirements with stringent leak rate
20 limits during normal operation.

21 In addition, we -- the Staff has been requiring
22 plants during the licensing process to implement improved

1 controls in secondary water chemistry. This is, in a
2 nutshell, the regulatory approach to preventing failures
3 during normal operation, and ruptures. When --

4 Q I'm sorry, go ahead. Go ahead.

5 A These are requirements that the plant starts up
6 with. It's not at all unusual that as problems do occur
7 in service, for the Staff to impose additional requirements,
8 with the express purpose of preventing or minimizing the
9 potential for tube ruptures during normal operation and
10 accidents.

11 Q When you used the term "tube rupture," do you
12 mean an instantaneous failure?

13 A In the context I've been using, yes.

14 Q And is that also true when you use the term
15 "tube failure"?

16 A In that context, yes. But one of the things we
17 looked for, and the NRC does monitor the operating
18 experience, you know, at operating facilities -- and one
19 of the things we look for is leak experience. Also the
20 number of tubes found to be degraded during routine
21 periodic inspections.

22 In other words, we don't wait for a tube

1 rupture to occur before we get involved and impose additional
2 requirements. So degradation -- if degradation occurs or
3 if leaks occur, of course, this then enhances any concern
4 one might have about potential for excessive degradation.

5 Q Now I guess the confusion I have by reading
6 this paragraph -- strike that.

7 By reading paragraph 5, how am I supposed to
8 know that it addresses both accident conditions and routine
9 operation? What is in paragraph 5 that gives me that
10 clue?

11 A Well, my answer to that would be the second
12 sentence of paragraph 5. I refer here to steam generator
13 tube integrity problems. It's not explicitly stated here,
14 but it's assumed to be understood that we are concerned
15 with tube integrity during normal operation and during
16 accidents.

17 Q I understand that. Part of my confusion here
18 is if I look at these four steps, if I can use that -- or
19 I guess that's the wrong phrase -- four factors or
20 approaches that might be taken to deal with steam generator
21 tube integrity problems, I'm confused as to whether they
22 are mitigative measures or preventive measures. Can you

1 clarify that for me?

2 A Items 3 and 4 are intended to -- let me start
3 from the beginning.

4 Items 1 and 2 are intended to reduce the
5 potential for corrosion or degradation of the tubing.

6 Q Reduce, but not prevent?

7 A Hopefully it is an ultimate objective to prevent.
8 In a practical sense, right now, certainly one seeks to
9 minimize any potential for corrosion.

10 Items 3 and 4 --

11 Q Wait a minute. Wait a minute. Let's get back
12 to 1 and 2. Are they preventive measures or simply
13 mitigative measures? I thought you were going to tell me
14 they were mitigative measures, meaning they don't prevent
15 corrosion, but necessarily try to control it. But you
16 switched on me. Maybe I misunderstood you. Is my question
17 clear? I'll repeat it, if it's not.

18 A The question is whether these measures are
19 intended to eliminate corrosion?

20 Q Items 1 and 2, yes.

21 A As opposed to whether they are intended to
22 minimize the corrosion?

1 Q Yes. What do you expect?

2 A I expect some amount of corrosion during the
3 life of the plant.

4 Q What do you expect in terms of results from
5 employing all volatile secondary water treatment and
6 improved controls and monitoring of secondary water chemistry?

7 A All volatile treatment, secondary water
8 treatment, should minimize, if not eliminate any concerns,
9 regarding phosphate wastage, corrosion of the steam
10 generator tubes.

11 Q Has that been the experience so far, that
12 the NRC has seen at operating plants?

13 A AVT chemistry has been very successful in
14 arresting existing wastage problems and preventing new
15 wastage problems from developing at plants which have not
16 operated --

17 Q Mr. Murphy, you and I are going to be here a
18 long time if we don't get a reconciliation. I'm trying
19 to get an answer to the question. You switched from
20 "eliminate" to "arresting" to "mitigate" to "reducing,"
21 and I'm trying to segregate those terms.

22 Now I thought you were telling me that all

1 volatile secondary water treatment was successful -- well,
2 I won't try to characterize what your testimony is. So
3 tell me again whether or not all volatile secondary
4 water treatment is considered, in your opinion, to be a
5 mitigative measure or a preventive measure in terms of
6 steam generator tube integrity problems, as you use it in
7 your testimony.

8 A You're limiting the question to all volatile
9 treatment?

10 Q Yes. I'm taking it a piece at a time now.

11 A With regard to phosphate wastage, I'm not a
12 corrosion specialist. I expect it is a preventive measure
13 which addresses that particular phosphate wastage problem.

14 Obviously the treatment is intended to address
15 corrosion problems in general, and I would expect that
16 in that sense it is a mitigative treatment.

17 Q Fair enough.

18 How about the next item, improved controls and
19 monitoring of secondary water chemistry? Is that, in your
20 opinion, a mitigative or a preventive measure in terms of
21 steam generator tube integrity problems, or perhaps both,
22 as you previously testified?

1 A Mitigative.

2 Q I'm sorry?

3 A In my opinion, this is a mitigative approach.

4 Q All right. Fine.

5 Now looking at items 3 and 4, I thought in one
6 of your previous answers you were putting items 3 and 4
7 in a different category from items 1 and 2.

8 A They are.

9 Q Is that true?

10 Could you explain?

11 A These items will neither mitigate nor prevent --
12 well, let me withdraw that comment.

13 Well, these items will not directly mitigate
14 nor prevent corrosion problems. They will provide a
15 warning that you have problems and will warn the utility
16 that it must, if it wants to save the steam generators,
17 it better take some corrective actions to slow down the
18 process or prevent it.

19 But beyond that, these last two items, items
20 3 and 4, are intended to detect a situation where the
21 tubes have become excessively degraded, and for those
22 tubes which are excessively degraded, they must be

1 repaired, either plugged or sleeved, or whatnot.

2 Item 4 is -- we have a one-two punch approach
3 here to ensuring tube integrity.

4 Item 3 deals with regular periodic in-service
5 inspections.

6 Item 4 is an additional very important method
7 or -- not method, but provides considerable added
8 assurance that on top of the periodic inspections, that
9 the tube integrity is not becoming excessively degraded.

10 Q Is item 4 pertinent to the question of tube
11 rupture?

12 A Yes.

13 Q Can you explain how it's pertinent?

14 A Two ways:

15 One is the occurrence of leaks may be an
16 indicator that corrosion is proceeding at a higher rate
17 than anticipated; that perhaps a sufficient allowance
18 for additional incremental corrosion pre-inspection
19 hasn't been provided for in the plugging limits. Leakage
20 may be indicative of additional tubes which represent --
21 which are incipient leakers.

22 Q What do you mean by the term "incipient leakers"?

1 A About to leak, 90 percent throughwall, or 95
2 percent. But in a practical sense, then, leakage in a
3 sense is an early warning signal.

4 Secondly, any leakage rate, regardless of its
5 number, provides -- regardless of what you set it at,
6 provides some additional measure of assurance against
7 tube failures. But the limit, which I understand will be
8 specified for Byron, has been set to assure that if a
9 given tube is leaking at the leakage rate limit under
10 normal operating conditions, that if you were to suddenly
11 go into main steam line break, that the crack length
12 involved would not be sufficient length to result in a
13 tube rupture, or a gross tube failure, or a significant
14 leakage during the accident condition.

15 Q How does a limit leakage rate warn us of
16 incipient leakers?

17 A In general, I would say that where you have a
18 tube with a defect that's gone all the way 100 percent
19 throughwall --

20 Q Wait a minute. I thought an incipient leaker
21 was one that wasn't all the way through.

22 A Well, the answer to the question was why does

1 the occurrence of a leaker tell me we have incipient
2 leakers.

3 Q I'm sorry I interrupted. Go ahead.

4 A Based upon experience, whenever we have leakers,
5 in all probability we have tubes where similar degradation
6 has proceeded, at least part throughwall, often considerably
7 part throughwall. You generally have some secondary side
8 corrosion. It typically affects many tubes in the specific
9 region of the bundle, not just one bundle.

10 So there will be many tubes behaving similarly.
11 A leaker will represent the tube that has been degraded
12 the most.

13 Q What you are telling me is that if there are
14 leakage symptoms, that this is an indicator, perhaps, that
15 there may be other tubes in the steam generator that might
16 be subject to bursting and testing ought to be done,
17 eddy current testing or other surveillance ought to be done
18 to check it out? Is that what you are telling me?

19 A No. But as I indicated in the second aspect
20 of the response, the leakage rate limit is intended to
21 assure that individual tubes won't rupture. So if you've
22 got detectable leakage that's less than the tech spec limit.

1 I'm not suggesting that we're in a situation that you
2 may fail tubes even if you go into an accident.

3 It does suggest to anybody monitoring the
4 performance that the steam generators are degrading, that
5 a number of tubes may be involved, even beyond the leakers,
6 and that certainly you want to keep on top of the situation.

7 In the case of the Regulatory Staff, we want
8 to perhaps address ourselves to whether or not the plugging
9 criteria remain adequate for the corrosion process that is
10 taking place; whether or not the frequency of inspections
11 that are specified in the tech specs remain adequate for
12 the situation we are actually experiencing at the plant
13 in question.

14 Q Well, will a steam generator tube leak before
15 it bursts? Aren't those two inconsistent phenomena?

16 A The term -- the word "burst" in the context of
17 steam generators generally refers to --

18 Q As you and I have defined it already, what
19 the word "burst" means.

20 A Gross tube failure, you're talking about
21 the gross tube failure.

22 Leaks, when I speak of leaks, I'm generally

1 speaking of local failure. Failure might even be the wrong
2 word. Local penetration of the tube wall, where you get
3 relatively small amounts of leakage, on the order of 1, 2
4 gpm or less.

5 Q All right. But will a steam generator tube
6 that is the subject of a gross failure, will that leak
7 before it incurs the gross failure?

8 A Operating experience indicates that generally
9 in the vast majority of the cases, that will be the case,
10 but not absolutely always.

11 Q All right. Are you familiar with the steam
12 generator tube failure incident at Point Beach back in 1975?

13 A Yes, but if you're going to ask me whether or
14 not -- yes -- well, I have some familiarity with it. It's
15 been a while since I reviewed the circumstances.

16 Q Do you know whether or not that involved a gross
17 failure of the steam generator tube?

18 A It was on the order of 100 or 125 gpm, or some-
19 thing like that.

20 Q Do you know whether or not that leaked before
21 that happened -- the failure occurred, rather?

22 A I haven't reviewed it recently enough to say.

1 I believe it was leaking at some rate, but I can't --

2 Q I'm talking about the particular tube now,
3 not elsewhere in the system.

4 A One -- well, I don't know for a fact without
5 checking the circumstances what the prior leakage history
6 was for that unit prior to the rupture.

7 Q Are you familiar with the steam generator tube
8 rupture that happened at Surrey in 1976?

9 A It happened, yes, it was about 80 gpm.

10 Q Was that a gross steam generator tube failure
11 incident?

12 A It's generally classified as one of the gross
13 rupture events, yes.

14 Q Do you know whether or not that tube leaked
15 before it failed in a gross manner?

16 A As I recall it -- and I'd have to check the
17 facts again -- there was some initial leakage prior to the
18 failure. I don't recall how much. I don't recall the
19 specifics. I'd have to research that.

20 Q Okay.

21 A There are two other rupture events, of course,
22 which did not involve prior leakage. Prairie Island and

1 Ginna. And the reasons these did not involve prior leakage
2 is because we were dealing with a wall thinning phenomenon
3 and not cracking. If you have a general wall thinning,
4 you can get -- you can lose enough wall thickness over
5 enough of an area of the tube, such that there will be
6 no tell-tale leakage prior to the event.

7 Q Was that wall thinning due to corrosion or some
8 other problem at Ginna and at Prairie Island?

9 A Both occurrences involved mechanical wear or
10 abrasion of the outer surface.

11 Q There was some foreign material or something
12 inside the steam generator that was wearing on these tubes;
13 is that correct?

14 A Yes.

15 Q But that wasn't the case at either Surrey or
16 Point Beach, was it?

17 A No.

18 Q Now as I understand this regime as you have
19 described it in paragraph 5, that you have this leak rate
20 limit and you have something called a plugging criteria,
21 and you have an inspection interval, and the idea is to
22 coordinate all three so that you plug all tubes before you

1 reach a point where the tube walls are so thin, they might
2 burst or leak or whatever; is that correct?

3 A That's correct.

4 Q And I'm interested to -- well, I guess let
5 me ask Dr. Rajan:

6 Can you tell me briefly just what the plugging
7 criteria are?

8 A (Witness Rajan) The plugging criteria are --
9 they are outlined in Regulatory Guide 1.121, and basically
10 the criteria -- there are three criteria:

11 One is, number one, that the tube will not
12 reach the yield point, the tube material will not reach
13 the yield point during normal operating pressure differentials.

14 The second criteria that has to be met is that
15 the margin to failure or margin to burst will have a factor
16 of safety of three against normal operating pressures.

17 In other words, if the burst pressure is 3
18 delta P, then the normal operating pressure should be
19 no more than delta P.

20 Or, putting it the other way around, if the
21 normal operating differential is delta P, then the burst
22 pressure should not be more than 3 delta P -- no less than

1 3 delta P.

2 And the third criteria is that there should be
3 an adequate margin to burst under accident conditions and
4 pressure differentials and loads.

5 A (Witness Murphy) Also we built into the
6 plugging limit allowances to account for eddy current
7 error, and incremental corrosion between inspections.

8 Q Is there a generic yield for the first criterion
9 which you characterized as the yield point of the material
10 itself, the steam generator tube material? Is there some
11 throughwall thickness that establishes that yield point?

12 A (Witness Rajan) Yes. Based on a very large
13 number of tests with the different types of defects, I
14 believe for -- of course, this would depend on the
15 dimensions of the tube. Different steam generators have
16 different diameters and wall thicknesses. So this would
17 differ from tube to tube.

18 But in general it can be said that approximately
19 25 percent of the tube wall -- if there is a 25 percent
20 of the tube wall remaining, the yield point would not be
21 reached under normal operating conditions.

22 Q All right, now, what about under accident

1 conditions?

2 A Under accident conditions, the minimum wall
3 thickness has been -- well, depending on the location of
4 the defect in the steam generator.

5 For example, the tubes that are located near
6 the U-bend regions, they would be subjected to higher
7 loads than the tubes that are near the tube sheet and
8 the supports.

9 So if one were looking for defects near the
10 supports, near the tube sheet -- and here again the figures
11 differ from steam generator to steam generator --
12 approximately 25 percent of the tube wall would be adequate.

13 Q So basically the criteria are the same whether
14 it's normal operation or -- at least for these particular
15 tubes you're describing, the criteria would be the same
16 whether it's normal operation or under accident conditions;
17 is that correct?

18 A (Witness Murphy) I can speak to a series of
19 D-1 steam generators.

20 Q Wait a minute. I want to get an answer from
21 Dr. Rajan, and then you can add to it.

22 A (Witness Rajan) The numbers work out to be

1 about the same, but they are based on different analyses,
2 totally different analyses.

3 Q I see. It's just a coincidence?

4 A It's just a coincidence. And here again, as I
5 pointed out, we have to look at a specific model and a
6 specific tube wall thickness to determine the minimum wall
7 requirement.

8 Q Mr. Murphy, do you want to add to that?

9 A (Witness Murphy) No.

10 Q When is this analysis normally done, Dr. Rajan?

11 A (Witness Rajan) The Licensee makes a commitment
12 to abide by the requirements of the reg guide prior to
13 operation of the plant.

14 However, during operation, when the specific
15 tubes are being plugged, specific analyses may be done
16 for those tubes.

17 Q I see.

18 A (Witness Murphy) I'd like to expand on that,
19 perhaps.

20 Q Sure.

21 A Standard technical specifications contain
22 in parentheses, plugging limits, which I think are

1 generally about 40 percent -- which are 40 percent for
2 Westinghouse steam generators. So this plugging limit is
3 shown on the standard tech specs with an asterisk. The
4 asterisk provides guidance for the Applicant in terms
5 of how he might go about justifying a different limit.

6 The limit is -- the structural characteristics
7 of a tube is a function of its geometry, and there are
8 only a few different tube geometries out there. We have
9 lots of plants, but we have just a few categories of
10 different tube geometries. All Model Ds are the same,
11 all Model 51s are the same, and once a supporting
12 structural analysis has been performed for a plant with
13 a given type of tube, that analysis is generally valid
14 for other separate plants.

15 Q I see.

16 A So, as far as I know, individual plants don't
17 keep resubmitting the same analysis over and over again.

18 Q What is the inspection interval under the
19 tech specs, if you know? I mean, let me explain where
20 I'm coming from.

21 Dr. Rajan has explained the tube plugging
22 criteria. So if I understand what he told me correctly,

1 we have to inspect the steam generator tubes from time
2 to time to make sure if there's any degradation, we catch
3 them before they reach the yield point; is that correct?
4 That's the objective; is that right?

5 A That's the objective.

6 Q That tells me as layman that we have to inspect
7 at some reasonable interval related to whatever the rate
8 of corrosion might be?

9 A That's correct, yes.

10 Q Can you tell me what the inspection interval is?

11 A Typically plants are required to perform
12 under their tech specs steam generator inspections every
13 12 to 24 months. There are provisions, depending upon
14 the steam generator performance, how well they performed,
15 how free of problems they've been, for extending the
16 interval for inspections for longer periods.

17 Q When those inspections are conducted, do they
18 sample by eddy current testing a segment of the steam
19 generator tubes? Do they do 100 percent testing?

20 A Yes. The initial inspection sample is a
21 percentage of the tubes, depending upon the -- the results
22 of this initial sample inspection can fall into one of three

1 categories, ranging from essentially good to bad.

2 If you are in the good category, no further
3 sampling is required. If you are in the bad category,
4 additional sampling is required. You may go through several
5 sampling stages.

6 Eventually you may get thrown into 100 percent
7 inspection of steam generators.

8 Q How does the Staff know that a 12 to 24-month
9 interval is sufficient, inspection interval?

10 Let me strike that and ask the question better.

11 How does the Staff know that a 12 to 24-month
12 interval is sufficient to identify any steam generator
13 tubes that may be approaching the yield point, so that
14 they might require plugging?

15 Does that clarify it for you?

16 A Yes. First, let me state that the Staff is
17 generally aware of the condition in terms of the general
18 condition of a plant, whether it's got an extensive
19 corrosion problem, whether it's occurring at a low or
20 high rate.

21 Q It's an unfair question. Let's limit it to a
22 plant that is just beginning to operate, like Byron. Let's

1 take that kind of clean plant. Can you answer the
2 question in that context?

3 A Yes.

4 Q How do you know that 12 to 24 months is a
5 proper interval?

6 A Based on operating experience, with one
7 exception, we don't run into significant wall penetrations
8 by corrosion generally within the first -- well, one or
9 two cycles of operation. If there is a corrosion process
10 taking place, you will see the early stages of it during
11 your eddy current inspection.

12 Q Well -- go ahead, I'm sorry.

13 A There is at least one corrosion phenomenon,
14 the primary side corrosion, stress corrosion cracking
15 phenomenon, that can occur quickly. This particular
16 corrosion problem could conceivably occur during the
17 first cycle of operation. It has been observed that way
18 for Model 51 steam generators.

19 Q What's the phenomenon?

20 A The so-called U-bend cracking phenomenon.
21 Non-denting-related U-bend cracks. It's often called the
22 the tangent point cracking problem.

1 Q This is a problem you say that is only
2 applicable to Model 51 steam generators?

3 A It's only occurred there, to date.

4 Q You said there was one exception to this. Is
5 this the exception you are talking about?

6 A Yes. Yes.

7 Q Did this particular phenomenon result in a gross
8 tube failure at some plant?

9 A That particular phenomenon has not ever resulted
10 in a gross tube failure.

11 Q All right.

12 A We have had dozens -- tens, or perhaps dozens,
13 of leaks as a result of this phenomenon and they have
14 all been very small leaks.

15 Q Does the Staff change the inspection interval
16 depending on plant experience, in terms of corrosion
17 problems, or steam generator tube integrity problems that
18 might be identified during an eddy current inspection?

19 A Yes. Turkey Point 3 and 4 and Surrey Units 1 and
20 2 ran into extensive and very severe denting. The Staff
21 imposed requirements for performing -- see, first performing
22 steam generator inspection every three months. This was

1 relaxed to every six months. For a number of years, these
2 four units were required nominally to operate for six
3 months between inspections, although the Staff did consider
4 on a case basis extensions of two months or four months.
5 As I said, on a case basis.

6 Q All right.

7 A There are other examples, as well, where we
8 have imposed additional inspections.

9 Q Is it fair to say you start out 12 to 24 months,
10 and as experience dictates, you either lengthen it or
11 keep the same interval, or make it shorter? Is that it?

12 A The tech specs already make provision for
13 lengthening the inspection interval, if you have real good
14 experience, and we generally don't -- we've never been
15 requested to relax those criteria. But we have intervened
16 to require more frequent inspections than required by the
17 tech specs.

18 Q I guess the only other question I have in this
19 particular area, is which do you select? Is it 12 or 24,
20 or a range, or what would go in the Byron tech specs? Do
21 you know?

22 A What would go in the Byron tech specs are what

1 we have written into the standard tech specs, and as
2 memory serves me, I believe they are required to do a
3 periodic inspection every 12 to 24 months. Something --
4 we are talking about -- and the precise length of the
5 interval is, you know, the Licensee will select that,
6 depending upon his schedule.

7 Q All right. Now returning to paragraph 5,
8 the reason I have asked these questions is that I would
9 have expected to see in paragraph 5 an item 5 in
10 parentheses dealing with some sort of analysis of steam
11 generator tube failure during the course of an accident
12 similar to the one that we briefly referred to, that was
13 performed by Idaho with respect to steam generator tube
14 rupture effects on a LOCA.

15 Can you explain to me why you don't deal with
16 the consequences of that situation in your testimony?

17 A With the requirements that we have --

18 Q These four items.

19 A Yes. I believe that pending the outcome of
20 our ongoing generic programs, that with these programs,
21 that we have reasonable assurance against --let me remove
22 the term "reasonable assurance," because it applies to

1 something else, but I believe that there is a --

2 Q Well, why don't you use the language in your
3 affidavit in paragraph 7?

4 A It's used in a different context.

5 Q All right. Go ahead. Sorry to interrupt.

6 A I believe that we have -- there is a very, very
7 low likelihood of gross tube failures during accidents.

8 Q That's because of the tube plugging criteria,
9 the in-service inspection and the in-service inspection
10 interval, and the other controls for monitoring, and water
11 chemistry treatments; is that right?

12 A That's correct. That's correct, but let me
13 correct one thing. I don't wish to get unduly carried
14 away. I said very, very unlikely. I mean to say I
15 consider it very unlikely that we would have a rupture
16 during -- in the event that we did run into a major design
17 basis accident. I do believe that there are a lot of --
18 with the extensive degradation that we have observed
19 throughout the industry, the tube ruptures that we have
20 had during normal operating conditions, not during a
21 transient, that there is sufficient cause for the Staff
22 to take a close look at the regulations to see that they

1 adequately address the problems that do indeed provide
2 sufficient assurance against a rupture event occurring,
3 both during normal operation and during accident conditions.

4 Q Is the Staff doing that?

5 A Yes.

6 Q Why isn't it in your testimony some place, then?

7 A Well, it is. I looked upon my testimony as
8 sort of an expansion of testimony to the SER. The Task
9 Action Plan, the generic safety issues, something that
10 is being reviewed by the Staff.

11 Q So in paragraph 2 of your affidavit, you
12 essentially -- I guess what you have done is adopted and
13 incorporated by reference the information and material
14 that's in the Safety Evaluation Reports for Byron; is
15 that correct?

16 A Yes. And I think it so states. Yes.

17 Q To your knowledge, has the Staff determined
18 that it is necessary to -- strike that. Let me see how
19 I want to phrase this.

20 We have been using the term "design basis
21 accident." There are a number of accidents that the Staff
22 requires evaluation for before a nuclear power plant can

1 be licensed to operate; isn't that correct?

2 A I'm sorry, do you mind repeating the question?

3 Q Sure. We've been using the term "design
4 basis accidents" during our discussion here, and I just
5 wanted to establish that we are on the same wave length,
6 that there are a number of so-called design basis accidents
7 which Applicants must analyze and the Staff must review
8 before a plant can be licensed to operate. Is that correct?

9 A That's correct.

10 Q I take it that the Staff has not determined
11 that an accident situation involving an established design
12 basis accident, coupled with a concurrent tube failure,
13 should rise to the dignity of being called a design basis
14 accident, in and of itself; is that correct?

15 A It has not, to my knowledge, issued a formal
16 conclusion to that effect. It is certainly something
17 that is under discussion and consideration at this moment.

18 Q All right. I guess it's the lack of that
19 discussion and consideration that has triggered me to ask
20 this line of questions. Perhaps it is in the Safety
21 Evaluation Report and I just didn't notice it. Could you
22 point me to where that discussion might be in the Safety

1 Evaluation Report?

2 A It's a lead sentence, in Appendix C.

3 Q Can I look over your shoulder? I'm sorry, it's
4 Appendix what?

5 A Appendix C, or whatever they call it.

6 Q Yes, I've got a copy of that. Go ahead.

7 A Addressing the primary concern of tube integrity.

8 The primary concern --

9 Q Where are you reading, what page?

10 A Page 9, page C-9.

11 Q Okay, give me a chance to catch up with you.
12 Okay.

13 A The section is entitled "Westinghouse Steam
14 Generator Tube Integrity," and we begin the discussion
15 by stating the primary concern is the capability of
16 steam generator tubes to maintain their integrity during
17 normal operation and postulated accident conditions.

18 Q All right. Is that the extent of the discus-
19 sion on the occurrence of steam generator tube failure
20 under postulated accident conditions? I don't see any
21 discussion on that subject on either page C-9 or page C-10.
22 Maybe I just haven't seen it there. It might be there

1 and I just missed it.

2 A No, it's the -- that sentence describes the
3 overall objective of our regulatory approach, you know,
4 the secondary water chemistry, the surveillance requirements,
5 the plugging limits and the leak rate limits.

6 Q I know, but we got to this page through a
7 series of questions of which I ultimately asked you, and
8 I thought you said the SER might contain a discussion of
9 the Staff's judgment in the consideration of the need to
10 deal with steam generator tube failure under accident
11 conditions, and we are now looking at page C-9 and C-10,
12 and I'm asking you where that is.

13 A Let me first refer again to the contention.
14 As I say, the SER and my testimony describes what we
15 consider to be the rationale for --

16 Q Well, I'm prompted to say that the answer to
17 my question is no, there isn't any discussion in either
18 your testimony or the SER. But look at page C-9, and one,
19 two -- the third paragraph, last sentence of the third
20 paragraph. I'll read it:

21 "The tubes and tube sheet are analyzed in
22 WCAP 78-32 and confirmed to withstand the

1 maximum accident loading condition."

2 A Uh-huh.

3 Q Does that sentence get to the point I am
4 trying to elicit here?

5 A I don't believe so.

6 Q It does not?

7 A You know, it goes without saying that the
8 Westinghouse and the Applicant are designed -- are required
9 to design the plant, including the steam generators, to
10 meet all design loadings, including those which occur
11 during a design basis accident or a faulty condition.
12 There are requirements they must satisfy. They must
13 demonstrate, in accordance with established rules, that
14 they can sustain all normal operating or accident or
15 transient conditions.

16 Q Do those analyses assume a steam generator
17 tube failure during the course of the design basis accident?

18 A No.

19 Q All right.

20 A But that wouldn't -- you are getting into a
21 different area, you are getting into in terms of systems,
22 does the systems response consider that situation, and the

1 answer is no. That is not a limited loading situation for
2 a given steam generator tube.

3 Q Mr. Jenkins was --

4 MR. GOLDBERG: Dr. Rajan had something he
5 wanted to add.

6 MR. GALLO: I'm sorry, go right ahead.

7 WITNESS RAJAN: In an appendix to this WCAP
8 78-32, they did consider the steam line break event also.

9 BY MR. GALLO:

10 Q Say that again.

11 A (Witness Rajan) In an appendix to the WCAP
12 78-32, that we just referred to, the analysis to do a
13 steam line break accident was also considered.

14 Q I see.

15 When you say that, do you mean a steam
16 generator tube failure was -- the consequences of that
17 failure on the accident was considered in WCAP?

18 A Essentially the WCAP considered the effects
19 of LOCA loads, loss-of-coolant accident loads on the
20 steam generator tubes, and it determined to what extent
21 degraded tubes can withstand the dynamic LOCA loads, and
22 in an appendix they also considered these facts of steam

1 line break accident loads on steam generator tubes.

2 Q Well, then, Mr. Murphy, maybe I misled you or
3 wasn't clear with my question. Perhaps this sentence does
4 address the very point that I was driving at. The
5 sentence on page C-9 that refers to 78-32.

6 A (Witness Murphy) You're --

7 Q I'm sorry?

8 A The way I've been interpreting your questions,
9 there were two situations one might want to consider:

10 One, whether or not we design the plants to
11 prevent tube failures, and the answer to that question is
12 yes. And there are established rules for that.

13 This sentence alludes to the fact that these
14 particular components discussed here have been designed
15 and analyzed to withstand accident conditions.

16 But now we're going beyond that, and we're
17 saying let's assume that corrosion takes place and becomes
18 extensive, and let's assume that routine surveillance,
19 leak rate limits and so forth, in a particular instance
20 didn't work. I mean it didn't successfully prevent the
21 rupture. Okay? And what then? That's a different --
22 that's a little different aspect.

1 Q That's the part I'm trying to focus on.

2 A We designed the plants to avoid that situation.
3 Now, if it happens, okay, and then the question is --
4 the question then is so what? Is this a concern? This
5 is a different consideration entirely.

6 Q In your judgment, in your opinion, is it
7 unnecessary to consider those situations in circumstances
8 that you just described, because of the four factors on
9 paragraph 5 of your testimony will essentially provide
10 reasonable assurance that you're not going to have that
11 kind of problem?

12 A Not exactly. I think, as I said before, we've
13 got to look into this situation further, and we are as
14 part of the unresolved safety issue alluded to here, and
15 it's part of another study which is also going on at the
16 same time. It's a related study. I think we have to take
17 a close look at and understand the effects of ruptures
18 and the consequences of LOCA, or main steam line break or
19 anything else we might want to postulate. We have to --
20 in view of these findings, we will have to reexamine,
21 perhaps reevaluate our existing requirements in light of
22 these findings. But I know that these studies are ongoing.

1 You know, I'm familiar with the steps that are
2 being -- that this matter is being pursued, and pending
3 resolution of these items, of these issues, I believe that
4 the requirements that we have in place, will be putting
5 into place for Byron, are sufficient to provide reasonable
6 assurance of public health and safety.

7 MR. GOLDBERG: Can we go off the record for a
8 moment?

9 MR. GALLO: I just want to ask one question,
10 and then we can go off the record.

11 BY MR. GALLO:

12 Q I guess maybe to some extent, Mr. Murphy, I've
13 been unfair to you. If either Mr. Parcheski or Strosnider
14 or Pasedag were with you on the panel, perhaps they could
15 provide the insight that I'm striving for. Is that a fair
16 statement?

17 A (Witness Murphy) Well, the -- you haven't
18 really asked me about the mechanics of what specifically
19 is it about steam getting into the primary from the secondary
20 that causes the fuel to heat up, and when do we have to
21 start worrying about the fuel melting and all this kind of
22 stuff. They would be able to address that and tell you how

1 they evaluated that.

2 Q You're correct, I haven't done that. I'm
3 basically trying to determine in my own mind whether or
4 not your affidavit, as you have testified, is complete,
5 and I'm having a hard time reaching that judgment, because
6 there is no discussion of the point that we have been
7 debating here for some time.

8 Let's go off the record.

9 (Discussion off the record.)

10 (Recess.)

11 MR. GALLO: I've just got one question left
12 on the accident discussion, and then I'd like to go on to
13 a new subject.

14 BY MR. GALLO:

15 Q Mr. Murphy, Mr. Jenkins gave me a document
16 prior to the start of this deposition entitled "Steam
17 Generator Status Report, February 1982, U.S. Nuclear
18 Regulatory Commission."

19 I understand it was obtained from the NRC
20 under a Freedom of Information Act Request by the
21 Intervenors in this case.

22 I am asking you if you recognize that document,

1 and have you come across it in your work in dealing
2 with steam generator tube problems?

3 A (Witness Murphy) Yes.

4 Q Can you tell me who developed it, or wrote
5 the document, and the circumstances for its development?

6 A Yes. Jack Strosnider. And the raw material
7 behind this report was prepared under the -- as part of
8 the Task Action activity.

9 Q I see.

10 Do you work for Mr. Strosnider?

11 A No, Mr. Strosnider is in a different office of
12 the NRC.

13 Q I see.

14 A I used to work with him a couple of years ago.

15 Q Did you have any involvement in the preparation
16 of that document?

17 A Of this one? No, I did not.

18 Q How about you, Dr. Rajan?

19 A (Witness Rajan) As far as formally, no. There
20 may have been some input from me on the implementation of
21 Reg Guide 1.121, which I don't see here, so I would say the
22 answer is no.

1 MR. GALLO: Can we go off the record?

2 (Discussion off the record.)

3 MR. GALLO: Let's go on the record.

4 BY MR. GALLO:

5 Q Mr. Murphy, while we were off the record, I
6 asked you whether or not you recognized this document
7 as the complete report, and you indicated that perhaps
8 it might be a preliminary version. Would you clarify that
9 for the record, please?

10 A (Witness Murphy) I simply cannot say whether
11 or not it is a final document or not. I'd have to read
12 it in detail to know whether or not this was the one. Or
13 better yet, to check with the issuing organization to make
14 sure this is the proper -- this is the final report. I
15 would assume that it is, judging from the date, but --

16 MR. GALLO: All right. Subject to that check,
17 I'd like to have this document marked as Applicant's
18 Exhibit -- no, strike that, marked as Murphy/Rajan
19 Deposition Exhibit No. 1. I'd like to give it to the
20 reporter to mark for that purpose. But as I understand,
21 during an off-the-record discussion, that Mr. Goldberg,
22 on behalf of the Staff, will be kind enough to obtain a

1 copy of this document that does not have the markings
2 and underscoring that is on this document, which I under-
3 stand had been performed during the review by DAARE/SAFE
4 people.

5 (The document referred to was
6 marked Murphy/Rajan Depo.
7 Exhibit No. 1, for identifica-
8 tion.)

9 MR. GALLO: That's all I have on this point,
10 unless there is any other comment.

11 MR. GOLDBERG: My only comment is one of
12 clarification. I assume you are making it a -- why
13 don't you just mark it for identification? I'm not sure
14 how to make it an exhibit, unless these gentlemen are,
15 you know, responsible for adopting its contents or you
16 just want it --

17 MR. GALLO: That's the infirmity that exists.
18 If I or anybody should try to offer it into evidence, that
19 objection is there. I just want it a part of the deposition
20 record.

21 MR. GOLDBERG: Okay.

22 MR. GALLO: That's all. But I'm not addressing

:XXXX

1 myself to the question of whether or not it's an
2 admissible document in the present form.

3 MR. GOLDBERG: Right.

4 BY MR. GALLO:

5 Q All right, let's change the subject.

6 Dr. Rajan -- let's see, I'll have to find
7 your affidavit -- I believe that you have described, in
8 answer to Mr. Jenkins' questions, the flow-induced
9 vibration problem that you address in paragraphs 8, 9, 10,
10 11 and 12. Is this the problem that occurred at McGuire?

11 A (Witness Rajan) In paragraph 8 I do talk
12 about Model D-2 which is the steam generator model for
13 the McGuire Plant. And in paragraph 9 I describe -- I
14 make a statement that D-4 and 5 were used -- are used at
15 Byron, and I go into some of the differences between
16 the Byron steam generator and the Model D-2 and D-3.

17 Q And did this phenomenon, flow-induced
18 vibration phenomenon, occur at a foreign plant, too?

19 A Yes, it did.

20 Q Was that KRSKO? Or some other plant?

21 A Well, KRSKO has the D-4 steam generator,
22 very similar to the one being used -- proposed for Byron.

1 Q Well, did the phenomenon occur there at that
2 plant?

3 A Yes.

4 Q And how is KRSKO spelled, for the reporter's
5 benefit?

6 A K-R-S-K-O.

7 Q All capital letters?

8 A All capital.

9 Q Any other foreign plants besides KRSKO?

10 A There are two other plants involved in this
11 phenomenon. One is Ringhals in Sweden, and the other
12 one is Almarz in Spain. And both of these have D-2 and
13 D-3 type steam generators which are somewhat different
14 in their preheat design than the Byron.

15 Q Now, as I understand it from your testimony,
16 Westinghouse has developed a generic program to deal
17 with this problem; is that correct?

18 A Yes, sir.

19 Q Are you familiar with their program?

20 A Yes, I am.

21 Q I believe you testified that you looked at
22 some data that was taken at the KRSKO plant with respect

1 to the evidence of vibration?

2 A Yes, sir.

3 Q And on the basis of that data, have you
4 determined that a 70 percent power level is about right
5 where the phenomenon might not be seen?

6 A , I would say that is a preliminary conclusion
7 I have reached.

8 Q All right. Now you say in paragraph 10 that
9 Westinghouse is evaluating modifications to the auxiliary
10 feedwater system and you described one of those modifica-
11 tions.

12 To your knowledge, is Westinghouse considering
13 modifications in addition to the one you described in
14 paragraph 10?

15 A That's correct, they are considering several
16 approaches and these may be used in combination or
17 individually.

18 Q Do you know whether or not Westinghouse is
19 recommending any of these approaches for implementation?

20 A No, they have not. They have not finalized
21 their recommendations as to which approach or combination
22 of approaches they will adopt for Byron, or for domestic

1 plants.

2 Q Do you know when they might do that?

3 A My understanding is that the schedule for this
4 is they have made -- they have made a preliminary presenta-
5 tion on what these options are.

6 Q To whom?

7 A To the NRC Staff, and they are currently doing
8 the analyses and testing and evaluation of the various
9 options, and my understanding is that by November or
10 December they will have finalized the test results and
11 data for Staff review, and at that point we will proceed
12 on the acceptance or nonacceptance of those options.

13 Q Will the Staff approve one or more of those
14 options? Is that what will happen?

15 A I can only predict at this point.

16 Q I'm not asking you if in fact you will, but
17 is an approval, up or down, down the road, is t at what
18 you plan?

19 A Yes.

20 Q So Westinghouse will come in with their program,
21 Staff will review it and approve those aspects that it
22 finds acceptable; is that a fair statement?

1 A I think it should be clarified that we are
2 aware -- we are aware in more than a general way of what
3 is being considered. All we are waiting for is hard data,
4 and results of analyses. We are aware in a fairly --we
5 have a pretty good idea at this point as to how Westinghouse
6 is approaching this problem and what the most likely fixes
7 are going to be. So we have a fairly good idea at this
8 point.

9 Q What hard data do you need?

10 A Well, the hard data would consist of -- it
11 could consist of, for example, model test results and it
12 could also consist of stress analysis results of some of
13 the fixes that they are proposing. And it could also
14 result -- well, thermal hydraulic analyses and the results.

15 So we are aware of the fixes in a general way,
16 but we have not reviewed the documented information yet.

17 Q I guess I neglected to ask you. What fixes
18 are you aware of besides the one you described in your
19 paragraph 10?

20 A There are several fixes. One of them is the
21 addition of flow-straightening veins that will be attached
22 to the impingement plate, and the effect of this would be

1 to reduce the turbulence and make the flow uniform in that
2 region.

3 Another is the change of the flow restricter
4 device from one which has three holes to one which has a
5 larger number of holes.

6 And then they are also considering sleeving
7 of the tubes and the supports to stiffen the tubes in that
8 region, and I forget, but these are the major other options
9 besides the change in the aux feed system.

10 Q Now is the purpose of these fixes to reduce
11 the flow of the water so that the vibrations don't occur?
12 Is that it?

13 A No, it's not -- the object is not necessarily
14 to reduce it, but the object is to reduce the turbulence
15 in the flow.

16 Q And one way to do that is as suggested in your
17 paragraph 10 in your testimony; is that correct?

18 A In 10, I talk about actual reduction of flow
19 to the main feed.

20 Q I see. Well, but you've got 30 percent coming
21 from another source; is that correct?

22 A That's right.

1 Q The effect of the two is to provide as much
2 water as the current design has now?

3 A Yes. Yes.

4 Q So by creating two sources, I assume we deal
5 with the turbulence problem you are talking about?

6 A That's right.

7 Q Now I think you have testified that you expect
8 the Westinghouse analysis on their potential fixes and
9 recommendations in October or November?

10 A That is the general timeframe that has been
11 discussed.

12 Q Are you going to personally be involved in the
13 review of these analyses?

14 A Yes.

15 Q Do you have any estimate of how long the Staff's
16 review might take?

17 A Well, we have consultants assisting us in the
18 Staff review, and generally we can complete this in short
19 order. I cannot give a timeframe.

20 Q Well, what do you mean by short order? Don't
21 give me a specific date, but just ball park.

22 A Within weeks.

1 Q Within weeks?

2 A Within weeks, yes.

3 Q Now you answered Mr. Jenkins' question that way.
4 Are we talking 52 weeks, 100 weeks, or can you do any better
5 than that? I don't want to press you unduly, but the
6 reason I asked the question is on the bottom of page 4 of
7 the testimony, you say it is anticipated that Westinghouse
8 will have completed its generic program to select the most
9 effective combination of auxiliary feed and/or steam
10 generator modifications to enable installation and Staff
11 review prior to start-up of Byron. And I am trying to
12 probe to find out the basis for that statement.

13 We now know that Westinghouse -- we expect
14 something from Westinghouse in the October-November time-
15 frame, and now how long is the Staff going to take?

16 A Let me clarify that again, that what we are
17 expecting from Westinghouse is not going to be a surprise,
18 for example. It's something that has been discussed.

19 Q All right.

20 A And we are aware generally of what is there.
21 What they will come up with is field data and test data
22 from scale model testing. So essentially it will be a

1 confirmation of what we feel are going to be the fixes,
2 and the review for that should not take too long, if the
3 end results do indeed conform with what we expect from
4 them.

5 Q I see.

6 So these are in the nature of confirmatory
7 studies and analyses?

8 A That's -- I think that would be correct.

9 Q So you feel that you know enough now that you
10 could draw the conclusion that this problem of flow-
11 induced vibration can be resolved prior to start-up of
12 the Byron facility?

13 A We have gone farther along with the D-2 and D-3
14 fixes. We have reviewed the flow model test data and the
15 analyses, and based on what has been accomplished there,
16 we feel that these are very promising avenues, and these
17 are very promising methods of approaching this problem.
18 So we do feel that an adequate fix will be available,
19 and we would like to see confirmatory results and analyses
20 along these lines.

21 Q Is the supplement to the SER that -- strike
22 that.

1 Somewhere in the materials there is a statement
2 with respect to the flow vibration problem. The Staff
3 intends to address it further in the supplement in the
4 SER; am I correct in that?

5 A (Witness Murphy) Yes.

6 Q Is the purpose of that to deal with the results
7 of these confirmatory studies?

8 A That particular part of the SER was meant to
9 address either one, the fix or any other alternative
10 approach that the Applicant would propose before start-up.
11 The SER was written in a general way before, you know, we
12 knew -- before we had much information from the Applicant
13 or from Westinghouse regarding where they were going with
14 this.

15 Our anticipation, as expressed in the testimony
16 here, was based upon our understanding of what Westinghouse's
17 schedule is for completing its design review and what they
18 call their generic modification selection program.

19 Q And is that the October-November timeframe that
20 Dr. Rajan mentioned, or is that a different timeframe?

21 A Yes. Yes. Yes. This was a date they gave us
22 at a meeting here in May.

1 Now we can't -- we certainly can't make any
2 conclusion regarding whether or not Westinghouse can meet
3 its schedule, or we cannot speak for the Applicant, who
4 may not choose to buy this modification.

5 Q What happens if the unexpected occurs and the
6 analysis is either not completed by the time of start-up
7 of Byron or it shows it's unacceptable to the Staff?
8 What happens then, in terms of licensing the Byron facility?
9 Dr. Rajan?

10 A (Witness Rajan) It would seem to me that if
11 we do not find acceptable fix, we could limit the opera-
12 tion of the Byron plant to somewhat less than 100 percent
13 power. That is one of the options that is obviously
14 available.

15 Another option might be that it might be
16 delayed in the extreme situation, the operation might be
17 delayed.

18 A (Witness Murphy) Well, you know, there are
19 factors -- we have a lot of things to consider. I think
20 -- I believe that from a strictly technical standpoint,
21 forgetting about questions like ALARA and so forth, I
22 believe that a satisfactory technical basis could be

1 arrived at, in terms of justifying an operating program
2 for Byron. Based upon the experience we have acquired
3 day to day at McGuire, and based upon the experience
4 overseas and what our knowledge of the Westinghouse
5 analysis and test results regarding the causes of the
6 problem are.

7 Q The Staff believes that -- I guess it is your
8 present understanding and belief that the vibration
9 problem doesn't occur below 70 percent. Would that be
10 the power level you'd select if you were going to limit
11 start-up of Byron, something less than 100 percent of full
12 power?

13 A (Witness Rajan) At this point it would be
14 conjecture, but that could be. That could be an option.
15 We will have to examine the KRSKO data in far greater
16 detail and make a determination as to what level of
17 power operation would be safe.

18 Q But you're telling me at that time you'd have
19 to review the data to see if 70 percent was still the
20 correct number?

21 A That's correct.

22 Q What's happening at McGuire? Are they limited

1 in some fashion presently?

2 A They are, they are limited.

3 Q Can you tell me what it is?

4 A They are limited to 75 percent power.

5 Q At the present time?

6 A At the present time.

7 A (Witness Murphy) This is following their
8 start-up from the present outage?

9 Q Do you want to speak up?

10 A This was an aside. It should be off the record.

11 MR. GOLDBERG: If the witnesses want to
12 confer before giving an answer, they are entitled to.

13 (Discussion off the record.)

14 MR. GALLO: All right, let's go on the record.

15 BY MR. GALLO:

16 Q Do you want to clarify, Mr. Murphy, Dr. Rajan's
17 statement or testimony that McGuire is operating under a
18 75 percent power limitation?

19 A (Witness Murphy) McGuire has operated at
20 different times under either a 50 percent or 75 percent
21 power limitation. They are currently shut down, and
22 the Staff is evaluating what it considers to be an

1 acceptable program for future operation beyond this outage.

2 Q Do you know whether these limitations, these
3 power limitations, were imposed by the Staff, or were
4 they voluntarily assumed by the utility?

5 A (Witness Rajan) They made a recommendation
6 and we reviewed the data and the analyses which formed
7 the basis for proposal, and then we allowed them to
8 continue for a certain period of time for 75 percent, up
9 to 75 percent power, and as Mr. Murphy pointed out, they
10 completed that period of operation recently, and now they
11 are shut down.

12 A (Witness Murphy) They originally at one point
13 last spring proposed a period of operation at 75 percent
14 power. We found they provided insufficient justification
15 for that power level, and limited them to 50 percent
16 operation. They resubmitted their basis, and we bought
17 off on it, based upon our review, the second time around.

18 Q You mean you agreed with the higher --

19 A We agreed with their justification, that they
20 had reasonable justification, based upon their resubmittal
21 on a technical basis.

22 Q For what level?

1 A 75.

2 A (Witness Rajan) 75.

3 MR. GALLO: I just want a minute here to look.

4 (Pause.)

5 MR. GALLO: Okay, I'm finished, Steve.

6 MR. GOLDBERG: Okay. I'd just like to note
7 for the record that it's 1:05 p.m., and we have exceeded
8 the allotted time limit, with the indulgence of the
9 witnesses, and at their further indulgence, I am going to
10 ask some further questions, but I would urge the parties
11 to attempt to bring this to a rapid conclusion there-
12 after.

13

14

15

16

17

18

19

20

21

22

E X A M I N A T I O N

BY MR. GOLDBERG:

Q To the extent I address a question to Mr. Murphy and, Dr. Rajan, you wish to add a comment, or vice versa, please feel free to do so.

First, I wonder, Mr. Murphy, can you briefly describe your relevant educational background regarding your testimony or affidavit on Contention 9-C?

A (Witness Murphy) I will. My education, I have an M.S. and a B.S. degree in the field of engineering. I got the B.S. in aeronautical engineering, and M.S. in civil. My specialty being structural engineering.

I have worked for the Bettis-Tye Power Lab for six years, engaged in the analysis and design of core structurals, the Naval Reactors Program. I was not involved at that time specifically with steam generators. This was primarily in the area of core structurals.

Since joining the NRC in July of 1979, I have been involved exclusively in the review of steam generator operating experience, surveillance programs, repair programs, et cetera, anything having to do with the integrity of the steam generator tubes, particularly with

6
1 regard to operating reactors, I have been involved in
2 those reviews.

3 With regards to my association with steam
4 generator problems, that association goes back three years.

5 Q I think you have combined an answer that I was
6 going to ask. I was also going to ask professional
7 background, but I think you have given that in addition
8 to educational background.

9 Let me ask you, what is your role in the
10 Staff consideration of resolved safety issue A-3, which if
11 I'm not mistaken, is the steam generator tube integrity
12 task?

13 A For the past several weeks, at least the past
14 two weeks, and probably for the next few days, we have
15 been commenting extensively on the current draft --

16 Q I'm sorry, I'll take that answer, but I think
17 it's not to the question I asked. I said what is your
18 personal role in that effort?

19 A My personal role has been that for the past
20 several weeks, has been to provide my comments to the
21 draft report.

22 Q Are you part of that Task A-3?

1 A I'm not part of the task, per se. I have made
2 contributions to the report.

3 Q In what areas?

4 A In the areas of steam generator inspection
5 programs, procedures, sleeving, and surveillance in
6 general.

7 Q These are subjects in which you have been engaged
8 since you joined the NRC in, I believe, 1979, you say?

9 A That's correct.

10 Q I wonder, Dr. Rajan, if you can give me your
11 relevant educational and professional background.

12 A (Witness Rajan) I have a B.S. in physics-
13 chemistry, and another B.S. in civil engineering, with a
14 major in hydraulics, and a Master's in structural
15 mechanics, and a Ph.D. in fluid mechanics. I have worked
16 for six years with the Naval Research Laboratory in their
17 piping programs for nuclear submarines, and since '74,
18 I have been with the Nuclear Regulatory Commission, and
19 besides other things, been the principal reviewer in the
20 mechanical engineering branch for problems of steam
21 generators related to the mechanical engineering branch
22 scope of review.

1 Q You have a prominent Staff role in consideration
2 of this so-called flow-induced vibration phenomenon?

3 A I'm sorry, can you repeat that?

4 Q Yes. Do you have a prominent Staff role in
5 terms of the consideration, further Staff consideration
6 of the developments in this flow-induced or mechanical
7 tube vibration problem?

8 A That's correct.

9 Q Mr. Murphy, there were several questions that
10 Mr. Jenkins asked, all regarding past, present and
11 anticipated steam generator tube integrity concerns.

12 I wonder if you can tell me just generally
13 on the basis of your experience at what level of tube
14 degradation does it become significant from a public
15 safety standpoint?

16 A (Witness Murphy) Okay. That particular -- I
17 interpret your question to mean how much -- how much
18 leakage would it take during an accident before we got
19 severe consequences. And that particular issue is
20 addressed in some detail in the document -- the February
21 1982 document that has been made part of the record about
22 20 minutes ago. This is the one prepared by Jack

1 Strosnider in the Office of Research.

2 Q Okay, let me clarify. I'm not sure it's been
3 made part of the record. It's been identified, and
4 will accompany the transcript of this deposition.

5 I guess what I'm saying is there was a line
6 of questions about what I think was described as overall
7 steam generator tube problems, and I'm trying to get some
8 kind of understanding of this, the magnitude of the
9 problem, from the standpoint of public safety.

10 In other words, does a steam generator tube
11 problem equate to a public safety problem, and where is
12 the line drawn, based on your experience?

13 A That's a very complex issue. In my opinion,
14 based upon what I know, I think that without proper
15 controls and regulation, that steam generator tube
16 degradation could ultimately lead to severe problems.
17 The whole issue in terms of what the concerns are, and
18 how we should be approaching these concerns is under --
19 you know, it's under study by the Staff, but I believe
20 that based upon everything known to me of the analyses --
21 based upon my understanding regarding preliminary analyses
22 concerning the consequences of an accident with ruptures

0
1 and so forth, that our current regulatory approach is
2 adequate for this interim period before we issue our
3 final generic conclusions.

.8
4 Q Let me ask it a little differently:

5 You indicated, I think, in response to some
6 questions by Mr. Jenkins that you couldn't preclude some
7 steam generator tube integrity problems over the expected
8 lifetime of Byron; is that correct?

9 A It was -- I couldn't preclude corrosion.

10 Q Okay, we'll confine ourselves to corrosion.

11 A Or degradation in general.

12 Q Okay. What kind of measures give assurance
13 that this isn't going to be a public safety problem?
14 Should we be concerned about this?

15 A In my opinion, the current regulatory approach,
16 which we have discussed quite extensively up to now, I
17 think provides reasonable assurance for the public health
18 and safety but, you know, I also believe that it's
19 necessary for the Staff to reexamine all the relevant
20 issues concerning the steam generators, both for what
21 the safety concerns are, and I think we have to study and
22 make the finding that the current regulatory approach is

1 satisfactory.

2 Q Let me get at it differently:

3 I gather that --

4 A Let me take away the word "satisfactory."

5 Whether or not it should be approved further.

6 Q This corrosion-related steam generator tube
7 integrity phenomenon is considered generally an unresolved
8 safety issue; is that correct?

9 A Yes.

10 Q And that is part of an ongoing Task A-3; is
11 that correct?

12 A Yes.

13 Q To which you referred.

14 Now you have also taken a position, I believe,
15 in the SER and in your testimony that notwithstanding
16 those ongoing efforts to which you have continually alluded,
17 that to quote you on paragraph 7, page 2, of the affidavit,
18 that Byron can be operated before resolution of the above,
19 which I assume is this particular generic issue, without
20 undue risk to the health and safety of the public.

21 A That's correct.

22 Q Why don't you just, at the risk of redundancy,

1 then tell me why.

2 A It's not really on the basis of -- well, the
3 major basis for this finding is my assessment of operating
4 experience. The fact that surveillance requirements have
5 proven generally successful in preventing rupture
6 occurrences, though not absolutely. That where we have
7 had rupture occurrences, that these have not resulted in
8 unacceptable consequences. The results of the consequences
9 have not been severe. That even if we were to have a
10 tube rupture assumed to occur concurrently with the
11 design basis accident, the only Staff studies -- the
12 conclusions of Staff studies that I'm aware of all
13 indicate that the results would not be unacceptable.

14 That last item does not factor directly into
15 any safety evaluation which we customarily prepare. It
16 is something that I -- that provides me with some added
17 assurance.

18 Q Go ahead, if you want.

19 A That's enough for now.

20 Q By the way, Dr. Rajan, if you want to add
21 anything, go ahead at any time; not that I'm inviting a
22 response now.

1 You indicated that as part of your answer to my
2 last question, you alluded to the steam generator tube
3 ruptures that have occurred in the past; am I correct?

4 A I'm sorry?

5 Q In the past, there have been past instances.
6 I believe in response to questions by Mr. Jenkins, you
7 identified four instances in which there have been steam
8 generator tube ruptures on domestic reactors; is that
9 correct?

10 A That's correct.

11 Q Did any of these ruptures result in impermissible
12 releases to the environment, to your knowledge?

13 A To my knowledge, none of these rupture events
14 resulted in unacceptable releases to the public, or to the
15 environment.

16 Q By unacceptable, do you mean --

17 A To my knowledge, no requirements, 10 CFR 100
18 or otherwise, have been violated. The radiological
19 consequences of the rupture events which have occurred,
20 have been evaluated in detail by the Staff, and have been
21 reported upon and documented.

22 Q Has the Applicant, to your knowledge, done a

1 steam generator tube rupture accident analysis, as part of
2 its application?

3 A The answer to that is yes.

4 Q Was it done as a design basis accident?

5 A The tube rupture event?

6 Q Yes.

7 A It's my understanding that that is a design
8 basis condition.

9 Q Okay. I believe there were earlier questions
10 about the necessity to consider a steam generator tube
11 rupture coincident with some other significant design
12 basis accident, such as a LOCA, and you indicated by --
13 well, I'm not sure what you --

14 A That's not a design basis accident.

15 Q It's not presently then a Staff requirement
16 for design basis accident, and you're not making any
17 recommendation today whether or not it should be; is that
18 correct?

19 A No, I'm not. It's something under evaluation
20 by the Staff.

21 Q And it's under evaluation, I gather, as part
22 of the overall review of steam generator tube integrity

1 problems generally; is that correct?

2 A Yes. But as this report that's been identified,
3 this February 1982 report, discusses, the analyses that I'm
4 aware of that have been performed to examine the
5 consequences of tube failure concurrent with an accident
6 indicate that the consequences of a tube rupture, a single
7 tube rupture during accident conditions will not result
8 in unacceptable consequences, whether we're talking about
9 a LOCA or a main steam line break, or what-have-you.

10 Q The February 1982 document you are referring to
11 is the one that Mr. Gallo earlier marked as Deposition
12 Exhibit 1?

13 A That's correct.

14 Q Let me talk about this mechanical tube vibration
15 problem for a moment. I guess I'll direct my comments,
16 then, to Dr. Rajan.

17 I wonder -- first of all, the Ginna accident
18 which was referred to earlier, I believe it was your
19 testimony that that did not result from this flow-induced
20 problem; is that correct?

21 A (Witness Rajan) That is correct.

22 Q I wonder if you can distinguish for me the

1 difference between the Model D-2, D-3, and Model D-4,
2 D-5 Westinghouse type steam generators from the standpoint
3 of both their susceptibility to tube vibration problems
4 and, secondly, their amenability to corrective modifica-
5 tions.

6 A The one thing in common with D-2 and D-3, on the
7 one hand, and D-4 and 5, is that both are preheat type
8 steam generators. The difference is that in the D-2, D-3,
9 the flow is split upwards and downwards, as it emerges
10 from the feedwater nozzle.

11 In the D-4 and D-5, on the other hand, the flow
12 is directed downwards, and this design is referred to as
13 the counterflow type, in which the flow is directed down-
14 wards, and then it goes upwards again to a series of baffles.

15 The fact that the flow does not impinge on the
16 tubes directly as it comes from the feedwater nozzle, in
17 my judgment, somewhat reduces the possibility of flow-
18 induced vibrations in the D-4, D-5 model. Although let me
19 emphasize that this whole area of preheat region is an
20 area of turbulence, and the first row of tubes has evidence
21 from data at KRSKO to experience unacceptable flow-induced
22 vibration.

1 So we do recognize that there is a problem, but
2 in my judgment, the magnitude of the problem is somewhat
3 less severe in D-4, D-5, as opposed to the D-2, D-3.

4 Q Let's assume for a moment that contrary to
5 present expectation, the corrective modifications are not
6 available and satisfactory at the time that Byron is ready
7 to operate.

8 In questioning by Mr. Gallo, I think you gave
9 some alternative measures that were available. I wonder
10 if you can just briefly summarize what posture you think
11 you'll find yourself in if that's not the case.

12 A Well, at the end of the review of the options --
13 of the analyses and test results from Westinghouse, if
14 we do conclude that it has not been adequately demonstrated
15 that the flow-induced vibrations have been eliminated or
16 reduced to within acceptable limits, then at that point
17 we will have, in my judgment, two options:

18 One of them would be again based on the results
19 of the test data and operating plant experience at that
20 point, we can limit the power at Byron to less than 100
21 percent. And until such time that a fix can be found.

22 The other option, of course, would be to delay,

1 delay the start of the plant until a fix has been
2 -- acceptable fix has been found.

3 Q Okay. Both of these alternatives -- some kind
4 of power restriction and delay -- would you say it's fair
5 to characterize those as primarily imposing an economic
6 burden on the Applicant, as distinct from representing a
7 safety problem to the public?

8 Is my question unclear?

9 A Our decisions would primarily be based on
10 what the effect of the fix would have on the safety.

11 Q Okay. So clearly, then, the objective of
12 some kind of alternative plan, then, would be to ensure
13 public safety during some period of operation or defer
14 operation if it was found that it could not be satisfactory?

15 A That's right.

16 Q So just to follow up, then, the absence of
17 final corrective modification at the time Byron may be
18 prepared for power operation does not mean that there is
19 not some alternative measure by which public safety can
20 be assured pending some ultimate corrective modification or
21 fix; is that not correct?

22 A Yes.

1 MR. GOLDBERG: Hold on for one second.

2 (Pause.)

3 BY MR. GOLDBERG:

4 Q Mr. Murphy, let me ask you one or two particu-
5 lar questions about some areas in which you were examined
6 by Mr. Gallo.

7 One of the measures identified in your affidavit
8 on page 2, paragraph 5, to minimize the onset of steam
9 generator tube integrity problems, is utilization of
10 all volatile secondary water treatment; correct?

11 A (Witness Murphy nodding.)

12 Q Does all volatile treatment chemistry -- excuse
13 me, chemistry control add phosphates to the steam generator?

14 A (Witness Murphy) No.

15 Q Does it then prevent phosphate wastage on new
16 plants such as Byron?

17 A Well, you don't have the ingredients for phosphate
18 wastage, as I understand.

19 Q So is it your belief and is it your testimony
20 today that these -- I'm sorry, strike that.

21 Okay, a second component of the second measure
22 that you identify as designed to minimize steam generator

1 tube problems, is improved controls and monitoring of
2 secondary water chemistry; is that correct?

3 A Yes.

4 Q Is it your belief that improved chemistry
5 controls will reduce corrosion to at least controllable
6 levels?

7 A Yes. Yes.

8 Q Okay, how does both the all volatile treatment
9 chemistry control and other improved chemistry measures
10 protect the steam generator from corrosion?

11 A The chemistry AVT affects the -- AVT is a
12 method for treating the secondary water, for scavenging the
13 oxygen, for gauge control, and its function is to minimize
14 corrosion problems relating to the secondary coolant.

15 I cannot go into it any deeper than that,
16 because quite simply corrosion is not my specialty.
17 The dynamics.

18 Q Okay, Mr. Murphy. As I understood your answer
19 to questions by Mr. Gallo, you referred us to the statement
20 made in Appendix C, Section A-3, containing the Staff
21 review of the steam generator tube integrity problem
22 which you adopted as a principal response to questions

1 concerning, I guess, the hazard of steam generator tube
2 failure problems coincident with other accidents; am I
3 correct?

4 A Yes.

5 Q And that statement -- and let me just read you
6 the statement, I realize you may not have it in front of
7 you. The statement is that the primary concern is the
8 capability of steam generator tubes to maintain their
9 integrity during normal operation and postulated accident
10 conditions. Is that correct?

11 A That's right. And therefore it pertains to
12 the hazard presented by various degradation mechanisms
13 like stress corrosion cracking and so forth.

14 Q And if we look to Contention 9-C, it cites
15 the steam generator tube integrity problem stemming from
16 corrosion cracking and denting and fatigue, and goes on
17 to submit that this constitutes a hazard, both during
18 the normal operation and under accident conditions.

19 A You're asking me to respond to that, and the
20 response is indicated in item, I believe, 5 of the affidavit
21 -- of the testimony, which states that we have implemented
22 -- requirements have been established to keep these

1 degradation problems from becoming a hazard to the public.

2 Q Okay. Realizing the limitations, perhaps, on
3 your knowledge and experience in this area -- and, Dr.
4 Rajan, if you have anything to add, I'm just going to
5 kind of ask you the question that maybe Mr. Gallo stopped
6 short of, but in the context of that particular contention,
7 do you have an opinion about what kind of incremental
8 risk is posed by the addition of the steam generator tube
9 rupture to a design basis accident?

10 Let's maybe stick with one of the worst, a
11 design basis LOCA.

12 A I'm not sure I understand the question. You
13 are saying -- does the question assume a tube rupture
14 concurrent with an accident?

15 Q Assume that you have a design basis accident,
16 let's say it's design basis LOCA, one of the most severe.
17 What incremental contribution would a steam generator
18 tube rupture have to the severity or public risk stemming
19 from that kind of an accident?

20 MR. GALLO: I'm going to object to the question.
21 The witness has already testified he is not an expert in
22 that area. I just make that for the record. Go ahead.

1 MR. GOLDBERG: That's your objection.

2 WITNESS MURPHY: Well, I think it's safe to
3 say that tube rupture during a design basis accident
4 aggravates the severity of the accident. I don't think
5 there is any doubt about that.

6 The question is whether -- how much does it
7 aggravate the accident. The Staff is -- other organizations
8 are pursuing studies in this area. The document that has
9 been identified, the internal -- I guess it's classified
10 as an internal NRC document, addresses the preliminary
11 findings, or the findings of those analyses.

12 BY MR. GOLDBERG:

13 Q Unless you have anything to add, Dr. Rajan --

14 A (Witness Rajan) The only thing I would say,
15 that these studies have been pursued and we are aware of
16 some of the results of these studies.

17 My understanding is that during a loss-of-coolant
18 accident, several -- a rupture of several tubes can be
19 tolerated.

20 Now, the exact number I'm not aware of.

21 A (Witness Murphy) Well, the exact number,
22 according to the existing analyses, is 1300 gpm. This is

1 more than the leakage that you would expect during a LOCA,
 2 even if you assumed the tube completely double-ended during
 3 a LOCA, which is an unlikely failure mechanism. But this
 4 amount of leakage considerably exceeds the expected leakage
 5 in the amount of the double-ended failure of a tube during
 6 LOCA conditions.

7 Q You are acquainted with existing Staff analyses
 8 that document that point?

9 A Like I say, I have testified here that I am
 10 acquainted and have read the results and conclusions, and
 11 am familiar with the results and conclusions of the analysis.

12 MR. GOLDBERG: Okay. I have no further questions.

13 MR. JENKINS: I have three, very brief, that
 14 were raised, but before we go into those questions, I would
 15 like to note for the record Mr. Connell's presence here,
 16 which I do not believe was noted in the record.

17 MR. GALLO: Who? Mr. Connor?

18 MR. JENKINS: Mr. Connell? Is that your name?

19 MR. GALLO: Connor.

20 MR. CONNOR: Connor.

21 MR. JENKINS: Connor. I'm sorry.

22 MR. GALLO: I noted that when he entered the

T.9

1 room. You'll find that in the transcript, I'm sure.

2 MR. JENKINS: I'm sorry.

3 MR. GALLO: He's from Westinghouse, in any
4 event.

5 MR. JENKINS: All right. Very good.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

- - - - -

RE - EXAMINATION

BY MR. JENKINS:

1
2
3 Q The first question, you have noted that
4 the inspection frequency typically is 12 to 24 months.
5 Why is McGuire inspected more often, every two months?

6 A (Witness Murphy) Because we are concerned
7 that with the vibration, or potential for vibration, that
8 they have, that if we -- because of uncertainties that
9 exist regarding the exact wear rates that take place at
10 50 percent power, 75 percent power, what-have-you, we feel
11 that much more frequent inspections like are being performed
12 are needed to ensure that the wear will not proceed beyond
13 acceptable limits, before these tubes are reinspected.

14 Q But I guess I don't understand; if you would
15 normally inspect every 12 to 24 months, why are you
16 inspecting in this circumstance every two months?

17 A (Witness Rajan) The rate of flow-induced
18 vibrations in certain groups is rather rapid, and if we
19 allow the plant to operate for the 12-month interval, which
20 it is normally scheduled for, it is quite likely that
21 several tubes would reach their plugging limit prior to
22 that, completion of that operation period, and may begin

1 to leak, perhaps.

2 Q Are you saying that McGuire has some unique
3 problems?

4 A That's correct.

5 A (Witness Murphy) All Model Ds have unique
6 problems.

7 A (Witness Rajan) All Model Ds have unique
8 problems.

9 Q You averted to U-bend cracking. Now that is
10 something that I have never been familiar with before.
11 Would you just briefly describe what that is?

12 A (Witness Murphy) It's described in excruciating
13 detail in NUREG 0886. There are two U-bend cracking
14 phenomena.

15 One is caused by -- is a direct result of
16 denting in the upper support plate.

17 The other is not related to denting.

18 The denting-related U-bend cracking led to the
19 Surrey rupture in 1976. The phenomenon is believed to be
20 well understood now. There are a lot of tell-tale --
21 there are some tell-tale indicators that a plant may be
22 approaching the condition where one must be concerned about

1 such a failure, and sufficient surveillance -- steam
2 generators can be surveilled to see that these conditions
3 don't exist. Or if they do exist, you can take preventive
4 measures.

5 The nondenting-related cracks have resulted in
6 a number of small leaks at some units. I'm not sure to
7 tell you just where to go. It appears to be related to
8 -- the occurrence of the cracks is related in part to the
9 residual stresses in the U-bend as a result of the bending
10 process.

11 Q What class of incident was given to the Ginna
12 accident? As I understand it, incidents are classified
13 somehow in a numerical basis.

14 A I can't answer that question.

15 A (Witness Rajan) I'm not aware of it.

16 MR. CHESNUT: We have two or three different
17 types -- at least two different kinds of classifications.
18 I don't know if you are familiar with the numbering system
19 or --

20 MR. BUNCH: Yes.

21 MR. GOLDBERG: Mr. Chesnut is not sworn.

22 MR. JENKINS: But these gentlemen said they

1 don't know.

2 MR. JENKINS: Mr. Gallo?

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

R E - E X A M I N A T I O N

BY MR. GALLO:

1
2
3 Q Has the Staff, Dr. Rajan, conducted any analysis
4 to determine the likelihood of a gross tube failure
5 occurring the course of a design basis accident?

6 A (Witness Rajan) Are you talking in terms of a
7 probability number now?

8 Q Yes.

9 A No, sir, I have not.

10 Q Are you aware of anyone on the Staff that might
11 have performed such analysis?

12 A I am not aware of anyone.

13 Q How about you, Mr. Murphy?

14 A (Witness Murphy) The analyses which have been
15 done have determined the probability of tube ruptures
16 during accidents, assuming that you have -- that you have
17 degradation in the steam generator.

18 These analyses were done for the purposes of
19 evaluating various sampling plans versus the tolerable
20 number of tube failures during an accident.

21 Q Is it possible -- I'm sorry, go ahead.

22 A Insofar as I know, there has been no risk

1 assessment evaluating the probability of a tube rupture at
2 any plant if it had a main steam line break.

3 Q Do either of you know whether or not it is
4 possible to perform such analysis? Just offhand, the
5 uncertainties seem to be so great that it would seem to
6 be difficult to perform an analysis. Do either one of you
7 have an opinion on that point?

8 A (Witness Rajan) I would think that it is
9 possible to make an analysis although the uncertainties
10 about the accuracy of such an analysis would be rather high.

11 A (Witness Murphy) Jai and I have been recently
12 discussing such a risk assessment, but this is -- to our
13 knowledge, there is no -- there has been no -- well, maybe
14 I'd better -- I'm not aware of a specific risk assessment
15 regarding the potential for steam generator tube ruptures
16 during an accident.

17 Q Okay. Two short questions:

18 You have been referring here today to design
19 basis accidents and the occurrence of a gross steam
20 generator tube failure during the course of such an
21 accident. What ones are we talking about? We mentioned a
22 design basis loss-of-coolant accident which I guess for a

1 PWR would be the double-ended guillotine break. Is that
2 correct?

3 A Yes.

4 Q And the main steam line break, is that another
5 design basis accident that we would be concerned with?

6 A (Witness Rajan) Yes.

7 A (Witness Murphy) Yes.

8 Q And I think, Dr. Rajan, you mentioned an
9 earthquake situation. Are you talking about SSE?

10 A (Witness Rajan) Yes, that would be a loss-of-
11 coolant accident in conjunction with a safe shutdown
12 earthquake, in conjunction with an SSE.

13 Q How about a break to a feedwater line, or is that
14 not a PWR problem?

15 A It is a PWR problem.

16 Q Would that be another design basis accident?

17 A That would be another design basis accident.

18 Q Are there any others?

19 A Well, for the steam generator, I would say that
20 these are the main design basis accidents, or the bounding
21 design basis accidents.

22 Q Just one last question:

1 Out of curiosity, if I wanted to go find a list
2 of these accidents, where would I find them? Are they
3 in a Standard Review Plan some place, identified as design
4 basis accidents, or a reg guide, or regulation?

5 A (Witness Murphy) The -- maybe you can correct
6 me if I'm wrong, Jai, but the regulatory guide provides
7 guidance.

8 For example, Regulatory Guide 1.121 provides
9 guidance on this sort of --

10 A (Witness Rajan) That lists these accidents.

11 MR. GALLO: That's all I have. Thank you.

12

13

- - - - -

14

15

16

17

18

19

20

21

22

RE - EXAMINATION

BY MR. GOLDBERG:

Q Dr. Rajan, the accidents you have just identified for Mr. Gallo and called bounding, those are all fairly low probability accidents, aren't they?

A (Witness Rajan) They are.

Q Coupled with a steam generator tube rupture, they would be even lower; is that correct?

A That's right. That's absolutely right.

MR. GOLDBERG: Okay. I have no further questions.

(Whereupon, at 1:55 p.m., the deposition was adjourned.)

EMMETT MURPHY

JAI RAJAN

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

STATE OF MARYLAND :

COUNTY OF MONTGOMERY :

I hereby certify that the above-named witnesses,
EMMETT MURPHY and JAI RAJAN, personally appeared before
me and signed and subscribed to this deposition.

Notary Public,
Montgomery County, Maryland

My Commission Expires:

1 STATE OF MARYLAND :

2 COUNTY OF MONTGOMERY :


3 I, ANN RILEY, a Notary Public in and for
4 Montgomery County, Maryland, do hereby certify that I
5 reported in Stenomask the deposition of EMMETT MURPHY
6 and JAI RAJAN, the witnesses herein.
7

8 I further certify that the foregoing
9 pages are a true and correct transcription of the
10 testimony given.

11 I further certify that the deposition was
12 transcribed either by me or under my personal supervision.
13

14 I further certify that I have no interest,
15 financial or otherwise, in the outcome of this proceeding.

16 Given under my hand and seal of office, this
17 the 9th day of July, 1982.
18

19 
20 _____
21 Ann Riley
22 Notary Public,
Montgomery County, Maryland

My Commission Expires:

July 1, 1986

Murphy/Rajan Reps. # 1

7-7-82

(Ann Bailey)

STEAM GENERATOR STATUS REPORT

FEBRUARY 1982

U.S. NUCLEAR REGULATORY COMMISSION

I. Problem Definition

A. Summary of Tube Degradation

Degradation of steam generators (SG) manufactured by each of the three pressurized water reactor (PWR) vendors has resulted due to a combination of steam generator mechanical design, thermal hydraulics, materials selection, fabrication techniques, and secondary system design and operation. In the early and mid-1970s, Westinghouse (W) S.G. experienced caustic stress corrosion cracking, and W and Combustion Engineering (CE) S.G.s experienced tube thinning (wastage). These modes of degradation were due to difficulties encountered with phosphate secondary water chemistry. Because of these difficulties, most W and all CE plants converted to an all volatile (AVT) secondary water treatment. Although this conversion greatly reduced the occurrence of stress corrosion cracking and wastage, other degradation modes including denting (deformation of the S.G. tubes due to corrosion of the carbon steel support plates) began to occur.

Babcock and Wilcox S.G., which have a significantly different design from W or CE and have operated exclusively with AVT water chemistry, had relatively good operating experience in their early years of operation. Nevertheless, they have experienced numerous tube leaks. The principal modes of degradation in B&W units have been fatigue crack growth, confined primarily to limited sets of tubes located on the open inspection lane, and more recently erosion-corrosion and primary side intergranular attack.

To date, many different forms of steam generator degradation have been identified including: stress corrosion cracking, wastage, intergranular attack, denting, erosion-corrosion, fatigue cracking, pitting, fretting, and support plate degradation. One or more of these forms of degradation have affected at least 40 operating PWRs and have resulted in extensive S.G. inspections, tube plugging, repair, or replacement. Recently, foreign Westinghouse S.G.s of the same design as McGuire have experienced tube wear associated with flow induced vibration due to a new integral preheater design. References 1, 2, and 3 present detailed discussions of domestic S.G. operating experience.

The economic impact of steam generator degradation has been significant. Approximately 23% of non-refueling outage time has been attributed to steam generator degradation. The cost of such outages in terms of replacement power alone is very high. However, perhaps the greatest financial costs incurred to date are those associated with steam generator replacement. Replacement of the Surry Unit 1 and Unit 2 S.G.s cost approximately \$200 million, including cost of makeup power. Replacement of the Turkey Point S.G.s, currently in progress, will cost an estimated \$460 million. NRC staff time involved with these activities is estimated at 6000 manhours for Turkey Point (which included time for a hearing) and 3000 manhours for Surry. Less radical operations also incur significant costs. Recent tube sleeving operations at San Onofre involved repair of approximately 7000 degraded tubes at a cost of \$70 million. Proposed sleeving of 3000 tubes at R.E. Ginna has an estimated cost of \$20 million.

B. Safety Significance

The safety significance of S.G. tube integrity can be divided

into three categories: tube failures under normal operating conditions; tube failures concurrent with postulated accident conditions; and personnel exposure associated with S.G. inservice inspection (ISI), repair, and replacement.

The majority of the S.G. tube failures that have occurred under normal operating conditions were small stable leaks sometimes requiring plant shutdown, inspection, and corrective actions, but for the most part small enough (e.g., below technical specification leak rate limit) that operations continued until a scheduled shutdown. However, four significant S.G. tube ruptures have occurred in domestic PWRs since 1975. These events occurred on February 26, 1975, at Point Beach Unit 1, September 15, 1976, at Surry Unit 2, October 2, 1979, at Prairie Island Unit 1 and on January 25, 1982, at R. E. Ginna. The first three of these events were evaluated in NUREG-0651, "Evaluation of Steam Generator Tube Rupture Events." The report includes an evaluation of system response, operator action, and radiological consequences during the three events. The leak rate associated with these events ranged from about 80 gpm to 390 gpm. The conclusion of the report is that no significant offsite doses or systems inadequacies occurred during the tube rupture events analyzed. However, the potential for more significant consequences was recognized and a number of procedural recommendations were made to correct the deficiencies that were noted. The present disposition of each of the recommendations is discussed in a recent memo to Commissioner Bradford from W. Dircks (Ref. 4). The present design basis for assuring that plants are acceptably protected against S.G. tube rupture events is a postulated double-ended rupture of a single S.G. tube. This assumption is intended to provide a bounding leak rate for a spectrum of rupture geometries in a single tube and a spectrum of smaller leaks in multiple tubes within a single S.G. The consequences of multiple tube failures, in excess of the design base, have not yet been rigorously studied. Rapid degradation between inspections of a large number of tubes could create the potential for multiple tube failures in the event of a plant transient or failure of a single tube and the accompanying jet impingement and tube whip could cause failure of additional tubes. Furthermore, the potential for complicating circumstances involving multiple equipment failures such as the stuck open PORV during the Ginna incident and possible steam bubble formation in the primary system have not been evaluated. Another concern is ruptures in multiple S.G.s. In this event, unless the plant can be rapidly depressurized and brought onto Residual Heat Removal, there is the potential to continuously lose emergency core cooling water outside of containment. The above concerns are being addressed as part of the TMI Action Plan. Item I.C.1 in the TMI Action Plan addresses S.G. tube failures coupled with other failures (such as a stuck open safety relief valve in the secondary system), ruptures of multiple tubes, and simultaneous ruptures in multiple S.G.s. The purpose of this effort is not to expand the plant design basis but to assure that operator emergency procedures provide proper guidance for safely controlling the plant during these types of events. Although rigorous analyses of many of the scenarios postulated above have not been completed, ISI, leak rate limits, and tube plugging requirements are intended to guard against such occurrences (See Section II). In summary, the consequences of S.G. tube ruptures under normal operating conditions have been small; however, such events can present a significant challenge to plant operators and safety systems.

During postulated accident conditions, such as main steam line break (MSLB), feedwater line break, or LOCA, the S.G. tubes are subject to increased pressure differentials and possible pressure waves (e.g., subcooled decompression phenomena) and vibrational loadings. These loads increase the potential for failure of degraded S.G. tubes which could exacerbate the accident sequence. In the event of MSLB, failed S.G. tubes would provide a leakage path from the primary to secondary system and several potential leak paths for radioactivity to the environment would then exist. In the event of a LOCA, the core reflood rate could be retarded by steam binding. This phenomenon is associated with a cold leg break, in which reflood of the core requires displacing steam generated in the core through the hot leg, the affected steam generator, and out of the cold leg break. S.G. tube failures would create a secondary to primary leak path which aggravates the steam binding effect and could lead to ineffective reflooding of the core. Analytical and experimental evaluations of this phenomenon are contained in References 4 and 5. Large MSLBs and LOCAs are considered extremely low probability events, but are postulated as bounding conditions. More realistic events might include small and intermediate size MSLBs or LOCAs. Although these postulated accidents pose a less severe challenge to S.G. tube integrity, tube rupture(s) leading to or following such events could have serious consequences. This is particularly true if fuel damage has occurred as in the case of Three Mile Island.

* The final area of concern is the radiation exposure of personnel involved in S.G. inspection, repair, and replacement. Reference 3 presents a summary of data on S.G. related personnel exposure for selected plants from 1974 to 1980. In recent years, as much as 25% of some plants annual occupational exposure has resulted from routine S.G. inspection and maintenance and as high as 60% for S.G. replacement. Recent tube sleeving operations at San Onofre incurred 3500 man rem exposure and similar operations are planned for other plants.

II. Regulatory Approach

The NRC approach to assuring S.G. tube integrity under all operating conditions is based on inservice inspection (ISI), primary to secondary leakage rate limits, and preventive tube plugging requirements. Guidance for performing ISI is provided in R.G. 1.83, "Inservice Inspection of S.G. Tubes," and plant technical specifications include requirements for ISI. Typical plant specifications require periodic inspections of 3% of the S.G. tubes in the plant and augmented ISI in the event tube degradation is detected. Required frequency of inspection is generally flexible enough to allow inspections to be performed concurrent with refueling outages. Certain incidents such as tube leakage require unscheduled ISIs. Furthermore, many plants with extensive degradation problems have licensing amendments imposing higher frequency and larger size inspections. The ISI requirements were developed largely through a combination of engineering judgement and operating experience. More rigorous statistically based ISI programs have been developed as part of Unresolved Safety Issues A-3, A-4, and A-5 (see Section V). The purpose of the required ISIs is to determine if tube degradation is occurring in the S.G., assess the rate of tube degradation based on results of successive inspections, and identify those tubes requiring plugging or repair.

Primary to secondary leak rate limits are an extremely important requirement for ensuring safe S.G. operation. Some forms of tube degradation have been observed to degrade tubes beyond the prescribed plugging limit during the interval between inspections. Technical Specification primary to secondary leak rate limits requiring shutdown, ISI, and corrective actions provide protection against unacceptable levels of degradation between inspections. Many serious conditions of tube degradation have been detected by monitoring of primary to secondary leakage and subsequent inspection. Primary to secondary leak rate limits exist in each plant's technical specifications. The bases for these limits are twofold. First, the leak rate limit ensures that the calculated dosage contribution from tube leakage will be limited to a small fraction of the allowable limits in the event of a S.G. tube rupture or MSLB. Second, the leak rate limit is intended to correspond to a defect size that would not be expected to result in tube rupture under normal or postulated accident conditions.

Finally, degradation limits for tube plugging exist in the plant Technical Specifications. Criteria for establishing the tube plugging limits are presented in R.G. 1.121, "Basis for Plugging Degraded Pressurized Water Reactor Steam Generator Tubes." These criteria require that the plugging limit include margins for eddy current testing error and continued degradation between inspections. Thus, it is important to have a good estimate of the rate of degradation based on successive ISI results and an understanding of the degradation phenomena.

The primary focus of the current NRC philosophy is directed at maintaining primary system integrity. This is accomplished primarily through the requirements described above for ISI, leak rate monitoring, and tube plugging. In a sense, it is directed at treating the symptoms and not the cause of S.G. degradation, which lies primarily in secondary system design and operations. This philosophy has been debated extensively, but the current position regards eliminating the problem at its source as an industry responsibility.

III. Current Corrective Actions

An effective solution to S.G. tube degradation problems would require major changes in S.G. mechanical design, thermal-hydraulics, materials selection, fabrication techniques, and changes in the secondary system design and operation. Elimination of S.G. degradation requires a systems approach integrating all of these considerations. There are no simple corrective actions. This is particularly true for those plants which have significant operating time and have experienced S.G. degradation. Design changes in operating S.G.s that would be necessary to eliminate degradation problems are virtually impossible. For example, tube to tubesheet crevices already contaminated with corrosive environments are virtually impossible to clean, carbon steel support plates cannot be replaced with more corrosion resistant materials, and residual fabrication stresses cannot be removed. Thus, corrective actions may prolong S.G. life, but tube degradation is expected to continue in operating plants. Once the secondary system is contaminated by an aggressive environment it is difficult to reverse the adverse affects. For example, caustic stress corrosion cracking and wastage, due to residual phosphate water chemistry conditions, still continue in some plants long after conversion to AVT water chemistry.

Several corrective actions, however, have been proposed and

are in use. These fixes include such actions as tube sleeving, sludge lancing, soaking and flushing, reduced operating temperatures to slow corrosion, boric acid injection to arrest denting, support plate modifications to retard denting, S.G. replacement, and improvements in secondary system design and operation. Secondary system improvements include prompt correction of condenser in-leakage, condenser retubing, removal of copper based alloys from the secondary system, and addition of demineralized systems. An industry constituted secondary water chemistry guidelines committee, under chairmanship of EPRI, is developing generic chemistry limits and operating guidelines. NRR has been in contact with this committee for the past year and will review a copy of the draft reports prior to issue. Chemical cleaning has also been proposed but has not been implemented due to uncertainties regarding its longer-term affect on S.G. integrity. Industry efforts are currently underway to eliminate these uncertainties and chemical cleaning may become a viable option in the near future. These fixes have met with varying degrees of success, but none of them is a panacea. Furthermore, short term solutions to one problem may create other problems. Conversion from phosphate to AVT water chemistry, which minimized wastage and stress corrosion cracking but was followed by denting, is a case in point.

* Finally it should be noted that the majority of the plants under review for operating licenses have S.G.s of similar design to those currently in operation, so that the potential for S.G. tube degradation exists in these plants as well.

IV. NRC, Industry, and Foreign Research and Development Activities

NRC's steam generator research program addresses improved eddy current inspection techniques for steam generator tubing, stress corrosion cracking of steam generator tubing and evaluation of tube integrity.

The objective of the eddy-current program is to upgrade and improve eddy-current inspection probes, techniques and associated instruments for inservice inspection of steam generator tubing to improve the ability to identify and characterize tube defects. Specific objectives include improving defect detection and characterization as affected by tube diameter and thickness variations, tube denting, probe wobble, tubesheet and tube support interference, and defect location and type.

The stress corrosion cracking program is developing data and models which will be used to predict the stress corrosion cracking initiation and service life of Inconel 600 steam generator tubing. The testing program includes variables which influence stress corrosion cracking such as temperature, stress, strain and strain rate, metallurgical structures and processing, and ingredients in the primary and secondary coolant.

A steam generator, with service induced degradation will be used for the validation of the accuracy and confidence limits of nondestructive inspection instrumentation and techniques; burst and collapse tests on field degraded tubes to validate tube integrity models; and for developing data for validation of previously developed stress corrosion cracking predictive models, chemical cleaning and decontamination, dose-rate reduction and secondary side characterization. In addition, statistically based sampling models for inservice inspection programs will be confirmed and/or improved utilizing the first ever confirmed data base.

There are many ongoing programs addressing S.G. issues at EPRI, most of which are sponsored by the S.G. Owner's Group, and the rest by EPRI itself. The programs address the following areas: (1) chemistry and corrosion, (2) materials selection and testing, (3) thermal hydraulic and structural testing and analysis, and (4) nondestructive examination (NDE). Efforts in the chemistry and corrosion area are directed at examining the causes of corrosion related degradation such as denting, intergranular attack, and stress corrosion cracking, and identifying potential fixes such as alternative secondary water chemistry treatments. Materials selection and testing efforts are directed at characterizing and evaluating the suitability of alternative tubing and S.G. materials. This includes consideration of new heat treatments for tubing and compatibility of S.G. tubing with structural materials. Testing and analysis in thermal hydraulics and structures is directed at secondary side S.G. design and performance and their effect on S.G. tube integrity. The EPRI nondestructive examination programs focus on development of improved inspection techniques. These techniques include multiple frequency/multiparameter eddy current testing, automatic eddy current signal analysis, profilometry for quantifying dent configuration and strain levels in dented tubes, and methods for evaluating the condition of the tube support plates. In addition, EPRI has established the NDE Center in Charlotte, NC, dedicated to providing good NDE techniques, and effectively transferring research and development results to the industry.

Research and development activities underway on steam generators outside the USA are being funded at high levels in several countries. The Japanese are conducting a very large program with emphasis on thermal/hydraulics, and also on water chemistry and tube testing. To date, we have received little information on the progress or results of their programs. The French have work underway on eddy current NDE, crevice chemistry, and decontamination. There is work underway in Sweden on water chemistry. The Germans have work underway in eddy current NDE, and at KWU on primary side decontamination and secondary side cleaning; however, German steam generators are tubed with Incolloy 800 so much of their research is less relevant to ours. Finally, the Italians have underway a large program which will allow them to make new designs to avoid current and possible future problems.

V. Long Term Approach

A. Unresolved Safety Issues A-3, A-4, and A-5 Regarding Steam Generator Tube Integrity

In 1978, the NRC established Unresolved Safety Issues A-3, A-4, and A-5 (USI) regarding degradation in W, CE, and B&W steam generators, respectively. A draft report, NUREG-0844, presenting the proposed NRC staff resolution of these generic safety issues has been prepared and is currently being reviewed by NRR management prior to transmittal to the Committee for Review of Generic Requirements and the Commission and publication for public comment. The report integrates technical studies in the areas of systems analyses, inservice inspection (ISI), and tube integrity to establish improved criteria for ensuring adequate tube integrity and safe steam generator operation under all conditions.

In the systems analyses portion of the report, the consequences of steam generator tube failures during normal operation and postulated loss-of-coolant and main steam line break accidents are evaluated. The evaluation considers predicted fuel behavior, emergency core cooling system performance, radiological consequences, and containment response. The results of the systems analyses lead to proposed criteria for establishing a tolerable level of steam generator leakage during postulated accidents. ISI techniques are then evaluated, and statistically based ISI programs presented which, if implemented, would provide additional assurance that no more than the tolerable level of tube leakage, defined by the systems analyses, would occur during normal or postulated accident conditions.

In the tube integrity portion of the report, the behavior of degraded tubes during normal and postulated accident conditions and tube plugging criteria are evaluated. Proposed changes in operating procedures and design changes to minimize tube degradation are also identified.

Implementation of the proposed requirements and criteria developed in the program for resolution of the USI are not expected to totally eliminate S.G. degradation. The intent of the proposed requirements is to establish a logical approach to evaluating steam generator tube integrity and ensuring safe steam generator operation. The draft NUREG-0844 recommends criteria and requirements that can be used to evaluate current and future degradation programs in steam generators. The establishment of maximum allowable steam generator tube leak rates during postulated accident conditions and associated tolerable number of defective tubes is a major contribution to the evaluation of steam generator tube degradation problems. It provides objective criteria against which steam generator tube integrity can be evaluated. Similarly, the development of statistical ISI programs provides a rational, scientific basis that can be used to establish and evaluate ISI requirements that will ensure the above criteria are satisfied. Results from NRC S.G. research programs are expected to lay the experimental basis for many of these criteria.

In keeping with the NRC's current and past philosophy on this issue, the proposed regulatory requirements developed in the draft report focus on ISI programs and techniques and tube plugging criteria. The primary responsibility for attacking the problem at its source and eliminating S.G. degradation is the industry's. However, several of the requirements proposed in NUREG-0844 are intended to promote industry efforts in this area. For example, one requirement is to ensure that all operating plants have implemented an approved secondary water chemistry monitoring and control program. This is a requirement in the most recent version of the NRR standard review plan for licensing of new plants. In addition, this type of program has been implemented at some but not all operating plants. Under this requirement, it is the industry's responsibility to establish specific water chemistry limits and effective monitoring techniques. This will ensure that each utility at least considers the importance of secondary system water chemistry and puts in the effort to develop a comprehensive water chemistry program. Similarly, ISI requirements for condensers are proposed. These requirements will hopefully reduce the frequency of condenser in-leakage and encourage

utilities to improve condenser performance. Use of noncopper based alloys when retubing condensers and feedwater heaters is also a requirement. Additional requirements are proposed for plants in the preoperating license stage and many recommendations for operating and future plants are made. The intent of the proposed requirements as stated in the report is to leave primary responsibility for correcting the S.G. problem in the hands of the industry, to allow the industry flexibility in addressing the issue, but at the same time, to strongly encourage proper industry actions.

B. Comprehensive NRC/Industry Program

The preceding review has attempted to summarize the status of the S.G. issue at this time. As indicated, the NRC has many ongoing efforts to address this multifaceted problem. However, to date, joint NRC and industry cooperative efforts on this issue have not been extensive. This is due largely to the different focuses on the issue. NRC is primarily concerned with requiring adequate ISI and corrective actions to ensure primary system integrity, while the industry has been concerned with developing fixes to prolong S.G. service life and reliability. NRC and industry efforts have been primarily complementary in nature. However, to the extent that reliability implies safety and vice-versa the NRC and industry efforts are synonymous. Therefore, the staff is pursuing the development of a joint NRC and industry program to address both near-term and long-term actions required for continued safe operation of steam generators and ultimate resolution of the S.G. degradation problem. The intent is to evaluate the degree to which the NRC can expand its role in prevention of tube degradation and work with the industry to solve this problem. Efforts to determine the feasibility of this type of cooperative program have been initiated and proposals for a joint NRC and industry program will be presented in a later document.

SITE IV
VS.
MONITOR

REFERENCES

1. Eisenhut, Liaw, Strosnider, "Summary of Operating Experience with Recirculating Steam Generators," NUREG-0523, January 1979.
2. Liaw, Strosnider, "Summary of Tube Integrity Operating Experience with Once-Through Steam Generator," NUREG-0571, March 1980.
3. SECY-81-664, "Information Report - Steam Generator Tube Experience," from W. J. Dircks to the Commissioners, November 24, 1981.
4. Memorandum for Commissioner Bradford from W. J. Dircks, Status of Recommendations Made in NUREG-0651, "Evaluation of Steam Generator Tube Rupture Events," to be transmitted.
5. EG&G Idaho, Inc. Report TREE-NUREG-1213 (NUREG/CR-0175), "Investigation of the Influence of Simulated Steam Generator Tube Ruptures During Loss-of-Coolant Experiments in Semiscale MOD-1 Systems," May 1978.
6. EG&G Idaho, Inc. Report CAAP-TR-032, "Steam Generator Tube Rupture - Effects on a LOCA," November 1978.