

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

Combined Meeting
CRBR Subcommittee/Structures and Materials
Working Group

Room 1046
1717 H Street NW
Washington, D.C.
Wednesday, March 16, 1983

The combined subcommittees met at 8:30 a.m.,
pursuant to notice, Max Carbon presiding.

Present for the ACRS:

- M. Carbon, Member
- P. Shewmon "
- J. Mark "
- S. Bush, Consultant
- W. Lipinski, "
- Z. Zudans, "
- P. Boehnert, DFE

Present for the Applicant:

- R. Dickson
- R. Gross
- G. Nickodemus
- W. O'Bryant
- L. Strawbridge
- W. Pennell
- P. Planchon
- R. Palm
- S. Niemczyk
- R. Markley
- A. Schwallie
- R. Tilbrook
- R. Tinder

Present for the Staff:

- R. Stark
- T. King
- H. Holtz
- T. Butler

*TR4
delete B. White*

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CARBON: The meeting will now come to order.

This is a combined meeting with the Advisory Committee on Reactor Safeguards Subcommittee on the CRBR and the Structures and Materials Working Group. I am Dr. Carbon, subcommittee chairman. The other ACRS members present today are:

Drs. Shewmon and Mark.

We also have present ACRS consultants: Drs. Bush, Lipinski, and Zudans.

The purpose of this meeting is to continue review of the DOE CP application for CRBR. Addressed will be topics of fuel failure propagation, accident recovery and emergency planning, and items from the Structures and Materials Working Group review, including in-service inspection, core support structure integrity, loose-parts monitoring.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act and the Government in the Sunshine Act. Paul Boehnert is the Designated Federal Employee for the meeting.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the Federal Register on Wednesday, March 2, 1983. A transcript of the meeting is being kept and will be made available as stated in the Federal Register notice. It is requested that each speaker first identify himself or herself

1 and speak with sufficient clarity and volume so that he or she
2 can be readily heard.

3 We have received no written statements from members
4 of the public. We have received no requests for time to make
5 oral statements from members of the public.

6 Before we begin the meeting, I would call upon
7 Dr. Shewmon. Do you have any comments, Paul, to make in the way
8 of introduction to in-service inspection?

9 MR. SHEWMON: I don't think so.

10 MR. CARBON: I have no particular comments either.

11 On item number 5, accident recovery, I would emphasize
12 that that item is recovery after a hypothetical accident, and
13 it is an item which Mike Bender is particularly interested in.
14 With regard to local fuel failure presentation in the afternoon,
15 the last presentation today, I would comment that this is a
16 topic that used to be of considerable concern but it apparently
17 is of much less concern at this time. And we will be looking
18 forward to the project presentation, and it looks as if the
19 Staff has arrived. And does anyone else, any of the consultants
20 or, Carson, do you have any comments or questions? Are you
21 ready?

22 Let us proceed with the meeting. I will call on
23 Mr. Stark of the NRC Staff.

24 MR. SHEWMON: Who hits the ground running.

25 MR. STARK: Good morning. My name is Richard Stark,

1 for the NRC Staff. I would like in the first presentation to
2 discuss the objectives and findings of our in-service and pre-
3 service inspection review. And I want to give you some ideas
4 here on the first slide, which I will come back to on later
5 slides.

6 (Slide)

7 We will discuss what we thought were reasonable
8 objectives. We wanted to make sure that fabrications examina-
9 tion for vessels or piping or whatever had the best available
10 base or would yield the best available line data. So we
11 concentrated heavily on looking at heat exchanger vessels,
12 piping, and RFER, particularly in Chapter 4 and Chapter 5 is
13 the details of the pre-service examinations of interest.

14 The other thing that is kind of a parallel to this,
15 we are also requiring that if for any reason you have to get
16 into the plant and make a modification, reweld a given area or
17 put a modification in particular piping, we want to make sure
18 that that baseline information is again achieved, so we are
19 saying that the examination similar to what was done in
20 fabrication be considered in the plant design and that anytime
21 you do a repair or modification, that you again try to make
22 sure that you get good baseline data, you are sure that you
23 don't have large flaws or large cracks.

24 The second part is concentrated on -- we will also
25 look at the type of in-service inspection equipment that is

1 available, and we want to talk about future ISI or planned ISI,
2 as you probably know. Ultrasonic in-service inspection at 400
3 degrees or above right now is not now an extremely reliable
4 device, but our thought is we wanted to keep provisions in it
5 flexible for in-service inspection or throughout the whole
6 construction phase, for the following reasons: If someone were
7 to develop a better UT probe that would work, a more reliable
8 probe, or we want to make sure that that piping insulation had
9 been removed -- because if we could achieve better in-service
10 inspection, we would do so.

11 MR. SHEWMON: Are you going to talk about what
12 criteria you will use for deciding what needed to be inspected
13 and what didn't?

14 MR. STARK: I guess I will give some examples. For
15 pre-service inspection we are requiring that they fully inspect
16 all welds, all vessels, tanks, liners, piping and --

17 MR. SHEWMON: Internal brackets and studs or just
18 pressure valves? I can ask Martin.

19 Why don't you use the mike?

endT.1

- - - -

LesT.2a

20

21

22

23

24

25

arl

1 MR. HUM: While he is focusing on the inspection,
2 we want to be able to get the best possible examination
3 and we are requiring inspections on the piping system and
4 the vessels plus a UT examination of the piping system. There
5 has been no special additional requirements on bolts, other
6 than what would be --

7 MR. SHEWMON: I was thinking in terms of welding.

8 MR. HUM: Well, I was thinking about the closure
9 and things like that. In this position on the special
10 requirements for the internals, however, the Applicant is
11 addressing the appropriate surveillance requirement for
12 the reactor vessel internals.

13 MR. SHEWMON: You didn't really care whether they
14 inspected the core support or not?

15 MR. HUM: No, sir.

16 MR. SHEWMON: Are you sure you didn't care?

17 MR. STARK: We required them to do it.

18 MR. SHEWMON: What I'm trying to get at, anything
19 that was welded, you would have to inspect, is that the
20 criteria?

21 MR. STARK: Well, we looked at pressure boundaries
22 primarily, and after that we looked at other key areas inside.
23 We looked at in-service inspection for the IHX. We also
24 looked at the supports for the internals for the reactor
25 vessel. We will be addressing that.

1 MR. SHEWMON: Is there a list of those things in
2 the SER that you consider important and check?

3 MR. STARK: Yes. As I said, I can pick the sections
4 that will show that to you. I don't know if the list is going
5 to be so exhaustive that it is going to tell you everything,
6 but we try to look at every component and try to look at both
7 the pressure boundary integrity and we try to look, if it's
8 a heat exchanger or vessel, what was inside, and if some of
9 those ought to be addressed.

10 MR. MARK: I'm sure you won't be able to answer
11 this, but I would like to raise the question, and probably
12 will raise it again:

13 In connection with in-service inspection, where you
14 said you are going to press for all you can get, with
15 every reactor in-service inspection, there is some number of
16 manrem received with probability one.

17 MR. STARK: Yes.

18 MR. MARK: And it might save some manrem with a
19 probability less than one and perhaps a great deal less than
20 one if something weren't turned up by such inspection. Do
21 you ever consider trying to balance those against each
22 other?

23 MR. STARK: We do. As a matter of fact, one of
24 the slides that will come up will address that item. I'll
25 give you the answer right now. On the primary loops, we are

ar3

1 only going to do this in-service inspection -- if I go
2 back one particular slide, we are only going to ask them to
3 reconfirm or reverify if they have to be down for maintenance.
4 So if they are down and they are doing a repair or modifica-
5 tion and they have paid the ALARA penalty, then we will
6 ask them to go ahead and do that particular in-service
7 inspection or fabrication examination. But on the intermediate
8 heat exchanger, we are planning that they look generically
9 at welds in key areas, and the intermediate loop is not
10 a radioactive loop. So I think the question you are
11 asking, are we considering trying to get this, and also the
12 person is being exposed to perhaps more exposure than he
13 needs, I think you will see in the next couple of slides we
14 are trying to do a little bit of both -- get a generic
15 understanding of looking at these high temperature welds
16 without burning up people at the same time.

17 MR. MARK: Well, it is just that point that
18 I think has not always been given as much attention as it
19 should, and if you are giving it more than it has
20 formerly received, I am very pleased.

21 MR. STARK: Okay.

22 This slide, Martin just discussed the three
23 items here, so I'll go on to the next slide and not repeat
24 what is on this particular slide. I should have put the
25 next slide up here.

ar4

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Again, this is a point that I was just trying to make right now. As far as I understand, you are saying that you should do examinations and this is on the primary loop we are talking about -- if you have to do a required maintenance, the only time we will be doing it is during required maintenance and not whenever maintenance isn't required, so that we can reduce the operational exposure, and also plant outages.

The temperatures are the same. Sodium is flowing through both loops. The materials are the same. We think there will be generic information gathered from the IHX.

This particular bullet doesn't really add much to the ISS story.

Some of the topics that are still being reviewed by the Applicant -- and I think this is what Martin was referring to and it kind of reflects an answer to Dr. Shewmon's earlier question -- we, in talking to the Applicant, were discussing inspection on -- periodic inspection or verification of the internals. In addition, we are talking about the intermediate. If you have a leak, how do you know you have a leak, how do you fix it, and how do you inspect it. This is an item that we have been discussing with the Applicant, and we have some techniques.

What we have been doing in this area is, what

r5
1 is this component, how do you inspect it, what will you do
2 if you get in this particular situation.

3 Now in this item, right after I finish my
4 discussion, the Applicant is going to give you a report
5 on the surveillance procedures that exist for the reactor
6 internals. The Staff requires periodic verification or
7 inspection, whatever the correct words are, for reactor
8 internals, and in addition we are requiring that they have
9 the capability to inspect IHX. If you ever have to come down
10 for maintenance, we would like to know what the status of the
11 other tubes is before you start back up.

12 I talked about the operating license review and
13 our desire to incorporate a strong ISI program, especially
14 if an ISI program matures and develops into something that
15 is very useful. So we think that an item that we have
16 addressed in our ISI, in our review consideration, is that we
17 want the Staff and the Applicant to look very carefully at the
18 status of the nondestructive technology at that particular
19 point to see to what extent we can use it, to see what happens
20 to it for in-service inspection.

21 Also, during the OL review, we will designate
22 the specific locations and the methods and the frequency
23 for in-service inspections.

24 MR. BUSH: Could I ask -- in that respect, I would
25 classify the usage from sometimes fair to poor.

1 MR. STARK: I think we agree.

2 MR. BUSH: Certainly with the existing techniques.
3 There are two options: You can modify the techniques or you
4 can go to semiautomatic or automatic procedures, which
5 takes the water out of the loop, which is a plus.

6 Are you considering that aspect, as well as what I
7 would call the calibration evaluation aspect? Because I think
8 it is amply proven in these sections that calibrating on
9 a flat bottom doesn't tell you anything about the reliability
10 of detection of cracks, what you are concerned with.

11 MR. STARK: I think we were considering that.
12 I think we were saying what if the French two years from now
13 developed a technique that worked or a transducer that
14 worked at this high temperature. We would then feel an
15 obligation to try to make sure that this device was
16 incorporated. So what we have done, we have required that
17 the Applicant maintain the provisions for it. It doesn't even have
18 to be in-service inspection. I don't know how radiography
19 would work. If there were a volumetric inspection technique
20 that were promising and reliable, that we have concentrated
21 on as far as the criteria is concerned on maintaining
22 flexibility to go in and provide that particular function
23 later on, access provisions for removable piping, insulation,
24 anything that would lead to keeping that flexibility as
25 long as possible. Certainly throughout the crucial phase

1 so that during our OL review we would evaluate where the
2 technology exists. We don't want to be closed-minded on
3 this because we would agree that it is between lousy and
4 poor, or whatever words you used. But we want to maintain
5 that flexibility as long as we can, and therefore we are
6 keeping that flexibility as a criterion.

7 I have one more slide now.

8 (Slide.)

9 Basically what the Staff has done and what RSR
10 shows is that we are requiring that adequate -- and we find
11 that adequate examinations will be maintained through
12 fabrication PS inspection, and gives us confidence that
13 there are no significant flaws.

14 I indicated we will get the baseline data from
15 this particular investigation. Any time that I come
16 down to do a maintenance, whether it is a year from now
17 or 10 years from now, we want to make sure that the NDT techniques
18 be used to give you this same confirmation of the baseline
19 data and this assurance that we have in the original
20 fabrication, and that we want to look at in-service
21 inspection on a generic basis.

22 I talked about the intermediate loop, and I also
23 indicated our flexibility and our strong desire to continue
24 to look at ISI over the next -- through the operating
25 license review and to see if that holds any more promise,

ar8

1 and that is where we stand.

2 So, if there are no other questions, I am finished.

3 MR. CARBON: There is not.

4 MR. SHEWMON: Spence, the bottom line on this
5 seems to be will we make sure there aren't any in the
6 first place, and we don't know of any reason they
7 should grow in the second place, and if they do, we will look
8 for them. How strong do you look for them when they
9 first go through this, before you start it up?

10 MR. BUSH: You are talking about using double
11 angle RT or something of this nature?

12 MR. SHEWMON: Yes.

13 MR. BUSH: I guess I'm not extremely optimistic
14 about RT and finding tracks. Double angle is much better than
15 zero degree. I think there are other ways I think one
16 might go in, a pancake coil or eddy current, anything of
17 that nature, and probably get a fair feel. There are
18 techniques. I doubt at this stage that either RT or UT
19 would give you the reliability that you want.

20 I would classify the reliability probably as
21 below 50 percent.

22 MR. SHEWMON: The welding materials are reasonably
23 well established.

24 MR. BUSH: I'm not that worried about small cracks
25 and things in here. I would be much more worried by the

ar9

1 unpredictable, which is not a severe problem in the liquid
2 metal system. But you can't completely rule out something
3 of that nature.

4 MR. SHEWMON: Okay. Thanks.

5 MR. CARBON: Go ahead.

6 MR. NICKODEMUS: Good morning. I'm Glenn
7 Nickodemus from Westinghouse here today to present
8 the discussion of the high level of assured structural
9 integrity of the reactor vessel core support cone welds,
10 rather than the in-service inspection, as Rich had mentioned.

11 (Slide.)

12 Here is a brief summary of what I am about to
13 cover.

14 Core support cone welds have a high level of
15 assurance for the designed lifetime of the plant. In
16 making that statement, we have considered the following
17 areas:

18 The cone and the structure is designed,
19 constructed and inspected to rigid ASME code requirements.
20 The welds have an operating temperature of 750 degrees
21 fahrenheit, located in a benign environment. The sodium
22 and thermal aging effects on the material of this location
23 are negligible, and the radiation effects are negligible
24 at these locations. The welds have been purposely located away
25 from geometric discontinuities in most stress regions.

arl0

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

They meet all the design limits of the ASME code with very substantial margins, and we have done calculations that show a high degree of tolerance to crack growth and instability.

(Slide.)

The new viewgraph is a little bit further idea of the discussion areas. The lower weld located between the cone and the core structure I'll be referring to as a section AA. The upper weld connecting the cone to the reactor vessel is a Section BB. And I'll also in particular be discussing areas around two gas vent holes located 180 degrees apart from the cone.

end Leslie
Take 2

1 MR. SHEWMON: There is a solid membrane that must be
2 -- to adjust fluid flow where it should be.

3 MR. NICKODEMUS: I beg your pardon?

4 MR. SHEWMON: Is that a continuous membrane?

5 MR. NICKODEMUS: This one?

6 MR. SHEWMON: Yes.

7 MR. NICKODEMUS: Yes. Not the ASME pressure boundary.

8 It is a boundary between the high-pressure inlet and the low-
9 pressure outlet.

10 MR. SHEWMON: And the only perforations through it are
11 the gas vents that you are going to talk about?

12 MR. NICKODEMUS: Yes. And particular concern was paid
13 to the welding and inspection of these welds. It is the weld
14 joints that were inspected prior to welding. Welding procedures
15 and welders themselves were qualified. During the process, each
16 bead was brushed. All starts and stops and each weld were
17 ground. After the interface welding was completed, the welds
18 were surface-ground and visually and liquid-penetrant inspected.
19 The route area of the welds were back-grooved and cleaned and
20 the back side radio area was visually and liquid-penetrant
21 inspected.

22 The core support was then radiographed for information
23 in the partially completed stage. The outer face welding of
24 both welds was completed. Again, ground and visually and
25 liquid-penetrant radiographed. The welds were surface-finished

1 to the final configuration and a final visual, a liquid-penetrant
2 radiograph inspection was performed.

3 Very high-quality welding came from the procedures.
4 There were no repairs required in the core support structure weld
5 and only two repairs in the vessel weld, and this was only 3
6 percent of the circumference. After final repairs of those
7 welds, both welds were cleared for X-ray.

8 (Slide)

9 Discuss a bit further some of the conditions existing
10 at the welds: Corrosion is nonexistent because of the low
11 temperature of 750 degrees Fahrenheit. Erosion in these areas
12 is negligible because we have very low flow. Carbonization and
13 aging are both negligible. Irradiation is negligible. The
14 embrittlement due to the lower power and temperature is
15 negligible.

16 MR. BUSH: With regard to aging, you may be right.
17 But I think there is the necessity to at least ask questions.
18 The fact that we have been looking at the case of the
19 pressurized water reactors which are a couple hundred degrees
20 lower than you have here in the stainless-steel, and I believe
21 there is evidence at least of some embrittlement in the 550 to
22 600 degree regime after about 100,000 hours.

23 MR. NICKODEMUS: I suspect that the level of
24 embrittlement may not be excessive, but I would say that the
25 statement without technical backup is probably subject to some

1 consideration.

2 MR. BUSH: I guess the question is, do you have
3 evidence at least of 10 or 20 thousand hours that would
4 validate your statement? I recognize that the delta ferroid
5 vessels isn't extremely high, but there is a reasonable amount.

6 MR. GRIFFIN: With regard to the question relative to
7 again, the ASME code limits that were used to compare these
8 results to -- do include the effects of aging. It is small.
9 We will address it but it's also included and not only is it
10 negligible, but included in the design limits.

11 MR. SHEWMON: Is this 304 or 316?

12 MR. GRIFFIN: 304.

13 MR. SHEWMON: For the welds or 304 face?

14 MR. BUSH: We are not concerned with the base metal.
15 I agree with you completely with regard to the base metal. But
16 if I am running high in delta ferroid, I am not sure it's valid.

17 MR. GRIFFIN: It's not specifically true for the weld
18 metal, but the weld metals have been compared. The limits apply
19 to the base metal, have been compared to weld metal and weldness
20 and everything we have has shown that the weld and the weld
21 metal are covered by the limits.

22 MR. BUSH: That's what I am asking. What do you have
23 that confirms that? That is the only question. I suspect you
24 are right, but I have yet to see any definitive evidence that
25 that is true.

1 MR. GRIFFIN: We can present some of those. I
2 referred to them last Thursday in the document that I referred
3 to. That includes the materials data base.

4 MR. SHEWMON: How does that go out on the welds? Do
5 you know?

6 MR. GRIFFIN: I can't say offhand. We can get an
7 answer later if you like.

8 (Slide)

9 MR. NICKODEMUS: To give you a brief description of
10 some of the structural analyses of some of these welds. This
11 model was used for the analysis of the lower welds, also used
12 for the analysis of the remaining hardware. The upper weld was
13 analyzed by a vendor with a different model.

14 Overall, they have the vessel, the long shell here.
15 The boundary conditions here. And they are responsible for
16 the analysis of this joint.

17 (Slide)

18 This sketch gives you a better idea of the kind of
19 detail included in the local area. These two section lines go
20 right through the area of the weld and the vent hole. Some of
21 the predominant loading conditions on the structures are the
22 thermal transients. One of the worst is the uncontrolled rod
23 withdrawal from full power. The temperature starting at 750,
24 increasing slightly, and then dropping as we scram.

25 The max thermal stress for this event occurs at about

1 1,000 seconds, at which point in time the pressure has dropped,
2 was initially at this level, had dropped considerably and then
3 remained down for the duration of the transient, and the pressure
4 is lower --

5 MR. SHEWMON: This is a scram; is that right?

6 MR. NICKODEMUS: This is a scram right here.

7 MR. SHEWMON: Why do you call it rod withdrawal?
8 These aren't fuel control rods, are they?

9 MR. NICKODEMUS: This is a rod withdrawal for the
10 early part.

11 MR. SHEWMON: I see. And that precipitates a scram?

12 MR. DICKSON: Paul Dickson, Westinghouse. That assumes
13 that the reactor has run up in power to just under the 115
14 percent EPS trip point. There is the controls that are assumed
15 to have failed in -- we assume that the reactor sits there just
16 under the trip point of 115 percent for 5 minutes. Then the
17 reactor operator notices it and hits the scram button and that
18 defines our most serious event.

19 MR. BUSH: Why did you establish the spectrum of
20 normal and upset loads that you would use in the design? In a
21 light-water reactor you go through a process and you modify the
22 number of heat ops and shutdowns, et cetera. Here you have
23 less of an information base. I presume that you built on the
24 experience of others. Is that how you did this one, or are
25 these arbitrary designs?

1 MR. DICKSON: They are arbitrary to the extent that
2 they have been expanded in number and intensity.

3 MR. SHEWMON: The pressure on there is the pressure
4 difference across the membrane, or is it consistent pressure?

5 MR. NICKODEMUS: I just spotted that when I put it up.
6 It looks low. The pressure is about 170-130.

7 MR. SHEWMON: And you also talk about psi.

8 MR. NICKODEMUS: So this would have been to the
9 difference on that.

10 MR. SHEWMON: Everybody but me knows the pressure is
11 in what?

12 MR. NICKODEMUS: Pounds per square inch.

13 MR. SHEWMON: All right.

14 MR. ZUDANS: This is the bulk sodium temperature?

15 MR. NICKODEMUS: This is the inlet plenum.

16 MR. ZUDANS: Did you have some preliminary inspection
17 on skirt support on both sides?

18 MR. NICKODEMUS: I don't have them with me. This
19 transient would be used for the thermal analysis of the
20 structure, would be applied with the film coefficient to the
21 bottom side of the cone. Somewhat reduced transient because
22 the flow has to go through the core support structure to get
23 through the top side of the cone, would be applied at the top
24 side of the cone, and then a thermal temperature analysis would
25 be performed. That would then be reviewed and the times of

1 critical temperature distribution evaluated for stress.

2 MR. ZUDANS: You mentioned that the worst time point
3 is 100 seconds?

4 MR. NICKODEMUS: A thousand seconds. Over here.

5 MR. ZUDANS: There is another critical point where
6 your skin effects show up. Where is that point? Or is that
7 point considered in the analysis?

8 MR. NICKODEMUS: Yes, it is. This is just one of the
9 events. This event would normally be looked at at this point
10 here, which would be coming up to one of the higher temperature
11 cases and also at a low point, and then it would be reviewed at
12 various points in between to make sure there are no other
13 locations that are more severe. This would be done for all the
14 transients.

15 MR. ZUDANS: This is the fastest temperature drop that
16 exists in the anticipated transient?

17 MR. NICKODEMUS: In the inlet plenum, I would believe
18 it is. It's relatively benign thermal conditions compared to
19 the outlet plenum --

20 MR. ZUDANS: Okay.

21 MR. NICKODEMUS: Structural analyses were performed
22 to the ASME code.

23 (Slide)

24 Elevated temperature code case 1592. Even though the
25 cone itself only exceeds 80 degrees for a period of

1 approximately 10 hours during the entire 30-year lifetime and
2 this temperature even in those cases remains below about 850.
3 So we are using the elevated temperature code case criteria in
4 the fairly severe case. The structure does not really require.
5 Results of the analysis indicate significant margins of safety.
6 The primary membrane stress has a stress of 6,000 and allowable
7 of almost 15,000. So it is 137 percent margin. Membrane plus
8 bending, it is a margin of 1.27.

9 The secondary membrane plus bending including -- has
10 a margin of 0.19 and a fatigue damage has a margin or a fatigue
11 damage summation of 0.06 with an allowable of 0.9.

12 Folded events do not push the cone towards its limit.
13 The primary membrane has a margin of 2. Membrane plus bending
14 has a margin of 1.3.

15 This is at Section A-A or the lower weld structure.

16 MR. ZUDANS: I guess you didn't have any calculable
17 creep damage?

18 MR. NICKODEMUS: Only of about 10 hours above 800
19 degrees.

20 MR. ZUDANS: And this limit is essentially reached
21 in your case?

22 MR. NICKODEMUS: This one?

23 MR. ZUDANS: Yes. That is which transient does it
24 correspond to? Which of your loading --

25 MR. NICKODEMUS: I am not sure I can answer that. It

1 may well be a combination of this transient for the down cycle
2 and another transient for the up cycle.

3 MR. ZUDANS: I see. So if you did perform a random
4 combination of different ones and not just specific transients?

5 MR. NICKODEMUS: That's right.

6 MR. ZUDANS: So that's what's required?

7 MR. NICKODEMUS: Yes.

8 MR. ZUDANS: Did you look at the same time also at the
9 stress levels in the vessel welds that are located at essentially
10 the same --

11 MR. NICKODEMUS: Yes, we did. Above the cone attach-
12 ment.

13 MR. ZUDANS: Yes. And below it?

14 MR. NICKODEMUS: Yes. I don't know the results
15 offhand, but they were evaluated and did meet code requirements.

16 MR. ZUDANS: In that case, a case of a section at the
17 core support, very close to this attachment.

18 MR. NICKODEMUS: Yes.

19 MR. ZUDANS: That did not show any higher stresses?

20 MR. NICKODEMUS: No more critical in this area. The
21 thickness also increased in there with a taper.

22 MR. ZUDANS: And this was linear elastic analysis?

23 MR. NICKODEMUS: Yes.

24 MR. ZUDANS: Did you vary the temperature properties
25 with the temperature?

1 MR. NICKODEMUS: Yes. Material properties would be
2 inputted as it is temperature-dependent.

3 MR. ZUDANS: I am wondering, this computation of
4 linear analysis covers the range of temperatures of 200 degrees
5 radiation?

6 MR. NICKODEMUS: Yes.

7 MR. ZUDANS: The way I remember the answer -- maybe it
8 has been changed -- you could not assume some average property
9 and perform the circle step calculation? Which was was it done?
10 Or you are not sure?

11 MR. NICKODEMUS: You can input a temperature, a
12 temperature-dependent property. It would be input in equation
13 form or in tabular form that would be used in the analysis.

14 MR. ZUDANS: But you would hav to perform an analysis
15 step by step for 500 seconds, and I am wondering whether that
16 was done or a single-step calculation was done.

17 MR. NICKODEMUS: I am not sure I understand what you
18 are asking. Your transient would be reviewed to determine the
19 peak surface to remain temperature difference, the difference
20 between average temperature of one area and another, and would
21 be evaluated at those points in time. The temperature dependence
22 of the material properties in a 200-degree swing is not very
23 high. I think what you are asking me is did we evaluate the
24 stresses at many times to get the effect of the temperature
25 dependence?

1 MR. ZUDANS: Yes. That is the question. Did you or
endT.3 2 did you not?

startT3B 3 MR. NICKODEMUS: No. It would not have been
4 evaluated at more than what was judged to be the critical
5 points in time.

6 MR. ZUDANS: Okay

7 MR. GRIFFIN: Griffin, Westinghouse. We are below
8 800 degrees Fahrenheit, so temperature really doesn't have a
9 very significant effect. Is that what you mean?

10 MR. ZUDANS: Well, in stainless steel, steel
11 properties change from 600 to 800.

12 MR. GRIFFIN: Well --

13 MR. ZUDANS: You see where I am coming from? You
14 can take a set of properties and perform single-step analyses
15 or you could proceed in a time history and change properties
16 with each step corresponding to the temperatures that existed.
17 That is what you would have to do with it.

18 MR. GRIFFIN: This is elastic. I can't say for sure,
19 but I can almost guarantee it wasn't done.

20 MR. ZUDANS: Sure.

21 MR. GRIFFIN: Still basically a linear elastic
22 analysis.

23 (Slide)

24 MR. NICKODEMUS: The results of that analysis at the
25 upper weld are similar. The normal and upset primary membrane

1 stress intensity margin is 1.3. Membrane plus bending is 0.39.
2 The range of secondary stress intensity is considerably reduced
3 and the margin of the -- in this case is 0.81. The fatigue
4 damage is 0.02 with an allowable of 0.9. The fatigue damage
5 including the local stress concentration effects at the vent
6 holes is approximately 0.03 with an allowable of 0.9.

7 MR. SHEWMON: Sir, why don't we state that we will
8 take your word that it is designed very conservatively and
9 according to the best engineering practice, and what we are
10 going to spend a fair amount of time discussing today is, gee
11 whiz, what if? for unlikley things.

12 MR. NICKODEMUS: Okay.

13 MR. SHEWMON: And the reason this came up in the first
14 place was you hadn't designed it right or made it out of
15 tough material. It was, gee whiz, if that weld started to have
16 a flaw in it or if it should actually fail, it would be very
17 awkward because you don't get your control rods in and out. It
18 might become uncontrollable.

19 MR. NICKODEMUS: Yes.

20 MR. SHEWMON: So if we talked about what if a crack
21 started to form and grow around there, don't ask us where it
22 came from. It's just an essential weld, absolutely essential
23 in its integrity. What sort of things would happen or what
24 defense do we have there?

25 MR. NICKODEMUS: I have about two vuegraphs on crack

1 propagation studies. Would you like to cover those or turn it
2 over to Paul?

3 MR. SHEWMON: I think I want to get off of this
4 analysis.

5 MR. NICKODEMUS: Fine.

6 (Laughter)

7 MR. SHEWMON: I trust you would have done it well.

8 (Slide)

9 Paul just happens to have a few slides along, I see.

10 (Laughter)

11 MR. DICKSON: Just happens to have a few along. I had
12 the feeling someone was going to ask that and had the feeling
13 his name might be Dr. Shewmon. So what was magic about that?
14 Well, we will look at that.

15 (Slide)

16 To orient you, when the reactor is at full power,
17 then that force on this cone here is upward. The upward force
18 overrides the weigh. That stays true on the support cone at
19 all operating conditions, even down below the 40 percent flow
20 case. If you took a break right here at the outer break,
21 Section BB, then this net support force would be upward from
22 40 percent to 100 percent. If you imagine the break at the
23 inner weld, Section AA in the analysis, then the net upward
24 force would not be greater than the downward force until you
25 reached about 50 percent flow. So for the most part, the core

1 support cone supported during all operating pressures, all
2 operating flows. Only for a very small range of the operating
3 flow regime would you be below -- have a net downward force
4 with a break at that point.

5 Now, the core is shown right here, 3-foot high.
6 When you are shut down, the secondary control rods are all the
7 way in and the latch that is broken is about 3 foot above this
8 core. So it is still well down inside the ducts. With the
9 secondary rods retracted, then of course the bottom part is
10 at the top and the latch is about 6 feet farther up, still
11 within the boundaries of the ASME. The primary controls would
12 also be in, but their latch is much further up, except during
13 refueling. They all have their latch broken at the top of the
14 core.

15 (Slide)

16 So we are going to imagine a worst-case. This thing
17 has broken right here and fallen into the lower plenum. The
18 reason this was shown tipped off at the side a little bit was
19 to show at the worst it can't lay over flat, it will still be
20 more or less upright and sitting there in a bath of sodium
21 at whatever temperature. It will allow natural circulation
22 through the core.

23 MR. BUSH: And the rods are where in that case?

24 MR. DICKSON: The secondary rods are still right where
25 they were during the shutdown. The primary rods are dangling

1 from here, and in this case where it tipped over, they would
2 be absolutely into these assemblies. But you don't have enough
3 strength really to force anything.

4 MR. CARBON: Excuse me. Is that a tilting -- if a
5 tilting took place in operation, that the rods would still go
6 in?

7 MR. DICKSON: Yes, sir. Operation -- I am sorry, let
8 me go back then. If this falls in its 40 percent range you
9 are talking about?

10 MR. CARBON: Full operation.

11 MR. DICKSON: We have looked at that.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

end3B

1 MR. DICKSON: It won't fall. Force would keep it
2 up.

3 MR. CARBON: Would keep it from tipping as long
4 as --

5 MR. DICKSON: If it were to break completely
6 in that manner, it could go up. It could go up two inches.

7 MR. CARBON: It couldn't tip sideways with the
8 force below it? I would appreciate force holding it up.

9 MR. DICKSON: But it can move only two inches in
10 the top of the assembly without encountering the instrumenta-
11 tion.

12 MR. CARBON: What I'm saying, could it start moving
13 up and start canting to the side such that even with a
14 force under it, it could still tilt?

15 MR. DICKSON: It could tilt by as much as two inches
16 over that span of about 15 feet. It is a very small tilt.

17 MR. CARBON: What would that do to the operation of
18 the rods?

19 MR. DICKSON: The primary rods would probably
20 have difficulty. The intermediate rods would not because
21 they would simply tilt with it. Even the primary rods have a
22 universal joint to enable them to withstand a certain
23 amount of tilting. But whether it is that much or not, I
24 don't know. They do have a universal joint that will
25 account for some warping of the -- can you hear me without

ar2

1 the microphone? The upper tunnel structure is keyed into
2 the support structure, and that will retain the upward
3 motions and also maintains the upper internal structure, and
4 thereby aligns the rods.

5 MR. CARBON: Thank you.

6 MR. DICKSON: Those are located right up at the
7 edges here with the upper internal structure. There are
8 three keys at three points.

9 MR. CARBON: The right-hand sketch there shows
10 lots of freedom for free convection cooling. Is that
11 sketch to scale, so to speak?

12 MR. DICKSON: Yes, sir.

13 MR. CARBON: The one on the right?

14 MR. DICKSON: Yes, sir. Those are 33 inches from
15 that point to the bottom of it.

16 MR. ZUDANS: On that assumption, would you not get a
17 flow distribution such that you might lose a fraction of
18 that uplift, and therefore the power levels at which it
19 will stay up might increase?

20 MR. DICKSON: Yes, sir. I'm going to go to that.

21 MR. ZUDANS: Thank you.

22 MR. DICKSON: We will take the postulated
23 failure occurs right after shutdown, and the reactor remains
24 subcritical. The reactor remains subcritical due to
25 secondary rises in the flow distribution. It remains

TAYLOE ASSOCIATES

REGISTERED PROFESSIONAL REPORTERS
NORFOLK, VIRGINIA

1 subcritical at its operating temperature, and with a 730
2 degree inward flow.

3 Now, as the temperature of the inward flow
4 reduces, it removes the upper feedback. The reactor tends
5 toward critical. So upon falling, the reactor is subcritical,
6 but it will begin to approach criticality again during
7 some certain parts of its cycle.

8 For almost all of the operation, it will remain
9 subcritical, even cooled down to 600 degrees, but for the
10 first few days of the cycle 3 and 4, the reactor would
11 go to criticality, and as the decay power reduces to 4
12 percent, that decay power will reduce to 4 percent in about
13 100 seconds, and that is at 730 degrees F.

14 Now, the system tries to bring inlet temperature
15 on down to 600 degrees, and decay power continues to fall,
16 of course. The net result is that nuclear power has to
17 increase to maintain the temperature to keep the upper
18 feedback balanced so that the reactor achieves a steady state,
19 so that the reactor power will increase, and as its
20 system temperature gets to 600, the reactor is operating
21 at 90 megawatts at the very beginning of cycle 3.

22 What we are seeing is a burnout of the fuel,
23 and I might note all of these are based on nominal calculations,
24 and because this is beyond the design basis case.

25 The cycle 3 and 4, after 44 power days -- in fact,

1 it either works out to 37 days or 39-172 days. You will
2 not reachie criticality even if you cool down to 600 degrees.
3 For those same three cyles, you can cool all the way down
4 to 400 degrees. Should the reactor operator decide he
5 wanted to bring it down to the 400 degrees, he has to take
6 action to do that. The 600 degrees is an automatic system
7 to which the operator takes action to bring it down to 400
8 degrees. He would achieve criticality again between 40 days
9 and 75 days, but after 75 days, it will sit on the bottom
10 of the reactor vessel with six secondary rods inserted
11 and not achieve criticality even at 400 degrees, and at
12 cycles 1 and 2, it would never reachie criticality
13 with the six secondary rods.

14 MR. ZUDANS: Paul, if you assume before these
15 conditions you next shut down the reactor --

16 MR. DICKSON: Yes.

17 MR. ZUDANS: That means the secondary rods were
18 in and engaged?

19 MR. DICKSON: Yes, sir.

20 MR. ZUDANS: And therefore if it falls, they
21 would remain --

22 MR. DICKSON: Yes.

23 MR. ZUDANS: Would it matter if it fell a little
24 bit further down? Because you show in your generic specs
25 that it was sitting on the rods.

1 MR. DICKSON: No credit whatsoever.

2 MR. ZUDANS: Then you wouldn't have access as
3 you have now?

4 MR. DICKSON: Yes, sir. If the thing were sitting
5 straight up, as you could see, this would be a little lower
6 down. This would be higher up, but basically 33 inches at
7 the shortest point on each side, and about another foot
8 because of the curvature around here would leave you plenty
9 of room for flow.

10 MR. SHEWMON: What are the principals?

11 MR. DICKSON: These are.

12 MR. ZUDANS: And there are lots of them? They
13 are all across the --

14 MR. SHEWMON: And they are pretty firm or husky
15 stuff?

16 MR. DICKSON: We have not stressed it out. We
17 knew you would bring it up, so we brought a picture of
18 what it would be like. I think they are roughly an inch
19 thick.

20 Do you know, Bill?

21 MR. PANSELL: Yes.

22 MR. DICKSON: Bill Pannell says yes, that it is
23 an inch thick.

24 33 inches long, and as you can see, they are
25 rather substantial members. It's almost impossible to visualize

1 this falling through eight feet of sodium and having any
2 crushing effect on these whatsoever.

3 MR. ZUDANS: On the head, for that matter.

4 MR. DICKSON: Yes.

4-B 5 MR. SHEWMON: While you are there, can you tell us
6 what the structures are that are around some of them?

7 MR. DICKSON: Those are frost-fixed, so that this
8 one is being inserted. You can see this being pushed up,
9 and these have been supercooled so that they can be slipped
10 in and then expanded, and these were put in a while ago,
11 and these are -- well, you can see this one is up to here.
12 This is just frost. Basically, for the worst time in life
13 cases, if the operator doesn't intervene, the inlet temperature
14 will stabilize at about 600 degrees, the reactor power is
15 about 90 megawatts, reactor outlet bulk temperature is
16 about 1200 degrees Fahrenheit, and reactor peak outlet
17 temperature is 1350, and the hotleg temperature is about 890.

18 Most of the flow that is being driven by the
19 pony motor will bypass because it has a simple loop and
20 the pump driving its overflow through it to heat up the
21 hotlegs, so it does that to the hotleg temperature.

22 This is a little higher than normal operating
23 conditions, and you don't expect much fuel life, but no
24 problem. You know, we are nowhere near melting and, in fact,
25 if you got fuel filters, that would allow some of the fuel

1 to escape. That's probably a plus.

2 MR. CARBON: So this is strictly cooling by
3 natural circulation?

4 MR. DICKSON: Strictly natural circulation
5 cooling.

6 MR. LIPINSKI: Now, this is after the shutdown?

7 MR. DICKSON: Yes, sir, right after the shutdown.

8 MR. LIPINSKI: Is the structure still buoyant at
9 40 percent?

10 MR. DICKSON: The structure is buoyant. If you
11 failed out at the outer weld, it is not buoyant at the inner
12 weld.

13 MR. LIPINSKI: What happens if you get a 40 percent --

14 MR. DICKSON: We knew you would ask that,
15 so we analyzed that, too. You get a 30 second spike. The
16 system begins to fall. The primary rods are coming out,
17 and in .03 seconds there is enough reactivity put in in
18 about a 10 second spike insertion with a fall of 2/10ths of an
19 inch. You get a trip signal. Then both the secondaries
20 and the primaries begin to come in, and since they are
21 driven, the primaries and the secondaries with a hydraulic
22 lift, they will overrun the falling fuel assemblies for
23 the first few inches, put in enough reactivity that they
24 turn that spike around in less than a halfsecond.

25 You have a small 30 second spike, the primaries

1 come in, the secondaries come in, and then as it continues
2 to fall, the primaries come back out, but the secondaries
3 are fully inserted.

4 MR. LIPINSKI: What happens if that scenario slows
5 down and the barrel moves down slowly, not abruptly, and
6 you are under power control with your automatic system?

7 MR. DICKSON: If it moves down, it has to move
8 exceedingly slowly so that the power control would try to
9 follow it. As I mentioned it, a 2/10ths of an inch downward
10 will trigger the scram system.

11 In fact, I think a 10th of an inch will.

12 MR. LIPINSKI: Not if you are under control.

13 MR. DICKSON: Yes, sir, because that is more
14 of a step. See, the control rods only want the step .025
15 inches at a time, and only one at a time. So you have
16 just taken all four steps at once.

17 MR. LIPINSKI: If I take this barrel and I make
18 that thing creep away, not abruptly, but with a slow change
19 that you are not aware of, and you are under automatic
20 control, there is going to be some limiting rate. This
21 thing will start moving down very slowly, and how does
22 your control system have enough intelligence that this is
23 happening as opposed to --

24 MR. DICKSON: If you conjecture that it is moving
25 down very slowly, and I don't know how it does that in

TAYLOE ASSOCIATES

REGISTERED PROFESSIONAL REPORTERS
NORFOLK, VIRGINIA

1 that situation, but if I do imagine that, it wants to slide
2 very, very slowly, obviously the control rods would continue
3 to follow it in, and I suspect the reactor operator would
4 be suspicious when he saw the lights come on telling him that
5 his primary control rods were all bottomed, and the reactor
6 was making 40 percent power. At that point I suspect he
7 would scram, and if he didn't, and it moved farther, it
8 would then scram at that point, because the primary control
9 rods can't follow this beyond the bottom of their travel,
10 and so it would scram at that point.

11 MR. ZUDANS: One more question. There is a
12 positive upward force, say to 40 to 100 percent operation.
13 Is there any structure that would prevent the core from
14 moving up during that time?

15 MR. DICKSON: There are two structures, as
16 Bill mentioned. There is the key loads that prevent it
17 from tipping, but one of the design requirements of the
18 instrument post that sit not more than two inches above
19 the core is that they be able to withstand the upward
20 force, not picturing a failure of a core support cone, the
21 loss of hydraulic holddown that will push the fuel assemblies
22 up, and they are designed to hold that down through the
23 hydraulic force.

24 Our bottom line is that only for a small fraction
25 of CRBRP operating life would even a recriticality occur,

1 and I might mention in this regard that I said cycle 3 and 4.
2 If you take the present nuclear analysis, they say that
3 the cycle or cycles repeat, but as soon as we get operating
4 data out of cycle 1, a large amount of our uncertainty that
5 we put into our loading would go away, and we could then
6 specify the fuel loading and not have quite this much
7 access again.

8 For cycles 3 and 4, you won't have time. They
9 will already be being built. The fuel for cycles 3 and 4
10 will already be fabricated before you have operative data
11 from cycles 1 and 2, but certainly for cycles 5 and 6, you
12 can.

13 So it's only for a small fraction of life, and
14 no power excursion would occur, as I mentioned, other than a
15 30 second spike in a very unusual case.

16 For the most part, recriticality is achieved
17 gradually, and as you know, reactors that operate on thermal
18 control are exceedingly stable systems.

4-C 19 Now what if we are wrong, so that the core
20 cooling is significantly less than predicted. Dave isn't
21 here. He would have said what caused this is a seismic
22 event.

23 (Laughter.)

24 A partial meltdown of the core could result, and
25 that would take the reactor to subcritical and not be a

1 problem even with the long term decay heat cooling, and
2 at the worst of all possible scenarios, if you lost all
3 core cooling, you can get a total core meltdown, but the
4 total core meltdown would take longer to evolve than what
5 has presented earlier, so that in all likelihood, this
6 core support cone wouldn't fail.

7 If it does fail, for most of the operating life,
8 nothing will happen. For a very small fraction of the
9 operating life, you do get some additional power, and in
10 the worst possible scenarios, we are no worse off than our
11 normal TMBDB scenario that was presented earlier which we
12 have designs to accommodate.

13
14
15
16
17
18
19
20
21
22 HEMLOCK
23 ERASABLE
24 COTTON CONTENT

1 MR. LIPINSKI: Instead of having put the structure
2 in tension, why isn't it supported from compression in
3 numbers from the bottom?

4 MR. DICKSON: It is supported in compression for
5 most of its life.

6 MR. LIPINSKI: That cone is in tension?

7 MR. DICKSON: No, sir, the cone is in compression.

8 MR. LIPINSKI: Okay. When you are at flow. But
9 when you are not at flow.

10 MR. DICKSON: We are designing this reactor to be
11 at power most of its life.

12 MR. LIPINSKI: Let's assume you are not 40 percent;
13 you are 100 percent.

14 MR. DICKSON: Even at 40 percent, it's in compression.
15 Yes, Bill.

16 MR. PENNELL: For the selection of that configuration
17 so that there's continuity with the shell was satisfactorily
18 removed, the discontinuity stresses associated with the inlet --
19 if you turn it the other way around --

20 MR. DICKSON: That was another reason, but didn't
21 you also want to keep it in compression during the bulk of
22 its life?

23 MR. LIPINSKI: Well, you could have boots and
24 suspenders.

25 MR. PENNELL: We don't want redundant structures in

1 there. The environment characterized -- the last thing you
2 want to do is introduce redundant --

3 MR. DICKSON: He would also appreciate the fact that
4 that sodium that is up in that area tends to change temperature
5 much more rapidly than if the cone was inverted because obviously,
6 the flow isn't right along. It tends to be a dead area.

7 MR. LIPINSKI: But you don't have to have ridges?
8 You have slipping columns that would take care of thermal
9 expansion. The two points would not be fighting each other,
10 but you could give yourself some margin of drop, having dropped
11 that amount. Then you encounter --

12 MR. DICKSON: We are not going to claim that the
13 design we have couldn't have been redesigned in another manner
14 and even exceed to perhaps a better design. What we will
15 claim is our design is quite adequate with significant margin.

16 MR. BUSH: With that geometry, if you want to control
17 your continuity stress, --

18 MR. PENNELL: Well, basically, it is a geometry
19 consideration. We separated them by three wavelengths so
20 we don't get super position effects. We did consider the
21 issue of crack propagation, and one point may be relevant here
22 that wasn't brought up earlier. Nothing that we have seen in
23 actual practice has ever given an instantaneous 360 degree
24 circumferential failure.

25 Paul mentioned we had substantial loads acting either

1 up or down. Now if it occurs, this post- late failure during
2 normal operation, it would tilt upwards, and that opens a low
3 impedance flow path from the inlet to the outlet, and of course,
4 it shows up instantaneously. That you have in the upper
5 internal structure so you do have multiple signals that some-
6 thing has happened in that core if it ever proceeds to the
7 short condition that Paul showed, but if it ever proceeds to
8 any significant circumstance -- .

9 MR. DICKSON: If there are no further questions,
10 let's move on.

11 MR. KING: My name is Tom King. I'm with the Clinch
12 River Program office. I'm going to give a very brief summary
13 of our review of the proposed no loose parts monitoring system.
14 Initially, in the review the applicant didn't propose notice
15 for the monitoring system for the CRBR. We couldn't find
16 in our review any compelling reason for not having one. We
17 didn't see any significant differences between the LWR and
18 the CRBR in terms of ways to generate loose parts, so we
19 considered that such a system should be applied to Clinch
20 River and the applicant is now committed to design and install
21 a loose parts monitoring system for the requirements of
22 Reg Guide 1.133. The major design criteria are included in
23 Reg Guide 1.33.

24 The applicant is committed to install sensor loca-
25 tions on CRBR in the reactor vessel area, the primary and

1 intermediate heat transfer system pumps, the IHXs, the
2 generators, the natural collection points of the system.
3 These are also committed to do component noise and vibration
4 measurements to look for degradation.

5 A lot of the LWR experience with the loose parts
6 monitoring system I think will apply to Clinch River. There
7 are some differences. You just can't take an LWR off of a
8 shelf and stick it on Clinch River. Clinch River has a higher
9 temperature which will affect the lifetime of the acceler-
10 ometers. The guard vessels along the main components complicate
11 installation and calibration of sensors. There are some
12 differences that have to be accounted for. In the LMFBR
13 program, there is an experience data base on loose parts
14 monitoring for LMFBRs and PBR-2s not tested at high tempera-
15 ture in sodium microphones, and those microphones have been
16 installed in a loose parts monitoring system in the FFTF reactor
17 vessel.

18 MR. MARK: Excuse me. A loose parts monitor picks
19 up the vibrations from something bumping on something else,
20 a piece of metal and banging against the side?

21 MR. KING: Impact, right.

22 MR. MARK: How big a piece? How far away is it,
23 compared to -- is it the size of a marble, or does it have to
24 be as big as a football, or what?

25 MR. KING: For an LWR, it's in the neighborhood

1 of several pounds.

2 MR. MARK: Several pounds of steel, a foot or two
3 away?

4 MR. KING: More than a foot or two away. There has
5 to be enough sensors so that you can detect that impacting
6 anywhere within the vessel and the system that you are looking at.

7 MR. MARK: It won't pick up a thimble?

8 MR. KING: No, I don't think it would pick up a
9 thimble. I think those sizes for the LWR were determined based
10 upon looking at what size of a loose part would cause damage
11 to the internal structure, and that same kind of consideration
12 is going to have to be done at Clinch River. We haven't arrived
13 at what is the minimum size particle we want to pick up.

14 MR. MARK: This loose particle of several pounds
15 won't go through many of the inlet holes through which coolant
16 is supposed to flow?

17 MR. KING: No.

18 MR. MARK: But it indicates that something somewhere
19 is broken?

20 MR. KING: Yes. The concern for Clinch River is
21 not flow blockage; it is concerned with banging and causing
22 further degradation of something else that is in there.

23 MR. MARK: Well, you've already got some degradation
24 that you would like to know about.

25 MR. SHEWMON: Is the attenuation much less in sodium

1 microphones and stainless steel as opposed to just finding them
2 on the outside of the vessel?

3 MR. KING: There are two things, I believe. One is
4 the attenuation of sound in stainless steel is more damping
5 than there is carbon steel. Too, I think for an LMFBR with the
6 guard vessel around the reactor vessel and the pump and the IHX,
7 we can start locating sensors on the outside. Those components
8 found in that region, if they fail, you can't replace them, and
9 you want to calibrate them.

10 MR. CARBON: This indicates that you have done this
11 EBR-2? What sort of magnitude particle size can they pick up
12 there?

13 MR. KING: I'm not sure that has been determined
14 yet. Primarily, it was put in EBR to look for a system back-
15 ground noise and to see that if you had so much background
16 noise, that you couldn't use these at all, and to look at
17 lifetime calibrations.

18 MR. SHEWMON: Something came loose in the IHX five
19 or ten years ago and that was used one time. There were no
20 vibrations, so it may not be just loose parts. It may be
21 some other incipient failure.

22 MR. KING: What they did do in EBR was to tap an
23 instrument probe that came down into the pool, and you could
24 hear that very plainly. They weren't up there with a sledge-
25 hammer, but making a reasonable tap and you could hear it. I

1 have heard it, and I've listened to the FFTF system and you
2 can hear it fairly clearly.

3 MR. MARK: The background noise is higher or lower
4 than the LWR?

5 MR. KING: I haven't listened to an LWR so I really
6 can't say. I've listened to two LMFBRs and it was pretty low.

7 MR. MARK: Wouldn't it be -- given a conclusion that
8 the background noise was down, you could see more things easily
9 at a given level?

10 MR. KING: Yes.

11 MR. MARK: And I suspect that this background noise
12 is down compared to an LWR in normal behavior, but I don't
13 know.

14 MR. KING: Certainly from a PWR you would expect
15 the background noise to be down. Your statement is true, the
16 lower the background noise, the more sensitive your system
17 would be to pick up.

18 MR. ZUDANS: Are there any plans for CRBR to observe
19 the gross characteristics of the system and the components
20 not, say, vibration moves, but if you would have a signature
21 in the beginning, of how the system responds and what is its
22 natural flexibility and observe the shift in it? Would you
23 conclude there is some major structure modification, or a
24 failure has occurred? Are there any such in this particular
25 plant?

arl

1 MR. KING: As part of the overall diagnostic
2 noise in noise vibration areas, there are periodic vibration
3 monitoring in plants. I'm not sure of the details or whether
4 that is permanent or temporary. Maybe it is installed.
5 You can ask the Applicants that question. As part of
6 developing this program, that includes loose parts monitoring.

7 To sum up our conclusion, it is a commitment
8 by Applicants to design, install and operate a loose
9 parts monitoring system for CRBR in accordance with Reg
10 Guide 1.33 is acceptable for CP.

11 MR. O'BRYANT: I am Wendell O'Bryant, manager
12 of maintenance and test for Westinghouse.

13 (Slide.)

14 As an introduction, we are committed to the
15 loose parts monitoring system consistent with the LWR
16 technology, modified as necessary, as Mr. King explained,
17 for the CRBRP plant environment.

18 General design criteria was mutually agreed
19 between NRC and the Applicant in a meeting on November of
20 last year.

21 I am prepared to answer some of the questions
22 that were asked of Mr. King, a couple of them that -- our
23 general design criteria that we came up with, I will
24 discuss them briefly, although I think a lot of the questions
25 have been answered by Mr. King.

1 Sensitivity. We feel that we can definitely
2 detect a half a footpound impact, and probably a lot more
3 sensitive than that and, yes, the liquid sodium should have
4 less background noise than a water plant, due to the low
5 noise that we have.

6 We are normally talking about noise of less than
7 25 foot per second equal to or less, and in the inlet
8 plenum for the vessel, for instance, and some of the natural
9 collection points, are much lower than that, as low as
10 four and five feet per second.

11 MR. SHEWMON: We jumped to you last. I noticed
12 you are not talking about going to sodium, but you are going
13 out of sodium. Is this because you have a pipe plant and
14 therefore you can get at the important vessels?

15 MR. O'BRYANT: Talking about the sensor locations,
16 and let me briefly show you where we will put the sensors.

17 MR. ZUDANS: The input was not on your list.

18 MR. O'BRYANT: In the reactor vessel we are now
19 determining the best place to put those sensors, whether
20 it's on the head to detect noises up in the upper region, or
21 down at the top of the core, and we have access to those,
22 and we are right now in the process of determining where
23 the best location would be, but we have the ability to put
24 detectors up in the upper region.

25 Now, as he mentioned earlier, in cases where you

1 have the guard vessels, you've got to place the detectors out
2 of the guard vessel in order to be able to get to them to
3 maintain them, and replace them, but we have run some
4 preliminary tests that indicate the attenuation is very small
5 with the length of pipes that we are dealing with. So
6 basically we'd be monitoring the inlet portion of the vessel
7 by the detector placed upon the piping outside of the
8 guard vessel. We intended to have the detector on the
9 primary pump again outside of the guard vessels, but you
10 monitor the noises and the IHX again on the down --

end Leslie'

Ron 5-A 12
fols. 13

14

15

16

17

18

19

20

21

22

23

24

25

HEMLOCK
FRAGILE
COTTON CONTENT

1 MR. ZUDANS: I would like to repeat the question that
2 I asked the Staff here. Here I see your monitors that are
3 identified by the asterisks or stars.

4 MR. O'BRYANT: Yes.

5 MR. ZUDANS: If you would want to monitor the
6 deterioration of the system rather than just a loose part,
7 the gross behavior of the system, you would have to put such
8 devices on -- well, essentially it moves the rigid body and if
9 you would analyze the significance, it would contain its
10 natural frequencies of motion.

11 Now, if you store that when you did the per-service
12 inspection and periodically examined the response of that system
13 and noted the displacement of your natural frequencies, it's a
14 gross monitoring. It's a direct indication that something went
15 wrong in a system. Either the support broke or a piece of
16 support broke or something happened, and I am kind of surprised
17 that you don't have any such monitoring indicated. Certainly,
18 that is not a loose part on it; that is monitoring of the
19 integrity of the gross system.

20 MR. O'BRYANT: We go through a program earlier in the
21 plant life. You are talking about flow-induced vibration and
22 so on. The pumps have permanent monitors on them so you can
23 monitor it earlier; early in the life you have accelerometers
24 in the core that you verify the lack of vibration early in the
25 core in the startup process. And the same thing through all

1 of the process.

2 In the startup program we monitor at all the flow
3 levels in the flow-induced vibration of those components.

4 MR. ZUDANS: I understand. But the purpose is
5 completely different. I saw the Germans made a presentation in
6 one of the conferences and later the French made their system
7 where they used such motion monitoring system. You don't care
8 about noise, the component of it. You more or less care about
9 gross motion of the component. And if the system is healthy,
10 it just stays. You know, it keeps where the natural frequencies
11 show up on the analyzed record. They remain fixed. As soon as
12 something different begins, those begin to move around and you
13 are then able to identify that there is something wrong and go
14 in and fix it.

15 I think this is the ideal place to use such a system.
16 The other thing is that the way I understand the previous
17 presentation by Paul is that the only way to observe the motion
18 if it begins to creep one way or another where you could have
19 similar results from this type of reading or large displacement
20 reading, that would range the characteristics of it, and even
21 if the break was inside the reactor, it would respond to a
22 different frequency.

23 MR. O'BRYANT: Mr. Ziegler?

24 MR. ZIEGLER: The present system as it is conceived
25 will be capable of doing what you are saying. In fact, the

1 present LWR systems are capable -- mind you, you are not
2 measuring the actual displacement of the surface, you are
3 actually monitoring the frequency of those structures as they
4 are propagated through the acoustical path. They have seen
5 variations before, and we don't expect to have any difference
6 whatsoever. and not seeing the variation in the Clinch River
7 reactor. You will have these peaks, as you say.

8 MR. ZUDANS: You plan to use this system for that
9 purpose?

10 MR. O'BRYANT: Yes, I believe that is right. We will
11 take a noise signature on the thing, and we will definitely
12 be able to identify any changes to that and therefore any
13 degradation or whatever you -- changes in the background
14 noises.

15 MR. ZUDANS: It's not the noise component that I am
16 concerned with, it's the gross behavior that is a better indi-
17 cator for structural state, but I understand from you that you
18 do have the capability, whether or not it must -- it was
19 specifically planned to be used for that purpose -- that is
20 another question.

21 MR. DICKSON: Dickson of Westinghouse. Our plans
22 on monitoring this reactor aren't fully worked out, so we don't
23 want to say it's not planned. We will take full advantage of
24 any information we have to diagnose the behavior of this
25 reactor. If that information is available and intelligible, we

1 certainly will use it to ensure the safety of the plants.

2 MR. ZUDANS: Thank you.

3 MR. LIPINSKI: You have got to be careful with
4 respect to the first response. It's a question of where the
5 sensor is located. If I tie it to the reactor vessel, I don't
6 know anything about pump behavior, so where the sensor is
7 placed is very important. If that sensor is too far from the
8 pump, you don't get information.

9 MR. O'BRYANT: On the case of the pump, I believe
10 we have other sensors that are not part of the system that are
11 there for that purpose.

12 MR. LIPINSKI: That is probably important to answer
13 Dr. Zudans' question.

14 MR. CARBON: Mr. O'Bryant, your handouts here are
15 quite clear. Why don't you jump to your conclusions and let us
16 simply ask questions.

17 MR. O'BRYANT: Very good.

18 MR. CARBON: Okay.

19 MR. O'BRYANT: Conclusions that we reached in
20 performing the studies.

21 (Slide)

22 We performed these. We could find no potential loose
23 parts that could degrade the ability of the CRBRP program. We
24 took credit for redundancy, but we couldn't find a real safety
25 reason for doing it, but concluded that it would be a very

1 valuable diagnostic tool for the plant. And as such, we are
2 going to install it and use it to the extent of its capabilities.

3 MR.LIPINSKI: Using the parts that have been left in
4 the --

5 MR. O'BRYANT: We considered that. Parts can be
6 left in or break loose from various components, but generally
7 speaking, due to our low flows, if they are carried at all,
8 transported at all, they are transported into the natural
9 collection points in the bottom of the IXV in the bottom of
10 the reactor, the reactor vessel, and will remain there and in
11 the reactor vessel itself, the lower inlet nozzles will filter
12 anything greater than a quarter of an inch, preventing it from
13 moving up into the core, and so the low flow runs down there.

14 If we had parts left in or came loose from a component,
15 it would naturally collect there and would not be moved beyond
16 that point.

17 MR. CARBON: Any other questions?

18 (No response.)

19 MR. CARBON: Fine. Thank you, Mr. O'Bryant.

20 Let's take a 10-minute break.

21 (Brief recess.)

22 MR. CARBON: Let us continue with the meeting.

23 MR. STARK: This is Richard Stark from the Staff. I
24 would like to get a brief project manager's review of what --
25 I would like to pose and answer two questions for you -- what

1 is the SMBDB; and the second is why did the Staff require it?
2 The answer to the first question is: structure margin beyond
3 the design basis is basically the assessment of the ability of
4 the containment to tolerate a postulated core-destructive
5 accident. And the second question, why did the Staff require
6 the applicant and the Staff to evaluate this particular
7 accident -- and I am going to read directly from a May '68
8 letter sent from the Staff to the applicant. It said, "We
9 will therefore not consider CDAs as design-basis accidents.
10 Nevertheless, because of the differences in the state of
11 technology and experience between LMFBRs and LWRs, the
12 consequent inability to evaluate the safety of the CRBR design
13 as precisely as can be done with LWRs, and the absence of a
14 quantitative risk assessment based on experience and data such
15 as the reactor safety study for LWRs, prudence dictates that
16 additional measures be taken to limit consequences and reduce
17 residual risks from potential CRBR accidents having a lower
18 probability than design-basis accidents to ensure that the
19 public health and safety is adequately protected. The basic
20 approach should be to protect the containment system from the
21 unique effects of CRBR core-disruptive accidents."

22 That is the end of the quote. So what you are
23 going to hear now is -- you will hear what the Staff is going
24 to and has done to satisfy the requirement of the Staff of 1976,
25 and I will turn it over to Howard Holtz.

1 MR. HOLTZ: I might elaborate on that. As far as I
2 know, there are two sets of people that are going to discuss
3 the subject today, and Westinghouse, since they will undoubtedly
4 present a lot more graphic material regarding the reactor, I
5 thought I would limit myself to this part and Mr. Tom Butler,
6 who is a consultant to us, has done a great deal of work
7 related to the scale module testing and the structural criteria
8 that we use, and he will speak to that after these first
9 vuegraphs. And I am coming back and will tell you our summary
10 and conclusions.

11 The purpose of the SMBDB -- and it's the margin
12 beyond the design basis -- and its purpose is to assure that
13 during a CDA and immediately following the reactor closure
14 head and head-mounted components will not challenge containment
15 of the operating floor. These challenges to containment from
16 SMBDB are missile generation from control rods or any other
17 penetrations that go into the core, and secondly, above the
18 operating floor if there is leakage from components or from
19 heads itself, that this spray be confined and contained within
20 the head access area so that it doesn't have an opportunity
21 to spray directly in the containment. On that basis --

22 MR. CARBON: I presume not only sodium but CO2 and
23 hydrogen?

24 MR. HOLTZ: That is the TDB scenario. We are working
25 with the reactor and the core. There is a core-disruptive

1 event which sends a sodium slug to impact the head of the
2 reactor or closure head, which consists of three rotating plugs.
3 I am sure you see a lot of pictures on that from Westinghouse.

4 Our evaluation, the applicant and the Staff had
5 a number of working meetings and several hundred questions which
6 are a matter of record. And these documents, some of them, are
7 historic, such as this one, and the most important new element
8 that didn't exist in '76-'77 was the scale model tests. And
9 a lot of new information has been extracted from those, and I
10 will return a little bit later to give a conclusionary vuegraph.

11 But these two letters of December 9th and February
12 14th from the applicant gives us a real basis to make the
13 statements that we do. I would like now at this time if there
14 are no questions, to introduce Mr. Butler.

15 MR. ZUDANS: I just wanted to make sure that you are
16 limiting this structural design basis to the missile generated
17 by potential --

18 MR. HOLTZ: Not component.

19 MR. ZUDANS: And that is the limit of it?

20 MR. HOLTZ: No, it is the head itself.

21 MR. ZUDANS: Anything that comes from the initial --

22 MR. HOLTZ: Right. So it's the reactor closure head.
23 Let me see if I got a picture here.

24 MR. ZUDANS: That is all right. I understand. I
25 don't need a picture.

1 MR. HOLTZ: You might need a picture. That happens
2 to be the intermediate rotating plug. The top section of it
3 happens to be about 2 feet thick, and all of this stuff down
4 in here is the radiation -- thermal radiation reflectors,
5 neutron shields, et cetera, and gas entrainment things, so this
6 entire area is what we are going to be talking about in this
7 subject.

8 MR. ZUDANS: And it's all as a consequence of CDA?
9 It's initiated by a core-disruptive accident, isn't it? Isn't
10 that a question related by margins? I guess it would not be
11 beyond design basis but within the design basis. In all of
12 these components, they have very careful design --

13 MR. HOLTZ: Yes.

14 MR. ZUDANS: And unlike an LWR design, in this design
15 you are to use the design capability by performing more precise
16 analyses and doing -- and that leaves the question open as to
17 once you have satisfied all the requirements, what is the
18 design-basis margin still available? Have you had anything in
19 that nature?

20 MR. HOLTZ: Yes. Actually, we both follow the ASME
21 code, Appendix F, Level D, and there are some modifications that
22 we allow for this event that would push materials and structures
23 a little harder than they would force those events that are in
24 the design basis. Mr. Butler can speak a little more on this
25 subject if you -- I am sure Westinghouse can too.

1 MR. MARK: So you in a word say what is the mystery,
2 the sodium slug? What is the sodium slug?

3 MR. HOLTZ: The sodium slug is that material that lies
4 between the upper internal support structure and the bottom of
5 the head that gets accelerated from a core-disruptive event.
6 You will hear more about that tomorrow because Mr. Theofanous
7 and Mr. Bell will speak to that.

8 MR. MARK: It is imagined that all the flat of sodium
9 gets uniform acceleration and is thrown up?

10 MR. HOLTZ: At this point in time, that is the way we
11 are treating it.

12 MR. MARK: So you don't treat it as it would almost be
13 in reality, some sort of a geyser?

14 MR. HOLTZ: You are correct. It doesn't look like a
15 fountain, but in reality it probably does.

16 MR. BUTLER: My name is Tom Butler. I am from
17 Los Alamos, and we have been contracted by the program office to
18 help them review the SMBDB event and particularly the structural
19 part of this. Now here I have said that we will talk about the
20 primary system response to SMBDB. In fact, mostly we will
21 address the head, although there are requirements for the total
22 primary system, address briefly today these areas, the first
23 two briefly and the third in more detail.

24 (Slide)

25 The criteria used in evaluating the primary system

1 boundary and the loads experienced by the primary system and
2 this talks a little bit about the sodium slug which was
3 mentioned earlier, and then the conclusions that we have drawn
4 from the scale model tests that have been performed and the
5 analyses that have been performed.

6 We performed some limited independent analyses, but
7 mostly our review consists of in-depth review of the tests and
8 analyses that the applicant had performed by way of the
9 evaluation criteria for the analysis performed on the primary
10 system. There is provided a membrane strain limit to protect
11 against plastic instability. This limit goes along with the
12 spirit we say of Appendix F, Section 3 of the ASME code. The
13 limit is based on the work of Hillyer and it protects against
14 plastic instability.

15 This is a limit provided to protect against local
16 ductile rupture and that is based on the work of McClintock.
17 In most of these, the applicant presented substantiating data to
18 show that the limits are of appropriate conservative nature.
19 We have looked at that substantiating data in depth also and
20 have come to an agreement with the applicant that these are
21 appropriately conservative.

22 There are also stress limits that are used for some
23 of the elastic analyses that they do where they can get away
24 with that.

25 (Slide)

1 The load requirements that the primary system has to
2 take. They are basically based on Rexco Hep calculations.
3 Now the Rexco Hep calculations have been verified with the
4 scale model tests that were run at Stanford Research Institute
5 and have been found to be conservative in predicting the loads
6 for the applicant's baseline case.

7 Now, tomorrow Charlie Bell and Professor Theofanous
8 will talk about how they think the loads they predict compare
9 with the applicant's baseline case.

10 Now, out of the requirements that presently exists
11 in the documentation that Howard mentioned, the vessel head is
12 required to accommodate a sodium head with 75 megajoules of
13 kinetic energy, and there is a pressure head that it has to
14 take which is consistent with 75 megajoules.

15 MR. ZUDANS: How do the 75 megajoules relate to total
16 exclusion during the CDA? Is it 600 or 1200 or what?

17 MR. BUTLER: I think it would probably be best to
18 delay that until tomorrow because Charlie Bell has a long
19 talk about that, I am sure.

20 MR. ZUDANS: All right. Good.

21 MR. BUTLER: But it is felt that even though this
22 was prescribed by the applicant in their documentation, that
23 that does involve what Professsor Theofanous and Charlie Bell
24 have come up with in their calculations.

25 MR. BUSH: On the last item I would have thought that

1 in a slugging condition like that, that since your piping is
2 relatively thin-walled, that the refracted wave would almost
3 certainly make a failure of the primary piping, which I haven't
4 heard about. If I have enough energy to lift the slugs out,
5 I would suspect I had more than enough energy to split the
6 piping.

7 MR. BUTLER: The evaluation at this point indicates
8 that is not so, that the piping would indeed remain intact and
9 these strain criteria that we have presented apply to the
10 piping as well as to the vessel, to the whole primary system.

11 Now, that kinetic energy of the 75 megajoules is
12 oriented upwards, is the overpressure that after the impact is
13 what goes down the piping system.

14 MR. SHEWMON: When you have left the slug on top, is
15 it assumed to be unconnected to anything the way it is in the
16 light-water business, these days or some days?

17 MR. BUTLER: No. We look at it as the total structure.
18 The head connected to the vessel flange.

19 MR. SHEWMON: And it's deformation as well as the
20 energy required to lift the head goes into the calculation?

21 MR. BUTLER: Right. Now, the 75 megajoules I will
22 address here in a minute, how we estimate how much of that
23 energy is transferred to the head itself. And I think probably
24 Westinghouse will address that in more depth in their talk.

25 MR. SHEWMON: This has been very interesting, but to

1 answer my question, you do when you calculate energy, that is
2 absorbed in the deformation, consider it as a connected --

3 MR. BUTLER: Right. Right.

4 MR. SHEWMON: Right.

5 MR. BUTLER: The primary, which we determine that a
6 vessel head has modified, would absorb a sufficient amount of
7 energy, is through plastic strain of the head as it bends when
8 it is held on the boundary.

9 MR. ZUDANS: The head bolts?

10 MR. BUTLER: No, we have checked the whole load path
11 to assure that it can take these loads, but we have not taken
12 into account the energy absorbed by the bolts in assessing the
13 system in a conservative manner.

14 In other words, we are requiring the vessel head itself
15 to absorb all the required energy.

16 MR. ZUDANS: Well, that is not what will happen in
17 reality. I mean the bolts are at least, I remember from
18 previous discussions, they were supposed to stretch significantly
19 and absorb most of the energy.

20 VOICE: We will be showing that if that will help you.

21 MR. ZUDANS: I think it will be necessary to see how
22 the energy is partitioned between the different components and
23 why.

24 MR. BUSH: I am not convinced.

25 MR. BUTLER: I will wait for Westinghouse on the last

1 item because you have seen instances where the energies were
2 far below 75 megajoules where it managed to fail piping thicker
3 than you have here. So I guess I need to be convinced.

4 (Slide)

5 Most of our review centered on the scale model tests,
6 and I will give you a quick summary here of the tests that have
7 been run to date and the conclusions that we have drawn from
8 these tests.

9 The tests to date have been designated SM-1 through 8.
10 Three of these were hydrostatic of the head only. That is SM-1,
11 7, and 8. The others were dynamic tests that include, in the
12 case of SM-2 and 3, a simplified head.

13 In the way of configuration, SM-1 was a head with no
14 shields plate attached. It was hydrostatically tested to
15 failure. After that test, simplified head was used on SM-2 and
16 3. The difference between that test was that SM-2 had no
17 upper internal structure and SM-3 had the upper internal
18 structure, and in SM-2 we were talking about the slug and
19 how it comes up.

20 In SM-2 we had no upper internal structure. In SM-3,
21 this was done because of the presence of the upper internal
22 structure, which disrupts the coherence of this sodium slug that
23 rises above the core.

24 SM-4 and 5 were the complete vessel with the internal
25 nonprototype head. This was nonprototypic in the way the

1 shielding plates were attached to the head. As a follow-up to
2 this, two more hydrostatic tests were run. The first had
3 nonprototypic head with the shielding plates attached as in the
4 tests SM-4 and 5, and then in SM-8 it was run with the shielding
5 plates in the prototypic -- more prototypic of the design.

6 The difference between these two tests was that SM-8
7 absorbed considerably less energy than nonprototypic model, as
8 we expected SM-7. Based on this, we did a more thorough
9 review and found that we would estimate -- I might put up the
10 conclusions -- that the vessel head as presently designed
11 cannot be shown to accommodate 75 megajoule kinetic energy
12 slug of sodium, and further from SM-1 and the other two
13 hydrostatic tests, that failure would be kinematic disengagement
14 of head intermediate rotating plugs. It is something that I
15 am sure Westinghouse will go over in more detail in a few
16 minutes.

17 This is important because this allows more modification
18 of the head design and some relatively simple manner to allow
19 for more deformation before this disengagement appears and more
20 energy can be absorbed in plastic deformation, and I have noted
21 that the remainder of the load path will accommodate these
22 loads resulting from impact of a 75 megajoule slug.

23 Unless there are any questions, I guess that is it.

24 MR. ZUDANS: Will Westinghouse show -- can we see the
25 kinematic disengagement of intermediate rotating plug?

1 MR. BUTLER: Yes.

2 MR. ZUDANS: Thank you.

3 MR. ALLEN: Can I ask a few questions? I am Allen
4 with NRC Staff. I would like to make a comment with regard to
5 the question about pipe failure. I am not questioning the
6 possibility of a failure. That is not my field. But CDAs are
7 divided into two main aspects. The potential early failures
8 from energetic releases like the slug impact against the head
9 and the long-term consequences that you heard last week from
10 John Long, which involved a rather slower phenomena where the
11 debris falls into the cavity and the sodium winds up in the
12 cavity and the debris winds up there.

13 If the pipe should fail, the scenario would progress,
14 I believe, in an SMBDB type scenario. The concern here is
15 with failure of the barrier between the core and the containment
16 earlier in the transient, and that is why the focus on the
17 integrity of the head. I don't know if that helps.

18 MR. ZUDANS: There is, however, a different consequence.
19 If it were the failure in the system, it goes through the
20 reactor vessel and collects in the pit. I think it's not so
21 simple. Now the other issue is that the impact is only the
22 head. The pipe will see the pressure history, which is
23 completely different, and unless there is a reflection from
24 this impact, the pipe won't see any such impact because the
25 pipe outlet is many feet below the head and -- I don't know.

1 MR. STRAWBRIDGE: I will be addressing that in my
2 presentation.

3 MR. HOLTZ: This is a summary of what's in our SER,
4 and I believe I am correct in stating that the applicant is
5 aware of a lot of this, and it's been discussed with the
6 applicant. And if they do not agree with it, I am sure Paul
7 Dickson will let me know.

8 Well, one of the fallouts of this intensive review,
9 which began in December of 1982 and followed on into 1983,
10 which was this kinematic interaction of the plug behavior that
11 Tom Butler mentioned, and so as a result of this, so we are in
12 agreement that additional tests are needed. We are identifying
13 these as SM-9 and SM-10. They will be scale model tests
14 similar to what was done before, but with the inclusion at
15 least in SM-10 for dynamic tests showing how it behaves with
16 the modifications incorporated in it. We consider this a
17 confirmatory test because we do believe that the plug can be
18 made to arc in such a manner that we can absorb the energy that
19 will go to the plug, which we estimate currently is around
20 40 megajoules.

21 We are holding the applicant to this 75 megajoules
22 or kinetic energy in a sodium slug at the bottom of the plug
23 at the time of impact. And we agree with them that the
24 modifications that they have discussed with us will probably
25 allow them to reach this value.

1 Well, it's stronger than that. We believe that
2 they will meet that value. I mentioned the SM-9 and 10 tests,
3 and I have an A and B option, which is in the SER, and we feel
4 it would be highly desirable to have an analytical model that
5 transcends the problem in its simplest form to show the
6 relationship between the scale models and the full-scale models.

7 At the present time we both have spent bundles of
8 money on it, and we don't really have one, but we would
9 certainly like to take another look at that. It still,
10 however, requires that SM-9 and 10 be done, and in the B option
11 we have recommended that at least a spare model of SM-10, which
12 is the dynamic model, be manufactured at the same time they are
13 manufacturing their first one, because if they lose their data,
14 we would be blind, and we feel that this is a prudent and
15 reasonable thing to do because it's their intent at this time
16 not to go back into the mathematical area so much as going from
17 conditions in the scale models to the full-scale models. And
18 in their letter of transmittal to us of February 14, there is
19 a package addressing higher sodium releases than 1000 pounds.
20 We admit that we could handle higher sodium releases than 1000
21 pounds if they are controlled and preferably remained in the
22 head access area as a pool fire, as a spray fire. They are
23 hesitant.

24 We don't really consider this a CP kind of a problem,
25 and we have added one additional requirement which we have been

1 told about, and we would like to see them carry the load past
2 not from the vessel flange but down to and including its
3 distribution in the concrete structure of the cavity.

4 Now, for Dr. Zudans' benefit, FFTF was designed
5 differently in that it had an under-the-shield fuel-handling
6 system, and it did have stainless-steel stretch bolts that a
7 lot of energy was taken out with. This machine does not. It
8 has high-strength steel bolting, and according to calculations,
9 we don't believe that the head is going to fail in that regime.
10 And I think that Westinghouse will discuss that.

11 MR. ZUDANS: If you replace the FFTF steel welds, I
12 can't really understand the rationale.

13 MR. STRAWBRIDGE: We hope that Westinghouse can
14 enlighten you on that. I will point out the difference with
endT.5A 15 a picture.

startT.5B 16 MR. ZUDANS: A picture isn't required.

17 MR. SHEWMON: Why don't you wait until we get to that?

18 MR. CARBON: Fine. Thank you, Mr. Holtz.

19 MR. MARK: The decision to change to high strength was
20 made on the part of the applicant or the Staff?

21 MR. HOLTZ: The applicant.

22 MR. STRAWBRIDGE: I am Lee Strawbridge.

23 (Slide)

24 I am from Westinghouse. I am going to be discussing
25 the structure margin beyond the design basis that we have taken

1 with respect to those structural margins.

2 First, let me say that just in general what we are
3 dealing with is very low probability events. And as we have
4 discussed in prior meetings there are design features that are
5 there to prevent FCDs and to make them in fact appropriate to be
6 considered as beyond the design basis. Nevertheless, we do
7 include and have included from the very beginning of the
8 project prudent margins beyond the design base to further reduce
9 the public risk.

10 These margins are of two types, which we have SMBDB,
11 for short. They are structural margin beyond design base.
12 PMBDB for short. You have heard in previous discussions the
13 thermal margin beyond the design base. Basically, that is
14 dealing with the core melt aspects. That is not the scope of
15 today's meeting. Today's meeting is limited to the structural
16 margin beyond the design base, which is dealing with the
17 potential accommodation, the accommodation of the potential
18 energetics that could result from core-disruptive accidents.
19 So the purpose of having such requirements is to accommodate
20 dynamic loads that could be associated with HCDAs.

21 (Slide)

22 We do that by -- we want to do that so that we will
23 avoid any large release of vaporized fuel or fission products
24 through the reactor head into containment or any large release
25 of sodium into directly the containment.

1 By doing that, we will prevent any short-term challenge
2 to the containment and consequently avoid any large radiological
3 releases from the containment.

4 (Slide)

5 The form of the SMBDB requirements that we have
6 identified and imposed on the design are indicated here. There
7 are basically three types of requirements. The first type is
8 denominated dynamic load requirements, and this is to maintain
9 the short-term integrity of the reactor coolant boundary. This
10 is more general. It is not just a head for dynamic loads
11 that could be associated with HCDAs.

12 We also have leakage requirements to avoid leakage
13 releases that could get in the containment and challenge the
14 containment integrity and certain geometric requirements that
15 provide certain clearances between components to avoid any
16 unacceptable interactions during the HCDAs themselves.

17 (Slide)

18 MR. MARK: You had a statement there of 101 megajoules.
19 How do you get that down to three figures? It escapes me.

20 MR. STRAWBRIDGE: Sorry about that.

21 MR. MARK: Anyway, total energy release, that is
22 energy release. That is not kinetic?

23 MR. STRAWBRIDGE: Yes. And I will have a later
24 vuegraph to show that.

25 MR. MARK: So show us how we get that number.

1 MR. STRAWBRIDGE: Yes. Moving in now to the start
2 of this discussion, the derivation of the loadings that we have
3 used for the structural margin beyond the design base, I point
4 out here that these loads were originally derived in about 1975.
5 The significance of that is that is about the time when we were
6 placing some of the first orders for the major components, so we
7 wanted to be sure to identify certain structural loading
8 requirements on that hardware as the orders were placed.

9 Now, at that time we, of course, did not have the
10 kind of base of calculations for HCDAs that we have today. We
11 have preliminary analysis and extensive analysis that had been
12 completed. Even when pessimistic assumptions were made in
13 terms of average fuel vapor temperatures, it was less than 4300
14 degrees Kelvin. In choosing a method for calculating such
15 loads, we indicated an average vapor temperature of 4800
16 degrees Kelvin, and the purpose of that was to insure that we
17 did provide some margin to accommodate on the data and the
18 models as well as margin to accommodate design evolution.

19 Back in '75, we realized we had not reached final
20 design, and there could be some evolution that could have some
21 impact. In fact, the main point that has occurred since that
22 time has been the change from the homogenous type core to the
23 heterogeneous type core, and in fact, that is it in the
24 direction of being a favorable influence with respect to HCDA
25 energetics.

1 MR. SHEWMON: Don't remove it.

2 MR. MARK: What is the melting point and the boiling
3 point that you use for fuel?

4 MR. STRAWBRIDGE: Fuel melting point is about 500
5 degrees F. I don't remember it in K., just in units.

6 MR. MARK: And boiling point?

7 MR. STRAWBRIDGE: Somebody in the audience has the
8 boiling?

9 VOICE: 9800 degrees C.

10 MR. SHEWMON: Now, all you have said, we collapse the
11 core. What are you doing here to start this?

12 MR. STRAWBRIDGE: This is not a mechanistic calculation
13 of one sequence. What I was referring to up here was a series
14 of analyses that had been done looking at specific sequences
15 where you looked at the things like a loss of power -- and
16 with the assumption that none of the shutdown systems operate,
17 and so you go into an excursion on that basis. We looked at
18 transient overpower type.

19 MR. SHEWMON: None of the control rods go in?

20 MR. STRAWBRIDGE: None of the control rods go in.

21 MR. SHEWMON: Okay.

22 MR. STRAWBRIDGE: And transient overpower -- with
23 none of the control rods going in. A whole range of things
24 like that were analyzed and led to conclusions of these lower
25 type fuel vapor temperatures. However, in choosing this number,

1 there was not a mechanistic calculation. We said, well, put
2 margin on this number to define the loads and recognize that
3 that is going to provide some extensive additional capability
4 compared to that fuel vapor temperature. And there is a large
5 difference in energy content between that temperature, 4300
6 Kelvin, and the 4800 degree Kelvin.

7 MR. SHEWMON: So what you do is take an arbitrary,
8 semi-arbitrary, insertion of activity, and this was for the
9 homogenous core. And now we have to go to the inhomogenous
10 core? And why is that? To reduce the energy you get from one
11 of these?

12 MR. STRAWBRIDGE: The initial reason for the change
13 was to achieve -- be sure that we approached the breeding goal
14 of the plant. This is a higher breeding again, so with the
15 -- another factor that goes along with that change, though, is
16 a reduced sodium void coefficient, a less positive sodium void
17 coefficient, and that has an influence when you go through the
18 sequence of things.

19 MR. SHEWMON: But you said --

20 MR. STRAWBRIDGE: So it is a positive effect from that
21 standpoint.

22 MR. SHEWMON: But you have not reduced the bottom
23 line because of that, because you felt you could cope with the
24 bottom line, you could argue?

25 MR. STRAWBRIDGE: That's right.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. SHEWMON: Okay. Thank you.

(Slide)

MR. ZUDANS: Dr. Fauske just said that boiling temperature is 7200.

VOICE: 3200.

MR. ZUDANS: Okay. Sorry.

MR. SHEWMON: He is such a quiet lad, we can't hear him.

MR. STRAWBRIDGE: Now, initial fuel vapor temperature condition. That corresponds to an average of 4800 degrees Kelvin defines a pressure volume relationship which is used in calculations that I will be describing in a moment where the initial pressure here is some 270 bars.

(Slide)

MR. SHEWMON: Do you vaporize 1 cc of the core or the whole core? It seems to me the volume of this gas also is germane.

MR. STRAWBRIDGE: The volume is germane and the volume that is used is the volume of the whole core.

MR. SHEWMON: That also came out of your consideration of failure to insert rods or it was just a problem you could solve?

MR. STRAWBRIDGE: Well, like mechanistically, one would not predict in most sequences these are going to vaporize all the core. In the next vuegraph, in fact, it shows that the

1 initial fuel volume that we use --

2 MR. SHEWMON: I guess I would kind of like to see
3 some aspect of it brought through the, I hope, the SER when we
4 get into the things, and as a practical engineer I would say
5 they are nonsensical, but maybe I don't understand the situation.
6 Maybe the incredibility of it ought to be on the record if we
7 are making them jump through these hoops or spending a lot of
8 time as you have and they have and now we have too.

9 MR. STRAWBRIDGE: All right. A few other character-
10 istics that go along with that particular condition that we
11 used as a starting point are shown here. The average
12 temperature was 4800 degrees Kelvin. It was not a uniform, it
13 was a uniform with a peak up around 6000, starting from an
14 initial pressure of 273 bars. That is the core volume. Now,
15 if that is that pressure volume curve is expanded to the
16 volume that results in impact of the sodium that is above the
17 core with the underside of the head shielding, that would
18 result in 101 megajoules of work energy released to that point.

19 If one theoretically -- which is about the only way
20 you can do it -- were expanded to one atmospheric, then that
21 would force the 661 megajoule number that you have heard about,
22 and if we talk about 661 megajoule event, that is what we are
23 referring to.

24 Now, I might point out here also that the number 75
25 megajoules was mentioned in the NRC presentation you just had.

1 The 75 megajoules is upward, total upward kinetic energy out of
2 the same calculation that led to -- that I will be describing
3 in the case here that led to numbers such as 101 megajoules
4 at the time of slug impact. Total up part kinetic energy of
5 the slug was 75 megajoules. So that is how the 75 megajoules
6 ties into these numbers.

7 They are assuming the same initial starting condition
8 of this average fuel vapor temperature that I mentioned.

9 (Slide)

10 The mold that we have used to predict dynamic loads
11 was the Rexco Hep code and the high-pressure initial starting
12 condition is placed in the core region and around the core
13 region we have the various structures, including the core
14 support structure and the barrel, the reactor vessel.

15 We have the head representation up here along with
16 some hold-down representation here of getting the loads into the
17 ground. We also have sodium represented through the vessel and
18 one significant thing which is not represented in this figure
19 of mechanical structure is the upper internal structure. It is
20 physically in this region above the core assembly. It is not
21 included in this analytic model that we used.

22 At the time the loadings were generated, there was not
23 a real capability to handle analytically the calculation of
24 that effect. And we recognized that it would be a major
25 conservatism to ignore it, but we did ignore it in the

1 calculations leading to the loads that I will be describing.

2 MR. ZUDANS: On this model, how was the core support
3 structure represented? I don't see anything.

4 MR. STRAWBRIDGE: Basically, you see --

5 MR. ZUDANS: If you would replace that section, if
6 you would replace that section with the actual design as it
7 exists now, wouldn't that in essence represent the weak link?

8 MR. STRAWBRIDGE: No.

9 MR. ZUDANS: And would the expansion forces push the
10 core down rather than cause the most damage at the reactor
11 vessel head?

12 MR. STRAWBRIDGE: There is forces on the core support
13 structure. We are using in fact this calculation only to
14 develop loadings on the structures, and then we go into more
15 detailed models using the loadings to actually assess the
16 integrity. We do not use this model to assess the integrity of
17 the core support structure.

18 MR. ZUDANS: And the conclusion is that the main
19 thrust is upward and not downward?

20 MR. STRAWBRIDGE: Well, for every action there is a
21 reaction. The importance there is a difference in the upward
22 direction, and that results from the difference that you have
23 in cover gas space represented by this area right here unlabeled,
24 and that cover gas space requires room for acceleration of this
25 liquid material to take place. And this can result in a

1 considerable impact loading with the head, which I will be
2 showing in just a moment here.

3 MR. ZUDANS: What you are telling me is that the
4 support as modeled in here was fairly rigid but you took loads
5 resulting from that calculation and applied to the existing
6 support skirt and it did not break it?

7 MR. STRAWBRIDGE: That's exactly right.

8 MR. ZUDANS: You are saying it was the gas compressed
9 on top of sodium? How did you generate the impact? What
10 happened to the gas?

11 MR. STRAWBRIDGE: The gas -- until you got to the point
12 of the plates, shield plates beneath the head,
13 compressed in calculation.

14 MR. ZUDANS: And after that? Oh, where did it go?

15 MR. STRAWBRIDGE: This is some amount of gas that is
16 actually between these shield plates and so on, which in fact
17 could not physically be compressed. So you don't compress it
18 to zero volume, you compress it to some lower limit volume.

19 MR. ZUDANS: Was the effect calculated assuming that
20 the gas did not provide any cushioning?

21 MR. STRAWBRIDGE: The compression of the gas was
22 taken into account in the calculation.

23 MR. ZUDANS: But I don't see any model there. The
24 two additional models. Was that volume put in the calculation
25 in any way at all?

1 MR. STRAWBRIDGE: Yes. And maybe that will be a
2 little clearer from this next vuegraph. I am not sure. Let
3 me describe. This is just some of the sequence of calculations
4 that we go through using the Rexco Hep code where initially you
5 are putting the high-pressure material in this core region and
6 as time progresses, that core region is expanding due to the
7 high pressure now expanding and pushing materials in all
8 directions and causing expansion of that. And note that this
9 cover gas space here, the head is above this point, not shown
10 on this figure, but the cover gas space is this part here.

11 (Slide)

12 And in fact, the 60-millisecond time has decreased to
13 almost contact. We predict contact with the lower -- so that
14 has progressed as the calculation proceeds.

15 MR. ZUDANS: Unless you have a way for the gas to
16 disappear, you will never have an impact on the total surface.
17 The gas has to remain someplace because of the pressure that
18 is generated. Its volume is not zero.

19 MR. STRAWBRIDGE: No. There is some portion of the
20 cover gas volume that is in the upper shield plate region which
21 cannot be compressed, and so we are not taking it to zero
22 compression.

23 Allen Christy, do you have something to add?

24 MR. CHRISTY: Allen Christy, Westinghouse. I believe
25 in the model actually the cover gas as such was not really

1 present. It was really a volume, but that corresponded fairly
2 closely to the real situation because the volume of gas above
3 the shielding is considerable and as the sodium comes up, it
4 compresses the gas in the lower area into those spaces above
5 the shielding, and the final gas pressure isn't that significant
6 as impact is occurring.

7 MR. ZUDANS: First of all, impact did not occur in
8 the head.

9 MR. CHRISTY: It occurs on the lower side of the
10 shielding.

11 MR. ZUDANS: And you cannot remove the cushioning
12 effect. I remember that in the calculations. So that means
13 it is an extreme calculation.

14 MR. CHRISTY: It is more conservative.

15 MR. SHEWMON: The gas has zero compressibility in
16 this calculation.

17 MR. ZUDANS: Yes. That is it.

18 MR. MARK: What is the material that runs vertically?

19 MR. STRAWBRIDGE: That is the core barrel. It's on
20 that graph there.

21 (Slide)

22 This is the reactor vessel here. The core barrel is
23 actually in here.

24 MR. MARK: You are computing everything inside the
25 reactor vessel?

1 MR. STRAWBRIDGE: Yes.

2 MR. MARK: And the wall is a couple of inches thick?

3 MR. STRAWBRIDGE: Yes, sir. In that order.

4 MR. MARK: And the pressure that you are applying
5 to that is 4200 or so psi. That does nothing. There is no
6 disportion of that that makes a difference.

7 MR. STRAWBRIDGE: The reactor vessel does experience
8 some strain, some deformation, a few percent of permanent
9 strain is predicted, well below 10 percent or so. That would
10 be in the area of where you would have any concern or failure
11 in the vessel.

12 MR. MARK: It does enlarge the area in which the
13 sodium sits.

14 MR. STRAWBRIDGE: Yes.

15 MR. MARK: That is not taking into account --

16 MR. STRAWBRIDGE: No. It does take into account the
17 flexibility of that reactor vessel.

18 (Slide)

19 Now, the head load predicted from this calculation
20 that we are talking about is this load that goes up to a peak
21 of 160 million pounds. This is force as a function of time,
22 and I mentioned in the previous vuegraph impactoccurs at 70
23 milliseconds, and that is this big spike, and some of the
24 dropoff that is experienced here is in fact due to vessel
25 expanding and creating more volume. So that is taken into

1 account in the calculation. And there is wave reflections that
2 are responsible for some of these longer-term effects here.

3 MR. SHEWMON: And when you get your 75 millijoules
4 or whatever, it is for how long? Just the initial spike or
5 after --

6 MR. STRAWBRIDGE: No. It's not just the initial
7 spike.

8 MR. SHEWMON: And you point to something there? Is
9 it off the scale or 10 percent of that or what?

10 MR. STRAWBRIDGE: We are using this as the actual
11 loading requirement on the underside of the head. So we have
12 to take this load over the whole time shown here. That is our
13 load requirement.

14 MR. SHEWMON: Thank you.

15 MR. CARBON: I still don't understand. Can you
16 relate this to 75 millijoules for me, or am I on the wrong --

17 MR. STRAWBRIDGE: Yes. Let me try. Presumably, it
18 is the interval under that curve.

19 MR. CARBON: Is it a lot more than that?

20 MR. STRAWBRIDGE: That is essentially it. It is not
21 quite that.

22 MR. CARBON: Excuse me. The 75 megajoules is
23 essentially the interval under this curve?

24 MR. DICKSON: No, it is not the integral under this
25 curve. Of that 75 megajoules it hits, of course, it must be

1 distributed. Some going to the head and some going elsewhere.
2 Our next speaker will address that split of energy.

3 If you take the strain that that force produces so
4 that you get the strain energy, then that represents the fraction
5 of the 75 megajoules that does appear in the head but the whole
6 75 megajoules does not turn into energy in the head.

7 (Slide)

8 From this calculation, this one looks at the point in
9 time of slug impact, which is on it here, but 70 milliseconds
10 or so, and all the points where material is moving in this
11 calculation at that point, upward, the upward kinetic energy
12 is in fact the 75 megajoule number.

13 MR. ZUDANS: One more question, or a couple more.
14 This space above the sodium in the reactor is connected to
15 color gas monitoring systems. It's also connected to some
16 overflow system which functions later on as the independent
17 heat removal system. Not in this calculation, but in the
18 later review would they be broken off?

19 MR. STRAWBRIDGE: No. I will get to that in about
20 two vuegraphs.

21 MR. ZUDANS: All right.

22 MR. STRAWBRIDGE: I have inserted one vuegraph
23 here to respond to a question raised earlier, to heat transport
24 systems and would the same events leading to the head loads
25 cause failure of the transport system piping? In the Rexco Hep

1 calculations that I showed, we do look at the pressure loading
2 at the location of the nozzles, reactor vessel nozzles. Here
3 is the outlet nozzle pressure and in fact, as you can see here,
4 there is a pressure loading prior to impact as the pressure
5 wave gets up to the location of the nozzle before it gets on
6 and the slug impacts the head. You have some earlier pressure
7 peak into that, and later on you see peaks due to reflected
8 waves after you have the impact with the head. But what we
9 have done is to use this loading requirement at the outlet
10 nozzle, another similar loading requirement calculated from
11 Rexco at the inlet nozzle, and then used another calculational
12 tool to predict loadings around the whole system, not only the
13 piping but the components in the primary system and these
14 pressures as you can see here, which would be pressures at the
15 nozzle location and generally around the system, they are
16 generally lower than this but are running 400 to 500 psi range.

17 And those pressures are not sufficient to fail the
18 primary heat transport system piping.

19 MR. ZUDANS: Where was the outlet?

20 MR. STRAWBRIDGE: If this was the most limiting
21 pressure along that piping, then it was used. I can't recall
22 if this was simply used or not, but we looked at the pressures
23 all along the section and chose the most limiting condition for
24 it.

25 MR. ZUDANS: This time scale in milliseconds interests

1 me. I expected it would be in microsecond range in this
2 incident in the beginning. Are you sure there are some peaks
3 there that are not shown in here?

4 MR. STRAWBRIDGE: Perhaps the difference here is that
5 what you are thinking of shorter time frames, you are thinking
6 of what is going on in the core. That could be some of the
7 conditions when you have gone super-prompt critical.

8 MR. ZUDANS: If something happens, how much time does
9 it take for the pressure pulse to propagate to this location?
10 Is that micro or milliseconds?

11 MR. STRAWBRIDGE: That is milliseconds, yes, sir.

12 MR. ZUDANS: Okay.

13 MR. MARK: You will avoid a fair amount of -- this
14 outlet nozzle is 3 feet across.

15 MR. STRAWBRIDGE: Yes.

16 MR. MARK: So sodium will be running out as fast as
17 the 400 psi pressure will move it, which is as fast as it will
18 move it upwards too. That is not in the picture I guess. You
19 will lose a fraction of your sodium slug out these pipes.

20 MR. STRAWBRIDGE: Yes. That is true. But that
21 pushing sodium into the pipe is in fact one of the aspects
22 that is pushing pressure pulse around the system.

23 MR. MARK: I am just saying it will subtract from
24 your -- of what goes on with the pump.

25 MR. STRAWBRIDGE: Oh, okay. Now, in fact, the

1 question was raised, are we raising other areas?

2 (Slide)

3 In fact, this is the list of areas that we have
4 applied structural margin beyond the design basis loads, broken
5 it into two sets. One is basic loads which can be derived
6 from the Rexco type model that I showed you. And that's the
7 various components in the vessel and under the heads and so on.
8 Then you have to take the Part B point loads from Rexco Hep and
9 apply it in some other model and get to the point of these
10 components. That is this list of components: reactor cover
11 gas system, impurity monitoring, and analysis system. So we

12 So we are taking other systems into account here and
13 specifying dynamic loads.

end
T.5B

14
15
16
17
18
19
20
21
22
23
24
25

1 MR. ZUDANS: One more question. With respect to
2 the model, at least the picture you showed did not indicate
3 any deformation on the reactor previously. Was it subsequently
4 analyzed for pressure histories derived in this analysis?

5 MR. STRAWBRIDGE: No. That Rexco calculation included
6 a flexible row in that reactor vessel.

7 MR. ZUDANS: It was just small enough not to be
8 noticed?

9 MR. STRAWBRIDGE: Yes.

10 MR. CARBON: I have no knowledge of Rexco code. Is
11 it a highly complex one? And if so, is it well grounded,
12 well checked, lots of tests against the code to be sure that
13 it's giving you good results; dependable?

14 MR. STRAWBRIDGE: Yes. I consider it to be a
15 well-verified code. It's been tested against different
16 experiments. Not only some of the experiments that I have
17 been showing, but also, FFTF and various kinds of experiments,
18 and I think it's a recognized, well-verified code.

19 MR. CARBON: Against experiments?

20 MR. STRAWBRIDGE: Yes, against experiments.

21 Now, when we performed our analysis of the components,
22 there is a special aspect of margin beyond the design base
23 analyses.

24 (Slide.)

25 These are given design base analysis. I would like

1 to note those load requirements are not part of the ASME code.
2 So they are not included in the stress report showing code
3 compliance. However, we prepare separate reports, stress
4 reports. We may use recent acceptance criteria compared to
5 ASME codes, provided functional requirements are met.

6 SMBDB loads are not combined with seismic loads. I
7 think NRC mentioned there is some relaxation of the acceptance
8 criteria compared to the ASME code, but the basic spirit of
9 the code is maintained. We do not combine seismic loads, for
10 example, with the structural margin within the design base loads.

11 Let me just summarize now what we consider to be the
12 conservatisms -- summarize this portion in what we consider to
13 be the conservatives in the SMBDB loads that we have specified.

14 In the first place, we are looking at a Class 9
15 accident condition, a very low probability condition that is
16 beyond the design base and doing something very special for
17 that condition. The loads that we have derived assume that
18 an HCDA could be an energetic event, even though that is not
19 our best prediction. In fact, we have to get quite pessimistic
20 in order to predict that.

21 Nevertheless, we derived loads on the basis of an
22 energetic event.

23 Isentropic fuel vapor expansion. We have also
24 ignored the upper internal structure, and that is another
25 conservatism.

1 I mentioned at the time that we developed the
2 loads we had a homogeneous core, and now we have a hetero-
3 geneous core. But the fact that we could not change load
4 requirements at that time -- we have provided another level of
5 conservatism by still using these earlier homogeneous type
6 loads.

7 (Slide.)

8 MR. MARK: Well, you showed us a graph of the load
9 on the head?

10 MR. STRAWBRIDGE: Yes.

11 MR. MARK: So many million pounds over so many acres.
12 You didn't show us a pressure history at that point between
13 sodium, but you have it, of course.

14 MR. STRAWBRIDGE: Yes, sir.

15 MR. MARK: How do you take the sodium -- is it still
16 an incompressible fluid or is it put in there so that it really
17 vaporizes?

18 MR. STRAWBRIDGE: The sodium compressibility is
19 treated in the Rexco code. The vaporization you are talking
20 about.

21 MR. MARK: It is going to have a tremendously strong
22 reflected strong pressure wave coming back down the sodium,
23 and it might or might not vaporize it.

24 MR. STRAWBRIDGE: Cavitation pipe mechanism.
25

1 MR. MARK: It will dissipate energy in the sodium,
2 heating it, possibly vaporizing it, certainly compressing it,
3 and that energy is not going to be available for your load.
4 And I am wondering what you do about the equation of state and
5 heat content of sodium under this increase reflected in pressure
6 wave.

7 MR. STRAWBRIDGE: Well, the Rexco calculation
8 includes internal energy in the sodium, and that turns into --
9 much of it becomes heat energy.

10 MR. MARK: Okay. You have a reasonable equation of
11 state for the sodium when this pressure step comes back?

12 MR. STRAWBRIDGE: Yes, I think so.

13 MR. DICKSON: Excuse me, Lee. Dr. Carbon, if you
14 would indulge us, I would like him to go back to the two
15 viewgraphs that showed that loadings on the nozzle, since
16 Dr. Bush just returned and he missed that and he asked a
17 specific question relative to those points.

18 MR. MARK: This is for you, Mr. Bush.

19 (Slide.)

20 MR. STRAWBRIDGE: The question has been raised on
21 if we have a condition in which you can have a very high head
22 load, can that same condition result in failure of the heat
23 transfer system piping. I pointed out that we have considered
24 that aspect, and we have imposed loading requirements on the
25 piping, and this is the calculation of what the pressure versus

1 time history is at the location of the outlet nozzle from the
2 same calculation that gave us a certain high loading on the
3 head that we used for head requirements. This pressure history,
4 one for the outlet nozzle and another for the inlet nozzle, is
5 used in the separate calculation to track the pulses around the
6 piping and to develop dynamic loadings for the piping in the
7 primary heat transfer system.

8 The point is, however, that I wanted to say that the
9 kind of peak pressures that we see here are in the range of
10 400 to 500 psi. They are not extremely high, and they can be
11 readily accommodated by the piping without failure. The
12 difference is that the head load is seeing an impact due to a
13 liquid sludge of material having traversed a certain distance
14 before it impacts the head. You don't see any equivalent impact
15 here, but the total overall pressure effect is something that
16 is quite tolerable, and the piping can, in fact, take it and
17 is required to take it.

18 (Slide.)

19 Now, as shown on this viewgraph, we have identified
20 such load requirements on other connected systems such as the
21 overflow and makeup system, reactor cover gas system, the
22 impurity monitoring and analysis system, so they are all
23 taken into account, and the equivalent type loads are derived
24 for all of the systems. They are all identified in our basic
25 document.

1 MR. BUSH: This says you didn't get a slug. You are
2 assuming a full system on the piping?

3 MR. STRAWBRIDGE: Yes.

4 MR. BUSH: The second thing is, of course, is whether
5 there is a wave that could -- what you are telling me there is
6 that the maximum value is only about 500 psi. I guess I am
7 surprised at that, but most of my experience is in LMFBR, so
8 it's much greater.

9 MR. STRAWBRIDGE: Right, so we have accounted for that.

10 (Slide.)

11 Let me move on just briefly to the assessments that
12 we have made in the structural margin beyond design base
13 area.

14 MR. CARBON: You said that the SMBDB loads are not
15 combined with the seismic loads. It would seem that a seismic
16 event would be as good an initiator as you could think of for
17 an protected loss of flow. Is that not so? Or what is your
18 rationale for not combining the two?

19 MR. STRAWBRIDGE: The rationale is that we are
20 designing the entire plant, including all the shutdown systems
21 for the SSE type event, and in fact, making sure it will
22 perform under those conditions. So we do not think the SSE
23 is a particularly appropriate initiator for the kind of
24 conditions that we are talking about.

25 MR. CARBON: Well, certainly, there is no high

1 probability initiator, but it could seem that a seismic event
2 might be as high or higher than any other.

3 MR. STRAWBRIDGE: Well, a seismic event is an
4 initiator of lack of power. However, that seismic event I
5 would not expect to be an initiator for the other part that is
6 required, which is the failure of the scram.

7 MR. CARBON: But having part of it taking place, the
8 other part of your concern is that the other part does take
9 place when something does cause loss of flow?

10 MR. STRAWBRIDGE: The philosophy that we have used in
11 developing the analysis and choosing what analyses are appro-
12 priate to consider is that we would combine reasonably appro-
13 priate events, though these we call anticipated that would
14 happen once or so over the plant lifetime. We would combine
15 that range of events with failure on scram with something
16 like an SSE. That is extremely improbable by itself. We would
17 not combine that with failure to scram because we would be
18 combining two extremely improbable events as opposed to one
19 more likely and one more improbable.

20 MR. CARBON: But it seems there is possible common
21 mode aspects to this; at least, all the seismic events would
22 seem as likely a cause of loss of flow as anything else that
23 strikes me at the moment for the loss of flow portion, but we
24 are admitting loss of flow is a relatively probable condition.

25 MR. STRAWBRIDGE: That is anticipated, so we will

1 take that as being probable, from whatever the cause might
2 be. It's the failure to scram, the very, very impossible
3 event, and we don't see that being caused by the seismic event.

4 MR. ZUDANS: Could I ask for clarification? What is
5 the timescale? Supposing you had an SSE, what is the time
6 range between that point and the time that you would experience
7 this load?

8 MR. STRAWBRIDGE: Typically, if the initiator we're
9 talking about, an SSE, this could lead to a loss of power. We
10 are talking about on the order of 15 seconds or so to get to the
11 point of sodium boiling in the core and then beyond that to get
12 to the point of any possible condition of energetics, so you
13 would have that kind of timespan at least before you could have
14 additional dynamic loads to energy HCDA.

15 MR. ZUDANS: So they may come on before but not during?
16 That is the way I take it.

17 MR. STRAWBRIDGE: I agree with that.

18 MR. CARBON: Just for curiosity, if they did, would
19 it exceed the acceptable levels?

20 MR. STRAWBRIDGE: I really don't know. I don't
21 think we have analyzed any combination of seismic along with
22 SMBDB loads.

23 MR. DICKSON: Dr. Holtz reminded me that there have
24 been analyses that combined some seismic acceleration with
25 this event, and would you say again, what was the level that

1 it would take?

2 MR. HOLTZ: Howard Holtz, NRC. I didn't say it that
3 way. What I said was that there has been a separate analysis
4 done on seismic margins by Dr. Mallet, which indicated that
5 the heat transfer system piping would take up to a half of a g,
6 which I think there is margin for seismic events.

7 MR. MARV: It seems to me there might be a seismic
8 reverberation conceivably going on, but it wouldn't affect
9 this. It would be shaking pipes, and might affect other systems
10 but it wouldn't affect what was going on in that -- that wouldn't
11 look very serious inside the sodium.

12 MR. STRAWBRIDGE: That's a good point.

13 Dr. Carbon, if it's satisfactory with you, I will
14 propose the next three viewgraphs talk about structural
15 criteria where I did not plan to go into detail. Is that all
16 right with you?

17 MR. CARBON: Fine.

18 (Slide.)

19 MR. STRAWBRIDGE: I will move on to scale model
20 testing which has been talked about some by NRC and I will
21 try not to repeat what they have said. The objectives we have
22 set up for the scale model tests that we have run are first,
23 to assess the ability of such models to withstand HCDA loads,
24 provide an understanding of response and interaction of
25 reactor components, provide information to support methods of

1 verification.

2 To date we have run a threee static test and four
3 dynamic tests performed with scaled SMBDB pressure-volume
4 source that I showed you earlier. That was the one that was
5 used to developpe the head loads and the other loads
6 around the system. The scaled bassed on one-twentieth scale
7 model test size, which we have used.

8 I would like to show one of those static tests which
9 this one happens to be called SM7, which had a head and shield
10 plate under the load similar to one of our tests that I will
11 talk about in a moment. This shows the view here which indicats
12 the three rotating plugs and those plugs testin in a test
13 fixture.

14 The device is pressurized by a fluid from the underside
15 and this is a static test, just looking at the effect as you
16 jack up the pressure under the head, how does the head deform,
17 and what is its failure mode when it finally reaches a failure
18 point? So the results that we get from a test such as that
19 are indicate here.

20 (Slide)

21 Looking at the deformation profile across the head,
22 the three rotating plugs shown across here and for different
23 static pressures under the head plotter here were at a
24 pressure of about 2600 psi in this case. We reached the point
25 where there was disengagement between the large and

1 intermediate rotating plug at this particular location, and
2 you can see things moving apart there, and at that point we were
3 unable to hold pressure in the test any more, and so that was
4 considered equivalent to a failure condition.

5 MR. ZUDANS: This -- this -- does this model
6 represent the actual arrangement in disengagement?

7 MR. STRAWBRIDGE: It was intended to do that.
8 You are going to hear more in the next presentation of the
9 details of that and it turns out that there were some non-
10 prototypicalities that will be considered in a future test that
11 will also be described.

12 (Slide)

13 The dynamic tests that we ran are shown here. The
14 first two dynamic tests were fairly simple. Not showing all
15 the internals.

16 (Pause)

17 What we found in comparing the results of these
18 models is that the kinetic energy of the slug at the time of
19 impact -- at the time of impact with the head in the two
20 cases was done by a factor of two in this case which had the USI
21 and that was one of the things we were looking for out of these
22 first tests.

23 MR. MARK: What was the motivating mechanism here?
24 To get a high pressure somewhere that made the sodium move?

25 MR. STRAWBRIDGE: We placed a special shaped type

1 in the core region, the region in this model, which would
 2 represent the scale core region, and did the extensive
 3 calibration test to insure that we were representing a
 4 pressure volume relationship that we wanted to get and so
 5 putting off that charge in this region then, moved the materials
 6 around, gave you the impact with the head and so.

7 MR. BUSH: That was fluid filled.

8 MR. STRAWBRIDGE: This is fluid filled. The scale
 9 model tests were done with water, not sodium. Now, in the
 10 later tests we were more prototypic. You can see it
 11 starts looking like the real thing. The USI is there. The
 12 head has the three rotating plugs here. It did not have in
 13 these first two early models, so we are getting into more
 14 detail, and I would like to show just a little better view
 15 of this last test.

16 (Slide)

17 This will indicate the kind of instrumentation that
 18 we had available in this test. Just to point out, all the
 19 P's are pressure gauges. SG's are all of the places for
 20 strainign gauges. The A's are accelometers, and WS is water
 21 surface level gauges moving the motion upward of the slug so
 22 that we could find out the velocity of it at impact with the
 23 head so this is a fairly detailed representation of our actual
 24 condition, and we did have various extensive instrumentation
 25 on it.

1 (Slide)

2 The conclusions that we have reached from the
3 scale model tests are shown here. We generally confirmed the
4 conservatism of methods used to predict dynamic loads.
5 We made comparisons of things like strains in the reactor
6 vessel experimentally and compared to predicted. The
7 vessel and core barrel strains well below failure strains.
8 The response of upper internals structure did not jeopardize
9 boundary integrity. The upper internals structure did
10 deform some, but did not do anything that would jeopardize
11 integrity. We showed that in fact the UIS is very important
12 in mitigating the head loads. We determined that the head
13 failure was by disengagement at interface between large and
14 intermediate plugs. We determined that the head response
15 is in fact sensitive to the representation of the under head
16 shielding. The details of that are, in fact, important as
17 we showed in comparing a couple of the tests where we had
18 different types of under head shielding.

19 Now, although the dynamics tests showed that the
20 head plugs and margin rings remained elastic, capability for
21 SMBDB head load was not proved by the tests.

22 We do not consider that the tests we have run have proved
23 the capability for the head to take the required load, that
24 high load with the 160 million pound spike in it, for
25 example, because of two things. There were nonprototypic

1 things in the one I mentioned; and, secondly, the head load
2 was lower than required load because of mitigation by UIS.
3 Now, the head never saw nearly so high a load as what our
4 design requirement head load is. It has not been the
5 project's intent to demonstrate experimentally the head
6 capability for this required SMBDB head load. Since, as I
7 explained, that head was in fact derived from a calculation
8 that totally ignored the UIS, which is in the design. That is
9 an important mitigating effect in the design, and when we
10 performed the scale model tests, we considered that it was
11 quite important to take that into account because in the
12 tests even though we couldn't do it very well analytically,
13 we could exclude the UIS and determine directly its
14 influence, so we did include its effect in the scale model
15 test. However, now this overall approach that we have used
16 up to now has been modified fairly recently as a result of
17 three different things that have occurred. The very complex
18 head model that we have applied -- and we have tried to
19 match that against some experiments. There were difficulties
20 in getting an appropriate match there, and secondly there was
21 another situation -- you will hear more about that in the
22 next presentation.

23 The third aspect is that NRC has recently required
24 that the head capability must be demonstrated
25 experimentally before the actual head requirements, which

1 assuming there is no UIS present, so these three factors
2 have lead us to a revised approach that has been agreed with
3 the NRC.

4 Now, the next speaker, Mr. Pannell, will discuss this
5 approach that we are taking in detail, and he will show that
6 in fact it is feasible -- clearly is feasible to design the
7 head to take the required loading. To do that the approach
8 that we have used is to go back to that original REXCO
9 calculation that I showed earlier and to look at the upward
10 kinetic energy at the time of slug impact and that turned out
11 to be the 75 megajoule number that has been mentioned to
12 date, so we have assumed for purposes of doing this study that
13 that 75 megajoules is all in fact in a slug of sodium that
14 impacts the head, and that is the kinetic energy at the time,
15 so the feasibility studies to be presented by Mr. Pannell
16 will show that the head be able to accommodate energy
17 absorption required to be associated with that 75 megajoules.

18 MR. MARK: Do I have it correct? The 75 is
19 based on the original estimate of some kind which even went
20 back I guess to a homogenous core and is free of recognizing
21 the upper internals structure?

22 MR. STRAWBRIDGE: That's correct.

23 MR. MARK: So you cut it in half if you put in the
24 upper internal structure?

25 MR. STRAWBRIDGE: That's what we found from

1 comparing SM2 and 3 tests. That is the only difference.

2 MR. MARK: The real machine will have an upward
3 internal structure, so you take it out, move the sodium to get
4 75, and the head will stand it? That is your next
5 experiment?

6 MR. STRAWBRIDGE: That's right.

7 MR. MARK: Can you say in the dynamic tests that
8 will be done how that calculated 75 compared with what in
9 fact appeared in that slug? It's one of your things which had
10 no internal structure.

11 MR. STRAWBRIDGE: Maybe Alan Christy can recall
12 details of those calculations.

13 MR. CHRISTY: Alan Christy, Westinghouse. The
14 upward kinetic energy of the slug from the Test SM2 compared
15 very accurately with full scale REXCO calculations from which
16 the SMBDB loads were derived

17 MR. MARK: So that gives you confidence that the
18 75 would appear in such a system?

19 MR. CHRISTY: Yes.

20 MR. ZUDANS: I have a couple of questions if I may
21 ask. You said that you had some difficulties demonstrating
22 the results that you get in a head of this more complex
23 model testing. Did I understand you correctly?

24
25

arl

1 MR. STRAWBRIDGE: Yes. Yes. It is a very
2 complex model.

3 MR. ZUDANS: I understand. There is something
4 else that I would like to put in proper perspective. If
5 the plates are reduced at impact on the head, the energy
6 had to go some place else, and therefore I would expect
7 that your pressure history would be less advantageous in
8 the rest of the system. The tests indicate that in case
9 of the presence for a similar test with shields and without
10 shields, you would have higher peak pressures in the reactor
11 vessel.

12 MR. STRAWBRIDGE: No, we didn't run a test that
13 would show that. The tests -- the dynamic tests tht
14 we ran had the shields represented, so we didn't have
15 two tests to compare one against the other to look at that
16 effect.

17 MR. ZUDANS: But, anyway, because you close the
18 windows, and whether or not there would be a detrimental
19 effect, I don't know.

20 MR. STRAWBRIDGE: Well, as the next speaker will
21 show --

22 MR. ZUDANS: Well, I'm probably going further
23 back. Initially when you had that vessel, the code was
24 used without shield plates. That means that you had a free
25 expansion.

ar2

1 MR. STRAWBRIDGE: Once you look at the real model
2 where you do have upward -- and you have a shield plate,
3 the computed pressure history may not be conservative. The
4 shield plates, in fact, were representative of REXCO.

5 MR. ZUDANS: But the --

6 MR. STRAWBRIDGE: The upper internal structure
7 was not --

8 MR. ZUDANS: And I understood that that
9 represents significant continuation of the load that --

10 MR. STRAWBRIDGE: Yes. That is true.

11 MR. ZUDANS: Then if that is the case, then
12 they tell me that the pressure would increase in the rest of
13 the system as compared to the one that you calculated?

14 MR. STRAWBRIDGE: The calculations did in fact have
15 some shield plates there.

16 MR. BUSH: Let me pursue Dr. Zudans' comments
17 from a different angle. We have had one classic case of a
18 nonhypothetical core disruptive accident, SL-1. You
19 probably get -- you certainly get a severe pressure pulse.

20 Now, the head took that, but the circumference
21 section of the vessel and it was thicker -- in other words,
22 the thickness to diameter ratio was substantially higher
23 than this one. It looked like a rather corpulent individual
24 who had a very large bulge around it which I suspect is
25 the condition here where I get a slugging and the pressure

1 pulse, because I have a thickness to diameter ratio, I have
2 a very large number and -- and reverse number, I guess you would
3 say, and I would have certainly expected under these
4 circumstances that I would dissipate enough energy in that
5 direction that I would get substantial bulging of the vessel.

6 MR. STRAWBRIDGE: I will try to put it in
7 perspective. The solid line is data right out of the
8 SM-4 test which was physically the same as SM-5, which I
9 showed you detail on, and this is the plot of strain along
10 the vessel wall, along this vessel wall, and also strains
11 of the core barrel, this line being the physically measured
12 strain out of the test, and the peak strain is less than 2
13 percent. This is plotted, of course, not to scale. So
14 it looks like a big bulge here, but it is only a 2 percent
15 strain peak, and 1 plus something percent strain in the
16 core barrel, so we are -- yes, getting some bulging, but
17 it is not dramatic bulging.

18 MR. ZUDANS: I looked at this picture before.
19 What is that double wall there?

20 MR. STRAWBRIDGE: Here?

21 MR. ZUDANS: Yes.

22 MR. STRAWBRIDGE: The vessel thermal line.

23 MR. ZUDANS: That is a double wall like that?

24 MR. STRAWBRIDGE: Yes, sir.

25 MR. MARK: If you had some magic mechanism, and since

1 we are dealing with magic potions here, anyway, to vent the
2 gas and then there would be no concern about this whole
3 business at all. If I fill the space with sodium while
4 the pressure is developing down in the core?

5 MR. STRAWBRIDGE: If you had a solid sodium system?

6 MR. MARK: Yes.

7 MR. STRAWBRIDGE: You would not generate the slug impact
8 loads. Would you generate fissures through the system?

9 MR. ZUDANS: How about 273 atmosphere or less?
10 That was peak pressure in the table you gave us.

11 MR. STRAWBRIDGE: Yes. That is a high number,
12 though.

13 MR. MARK? That is 4200 psi?

14 MR. ZUDANS: No. I don't think so.

15 MR. MARK: All right. That is peak pressure.

16 All right.

17 end 5-D

18

19

20

21

22

23

24

25

Cornelly
page 1

1 MR. ZUDANS: Speaking about pressures, I have another
2 question that kept on bothering me. In the pressure history
3 as computed by Rexco it shows that it's over in a few milli-
4 seconds. I am just wondering why is it that fast? Is it out
5 through nozzles big enough to shoot the rest of the volume out?

6 MR. STRAWBRIDGE: No. The outflow through the nozzle
7 is not taken into account through the Rexco.

8 MR. ZUDANS: No?

9 MR. STRAWBRIDGE: No. What is happening, though,
10 is the vessel is in fact expanding some. That is happening
11 on a time scale that causes the pressure to drop down. That
12 is one of the important effects.

13 MR. ZUDANS: If that is the case, it would, of
14 course contract?

15 MR. STRAWBRIDGE: Well, it can't contract where you
16 had two percent strain, but it will contract it about one
17 percent strain. You are talking about the vessel can move?

18 MR. ZUDANS: Yes.

19 MR. STRAWBRIDGE: And that is one of the things.
20 There is some of that happening in the calculation.

21 MR. ZUDANS: I guess even with the argument that
22 you brought up, I am not sure that the Rexco-computed pressure
23 history is conservative. I mean the total HCDA load is con-
24 servative. I am not concerned about it, but that the repre-
25 sentation by the Rexco code may not be because of the absence

1 of load restrictions for the energy escaped to the head. In
2 a vessel or in the rest of the volume, it may be --

3 MR. STRAWBRIDGE: If there is any fluid going out
4 through the piping and so on that is not accounted for, that
5 is a mitigating effect.

6 MR. ZUDANS: But if is not going out through the
7 system and maybe much cannot be out, but because of the
8 resistance of the flow upwards toward the head is less than
9 the real one, the pressure buildup may be higher, and the
10 rest of the vessel --

11 MR. STRAWBRIDGE: We have considered -- I think what
12 you are getting it, if I could restate the area of concern,
13 is by not having the UIS there, can we be developing lower
14 pressure, if the effect of the UIS causes an increase in vessel
15 pressures which we did not consider in the Rexco?

16 MR. ZUDANS: That is what I am saying, except that
17 I don't know what the quantitative numbers are.

18 MR. STRAWBRIDGE: We have information on that from
19 the comparison of the SM-2 and 3 tests. In fact, we saw some
20 slight increase in vessel wall pressure at certain locations
21 in the case where we had the UIS. They were not large in-
22 creases, and they did not occur over the whole range of the
23 vessel, just at certain specific locations.

24 Paul Dickson, I believe, has a comment.

25 MR. DICKSON: Yes. In an Argonne paper in 1972,

1 a pyramidic analysis was done. They let the bolt stretch
2 and varied the thickness of the wall. That gets the same
3 effect you are talking about, and it does make an effect in
4 partition of energy, but it's not gross. Over a large range
5 of wall thickness you are talking maybe 30 percent more going
6 to the head or to the wall.

7 MR. ZUDANS: It would be qualitatively the same but
8 not to the same time frame, because before the effect can
9 dissipate you have to reach head first. UIS would create
10 high pressures before the head is reached, so it is not quite
11 the same.

12 MR. DICKSON: It's not exactly the same, but it's
13 as close as we can relate to right now.

14 (Slide.)

15 MR. STRAWBRIDGE: One reason I am not terribly
16 concerned about that is the fact that going back to this one
17 again where we are saying strains less than two percent --
18 remember, that any failure is out here at ten percent or
19 something -- so even if loading did go up, there is still the
20 capability in the system.

21 MR. CARBON: We have to move on quickly.

22 MR. ZUDANS: Just one question. Do you have a slide
23 that shows the tests that compared with and without UIS strain?

24 MR. STRAWBRIDGE: I don't have it handy right here.
25 I may have -- that could be dug out to show it to you perhaps

1 later.

2 MR. ZUDANS: Okay.

3 MR. CARBON: Let's move on.

4 MR. BUSH: Well, I can -- I am not getting an answer
5 to this, I don't think. I am not sure that the energy distri-
6 butes itself fairly uniformly. In SL-1 it acted as if the
7 energy was in a relatively narrow band as if you sheared
8 across like this, and that says that if I have a certain
9 amount, it is going to be a completely different way than if
10 I sheared it along the wall as contrasted if I put it in narrow
11 bands.

12 I think we are talking about highly hypothetical
13 things, but I am -- I think I have the same concern as you do.
14 I don't -- I am not convinced that the Rexco code models it
15 as I suspect it might.

16 MR. DICKSON: Rexco did give a conservative predic-
17 tion for the amount of strain as compared to --

18 MR. STRAWBRIDGE: The energy is not distributed
19 uniformly. It bulges more at the top, and there was 1.4
20 percent strain in SM-2 and 2.8 percent in SM-3.

21 MR. CARBON: Still a large margin to a ten percent
22 or so strain.

23 Move as rapidly as you can.

24 MR. PENNELL: I will be as brief as I can.

25 MR. CARBON: Go ahead then.

1 MR. PENNELL: Bill Pennell, Westinghouse, Falls
2 Mills site.

3 I will go through this rapidly. Here is the material
4 I plan to cover. First of all, I will give you a brief
5 walkthrough of what the closure head looks like and point out
6 the elements of it that are key to the discussion that will
7 follow. I will then look at the evaluation of the test results
8 and show you how we diagnosed the actual mechanism of failure
9 and thereby determine what we had to do to correct that, put
10 the failure pressure up to a higher level. I will then show
11 you how modifications -- and we will then see energy absorption
12 capability that is predicted for the modified head.

13 There is very little of it will be based on the
14 Rexco analysis. Then I will show you the tests that we planned
15 to back up the presentations, and then I will summarize
16 anticipated performances as it exists today and as it will
17 exist when we make the modifications.

18 Here is the closure head.

19 (Slide.)

20 Note that here we have the actual structural plugs.
21 This is the small rotating plug. We will say nothing more
22 about that.

23 The intermediate rotating plug and the large one.
24 Note that they are joined together by these risers -- the
25 riser assemblies. The riser assemblies have significant

1 shear thickness, and they were not represented in the SM-8
2 tests. Under the head you have three heavy shield plates,
3 and these shield plates we know from test performance in a
4 manner that is exactly similar to the deformation that occurs
5 in the large rotating plug. I am talking about the static
6 pressure tests here where the pressure was applied to the
7 underside of these plates. You find that the large rotating
8 plug is the only member and the associated shield plates the
9 only ones that undergo any significant plastic deformation.

10 The intermediate rotating plug is almost a rigid
11 mode relative to the deformation. That occurred here. These
12 elements are almost unstrained after the test. There is a
13 slight curvature, but it is very modest.

14 The other point here -- and here are the margin
15 shearings. The margin shearings were present in the test,
16 the SM-8 test. There is on top of the margin shearing -- and
17 you will see a larger scale picture -- there is a keeper ring,
18 a continuous keeper ring. In the context of the discussion
19 we will have today it's important that it fills up the space
20 between the intermediate rotating plug and the large rotating
21 plug, and you will see the failure mechanism was in large
22 measure due to the fact that the IRP was able to slide laterally
23 and thereby the margin shearing was allowed to come out of the
24 engagement. I will show you that in more detail in a
25 moment.

1 of excess material here, it wouldn't have been necessary. The
2 calculated defects of this -- actually, it's a two-plug,
3 segmented plug. The calculated plastic defect capability is
4 more than adequate to deal with the 75 megajoule slug.

5 The fact that there was a previously undetected
6 canomatic interaction at the lower edge would still have
7 made the disengagement earlier, but we know how to correct
8 that.

9 MR. ZUDANS: You don't have a cross-section of where
10 the head connects to the vessel?

11 MR. PENNELL: Yes. You have a better picture than
12 I have in your handout. In fact --

13 (Slide.)

14 -- I will use my backup vu-graph to show you this.
15 Here is the SM-8 test results. We used these test results
16 because the configuration of the under and head shielding was
17 close to prototypic. Here you see a series of profiles
18 corresponding to different static pressures in the region
19 below the head. The pressure was applied in the small
20 cavity and the bladder sealed this annulus.

21 One point to note is that the annulus over which
22 the pressure was felt in the model was only up to this radius.
23 In the actual prototypic head it would be up to this radius,
24 and you will see more about this later on. So as the pressure
25 built up here, the underside of these plates felt the pressure,

1 The other point to mention relative to the observa-
2 tion that was made earlier about the role of the bolts is that
3 this design is quite different from the AFPP design in one
4 important effect. The periphery of the AFPP closure head --
5 that was a fuse in the system.

6 Basically, what you have here is another margin
7 shearing at the outer periphery of the large rotating plug,
8 and that is the reason we don't get a large amount of strain
9 energy in the bolts in this design.

10 There are bolts that attach to the system to the
11 steel structure here, and they have a modest amount of energy
12 in them, and I can show you the calculations of the energy that
13 is deposited in them, but it's a relatively modest amount.
14 That is a big difference between the AFPP system and this
15 system.

16 The triple rotating plug wipes this entire area,
17 and there is nothing I can bolt this to. I must have a
18 rotating joint tip now. The load path, if you imagine yourself,
19 impulsive loading goes downwards and upwards, and there is
20 downward impulse which is counteracting that, and there isn't
21 a large flexible element between the head and the vessel.

22 On FTF that wasn't true. It was designed to be
23 the major flexible element in the system. It was not deemed
24 to be necessary on this design to do that. This is the
25 D ring. I think that you will see that, but for a little bit

1 and we know from test efforts that that is the way the pressure
2 is applied, and basically the entire head deformed upwards.
3 Although it doesn't appear here, when you look at the actual
4 model head, this intermediate rotating plug is almost a flat
5 disc. However, there is marking coning -- permanent coning
6 deformation on the large plug; and if you now look at that
7 large rotating plug and compared it with what is happening
8 to the intermediate rotating plug, you see that at this inter-
9 face a large mismatch. Whereas --

10 Now, you have to remember this is a small rotating
11 type, so the other interface between the large rotating plug
12 and the intermediate plug -- and here you see the same direction
13 they are going. There isn't a slope mismatch. That is
14 important in that what it did was to permit the interfaces
15 to remain approximately the same in terms of relative geometry
16 at this interface, but there was a gross slope discontinuity
17 at that face, and we had the head contacting at this bottom
18 corner, which I hope I can show you in the next figure.

19 Your figure is better than the one I will use, but
20 I don't believe the one you have would have projected correctly,
21 so if you excuse my use of this, here again is the large
22 rotating plug.

23 (Slide.)

24 Red is the intermediate rotating plug, and as you
25 got up to the condition that corresponded to the point of

1 disengagement, and in fact at some point before it -- this
2 point here, which corresponds to a real point, the geometry is
3 not exactly correct.

4 This point came into contact here. Because there
5 was no riser represented here, and once this comes into contact
6 here, the further hinging -- since there would be no displacement
7 from one relative to the other here, related in the overall red --
8 this would simply be pushed bodily sideways inside the large
9 rotating plug, and that continued until such time as it simply
10 was pushed out of the engagement at this elevation.

11 See, it's pivoting about that, and you are pulling
12 away here from the margin shearing. Now, the action of the
13 risers would have prevented that or would have tried to prevent
14 it. And furthermore, had there been the correct margin
15 shearing, keeper rings here, they would also have prevented that
16 lateral motion to a degree, but those elements were missing.

17 Of course, the big thing that should have been missing
18 was that interference. If we had just had a little more
19 clearance there, we would never have gotten in effect -- in
20 fact, that is the essence of the modification. It just takes
21 a little relief machining there, and we don't get the reaction
22 that led to the failure in the first place.

23 You see two layouts here. From the information we
24 had previously, it wasn't clear what the layouts were made --
25 when the plug could slip all the way over here or just as far

1 as -- in that particular layout it indicated it had to go.
2 This was the minimum it could go. This was the maximum it
3 could go. The significance is if it was only going this
4 minimum amount to shear off the corner of the margin shearing.
5 If it was going the maximum amount, it would actually clear
6 the margin shearing, but we since got the head model and we
7 examined it, and we know the lower picture is more correct.
8 In fact, I will show you photographs taken of it, and you find
9 that at the point of disengagement there was very little
10 scraping away of material at that interface. It moved over
11 far enough that it could move out with actual clearance.

12 Let me show you the photographs. This is a composite
13 of the photograph of the models.

14 (Slide.)

15 This is the SM-8 model, and you are looking down
16 on the top surface of it. Recall at the start of the test
17 this annular gap and this annular gap were the same width.
18 You can't close them completely because the abutment down
19 below is the thing that contacts, but you can see that the
20 IRP has moved bodily over some.

21 This gap is closed as much as it can, and this is
22 wide up, and you can see the margin shearing sitting there.
23 It's a segmented ring, and you can see the clearance. The
24 plug comes right up by it so the mechanism was a rather
25 straightforward canomatic mechanism.

1 Were it not that we finished the machining of the
2 head, there would be no difficulty in doing it at all, but
3 having determined, we understood this failure mechanism and
4 just --

5 (Slide.)

6 Just for the record, here is the conceptual sort of
7 modification we will be making. Basically, we have to take
8 a skim cut here and skim cut on the shield plates here. They
9 give the interface the clearance required to hinge through the
10 required deflection without getting the interaction, without
11 pushing the plug sideways.

12 MR. SHEWMON: From the figure that we have, it would
13 seem to me that it would rupture at the other side or separate
14 from the other side of the I guess third interface in. I
15 guess between red and blue on what you have there.

16 MR. PENNELL: Yes, I know what you are referring to,
17 and it reflects the fact that -- and I apologize for this --
18 but at the time the drawings were made, we didn't have an
19 adequate understanding of that interface. You actually have
20 to see the three-dimensional -- and you are referring -- I
21 don't know if this will show it.

22 (Slide.)

23 MR. SHEWMON: But I misread from this --

24 MR. PENNELL: If I remember, I said disregard the
25 small rotating plug, the small rotating plug which appears to

1 be almost on a point of being able to come out. The small
2 rotating plus is not accurately represented. We have looked
3 at models, and the small rotating plug is firmly engaged, but
4 the IRP is of concern.

5 The IRP modification is the one we are concentrating
6 our attention on. Now, this --

7 MR. ZUDANS: Could I ask a question with respect
8 to this? Although it's clear that machining this point -- you
9 would not have this disengagement effect locally. If you are
10 not changing anything, then the physical possibility for the
11 entire intermediate part to move in your picture to the right --
12 still there?

13 MR. PENNELL: No. You remember I emphasized in the
14 model, the risers were not present. Now, the risers constitute
15 normally stiff short beams. For this red plug to move laterally
16 relative to the green plug, you have to shear that riser,
17 and that riser is very stiff. It's not as stiff as the
18 reactor vessel, but you are talking about that order of
19 magnitude.

20 MR. ZUDANS: I don't see where the riser is
21 connected.

22 MR. PENNELL: Well, okay. Let me put back up the
23 picture of the closure head.

24 (Slide.)

25 Now, the closure head, here is the intermediate

1 plug, and there is a cylinder that is bolted to the intermediate
2 rotating plug and another cylinder here. At the top ends
3 they terminate in fairly heavy forged rings, and then the
4 rings are connected by a large bearing.

5 MR. ZUDANS: Okay. That is where the bearing is
6 located.

7 MR. PENNELL: That is where the bearing is located.
8 And you have a sinusoidal shear distribution from the IRP to
9 this cylinder. It goes up to the top at the bearings. Since
10 you are only transmitting normal loads, and you will get 90
11 degrees interface, so that angle enters there, and then the
12 outer space, and then it comes back down as a sine direction
13 to the large rotating plug, and that was absent.

14 Once you take away the forcing function, that will
15 keep the plugs centered.

16 Now, the additional centering mechanism -- it's
17 a -- it is the presence of the shearing keeper ring which in
18 the context of this discussion you can simply regard as a
19 radial packer. The plugs can't move laterally one relative
20 to another more than the amount of gap between the margin
21 shearing keeper ring and the plug.

22 Does that answer the question?

23 MR. ZUDANS: Yes.

24 MR. PENNELL: Now, having determined what the
25 mechanism was, we concluded we knew how to make that go away.

1 The next problem was to determine what the energy absorption
2 capability of the head would be once we made it go away.

3 (Slide.)

4 We determined that we would rely on test data and
5 basically here you see the test data from the SM-8 test. These
6 are two points on either side of the plug, IRP and the LRP,
7 where the failure occurred.

8 See, you have here the nonlinear tail-end section.
9 If you look at the test results about here, disengagement
10 between the plugs started to occur, so that is what this
11 represents.

12 Now, in order to extrapolate these concerns, we
13 have to do a number of checks. First, we checked the elements
14 with straining plastically. We found it was only the large
15 rotating plug, and therefore, we had a basis for extrapolating.
16 We checked the strains that we get in the larger rotating
17 plug. If we extrapolated that part of the curve -- the
18 strains that we got when we extrapolated up to 3,000 -- and
19 the significance of that will become apparent later -- we
20 have the order of 1.2 percent.

21 The uniform elongation at the operating temperature
22 is about 7 percent, so we were nowhere close to the limited
23 uniform elongation, so we determined that we were in a
24 region where stable post-yield of the large rotating plug
25 would continue, and we extrapolated the curves, and I will

1 show you a typical extrapolated curve.

2 (Slide.)

3 In this manner we went up to 3,000 psi because in
4 separate analyses we surveyed the limiting strengths features
5 on the head and determined that the strengths of the joint
6 between the large rotating plug and the vessel phlange was
7 the next limiting factor.

8 Now, it's important to reference that we have gone
9 from a defect-limited problem to a strength-limited problem.
10 Three thousand psi corresponds to the failure mode of that
11 joint. I have data to show where that was derived, if anybody
12 is interested; but I don't plan to present it otherwise.

13 Basically, our acceptance criteria limit us to 90
14 percent of the load. We are using collapse criteria. The
15 failure load is built on the actual as-built properties. We
16 are allowed to go up to 2,700 psi.

17 Now, basically what you will see in the next curve --

18 MR. ZUDANS: I would like to dwell on that curve.

19 MR. PENNELL: Surely.

20 MR. ZUDANS: I can't quite perceive that you can do
21 it -- since you are now in the inter -- I can't see how you
22 can extrapolate. My feeling is that there is a point that
23 it will be asymptotic.

24 MR. PENNELL: It's continuing to rise in a very
25 stable manner, at 1.4 percent, another .2 percent strain. At

1 this point we would predict about between 1.1 to 2.4. I
2 agree with you. It will become asymptotic, but that is at
3 the point of uniform elongation, and that is about 7 percent,
4 so my reason for saying extrapolation is valid is that I am so
5 far away from that point.

6 MR. ZUDANS: Talking about here a relatively narrow
7 ring with variable widths.

8 MR. PENNELL: That's correct. That's correct.

9 MR. ZUDANS: And this ring produces -- once you reach
10 certain deformation, it will just flip over?

11 MR. PENNELL: We are very far from the stability
12 limit. If you look at the geometry, we are talking about --
13 I should have emphasized the point, but this geometry here --
14 this is -- you have an accurate layout of it in your hands,
15 but this actually does represent the deflection that we are
16 anticipating going up to. You can see you are very far from
17 the stability limit on that.

18 MR. ZUDANS: Now, this is actual deformation?

19 MR. PENNELL: This is obtained using the extrapolation
20 technique I just described, but basically the deflections up
21 to this point are germane to the concern about a stability
22 limit.

23 I agree with you. If I tried to go up further --
24 if I tried to go to 7 percent, I am sure I would get into
25 instability, but we satisfied ourselves we were far away from

1 it.

2 MR. ZUDANS: And that is --

3 MR. PENNELL: You remember 3,000 was what I said was
4 the limit of the load. We are only allowed to go to 90 percent
5 of it, so that is -- that is the flexion. That is the deflection
6 that corresponds to that.

7 MR. ZUDANS: It is far away from any trouble?

8 MR. PENNELL: Yes.

9 MR. ZUDANS: The small ring section, I guess it is
10 made rigid by other elements.

11 MR. PENNELL: There is one effect I ought to
12 emphasize here; the effect of the margin shearing keeper ring
13 is coming into play here. Remember, this wasn't present in
14 the original test, but you can see now that that ring has
15 rolled to the point where it has come into hard contact with
16 this. That prevents further rolling of it.

17 MR. ZUDANS: Since all of that load has to really
18 go through that last shearing?

19 MR. PENNELL: Through here, yes.

20 MR. ZUDANS: If you check that cross-section.

21 MR. PENNELL: Yes. That's where my 3,000 psi came
22 from.

23 (Slide.)

24 I think this picture will illustrate the area you
25 are concerned about. The margin shearing is in here, but, yes,

1 we checked the strengths of this joint. The actual limiting
2 strength was governed by the shear out of this material here.
3 Unfortunately, the cutout isn't shown here, but that was the
4 weakest piece of material. The shear out here plus the strength
5 of these bolts. These bolts added about -- the bolts account
6 for about 270 psi, and the shear -- the margin shear ring
7 actually shearing out of the material in the vessel phlange
8 accounts for the balance.

9 MR. ZUDANS: To the right?

10 MR. PENNELL: This is the vessel phlange, and this
11 is a plug, and the artist stopped short of showing the margin
12 shearing, but that is -- the abutment begins here, which the
13 shear ring rests.

14 MR. ZUDANS: And this is divided?

15 MR. PENNELL: It is not a single piece. Yes, but
16 it has a continuous keeper ring.

17 MR. ZUDANS: What is that?

18 MR. PENNELL: You have to put the margin shear ring
19 in after the head is loaded. You put it in and slide it
20 into the grooves that are not shown, and then you bring down
21 a continuous ring that goes into this opening.

22 MR. ZUDANS: And the shear ring position -- where --
23 it is selected so that it is --

24 MR. PENNELL: The shear ring has no toroidal bending
25 in it. It's driven into the receptacle that it sits in, and

1 just pure compressive load is all. In the tests the keeper
2 ring wasn't even present, which is the only thing that --
3 there was no toroidal bending. There was no toroidal bending
4 resisting capability.

5 MR. ZUDANS: I guess that is a typical location
6 anyway.

7 MR. PENNELL: Yes. We treated it as such, and our
8 assessment was that it was the thing that next limited the
9 strengths of the head and the 2,700 psi was devoid from an
10 analysis of that joint. That used actual archive materials,
11 test data, and the limited analysis.

12 MR. ZUDANS: Thank you.

13 MR. PENNELL: Okay. Now, moving onto the result
14 of that extrapolation.

15 (Slide.)

16 In the SRI report there was a pressure deflection
17 curve, a volume change. This is, if you will, the swept
18 volume under the domed head. Here you see it for the SM-8
19 test. This represents about the limit of capability of the
20 head as it exists then. It's 90 percent of the maximum load,
21 2,010 psi, that the head was available to withstand; so if
22 you were to do an energy absorption capability of the head
23 as it existed then, you would integrate the area under this
24 curve up to this point, line 6, with extrapolation of the
25 deflection curves using the straight line extrapolation

1 technique that I just outlined. Failure occurred at 3,000 psi.

2 Whether we will get nonlinear disengagement with
3 the modification I can't tell you. It is not germane because
4 we are only allowed to use 90 percent of that pressure, and
5 so we can integrate now up to this line marked 4. So basically
6 with the modification in place and the elimination of the
7 canomatic disengagement mechanism, this area represents the
8 energy that you can absorb prior to that from the existing
9 test data. This represents the energy that you can absorb.

10 I am sure it's clear from the discussion up to this
11 point, but there is the potential for error in this. A number
12 of the interferences that I looked at were determined by
13 graphical layout. There is always a potential for them being
14 in error. The reason I don't get too excited about that, the
15 area under this curve is substantially in excess of that
16 which we need, and I will show you those numbers in a moment.

17 MR. ZUDANS: I guess it has been pointed out that
18 this is how much energy you can absorb, but that is not the
19 energy that you can dissipate.

20 MR. PENNELL: I haven't got to that point. I agree
21 with you. This is how much energy we can absorb, and I will
22 give you actual numbers momentarily, but the thing I believe
23 that I have to address is how much energy we can actually
24 deposit in the head. Before I get to it, I will pick up
25 a point that came up earlier on. Here are some additional

1 sources of energy absorption capabilities that are additional
2 to those that I described up to this point. You remember
3 earlier on I showed you that the model area was a slight
4 underestimate of the pressure area that existed in the real
5 closure head. This is the correction for that. I am using
6 engineering -- mechanical engineering rather than megajoules.
7 I will convert it back later, but I think it's 8 1/2 times
8 10^6 .

9 Here you see that area correction gave us 36 times
10 10^6 pound inches. Simply raising the head through the domed
11 elevation that we anticipate that it will go to -- it weighs
12 about one million pounds -- gives us 5 times 10^6 pound inches.

13 The reactor support strained energy, which was the
14 subject of the earlier discussion, attributes about 11 times
15 10^6 pound inches, and adding those together gives me 52 times
16 10^5 pound inches.

17 When I compared that to the numbers I am getting
18 from the head, you will see they are very small. Don't react
19 to the 22 megajoules. I will give you that explanation next.

20 Dr. Zudans, I can go through the derivation of
21 this. I know you were concerned that that seemed like a
22 prime energy absorption location, and it's a rather low
number in my record.

24 MR. ZUDANS: Well, the way it's designed, it's
25 not so.

1 MR. PENNELL: Well, then I won't go through that
2 if that's all right.

3 (Slide.)

4 This is the calculation that determined the amount
5 of energy that you were going to deposit in the head. It's
6 a very simple momentum calculation. What we have is the
7 mass of the slug over the mass of the head plus slug combined
8 giving us a velocity of that combined slug after impact. This
9 assumes an instantaneous transfer of momentum. The kinetic
10 energy is pressed here, and following the algebra through,
11 you got the kinetic energy that will be deposited in the head --
12 and assuming inelastic collision -- and I will come back to
13 that in a minute -- has been deposited in the head being 1.95
14 megajoules out of what started out at 75 megajoule slug.

15 Where is the rest of the energy? A quick water
16 hammer type calculation shows you that about 40 megajoules
17 at the instant following impact is potential energy right there
18 in the slug. It goes on to strain vessels, and we believe to
19 create violent turbulence in the slug. It is a rather simple
20 calculation, and we'll show you that is the home of more
21 than 50 percent of the energy at the instant immediately follow-
22 ing impact; but this level of energy we still believe to be
23 significantly on the conservative side. I base that statement
24 on the results from the Rexco analysis produced by ANL where
25 they would be getting something like half of this number.

1 Perhaps we are a bit less than that. So that then is the
2 amount of energy that a 75 megajoule slug may deposit in
3 the head, and I believe it's a conservative estimate of it;
4 and I will compare the energy absorption capability of the
5 modified head that I just showed you with this energy -- and
6 again, we will be working in pound inches, so 173 times 10^6
7 pound inches is the amount of energy I need to absorb, and
8 we will now look at what I can absorb.

9 (Slide.)

10 This curve represents nothing more than the results
11 obtained from integrating under the prior curve. Remember,
12 I had two balloons on the prior curve -- one corresponding
13 to the usable energy in the head as it existed, and here you
14 see it, and it's about 94 times 10^6 pound inches. I need to
15 be able to accommodate 173, so we are short. With the modifica-
16 tion in place, the head alone can accommodate 308 times 10^6 .

end
Graham
Tape 5-E

18
19
20
21
22
23
24
25

T.5F(8)

1 to see whether there is toroidal bending.

2 MR. ZUDANS: Since that is a critical area, I think
3 that you probably, hopefully, will find it unique.

4 MR. PENNELL: I think that I just got a strong head.

5 MR. DICKSON: Dr. Griffin of Westinghouse will
6 respond to a question asked earlier.

7 MR. GRIFFIN: Dr. Bush asked a question about the
8 duration of weld data that we have. The data that I was
9 referring to in the range of 900 to 1000 degrees and all the
10 data I could dig up in the last couple hours is also in the
11 range of 900 to 1000 degrees. There is no significant effect
12 of the welds. Now, the data I have in the range of 900 to
13 1000 degrees Fahrenheit is in the range of pre-exposure.
14 Well, it's -- this sum after 1000 and a few points after 2000.
15 In all of these data they show that the various effects are
16 negligible.

17 I don't have specific data at the moment. I presume
18 it exists for less than 800 degrees.

19 Did you have some specific data that you were
20 interested in?

21 MR. BUSH: I have looked at the casting. You get
22 some embrittlement in the 600 Fahrenheit range.

23 MR. PENNELL: The amount is not significant.

24 MR. BUSH: I simply do not like to see the statement
25 that there is no problem without some backup on it.

T.5F(7) 1 information I want you to hear. There is something about the
2 testing that you need to be aware of. The yield strength of
3 materials was tailored as best we could to match the hot yield
4 strength of the material in operation. You can't do an exact
5 job and it turned out the yield strength was a little bit higher.
6 That means that for the head as it exists today, the predicted
7 energy absorption is a little higher because it was a deflection
8 limit, if you will. The kinematic interaction was -- and if
9 you change from that and you go to a stress-limited situation,
10 which we now have, what happens is when you extrapolate the
11 curves, you slightly underestimate the energy-absorption
12 capability because to get to the same load, the head will dome
13 a little bit more and neither effects are very significant,
14 but basically they are present.

15 MR. ZUDANS: The previous model that you showed in
16 the head cross-section didn't seem to resemble head closure.
17 Were these tests 9, 10 and 11, is that the head closure and the
18 vessel flange?

19 MR. PENNELL: We are still doing analyses to see
20 whether that is necessary. The margin-keeper rings. They are
21 all represented.

22 MR. ZUDANS: Whether it's strong enough or not will
23 determine what --

24 MR. PENNELL: It's going to be prototypic in the
25 local area. What we are doing is -- we are doing the analysis

T.5F(6)

1 Here is an analytical model that was used to assess
2 load transfer under dynamic loading from the vessel and the
3 head not shown here. Through the vessel flange down through
4 the spring, which represents -- you can see the bolts here
5 and down through a spring that represents the steel support.
6 That load transmission -- that load was subjected to combined
7 loading -- you see here, the pressure -- the pressure history
8 acting downwards through the core support structure, the vessel
9 wall and acting downwards, you see here, the upward pressure
10 history which is the same that Lee Strawbridge shows, and this
11 combined history was imposed on that model. The resulting de-
12 flection and load transfer is shown here.

13 Here you see the vertical displacement. Here you
14 see the force. This gives us the 11 -- I think it was 11 times
15 10^6 pound inches, but you can see the topping out. You are
16 yielding those bolts a little bit, but there is not a lot of
17 deflection here.

18 MR. ZUDANS: Yes, you gave me more detail than I
19 wanted to hear, but that is fine. The weakest link in the
20 head structure is really now not a large part, not the head
21 itself, but the joint between the head and --

22 MR. PENNELL: Yes.

23 MR. ZUDANS: And that does not compromise the 150?

24 MR. PENNELL: No, it does not compromise the 150.

25 No, it does not compromise it. There is another piece of

1 had we noticed this effect that Mr. Pennell described, we would
2 have been able to take 75 megajoules now, and we may be able to
3 when the test is done properly.

4 MR. MARK: All right. And the upper head is good
5 enough to take that 75 back down to 50 or below in real life?

6 MR. DICKSON: If we have to, we will shave the head.

7 MR. MARK: But all of this will be gone through
8 tomorrow?

9 MR. DICKSON: Yes, sir.

10 MR. MARK: Thank you.

11 MR. ZUDANS: That's a figure to show the load capa-
12 city of the shield and the other rings?

13 MR. PENNELL: I will explain about that. The joint
14 between the shear ring and the vessel itself is designed in a
15 rather unusual manner. What is required is that the fabricator
16 of the attachment bolts have a bolt yield strength for the
17 material. The as-delivered certification. Then the actual
18 diameter is dimensioned such that the throat area of the bolt
19 is tailored with that yield strength to limit the load trans-
20 mission capability of the bolts to the ledge to 50 millipounds.
21 So you can't get significantly higher load being transmitted
22 there. Now, you might ask is that going to yield -- and I
23 think I should show these very quickly because it will clear
24 this point up.

25 (Slide)

1 apologize. It was good for 75 with a high level of competence.

2 MR. MARK: What is the 150?

3 MR. PENNELL: That was to limit why I had a high
4 level of confidence. You are basing it on graphical extrap-
5 lations.

6 MR. MARK: The points at 150 which you don't want to
7 lean on, of course, at all?

8 MR. PENNELL: That's correct. That's correct.

9 MR. MARK: Which would, of course, point at the same
10 level that the Staff's old 1000-plus megajoules would point at.

11 MR. PENNELL: I hear a ratchet clicking.

12 MR. MARK: No. No. It will come up tomorrow, and
13 we will learn the current status.

14 MR. DICKSON: If I can understand where you are lead-
15 ing, I don't think it is quite like that. When we did our
16 original analysis, we did it on a conservative basis, as Mr.
17 Strawbridge explained, and did not include the mitigating effects
18 of the upper internals, and we required our head to take that
19 kind of load. What the NRC is now saying to us, since you
20 designed for it, we don't want you to back off on it and take
21 advantage of the mitigating features. It's not quite the same
22 as ratcheting.

23 MR. MARK: So you are telling us that you think you
24 are okay at 75 megajoules?

25 MR. DICKSON: That is what we designed for, and

1 tubes. They absorbed negligible energy. They trimmed the
2 spike of the pressure curve. They were a load spreader, if
3 you will. It turned out on this head when the designers went
4 through it that they found it was more than trimmed out by the
5 nature of the large under-the-head shield plugs and they didn't
6 need the crushed material.

7 MR. CARBON: Any other questions?

8 MR. MARK: There was a time about five years ago,
9 maybe seven -- you had 661 megajoules.

10 MR. PENNELL: Yes.

11 MR. MARK: The Staff at the same time was saying
12 something approximately twice that was necessary. Have they
13 now joined you in saying that the 661, which is also what
14 translated equal to your 75 -- that that is a satisfactory level
15 to work against?

16 MR. PENNELL: I am going to ask someone else to
17 answer that.

18 MR. DICKSON: That is on tomorrow's agenda.

19 MR. MARK: Of course, we can --

20 MR. PENNELL: My understanding is that we don't
21 get anything like that.

22 MR. MARK: I think so, too. Then in addition you say
23 you are prepared, on paper, anyway, to say that your design
24 ought to be good for 150, which is twice that?

25 MR. PENNELL: If I gave you that impression, I

1 will have two static tests. Depending on what those static
2 tests tell us, we will run a 75 megajoule scaled appropriately
3 slug test with no UPS inside the vessel, and that will be the
4 final demonstration that we have a head that can take that slug.

5 Now, bear in mind I had capability to take substan-
6 tially greater than that on paper, and that gives us the
7 assurance we need to feel confident that that test will be a
8 success. We don't have to be correct in all the elements of
9 the analysis I showed you. Here is the summary of what we
10 believe.

11 (Slide)

12 Here is the existing head. There is an increment
13 of additional energy absorption that can go in there that I
14 haven't added in, but basically it has 94×10^6 pound inches.
15 If you conduct it through the conversion from slug energy to
16 energy deposited in the head, corresponds to a slug energy
17 of 40.8 megajoules, which I think is the number Howard mentioned
18 earlier. It can go up to -- we only need 75, and we don't
19 plan to test it beyond that. We are confident that the head
20 can accommodate the energy delivered to it, and that completes
21 what I have to say.

22 MR. ZUDANS: Did you at any time during the design
23 process -- did you consider the pressure material?

24 MR. PENNELL: It was done on the FFTF reactor. I
25 was directly involved with the design of that. We had crushed

Ron/
Rabb
T5F (1)

1 The increment due to the corrections and the small
2 motion of the support gives me an additional 52, giving me a
3 total of 360 times 10^6 . Now, it's true to say that I would
4 have an increment that I could add to this energy absorption
5 capability too. It wouldn't be quite as large as that, but
6 nevertheless, it would fall way short of the 173.

7 Now, I must emphasize when I say that there is in
8 this test some very important features that would have increased
9 the strength of the head and therefore its energy-absorption
10 capability was missing from the test, so we do plan to rerun
11 that test. The SMA test. With those features in the model --
12 and we will be revising that number, and depending on what the
13 test tells us, we either will or won't need to modify the head
14 configuration, and that is why I see in the table of tests that
15 you have here one more test that Howard Holtz mentioned, and
16 my numbers are slightly out of sync.

17 (Slide)

18 Here you see the repeat of the static pressure test
19 and the model is the existing head geometry, and it has proto-
20 typic representation of the riser, the keeper rings, and the
21 shield plate support cylinders, so those additional items will
22 be in that test. We plan a static test which is going to be on
23 a geometry which is identical with this, apart from the fact
24 that the machining relief that we identified as being necessary
25 to take away the kinematic interaction will be present, so we

T.5F(9)

1 MR. GRIFFIN: According to some data by Wilder, it
2 runs out to 67,000 hours at 900 degrees Fahrenheit. He found
3 none. Apparently the delta feroid would not change.

4 MR. BUSH: You have three embrittlement mechanisms
5 in this range, and I expect -- what I would represent -- not
6 about 4 or 5 percent delta feroid. I wouldn't expect anything.

7 MR. GRIFFIN: If we can pursue it further.

8 MR. BUSH: No.

9 MR. GRIFFIN: Thank you.

10 MR. CARBON: Any other questions from anyone?

11 Let's break, then, and come back about 5 till 2:00.

12 (Whereupon, the meeting was recessed, to reconvene
13 at 1:55 p.m. the same day.)

End T.5F 14
End
5 series.15

6 series 16
fols.

17

18

19

20

21

22

23

24

25

T 1
Riley
fls R&L
Rabb

1 AFTERNOON SESSION

2 (1:55 p.m.)

3 MR. PLANCHON: I am Pete Planchon. I work for
4 Westinghouse on the Clinch River project and I work out of
5 Oak Ridge. I will talk about features in the Clinch River
6 design that allow us or the plant operators to cope with
7 emergencies that might happen in the plant.

8 (Slide)

9 Now, this is an outline of the topics that I will
10 discuss in my presentation. I will discuss our on-site
11 emergency control centers. Those are principally our control
12 room and the technical support center. Also, I want to mention
13 right now that we do have an operational support center in the
14 plant. I won't spend a great deal of time discussing it, but
15 it is an area to put emergency personnel and equipment for
16 responding to emergencies.

17 In discussing the control room and the technical
18 support center, I will discuss a large set of instrumentation
19 and data systems for getting information to the control room
20 operators and supervisory personnel in the control room and
21 technical support center so they can make the correct decisions
22 and carry out emergency response and emergency recovery pro-
23 cedures.

24 Now, after I put together the presentation, I was
25 relayed a set of questions about emergency response that dealt

1 with sodium leaks and how we would deal with those. I intend
2 to work most of that discussion in with the presentation and
3 then wrap up and address any residual concerns at the end of
4 the presentation.

5 (Slide)

6 This is an artist's concept of the Clinch River
7 control room, and it is taken from the perspective of the
8 technical support center. This person right here could repre-
9 sent the supervisor in the technical support center. This
10 person right here would be the control room supervisor, and
11 this person right here would be the unit operator.

12 I will talk about the details of this layout, the
13 instrumentation and controls available for dealing with emer-
14 gencies in more detail, but first I would like to talk about
15 one of the major elements of philosophy that has led us to that
16 particular design.

17 (Slide)

18 MR. ZUDANS: Could I ask a very quick question? I
19 see that poor guy sitting there, and he has to use his keyboard
20 on the CRT, right? Where is he going to put his legs?

21 MR. PLANCHION: This person right here. Where is he
22 going to --

23 MR. ZUDANS: -- put his legs when he wants to use
24 his CRT keyboard.

25 MR. PLANCHION: He will be able to reach the keyboard

1 from where he is sitting right here.

2 MR. ZUDANS: Have you ever tried to do that?

3 MR. DICKSON: That is an artist's concept. We have
4 a mockup of it, and I guarantee you can sit at it.

5 MR. ZUDANS: Good, because I use it and I know --

6 MR. PLANCHON: One of the major elements or one of
7 the major considerations that led us to this design is the
8 consideration of command and control of the whole plant
9 operations. We think it is important to provide the control
10 room supervisor information that will support him in a cogni-
11 tive behavior mode, that he is in a mode that he can access
12 information, take that information and make decisions from it,
13 direct actions both inside and outside the control room and
14 throughout the plant and to deal with normal operations as
15 well as emergency operations and then have information available
16 to see that his directions have the desired effect in plant
17 operations.

18 The other consideration is that we want to provide
19 the unit operator, this person at the board that operates the
20 various pieces of equipment in the plant with information to
21 support him in a real-based and skill-based mode. A real-based
22 mode would be where he would follow procedures step by step
23 and carry out a prescribed action. Skill-based would involve
24 the skill of manipulating the controls and getting feedback
25 from the indications to control a plant evolution or control

1 a piece of equipment at a plant.

2 Now, the main thrust of what we have proposed to
3 provide with these two concerns or design requirements is to
4 provide a state of the art plant computer system where the
5 supervisor -- the unit operator will use it too, but it is
6 primarily for the supervisor to provide him information. We
7 have output terminals here and you can see those on the layout
8 of the board, and we provide a board that is laid out that has
9 a number of human factors considerations factored into this
10 layout to help the unit operator in actually directly control-
11 ling the plant process.

12 (Slide)

13 Now, I want to talk a little bit more about the
14 details of our emergency control center, and the first one is
15 the control room. The picture that we are looking at right
16 now, we call this arrangement an overview arrangement. It
17 provides an overview from the supervisor's perspective so that
18 he has a direct view of the actions of the unit operator and
19 also he has a wide view and can assimilate information that
20 he receives from the control board.

21 The layout on the control board -- it is laid out
22 to follow an energy flow scheme. The safety controls are down
23 here. These include the containment isolation system. The
24 reactor controls are in this area right here. Included in that
25 would be rod control, overall plant control and readings of

1 reactor flux. The energy then flows from the reactor through
2 the primary heat transport system section, intermediate heat
3 transport system section. Steam generator controls and indi-
4 cations are located here. The balance of plant, main steam,
5 feedwater condensate are in this area, turbine control, and
6 finally controls and indications for the generator.

7 We have incorporated into this layout our accident
8 monitoring instrumentation. This is instrumentation that is
9 consistent with the guidance that is given in Reg Guide 1.97
10 as we have applied them to an LMFBR system. The key parameters,
11 and for an example, one of those key parameters would be measure-
12 ment of reactor flux, are Class 1E safety-related instrumenta-
13 tion, redundant, seismically qualified and environmentally
14 qualified and integrated into the main control panel in this
15 energy layout scheme so they make sense to this unit operator
16 relationship-wise.

17 Their location is fixed so that it facilitates
18 control of the reactor.

19 Perhaps I should say a few words more about accident
20 monitoring instrumentation. I mentioned that we had
21 incorporated accident monitoring instrumentation into the
22 design of our plant using the guidance in Reg Guide 1.97.
23 Basically that means that we have instrumentation that corres-
24 ponds to the types that are described and perform the functions
25 that are described in Reg Guide 1.97. As you know, that Reg

1 Guide is fairly specific for water reactors, but in functional
 2 terms we have found it to be applicable to our plant. That is,
 3 we provide information for the operator to make decisions
 4 about the actuation of safety systems.

5 We provide instrumentation from which he can assess
 6 whether or not the basic safety functions -- reactor shutdown,
 7 decay heat removal and containment isolation -- are being per-
 8 formed. We provide information from which the operator and
 9 supervisor can assess --

10 MR. CARBON: Let me interrupt a moment, Mr. Planchon.
 11 We have had somewhat of a mixup here. The topic on the agenda
 12 here was aimed at Mike Bender's question the other day, which
 13 had more to do with the recovery from an accident rather than
 14 the emergency handling at the time. This stemmed in considerable
 15 part from Mike's concern that we had an accident at TMI and
 16 3-1/2 years or 4 years later it is still sitting there and we
 17 don't have it cleaned up or anything like that. And part of
 18 this discussion, at least, was intended to say: suppose we
 19 had an accident at CRBR, could we recover from it, and how
 20 might the design be changed if need be to enhance recovery?

21 Maybe nothing needs to be done, but have you consi-
 22 dered that aspect of it? I don't know whether you are prepared
 23 to discuss that at all here today or not. What you are saying
 24 is good material but it isn't exactly what we are aiming at.

25 MR. PLANCHON: Okay. A good portion of my

1 presentation does have to do with managing an emergency up to
2 the point of recovery. However, I have included some discussion
3 of recovery, particularly in areas that involve sodium spills.

4 MR. CARBON: Would you, to the extent practical,
5 emphasize recovery in contrast with up to the time of the
6 accident or up to recovery?

7 MR. PLANCHON: All right, yes, sir, I will. I will
8 try to be very brief about the other one.

9 MR. CARBON: Okay.

10 MR. PLANCHON: Now, let me just be very brief and
11 say that our plant computer system supports a safety perimeter
12 display system, an integrated set of graphics from which deci-
13 sions can be made and emergency response and recovery procedures
14 or strategies can be applied.

15 I guess one other point I want to make with respect
16 to accident monitoring is that we have an extensive capability
17 for detecting sodium leaks to be able to determine that we do
18 have a sodium leak and be able to determine it in very low
19 levels of sodium leakage. We can determine the location of
20 that leak with a fair amount of accuracy.

21 As you know, our plant is divided up into cells,
22 so the consequences of a leak are basically restrained to that
23 cell.

24 I guess the other point is that, given a sodium leak,
25 our design is such that we can continue to carry out the safety

1 functions of cooling the core and we have the capability with
2 our instrumentation to monitor that.

3 MR. ZUDANS: On that slide that you are showing here,
4 could you show where the instrumentation of controls of direct
5 heat removal system are located?

6 MR. PLANCHON: The direct heat removal system
7 controls are on a panel that is not visible from this view. It
8 is out in this area right here, and that is basically at right
9 angles to this edge of this panel. The panel has the K-frame
10 shape and has a layout similar to the main control panel that
11 you see here.

12 MR. SHEWMON: Sir, you talked about Reg Guide 1.97
13 and emphasized how nicely it allowed the operator to see when
14 you were getting into trouble. One of the main thrusts of that
15 was to cover -- also have instruments with range adequate to
16 be able to give reliable proportional indications even when you
17 were in bad trouble, and this got into inordinate ranges.

18 To what extent have you also got that aspect in your
19 instrumentation?

20 MR. PLANCHON: We have addressed that and let me see
21 if I can give an example of that. I guess the quickest example
22 to give would be instrumentation that would monitor pressure
23 in containment, in the containment shell to make sure that --
24 well, first to be able to determine the status of our contain-
25 ment. We have arranged that not according to what our design

1 basis pressures are for containment, but we have arranged that
2 instrumentation so that it goes up to where the containment is
3 actually being structurally challenged.

4 MR. SHEWMON: What about sodium temperatures up to
5 the boiling point?

6 MR. PLANCHON: We have provided, where the thermo-
7 couples above the core -- their range does go up -- I believe
8 that is up to the boiling point. Could you confirm that, Bob
9 Tinder?

10 MR. TINDER: Yes.

11 MR. SHEWMON: What about radiation level in contain-
12 ment? That is three orders of magnitude or four higher than
13 operating level but comparable to what you might have in a bad
14 accident.

15 MR. PLANCHON: There was consideration of that. I
16 don't recall the exact numbers for the containment radiation
17 ranges, but they are ranged well in excess of what one would
18 expect with a design basis event.

19 MR. SHEWMON: Fine. Thank you.

20 MR. LIPINSKI: Could we go back to the thermocouples if we
21 are going up to the sodium boiling point? What are the
22 materials?

23 MR. PLANCHON: I don't recall. Could you help me
24 out?

25 MR. TINDER: Chromel alumel.

1 MR. LIPINSKI: It doesn't go up to that point. I
2 thought you were talking about tungsten or something like that.
3 That is why I asked the question.

4 MR. SHEWMON: Tungsten boils at 2200 K. was it, or
5 C.?

6 MR. LIPINSKI: 3200 C.

7 MR. TINDER: I don't know what the theoretical limit
8 on it is.

9 MR. SHEWMON: Walt, sodium boils well before 1100 C.
10 Chromel alumel will go up to that.

11 MR. LIPINSKI: It is not guaranteed to one percent
12 but it will go up there.

13 MR. SHEWMON: By the time we get up to 1100 C., one
14 percent may not bother us.

15 MR. CARBON: Go ahead.

16 MR. PLANCHON: Let's see. I believe I made the point
17 that we have an extensive set of instrumentation to detect and
18 locate and allow us to confine and deal with sodium leaks.
19 Perhaps now would be a good point to discuss recovery from a
20 sodium leak. One of the things we have done --

21 MR. CARBON: Could you go further and discuss
22 recovery for the big accident?

23 MR. SHEWMON: Have your sodium be well contaminated.

24 MR. PLANCHON: Let me bite off one challenge at a
25 time and then talk about sodium, please. One of the things that

1 we have done in our design and in the design of the control
2 room is to review the control room and its adequacy and the
3 adequacy of our procedures and provisions for dealing with
4 emergencies. We have conducted a sodium leak and sodium fire
5 review and they looked at our capability for recovery from
6 sodium leaks in the various cells, in cells that are air-filled,
7 which would systems in it which would not contain radioactive
8 sodium, in cells that are inerted and lined that would contain
9 sodium that would be radioactive.

10 The conclusion of that task force was our approach
11 to cleaning up a sodium leak or sodium spill would be essentially
12 the same used in other sodium facilities, and in particular in
13 test facilities.

14 Now, to give you some idea of what this would involve,
15 we can talk about some of the experience in the containment
16 system test facility at the Hanford Lab where they have actually
17 tested the cell liners and they have also tested some of the
18 catch pans that were typical of those used in FFTF and
19 Clinch River.

20 In one of these tests an area of sodium, I believe it
21 was 110 square feet, hot sodium was put onto a test pan. It was
22 in an air-filled cell. The test pan was filled up to a depth
23 of about six inches, so it was a sizable sodium spill.

24 They found that about 10 percent of the sodium burned
25 before the oxygen in the cell had depleted, and the cleanup

1 after the test had been run and the capabilities of the test
2 pan had been determined -- they spread Metal-X on top of the
3 sodium and they put a covering of light turbine oil on top
4 of the solidified sodium and actually dug it out with mechanical
5 shovels.

6 I understand that it was dug out in squares about 6
7 inches thick and 8 inches by 8 inches, put into 55-gallon drums.
8 These drums were backfilled with argon and put in storage.
9 There are similar experiences for sodium fires in inerted
10 cells. However, there you don't have the burning phenomenon
11 and you don't have the oxides to deal with.

12 I guess the conclusion is that the approach for clean-
13 ing up one of these spills that we would use in the event of
14 a major sodium spill would follow the experience and be similar
15 to that that was used in these test facilities.

16 Now, we also looked at a typical radiation level that
17 one might expect, say, in a radioactive cell after sodium leak.
18 If one does a fairly simple calculation where some of the fuel
19 is spilled and the sodium leaks out and forms a planar surface
20 the thickness of about a foot, the calculations are that after
21 about a ten-day period after shutdown, the radiation levels
22 will be on the order of 50 to 250 millirem, and the cleanup
23 effort would have to deal with radiation levels in this
24 area.

25 Now, if one had damage to the core that was more

1 extensive, then the cleanup would have to deal with higher
2 radiation levels.

3 MR. SHEWMON: Is the application of the Metal-X and
4 the oil automatic or does someone have to go in there with a
5 5-gallon can and spread it around?

6 MR. PLANCHON: In this experiment that I related to
7 you, they put on protective clothing and went into the cell and
8 de-interted the cell, opened it up, ventilated it and spread
9 around the Metal-X and the turbine oil.

10 MR. SHEWMON: You don't have anything that would
11 automatically spread either in your cells?

12 MR. PLANCHON: No, we don't. I would like to talk
13 about the other emergency controls that are in our TSC, or
14 technical support center. This is is the layout of the TSC.

15 (Slide)

16 MR. CARBON: Excuse me. Is that the final topic of
17 your talk on the technical support center?

18 MR. PLANCHON Yes. We had one other thing we wanted
19 to talk about in response to the questions that were asked, and
20 it was to discuss some aspects of the Fermi incident and how
21 it would relate to Clinch River.

22 MR. CARBON: Why don't you just skip the support
23 center and go on to that.

24 MR. PLANCHON: Okay.

25 (Slide)

13
END T 1
Riley
Rabb

T 2
Riley
Rabb

1 Now, George Clare was going to talk for a short
2 time on Fermi and how that would apply to our particular
3 situation.

4 MR. CLARE: If I could just do that briefly. We
5 were not certain exactly what you would be interested in,
6 although we did see that Fermi might come up. I did go back
7 and check over the Fermi-1 incident, and without going back to
8 the very beginning of the incident and what was involved, there
9 was a considerable amount of fuel damage to two of the assem-
10 blies, what you might describe as a complete meltdown of two
11 sub-assemblies. The plant was shut down after several days to
12 allow the power in the core to decay. The undamaged fuel
13 assemblies were removed. The sodium was essentially drained
14 down. The decay power in the fuel at that point in time for the
15 remaining two damaged assemblies was not so great that it had
16 to be kept in the sodium.

17 They were able to go in with the periscopes and
18 determine what the status of that fuel was, and they found that
19 the two sub-assemblies were self-welded together, essentially.
20 Melted together is perhaps a better term. They again remotely
21 down through the reactor vessel head chiseled the assemblies
22 apart and then removed those damaged assemblies.

23 They were sent off to Savannah River to be
24 reprocessed along with the rest of the spent fuel from Fermi.
25 We would anticipate with any reasonable low amount of damage to

1 any of our spent fuel assemblies that we would handle them in
 2 a very similar manner. Now, it is conceivable that in some
 3 situation we might not be able to drain the sodium out, so you
 4 would have not only the difficulty of remote handling but also
 5 of blind handling, if I can call it that.

6 A recent instance at EBR-2 perhaps is a good
 7 example of the kind of thing that could be done in that situa-
 8 tion. They dropped a new fuel assembly, dropped it off of one
 9 of their refueling machines and it built in to a location at
 10 the bottom of the reactor vessel. Once they figured out where
 11 it was, they just kind of scratched their heads and figured
 12 what could have happened to it, and then I think they sent
 13 a grapple down to see if they could touch it, and indeed they
 14 found it.

15 They then fashioned a wire rope snare for the fuel
 16 assembly -- that is my understanding of the description for
 17 it -- and again completely blind, they did not even utilize
 18 under-sodium viewing equipment, to the best of my knowledge,
 19 although it is available, they went down, snared the fuel
 20 assembly, and it turns out that they took it back up to their
 21 fuel-handling cell, inspected it, found out it was okay, stuck
 22 it back in the reactor, and today it is in there operating.

23 We could use similar removal techniques for loose
 24 parts, pieces, whatever damage might have been caused in the
 25 core in Clinch River should that be the case. Continuing along

1 with that kind of a concept, of course the problem at Fermi-1
2 that caused the fuel-melting incident was some loose parts in
3 the inlet plenum of the reactor vessel. Before they could
4 restart the plant, they had to go in and remove those loose
5 parts. They did that by cutting into an elbow of the primary
6 heat transport system piping.

7 Again, after allowing the sodium to be drained off
8 of what would be the equivalent of our reactor cavity, they
9 pushed a probe -- again, maybe it was a snare, maybe that is
10 the best word for it -- into the reactor vessel inlet plenum,
11 and at the same time went down through the reactor vessel head
12 in the core support structure in a manner similar to what we
13 might be able to do. So they had one arm coming in from the
14 top and one arm coming in from the side, and they were able to
15 manipulate the loose plate that was down in the inlet plenum and
16 pull it out. And furthermore to avoid any of the other similar
17 plates in the inlet plenum from coming out, they were able to
18 chisel off and, in fact, do some torch cutting of some rivets,
19 I think they were, that were holding the other plates on and
20 pouring all that debris out of the reactor vessel.

21 We again would be able to use similar techniques on
22 Clinch River. Insofar as the cleanup of the sodium was con-
23 cerned, whether the sodium was in the guard vessel having spilled
24 out of the piping, we could heat it up, process it through our
25 system just as normal sodium, clean it up with a cold trap,

1 clean it up with filtration devices similar to what we expect
2 to put in the core positions prior to plant startup, what we
3 refer to as our core special assemblies.

4 Insofar as the disposal of whatever debris there was
5 in the core -- excuse me, in the primary system, it would be
6 handled again as Fermi did the same way we would handle any
7 other spent fuel, kept cool in sodium as long as need be and
8 then reprocessed or whatever the situation was at that point in
9 time.

10 The sodium would not be so sufficiently contaminated
11 that it would be unusable once it is processed through cold
12 traps and filters. Indeed, the Fermi-1 sodium was put back
13 into their primary system, the plant was restarted with the
14 same sodium, and indeed with all likelihood Clinch River will
15 use the same Fermi-1 sodium in our primary transport system.

16 Now, we have not done detailed scenario-by-scenario
17 studies as to exactly what machines would be fashioned and
18 exactly what procedures would be followed to clean up from an
19 event. We think we have surveyed the technology to be confident
20 that we could clean up from any of the types of scenarios that
21 we have talked about and that we would certainly have sufficient
22 time once the incident occurred to develop the appropriate
23 machines and procedures to do that in a safe manner.

24 MR. CARBON: Let me ask again. Suppose they had
25 a serious accident in which damage took place to the core and

1 contaminated sodium was spread around the containment, a Three
2 Mile Island kind of thing. Have you looked at the problems
3 that would be encountered in recovering from something like
4 that and explored or thought about what kind of changes you
5 might make in your initial design to accommodate some such
6 accident?

7 MR. CLARE: I am not aware of anything we have
8 specifically done to accommodate an accident severe as the one
9 you are postulating where we are thrusting sodium into the area
10 up above containment. Certainly the very extensive cell liner
11 system that we have in the plant is specifically designed to
12 minimize the consequences of the sodium fires.

13 The guard vessels are a similar example where we would
14 minimize the effects of a fire. Our emphasis is to prevent the
15 sodium from getting above the operating floor.

16 MR. LIPINSKI: You mentioned that Fermi had two
17 subassemblies fused together. If that happened in Clinch River,
18 could you handle it?

19 MR. CLARE: We would handle them the same way Fermi
20 did, break them apart and then handle them one at a time.

21 MR. LIPINSKI: You would have to go down through
22 the cover and work through the sodium in the site where you
23 are going to chisel and break them apart. You wouldn't be able
24 to see where they were fused together.

25 MR. DIXON: You possibly could if you waited a long

1 enough period of time so that they would not be overheated in
2 air and did not need the sodium coolant. Then, of course, you
3 could go in there with a tank drain.

4 MR. LIPINSKI: But we are talking about having a full
5 core in place. You would have to decide which subassemblies
6 you could unload and leave the fused ones last.

7 MR. DICKSON: That is exactly what Fermi did.

8 MR. LIPINSKI: Do you have a tank that will take your
9 entire sodium supply if you had to move it from the primary
10 system to somewhere else? Do you have a tank that will accept
11 it?

12 MR. CLARE: We have a combination of four tanks, but
13 yes, they will do that. That was a design requirement for those
14 tanks.

15 MR. DIXON: I think it is worth noting, even though
16 these were not engineered with the thought of what you do for a
17 long term after an accident, there are cell liners, and every
18 cell of the primary system is separated so that anything spilled
19 in them is isolated from the remainder of the system, isolating
20 any radioactive matter.

21 MR. CLARE: That perhaps is a key point I forgot to
22 bring up earlier. One of the things we do is compare what might
23 happen in our plant to what happened at TMI. Any incident
24 involving the primary coolant boundary for Clinch River, save
25 a highly energetic HCA that could be postulated to push sodium

1 out through the reactor head, would be contained in a single
 2 inerted blind cell. You would have no trouble with access to
 3 containment. Insofar as the bus is above the operating floor,
 4 whether the sodium is inside or outside the pipe is not impor-
 5 tant. That certainly makes things a lot easier to deal with
 6 than what they are dealing with at TMI today.

7 MR. CARBON: Except if you have any sort of core
 8 melt, it certainly won't be isolated.

9 MR. CLARE: I believe it would be.

10 MR. CARBON: Well, we have had all the discussions
 11 on TMBDB and aerosols.

12 MR. CLARE: With something approaching 100 percent
 13 of the core down through the reactor vessel, that is certainly
 14 true. It is much different than TMI.

15 MR. CARBON: But it is not apparent to me that it
 16 would take anything close to 100 percent to keep from having
 17 radioactive aerosols of all kinds coming out into the upper part
 18 of containment.

19 MR. CLARE: So long as you are able to avoid, again,
 20 any highly energetic event --

21 MR. CARBON: No energetic.

22 MR. CLARE: We haven't drawn a line, but depending
 23 on the particular situation and whatever the decay power might
 24 be, any event which does not lead to a rapid penetration of the
 25 primary coolant boundary we would expect to be contained below

1 the operating floor.

2 Hans, why don't you come up and make this point.

3 MR. FAUSKE: Hans Fauske.

4 I think to differentiate between TMI and a complete
5 core melt accident, in the case of a TMI-type accident, the
6 core ultimately would be coolable and all the fission product
7 released from the fuel would be contained in the primary sodium.
8 There would be no contamination in the containment itself.

9 MR. CARBON: Well, really I am talking about -- we
10 didn't anticipate TMI and we didn't know what was going to
11 happen, and it isn't all that clear that we know what is going
12 to happen at CRBR, and I don't think it is out of the realm of
13 possibility that we will have some kind of core melt type
14 accident which would lead to considerable radioactive material
15 getting out somewhere, possibly into the upper part of the
16 containment. I don't really try to tie it to Three Mile
17 Island as such except to say we were surprised there; are we
18 maybe going to be surprised at CRBR or have we tried to look
19 ahead and see what might happen and try to allow for it.

20 MR. DICKSON: I guess the answer to that is yes, we
21 have tried to look ahead. In the cases we are talking about,
22 SMBDB and TMBDB, we have certainly taken the complete extreme
23 of the spectrum of accidents, and apparently we have conveyed
24 the impression that a partial core meltdown leads to TMBDB.
25 That certainly is not the case. TMBDB is a complete 100

1 percent core meltdown right after operation at full power
2 instantly, not any delay or any partial meltdown. Partial
3 meltdowns that did not penetrate the reactor vessel or, if it
4 did, didn't penetrate through the guard vessel, would stay
5 within containment -- or rather stay within the primary sodium
6 and would not involve radiation getting into the access portions
7 of the containment system.

8 MR. CARBON: Well, if you follow through it
9 mechanistically, I guess I have to agree. I think if we follow
10 through the TMI accident prior to it happening, it didn't do
11 anything either. There wasn't any problem.

12 MR. DIXON: Well, it didn't do much except that it
13 did contaminate the containment area. It is virtually impossi-
14 ble to visualize every possible thing that could go wrong that
15 leads to something beyond your design basis. As I said, we
16 have taken the worst case. It can't get any worse than that.
17 Anything smaller than that certainly is going to be tractable.
18 Most of the types of accidents you can imagine will retain their
19 radionuclides within the primary sodium, or if not within the
20 primary sodium, at least within an inerted cell.

21 MR. CARBON: Well, I think you have answered the
22 question that we wanted to explore on what sort of thinking
23 you have done and what sort of possibilities exist. Let's
24 leave it for the present and go on to the next topic.

25
END T 2
Riley/Rabb

1 MR. LIPINSKI: I have one more Max. Even though they
2 say that the fission products are going to be contained in that
3 primary system, the gaseous ones are going to mix with the cover
4 gas, and as the concentration goes up and you have got any
5 leakage from that cover gas some fraction appears inside
6 containment.

7 If I recall the EPR 2 experiments with the failed
8 pins, as they release the gas into their cover gas, then they
9 have got some fraction that they measured within their contain-
10 ment, and if you have a whole core go and an appreciable number
11 of pins and you get your entire gas inventory into the cover
12 gas, it is not clear what is going to appear inside containment
13 and your leakage rates.

14 MR. CLARE: If I could address that just very briefly,
15 we of course do have a complete clean-up system on our cover
16 gas system that would over a period of time completely clean
17 up even a hundred percent release of the fission gas into the
18 cover gas.

19 Further, the cells in which that equipment is
20 located where one might expect some leakage to valves,
21 compressor seals, et cetera, are fairly much closed cells
22 and we have the ability to process those cells and the atomos-
23 phere in those cells with holdup prior to release to atmosphere.
24 Again, these would be largely noble gases and eventually, yes,
25 indeed, with no more operation they would be released to the

1 environment and subsequent to any venting, we again would have
2 access to containment.

3 MR. CARBON: Let me move on to Mr. Palm.
(Slide presentation)

4 MR. PALM: I guess based on the past discussion, this
5 is sort of a continuation on one of the detailed evaluations
6 that has been performed by Clinch River considering a core melt
7 through the reactor cavity and into the foundation mat.

8 Specifically what I will be covering is in more
9 detail from what I presented at the committee meeting last
10 week, the evaluation of the nuclear island foundation mat due
11 to the effects of a core melt through the cavity and into the
12 foundation mat.

13 This is specifically the area that I will be talking
14 about very briefly.

15 The analysis that has been performed basically was
16 a thermal stress analysis of the mat in the local region below
17 the reactor cavity considering the worst of all worlds with
18 the fuel melt occurring rapidly, the accident times zero, the
19 floor liner failing and considering various realms of
20 penetration of the sodium fuel mass into the concrete above
21 this containment liner and then further on beyond the point
22 of sodium boil dry whether or not the foundation mat would be
23 able to maintain its integrity for a very long period of
24 time such that the containment, which is of course supported
25 off the foundation mat, its integrity would not be compromised

1 The analysis that we have done is basically a thermal
2 stress analysis using finite element elastic-plastic techniques,
3 using the computer program ANSYS, the temperature profiles
4 that were developed by Westinghouse for up to a period of 8,000
5 hours, or approximately a year after the initiation of the
6 accident.

7 Material properties are the same properties that
8 I had mentioned last week. They are an outfall of a very
9 comprehensive high-temperature test program that was performed
10 by the project on prototypic concrete to be used in the
11 Clinch River plants.

12 The material properties are non-linear and are
13 high temperature dependent.

14 The analysis that we performed is very similar to
15 the analysis that we performed on the internal structures and
16 the confinement structure, that is it is a step-by-step
17 process where we consider conditions at various time increments
18 after the accident. This is done with iterative procedures and
19 we do account for the change in the material characteristics
20 from the high temperatures, both the steels and concrete that
21 is in the models, and we also account for change in the
22 cracking of compressive crushing of the concrete at the
23 sperious time steps.

24 The specific model that we used for the foundation
25 mat is basically, it is a half exisymmetric model from the

1 centerline of the reactor on out to this edge of the foundation --
2 not the edge, but the portion of the nuclear island foundation
3 mat.

4 The nuclear island foundation mat actually continues
5 on out. It is approximately 350 by 400 feet in dimension. This
6 particular section here is about 190 feet in diameter.

7 The model is, as I said, a finite element model. What
8 we have done based on the output from Westinghouse is plotted
9 the various temperatures with time through the accident, and
10 two things are occurring.

11 One is that the melt front is continuing down through
12 the thickness of the mat and the temperature increase is
13 progressing outward from the center of the reactor cavity.

14 This particular plot here that you have in your
15 handout shows the conditions after one year for the 8,000
16 period.

17 This particular analysis is for the base case where
18 the melt front of 2200 degrees, this is the melting temperature
19 of concrete, that is Fahrenheit, progressed down to about
20 five to six feet above the bottom of the mat.

21 Under the margin assessment case, this melt front
22 is further down about one or two feet above the bottom of the
23 mat, what we consider the worst of all worlds insofar as the
24 worst maximum penetration that could occur with an accident
25 of this type.

1 Now, the important thing from this plot here is
2 that when we perform the thermal stress analysis, we found
3 that we were really concerned about was whether the stress
4 conditions out in this region here where are counting on this
5 section of the mat to support the containment vessel and the
6 confinement structure.

7 As you can see, the temperatures out here are
8 relatively small, 150 degrees or 100 degrees. Under the
9 margin assessment case these temperatures are essentially the
10 same. There is really no difference as you get out beyond
11 about this point here.

12 The results of the evaluation to the time of sodium
13 boil dry, and I should mention this, it is very important,
14 and that is that the temperatures above the foundation mat,
15 above the containment liner are approximately about 100
16 degrees. There really is no influence of any significance
17 up to the point of sodium boil dry, and that under the base
18 case is 132 hours, and under the margin assessment case it
19 is about 50 hours.

20 The conditions at 8,000 hours based on the
21 temperature plots that I showed on the model measuring out
22 from the centerline of the reactor cavity, we do have concrete
23 that is completely degraded and crushed.

24 Let me show you another viewgraph while I am
25 talking here.

1 This illustrates what I am point out, that in the
2 center zone, and again this is the center of the cavity or
3 reactor building, that for a radius of 40 feet from that
4 center we have concrete that is degraded and crushed from the
5 high compressive stresses.

6 Perhaps I should explain very briefly what really
7 happens with this mat. When you heat the center section of
8 this mat it tends to want to grow outward obviously, and the
9 surrounding section of the mat, whether it be the outer area
10 of the mat or strained bedrock, will tend to restrain this
11 thermal growth and that promotes very high compressive stresses
12 in the mat section.

13 Now the reason that this degrades are two reasons.

14 One is that it is getting very hot in this area,
15 and two is that we have the core melts. We have the
16 degredation from the core melts advancing through the concrete.
17 So it is stress degredation and the core melt degredation.

18 MR. BUSH: I would think you would get severe
19 spillation as a consequence.

20 MR. PALM: Spillation on the surface as you are
21 going down, that is right. And when you get beyond 40
22 feet, roughly from 40 to 60 feet we have partial degredation
23 and crushing. Again, this is of no sequence. That is this
24 zone right here because this is still well away from this
25 area out here where we need the support.

1 Beyond the 60 foot radius the concrete remains
2 structurally sound, as I said, because the temperatures
3 beyond this point are 200 degrees and less. So the temperature
4 of the heat up of the concrete is relatively minor.

5 MR. ZUDANS: Bob the analysis results don't show
6 any significant mat rotation where the containment and shield
7 building are connected to it?

8 MR. PALM: We looked at that and and mostly we
9 had shifted the thermal moments of cost in addition to the
10 actual heat up force, and the answer is no.

11 MR. ZUDANS: Now you had another semi-CDA type of
12 accident where you had a large sodium spill in another cell
13 that was essentially right next to the containment. You will
14 speak about that, too?

15 MR. PALM: I hadn't intended to.

16 MR. SUDANS: I remember, because last week --

17 MR. PALM: Are you talking about this cell, the
18 tank cell?

19 MR. ZUDANS: Yes.

20 MR. PALM: That is a design basis accident cell.

21 MR. ZUDANS: And it didn't damage the containment?

22 MR. PALM: No. We had done a very detailed analysis
23 of this structure above the mat and including the mat
24 interface and determined the influence of the cell accident
25 condition, as well as the containment DBA on the containment

1 vessel that is embedded in the concrete from the mat up
2 to the operating floor level. That is a separate analysis.

3 We did do an analysis due to the temperature
4 outgrowth through the reactor cavity to the PHDS cell to
5 this outer wall. We did also do that. That was part of our
6 DMB evaluation.

7 MR. ZUDANS: Now in your model I saw you showed
8 that the mat ends with the shield building. In actuality
9 I guess mat goes beyond that. At least this slide shows
10 it goes beyond this.

11 MR. PALM: Yes, it does but what we did is we
12 simulated either embedment in the rock or the continuation
13 of this very massive mat with a fixed condition.

14 MR. ZUDANS: Oh, you assumed fixed condition
15 at that line?

16 MR. PALM: That is right.

17 MR. ZUDANS: So that is actually conservative.
18 So you are conservative with respect to the center portion
19 of a mat because you created a larger constraint, but you
20 are not conservative with respect to containment building
21 connection because it doesn't allow rotation.

22 MR. PALM: We have insofar as this particular
23 area, we have looked at this in some detail.

24 MR. ZUDANS: And you have no problems with that?

25 MR. PALM: Actually it was kind of surprising

1 the fact that the growth here, the thermal growth here and
2 the thermal growth here is pretty much the same.

3 MR. ZUDANS: Of course, if you have a 80 foot
4 diameter hole in a mat, I don't think you are greatly
5 concerned about that.

6 MR. MARK: Could I ask, you assume concrete is
7 all right up to some temperature. You said 200 degrees.
8 Is that Fahrenheit?

9 MR. PALM: Actually the temperature is good up until
10 anywhere about 700 degrees Fahrenheit. That is what we
11 assume.

12 MR. MARK: Now something will happen to it at
13 100 degrees Centigrade, the water will come out.

14 MR. PALM: Yes.

15 MR. MARK: Or at least half of the water, not the
16 crystalization water but the free water.

17 MR. PALM: That is right.

18 MR. MARK: That will come out at 100 Centigrade.

19 MR. PALM: That is right.

20 MR. MARK: Then when is it that you really begin
21 to damage concrete? You say 700 Fahrenheit?

22 MR. ZUDANS: No. I just can't believe it will
23 ever get that high.

24 MR. PALM: Based on a test, we have run out to
25 about 1600 degrees Fahrenheit, from relatively 70 degrees

1 on out to 1600. Roughly above 700 to say 800 degrees the
2 amount of residual strength in the concrete is in the order
3 of about 20 percent or so. At 100C up to say 400C we still
4 have strength in the concrete, although a major portion of the
5 water has been forced out.

6 MR. MARK: Well, that is what I was supposing
7 of course.

8 MR. PALM: And this has been through the
9 experiments that we had performed.

10 So in conclusion, through this evaluation of the
11 mat, we find that there is adequate support provided for
12 the peripheral wall in containment vessel and the confinement
13 structure and that the containment confinement integrity
14 will be maintained for at least 8,000 hours after the
15 accident.

16 That is all

17 MR. CARBON: Any questions.

18 MR. ZUDANS: I would like to clarify a little bit
19 about concrete strength because we might be left with a
20 false impression. You do have some strength that you can
21 measure in the compressive direction, but you wouldn't have
22 any strength in the tensile direction.

23 MR. PALM: We don't count on tensile strength.

24 MR. ZUDANS: So wherever your calculations of
25 tension, which it will wherever the temperatures are lower,

1 you have to assume that it is none existing or cracked
2 or otherwise.

3 MR. PALM: I don't think that your conclusion
4 of this 40 or 60 radius is bad. It is all right, because
5 you had temperatures there of around 500 degrees.

6 MR. BUSH: That is why I raised the question on
7 spillation, because that is usually where you get your
8 tension interface and then it just doesn't support it very
9 well.

10 MR. CARBON: Thank you Mr. Palm.

11 Let's move on to the next one.

12 (Slide presentation.)

13 MS. NIEMDZYK: My name is Sue Niemczyk. I work
14 at Oak Ridge National Lab. The question I have been asked
15 to address is assuming that the basemat melts through, what
16 kind of a problem is posed by the radioactivity released
17 to the hydrosphere in case of a severe accident in the
18 Clinch River plant.

19 To address that problem I think we really need
20 to consider two basic issues. First of all, what is the
21 problem, what is the source term that would be released,
22 what is the radioactivity that would be released to the
23 subsurface and what would be the consequences resulting
24 from that. In other words, is there really a need to do
25 anything about those releases and, second of all, what can

1 be done about those releases.

2 There hasn't really been much done at all for
3 the breeder reactor itself. There was, however, a study
4 done at Sandia that looked at the same problem for all
5 light water reactors, and it is that that I will use as
6 basis for the discussion today.

7 In that study, what they did was consider all
8 the operating and under-construction light water reactors
9 plus a number of proposed ones.

10 First of all, they estimated the consequences,
11 assuming that no actions were taken. Then they went back
12 and put in various types of interdictive procedures.

13 In addition, they considered both the feasibility
14 and effectiveness of various types of interdictive procedures
15 that could be taken, and they considered both source
16 interdictive procedures which are ones located at the
17 site of the reactor and pathway interdictive ones.

18 Perhaps you wouldn't want to take action within
19 the immediate vicinity of a plant but you would wait until
20 the radioactivity got out into the environment. So that
21 is a distinction between source and pathway.

22 According to that study for light water reactors
23 if basemat melt-through occurs, even if you don't take any
24 actions the consequence of releases to the hydrosphere
25 are not expected to be significant for many sites.

1 However, for some sites the consequences are such
2 that releases may be significant unless adequate mitigating
3 procedures are taken.

4 Although adequate mitigating procedures can probably
5 be taken at most sites, it is not obvious that they can
6 be taken at all sites. Only mitigating actions taken close
7 to the source of the accident can be very effective in
8 reducing the radiation dose to the population.

9 So keeping that in mind, we will just discuss
10 source interdictive procedures today.

11 The emphasis in my talk will be to discuss what
12 is the case of light water reactors and to put the Clinch
13 River plant into appropriate perspective and show how it
14 compares to the light water plants.

15 First of all, we have to consider the source term,
16 and this is obviously a gutted out PWR, but I think the
17 melt-through release is about the same for both, at least
18 the basic of it.

19 What would happen in the melt-down accident is
20 you would have your core eventually melt through the
21 basemat. At least that is the assumption we are making
22 here.

23 As the core melted its way down through the
24 concrete it would pick up the residual of the concrete
25 and it would pick up the soil as it was going. So you

1 would get a very large mass.

2 As it was moving on down, you would have gases
3 boiling off, you would have your carbonates in your limestone
4 and your carbonates in your combination water and concrete.

5 So what you would end up with eventually, it would
6 take presumably longer with the breeder reactor but many days or
7 weeks for the light water reactor for the basemat to melt
8 through and for your melt mass to come to rest.

9 Because of all the bubbling that was going on
10 you would probably have a rather porous mass. As the mass
11 cooled it would crack substantially. So if you had any
12 ground water under there, presumably it would into very
13 good contact with it and leach out the materials relatively
14 rapidly. Also the mass would be warm for a period of years,
15 very war. So you would have accelerated leaching rates.

16 What would work in your favor in general is if
17 you would have a kind of a vapor shield floating around
18 the mass. As your melt came to rest in the soil and this
19 ground water tried to contact it, there would be a vapor
20 shield formed around it. This would form in effect a
21 barrier.

22 The calculations estimate that for light water
23 reactors that barrier would be effective in preventing
24 radioactivity from contacting the ground water for a period
25 of about six months to two years. So presumably you have

1 at least six months to two years to get in there before
2 the radioactivity got into the ground water.

3 For a light water reactor you have not only the
4 melt debris, but you have opened up a hole here in the
5 bottom of your basemat. In a lot of your accidents you
6 could have large releases of very contaminated water. For
7 example, if your containment didn't fail and your sprays
8 worked, you would have a large fraction of your more volatile
9 radionuclides contained in that spray water.

10 There are many cases in which that spray water
11 could presumably be dumped down the hole here and go into
12 the ground. That release is much different in character
13 than the melt-through release for two reasons. No. 1, it
14 would be mostly more volatile radionuclides, and, No. 2,
15 it would be a much faster release. You would have your
16 radionuclides already entrained and you wouldn't have to
17 worry about leaching or about vapor shields or about any-
18 thing else.

19 There is not that kind of a release at a breeder
20 reactor. So at a breeder you have gotten rid of one of
21 your worse types of releases, and you just don't have it
22 present.

23 Just summarizing the points, in the light water
24 reactor you have two basic types of releases and in the
25 breeder reactor you only have your melt debris release.

1 The nice point about the melt debris release is
2 it would generally take a long time initially for ground
3 water to contact the radioactivity and then for the material
4 to be transported. In the sump water release that you
5 don't have with the breeder reactor, you have got the
6 potential for a relatively rapid release and that makes
7 it very hard to interdict that type of release.

8 Comparing the Clinch River source term and the
9 typical light water source term, in general for most of
10 the LWRs that were looked at in the Sandia study, the
11 Clinch River plant has a much thicker basemat under the
12 reactor cavity. Therefore, you basemat melt-through is
13 less likely. You have a smaller core in the Clinch River
14 plant and there again the basemat melt-through is less
15 likely.

16 In addition, there is less fission product
17 activity available for releasing at the Clinch River plant

18 No. 3, there would be no major releases of highly
19 contaminated water from the Clinch River plant.

20 In addition, it is the sump water or the suppression
21 pool water that would contain the volatile radionuclides.
22 So you would have a whole class of radioactivity that
23 wouldn't be involved in your breeder reactor releases.

24 No. 4, not in favor of the Clinch River plant,
25 is you would have more plutonium in your releases. but here

1 you will see that that does not dominate the releases or
2 the consequences.

3 MR. MARK: This point you make about the smaller
4 core and less fission fragments is really only comparing
5 with the 3,000 megawatt thermal reactor. If you compare
6 it with a reactor of the same power, you have got just as
7 much fission products.

8 MS. NIEMCZYK: Right.

9 Here by long-term, I mean greater than a period
10 of about 300 years.

11 Overall, what do the consequences of the releases
12 depend on? Well, first of all, it is initially related
13 to rate of releases to the hydrosphere.

14 First of all, you have the delay until ground
15 water contacts the debris and then you have your initial
16 rates of leaching.

17 Second of all, once the material gets into the
18 ground water you have got to transport it to the nearest
19 surface water, which in the case of Clinch River is
20 the Watts Bar Reservoir.

21 You can characterize that really by two times.
22 The first is the time it takes for ground water to get from
23 beneath the plant to the nearest surface water, and we
24 call that the ground water travel time, and that is the
25 minimum time it would take radioactivity to get from a plant

1 to the nearest surface water.

2 The radionuclides in general move at a slower
3 rate than the groundwater. They absorb the soil by ion
4 exchange, the precipitate out and they do a lot of other
5 things. So they can take many more years to get to the
6 surface water than the ground water itself.

7 And last affecting the consequences you have the
8 various exposure pathways you have to consider, your popula-
9 tions at risk and their characteristics.

10 MR: LIPINSKI: Could we talk about that Clinch
11 River site water. It sits on a peninsula and the river
12 has to run around the site. The borings showed that the
13 rock strata had cracks and crevices. What can you say in
14 terms of what the structure is like at river water level
15 beneath the plant grade?

16 MR. NIEMCZYK: We will get to that in a few
17 minutes.

18 First of all, from the Sandia study, if you look
19 at the ground water travel time, and this is the time it
20 takes for the ground water to get from the plant to the
21 nearest surface at all light water reactors, and here they
22 were lumped according to all the plants currently operating
23 and this is the number of containments versus the time
24 it takes for the water to get to the surface water.

25 This is the total number. They considered a lot

1 of proposed and under construction sites.

2 If you look at where Clinch River fits in, it
3 is over here ---

4 MR. SHEWMON: We would like to look at where
5 Clinch River is but it is very difficult. Could you move
6 over and take the pointer there and point at the screen
7 maybe.

8 MS. NIEMCZYK: It is right here at 10 to the 4th

9 MR. SHEWMON: Thank you.

10 MS. NIEMCZYK: If you do the approximations in
11 the same way they were done in this study. So it compares
12 very favorably.

13 MR. CARBON: Excuse me. Tell us again what that
14 means, that ground water travel time.

15 MR. NIEMCZYK: This is the minimum time it takes
16 for groundwater from beneath the plant to get to the nearest
17 surface water.

18 MR. CARBON: Which you said was the Watts Reservoir
19 or something.

20 MS. NIEMCZYK: Right. So presumably you have
21 at least that much time to get in there and do something
22 about your source term.

23 MR. BUSH: So that is from time zero after it
24 has penetrated the mat; is that correct?

25 MS. NIEMCZYK: Right.

1 MR. MARK: And this is water travel time.

2 MS. NIEMCZYK: This is the water travel time.
3 The radioactivity would be traveling more slowly.

4 MR. ZUDANS: It bothers me you are using a statement
5 that you have time to do something about your source term.
6 Once it is in there what can you do about it?

7 MS. NIEMCZYK: We will get to that, too.

8 MR. CARBON: Once again this is saying that
9 it is ten to the fourth days before any water becomes
10 contaminated.

11 MS. NIEMCZYK: The groundwater would be contaminated
12 but the river wouldn't.

13 MR. CARBON: Before it gets to where it would
14 influence population?

15 MS NIEMCZYK: Right the idea being that once
16 it gets to the river, the problem kind of gets away from
17 you.

18 MR. CARBON: But up until then it is really
19 not harming anyone.

20 MR. NIEMCZYK: As long as it is still in the
21 ground you have got some control over it.

22 Well, what difference does the ground water travel
23 time make in terms of population doses? Well, in the
24 Sandia study the large leg is Lake Michigan and they looked
25 at a series of water bodies.

1 The figure for the Clinch River, Tennessee, Ohio
2 and Mississippi system is just about like this, but I don't
3 have it. You know, if you look at the total population
4 dose that is possible from the releases, and this is for
5 an LWR, and look at it as a function of groundwater travel
6 time. This is what I was talking about before.

7 There is a period where they are fairly significant
8 out to about a hundred days. As soon as you get beyond
9 a hundred days, the population dose, if you don't do anything,
10 this is if you don't do anything about your source term,
11 falls off very rapidly, and Clinch River was over a ten
12 to the fourth.

13 What about the Clinch River site in particular?
14 Well for those of you who may not be familiar, the Clinch
15 River site is right here, and this is the Watts Bar Reservoir
16 that goes all around it.

17 This is kind of narrowing in on it. Here is the
18 plant itself. Here is the containment building. In the
19 topography here there is rise right through here. There
20 is silt layer right through here that is relatively weathered,
21 and there is a valley that runs down this way and over this
22 way.

23 Where your groundwater would flow is it would
24 take the shortest path through here to the surface water.
25 Both the layer here and the layer here are limestone. You

1 have got silt stone layer that is rather impermeable and
2 then two limestone layers.

3 MR. SHEWMON: Can you read that scale in the upper
4 right-hand corner and tell me how far is it to the nearest
5 body of water?

6 MS. NIEMCZYK: I know that from here to about
7 here it is about 60 to 100 feet, taking the shortest
8 estimates, which in this case is inappropriate because it
9 doesn't look like that.

10 This is the site before construction and then
11 when the building is put in there. What is under here again
12 is silt stone. It is a rather impermeable layer. It is
13 probably one of the best places you could have put a reactor.
14 It is really impermeable. There would be a very low level
15 of ground water. It is very hard for ground water to get
16 into it.

17 The construction at the site is to go down to
18 this level. With a large number of the LWRs what they do
19 is go through and dig down a ways and put in underdrains
20 and other systems to disrupt your subsurface. There are
21 no plans to do that at Clinch River. What you would have
22 is your melt debris sitting down here in what really would
23 be a very nice repository on a long term basis.

24 Looking at this section, it is perpendicular
25 to the last one.

1 Remember, I mentioned these two limestone areas
2 on either side and then again there is the silt stone.

3 Here again this distance is well over 145 feet
4 in thickness. So you have a lot ways to go before your
5 melt debris can get out of the silt stone.

6 What about the potential pathways for escaping
7 and reaching the accessible environment? Well, the usual
8 postulated path is it would escape through the silt stone.
9 In this case it is not too likely because the silt stone
10 is so impermeable. It could escape via construction channels.
11 That is not very likely at this site either because they
12 are not putting in any spare channels. It could escape
13 through fissures, at least the ones on the surface grouting
14 through. Then last, it could escape through the degraded
15 silt stone. If you have a very harsh core melt in there
16 for a long period of time, it is going to cause changes
17 to the silt stone and I am not really informed about what
18 they are. So your last two sources here would probably
19 be your main escape routes.

20 What that means is that you don't have a major
21 flow of groundwater through your melt, you don't have a
22 massive transport problem and you have got escape only
23 through the leak paths. You have got a very long time to
24 get in there and you have got very low, slow releases.

25 The way the material could get to the river, it

1 would transport through the unwetted silt stone or it might
2 move over to a limestone layer or it could move up and
3 move through the weathered layers of the surface where it
4 would move a little bit more rapidly to get to the river
5 which would decrease the ground water travel time than
6 what I stated before.

7 MR. SHEWMON: Chemically what is silt in this
8 case and what are the exchange characteristics for the
9 fission products likely to be?

10 MS. NIEMCZYK: The silt stone would have fairly
11 good absorption characteristics. Is that what you
12 are asking?

13 MR. SHEWMON: Yes.

14 MS. NIEMCZYK: The radioactivity would tend to
15 exchange very strongly in the silt stone. It has enough,
16 and I can't think of a good term for it, but it has enough
17 stuff in it that exchanges very well with materials. If
18 the radioactivity moved over into a limestone layer you
19 wouldn't have that. Limestone does not exchange at all
20 very well and you have much more rapid movement.

21 MR. LIPINSKI: What was the deepest site boring
22 compared to the river level? Did the borings go below the
23 river level?

24 MS. NIEMCZYK: I believe river level is 740, if
25 I recall correctly, and that is right here. So your basemat

1 is beneath the river level. Is that correct?

2 MR. PALM: Yes. We ran several borings, most
3 in the order of 200 feet below grade and grade about 800
4 in the plant area.

5 MR. SHEWMON: Where is that relative to the water
6 level in the reservoir?

7 MR. PALM: About 140 feet below.

8 MR. SHEWMON: All the borings and nice and dry
9 indicating there is no groundwater transportation?

10 MS. NIEMCZYK: That is right. They have done
11 all these indicated borings that they have taken, and when
12 they look at the permeabilities of the rock, the rock is
13 very impermeable.

14 MR. PALM: That was one of the criteria we had
15 insofar as locating the foundation level for the nuclear
16 island was to get essentially into a homogeneous rock below
17 clay lenses and cracks and so forth.

18 MS. NIEMCZYK: In other words, you have what
19 looks naturally like a very good site. You might decide
20 that it didn't look good enough. You might decide that
21 you were worried about your leak pathways, you might
22 decide that there was great public pressure and you wanted
23 to do something about it. Well, what could you do about
24 it? And here by "temporary" I mean what could you do on
25 a hundred year basis. because presumably what you would

1 want to do is go in and temporarily isolate the melt debris
2 and then ultimately you would want to remove it to a repository.
3 But what could you do on a sort-term basis? Well, you could
4 put in some dewatering wells around the site and you could
5 pump the water out and lower the watertable. Because you
6 are below the river that is not all that good an idea. I
7 am assuming if you stop pumping your water level would rise
8 again, and also in your very impermeable rock that is
9 difficult to do. You could inject water, and again that
10 isn't a very good idea. You could say, okay we will just
11 let the groundwater get contaminated, there is not that
12 much of it and we will pump it out it is contaminated and
13 purify it, but that just displaces the problem and then
14 you would have to worry about all the radio activity taken
15 out and the contaminated resins or whatever.

16 You might go in and freeze the ground and that
17 is obviously very temporary and very expensive. You
18 might put in a slurry trench and dig down to an impermeable
19 layer and fill it up with concrete to stop the flow of
20 groundwater. That is really just not all that good a
21 solution because quite often you can get seepage under
22 that.

23 Probably the best solution is putting in some
24 kind of an isolating grouting and I will describe that
25 a little bit more.

1 MR. ZUDANS: What would water injection do?

2 MS. NIEMCZYK: You can divert the flow of water
3 quite often. It does cite it wouldn't buy you much at all.
4 It takes a tremendous amount of water. Essentially what
5 you would be trying to do is to keep the water from coming
6 down the hill in this case.

7 MR. ZUDANS: And the ground freezing, I guess
8 you would go away from the heat source and maybe there is
9 a hope to freeze.

10 MR. NIEMCZYK: Where ground freezing would be
11 good is if you had a site that had pretty permeable soil
12 and you were just worried about early releases and you could
13 very quickly go in and freeze the ground and sort of isolate
14 it.

15 MR. ZUDANS: Can you imagine doing anything
16 very quickly on that size?

17 MR. NIEMCZYK: The advantage of the Clinch River
18 site is you don't have to do anything for a long time.
19 It is naturally a good site. If you were to plan a
20 reactor on the basis of the releases to the hydrosphere,
21 what you would do is you would plan to put your reactor
22 on an impermeable layer.

23 MR. ZUDANS: So these are the interdictive
24 measures that you mentioned before which you promised to
25 tell me more about.

1 MS. NIEMCZYK: If for some reason the site isn't
2 good enough, then what else could you do?

3 MR. ZUDANS: I am not very well sold on any of
4 these.

5 MS. NIEMCZYK: The last one is the only one I
6 would recommend and that is a grout curtain.

7 MR. ZUDANS: I thought you meant the No. 7.

8 (Laughter.)

9 MS. NIEMCZYK: What I note is that any time you
10 are dealing with a subsurface is that you are dealing with
11 a very uncertain situation and you have to have an extensive
12 monitoring program on the site because you have always got
13 a potential for leakage or some kind of escape path.

14 This is a very idealized melt debris sitting under
15 your plant. The idea is to go in and completely isolate
16 the thing with a grout curtain. Obviously you would have
17 to do it farther out than what is indicated in this figure
18 because of thermal problems. You can have serious thermal
19 degradation in your grouting and that wouldn't really help
20 you. So you would have to be out far enough that you wouldn't
21 have that.

22 What kind of an effort would be required? What
23 kind of a time scale and cost? Well, first of all, you
24 have to convene your experts and really formulate a solid
25 plan to do it.

1 Then if there have been any releases to the
2 atmosphere, you have a contaminated site and you have to
3 get in and clean up your site. The you have to determine
4 the subsurface conditions. At Clinch River, you already
5 know what those are. Especially at some of the old light
6 water reactors you don't always know well what is under
7 there. You would have to go in there and first determine
8 what was there before you could plan a mode of operation.

9 Now you might decide to wipe out a couple of
10 miscellaneous buildings at your station because they just
11 get in the way of your grouting platforms and drilling
12 equipment. Then you would have to assemble your drills
13 and your teams and your grout. You would require very
14 experienced personnel to do it because you would be slant
15 drilling. It would require very careful preparation of
16 your grout. It would be a very sophisticated operation.

17 Once you had all this done, you would try to
18 completely isolate your station.

19 MR. SHEWMON: What material have you selected
20 for the grout that has superior properties to the rock
21 that is already there?

22 MS. NIEMCZYK: It would depend on whether you
23 wanted to do extensive cracking of the rock that was there.
24 If you went in and took an option of extensive fracturing
25 then you could go with a cement or bentonite grout.

1 If, however, you decided to grout in the situation
2 that is there, about the only thing you could use is some
3 kind of chemical grout because of the low permeability
4 of the rock or low porosity.

5 MR. ZUDANS: It just doesn't make any sense
6 because if you took care of concrete and took care of silt
7 what do you have to put in there?

8 MS. NIEMCZYK: I beg your pardon?

9 MR. ZUDANS: I mean it already went through the
10 concrete and it is going through the silt.

11 MS. NIEMCZYK: It goesn't keep going forever.

12 MR. ZUDANS: I understand that, but this idea
13 of saying that you can inject something or grout something,
14 it sounds kind of childish.

15 MS. NIEMCZYK: Well, you can always eventually
16 grout. It is not a rapid procedure. At some sites it
17 would be your only viable procedure. There isn't really
18 a problem, but you are doing it in addition to it if there
19 is enough public concern. What you would initially do
20 is form a group curtain that would encircle the whole plant
21 and initially what you would want to do is form a single
22 group barrier.

23 MR. SHEWMON: That has to be one continuous barrier.
24 When you showed your cone, you would have to generate the
25 surface of that cone underneath the entire mess.

1 MS. NIEMCZYK: That is right. Obviously you
2 want to ensure the grouting conditions. What we were told
3 you need to do is to drill holes about every five feet
4 around the perimeter.

5 MR. SHEWMON: Well, holes every five feet won't
6 do. It has got to be a continuous wall, the surface of
7 a cone, otherwise I will get past any columns I put in
8 and go in between those columns.

9 MR. BUSH: You are drilling at an angle though.
10 So five feet at the surface doesn't mean anything down
11 below.

12 MR. SHEWMON: Oh, I see what you are saying.

13 MS. NIEMDZYK: The preferred procedure that we
14 were given was to go in and actually go down, if your
15 rock isn't fractured enough, you go down and actually fracture
16 it so you would have a complete penetration.

17 What you do in an idea situation is first you
18 form an initial grout curtain. You form your single cone.
19 Then you go around and form another cone. Then you go
20 back between those two cones and put in another even dense
21 layer. We are assured that probably within three layers
22 you could do it but it is just the time and effort required
23 to do it very carefully, which obviously would take some
24 effort. It is a difficult site to do the grouting. It
25 would probably take at least two years to perform the job,

1 but then you have that time because of your vapor shield
2 and you will probably have a lot more time than that because
3 you are stilling on silt stone.

4 It is really questionable whether you even need
5 to do it because of the silt stone under your basemat.

6 MR. MARK: It is really scarsely even questionable.
7 You are going to do all this, and by these estimates and
8 of course I don't believe them at all, to avoid 10 cubed
9 man-rem. You are allowed to spend up to a million to do
10 that and you can't even draw the blueprints for the grout
11 for less than that.

12 MS. NIEMCZYK: Well that is the thing. Most
13 of those doses, that population dose, this is primarily
14 a very low dose to a very large number of people. These
15 are doses that you normally wouldn't get in and do anything
16 about.

17 MR. SHEWMON: She prefaced this by saying of
18 popular demand and said just don't stand there, do something
19 and this would be something, as I understood her.

20 MR. MARK: Yes, you could clear the dump.

21 (Laughter.)

22 MR. SHEWMON: That would guarantee you a few
23 votes.

24 (Laughter.)

25 MS. NIEMCZYK: You can't say that we do what

1 is necessarily logical.

2 As far as the permanent solution, what would you
3 do after your first hundred years? Well, you could reinforce
4 the grouting, but that is probably not all that good an
5 idea. You are surrounded by limestone layers. The layers
6 currently don't have solutioning, but eventually most limestone
7 layers do get solutioning. So if you are talking about
8 tens or hundreds or thousands of years, eventually you
9 get solutioning around your grouting cavity.

10 You could also get settling of the ground because
11 your groundwater table is going to change over a period
12 of time. Therefore they will be put a stress on your
13 grouting, and the grouting in this reinforcement could
14 ultimately deteriorate. So you will probably have to do
15 something about it.

16 What you would have to do is then move the debris
17 to a permanent repository. It is mostly not any technical
18 problems that prevent you from doing something about it
19 after it has cooled down sufficiently, but it is mostly
20 legal problems.

21 The main thing you would have to worry about
22 is preventing any egress of the debris to the environment
23 as you were doing it.

24 The good features of the Clinch River plant and
25 site as far as releases to the hydrosphere is that the

1 building would have a relatively thick basemat. Also,
2 the core is relatively small. So for both points melt-
3 through would probably not be likely.

4 In addition, you would have relatively small
5 amounts of volatile radionuclides being released to the
6 hydrosphere. You would have no significant releases of
7 highly contaminated water which are the hard ones to control.

8 If basemat melt-through occurred the melt would
9 reside in siltstone and therefore there would only limited
10 water available for leaching.

11 The bedrock beneath the plant would be relatively
12 undisturbed by construction. Therefore, again you would
13 have only limited water available for leaching. You have
14 to get the material out and into the water before it can
15 go anywhere and this site really doesn't permit that.

16 If everything I have said is incorrect up to
17 this point, we still have the fact that the site is a long
18 way from the river. 1600 is a long way compared to most
19 LWR sites. Therefore if your initial efforts to contain
20 the radioactivity, you would have time to do something
21 else.

22 In summary, if the basemat melt-through and
23 no interdictive actions are taken, it is estimated that
24 the resulting consequences to the public will be relatively
25 small.

1 If it is decided that mitigating measures are
2 indicated, then it should be possible at the Clinch River
3 site to almost completely prevent any radiation dose to
4 the public by appropriate source interdictive procedures.

5 MR. SHEWMON: Is that all?

6 MS. NIEMCZYK: Yes.

7 MR. SHEWMON: Thank you very much.

8 The Chairman said we had earned a 10-minute
9 break. So why don't we take one.

10 (Whereupon, a short recess was taken.)

11
12
13
14
15
16
17
18 HEMLOCK
19 ERASABLE
20 COTTON CONTENT
21
22
23
24
25

fols Riley
SBY

1 MR. CARBON: Let's go ahead, Mr. King.

2 MR. KING: My name is Tom King, I'm with the staff,
3 and I'm going to summarize the results of the staff review on
4 local failures, and in particular, how local failures affect
5 failure propagation.

6 First slide really just gives you an idea of the
7 scope of the staff review, which really paralleled the
8 applicant's work. There was a review of experimental and
9 analytical data on local failures and blockages; that included
10 those things for fuel assemblies, blanket assemblies and
11 control assemblies.

12 We did a review of the detection systems primarily
13 from the standpoint of detection that would be acceptable for
14 terminating failure propagation.

15 We looked at the work that was still planned, both
16 analytical and experimental, in this area, and we had quite a
17 bit of assistance from Los Alamos National Laboratory in this
18 area. They were our primary reviewer and consultant.

19 The first thing I want to emphasize is we think
20 the potential for failure propagation is very small. This
21 viewgraph just lists some of the major features which we feel
22 help prevent failure propagation. The fact that we used ducted
23 assemblies that have about a 120 mil thick hex can around the
24 pin bundle which tends to retard any propagation from one
25 assembly to another. There's flow blockage prevention devices

1 and the zirconium gas entrainment prevention devices, features to
2 prevent misloading errors, extensive QA and inspection during
3 fuel blanket assembly control, assembly fabrication. And
4 there's instrumentation. Delayed neutron detection, fission
5 gas detection, core exit thermocouple systems in the plant to
6 look for effects of local disturbances.

7 Types of failure or causes of failure that were looked
8 at were stochastic pin failure -- two different defects or
9 welds or cladding. Failures due to insufficient heat transfer,
10 due to low flow or excess power.

11 MR. SHEWMON: Sir, this has been a problem for longer
12 than many of us have been around. Is there any -- or a
13 hypothetical problem. Is there any evidence that it can occur
14 or under what conditions might it occur?

15 MR. KING: I'm going to get into that in a little
16 bit.

17 MR. SHEWMON: As quickly as possible.

18 MR. KING: To give a little more breakdown on the
19 types of effects that were evaluated, fission gas releases
20 within several different scenarios, follow that. Fuel
21 release, excess power events, low flow events, changes in heat
22 transfer, fuel performance, and fuel performance after a cladding
23 breach, and I won't talk about each of these. The main thing
24 I wanted to show you was I put an asterisk next to those
25 events where there was not only analytical data but experimental

1 data to back up the conclusions that were reached for each of
2 these. And as you can see, there's quite a few asterisks that
3 show up on here since there's quite a bit of experimental
4 support to back up the conclusions of the analysis.

5 MR. LIPINSKI: That must pertain to individual
6 pins as opposed to the whole core.

7 MR. KING: Yes, individual pins. Local events.

8 MR. SHEWMON: But presumably, he's still talking about
9 propagation.

10 MR. KING: The intent is to keep local events from
11 becoming whole core events.

12 The conclusions that we reached from our review are,
13 one, there's been no observed fuel failure propagation in any
14 operating LMFR and that includes the United States and foreign
15 plants. Most of the failures have been small pinhole cladding
16 breaches that release fission gas. All analysis and experi-
17 mental data indicate that fission gas releases, small local
18 blockages do not lead to additional pin failures. It takes
19 large flow blockages or expulsion of molten fuel to cause
20 additional pin failures. The time required for additional pin
21 failures to occur, at the earliest is on the order of minutes,
22 and depending on the event can extend out into hours.

23 Fuel will be exposed to flowing sodium in a situation
24 that leads to additional pin failures.

25 MR. MARK: Excuse me, could you interpret that for

1 me? Do you mean that if there are additional pin failures, that
2 things will still be cool because the sodium is flowing? Or
3 the flowing sodium causes the additional pin failures?

4 MR. KING: What I meant by that is that it takes an
5 event that causes either the injection of molten fuel or flow
6 blockage severe enough where you have cladding melting and
7 physical motion of fuel to affect the pins around it and to
8 cause additional failures. In which case you will have fuel
9 exposed to flowing sodium.

10 MR. MARK: Okay. So that may lead to some processes
11 like fuel cladding interaction and dissolving and stuff.

12 MR. KING: Right. Which has been -- part of the
13 evaluation is one of the things they looked at was fuel cooling
14 interaction.

15 MR. SHEWMON: One could also conclude that it would
16 quench the fuel and it wouldn't travel so far.

17 MR. KING. For small amounts of fuel released the
18 tendency has been the coolant sweeps it right out of the core.

19 In looking at detection needs, we concluded that
20 we need to absolutely do a reasonable job of saying we can
21 detect and prevent failure propagation, covering the range of
22 types of things that can occur. We need a fast-acting system
23 to detect it.

24 And we've looked at the core exit thermocouples,
25 core exit flow meters and the DND systems, and we've concluded

1 that the DND system has the highest probability of giving us
2 that detection capability because it will detect fuel exposed
3 to flowing sodium, which we've concluded is the condition
4 required to have propagation.

5 MR. LIPINSKI: Is it a fast-acting system or is fast
6 enough on the basis of the timescale in which it takes place?

7 MR. KING: In Clinch River, it's in the order of about
8 a minute to get a signal on the DND, and we feel that that's
9 fast enough. Whether that needs to be tied into the plant
10 protection system or not is something we're going to evaluate
11 at the OL stage and the next slide will get into this.

12 Basically, our bottom line is that in installing the
13 DND system, we don't want to preclude being able to tie that
14 into the plant protection system, the scan system, at this
15 stage. Whether that needs to be done or not will be part of
16 the OL review.

17 There's additional data or additional testing still
18 going on in this area, evaluation. We feel that we would like
19 to have that completed. I have listed the three items that
20 we feel fall in this category: completion of the run beyond
21 cladding breach program. This country has not generated much
22 data on the performance of LMFBR fuel after there's a cladding
23 breach, and this program at EBR-2 is underway to do that and
24 we feel completion of that program is a requirement.

25 Completion of the confirmatory FFTF testing of

1 the assemblies that are prototypical of Clinch River. That
2 includes assemblies up to cladding breach. And completion of
3 the examination and evaluation of the P-4 test which was a test
4 run in the SLSF facility in Idaho that actually injected
5 molten fuel into a -- I think it was a 37-pin bundle for any
6 worst case site conditions, looking for propagation. And that
7 test is under examination right now.

8 And the summary of our position at this stage is the
9 DND system should be installed so as not to preclude connec-
10 tion to the scram system. A final decision on the need for that
11 connection will be made as part of the OL review. At this
12 stage, our position is if there's failed fuel, if there's a
13 fuel failure in the plant, it's detected, that should be
14 removed at the next shutdown, whether that's planned or
15 unplanned shutdown. And if the DND signals sees a pre-determined
16 level, that will be a special shutdown to take that out.

17 And a complete P-4 tech examination, a rundown
18 cladding breach, the FFTF testing programs and consider it's
19 acceptable for a CP with the above conditions met.

20 That concludes what I wanted to say.

21 MR. CARBON: Any questions?

22 MR. LIPINSKI: In connection with the RSS, have you
23 concluded whether it has to be both primary and secondary,
24 or are you not considering that at this point?

25 MR. KING: We haven't considered that. We haven't

1 MR. ZUDANS: Mr. Chairman, I have one residual
2 question from the previous Westinghouse presentation related
3 to this load-carrying capability of the top head, and I'd like
4 to ask it and maybe the answer could come later.

5 This is the question. The head and rotating blocks,
6 from what we were shown, they form non-uniformly around the
7 circumference. As a consequence of that, the shear teeth that
8 transfer that load to the vessel flange will be loaded non=
9 uniformly. And I'm wondering whether the non-uniformity of
10 the shear key loads has been factored into the load capacity
11 that was associated with these shear teeth.

12 That's the question, and the answer can come later.

13 MR. CARBON: Unfortunately, the individual that answers
14 the questions has now left, he's driving back to Pennsylvania
15 so we will have to get that answer to you next time.

16 MR. LIPINSKI: This is a residual question from that
17 basemat issue. We've talked about instrumentation following
18 the course of an accident. Has anybody considered laying
19 thermocouples underneath that basemat before it's poured?

20 MR. SCHWALLIE: If I could answer that, the answer
21 is no.

22 MR. CARBON: Move on, Mr. Schwallie.

23 MR. SCHWALLIE: My name is Ambrose Schwallie from
24 Westinghouse. The next series of presentations that you're
25 going to hear will be an attempt to summarize the technical

1 information that exists today on local faults. To get to that
2 end, what we'll do is provide a description of the fuel
3 design so that we have a terminology that's consistent among
4 us so that the follow-on presentations are on a common base.
5 We'll review for you the pertinent data base relative to local
6 faults, conclusions on fuel failure propagation and the potential
7 for it. The kinds of local faults that we'll be talking about
8 basically are operation with breached fuel, the breach itself
9 and follow-on operation after that time, and blockage potential,
10 both inlet blockage as well as incore blockage.

11 We'll describe to you and give you some idea of the
12 sensitivities and what we can see with the detection of the
13 locations systems that are built into the facility. And this
14 area, as Mr. King described, is the cover gas monitoring system,
15 failed fuel location system, the delayed neutron monitoring
16 system, and we also have the capability to take cover gas
17 samples as well as sodium samples. We'll describe to you the
18 intended use and utility of the core outlet thermocouples and
19 what their sensitivity and intended purpose for incorporation
20 into the plant is, and then we'll close off with a discussion
21 of the foreign and domestic experience on PPS instrumentation
22 and the usage of that relevant to local faults.

23 MR. SHEWMON: In view of the fact that we're now an
24 hour behind in schedule and that the committee isn't too shy
25 here, would you tend to skip over things, and if we have

1 questions we'll ask them.

2 MR. SCHWALLIE: Okay. What I'll do, then, is
3 basically state our summary on technical and local faults, and
4 this is where we want to get to, to this understanding at the
5 end of the day. The position is that rapid rod drop failure
6 propagation due to local faults leading to a cause of loss of
7 coolant geometry is incredible. What I mean by incredible is
8 there's no realistic mechanisms envisioned to do that on a rapid
9 basis. And it's not occurred in any of the experience to date.

10 WE do have instrumentation to alert the operator to
11 local fault conditions, and considering the long time intervals
12 necessary for any postulated propagation, we can provide the
13 operator with sufficient warning well in advance to take any
14 kinds of corrective actions necessary.

15 So since rapid rod-drop propagation is incredible,
16 we do not believe that the requirements for local fault detec-
17 tion and protection against any kinds of propagation is
18 considered necessary for incorporation into the PPS.

19 Most of you I think are familiar with the design
20 and I'll save some time here. All I wanted to do was to get
21 some terminology straight between us. The presentation
22 following me by Mr. Markley will discuss the potential for
23 this area of the fuel assembly to undergo a blockage situation,
24 from the lower inlet nozzle up through and including into the
25 rod bundle itself. Mr. Tilbrook will talk about incore blocking,

1 this heat generating type blockage. Just to remind you, we
2 do have a discriminator to protect against sub-assembly mis-
3 placement in the core. We have one enrichment zone so we do
4 not have an over-power situation in the core. We do have
5 protection on the top end of the assembly to preclude any kind
6 of blockage of a misplaced assembly coming into the core through
7 this feature.

8 The thing that might be of concern is blocking from
9 the lower end up. In terms of the fuel rod itself, we'll talk
10 to you today about breaches, cladding breaches. The rod, as
11 you're familiar, has, from the bottom up, 64 inches of pellets,
12 the active fuel region surrounded by depleted uranium oxide,
13 and then a fission gas plenum on the top.

14 Now, we'll talk about incore sodium contact breaches.
15 That means a breach in the cladding next to the active fuel,
16 where a fission gas leak could be from anywhere up in this
17 region of the pin; not adjacent to fuel, but could be a region
18 whereby sodium could ingress into the pin and go down next to
19 the fuel.

20 Blanket assemblies look just like fuel assemblies
21 and all the pertinent features relative to blockage and local
22 fault considerations. Same kind of inlet region, orifice plate
23 design up to the rod bundle; both the fuel and blanket assemblies
24 use a wire wrap to space the fuel pins in the bundlet relative
25 to each other, which is a fantastic design feature for providing

1 swirling, mixing and cross-flow between pins relative to any
2 kind of blockage situation. You can see that wire surrounds
3 and wraps up around the pin.

4 MR.LIPINSKI: On that gas capsule, is that gas open
5 to the full plenum, or is it contained in the capsule?

6 MR. SCHWALLIE: Yes. What happens is after we weld
7 the pin shut and it's hermetically sealed, we rupture a
8 diaphragm with this penetrator and the tag gas permeates itself
9 throughout the pin so it's available wherever the breach would
10 occur.

11 MR. LIPINSKI: That would occur at construction.

12 MR. SCHWALLIE: That's right.

13 MR. SHEWMON: You have one set of isotopes per sub-
14 assembly?

15 MR. SCHWALLIE: That's right. Each assembly has
16 a unique xenon-crypton mixture.

17 The only other point I want to leave you with at this
18 point is the design philosophy kind of thing which is kind of
19 important because it has some connotation to the kinds of
20 numbers and how many you expect to have.

21 The bottom line of this viewgraph is that all the
22 way through normal, anticipated and unlikely events a design
23 basis for the plant is that we've established design limits
24 that preclude mechanistic age-old failures from happening.
25 And that's through normal anticipated events and the worst

1 unlikely event including uncertainties. Such that we're trying
2 to do the job from the standpoint that what failures we have
3 will probably be stochastic in nature, and of the infant
4 mortality type. And LWR experience, if we can get to be that
5 good, indicates that that's about 01 to 02 percent. The
6 number of rods and thrusts. That's in the range of 5 to 10.
7 So we don't expect a large number of failures to have to deal
8 with.

9 Now, unless you have some specific questions of me
10 at this time, I would close at this point to save time.

11 MR. CARBON: Fine, thank you.

12 MR. SCHWALLIE: Mr. Markley will now talk to you
13 about in-core blockages.

14 MR. MARKLEY: I'm going to be discussing the CRBR
Tp 4 starts 15 inlet blockage consideration. My name is Bob Markley.

16 These are the two viewgraphs that summarized my
17 last presentation in February, just to bring you to that speed
18 again. The summary inlet in-module blockages are highly
19 improbable because of the built in-flow blockage prevention
20 features which provide much flow path redundancy. And let
21 me just review those.

22 First of all, we have multiple primary ports; six
23 in each of the inlet modules, which would be certainly very
24 difficult to block. Further, we have radial and axial debris
25 barriers which would prevent any large object getting up into

1 this region (indicating). And then we have the auxiliary flow
2 ports where flow can also enter the modules. It seems just
3 impossible to block any of that region.

4 We have a strainer that strains all the flow that
5 enters all these holes, and a wide open area for flow and also,
6 multiple slots where the flow enters all the core assemblies.

7 MR. SHEWMON: What's the shape of your strainers?

8 MR. MARKLEY: They are quarter inch diameter holes.

9 MR. SHEWMON: What is the shape? Where are they?

10 MR. MARKLEY: The shape is a sleeve on the inside
11 here attached to the module and the flow --

12 MR. SHEWMON: So it's a cylinder, not a flat filter.

13 MR. MARKLEY: It's a cylinder. The strainer
14 prevents debris larger than a quarter inch from entering the
15 modules. The orifice plates provide another level of screening
16 up above in the unlikely event that anything would even be in
17 there. And debris not strained by the fuel rod support keys
18 and the unheated rod bundle entrance will pass through the rod
19 bundle, and my next viewgraph will elaborate on that.

20 And again, even 50 percent aerial blockage is here
21 causes very small decreases in temperature. So we have a lot
22 of margin in these areas.

23 Now let me go up into the rod bundle inlet region.
24 This is a picture of that region. This is the bottom of
25 the rod bundle, the flow enters from below. These are the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

attachment rails; they are attached to these support bars which are attached to our shield box. So the flow is entering in this direction, and let me just go through the rationale on the screening effect of this. First of all, there's certainly a very low probability of having objects in the system. We have a QA program comparable to the FFTF program which was very successful. They had very little debris in that system.

We have core support -- core special assemblies during pre-operational testing which will filter anything out of the system greater than 4 mils.

*End of
slide photo.*

HEMLOCK
BRACKLE
COTTON CONTENT

1 MR. MARKLEY: And in the unlikely event that
2 you would have particles in this particular matter from all
3 the evidence we have seen, we would expect very slow build-up.
4 In your test of path entrainment, and even if you put a
5 large amount of particles into this system, it's widely
6 distributed. We never saw a preferential type of flow
7 that would just go to one assembly. It's very widely
8 distributed in all of those tests. We saw that in all
9 cases and, of course, particles of concern would have to
10 be exactly in this size range and at this entrance region.

11 There are more than 400 interconnected flow
12 channels. What I mean by that, all these channels are inter-
13 connected and you would get very rapid flow recovery even
14 behind any kind of blockage that you could conceive.

15 In addition, the margins to accommodate blockages
16 are large. We have, as I mentioned, redundant flow paths
17 in the subchannels. They are all connected, and there is a
18 large amount of cross flow between any of these subchannels.

19 For instance, in one foot in the fuel assembly,
20 you have about 200 percent cross flow vs. your axial flow,
21 very large amounts of cross flow. There is a lot of flow
22 coming in and out of these channels. That's based on the
23 tests that we ran, air flow tests, studied those in great
24 detail.

25 MR. CARBON: What does that lead to? 200 percent

1 velocity or quantity?

2 MR. MARKLEY: If you take the average axial flow,
3 mass flow, the amount of cross flow in and out of that channel
4 it is 200 percent of that.

5 In addition to that, there is also a cascade
6 strainer effect here again in the event that you would get
7 something, anything larger than about 150 mills would stop
8 right here at the leading edge of these rails. Something
9 between 150 and 100 mills might get into where the rods
10 start, and then further anything smaller than that, about
11 56 mills might get a few inches up here, but again that's
12 a foot below any of the heated portion of the rod, so there
13 is again sufficient time for any flow recovery. It's just
14 hard to concede that you would take tremendous amounts of
15 particles to cause a flow reduction, and that's again
16 what I am saying here. Actually because of some of this
17 cascading straining effect, it would take even larger
18 than a 50 percent blockage to get that kind of a temperature
19 increase.

20 MR. MARK: That 56 mills is magic because
21 anything smaller just goes on through.

22 Does that back up the picture you are describing
23 here?

24 MR. MARKLEY: Yes.

25 FFTF is almost identical to our fuel bundle.

1 There's a little bit of difference in length.

2 MR. MARK: I don't know how long it's run, but
3 there is no blockage experience.

4 MR. MARKLEY: No, in fact, if their CSA, if they
5 did run, showed very little particulate matter. They have a
6 little few particles, but not very much.

7 MR. ZUDANS: When you made this presentation
8 last time, I had some problems believing that you didn't
9 have accumulation potential right where the entire wiring
10 begins.

11 Now, I understand last time you explained it,
12 you would need tremendous amounts of particles, and you
13 simply didn't have them.

14 MR. MARKLEY: That's correct. And further, all
15 of those channels are interconnected and highly inter-
16 connected.

17 MR. ZUDANS: I'm saying they are connecting
18 about that point. If you would block the entrance, you
19 could either connect them a foot higher or --

20 MR. MARKLEY: Yes. It's interconnected to full
21 length.

22 MR. ZUDANS: Is that only within a single channel?
23 There is no interconnection between adjacent channels?

24 MR. MARKLEY: Yes. It's just within one of these
25 217 rods and also the 400 subchannels. They are connected

1 with a large communication of flow between them.

2 MR. ZUDANS: What we see here is --

3 MR. MARKLEY: This is the bottom of the inlet to
4 the rod bundle and one subassembly.

5 MR. ZUDANS: And this is in case of a duct?

6 MR. MARKLEY: Right. The duct is round in
7 circumference.

8 MR. ZUDANS: If you blocked off this one, there is
9 no communication?

10 MR. MARKLEY: There is no communication between
11 this assembly and the adjacent one. They are closed ducts.

12 MR. DICKSON: However, if I could refer you back
13 to where those were all initially fed, there is significant
14 interconnection in all of these, such that anything larger
15 than the quarter of an inch that would be screened out and
16 did block one hole, would not block a subassembly.

17 MR. ZUDANS: Well, I understand that question.
18 The only thing is if I blocked it beyond those rails, then
19 there is no recourse completely. I would have to have lots
20 of particles to block this beyond the rails, because your
21 smallest cross section begins where the pins begin.

22 MR. MARKLEY: Remember, we put assemblies in
23 here, our core special assemblies that filter the whole
24 system down to like 4 mills before we start --

25 MR. ZUDANS: Yes, I think you are convincing.

1 The only thing -- something still lingers in my mind in that.
2 I don't like the place where they got stopped. It is my
3 feeling they should have been stopped before, but that's
4 okay.

5 MR. CARBON: Let's move on to Mr. Tilbrook.

6 MR. TILBROOK: My name is Roger Tilbrook, from
7 the Westinghouse Advanced Reactors Division.

8 Some of what I am going to tell you, you have seen
9 before, so I'll move through as quickly as I can, and tell
10 me if there is anything you want to discuss, if I left some
11 of the details out.

12 Basically I am going to cover what is in 15.4 in
13 the failure event. A failure which is initiated within a
14 single fuel assembly within a bundle. The details of
15 design and the filtering process was addressed earlier.

16 I am going to look at what happens in the bundle.
17 Stochastic rod failure postulated local blockage in the
18 assembly, a bubble going through the core, and finally
19 because it's addressed in the PSAR, molten fuel consequences.

20 This here is stochastic rod failures.

21 (Slide.)

22 I'm going to touch very quickly on fission gas
23 release, fuel particle release, and operation with failed
24 fuel.

25 Fission gas release. We consider several effects.

1 The initial thermal effect of the gas jet impinging on a pin.
2 We look at rod gas blanketing, which is a more microscopic
3 effect, and we address transient mechanical loading within
4 the PSAR.

5 This first one was addressed very extensively
6 by a series of tests at the Argonne National Lab, and
7 blanketed all the core design conditions significantly on
8 either side, and we apply those to conditions within the
9 core on a 3 sigma pin, and we find that we can reach, if
10 you assume a steady state jet of the worst type of 1600
11 degrees Fahrenheit.

12 On the other hand, we find the blowdown is
13 relatively now out of the fuel pin, if it's in a plenum
14 in which there is no thermal effect on the neighboring
15 pin, because there is no heat generated, and if it's being
16 released, there is two orders of magnitude of levels on
17 which you would see any significant thermal consequences.

18 So this is not a problem within the scope that
19 we are looking at. With the thermal blanketing effect, we
20 find that this is postulated within the PSAR. The condition
21 we fail, on 217 pins, and we find that we get perhaps 150
22 degree temperature increase maximum for 3 sigma, 115 percent
23 of a power pin.

24 On the other hand, if we consider a single rod
25 failing in the core, the consequences are negligible. The

TAYLOE ASSOCIATES

REGISTERED PROFESSIONAL REPORTERS
NORFOLK, VIRGINIA

r ar7
1 gas is dispersed throughout the assembly, shown by tests,
2 and they are of no consequence within the bundle at all.

3 In terms of mechanical loading on the ducts -- well,
4 we look at the mechanical loading on the rod and the ducts.
5 In terms of the rod, we find that we have a very high sonic
6 velocity in sodium, and you cannot sustain a pressure if
7 there is a cross pin sufficient to cause damage. If you
8 look at a duct, we find the duct pressures are limited for
9 analysis and experiment to be about 30 percent of the fission
10 gas pressure. These conditions give us about 200 psi maximum
11 local pressure, and this is well within the range that we
12 have as the capability within the bundle.

13 This was addressed as part of the OECD
14 international agreement, and the reports, CSNI report 40,
15 and this basically says there is no past, no record
16 propagation, and this was agreed to in the ACRS Subcommittee
17 on Advanced Reactors report that is being reviewed.

18 There is also some experience in this area,
19 as much as we have never seen fission gas related propagation
20 that I mentioned, and experienced.

21 As we consider particle release within a bundle,
22 operating experience with failed fuel indicates little or no
23 washout from fuel pins.

24 Gregory in the United Kingdom issued a paper.
25 Leon discussed this in some detail and said particle release

1 is very rare, and there is no evidence that is caused by slow
2 consequences at all.

3 He also indicated that it takes place over a
4 considerable period of time, and the particle sizes, 45 percent
5 of them are below about 10 mills, and 75 percent are less than
6 40 mills, which is well within the range addressed earlier
7 for things being swept through the bundle.

8 Heat generating blockages associated with
9 assumed particle retention in the bundle are discussed later.

10 However, in the mode they are postulated, because
11 the tests performed at UCLA that I mentioned last time,
12 wouldn't show any evidence of blockage generation at all.
13 Operation with failed fuel. We find that you can look at
14 fission product leaking into the system. This is cleaned
15 up by the sodium clean-up system and does not represent a
16 safety hazard to the reactor. If you consider how you
17 get sodium ingress into the pins such as occurred during
18 power cycling, the pressure that may be postulated, if you
19 get vaporization of sodium, it's relieved through the
20 initiating breach.

21 GE did a test where they shot a fuel pin which
22 actually had a plug of sodium on the fuel centerline without
23 any consequences at all.

24 Finally, you can look at fuel-sodium chemical
25 reaction. This was addressed a little earlier, and the next

1 line addressed that.

2 In terms of operating with failed fuel, let's
3 consider what experience around the world has been, and if
4 you look at the molten test, they had grossly destructed fuel.

5 MR. CARBON: What test?

6 MR. TILBROOK: A series of tests done by the
7 Germans, Belgians, and Dutch, and the PR-2 reactor. There is
8 a series of five. The first two had stainless blockages
9 around the fuel. It was operated in one case for 48 minutes
10 without any effect.

11 After the test had been done, they used the fuel
12 blockage, they ran for five days without any consequences
13 to the system at all, and that's a bounding type considera-
14 tion for failed fuel operation.

15 The fuel-sodium, the reaction is part of the
16 concern that we have with local fault and why we take
17 particular interest in it. It is different. One of the
18 main characteristics with light water reactors, you can't
19 get a uranium-plutonium form in the presence of free oxygen.
20 You can get some fuel swelling through the breach. Under
21 the worst case conditions at the end of life, where the
22 oxygen potential in the fuel is maximized by the deficiency
23 during life, and you assume all the free oxygen is available
24 at the one breach site.

25 We still only have 1.7 percent expansion, which

1 has negligible effect on the flow, the rest of the circuit, and
2 the heat transfer in the rest of the bundle.

3 Kinetic data indicates about two to six days to
4 reach equilibrium, which is a relatively slow process. This
5 is based on stabilization of the DN signals in which they
6 fail fuel.

7 MR. SHEWMON: Are you saying if all the excess
8 oxygen reacted, there would only be enough uranium to give
9 that much expansion, or what?

10 MR. TILBROOK: Yes, if you assume all the free
11 oxygen goes to that one site, that is the assumption.

12 Experience indicates sodium-fuel reaction does
13 not lead to failure propagation. There have been several
14 tests, DFR, Rapsodie, and several other reactors, where they
15 run with no fuel and even 100 days, and there is no
16 consequence in the fuel bundle at all by way of propagation.

end 7-C

j-1
7-D
Leslie

1 MR. LIPINSKI: Before you take that off, on the
2 sodium, MO₄, what does that mean?

3 MR. TILBROOK: It stands for uranium. It is used
4 for the heavy elements.

5 MR. MARK: Well, the temperatures that are applied
6 in the DFR, Rapsodie, are all the same temperatures?

7 MR. TILBROOK: They are all in the same ballpark.
8 They may be slightly cooler in some cases, but they are all
9 basically in the same regions.

10 MR. MARK: I imagine what you might ever go on
11 could be sharply dependent on temperature.

12 MR. TILBROOK: That's probably true.

13 The next item is local flow blockages within the
14 bundle. These were addressed at the last meeting when we
15 talked about this back in February. All I will do is put a
16 summary sheet up here. The six-channel in-core passive
17 planar blockage, based on the experiments that were run at
18 Oak Ridge, indicate that the worst consequences will be a
19 reduction of fuel lifetime.

20 The formation of heat-generating blockages, which
21 could occur by fuel being relocated within a fuel bundle,
22 we would know about that during the relocation due to --
23 first, we know we would have a failed fuel pin from the cover
24 gas monitors, and then we would be able to track any expansion
25 in the breach size with the DND system, so we are not going

j-2

1 to create a heat-generating blockage that we don't know about
2 and that we cannot monitor to maintain within the criteria
3 that is to be established for the plant operation.

4 The DND system is capable of detecting HGB smaller
5 than that which could propagate damage.

6 MR. MARK: I think the last speaker showed us
7 pictures of the fuel pins with a mysterious gas tag capsule.

8 MR. TILBROOK: Yes.

9 MR. MARK: Now, does that not belong on this page
10 that we are looking at as another thing you could be watching
11 for?

12 MR. TILBROOK: No. The gas tag capsule is inside
13 the fuel pin envelope. There is one per fuel pin and it is
14 within the envelope of the fission gas --

15 MR. MARK: But you have got here -- it just tells
16 you that you have got something to look at.

17 MR. TILBROOK: No, I understand the gas tag is just
18 a location device. You don't monitor the gas tags continu-
19 ously. You monitor the cover gas constantly, and if you can
20 detect a failure, then you will dip into the gas tag for a
21 sample for the gas tag system to identify the failure
22 location.

23 MR. MARK: Now, I wanted a word or two about that
24 gas tagging. It is a mixture of what? Is it gases or isotopes?

25 MR. TILBROOK: Gases. I am not the best person to

j-3

End 7D

1 talk about the gas system.

2 This is one of the potential causes of failure
3 within the fuel bundle, the small bubbles passing through the
4 core. It has been taken within the system to design so
5 that potential gas pockets accumulate gas in a significant
6 volume that could go through and get into the core, and
7 back in February we demonstrated how bubbles were -- any
8 large bubbles were broken up and dispersed, so there is no
9 chance of getting a large bubble, for example, of this type
10 as being postulated here.

11 Part of Section 15.2, the reactivity -- as a
12 consequence of it, there are some heat transfers, along
13 with reactivity preservation, something of this size, and
14 we get 68 degrees Fahrenheit.

15 The reactivity consequences, the small bubbles,
16 are negligible, a 5-inch bubble going through a subassembly
17 is worth, the maximum location, around about 1 cent or
18 something of that order.

19 So the preservation is due to negligible and
20 undersized, is 25 degrees Fahrenheit maximum increase in
21 temperature of the exit of these conditions, and we see
22 no propagative consequences due to bubbles in the system.

23 I'm going to go through a very quick summary of
24 molten fuel issues. In the PSAR they are addressed as
25 potential hypothetical postulated consequences and how a lot

j-4

1 of research has gone on to address the issues. We know
2 from our analysis that molten fuel will not occur. They
3 occur during a molten event, but not during any other, and
4 in these circumstances is a scram transient.

5 Molten fuel is not formed behind passive planar
6 blockages that could be postulated. Boiling should produce
7 clad failure, if you postulate a large enough blockage for it,
8 a sufficient size, but it won't give molten fuel. Molten
9 fuel just isn't formed in heat generating blocks which
10 are nondetectable. The sensitivity of the DN system will
11 be addressed later, about a factor of 3, smaller than the
12 smallest blockage that we have identified that could
13 potentially cause 1600 degree Fahrenheit on the cladding.

14 The D-1 and D-2 tests show transient operation
15 with molten fuel. There is about 79 milliseconds. There
16 are no consequences in these. However, P-1, they generated
17 molten fuel in there and operated with it for the equivalent
18 of about a day. It was not all in one operation. They
19 melted and remelted the casting and remelted it, and there
20 was no consequences out of that, either, and went on and
21 performed the test as originally planned.

22 Worldwide experience with liquid metal oxide fuel
23 plants is extensive and all the evidence supports the facts,
24 that there are no consequences from fuel failure. We have a
25 quick review of what we know of some of the failures around

TAYLOE ASSOCIATES

REGISTERED PROFESSIONAL REPORTERS
NORFOLK, VIRGINIA

1 the world. Many of these plants, whether identified like
2 Phenix, PFR, where these are operating plants, they are
3 also being used as a radiation type facility as well.
4 Many of these failures are in precisely these types of
5 assemblies where you are testing a new design, pushing a
6 design harder, when this failure here, FFTF, was precisely
7 one of those types of situations with its advanced design
8 for blanket pins, and this is what failed in its early life.

9 end 7-E

10
11
12
13 HEMLOCK
14 ERASABLE
15 COTTON CONTENT
16
17
18
19
20
21
22
23
24
25

j-1
7F

1 In some cases this large number here on DFRs is
2 because of a downflow plant and you don't get the normal
3 gravity of the bubbles, so that is not really representative
4 of situations we are looking at. Several of these other
5 areas like Rapsodie, most of those failures are way out beyond
6 the design conditions that you would expect in our plant and
7 are representative, again, of fuel design prototype tests, new
8 design proof tests and things of that nature.

9 In no case is this propagation being seen from
10 one pin to another, so we conclude for local faults that
11 local failure rates in normal driver fuel, stochastic fuel
12 rod failures doesn't lead to failure propagation. Failed
13 fuel is detectable first by the cover gas. You can then
14 locate it and you can monitor it, progress, if you choose,
15 to leave in the core after a DN signal has been established
16 by the DN system.

17 Degradation processes are slow and can be
18 monitored with removal at predetermined operating limits as
19 appropriate, and they may change during plant design.

20 Finally, the consequences of failed fuel are
21 benign. The processes are well controlled. They are so slow
22 that EBR-II even took a DN system out that they had at one
23 time. Even though they are a test reactor, they remove it
24 from the system.

25 Any questions?

j-2
7F

1 MR. CARBON: Yes, a general question. At one time
2 there was considerable concern about possible rapid and pin-
3 to-pin propagation. Are you saying that now it is
4 essentially a complete consensus in the United States that
5 that is just no longer?

6 MR. TILBROOK: I would say that is complete consen-
7 sus among the international community. The only way you can
8 get a rapid failure propagation is at time of failure, is
9 what you are postulating, and that means it is associating
10 with fission gas release and CSNI-40 Reports had a committee
11 which included the Japanese, the English, the Germans, and
12 the French, all in working on the report. They came to a
13 consensus that fission gas release by itself is not, of
14 course, a propagation.

END 7F

15
16
17
18
19
20
21
22
23
24
25

LESLIE

7-
arl

1 MR. CARBON: Fission gas release, but there are
2 other potential initiator events, and my question was,
3 insofar as the United States is concerned, is there a
4 consensus that none of these potential initiating events
5 will lead to rapid propagation?

6 MR. TILBROOK: Fission gas is your only rapid
7 propagator that you have at this time.

8 MR. CARBON: You say fission gas release?

9 MR. TILBROOK: Yes, sir. That is the only thing
10 that occurs when stochastic pin failure happens, that is,
11 release of fission gas of perhaps a particle, that is
12 swept right out with it, and the only consequences in the
13 neighboring pin by propagation could be the gas release
14 effect.

15 MR. SHEWMON: And you are saying that the
16 only possible one, and that doesn't seem to work that way?

17 MR. TILBROOK: There is a postulate for rapid
18 propagation which is defined within the industry of something
19 that occurs at the time of stochastic pin failure, a pin
20 failure itself, gas release, and that is the only thing
21 that can occur at that time, and it isn't a propagative mode.

22 MR. LIPINSKI: Could I react to the question
23 and leave the word "rapid" out?

24 MR. CARBON: I'm still somewhat unclear. You cite
25 European agreements and so on, but I can also cite European

ar2

1 publications where they don't agree, so that's where the
2 source of my first question on consensus in the United
3 States came from, and I guess you are saying --

4 MR. TILBROOK: In the United States there is
5 consensus.

6 MR. CARBON: That there is no concern about the
7 rapid propagation due to failure of the pin itself, whether
8 it be fission gas or anything that --

9 MR. TILBROOK: At the time of failure, it is
10 not a concern within the United States.

11 MR. CARBON: And then you are saying further
12 that that same consensus holds internationally?

13 MR. TILBROOK: Yes.

14 MR. CARBON: I guess Item No. 6 here has to do
15 with that discussion internationally. If that is so, I'll
16 raise this question. I can wait, or I guess I still can
17 go back to where I can cite data that not all people seem
18 to be in agreement with that. I don't know whether to ask you.

19 MR. DICKSON: Roger, you did look into some of
20 the reports that Jack Moore was paraphrasing.

21 MR. TILBROOK: We adjusted the reports in the
22 paper.

23 MR. CARBON: That's what I'm referring to.

24 MR. TILBROOK: None of those reports are concerned
25 with rapid propagation. The three reports from local

1 failure that went to the rest of the Leo meeting also have
2 supported that, because you address the French experience
3 and the papers that you cite in that were cited in Jack
4 Moore's paper. Gregory is very strongly of the opinion
5 that those things are so robust you can almost do anything
6 to them and you will will still survive.

7 The foreign paper, which is a source of figures
8 with a branched table, that leads you through to some of
9 that, the requirements are not concerned with rapid failure.
10 They are concerned with postulated flow failure and sort
11 of conditions that he is using as part of his argument
12 or needs as part of his argument, way beyond the bounds
13 of acceptance, as demonstrated by experience, and in the
14 Gregory paper, which is also presented, addressed some of
15 those concerns and indicates you'd have to have about three
16 kilograms of free fuel in a relocated assembly to form a
17 blockage sufficient to give you the sort of conditions
18 that are alluded to, and there is no way you could get
19 that sort of blockage without being well aware of its
20 existence within the assembly from the DN detection.

21 MR. CARBON: Perhaps my final question is why
22 did they feel they needed rapid-acting rapid propagation.

23 end Lelise 7

24

25

T. 8A(1)
Ron
Rabb
fls
Leslie

1 MR. TILBROOK: I don't know. I can see no logical
2 reason for them doing that. When I look at some of the other
3 European information, like the French, I talked to them just
4 yesterday, they stated to me that for Super PHENIX they would
5 be quite happy to reduce their thermocouple to one-third
6 coverage. They are looking for global effects. They are not
7 looking for local.

8 MR. CARBON: That doesn't seem to tie together.

9 MR. SHEWMON: Do you have evidence that in the next
10 generation the decisions that they are making now, that they
11 will use thermocouples? Why don't we ask them next week?

12 MR. DICKSON: Perhaps we should defer this questioning
13 to Lee Strawbridge when he gets back on?

14 MR. SHEWMON: You will recall, Max, that you in the
15 paper went through a rationale. We don't see any reason why
16 they name thermocouples. Nevertheless, we use them.

17 MR. CARBON: Yes. Pretty much so. But he also said
18 that the British are doing the same thing.

19 MR. TILBROOK: I was talking to some of the people
20 over there, and there are several variations in viewpoint even
21 within the British organization. The closer you get to the
22 people who were working on DFR and were involved in it -- were
23 involved in the DFR internal tests, the more firmly you find
24 people of the opinion that they aren't going to do you any
25 because you don't need that type of response.

T.8A(2) 1

The French use thermal monitoring and they put them in the PPS because they happen to have them available

MR. CARBON: Next is number 40 again.

MR. DICKSON: Since we got your passouts out of order, I notice that the second talk follows his first talk just 11 pages into the passout.

MR. SCHWALLIE: Okay. At this point, then, what I would like to describe to you is the fuel failure monitoring system that we have in the facility, and basically I think to give you some indication of the extensive tests of the system, what we can see and when we can see it.

When we talk in terms of fuel failure monitoring, the cover gas monitoring system is a continuing operating system. Its intention is to detect, locate and characterize fuel and blanket rod failures and provide the operator with information about a failure, a situation that is in the core that needs some action to be taken.

He can turn on the fuel location system, which has a location system to identify which fuel or blanket assembly does have a breach in it, and then through cover gas analysis both the tag gas that in his opinion -- which is the 9-krypton gas mixture, 135,137-krypton, and emission products can characterize the extent.

MR. MARK: 9-krypton. So then having put in a tidy mixture, and you are going to have what, a couple hundred

T.8A(3) 1 of these?

2 MR. SCHWALLIE: Different tags, yes.

3 MR. MARK: As many as you have assemblies?

4 MR. SCHWALLIE: That's right. 156 fuels and a
5 couple hundred blankets.

6 MR. MARK: So different tags. 300. Now, you have
7 fission gas injected into your well-selected gas mixtures, so
8 that each of these will change, and they will change at differ-
9 ent rates and you are going to have to be discriminating.

10 MR. SCHWALLIE: Right. The tag composition, the
11 dilution effect first is time has to be dealt with.

12 MR. MARK: It sounds pretty hairy. You pull these
13 out of the cover gas. It has argon and then you have to
14 separate and you have what? Not a chemical way of distinguish-
15 ing those gases.

16 MR. SCHWALLIE: Mass spectrometry.

17 MR. MARK: And does it take you less than a week?

18 MR. SCHWALLIE: It takes eight hours to collect a
19 sample, refine it, trap it, get enough of it to make a positive
20 identification.

21 MR. MARK: And you have confidence you can say, well,
22 this is sample number -- this is tag number 311 and not 312 or
23 313?

24 MR. SCHWALLIE: That's right. And we can -- what we
25 have got is we think we unreasonably -- well, the dilution

T.8A(4) 1 effect versus time and the fission products that produce in the
2 range of the tag. Now, clearly early in life that is not a
3 problem. It gets into a problem later in life with the dilution
4 of the krypton.

5 MR. MARK: The dilution of krypton?

6 MR. SCHWALLIE: Yes. The krypton.

7 MR. MARK: Yes. All right.

8 MR. SCHWALLIE: Now, tags are put in about 75 percent
9 composition of xenon and 25 krypton. We are primarily looking
10 for xenon, and the xenons that are produced from fission are
11 pretty short decay, so 135,137 is pretty robust and it stays
12 there for a long time.

13 Now, experience with the same type of tagging
14 technique is sometimes pretty good. Sometimes for old failure
15 we have had some concern finding, narrowing down the two to three
16 assemblies once you get that amount of dilution. But in the
17 range of 7, 8, 9 percent burnup we are looking at in Clinch River,
18 I think we can distinguish the assemblies very well.

19 MR. MARK: So they aren't depleted by neutron
20 flexions much?

21 MR. SCHWALLIE: No.

22 MR. MARK: Well, it sounds great. Fine.

23 MR. SCHWALLIE: I kind of looked at it the other
24 way. Finding the early-in-life stuff, very early, one or two
25 days of operation as opposed to old stuff.

T.8A(5)

1 MR. MARK: Thank you.

2 MR. SCHWALLIE: If you narrow it down to the
3 probability of two to three, then you might pull some.

4 MR. MARK: Of course, if you don't narrow it down at
5 all, you might pull them all.

6 MR. SCHWALLIE: Then the third system we have is the
7 delayed neutron-monitoring system, and the primary function
8 there is to look at precursors coming out of the fuel to give
9 you some idea of the extent and characterization of in-core
10 sodium content. Relative to your concerns about how long does
11 it take the systems to work, the cover gas monitoring system,
12 I am showing a range of time for detection of 15 to 90 minutes.
13 The 15 minutes is basically a bursted pin. Fairly large breach.
14 They get a blowdown, burst, and the 90 minutes is the type
15 where they are looking at a pin that has a very small leak and
16 leaking one percent of its inventory for a day, very low escape
17 of the gas out of the pin.

18 Okay. So the cover gas monitoring system within an
19 hour and a half will tell you that something is going on.

20 MR. MARK: Is that a continuous monitoring?

21 MR. SCHWALLIE: Yes, continual all the time. This
22 system here normally is not continuous. We could run it once
23 a day or whatever, but normally we would only turn this system
24 on once this system says there is some activity there.

25 Now, here what we are talking about is once we get

T.8A(6)

1 an indication of breach, it takes about eight hours total to
2 get a positive identification through the mass spec technique
3 of an indication of who that assembly is. Now, the DND system,
4 we kind of worry about two extremes. Full flow 100 percent.
5 Here we are talking about less than a minute for transient time
6 from the core breach out to the detector. This is less than
7 two minutes. There should be a "less" sign there, and the count
8 time, depending on the background that you have in the system,
9 is about one to three minutes.

10 MR. MARK: That is also running continuously?

11 MR. SCHWALLIE: Yes. That is a continuous system.

12 There is one on each loop. Three detectors per loop.

13 (Slide)

14 Now, it's 10^{-12} cc of fission gas per cc of
15 cover gas in the system. Just to give you an idea, to peg
16 that back, we could see fuel failures at that sensitivity at a
17 one percent leak rate per day within two to three days.

18 Now, we have a program startup at Clinch River, so
19 we fully restructure it. Within the next day we could see a
20 fuel failure.

21 For example, the ETTF claims they could see something
22 on the order of 02 to 05 ppb with a very clean cover gas
23 system, and our system is very similar to theirs. The
24 experience that we have had already in finding an infant
25 mortality in FTF -- it was very good in terms of positive

T.8A(7) 1 identification of who was with very little tag coming out of
2 the pin. Okay. The delayed neutron monitoring system. The
3 sensitivity is set such that we preclude the rods getting too
4 big due to fuel swelling and enlarging the cladding at the
5 breach site that we don't get any kind of flow characterization
6 or closure down, and we also want to protect against these
7 postulated porous heat-generating situations, and this is
8 certainly the most restrictive because it takes huge blockages
9 to get boiling.

10 So the sensitivity that we have specified is 1.5
11 square centimeters of exposed fire by recoil. That 1.5
12 square centimeters by geometric exposure of fuel to sodium.

13 MR. LIPINSKI: How does the first one compare?
14 Would it have been necessarily a break?

15 (Slide)

16 MR. SCHWALLIE: I am not sure I understand your
17 connection there.

18 MR. LIPINSKI: You will have surface contamination,
19 and you won't need a break in your elements.

20 MR. SCHWALLIE: That is a consideration of the
21 design of the system.

22 MR. LIPINSKI: Isn't it also on the upper one, too,
23 for cover gas?

24 MR. SCHWALLIE: No, because really what we are
25 looking for here is xenon-133, but definitely yes, that is

T.8A(8)

1 taking into the foreground, background considerations all
2 kinds of things.

3 MR. LIPINSKI: It will give off gas as well as give
4 you the reccils? It's going to do both?

5 MR. MARK: One last question on that gas. If you
6 have the miserable luck that assembly 13 and 213 should both
7 start to release gas at once, then there would be a chance that
8 you would point at assembly number 111 because you now got two
9 of your type gases.

10 MR. SCHWALLIE: There is always that problem.

11 MR. MARK: That is the compounding of the improba-
12 bilities.

13 MR. SCHWALLIE: But what we believe we can do is in
14 the presence of two, find the third with greater than 95
15 percent probability.

16 (Laughter)

17 MR. SCHWALLIE: How is that?

18 MR. MARK: That is fine.

19 MR. SCHWALLIE: Like I say, we have to do that in
20 view of economics.

21 MR. DICKSON: Ambrose, could I add something to that?
22 I am almost as skeptical as you are that they are that good.
23 They said that all the ratios so that no two look like a third.
24 That is tough, but apparently it can be done, and then when
25 they get a leak in the FFTF, they went right to it with very

T.8A(9) 1 little gas coming out. They did not claim it was located 100
2 percent. I believe it was 99.9 percent assurance that they
3 had the right one, and they did.

4 (Laughter)

5 MR. SCHWALLIE: Now, just to try to tie together a
6 little bit about what we have talked about, we have sort of
7 said that blockages are incredible and from the bottom of the
8 assembly up, and that from a safety consideration you can have
9 huge blockages and large gas bubbles and blowdown pins and
10 so forth, and that is not a problem, so the intent of having
11 the system in there with its sensitivity set at such values is
12 that it protects you from getting up to local faults having the
13 sizes that Mr. Tilbrook talked about, the whole idea of why
14 that system is there, to run the fuel from an economic point of
15 view beyond breach to a convenient shutdown time.

16 Our intent to use that is to operate with gas leakers
17 until we get a DND indication to some specified level of fuel
18 exposure and then shut down and take everything that is either
19 leaking or has a fuel-sodium contact out of the core. Okay.
20 So the systems are tied more to the economics of fuel utiliza-
21 tion, of economics and plant utilization as opposed to safety.

22 Now, in terms of specific experience in the U.S.
23 with breached fuel, the conclusion that we would arrive at out
24 of the data base that we have coming out of EBR-2 is that the
25 gas leakers absolutely present no problem. They just blow down

T.8A(10) 1
2
End T.8A 3
Ron 4
Rabb 5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

at whatever rate they choose in terms of the nature of the breach and continue running.

MEMLOCK
ERASABLE
COTTON CONTENT

1 Out of the assemblies where we have had fuel
2 sodium contact in core, we have run confidently 22 days with
3 like three-quarters of a square centimeter breach effect,
4 and everything is benign. There is one assembly that has
5 gone 96 days. The nice thing that we have found is that the
6 DND system is much more sensitive from a operating rod point
7 of view than we ever designed for. We are finding that the
8 DND emission over recoil extremely sensitive. We have seen
9 factors of 20 up to 200 enhancement of the signal, so us
10 designing the system means that in actuality, operating rods
11 give you a much more sensitive signal.

12 MR. MARK: I am not clear on your word "recoil" here.

13 MR. SCHWALLIE: I am saying what are the precursors
14 that will come on the surface of the file into the sodium.

15 MR. MARK: So the cladding is missing. You have --

16 MR. SCHWALLIE: Now, what we are finding -- and
17 you have an operating rod that has a severe temperature gradient,
18 and it is acting like a pump and pushing more precursors out
19 of the breach than we have ever imagined it would.

20 MR. MARK: Right.

21 MR. SCHWALLIE: So the rods are pumping these
22 things out. This is kind of handy because it gives us
23 capability to determine if we have a DN signal when we have
24 an operating rod or a blockage because we dropped the power
25 and see how the DN signal changes because blockages only react

1 as recoil. So that gives us an operating flexibility here
2 and a little more capability to understand what we have. In
3 terms of transient operation we have logged rods and Roger
4 talked on this, the GE test. The original breach site is
5 more than capable of taking care of the sodium pressures that
6 are built up inside the pin. And the other concern there is
7 if you have a breached mode, and you have a fuel-sodium
8 contact, you are in a layer there.

9 What does that do to the thermal conductivity of
10 the fuel? And the bottom line is not much. We do have some
11 development to take care of. We have to make sure we under-
12 stand the diameter increase versus the amount of exposed
13 fuel so that we can clarify that down and make sure that
14 1 1/2 square centimeters is adequate. We do have to make
15 sure that we get more data on transients over power.

16 (Slide.)

17 The next vu-graph just gives you specific tests
18 if you want to read -- that you could -- that have been done
19 in the planned testing program. We started out with pre-
20 defective pins, then went to naturally breached pins, then
21 ran natural breaches to get multiple failures. This is the
22 same kind of conclusion I had before. However, in this RCBC
23 test we did get a followon breach a short while after the
24 first breach. Pin-to-pin contact there. We put together
25 and we had bowing. Metallographic examination indicates the

1 hot spots, about what we would expect. And if you analyzed
2 that pin with that hot spot, it would have predicted it to
3 fail about that time.

4 So it is not in relation to the first breach per
5 se. It was a bad design. Okay. There is some 13 or 14 tests
6 that are either ongoing or planned relative to developing this
7 data base. They are including both fuel variables as well
8 as blanket variables. Plutonium concentration, plenum defects.
9 Unless you have any questions, I won't go into that any more
10 than that at this time.

11 MR. MARK: You have pointed at the number of
12 experiments that are in prospect which will expect to be run
13 through that list in what, in a year or three years or what?

14 MR. SCHWALLIE: This program down at the bottom
15 here is aimed for completion in early '86.

16 MR. MARK: Three years?

17 MR. SCHWALLIE: Yes. That is it then.

18 MR. CARBON: Thank you, Mr. Schwallie.

19 Walt, I didn't mean to cut off your question a
20 while ago of the low propagation. Did you get your answer?

21 MR. LIPINSKI: Yes. There is nothing further.

22 MR. SCHWALLIE: At this time we will have Bob
23 Markley talk about the use of thermocouples.

24 MR. MARKLEY: I am Bob Markley, and I would
25 discuss the core exit thermocouples. If you found that in

1 your handout. And Bob Bender will then discuss how the
2 signals from this then displayed to the operator after I
3 complete my part of the talk.

4 The CRBRP core exit thermocouples have two func-
5 tions. One is to control the reactor, and we will talk more
6 about that later. And the second is for design verification,
7 basically to verify our margins, power distribution around
8 the core, any symmetry or lack of that would be there. And
9 further, we monitor the fuel rod lifetime. The signal from
10 the thermocouples is fed to and on the computer and at quite
11 regular intervals the lifetime, the CDF of the fuel is calcu-
12 lated, predicted. They will also look at any -- see any
13 operational disturbances that might affect the outlet
14 temperatures such as a change in a power distribution, shift
15 in the power flow. Also to assess our uncertainty factors
16 that we have factored into the design predictions, and further,
17 it will be an actual look, an actual measurement of tempera-
18 tures throughout the lifetime so that we can factor this
19 into post-irradiation measurements.

20 MR. LIPINSKI: Last time we talked about this
21 I think there was a problem about it.

22 MR. MARKLEY: I believe Bob Tinder will cover how
23 the operator sees the signals, so we will leave that for him.

24 This vu-graph shows the core exit thermocouple
25 coverage.

1 (Slide.)

2 Practically all of the locations are covered with
3 thermocouples. The X is for design verification thermocouples.
4 The C indicates the control thermocouples. As far as the
5 coverage, 148 of 156 fuel assemblies -- there are some more
6 located above them. Interblanket 72 of 76. All the alternat-
7 ing assemblies and 112 of 126 radial blanket assemblies giving
8 a total of 338 out of 364 of the locations covered.

9 Before I go on, I will just show you the control
10 thermocouples are in three sectors. You will see ten of them
11 are in a sector here, ten in another sector, and ten in
12 another sector. They are symmetrically located. It helps to
13 see that here.

14 (Slide.)

15 The thermocouples that we use for automatic control
16 are required to maintain a steady state outlet temperature
17 within a fairly narrow band, within a few degrees. We don't
18 want great variations over a lifetime on those, and also to
19 minimize any temperature overshoot that would occur.

20 As I mentioned, there are 30 positions of these
21 in 390 degree sectors. There are ten in each of three
22 sectors. The rationale for that is we want to closely
23 approach the core mixed mean temperature and follow the
24 cycle swing as things change somewhat in the core. They are
25 fairly well distributed within a 30 degree sector and with

1 the three sectors that we cover we could have redundancy
2 and could go to another sector in case we want to place any
3 other thermocouples. They are of the dry well type, and their
4 time constant is less than 10 seconds.

5 MR. MARK: Can one thermocouple running very hot
6 affect the control system?

7 MR. MARKLEY: They are -- if it would -- you mean if
8 one went way out bounds?

9 MR. MARK: Yes.

10 MR. MARKLEY: I gather they don't go in that
11 direction. Usually they are in the other direction. They
12 are monitored and they also look at a max and a min to deter-
13 mine --

14 MR. MARK: If you take an average, then one or
15 two indicating trouble in their spot wouldn't affect the
16 control system?

17 MR. MARKLEY: I am sorry. Will you cover that,
18 Bob?

19 VOICE: Yes.

20 MR. MARKLEY: Let Bob go into that in detail.

21 MR. MARK: Yes.

22 MR. MARKLEY: The temperature measurement
23 uncertainties over the fuel assemblies will range from about
24 eight degrees F. This would be a center of a core -- with
25 sixfold coverage by symmetry to as much as 25 degrees of

1 a peripheral location.

2 As far as the inner blankets, those uncertainties
3 range from 15 degrees, again in a high flow, symmetrical
4 position, 40 degrees in a low flow, single coverage location.
5 And these are the reasons why the thermocouples are not
6 hooked to our safety system or not safety-related.

7 As far as local faults are concerned, things like
8 blockages, high heat flux, first of all, there is only a
9 very limited range in which the thermocouples would detect
10 things that occurred. They are insensitive to very low
11 faults. You would have gross blockages to 50, 60 percent
12 range before they would be detect that sort of an occurrence.

13 Further, on the high side, the thermocouples are
14 blinded when you get very large flow blockages such as
15 90 or 100 percent. With no flow coming up, the flow from
16 adjacent assemblies would determine what temperatures and this
17 in that range or above. You just would not get an adequate
18 signal.

19 Further, there certainly is a low probability of
20 occurrence of these type of things. Basically saying that
21 you don't need the thermocouples, and if a local temperature
22 increase would cause a cladding failure, this would be
23 detected by the failed fuel monitoring system which Ambrose
24 Schwallie discussed.

25 We do scan a limited number of clad failures. They

1 are not safety concerned because of the fact that rapid
2 propagation will not occur, as Roger Tilbrook covered for you.
3 That's the conclusion to my part of the talk. Now Bob
4 Tinder. If there are no questions, he can talk about how
5 the operator sees the response and interprets these signals.

6 (Slide.)

7 MR. TINDER: To answer your question on the thermo-
8 couples, one use for using 30 is that we bring all of those
9 into an average and reject any one of the 30 that is outside
10 of the band, 5 or 10 percent band. It is rejected and not
11 included in the average.

12 MR. MARK: Okay. So it's telling you that this
13 one is for some reason or other running 60 degrees too hot,
14 and you don't believe it?

15 MR. TINDER: Throw it away, right. For the control
16 purpose.

17 MR. MARK: Sure.

18 MR. TINDER: You will see as I go on it is
19 monitored. All 338 fuel and blanket thermocouples are in
20 the reactor vessel. Each of those is wired to the plant data
21 handling display system. In the data handling and display
22 system, each one of those is compared with an algorithm that
23 takes in the history. That is in the core. We then compute
24 an alert when it is outside of a tolerance band. An alert
25 types on an alarm typewriter. That is a typewriter sitting

1 to the left of the chief operator there. An alert also
2 appears on an alarm CRT. Normally, the operator would have
3 one of the CRTs in the main control room dedicated to alarms
4 to where it would appear on that one all the time. It would
5 also -- the last three lines on all CRTs will have the last
6 three things to alarm.

7 There are 5,000 channels in the data-handling system,
8 and probably half of them do have alarms associated with them.
9 The last three would appear on all CRTs. The operator can
10 request thermocouple reading at any time. He can ask for
11 it to come out on a CRT or on a hard copy that he can get
12 his hands on and deliver to somebody. And as for the trend
13 of any one of the thermocouples, we take 30 of those 338
14 and we use these for control in the average and reject
15 circuit that I answered a question on at the beginning.

16 Now, when we have less than 25 out of those 30 are
17 being averaged, that is alarmed to the operator on the plant's
18 main alarm system. You know, those human factors and what
19 the operator needs will be under study for the next three
20 or four years at least.

21 MR. ZUDANS: That would appear to me at least
22 as an impressive, alive, dynamic information.

23 MR. TINDER: You may be right. There is a red
24 and green and orange, and there are a lot of ways. You can
25 use candlesticks at the core.

1 MR. MARK: When you say you can hook and take a
2 look at a trend, across what sort of time? Would it be 3
3 milliseconds or 3 hours or what?

4 MR. TINDER: It would be days. The computer
5 system has a trend file established in it where -- and I said
6 this is just starting to be done now, the programming and
7 so forth of the computer, to have it set so that if the
8 thermocouple moves over three degrees, that point is put in
9 the trend file, and do that for X number of days and then
10 have it to be a circular file, and it will be at least days.
11 Then the data is put on magnetic tape for permanent storage
12 use by the engineering department.

13 MR. MARK: That is for use after an accident if
14 you ever have one?

15 MR. TINDER: (Nods affirmatively.)

16 That's all I planned for the display to the
17 operator.

18 MR. STRAWBRIDGE: I am Lee Strawbridge, Westinghouse,
19 Waltz Mill site, and I will be discussing the review that
20 we have made of the worldwide application of local fault in
21 response to earlier questions raised by Dr. Carbon. As part
22 of that we did review the Leon papers that -- the ones that
23 you gave us and the other references in that paper, so that
24 formed part of the base for what we did. We went beyond
25 that, and we looked for data from other places as well. We

1 performed the survey which included looking for information
2 on 17 sodium-cooled fast reactors in order to see if we
3 could make some sense out of the data that we got.

4 As the end result of that, we looked at it from
5 the standpoint of certain major plant design variations such
6 as are there trends that exist with respect to loop versus
7 pool considerations? Are there trends that exist for power
8 versus test? Are there trends for small versus large reactor
9 size, and in terms of the fuel design characteristics?

10 The two principal characteristics were how about
11 oxide or metal fuel, and wire wrapper versus grid spacers.
12 The information that I have in -- by the 17 reactors that
13 cover those areas is on the two vu-graphs combined, and perhaps
14 I can just use both vu-graphs. I will put them on at one
15 time, two views.

16 (Two slides.)

17 I had two blanks that you have in the passout,
18 and just as a result of a meeting yesterday, I was able to
19 complete a little more information, and I filled in a couple
20 of blanks on this one on the screen which is not in your
21 passout copy. The one we have done is list across the top
22 of the 17 different reactors considering the various foreign
23 countries and finally the U.S. reactors on the end here and
24 down the side we considered these characteristics that I just
25 mentioned -- the loop or pool, power or test, fuel, spacer

1 concept, and then asked the question does the design include
2 core exit thermocouples, and are there thermocouples in the
3 PPS that are there for purposes of local fault monitoring?

4 The overall results are tabulated here on these two
5 vu-graphs. What we found was when we looked for trends with
6 respect to the different either plant or fuel design character-
7 istics, one place where we did find what I considered a very
8 significant trend was in the area of loop versus pool
9 concept, and those results are tabulated on this next vu-graph.

10 I apologize for the correction. This was due
11 to adding that new information on the previous two vu-graphs
12 and the two that were in the unknown column before. One got
13 added into the yes column and one into the no column, but
14 the strongest correlation was for pool versus loop, and in
15 effect, for the 11 loop concepts, only 8 we know the answer
16 to the question of are thermocouples in the PPS for local
17 fault monitoring.

18 Of those 8, the answer for 6 of them is no. Six
19 out of 8 do not have them in the PPS for local fault monitoring.
20 If you look at the pool reactors, 4 out of 5 in fact have
21 outlet thermocouples in the PPS for local fault monitoring.

22 Now, it is not entirely obvious why that kind of
23 a substantial trend does exist. It is individual designers
24 in countries taking certain position, as I think you heard
25 before from Mr. Tilbrook, even in a country such as the U.S.

1 There are strong differences of opinion when you talk to
2 certain parties in the U.K. versus other parties in the U.K.
3 about their effectiveness and whether it makes sense to put
4 them in the PPS or not. The one thing that I point out is
5 that, with the pool concept, is that a delayed neutron moni-
6 toring system would be less sensitive and involve longer time
7 delays than would the system in the loop reactors, so that is
8 a possible explanation for that, at least intuitively.

9 MR. LIPINSKI: If you sum them, you end up with
10 six and seven.

11 MR. STRAWBRIDGE: Yes.

12 MR. ZUDANS: Does the age of the loop plants where
13 you have six of them give some kind of a clue as compared to
14 the two remaining ones, or the design rather than age?

15 MR. STRAWBRIDGE: I guess I do not know the answer
16 to that. I would have to go back and look at the two previous
17 graphs, and one could look at that for five minutes and
18 probably answered the question. I had not looked at it from
19 that standpoint.

20 MR. ZUDANS: All right.

21 MR. STRAWBRIDGE: So overall, what I would like to
22 say is that there is no universal agreement on approach.

23 (Slide)

24 It is certainly a true fact that for core outlet
25 thermocouples usually included in PPS in pool reactors,

j-2-8b

1 usually not included in loop reactors -- including the Clinch
2 River, which, of course, is a loop reactor. The application
3 of the instrumentation is consistent with the worldwide
4 trends that were noted.

5 I would like to turn now to a few conclusions from
6 this whole series of presentations we heard on the general
7 subject of local faults and just try to tie these different
8 presentations together, if I could.

9 (Slide)

10 First of all, the first section, that there should
11 be a low probability of loading defective fuel, that is, de-
12 fective in the first place, and that includes loading fuel
13 into other locations besides where it was designed to be
14 loaded because of the features that we have. The design
15 features that were described to you and the operational
16 requirements prevent ex-core blockages.

17 The in-core blockage expected based on operation,
18 tests and analysis. We do not expect in-core blockages, and
19 that conclusion is based on operation, tests, as well as
20 analysis that has been performed. We certainly do expect
21 some fuel failures during operation. They are anticipated and
22 they will be detected.

23 We do have extensive experience that shows that
24 when such fuel failures do occur, they will not propagate.

25 On the question of thermocouples, it is our belief

j-3-8b 1 that thermocouples do not significantly improve the margin
2 of safety for local faults. They are not very effective
3 in showing the effect of small blockages, for example. Systems
4 such as DNDs are more sensitive for detecting failure condi-
5 tions from a safety standpoint, and we do use them.

6 You include the Clinch River design being a loop
7 reactor and not including them in the PPS is consistent with
8 the majority of the worldwide experience.

9 MR. ZUDANS: That is a little too strong because
10 four of the six are U.S. plants. You know, look at your list.
11 Four of the six that you have identified.

12 MR. STRAWBRIDGE: Yes.

13 MR. ZUDANS: They are U.S. plants.

14 MR. DICKSON: Are we not part of the world? I would
15 like to think we can be included in the worldwide experience.

16 MR. ZUDANS: I don't know that they are strictly
17 worldwide because there are a couple of them that we don't
18 know, one in Germany and one in Tokyo.

19 MR. STRAWBRIDGE: Well, the Russians are the ones
20 we don't have information on, but I think it is appropriate
21 to include earlier U.S. experience when we are looking at what
22 I am defining as worldwide. I certainly would not intend to
23 exclude U.S. as being part of that worldwide experience, and
24 the final and perhaps overriding conclusion is that instru-
25 mentation for local fault monitoring is not needed in the PPS

j-4-8B

1 because there are no faults that could propagate on a time
2 scale that does require PPS.

3 MR. CARBON: I guess you can make anything out of
4 numbers that you wish. You can find even a stronger correla-
5 tion is that the U.S. does not put them in, other nations
6 do.

7 MR. LIPINSKI: I was going to put my observations
8 in that if I look at the French, the British and the Japanese,
9 I see all yeses, with some unknown for the Russians. So the
10 rest of the world, I would conclude, is yes, and the U.S. is
11 no.

12
13 MR. STRAWBRIDGE: I don't think it quite that
14 simple, but I agree. One can look at the information and come
15 up with different ways of interpreting it. I looked at it
16 from the standpoint of those various design concepts, and the
17 only place where I found what I would call quite a strong
18 trend was the loop versus pool.

19 MR. LIPINSKI: But is it a question of national
20 licensing policies in being conservative from a safety
21 standpoint?

22 MR. STRAWBRIDGE: Did you have a comment to make?

23 MR. SCHWALLIE: Some of those people use grids and
24 so forth, so you can temper that with the design feature that
25 goes in that. If we had grids, we might change our position.

j-5-8B

1 You understand?

2 MR. CARBON: I don't think it is a very productive
3 argument. The grid and wire wraps don't make much difference
4 in that chart either.

5 MR. STRAWBRIDGE: The thing that stands out most is
6 the thing Walt was pointing out. That is more of a country-by-
7 country type. I don't say that you make anything out of it,
8 but that is what seems to stand out.

9 MR. LIPINSKI: You have indicated that SNR300 is an
10 alarm. The last I knew, it was a trip. You have verified
11 that it was an alarm?

12 VOICE: Which country was that?

13 MR. LIPINSKI: Germany.

14 VOICE: Leon confirmed yesterday that they do not
15 have a trip on that. They have an alarm to the operator and
16 it goes into a normal shutdown sequence. They don't expose
17 the plant to a scram, and the licensing authorities, having
18 reviewed the information, they have not requested that it be
19 a trip.

20 MR. LIPINSKI: Your information is later than mine.

21 MR. STRAWBRIDGE: The question involved is the
22 delay times for some condition to exist before thermocouples
23 could tell the PPS to do something. It would be a short time
24 after the signal reaches the PPS.

25 MR. MARK: But this is instantaneous once you have

j-6-8B

1 said?

2 MR. STRAWBRIDGE: Essentially, yes.

3 MR. MARK: Now, the neutron detectors that tell you
4 you have fuel that just appeared, that is about a 15-minute
5 wait?

6 VOICE: No, 40, 50 seconds, two minutes.

7 MR. MARK: One or two plus another one or two.
8 Very-few-minute warning that there is fuel failure somewhere.
9 And then the other thing you are pointing at is that the
10 evidence for spreading or enlarging of some failure somewhere
11 can be from hours to days?12 MR. STRAWBRIDGE: That's right. Up in the days or
13 beyond the time frame as you see it, yes, sir.14 MR. MARK: So it's in that context that you say we
15 don't really want something that happens in a very, very short
16 time after this temperature is on the average raising a
17 question?18 MR. STRAWBRIDGE: That's right. We see no need for
19 a response on that short time span.20 MR. MARK: But you would expect to have a warning
21 tied into this? The temperature has passed some line which
22 you could have predetermined?23 MR. STRAWBRIDGE: Yes. The operator would be
24 aware of those conditions in a hurry.

25 MR. ZUDANS: Excuse me. Now, I think I got

j-7-8B 1 confused. You said the thermocouple would be slower and the
2 DNDs would be faster?

3 MR. STRAWBRIDGE: The thermocouple response time
4 was about ten seconds, less than ten seconds.

5 MR. CLARE: I think we have a semantics problem.
6 If the temperature goes up --

7 MR. ZUDANS: Oh, no, no.

8 MR. CLARE: -- then the thermocouple will respond
9 quickly. We might expect it to occur over the life. You
10 wouldn't even see it.

11 MR. ZUDANS: That's correct.

12 MR. CLARE: Correct.

13 MR. ZUDANS: So therefore that was the main reason
14 why you would rely on that?

15 MR. CLARE: If you want any response at all, you
16 can rely on thermocouples.

17 (Pause)

18 MR. CARBON: This concludes it then, Mr. Straw-
19 bridge?

20 MR. STRAWBRIDGE: Yes.

21 MR. CARBON: Any questions that didn't get
22 answered? We did skip your ten-minute presentation at
23 2:15 following the accident recovery planning. Did you have
24 comments to make there?

25 MR. STARK: We didn't have anything significant

j-8-8B 1 to add, and it was kind of three subjects under one heading,
2 so I will skip it.

3 MR. CARBON: If there are no more questions or
4 if no one has anything to add, we will recess until tomorrow
5 morning.

6 (Whereupon, at 5:35 p.m. the committee recessed,
7 to reconvene the following day, Thursday, March 17, 1983,
8 at 8:30 a.m.)

End
8B

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

HEMLOCK
FRAGILE
COTTON CONTENT

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
CERTIFICATE OF REPORTER

I hereby certify that the transcript of the
proceedings taken before:

THE ADVISORY COMMITTEE ON REACTOR SAFEGUARDS,
CRBR SUBCOMMITTEE/STRUCTURES AND MATERIALS WORKING GROUP

DATE: March 16, 1983

PLACE: Washington, D.C.

TIME: 8:30 a.m.

is a true and correct transcript of the proceedings.

Ronald Graham

Ronald Graham

Leslie Burroughs

Leslie Burroughs

Ann Riley

Ann Riley

Mary Simons

Mary Simons