

ORIGINAL

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

---

---

In the matter of:

COMMISSION MEETING ON BRIEFING  
SYSTEMS INTERACTION  
PUBLIC MEETING

Docket No.

---

---

Location: WASHINGTON, D.C.

Pages: 1 - 85

Date: APRIL 18, 1983

**TAYLOE ASSOCIATES**

Court Reporters  
1625 I Street, N.W. Suite 1004  
Washington, D.C. 20006  
(202) 293-3950

8304260310 830418  
PDR 10CFR  
PT 9.7 PDR

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BRIEFING ON  
SYSTEMS INTERACTIONS

PUBLIC MEETING

Nuclear Regulatory Commission  
Room 1030  
1717 H Street, N.W.  
Washington, D.C.

Monday, April 18, 1983

The Commission convened, pursuant to notice, at  
— 2:05 p.m.

COMMISSIONERS PRESENT:

- NUNZIO PALLADINO, Chairman of the Commission
- VICTOR GILINSKY, Commissioner
- JOHN AHEARNE, Commissioner
- THOMAS ROBERTS, Commissioner
- JAMES ASSELSTINE, Commissioner

STAFF AND PRESENTERS SEATED AT COMMISSION TABLE:

- S. CHILK
- T. FITZGERALD
- A. THADANI
- F. COFFMAN
- T. SPEIS
- H. DENTON
- A. KENNEKE

AUDIENCE SPEAKERS:

- J. HELTEMES

\* \* \*

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on April 18, 1983 in the Commission's offices at 1717 H Street, N.W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

P R O C E E D I N G S

(2:05 p.m.)

CHAIRMAN PALLADINO: Well, why don't we start.

Good afternoon, ladies and gentlemen. The Commission is meeting with the staff today to discuss systems interaction. The subject was identified in 1978 as an unresolved safety issue, commonly known as a USI, with the Task Action Plan Number A-17.

Systems interaction was also identified as an issue requiring resolution in the TMI Action Plan NUREG-0660. Because we have had little dialogue with the staff on this matter recently, we have asked that the staff provide us with a status report.

It is my understanding that the staff is also prepared to discuss USI A-17 as it relates to other ongoing programs.

I would like to point out that the intent of today's meeting is to discuss the generic subject of systems interaction and that we should avoid discussing any specific cases. However, the general counsel advises that he will review the transcript following the meeting. If anything in our conversation impinges upon our Ex Parte rule, then the transcript can be served on the parties to a specific proceeding with an opportunity to comment.

Before we begin, do any of my fellow

1 Commissioners have any additional remarks?

2 (No response.)

3 CHAIRMAN PALLADINO: If not, then I will turn the  
4 meeting over to Mr. Denton.

5 MR. DENTON: Thank you, Mr. Chairman.

6 The presentation today will be made by Them  
7 Speis, Frank Coffman, and Ashok Thadani, who worked on this  
8 issue for a number of years.

9 Before I begin, I did want to point out that  
10 this subject is also the subject of a differing  
11 professional opinion. This DOP is being handled in  
12 accordance with the Commission's practices; namely, Chapter  
13 41.25. And the Commission will eventually have an  
14 opportunity to review the disposition of that.

15 I didn't intend to go into the details of that  
16 today unless the Commission so desired.

17 Also, as you mentioned, the issue is subject to  
18 adjudication in at least one proceeding. We intended to  
19 stay away from any specific plant application today and  
20 just discuss the generic nature of the proceeding.

21 So with that introduction, let me turn it over  
22 to Them Speis.

23 MR. SPEIS: Thank you.

24 Mr. Chairman, Mr. Commissioners, the  
25 presentation today will consist of two parts. One of them I

1 have named "Introduction and Background," and the other one  
2 will get into the essence of the program itself. Frank  
3 Coffman will present the second part.

4 In addition to Ashok Thadani, we have with us  
5 Frank Rowsome, the assistant director for technology, who  
6 will participate if there is a need. He is sitting back  
7 here.

8 May I have viewgraph number 2, please?

9 (Slide)

10 In the introduction and background I would like  
11 to go through a definition of what we mean by systems  
12 interaction, give some examples of the type of interactions  
13 we are talking about, and say something about our focus on  
14 this issue and why we think there is a need for systems  
15 interaction analysis, and also provide a summary of how we  
16 are treating systems interaction in the review process at  
17 present; that is, in this kind of review process, to the  
18 extent that it has been treated.

19 May I have viewgraph number 3, please?

20 (Slide)

21 It would be appropriate to start the  
22 presentation by trying to give a definition of what we mean  
23 by systems interaction.

24 I have seen a large number of reports and  
25 documents, and not all of them have provided the same

1 definition. So I will try to treat one of them.

2 Usually, the phrase "systems interaction"  
3 denotes the types of events that could occur or have been  
4 experienced where an intersystems dependency could negate  
5 or seriously degrade the designed action of a  
6 safety-related system.

7 To amplify on this definition, I have provided a  
8 number of examples. You see the first one, a failed power  
9 supply which can cause a spurious signal to the control  
10 system which, in turn, can open relief valves, leading to a  
11 loss-of-coolant, a small LOCA.

12 Such a thing has happened, for example, in the  
13 Crystal River 3 reactor a few years ago where the power  
14 supply was lost to the integrated control system, and the  
15 system thought it was under high pressure and then the  
16 valves opened up and they couldn't close, and finally you  
17 had a small loss-of-coolant accident.

18 Another example that I provided was similarly a  
19 failed power supply which could result in failure of  
20 control instrumentation leading to a transient and  
21 resulting in reactor scram. I think a similar type of event  
22 has taken place in Oconee a few years back.

23 I can add to those two by assuming the  
24 initiating event to be the same; for example, you can lose  
25 power supply, which could lead to loss of normal feedwater.

1 Or you can disable the control valve, the feedwater control  
2 valve, by something happening to the air, for example,  
3 control air.

4 Another thing I have listed under example 3 was  
5 the things that happened at the Browns Ferry 3, the partial  
6 failure to scram event, where both the vent and the drain  
7 system were connected to a common discharge and that  
8 failure led to the partial failure to scram in Browns  
9 Ferry.

10 Another classic example could be the failure of  
11 a turbine, which could generate a missile, which, in turn,  
12 could damage some safety-related system.

13 (Whereupon, Commissioner Gilinsky arrived at the  
14 meeting.)

15 COMMISSIONER AHEARNE: Could I ask a sort of a  
16 lead-in general question?

17 MR. SPEIS: Yes.

18 COMMISSIONER AHEARNE: In trying to keep track of  
19 the various bins into which we put tend to put equipment --  
20 safety-related, important to safety, and then all others --  
21 in the system interaction program that you have, is there  
22 any necessary including of more than one of those  
23 categories?

24 Another way of asking the question is: Does the  
25 system interaction phenomenon necessarily involve both



1 systems that are safety related and beyond that; for  
2 example, systems important to safety but not safety  
3 related?

4 MR. SPEIS: Yes, let me address, that. The  
5 program at present is focusing on the systems which are  
6 safety related, and the systems which are safety related  
7 are defined in Appendix A to Part 100. And we're talking  
8 about making sure that the primary boundaries are --

9 COMMISSIONER AHEARNE: Yes, I am familiar with  
10 Harold's definition.

11 MR. SPEIS: Okay. So it is focused on that. But  
12 the program itself, of course, tries to assess what if a  
13 non-safety-related system fails and what type of effect it  
14 would have on a safety-related system. Did I address your  
15 question?

16 COMMISSIONER AHEARNE: Well, in the middle there  
17 I thought you were saying that the program itself  
18 concentrates on safety-related systems --

19 MR. SPEIS: To make sure that --

20 COMMISSIONER AHEARNE: -- and many of the  
21 examples you've given are ones in which the significant to  
22 safety system was the tree-ring event.

23 MR. SPEIS: The important thing is to make sure  
24 that these other things that I have talked about don't  
25 affect the functioning of the safety-related systems. That

1 is the focus of the program.

2 COMMISSIONER AHEARNE: That is the final concern,  
3 obviously. But whatever screening technique that you  
4 develop, will you be, by requirement, looking at more than  
5 safety-related systems?

6 MR. SPEIS: Can you --

7 MR. THADANI: Yes, let me address that,  
8 Commissioner Ahearne. The program looks at sources and  
9 targets where the faults could initiate and propagate  
10 through. And the intent of the program is indeed to look at  
11 the so-called systems which are not called safety related  
12 but nevertheless they are indeed important to safety  
13 because of consequential effects that might result.

14 So the program doesn't --

15 COMMISSIONER AHEARNE: The sources then would  
16 include the systems that have safety significance but are  
17 not necessarily safety related.

18 MR. THADANI: That is correct, yes.

19 COMMISSIONER GILINSKY: Could I ask you, is this  
20 a new name for something we've been doing for a long time  
21 or does this involve a qualitatively different look at the  
22 subject, a deeper look or more sophisticated look?

23 MR. SPEIS: I would say that we are trying to  
24 make a more sophisticated look. The question is --  
25 originally, I guess, the ACRS brought it up a long time ago

1 -- was how good was our review process, the SRP where  
2 systems and components are being looked at separately by  
3 people who are either civil engineers or electrical  
4 engineers or mechanical engineers; is there any way that we  
5 can in a more structured and methodical way come to the  
6 problem are there any interdependencies or any interactions  
7 that take place between these systems that are being looked  
8 at by different disciplines to make sure that no common  
9 cause or other other interdependencies affect the  
10 functioning of these systems?

11           So we are trying to come up with some more  
12 structured method in addition to what we already do in the  
13 Standard Review Plan.

14 --           COMMISSIONER AHEARNE: And what does that greater  
15 degree of structure consist of?

16           MR. DENTON: Well, we will get there.

17           MR. SPEIS: We will discuss the methodology. We  
18 will discuss the methodology in great detail.

19           MR. DENTON: There are several techniques that  
20 are under evaluation in that whole process that Themis will  
21 describe.

22           MR. SPEIS: We will describe those.

23           CHAIRMAN PALLADINO: So you are looking at a  
24 program that can identify some of the things similar to  
25 those that you used as examples, because some of the

1 examples have been addressed; for example, turbine  
2 missiles.

3 MR. SPEIS: Yes, but --

4 MR. DENTON: But once we find either from  
5 experience or some other mechanism a potential interaction,  
6 like fires or equipment qualification or flooding of a  
7 compartment, then they are usually dealt with in the  
8 Standard Review Plan today. So what this program is is to  
9 find those interdependencies that we don't yet know about  
10 and see if they need to be dealt with in a similar fashion.

11 MR. SPEIS: I will show you a list later on of  
12 the sections in the Standard Review Plan that addresses  
13 what we have learned, what we think we know we can cope  
14 with. But as Harold said, you know, we are searching for  
15 something beyond what we already know.

16 The next viewgraph, please, number 4.

17 (Slide)

18 Specifically, there are three types of systems  
19 interactions of interest to us: There are: functionally  
20 coupled, spatially coupled, and humanly coupled systems  
21 interactions. This viewgraph tries to define what we mean  
22 by those three things.

23 The functionally coupled systems interactions  
24 resulting either from the sharing of components between  
25 systems or through physical connections between systems,

1 including electrical, hydraulic, pneumatic, and mechanical.

2           The spatially coupled systems interactions  
3 result from the proximity of systems to one another within  
4 the plant. We're talking here about dependencies coupled by  
5 shared environment, environmental conditions. A classic  
6 example, for example, is the Browns Ferry fire, which  
7 resulted in closure of main steam isolation valves and  
8 hindered the supply of the makeup cooling water system for  
9 decay heat removal.

10           The induced-humanly coupled systems interactions  
11 were plant malfunction or an error in written procedures  
12 induces an operator action. Earlier I talked about the  
13 Crystal River 3 event, where it was, one would say, a  
14 functionally coupled interaction, but there humanly coupled  
15 aspects to it. If you recall, the operator was trying,  
16 attempting to balance the high-pressure injection system.  
17 He was following procedures correctly, but he was not  
18 aware that --

19           COMMISSIONER AHEARNE: Instruments were --

20           MR. SPEIS: -- the influence -- midway, that's  
21 right, yes.

22           COMMISSIONER GILINSKY: Where was this?

23

24           COMMISSIONER AHEARNE: Crystal River.

25           MR. SPEIS: Crystal River 3.

1                   COMMISSIONER AHEARNE: Remember, the  
2 instrumentation went out and instruments failed at  
3 midpoint.

4                   MR. SPEIS: So there was the possibility that  
5 because of that false indication, he could have taken  
6 incorrect action, but at the same time, as I say, he was  
7 following procedures.

8                   Next viewgraph, please.

9                   (Slide)

10                   This is kind of a -- it's upside down.

11                   (Laughter)

12                   With this viewgraph, I have --

13                   COMMISSIONER AHEARNE: Human error there.

14                   MR. SPEIS: Yes.

15                   (Laughter)

16                   I have attempted to focus the area where the  
17 systems interactions program is concentrating. We are  
18 talking about how to get to the dependent faults in a more  
19 structured way. And the dependent faults have been further  
20 declassified into the functionally, humanly, and spatially  
21 ones.

22                   If you use this diagram here, and by having the  
23 dependent faults and the independent faults, and if you add  
24 human errors and if you add the quantitative system  
25 unavailability, then you are talking about a PRA, assuming

1 that the PRA is able to handle all these things in a  
2 correct manner. But the --

3 COMMISSIONER GILINSKY: Are you talking about  
4 something more than common-mode failures or any other  
5 complicated kind?

6 MR. SPEIS: Well, I think many people have called  
7 systems interaction common-cause failures. I think I am  
8 talking about the same thing. Am I?

9 MR. THADANI: Pretty much. It is essentially  
10 dependency analyses with some additional aspects of the  
11 humanly induced failures, which are sort of not  
12 traditionally considered dependency analyses, but it's  
13 pretty much --

14 COMMISSIONER GILINSKY: What about errors  
15 induced by common and incorrect maintenance, is that  
16 something that would fall within this scope?

17 MR. SPEIS: Well, I guess that will come into the  
18 human, into the human element.

19 COMMISSIONER GILINSKY: But would you include  
20 that within your analysis?

21 MR. SPEIS: I guess at present the people who  
22 come up forward with numbers -- let me go back. When you do  
23 a PRA, you try the best way you can to assign or to  
24 understand the behavior of human beings. Okay. And again,  
25 to the best of our knowledge, based on experience and so

1 forth, they try to provide a number that supposedly has  
2 taken into account these type of things.

3 I don't think this program per se will be able  
4 to come up with such detailed structure that you can put  
5 all these things into a program; for example, what happened  
6 at Salem, you know, you're going to -- I don't think we're  
7 going to be able to come up with a myriad of trees where  
8 we're going to say, you know, have the breakers been  
9 lubricated or have they been properly maintained.

10 But in general, you know, things of that sort  
11 will enter the --

12 COMMISSIONER GILINSKY: Well, let me, since you  
13 bring up Salem, you've got two breakers that are physically  
14 very close to each other, they're maintained in common,  
15 there is some electrical connection. Is that something that  
16 is a potential subject for further study or not?

17 MR. SPEIS: well, I would --

18 COMMISSIONER GILINSKY: Or are you looking at  
19 more complicated systems?

20 MR. SPEIS: I think it goes beyond. If there is  
21 proximity, then you would postulate certain hazards and  
22 determine if those hazards could indeed affect more than  
23 one component; in this case, perhaps two breakers. But the  
24 program would not, I don't believe, get into the  
25 maintenance-related activities.



1                   CHAIRMAN PALLADINO: Aren't those humanly coupled  
2 type? If somebody does the wrong maintenance, that's a  
3 human intrusion into the system.

4                   MR. THADANI: Yes, yes, you're absolutely  
5 correct. But the program scope is somewhat limited, in that  
6 it would only look at those humanly induced failures which  
7 result from failures in control or other systems which  
8 result in loss of some instrumentation in the control room;  
9 that is, the operator has less information available to him  
10 now, and on the basis of the information available to him,  
11 he follows through on certain procedures which may or may  
12 not be the correct way to go.

J.1  
T.2  
13                   MR. DENTON: It is not focused towards solving  
14 those kinds of problems. It's more, at least I see it,  
15 assuming that the equipment works properly is maybe another  
16 way to say it. Except for interactions that people didn't  
17 know about, maybe losing instrument air might cause several  
18 effects that had not been properly examined. So it's an  
19 attempt to make sure that propagating functional  
20 dependencies are fully carried out, and maybe spatial  
21 issues are carried out.

22                   We have seen a few cases where ladders or space  
23 heaters may fall and impinge on cable trays or other  
24 safety-related equipment. And then we're thinking about the  
25 human-coupled one, but I don't know that we will be able to

1 develop any algorithms or any way to zero in on the most  
2 likely cause of any particular plant.

3 COMMISSIONER AHEARNE: Is the human-coupled one  
4 restricted to operators?

5 MR. THADANI: Yes, it is.

6 MR. SPEIS: The next viewgraph --

7 (Slide)

8 -- kind of reiterates what has already been  
9 said. The need for the program, again, the operating  
10 reactor experience has revealed the unpredicted  
11 dependencies that we have provided the examples already. I  
12 have talked about those three examples.

13 I already said about the compartmentalized  
14 approach that has been followed in the review, and we want  
15 to make sure that some more systematic way is found to make  
16 sure that no gross or interdependencies have been  
17 overlooked.

18 I guess the ACRS has been a strong proponent of  
19 this program from -- they started talking about it back in  
20 '74. I have asked Frank and Ashok why was the program  
21 formalized in '78. I am not so sure I have gotten a good  
22 answer. Maybe he will help --

23 COMMISSIONER AHEARNE: Well, I think --

24 MR. SPEIS: -- with what happened between '74 and  
25 '78.

1           COMMISSIONER AHEARNE: -- you might, when you say  
2 it has been a strong proponent of systems interactions  
3 studies since '74, you might go on to say and they also  
4 have been a very strong critic of the NRC's programs, or  
5 lack of programs, in this area over these years, too.

6           MR. SPEIS: Yes. I would also like to say that  
7 when the program was initiated back in 1978, Sandia was  
8 hired to help put together an interim approach on how to  
9 get to the problem, and we used Watts Bar as a test case.  
10 when the results came forth back in 1980, the ACRS wasn't  
11 too happy with the results and the conclusions. And that --

12           COMMISSIONER AHEARNE: Nor was the staff either,  
13 was it?

14           MR. SPEIS: Well, neither the staff, both the  
15 ACRS and the staff, and maybe Ashok can provide more  
16 insight. But I know that because of that then, a more  
17 rigorous effort was undertaken to look into a number of  
18 matters in addition to the one that Sandia had used at that  
19 time.

20           MR. DENTON: And let me point out, the ACRS was  
21 not able to advocate a specific methodology. It's like the  
22 staff should improve its knowledge of the earthquake  
23 predictions. You know, a very difficult task.

24           And we set out to find people who might lead us  
25 in this way. We thought we had a solution back in the watts

1 Bar time, and that didn't pan out, so we're continuing the  
2 search for these methods.

3 And I think we in the ACRS both have been  
4 dissatisfied with progress, but you can't force the science  
5 to jump out with a methodology just by pushing. But we have  
6 continued to push on it. And I guess we have a few  
7 candidates now that we're exploring.

8 MR. SPEIS: We will talk about that.

9 The next viewgraph, 7 --

10 (Slide)

11 -- shows how we treat systems interactions  
12 within the present system, NUREG-0800. We believe that the  
13 potential occurrence of any significant systems interaction  
14 is minimized because of the current licensing requirements  
15 and procedures which are utilized in the review process.

16 COMMISSIONER AHEARNE: Could you speak to, for  
17 example, how does the SRP handle systems interaction under  
18 environmental qualification?

19 MR. THADANI: Do you want to discuss that?

20 MR. DENTON: Well, I think the short answer would  
21 be the EQ rules have tended to minimize systems  
22 interaction, just like the fire rule would minimize fire or  
23 sabotage, by prescribing certain actions to be taken that  
24 are intended to get at that cause of dependency.

25 COMMISSIONER AHEARNE: Well, but I thought the

1 primary focus of the EQ rule was to look at a range of  
2 systems broader than safety related but still in the range  
3 of systems, and to demonstrate by a variety of mechanisms  
4 that they could withstand the environmental effects.

5 And I don't recall much on if they in that  
6 process have some degradation but still within the  
7 acceptable range for the individual system performing, I  
8 don't recall any focus on what is now the effect of that  
9 degradation on other systems.

10 MR. DENTON: Well, I guess I was answering in a  
11 sense in looking at EQ we look at temperatures and  
12 pressures and radiation levels in a given compartment --

13 COMMISSIONER AHEARNE: Right.

14 MR. DENTON: -- and make sure that the equipment  
15 that's in there is qualified for that condition. So in a  
16 sense, if there is a pipe break that causes those  
17 environmental conditions, that's a possible system  
18 interaction, the equipment should be qualified for that  
19 type of pipe break.

20 MR. THADANI: Yes. I think in fact, Harold, I  
21 think that's a good example. In various reviews in the  
22 Standard Review Plan, high-energy line break or  
23 moderate-energy line break and so on, one postulates  
24 certain breaks and then goes about making assessments in  
25 terms of what else could fail as a result of that

1 postulate.

2           The process one goes through is to collect a  
3 team of people with certain disciplines and perform  
4 walkthroughs in those areas where one would postulate such  
5 breaks. That is indeed an ingredient of a systems  
6 interaction.

7           COMMISSIONER AHEARNE: Yes.

8           CHAIRMAN PALLADINO: Looking at some of these  
9 items on the list, they seem to be examples of common modes  
10 of failure, earthquake, fire, flooding, high-energy line  
11 breaks. This is your current approach then, I gather, to  
12 systems interaction?

13           MR. SPEIS: It is presently viewed --

14           MR. THADANI: To add to that, that is indeed the  
15 case for spatial interactions, and then one would also be  
16 concerned with functional interactions, control system  
17 failures which could --

18           CHAIRMAN PALLADINO: Well, when you get down to  
19 reactor protection systems and safety shutdown systems,  
20 those might have functional interactions.

21           MR. THADANI: Yes.

22           COMMISSIONER AHEARNE: But there you also, though  
23 I thought a lot of the systems interaction piece of that is  
24 under the A-47 unresolved safety issue.

25           MR. THADANI: That's from dynamic effects, yes.

1 MR. SPEIS: we will say something more about this  
2 later on, why we think A-47 is kind of a subset in some  
3 ways of A-17.

4 I think it would be more fruitful to go through  
5 the program itself.

6 COMMISSIONER AHEARNE: Well, wait a minute. Let's  
7 talk about your last comment there, though. When you say  
8 that current requirements, present results of the current  
9 requirements appear adequate pending completeion of the  
10 program, what results are you speaking about?

11 MR. SPEIS: Frank, can you respond to that?

12 MR. COFFMAN: Historically, I guess we could  
13 begin with Phase I results, which was --

14 COMMISSIONER AHEARNE: Phase I of?

15 MR. SPEIS: Systems interactions.

16 MR. COFFMAN: Of the systems interaction program,  
17 which was completed about April of 1980.

18 COMMISSIONER AHEARNE: Is that the Sandia study?

19 MR. COFFMAN: That's the Sandia study of Watts  
20 Bar using fault tree analysis.

21 COMMISSIONER AHEARNE: But I thought Themis just  
22 said that the ACRS had expressed great dissatisfaction with  
23 that, and I thought that the staff also was dissatisfied  
24 with that study. So are you saying that -- it sounds like  
25 that they proposed an approach with which the staff was

1 dissatisfied, and I am not sure whether that is a result --  
2 which then chose the present approach as adequate.

3 MR. DENTON: I think you have to look at it the  
4 other way. That was an attempt to get at it. It didn't show  
5 that all the people weren't satisfied with it; neither did  
6 it show a lot of contributions to risk from the neglect of  
7 these areas. I think that's all Frank is saying about it is  
8 that, well, that was one effort to get at it and it didn't  
9 show --

10 COMMISSIONER AHEARNE: well, just to make sure,  
11 if I could, so that I don't misunderstand. I thought the  
12 conclusion out of that Phase I effort was that that  
13 approach wasn't very useful. Is that incorrect?

14 MR. COFFMAN: There were two conclusions at the  
15 end of Phase I: one made by Sandia and apparently supported  
16 by the staff, or the evidence in the documents that we  
17 have, supported by the staff, is that Watts Bar was "well  
18 protected against interactions." So there was no adverse  
19 safety at Watts Bar because of systems interaction.

20 The other conclusion was the dissatisfaction  
21 with the methodology. It used fault trees, and it became  
22 evident that it was deficient in three areas: one, it was  
23 inscrutable, it was -- not inscrutable -- it would be  
24 difficult to read a broadly scoped fault tree analysis of a  
25 plant. So if you'd extend the scope, you'd have that



1 problem.

2 It at the time pushed the limit of present  
3 computer capabilities to in fact manipulate, using Boolean  
4 algebra, manipulate the fault tree.

5 And thirdly, there was a more vague  
6 dissatisfaction in that it did not identify some events,  
7 selected events of interest to the ACRS.

8 COMMISSIONER AHEARNE: Such as?

9 MR. COFFMAN: I am not sure I can recall them.  
10 The staff did address them separately in a letter in  
11 September, I think it was, September of '81. But I cannot  
12 recall them.

13 MR. DENTON: I have no doubt it failed to predict  
14 the next LER, you know, that kind of --

15 COMMISSIONER AHEARNE: It predicted it, the lat  
16 one.

17 (Laughter)

18 CHAIRMAN PALLADINO: Which one did it fail?

19 MR. DENTON: I wasn't trying to be humorous. I  
20 don't know which one it failed now.

21  
22  
23  
24  
25

1 MR. SPEIS: Whichever.

2 MR. THADANI: May I just respond to part of your  
3 comment? The judgment is that the current requirements are  
4 adequate. That judgment derives partially from the early  
5 work that was done in the systems interaction, but largely  
6 derives from the upgrading that has been made in the  
7 Standard Review Plans in the last several years, I would  
8 think in the last 4 or 5 years.

9 Frank, in this slide, listed a number of  
10 sections which require a fair amount of what I would call  
11 systems interactions studies being done. Beyond that,  
12 there have been a number of bulletins that have gone out as  
13 a result of some of the events that we have experienced.  
14 And the fact that this USI is exploratory in nature, sort  
15 of these factors combined to lead us to a judgment that  
16 these requirements are adequate.

17 It may be that after we get done applying these  
18 comprehensive techniques we will find out that something  
19 else or more needs to be done.

20 MR. DENTON: I think there is another answer too,  
21 and that is, most of the LERs that we see in contributors  
22 to risk, if you look at the precursor study even, are not  
23 system interaction studies unless you define everything as  
24 "system interaction," like maintenance of that other  
25 breaker. There are a lot of human failings to carry out

1 things that you would think would happen.

2 Usually, the hardware is adequate. A large part  
3 of this program has been hardware. I remember the ACRS  
4 asked me one time, what would happen if every wire in a  
5 cable tray was connected to any other wire in the cable  
6 tray? You can run through those kinds of analyses, but you  
7 end up with more circuits in that kind of thing.

8 The PRAs that have been done that look for  
9 single failure certainly look at the first two or three  
10 levels of support systems. So I kind of doubt if the work  
11 we're doing will show new functional system interactions.  
12 They're already taken to a fairly detailed level.

13 Spatial interactions may show up in this study,  
14 where what's put in what rooms that may fail that may  
15 interact with something else. And I think as we will tell  
16 you, the Indian Point study already has 20 volumes of  
17 information just trying to catalog what's in rooms that  
18 might interact with each other. So it's a very voluminous  
19 thing.

20 The human side is going to be very tough to get  
21 at. You know, the basis for one's confidence depends on the  
22 PRAs that have been done, the fact where we think the risks  
23 are, what the LERs are showing the risk. And I think the  
24 best indicator is experience. Many of the ones on this list  
25 we had to learn through experience. Things like flooding

1 and fires have come in through experience.

2 And I guess, finally, it's not that anyone  
3 doesn't want to do a system interaction, it's trying to  
4 find a way to know the unknowable. It's like searching for  
5 a cancer cure, and if we could find a way to really get in  
6 there and that would identify these or the two or three  
7 missing interactions, we'd do something with those.

8 And it's been the frustrating search for a  
9 methodology that we can improve the state of knowledge.

10 CHAIRMAN PALLADINO: There's one difference,  
11 though. Here you don't know the extent to which  
12 interactions exist. It's different from searching for a  
13 cure for a particular disease, because you're searching to  
14 see if there exists such a disease, in a sense, or the  
15 extent to which such a disease exists.

16 MR. DENTON: And we do find them in LERS, but  
17 usually they're at a level of detail that you would not  
18 expect to turn up without, as Frank said, exhausting some  
19 computer's memory in trying to catalog the possible  
20 interactions.

21 MR. SPEIS: Also, what I would add the following,  
22 that the present USIs, all of them are trying in one way or  
23 the other to address that issue of systems interactions.  
24 For example, pressurized thermal shock, you know, one of  
25 the concerns there is that you could have an

1 undercooling/overcooling transient. Well, why would you  
2 have an overcooling transient? Because something would  
3 happen to your control system.

4 But that has been identified, and we are  
5 focusing on that specific issue.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. DENTON: It would be useful to go maybe right into Frank's description of the efforts that have been made to develop the methodology and to have the focus on --

CHAIRMAN PALLADINO: Are you also going to go into the specifics of what you're doing now in and in the future?

MR. SPEIS: Yes. And the schedule for the program and where we think it will go.

CHAIRMAN PALLADINO: Could you also indicate somewhere along the line why in 1981 in our annual report we anticipated it was all going to be done by November of that year, what happened on that?

MR. DENTON: That must have been the Watts Bar effort.

MR. SPEIS: Well, that's all right, somewhere along the line. We will talk about that.

Maybe you can say a few things about this.

MR. COFFMAN: The next viewgraph you have there, 8, I will just let you read it. I will make a couple of comments.

To focus a minute on the word "analyze," "develop independent methods of analyze plants," it puts us into a search process. The methods are in essence a search process which I think Chairman Palladino just summarized.

1           We have to have confidence in that process  
2 before we go out and endeavor to apply it. And we're trying  
3 to apply it in a way where the process is orthogonal or  
4 independent, provides a different perspective to the  
5 present review process, which Dr. Speis described in the  
6 Standard Review Plan.

7           One of the areas that it is distinctly different  
8 is that the Standard Review Plan does identify distinctions  
9 between important-to-safety equipment and safety-related  
10 equipment. The methods, the orthogonal methods, that we are  
11 trying to apply do not make a distinction between  
12 safety related and important to safety, and they would  
13 freely transcend that boundary and would not be constrained  
14 by that distinction.

15           COMMISSIONER GILINSKY: What is the basis for  
16 your analysis? Is it the FSAR or what, or are you looking  
17 at specific plants?

18           MR. COFFMAN: The basis as far as the source of  
19 information about the plant?

20           COMMISSIONER GILINSKY: Yes.

21           MR. COFFMAN: The FSAR is in there, is among the  
22 documents. There is an extensive list of documents, but not  
23 the primary document. It's primarily, piping and  
24 instrumentation drawings. And certainly, the FSAR is part  
25 of that. Plant arrangement drawings, electrical line

1 diagrams.

2 COMMISSIONER GILINSKY: which you get from the  
3 company or --

4 MR. COFFMAN: Yes, sir.

5 COMMISSIONER GILINSKY: There was some  
6 controversy about whether or not you were getting the right  
7 information or adequate level of detail.

8 MR. COFFMAN: That was on a different --

9 COMMISSIONER GILINSKY: Is that -- am I clear  
10 on this?

11 MR. DENTON: To get very far into it on the  
12 trials that we've done, you need a lot more information  
13 than is typically provided on an application.

14 COMMISSIONER AHEARNE: Well, it's my  
15 understanding from all the stuff that you've sent up that  
16 we haven't yet actually gone through one in detail. Is that  
17 correct?

18 MR. DENTON: There are a couple that are under  
19 development.

20 COMMISSIONER AHEARNE: Right.

21 COMMISSIONER GILINSKY: I think these are all  
22 plant-specific studies.

23 MR. DENTON: Special studies trying to develop a  
24 methodology.

25 MR. SPEIS: And apply it.



1 MR. DENTON: It's not as -- we don't have a  
2 methodology yet.

3 COMMISSIONER GILINSKY: A methodology that would  
4 apply to all plants?

5 MR. COFFMAN: Well, let me go to the next  
6 viewgraph, number 9 --

7 (Slide)

8 -- and say that the whole program includes the  
9 review of some plant-specific studies, systems interaction  
10 studies. And those three are listed there under the first  
11 major heading.

12 So the program includes review of utility  
13 programs. It also includes our development of independent  
14 methods. And it's easy to bounce back and forth and get  
15 confused on them.

16 But as far as review of the utility methods,  
17 PG&E has performed their study on Diablo Canyon, and the  
18 staff had reviewed that back between June and November of  
19 1980. That was their program, their criteria for what  
20 constituted an interaction, and the whole process of how  
21 they were going to go through making their  
22 search.

23 COMMISSIONER ROBERTS: How did that work come  
24 about?

25 MR. COFFMAN: The ACRS encouraged that under one

1 of the design criteria which calls out for special studies  
2 of plants that have site-specific hazards, and this was a  
3 seismic hazard.

4 MR. DENTON: And this was limited to spatial  
5 interaction due to earthquakes.

6 COMMISSIONER ROBERTS: All right. That's Diablo  
7 Canyon. What about the Indian Point 3 and Midland 2?

8 MR. DENTON: Similar answer but different --

9 COMMISSIONER AHEARNE: Also spatial interactions?

10 MR. DENTON: No. No. ACRS.

11 MR. COFFMAN: As far as the scope, the Indian  
12 Point effort is much broader. It is, in essence, a full  
13 scoped systems interaction effort.

14 COMMISSIONER GILINSKY: ACRS magnitude 7 request.

15 (Laughter)

16 MR. SPEIS: There is no formal requirement at  
17 present to perform a systems interaction study, you know,  
18 per se, explicitly.

19 MR. DENTON: We funded the first one, which was  
20 Watts Bar effort, and that one didn't go anywhere, as we  
21 have discussed. And then the ACRS asked for these. If you  
22 take the Indian Point one, I guess it was about a year ago  
23 that the staff went back to the ACRS with its views on the  
24 proposal that Indian Point had come up with, that we  
25 thought it was a reasonable way to go forward.

1           The ACRS reviewed it and concurred in that  
2 opinion. And the company has been carrying it out ever  
3 since. It's about a \$2 million study, separate from the PRA  
4 study which they already have in hand of multi volumes.

5           So they are attempting to see if they are  
6 spatial, functional, or human interactions that are outside  
7 the design envelope and that were covered in their PRA.

8           COMMISSIONER AHEARNE: And what method are they  
9 using?

10          MR. COFFMAN: Their method is essentially one of  
11 tables identifying, beginning with the safety functions,  
12 and identifying the systems required to support those  
13 functions; then going another step in detail looking for  
14 the support systems behind the primary systems and then  
15 continuing on until they have essentially identified  
16 what they feel is all the equipment which is depended upon  
17 to perform the basic safety functions.

18          Their next step then is to selectively fail  
19 some of that equipment and look for the adverse effects it  
20 would have on the safety functions to in fact determine  
21 whether it would penetrate a regulatory requirement or some  
22 more rigorous criterion.

23          COMMISSIONER AHEARNE: And they are doing this  
24 for every safety system?

25          MR. COFFMAN: They are doing it for every safety

1 function, so, yes, they begin even more generally than  
2 safety systems.

3 MR. DENTON: I think one of the issues in this  
4 kind of thing is how far do you go? In other words, when  
5 they did the PRA on Indian Point, they had to pick some  
6 level to stop and try to draw fault trees and event trees.  
7 This is a little different approach, I guess, which would  
8 test whether they drew the line in the right place.

9 They have agreed to inform us if they find any  
10 interactions that are outside the design envelope.

11 COMMISSIONER AHEARNE: They are not then merely  
12 taking the fault tree/event tree system descriptions that  
13 they developed and just recalculating on this, is what  
14 you're saying?

15 COMMISSIONER GILINSKY: Why is this different?

16 MR. COFFMAN: This is -- it's hard to explain.

17 COMMISSIONER GILINSKY: Maybe that's what you  
18 said before, but I didn't understand it.

19 MR. COFFMAN: The difference is in the  
20 methodology, the fact that this method was developed by  
21 Power Authority of State of New York and their contractor,  
22 EBASCO. They developed this method. They felt like it was  
23 the best approach to search the plant for interactions. It  
24 is not a fault tree method.

25 COMMISSIONER GILINSKY: But ultimately, shouldn't

1 those interactions express themselves in a fault tree  
2 hierarchy?

3 MR. SPEIS: Ultimately, yes, they should,  
4 depending on how far you carry your fault tree --

5 COMMISSIONER GILINSKY: Or event tree, I would  
6 say.

7 MR. SPEIS: -- how many systems you include in  
8 terms of developing fault trees for it, because even in a  
9 PRA you are limited by how much you can do. So a number of  
10 systems are indeed left out.

11 COMMISSIONER AHEARNE: I mean the fault trees  
12 give you the model that you will ultimately end up with or  
13 carrying around at any particular time. Here, as I  
14 understand it, you're combing the systems for interactions  
15 to see whether the model is right, whether you need to  
16 adjust it in some way. Is that right or not?

17 MR. COFFMAN: No, that's -- well, I guess -- the  
18 purpose for the systems interaction program was not  
19 initially to check the fidelity of the fault trees.  
20 However, there is -- the input can be made from the result  
21 of the systems interaction program into the fault trees.  
22 But the purpose was initially to search the plant to  
23 identify any hidden dependencies. It's a more rigorous  
24 single failure analysis.

25 CHAIRMAN PALLADINO: The fault tree will not

1 quite do what you're looking for here, because if you take  
2 a system and then say, suppose this component operates and  
3 then doesn't and then what if it doesn't, then you go down  
4 the various chains. Here you're looking for what if  
5 something like a fire were to impact or some other common  
6 cause were to impact on this component, would it affect the  
7 operation of the others.

8 I think you're putting a different overview on  
9 the fault tree.

10 MR. COFFMAN: Well, I think that was a short  
11 answer, that conceptually it can be done.

12 CHAIRMAN PALLADINO: If it's a three-dimensional.

13 MR. COFFMAN: You can identify -- in fact, in the  
14 Sandia study they identified location, and if that location  
15 is susceptible to a fire, then that could be part of the  
16 fault tree analysis. Conceptually, it can be done.

17 COMMISSIONER GILINSKY: well, are you saying that  
18 some of these things just don't lend themselves to fault  
19 tree descriptions?

20 MR. COFFMAN: No, I guess I am saying that the  
21 fault tree may not be the most effective method of  
22 searching the plant, and it may -- the limitations on--

23 COMMISSIONER GILINSKY: Well, I wouldn't think it  
24 searches the plant. It basically contains -- it is a model  
25 of the interactions as you understand them. And until --

1 MR. COFFMAN: Maybe I should --

2 MR. DENTON: But to some extent, I think that  
3 it's the same deck being shuffled in many of these  
4 different approaches to it. But my sense is that in normal  
5 PRA practice, they make decisions about where to stop  
6 carrying out what level of -- they're the primary safety  
7 systems, the support systems, and then there are systems  
8 that support the support systems.

9 Somewhere they decide where you're going to stop  
10 drawing these trees, because their view is the risk  
11 contribution gets too small to try to keep book on it.

12 I think what Frank is trying to describe is a  
13 system where it would be an elaborate accounting system  
14 before any judgments are made about the risk significance  
15 of that system, and we'll start with that.

16 COMMISSIONER AHEARNE: But you have to stop at  
17 some point.

18 COMMISSIONER GILINSKY: That's okay. That's okay.  
19 But suppose he finds something and it turns out to be very  
20 important, even if it's way down somewhere.

21 MR. DENTON: Then you'd have to go to a PRA  
22 source to find out how important it is.

23 COMMISSIONER GILINSKY: Then you would realize  
24 that you really do have to factor this interaction in and  
25 hook that up to something in your fault tree.

1 MR. SPEIS: Exactly. You would have to. Once you  
2 identify --

3 COMMISSIONER GILINSKY: Unless you make a change,  
4 yes.

5 MR. SPEIS: Somehow you have to develop judgment  
6 on how important it is, and if you want some quantitative  
7 assessment, you would certainly fold it into a PRA, if you  
8 have a PRA available for that plant, to see what the  
9 significance is.

10 MR. DENTON: I think these tables you are  
11 constructing don't go at all to the probability of a  
12 failure.

13 MR. SPEIS: That's right.

14 MR. DENTON: That's just on what systems does  
15 this system depend? So they don't put any numerical  
16 probabilities of failure, but just to see what is the  
17 connection. Then if they find connections that eventually  
18 you've got to go back through a PRA-type analysis to  
19 evaluate that interdependency.

20 COMMISSIONER GILINSKY: Well --

21 MR. DENTON: But Frank is just identifying  
22 dependencies, I guess.

23 MR. SPEIS: Yes. An example, when you go through  
24 fault trees and event trees in a PRA, some PRAs at least,  
25 you might postulate an initiating event is a small LOCA,



1 and you can draw functional trees or event trees to what  
2 systems are needed to mitigate consequences of that  
3 initiating event. And for each system you would draw a  
4 fault tree.

5 Now, in many cases, the fault tree level  
6 doesn't go far enough to depict that perhaps a common  
7 failure somewhere down, semi-hidden, not only causes you to  
8 fail one train of the mitigating system but also could  
9 result in the small LOCA initiator.

10 COMMISSIONER GILINSKY: But you are saying there  
11 that the typical fault tree doesn't go into as much detail  
12 in the system as this particular approach does?

13 MR. SPEIS: This approach goes in much greater  
14 detail --

15 COMMISSIONER AHEARNE: So if you cut off --

16 MR. SPEIS: -- for more systems.

17 COMMISSIONER AHEARNE: -- if you cut off this  
18 approach, it's the same level of detail as the typical  
19 fault tree analysis?

20 MR. SPEIS: Oh, yes, absolutely. Oh, yes.

21 MR. DENTON: We're not necessarily wedded to  
22 this one. That's one of the ones.

23 COMMISSIONER AHEARNE: Yes.

24 MR. DENTON: And there are two other ways that we  
25 are also testing. This is a way, though, that Indian Point

1 is doing it to the satisfaction of the ACRS. Now, the  
2 results of doing it this way, we don't know yet.

3 COMMISSIONER AHEARNE: Before you leave this one,  
4 though, it sounds to me that on this development of tables  
5 you don't necessarily get to the point the chairman asked  
6 about; that is, a fire causing a common-cause failure to a  
7 whole host of those systems.

8 MR. DENTON: Yes, that's right.

9 COMMISSIONER AHEARNE: Now, the tabs are --

10 MR. DENTON: Yes, they kept the fires another  
11 way, I think, and the simple way I understand it is they  
12 are going into every room and photographing or recording  
13 everything that's in each space, and through some  
14 bookkeeping system then intend to evaluate, if there were a  
15 fire, flood or moisture problem or whatever in that room,  
16 what equipment is in what proximity to each other.

17 So I understand that there are about 20 volumes  
18 now of catalogued data giving spatial interactions that are  
19 under evaluation.

20 COMMISSIONER AHEARNE: I see.

21 MR. THADANI: That's right.

22 MR. DENTON: So that would answer, in other  
23 words --

24 COMMISSIONER AHEARNE: Yes.

25 MR. DENTON: -- out of that they would hope to be

1 able to answer that question if you get a fire in any space  
2 what would it affect throughout the plant?

3 MR. SPEIS: These volumes have not been submitted  
4 to us. And as has been said --

5 (Laughter)

6 -- one of the ways to assess the importance of  
7 these interactions is either to go through a quantitative  
8 approach or develop some other criteria, you know, using  
9 some deterministic, common-sense way of saying it's  
10 important or not important or whatever.

11 CHAIRMAN PALLADINO: I hope you don't carry all  
12 those volumes. There's a space where you could drop them  
13 and have an interaction.

14 (Laughter)

15 COMMISSIONER AHEARNE: Are they attempting to  
16 keep track of all of these tables manually, or are they  
17 attempting to program them?

18 MR. DENTON: Jim, do you know whether --

19 VOICE: I think it's all manual.

20 MR. DENTON: Is it manual?

21 VOICE: The Benson tables.

22 COMMISSIONER GILINSKY: It's not computerized?  
23 It's not computerized? You've got to be kidding.

24 (Laughter)

25 COMMISSIONER GILINSKY: In 1983.

1           CHAIRMAN PALLADINO: Can I go back to the first  
2 one where you were talking about 1980 PG&E did some work  
3 and you have dates here, 1/84 to 4/84. What does that mean?

4           MR. COFFMAN: The results of the PG&E work have  
5 not yet been submitted to the staff. And we anticipate that  
6 we will receive them so that we could review them during  
7 that time frame.

8           COMMISSIONER AHEARNE: I thought, Frank, you  
9 earlier said the staff reviewed it in 1980.

10          CHAIRMAN PALLADINO: That's what I thought, yes.

11          MR. COFFMAN: The staff reviewed the PG&E search  
12 process and their criteria against which they were  
13 searching, and in fact audited, sampled some of the search  
14 process.

15          CHAIRMAN PALLADINO: Well, what is going to be  
16 reviewed in '84?

17          MR. COFFMAN: The evaluation. It's easy to  
18 discover spatially coupled systems interactions. There are  
19 like, you know, so far I have been told there are over  
20 1,500 that they have discovered at Diablo Canyon. The  
21 question is how important are they to safety?

22          COMMISSIONER GILINSKY: When you say --

23          CHAIRMAN PALLADINO: Spatially, they're all  
24 interrelated.

25          COMMISSIONER GILINSKY: Yes, spatially related

1 interactions.

2 Are you talking about just things being close to  
3 each other or interactions that affect safety?

4 MR. COFFMAN: Now, given a seismic event, which  
5 was a constraint on the Diablo Canyon program, is there  
6 enough lateral displacement, tilting, failure of supports,  
7 that you could have specific piece of equipment adversely  
8 affect safety-related equipment? And they went through with  
9 a very fine-tooth comb and --

10 MR. DENTON: That one, they were able to focus  
11 just on seismic interactions and, as I understand it, took  
12 a team of mechanical engineers and maybe structural  
13 engineers, six or eight, ten people, and walked through the  
14 plant and stopped at every room and then looked to see  
15 stairwells, whatever might be supportive, safety-related  
16 equipment or non-safety-related, to see what might fall on  
17 anything else or what might hit. And then eventually, if  
18 they concluded that it involved safety-related potential,  
19 they decided to fix the stairwell from falling rather than  
20 trying to analyze it.

21 As I understand, that's been their choice  
22 throughout is to when they find interactions, to prevent  
23 them from occurring through design rather than try to  
24 analyze what would happen if a non-safety-related stairwell  
25 fell on safety-related piping.

1                   COMMISSIONER GILINSKY: That sounds like a good  
2 idea.

3                   CHAIRMAN PALLADINO: But there must be  
4 assumptions made at every point about what's happened, what  
5 happens to whatever you're considering failing, how it'd  
6 fall. In Diablo, one could start with, I don't know what  
7 the probability is, but a big crack in the earth and the  
8 whole plant goes.

9                   (Laughter)

10                  COMMISSIONER AHEARNE: Well, they're spatially  
11 related. I don't know what assumptions you're making.

12                  (Laughter)

13                  VOICE: (Inaudible) SSE, Jim.

14                  CHAIRMAN PALLADINO: No, I am getting to both. I  
15 am just trying to illustrate that you make a lot of  
16 different assumptions about every stage is spatially  
17 related. But I guess you're trying to make reasonable ones.

18                  MR. COFFMAN: That was part of what was reviewed  
19 in 1980, was the ground acceleration; and in fact a lot  
20 more detailed criteria to tanks, could they deflect  
21 elastically sufficiently to impact. And all that criteria  
22 was reviewed in detail back in 1980.

23                  COMMISSIONER AHEARNE: And so they expect their  
24 results sometime the end of this year?

25                  MR. COFFMAN: Yes, sir.

1                   COMMISSIONER GILINSKY: From these utility  
2 studies, though?

3                   MR. COFFMAN: Yes, from PG&E we expect --

4                   COMMISSIONER GILINSKY: well, what are we doing?

5                   COMMISSIONER AHEARNE: Wait. Could he finish --

6                   COMMISSIONER GILINSKY: All right.

7                   COMMISSIONER AHEARNE: -- finish on what they're  
8 doing?

9                   COMMISSIONER GILINSKY: Sure.

10                  COMMISSIONER AHEARNE: On the PASNY study you've  
11 got here, running over a period of about 4 years.

12                  MR. COFFMAN: Yes. Let me break that down a  
13 little. The methods development was begun in July of  
14 1980, and it was a methods development by the utility  
15 themselves.

16                  Then they received, as Mr. Denton mentioned,  
17 they received the ACRS endorsement of their method earlier  
18 in '82, and from March of '82 through November they  
19 actually conducted their search of Indian Point 3. And they  
20 are now in the process of evaluating what they found to  
21 determine its safety significance.

22                  And we are told that somewhere around September  
23 of this year we can expect their results. I can't speak  
24 with authority as to when they will have it in, because it  
25 is voluntary, it is something that they --

1                   COMMISSIONER AHEARNE: Sure.

2                   MR. COFFMAN: -- have volunteered to do.

3                   MR. COFFMAN: And then they have allowed for a  
4 time period to make any fixes of the plant. So that's why  
5 you see the extended date there. But the staff expects that  
6 we would be able to perhaps draw conclusions from the  
7 results of their effort somewhere around the middle of the  
8 spring in '84, April '84, somewhere.

9                   MR. DENTON: I don't want to put all of this on  
10 the ACRS. The staff supported it and urged them and no  
11 doubt jawboned them along also. So it's done with our  
12 support and endorsement. And there has been a lot of  
13 cooperation between the two parties in doing the study.

14                   COMMISSIONER AHEARNE: And what is the --  
15 Midland, is that just -- is that a third method or --

16                   MR. COFFMAN: Their method we don't know as much  
17 about as the others, because it's a newer method. I am not  
18 even sure I could call it a separate method.

19                   Their program really represents an aggregation  
20 of all the activities which they feel could be  
21 characterized as systems interactions. They are following  
22 along the work that was done by PG&E on Diablo Canyon as  
23 far as the methodology of doing these walkthroughs.

24                   It's a little bit of a misnomer to just call it a  
25 walkthrough, because there is a lot of work that goes into



1 knowing where to walk, what to look for, how to keep track  
2 of it, that type of work. But their program, in essence, is  
3 more an aggregation of what they're doing under present  
4 requirements to demonstrate its adequacy.

5 COMMISSIONER AHEARNE: Well, if the PG&E and the  
6 PASNY ones, it sounded like the staff had early-stage  
7 involvement discussing the program and the approach. I  
8 gather from your last comment that staff has not had that  
9 level of interaction on the Consumers Power program?

10 MR. COFFMAN: Not to that degree, but we have  
11 been involved iwth them since June of '82.

12 COMMISSIONER AHEARNE: Are they doing a  
13 tabulation approach similar to PASNY?

14 MR. COFFMAN: Their approach is more similar to  
15 PG&E'S.

16 COMMISSIONER AHEARNE: Is it focused on seismic  
17 concerns?

18 MR. COFFMAN: Yes, it's focused primarily on the  
19 spatially coupled.

20 MR. DENTON: I think the Indian Point --

21 COMMISSIONER AHEARNE: Draft settlement?

22 MR. DENTON: Yes, on Midland, you recall, which  
23 is a B&W plant, and I think they undertook both a PRA and a  
24 systems interaction study to prepare themselves for a  
25 licensing decision someday.

1 (Laughter)

2 MR. DENTON: I think we ought to next go to  
3 Commissioner Gilinsky's question of what are we doing in  
4 this area. There are a number of other techniques which the  
5 staff has been talking to laboratories about and trying to  
6 develop.

7 And let me ask Frank to maybe distinguish those  
8 from what the utilities are doing.

9 COMMISSIONER GILINSKY: Well, let me ask you  
10 this. What is our goal here? Is it to be performing such  
11 analyses on individual plants ourselves? Is it to do a few  
12 sample cases? Is it to teach people how to do it  
13 themselves?

14 COMMISSIONER AHEARNE: Or to find out whether  
15 it's worthwhile doing this at all.

16 MR. DENTON: I think it, as Commissioner Ahearne  
17 has correctly characterized it, is to see if we could  
18 develop a methodology that would have a payoff. And we  
19 haven't come to that decision yet. If we could find --

20 COMMISSIONER GILINSKY: Well, let's see, is the  
21 way to decide whether there's a payoff for developing a  
22 methodology or to look at one or two cases and see whether  
23 you end up finding interactions that are missed by the more  
24 conventional approaches?

25 MR. DENTON: Well, what we hope to have coming in

1 at the same time would be the Indian Point systems  
2 interaction study, which has been -- at least the scope of  
3 the program has been concurred in by ACRS and the staff,  
4 this DIGRAPH matrix analysis method --

5 CHAIRMAN PALLADINO: Are you going to explain  
6 what it is?

7 (Laughter)

8 MR. DENTON: I was afraid you would ask.

9 There is still a third way of trying to identify  
10 these. And we would then have three different  
11 methodological approaches to the same plant and see if out  
12 of that any item turned up significant contributors to risk  
13 that had been missed in the normal safety review.

14

15

16

17

18

19

20

21

22

23

24

25

1                   COMMISSIONER GILINSKY: It sounds like a very  
2 careful and reasonable way to approach things. But I must  
3 say I get a little worried when I hear the word  
4 "methodology" used too many times.

5                   CHAIRMAN PALLADINO: Well, in a sense we have  
6 some methodologies. For example, when you look at flooding  
7 and --

8                   MR. DENTON: When we find an interaction we  
9 usually --

10                  CHAIRMAN PALLADINO: -- when you would look at  
11 earthquakes.

12                  MR. DENTON: Yes.

13                  CHAIRMAN PALLADINO: I don't know if you look at  
14 everything.

15                  MR. DENTON: We are searching for unknown  
16 interactions that are not presently reviewed.

17                  COMMISSIONER GILINSKY: But it sounds like -- and  
18 I don't mean to make fun of this -- you are really  
19 searching for new methodologies rather than new  
20 interactions. That means I might develop, oh, three  
21 methodologies and --

22                  COMMISSIONER AHEARNE: They're trying to figure  
23 out how to do the search.

24                  MR. COFFMAN: Yes.

25                  MR. DENTON: A method to identify an interaction.

1 PG&E was kind of expert opinion, just having people walk  
2 through and do it by eyeball.

3 COMMISSIONER GILINSKY: Well, but isn't the real  
4 test whether they come up with interesting things?

5 COMMISSIONER AHEARNE: Yes, that's the --

6 MR. DENTON: Yes.

7 COMMISSIONER AHEARNE: -- staff seems to be  
8 struggling with trying to find a way to do that search and  
9 then as the test to see whether it does come up with the  
10 interesting things. That's at least as I read it.

11 MR. SPEIS: And how important those things are to  
12 safety and to take the next step to revise the Standard  
13 Review Plan to provide some more rigorous way of looking at  
14 these intersystem dependencies and making sure that those  
15 systems do perform their functions.

16 COMMISSIONER GILINSKY: Well, you have been  
17 concerned about this an awful lot more than I have. But I  
18 think the way I would have approached it is to take a bunch  
19 of smart people and have them think about some specific  
20 plants beyond the conventional thinking that goes on in  
21 conventional review, and see whether that, you know, any of  
22 the various intuitive notions about what might be important  
23 in fact turn out to be important on closer examination.

24 CHAIRMAN PALLADINO: Maybe this is what they are  
25 doing.

1                   COMMISSIGNER AHEARNE:  Maybe it is.  Let's keep  
2 going.

3                   MR. COFFMAN:  Well, let me ask for supporting  
4 viewgraph number 18.

5                   CHAIRMAN PALLADINO:  You're not going to skip  
6 DIGRAPH?

7                   MR. COFFMAN:  No, sir.  I am going to give you  
8 that.  But in answer, while that's being located --

9                   (Slide)

10                  CHAIRMAN PALLADINO:  There it is.

11                  MR. COFFMAN:  -- let me say that the plants are  
12 big enough, complex enough, and the answers, the  
13 dependencies are so well hidden in the details of the plant  
14 equipment that it would take some awfully smart people --  
15 certainly smarter than I am -- to -- I would enjoy being  
16 part of that team.

17                  But it would take some awfully smart people some  
18 really tough thinking because you've got to consider lots  
19 of combinations of operating modes and equipment and state  
20 of equipment.

21                  So a systematic method to guide the process is  
22 what we have been looking for.  So when we refer to "a  
23 method," it is really to guide intelligent people.  And a  
24 fault tree, for example, is one way to guide intelligent  
25 people to search plants.  Tables like PASNY has, is another

1 way. And then this is the third way that we consider  
2 potentially the most efficient method of systematically  
3 searching the plant for systems interactions.

4 We begin with a system description, or the plant  
5 description. And I have put it up here in a very elementary  
6 way for illustration of the process.

7 In essence, you're taking the plant  
8 instrumentation and drawing, piping and instrumentation  
9 drawings, but supported by other information, and you are  
10 translating that into a directed graph, which in essence is  
11 a graphical technique where, you know, you have nodes, you  
12 have connections, and you have the tendencies indicated  
13 simply by the circles, arrows, and the lines.

14 — This is a long, meticulous process to translate  
15 the plant into this model.

16 COMMISSIONER AHEARNE: What is the difference --  
17 what are the differences there between your systems  
18 description, directed graph, and PASNY's table?

19 MR. COFFMAN: Well, there are many differences.  
20 An advantage is that -- and I am not trying to get around  
21 your question; it's just such a broad scoped question.

22 COMMISSIONER AHEARNE: It's just that your  
23 description sounded like you're trying to track from A,  
24 system A, and track for systems it interacts with.

25 MR. COFFMAN: Yes. In essence, both methods are a

1 systematic way of searching the plant. It's a procedure  
2 that you use to guide the analyst to go through and search  
3 the plant. So in essence, they're the same in process and  
4 objective.

5 COMMISSIONER AHEARNE: What are the  
6 characteristics of B and D, for example; what type of  
7 characteristics would enable you to go in, if you start  
8 with A, what are the characteristics of the other systems  
9 that would lead you to draw B and D?

10 MR. THADANI: B and D? Fault tree event? What do  
11 you think --

12 MR. COFFMAN: B and D, you mean the equipment  
13 here that's --

14 COMMISSIONER AHEARNE: Your description of PASNY  
15 sounded like they take an function and on that function  
16 they're going to get a set of systems, and they take those  
17 systems and work up a table of all of these systems that  
18 interact with that system. Now, that particular table is a  
19 system interaction. I was wondering what it is that is  
20 different about your B and D which --

21 MR. COFFMAN: Well, this method allows what we  
22 think is a more systematic search and in the sense that it  
23 does not require any more than just pairwise modeling of  
24 dependencies. The problem with the other methods is that  
25 the analyst may have to consider combinations of faults



1 more than just a pairwise consideration of equipment. I  
2 think That may not be coming across very clearly.

3 Here the analyst goes through and looks at each  
4 piece of equipment and asks, what does that equipment  
5 require to operate successfully, in contrast with the PASNY  
6 method or a fault tree method where he would have to  
7 consider also degraded or defaulted condition of that  
8 equipment, that piece of equipment, or supporting  
9 equipment.

10 Here the analyst only looks at the successful  
11 operation of the one piece of equipment.

12 COMMISSIONER GILINSKY: How do you go about  
13 deciding whether this is a useful thing to be looking at or  
14 not?

15 MR. DENTON: Well, the way I approach it is that  
16 I have heard advocates of at least three different methods.  
17 One is the make-a-table; you list everything you can find  
18 on the table. The DIGRAPH method, and one table before that  
19 one, which is -- what is the name of that one?

20 MR. SPEIS: Event tree/fault tree,  
21 failure-modes-and-effects analysis.

22 MR. DENTON: It's a more complicated system than  
23 fault trees or event trees. And they all -- so there are  
24 three methods which practitioners in this field advocate. I  
25 can find nothing in the literature, scientific literature,

1 that says, this method has been tried and it beats this  
2 method.

3 So it's not as though we're looking into a --  
4 COMMISSIONER GILINSKY: Well, ultimately, you're  
5 going to have to apply some test to it.

6 MR. DENTON: And so the way I had thought the way  
7 we intend to approach it is to do all three on Indian  
8 Point. In other words, Indian Point is doing one of its own  
9 choice there; we will have a laboratory do the DIGRAPH  
10 method, and another laboratory do the other one. So we will  
11 have three different approaches at a nominal sum of money,  
12 all in the same plant, and that would be the test, to see  
13 then on the same plant three different ways and see if any  
14 three turn up significant interactions, and then make a  
15 choice after that.

16 COMMISSIONER GILINSKY: So I have a couple of  
17 questions: One is, it sounds like this is going to take  
18 quite a while; and secondly, they are aware of what the  
19 other methods turned up. You know, it's not as if you're  
20 sending them off in separate rooms and we see what they  
21 turn up.

22 MR. COFFMAN: Well, if you look at the scheduling  
23 the --

24 MR. THADANI: The intent certainly is to keep the  
25 two teams apart.

1 COMMISSIONER GILINSKY: Yes, but --

2 MR. THADANI: The two laboratories. But there is

3 a --

4 COMMISSIONER GILINSKY: -- they will at least see

5 the --

6 MR. THADANI: Yes.

7 COMMISSIONER GILINSKY: -- utility report.

8 MR. DENTON: Well, I didn't want to do different

9 plants. I figured that would -- we'd never get a comparison

10 there either. So I thought it was best to do a plant. And

11 the advantage of Indian Point is that not only is it high

12 population, we've got a complete PRA for that plant to turn

13 back to to judge the significance to the extent we would

14 like.

15 COMMISSIONER GILINSKY: Well, let's see, how long

16 does a thing like this take?

17 COMMISSIONER AHEARNE: No, don't leave the slide.

18 CHAIRMAN PALLADINO: I don't understand what

19 "reachability" is, and if I see that A and C are not

20 adjacent to each other but they're --

21 COMMISSIONER GILINSKY: Well, that's fine, but is

22 it reachable at all?

23 CHAIRMAN PALLADINO: -- reachable twice, or

24 whatever those numbers mean.

25 MR. DENTON: Well, I found, Mr. Chairman, after

1 about 4 hours I began to understand this matter.

2 (Laughter)

3 MR. COFFMAN: Maybe we should schedule --

4 (Laughter)

5 CHAIRMAN PALLADINO: I don't want the details,  
6 just -- not adjacent but to be reachable, I don't know what  
7 you mean by that.

8 MR. THADANI: We will come back to the schedule.

9 (Laughter)

10 COMMISSIONER GILINSKY: well, can you just tell  
11 me how long these things take?

12 MR. SPEIS: We have a schedule here that shows --

13 COMMISSIONER GILINSKY: Briefly.

14 MR. SPEIS: -- that we hope to --

15 COMMISSIONER GILINSKY: No details, please.

16 MR. SPEIS: -- to have completed the evaluation  
17 and the application of those three methods by the end of  
18 '84, roughly.

19 CHAIRMAN PALLADINO: Which three methods? The one  
20 that --

21 MR. SPEIS: The PASNY, the DIGRAPH matrix, and the  
22 fault tree/event tree.

23 MR. DENTON: There is a third one we haven't  
24 shown you yet. But maybe we can answer the chairman's  
25 question, Frank, on this one.

1 MR. COFFMAN: Okay. The concept of reachability  
2 is simply it's a characteristic of a component. If a  
3 component can reach to the safety function and adversely  
4 affect the safety function. So it's a path --

5 CHAIRMAN PALLADINO: Because it's connected by a  
6 pipe?

7 MR. COFFMAN: By a pipe. But you know, there are  
8 a whole series of couplings, so it could be connected  
9 through a pipe, through cooling, then through power. So  
10 there are a whole series of couplings. And if you follow  
11 the path of couplings from the component to the safety  
12 function, then reachability can give you a feel for how  
13 important that safety -- how much that safety function  
14 depends upon that particular component, how reachable it  
15 is.

16 CHAIRMAN PALLADINO: So the adjacency matrix  
17 might not be related? It doesn't do -- the reachability  
18 matrix does not derive necessarily from the adjacency  
19 matrix?

20 MR. COFFMAN: Yes, it does derive. The process --

21 CHAIRMAN PALLADINO: Necessarily? Then I don't  
22 follow.

23 MR. COFFMAN: -- the process here is to go  
24 stepwise from left to right at each level. So you begin  
25 with the system description, go to the DIGRAPH, then you

1 translate the DIGRAPH into an adjacency matrix. Just where  
2 the first column is the components and -- well, the first  
3 row is the components also, but you're reading it that  
4 component A can reach directly to component B would be the  
5 way to read that.

6 CHAIRMAN PALLADINO: Is that what the adjacency  
7 matrix tells you?

8 MR. COFFMAN: Yes. And you only do it pairwise.  
9 You don't worry about how many other components it can  
10 reach to, and you only worry about it in success space. You  
11 only worry about what's required for successful operation.

12 CHAIRMAN PALLADINO: Are you sure that means  
13 there you read that in the adjacency matrix or the  
14 reachability matrix?

15 MR. COFFMAN: You read that in the adjacency  
16 matrix. You then manipulate the matrix by matrix factoring,  
17 which is, you know, just given there in the reachability  
18 calculations.

19 And  $N - A$  being the adjacency matrix and  $N$   
20 being the number of steps removed from the safety function  
21 that a component might be. And this is where the scope of  
22 the systems interaction problem can become excessive, is  
23 that in the Crystal River example, the nonnuclear  
24 instrumentation power supply was eight levels removed from  
25 the PORV. So you've got to go into the details of the

1 system quite a bit.

2 COMMISSIONER AHEARNE: All of these methods that  
3 you have talked about are I guess I would describe as  
4 brute-force approaches.

5 MR. COFFMAN: I would call them systematic, but I  
6 am not here to argue.

7 COMMISSIONER AHEARNE: Well -- and I am not  
8 saying that that isn't the only -- obviously, you guys have  
9 been struggling with this for a long time, but they all  
10 seem to have the characteristics of a very large amount of  
11 data and computation. Is that --

12 MR. COFFMAN: That's correct. And in fact, that's  
13 been a paramount consideration for the program is the fact  
14 that it is very resource-intensive, and before you would go  
15 out and do something like this on a plant, you would want  
16 to have some confidence that it's going to give you some  
17 results that are relevant to safety.

18 CHAIRMAN PALLADINO: What are the three? The  
19 fault tree, the DIGRAPH matrix, and what is the other?

20 MR. DENTON: I think the other one is a bit  
21 easier. Let's go back one.

22 COMMISSIONER AHEARNE: The PASNY approach.

23 MR. DENTON: Go back one, Frank.

24 MR. COFFMAN: Okay. If we could have support  
25 viewgraph 17.

1 (Slide)

2 COMMISSIONER AHEARNE: An important (inaudible).

3 MR. DENTON: This is the third approach then. In  
4 other words, we talked about the tables, which is the PASNY  
5 one; the DIGRAPH. And this is the third one, which while  
6 looking like fault trees and event trees, it does give you  
7 additional information. And I will let Frank explain that  
8 one.

9 MR. COFFMAN: Yes. It's intended to be the most  
10 compatible with the PRAs. And present PRAs do not do a  
11 fault tree analysis of the initiating event, which is the  
12 first oargate you see there on the left. And they truncate  
13 how much detail they go into in developing the fault trees  
14 on failed systems, sometimes simply because of hte  
15 probability of the components failing.

16 So there is nonuniformity in the degree to which  
17 they go into details. And this method developed by  
18 Brookhaven, or I guess it's more -- it's a refinement of  
19 PRA methods by Brookhaven, in essence, adds the ingredient  
20 of doing the fault trees on the initiating events and  
21 taking advantage of some better computer technology to go  
22 more into the details to extend the PRAs more into the  
23 details.

24 It was -- we were primarily motivated to use  
25 this technique to have maximum compatibility with present



1 PRAS.

2 MR. DENTON: Well, one way I see this one, a  
3 normal fault tree, you'd go down the success-or-failure  
4 trees, but you can see in this one if system A is involved  
5 in the initiating event and then it's also involved by the  
6 circle on the right in a subsequent important action. So  
7 it's involved at least twice.

8 So by coupling the traditional fault trees with  
9 these other failure modes under it, you are able to see  
10 maybe a single system failure might crop up in the same  
11 fault tree two or three times. So I take it what would be  
12 done in this case, which is the third method we'd try on  
13 the same Indian Point data, it'd be something like this.

14 So it is true the three methods, I am sure our  
15 analysts would know what's being found in each group, but  
16 it might show up strengths or weaknesses among these three  
17 types and might enable us to choose which one, if any, had  
18 potential application.

19 COMMISSIONER AHEARNE: Is that what you mean by  
20 "methods application" that you mentioned?

21 MR. COFFMAN: Yes, that's the second item under  
22 number 2 in that viewgraph 9.

23 COMMISSIONER AHEARNE: Has this been -- has  
24 either the DIGRAPH matrix or this expanded approach been  
25 tried on any selected set of plant systems?

1           MR. COFFMAN: We have tried to -- we are in the  
2 process of trying to complete the demonstration of the  
3 DIGRAPH matrix analysis on Watts Bar on two operating modes  
4 of their high-pressure injection system, and we anticipate  
5 having that completed and documented by September of this  
6 year. And that's the first item under number 2 on viewgraph  
7 9.

8           The work on PRAs, enhancing PRAs, is, you know,  
9 continuing, and we do not at this point have a separate  
10 demonstration of that methodology of the fault tree  
11 interactive failure-modes-and-effects analysis in addition  
12 to what we had planned for Indian Point 3, because that  
13 methodology as far as the nuclear industry was concerned  
14 was more mature than the matrix DIGRAPH methodology.

15           CHAIRMAN PALLADINO: Have any of these methods  
16 covered things, situations that would have led to failure  
17 other than those we have done by the more conventional  
18 methods?

19           I guess I am asking or have we found anything  
20 that makes it worthwhile or to the fact that we look at  
21 earthquakes and the more obvious interactions covering by  
22 far the largest fraction of possibilities?

23           MR. DENTON: I think for Indian Point -- I mean  
24 for Diablo Canyon they did find a large number of potential  
25 interactions, and they decided to fix those. I don't know

1 that we've come to a conclusion about how important they  
2 were in the overall picture. But whenever they find a  
3 potential, rather than analyze it, they fixed it, and  
4 that's my understanding.

5 COMMISSIONER AHEARNE: Well, other than that  
6 Diablo Canyon, have there been any that have been carried  
7 far enough to completion?

8 MR. DENTON: No. Then Indian Point has a  
9 commitment to us to notify us if they find anything in  
10 their study that is beyond the design basis analyses  
11 already presented. I think they did inform us of --

12 MR. THADANI: Yes.

13 MR. DENTON: -- a spatial finding in the  
14 auxiliary feedwater system.

15 MR. THADANI: That is correct, Harold. And there  
16 was an interaction they identified in the auxiliary  
17 feedwater system, and they have made some changes to that  
18 system as a result of their systems interaction study.

19 MR. DENTON: I think it's that one case from  
20 Indian Point.

21 CHAIRMAN PALLADINO: Well, all right. And let me  
22 just take that one more step. Suppose they hadn't found  
23 that. Were the consequences such that you should have made  
24 a correction or did it add significantly to the  
25 consequences of the event?

1           MR. THADANI: It's my understanding that it would  
2 not have added significantly to the consequences. It was  
3 important in terms of the reliability of that specific  
4 system, but that system was not a significant system in  
5 terms of risk.

6           MR. DENTON: In other words, for that plant and  
7 the analysis that had been done, this particular  
8 interaction was not that significant. Now, I think the  
9 Midland study is somewhat behind Indian Point.

10          MR. THADANI: Yes.

11          MR. DENTON: And they have not to my knowledge  
12 informed us of any such.

13          CHAIRMAN PALLADINO: I guess my question is, are  
14 we looking for a needle in a haystack, where if we found  
15 the needle, we didn't have any use for it?

16          MR. DENTON: Well, I think it's a difficult  
17 issue, the fact that we've not been able to make a lot of  
18 progress on it, and we've put in several man-years and  
19 hundreds of thousands of dollars a year trying to foster  
20 this area. It's clear the ACRS considers that we ought to  
21 do more and keeps pushing us to find a simplified  
22 non-brute-force method. So the jury really isn't in yet  
23 till we've got somewhat more results out of these.

24          COMMISSIONER AHEARNE: Harold, can you say a few  
25 words about at one stage there was a program which was

1 going to have four pilot plants. What happened to that?

2 MR. DENTON: Well, I thought if I could get --

3 COMMISSIONER AHEARNE: Yes, there was going to be  
4 something -- it wasn't clear what -- but it was going to be  
5 applied to four plants as sort of a pilot approach. Now it  
6 seems as if it has ended up being really an application to  
7 one plant. I am not criticizing that because I don't know  
8 -- I just don't --

9 MR. DENTON: Yes. Well, it had always been  
10 foreseen, I think, that some methodology would develop and  
11 be sanctioned by everyone and then we should begin to apply  
12 it, and we have thought about applying it to SEP plants in  
13 general or do four pilot plants.

14 But that kind of thinking was always ahead of  
15 the methodology. So I decided that I wasn't going to do any  
16 more pilot studies until I at least had a handle on whether  
17 DIGRAPH or enhancement --

18 COMMISSIONER AHEARNE: What approach to use.

19 MR. DENTON: -- or tables, some approach got  
20 pinned down a bit as to exactly how to do it and what to  
21 look for. So I have deferred doing it on a pilot basis,  
22 thinking that it was better to do it on a single plant that  
23 was more or less well understood to see what kind of payoff  
24 it had.

25 COMMISSIONER AHEARNE: Now, the ACRS at one stage

1 had one day agreed to -- I am not sure what verb you want  
2 to use -- but they endorsed the approach of PASNY. They  
3 also went on to say -- this is in their March 9th letter of  
4 last year -- that they recommend you consider simplified  
5 walk-through studies for all operating plants.

6 Have you given any thought to that? That's, I  
7 guess, closer to what Commissioner Gilinsky had suggested  
8 on the group of smart guys getting together.

9 MR. DENTON: Even limited walk-throughs are  
10 expensive. Diablo Canyon, PG&E indicated that they spent  
11 something like 50 man-years. Now, I can't vouch for their  
12 cost accounting, but that's what we were told.

13 On Consumers' effort on Midland, they have 1.5  
14 man-years just on the walk-throughs on high-energy line  
15 breaks, which are part of the Standard Review Plan process.  
16 So even limited walk-throughs are expensive, and there's  
17 the chance that even limited walk-throughs will give you  
18 even more limiting results. So there has been that  
19 constraint or that consideration.

20

21

22

23

24

25

1                   (Whereupon, at 3:15 p.m., Commissioner Gilinsky  
2 left the meeting.)

3                   MR. DENTON: It has been tough to get our hands  
4 around it. A good architect-engineer would consider just  
5 these kinds of things and lay out designing a plant looking  
6 for interactions and try to devise a method to spot  
7 failures of application of good engineering without this  
8 brute-force method.

9                   It has been difficult, and I have been unwilling  
10 to sponsor a requirement that somebody do it --

11                  COMMISSIONER AHEARNE: Yes.

12                  MR. DENTON: -- until I had a better feel for the  
13 advantages.

14                  MR. COFFMAN: Could I supplement that by  
15 indicating that there are other walk-throughs that are  
16 required just already as part of the Standard Review Plan  
17 process. You know, fire reviews, 9.5.1, and there are other  
18 areas. So that walk-throughs are already being done as  
19 part of the review process, to some degree.

20                  COMMISSIONER AHEARNE: But I think, as you  
21 earlier pointed out, you have to think ahead of time what  
22 it is that you might be looking for. And so a walk-through  
23 focused in that area would not necessarily pick up any --  
24 it would be nice if it did, but you wouldn't have mentally  
25 got yourself set looking for these.

1           MR. THADANI: Yes. And in fact, that is one of  
2 the efficiencies, if you are going to perform  
3 walk-throughs, it is very important to go through the  
4 drawings, the background information, and indeed that is  
5 the same sort of information you need to do functional  
6 interaction analysis as well. So there is efficiency to  
7 trying to do it together.

8           COMMISSIONER AHEARNE: Yes.

9           MR. DENTON: My sense is that in -- and Themis  
10 might have a different sense -- that it appears that from  
11 the functional aspect, the efforts that are under way are  
12 not finding a lot of new functional interrelationships that  
13 were not already understood and accounted for. It just  
14 -- seems like somehow functionally it has been accounted for.  
15 Spatially, we turn up some unexpected or unusual spatial  
16 interactions, and then you have to go back, like in the  
17 auxiliary feedwater system and say how significant is a  
18 spatial interaction?

19           I think I saw a photograph once of a portable  
20 space heater sort of suspended over a cable tray. You know,  
21 that's one that a walk-through would -- did -- and would  
22 pick up.

23           (Laughter)

24           How important it was, we didn't ever evaluate;  
25 we just moved the space heater. The human factor --



1           COMMISSIONER AHEARNE: A candle turned out to be  
2 very important.

3           MR. DENTON: Human interactions are going to be a  
4 very tough area to do any real science with. I mean people  
5 know they are there, but how do you find them and identify  
6 them and improve them is going to be tough. So I think it's  
7 worth exploring to try to get a handle on, and that's why  
8 we have continued to push ahead on it. But we've not found  
9 any simple method to approach the problem.

10           COMMISSIONER AHEARNE: Now, as I read the  
11 material you sent down, you haven't yet reached the  
12 conclusion that you are going to go ahead with applying  
13 these other methods to the PASNY case.

14           MR. DENTON: No. We have reached it. I think it's  
15 just a question of dollars, and is this the right funding.  
16 We were going internally as a staff to fund these two  
17 alternatives.

18           COMMISSIONER AHEARNE: Oh, I thought that was  
19 Task 6 of A-17, which --

20           MR. DENTON: I don't think it's been signed off  
21 in my office yet, but that's due to --

22           COMMISSIONER AHEARNE: I read Task 6 as saying  
23 that to demonstrate the effectiveness of two candidate  
24 methods in contrast to that method employed by PASNY.

25           MR. DENTON: We do intend to approve that once

1 the contractual --

2 COMMISSIONER AHEARNE: Okay.

3 MR. DENTON: -- aspects are correct.

4 COMMISSIONER AHEARNE: See, because this had said  
5 Task 6 is not yet approved.

6 MR. DENTON: But not from -- but from the  
7 contracting side. In other words, once we and the lab reach  
8 agreement on --

9 COMMISSIONER AHEARNE: I see.

10 MR. DENTON: -- scope and funding --

11 COMMISSIONER AHEARNE: So you do intend to go?

12 MR. DENTON: Yes.

13 MR. COFFMAN: Yes.

14 COMMISSIONER AHEARNE: All right.

15 CHAIRMAN PALLADINO: Even though you say there's  
16 no good simple way, somehow I have it fixed in my mind --  
17 and if it's incorrect I would like to have it out of my  
18 mind -- and that is that you are doing some systems  
19 interactions because you do look at such things as flooding  
20 or common-mode failures, and I presume that when you look  
21 at them, if you take flooding, you look at the consequences  
22 of the flooding.

23 MR. DENTON: Yes.

24 CHAIRMAN PALLADINO: So you have a first-order  
25 approach to it, even though it's not complete and it won't

1 show up all of the other items. But I guess I am also  
2 wondering why the walk-through is not an important  
3 supplement to that? I agree they've got to know what  
4 they're looking for.

5 MR. COFFMAN: I might --

6 CHAIRMAN PALLADINO: why does it have to be  
7 something like 50 man-years, that's what I am wondering.

8 MR. DENTON: I guess it depends on the scope of  
9 the charge you give the people to walk through. But let me  
10 ask Ashok, who has thought about it.

11 CHAIRMAN PALLADINO: Well, I am sure I am not  
12 thinking broadly about it.

13 MR. THADANI: I might note that indeed you are  
14 quite correct that when you're looking for high-energy line  
15 break analysis and so on, you do perform walk-throughs,  
16 rather detailed walk-throughs. The estimates that we get in  
17 terms of what it costs to perform walk-throughs have varied  
18 -- 50 man-years that Frank mentioned for Diablo Canyon; I  
19 believe it was considerably lower for Indian Point Unit 3;  
20 I believe it was closer, the cost was closer to a million  
21 dollars or so. I may be off somewhat.

22 It's a matter of collecting a rather large team  
23 and pouring over a lot of very detailed information. And  
24 the way they perform these walk-throughs are, from what I  
25 understand, they take months. Several hours a day teams

1 will go through, and they can only cover --

2 COMMISSIONER AHEARNE: Crawl through.

3 MR. THADANI: That is correct. Crawl through. And  
4 it is a very resource-intensive exercise they're going  
5 through.

6 CHAIRMAN PALLADINO: They don't have a broad  
7 enough horizon, that's all.

8 Do you have more?

9 MR. DENTON: We have one more slide, and that  
10 would complete our presentation.

11 MR. COFFMAN: If we could go to viewgraph number  
12 10.

13 (Slide)

14 I think we may have covered a lot of this  
15 already, the relationship to the other programs.

16 There has been some progress in already  
17 identifying these procedures, these methods which we've  
18 talked about, into a procedures guide, PRA procedures guide  
19 identified there.

20 COMMISSIONER AHEARNE: I guess I am a little  
21 puzzled by that, but we've just finished hearing how we do  
22 not yet know what approach to take and you're trying to  
23 develop an approved approach, but this says that the  
24 systems interactions analysis procedures have been  
25 incorporated into the procedures guide as at least I think

1 -- I inferred -- that we would have had to reach a  
2 conclusion as to what procedures we wanted to endorse.

3 MR. COFFMAN: They're included as options and  
4 identified --

5 COMMISSIONER AHEARNE: And which ones are  
6 included?

7 MR. COFFMAN: The PASNY methodology, fault tree  
8 interactive failure-modes-and-effects, and the DIGRAPH  
9 matrix.

10 COMMISSIONER AHEARNE: All three?

11 MR. COFFMAN: Yes sir. And they're included in a  
12 general way where it's more up to the analyst. But they're  
13 at least identified and the process of searching  
14 separately for interactions is called out.

15 The tie-in with PRAs is -- obviously provides a  
16 basis or a means for assessing the radiological risk  
17 significance of any discovered interactions in whatever  
18 units of incremental risk, increase or decrease you want to  
19 use or whatever is calculated by the PRA.

20 COMMISSIONER AHEARNE: Are you saying that as  
21 that once you have found something by systems interaction  
22 study, then PRA can determine how significant it is as  
23 opposed to saying that PRA is already giving you results on  
24 systems interactions?

25 MR. COFFMAN: Yes, it's the former.

1           If you do the systems interaction -- or once  
2           having done the systems interaction analysis at a plant,  
3           you can then assimilate the results into a PRA and you can  
4           do this, you either prune the trees when you establish that  
5           there are in fact deterministic dependencies that you have  
6           identified or you can add in the appropriate conditional  
7           probabilities to reflect stochastic dependencies that you  
8           are not certain that may or may not occur given an event.

9           And then there is by the combination of systems  
10          that are modeled in the PRA and in doing a Boolean  
11          absorption more on combinations of systems rather than just  
12          within one system, you then are able to pick up  
13          interactions that cross systems or possibly are part of an  
14          initiating event, could cause an initiating.

15          Another major or another close relationship  
16          exists between A-17 and A-47, safety implications of  
17          control systems. And there they are analyzing specific  
18          consequences in A-47 of only non-safety-grade control  
19          system malfunctions, and they are looking for specific  
20          consequences, like steam generator or reactor vessel  
21          overflow or reactor vessel overcooling, jeopardy to the  
22          reactor protection system or jeopardy to manual shutdown.  
23          So they're focused in on specific consequences there.

24          They do consider single failures, but it's  
25          primarily in the sense of they're selected single failures

1 and they're looking at the effects on a systems level, at  
2 the systems level. Once having identified these failures,  
3 then if it appears to have a significant systems level  
4 impact, they will then go to a simulator where they will  
5 do a more dynamic analysis looking for mutual influence  
6 among several parameters.

7 CHAIRMAN PALLADINO: Do they have the -- are they  
8 trying to search out or are they making assumptions about  
9 control system malfunctions? Do they have the same problem  
10 you have on systems interaction?

11 MR. COFFMAN: They have the same problem. They  
12 are searching out primarily by the use of a  
13 failure-modes-and-effects analysis. They selectively fail  
14 -- certain components. They may even fail combinations of  
15 components that are otherwise independent if past data has  
16 shown that there is a high failure rate on this other, on  
17 the second component.

18 So their search process is primarily one of  
19 experience, the analysts' inductive --

20 CHAIRMAN PALLADINO: Do they get away with that  
21 because they're looking at a smaller universe? Or if that's  
22 a good system for them, why isn't it a good system for  
23 systems interaction?

24 MR. COFFMAN: In fact, we've adopted it in the  
25 method where we referred to the fault tree interactive

1 failure-modes-and-effects analysis, but we've tried to  
2 begin more with the systems -- with the functions, moved  
3 down to the systems, down through the components, and then  
4 identify, try to identify the failed components that will  
5 -- in fact we know -- affect the safety functions.

6           They begin with selected failures. So there is  
7 that distinction.

8           MR. SPEIS: Let me say one thing about that. The  
9 focus there is to make sure that the failure is to identify  
10 non-safety control system whose failure could lead to some  
11 transients whose consequences would be exceeded by  
12 design-basis type of transients or accidents.

13           Also, we're looking at the frequency of the  
14 transient itself: Would the failure of an uncontrolled  
15 system lead to something more frequent than we thought  
16 before and therefore put it into the design-basis bin, you  
17 know; for example, overfilling of the steam generator or  
18 the vessel in a BWR.

19           MR. COFFMAN: The last comment would be that  
20 we're aware of this effort. We're aware of the large Office  
21 of Research program in this area and the fact that they  
22 will be using some sophisticated codes where they're trying  
23 to get the real-time effects of the plants, trying to get  
24 them interactive with the operators.

25           And we're going to enhance our interface with



1 them. We've been aware of this effort, that there is a need  
2 for us to enhance our interface.

3 I think we've covered the things I had on the  
4 viewgraphs.

5 MR. DENTON: I think we're at that point of  
6 awaiting for the results from the Indian Point study, and  
7 maybe some preliminary findings from these others. Perhaps  
8 later this year we'll have the first real hard results  
9 coming back in. It might be appropriate at that time to  
10 rebrief you on where it stands. We do have a case --

11 CHAIRMAN PALLADINO: When do you expect to get  
12 something?

13 MR. DENTON: I think the Indian Point study is  
14 intended to, at least the first results, come in this fall.

15 MR. THADANI: Yes. September, I believe.

16 CHAIRMAN PALLADINO: And this is on all the three  
17 types of failures, two or three types of coupling?

18 MR. DENTON: Yes. And that's probably the most  
19 extensive program, and it will be the first that would be  
20 completed.

21 CHAIRMAN PALLADINO: Now, they're supporting that  
22 themselves?

23 MR. DENTON: That is correct.

24 CHAIRMAN PALLADINO: But the other two are going  
25 to come in with the DIGRAPH matrix, and is this the fault

1 tree here?

2 MR. COFFMAN: Enhanced.

3 COMMISSIONER AHEARNE: Enhanced fault tree.

4 MR. DENTON: Enhanced fault tree.

5 CHAIRMAN PALLADINO: Are you going to support  
6 that?

7 MR. DENTON: We were going to support that. It's  
8 on the order of a million dollars, I think, the two  
9 combined, isn't it?

10 MR. THADANI: It's about a million dollars each.

11 MR. DENTON: It keeps going up.

12 (Laughter)

13 COMMISSIONER AHEARNE: The amount is listed in  
14 the back here, something like \$2.6 million.

15 MR. THADANI: Yes.

16 COMMISSIONER AHEARNE: For '83 and '84.

17 MR. THADANI: Total program, yes.

18 MR. COFFMAN: It depends upon the scope, which is  
19 still being defined. But that would be the larger numbers.

20 MR. SPEIS: That's hopefully a bounded number.

21 MR. COFFMAN: Yes.

22 COMMISSIONER AHEARNE: Well, we are in the area  
23 right now where we should be spending these kinds of money  
24 -- that is, '83 moneys. Do you have this kind of money in  
25 '83?

1           MR. DENTON: I think we've got most of it planned  
2 for this purpose if we could define the job to everyone's  
3 satisfaction.

4           COMMISSIONER AHEARNE: I gather that Brookhaven  
5 is the group that is working on the enhanced fault; is that  
6 correct?

7           MR. COFFMAN: Yes, sir.

8           COMMISSIONER AHEARNE: What is the group that is  
9 working on the DIGRAPH matrix?

10          MR. COFFMAN: Lawrence Livermore.

11          COMMISSIONER AHEARNE: And the second question  
12 was, AEOD would seem to me to be an office that would have  
13 a lot of interest at least in working with you or at least  
14 commenting on what you are doing, since clearly the  
15 examination of the way systems fit together has to be one  
16 of the concerns as they look at, for example, to their LER  
17 analysis. What is their opinion of any of these issues,  
18 these programs? Do you know?

19          MR. DENTON: I think Mr. Heltemes is here  
20 representing that office.

21          MR. HELTEMES: Jack Heltemes, AEOD.

22          Dr. Ahearne, we have not looked specifically to  
23 view the program. We think it's a different and  
24 complementary approach. We look backwards, if you will, to  
25 operating experience, and I think they're looking forward

1 trying to anticipate problems.

2 So we would endorse the program as added  
3 assurance, if you will, of trying to uncover systems  
4 interactions. That's one of our principal goals and  
5 objectives, and we spend a lot of time doing that too, but  
6 we do it differently.

7 COMMISSIONER AHEARNE: I wondered whether you  
8 couldn't perhaps give them at least the benefit of  
9 perspective or advice on -- all of these have the potential  
10 of becoming very massive programs, and if perhaps -- as you  
11 say, you look backwards, so you have been looking at  
12 specific instances where things really have happened, and I  
13 didn't know whether perhaps by having someone on your staff  
14 -- at least looking at what they're doing, you might be able  
15 to narrow some of that scope.

16 My concern in this effort is that it has the  
17 potential of becoming so large that nothing ever gets done.  
18 It could easily -- as you pointed out in the Sandia effort  
19 it just got out of hand. It was just too large.

20 MR. HELTEMES: Well, we have, of course, shared  
21 all our thoughts in the sense of completed analyses with  
22 NRR, so they know where we have found the problems. Whether  
23 or not we could aid substantially in trying to reduce the  
24 scope, I am kind of reluctant I guess to go through that.

25 (Laughter)

1           COMMISSIONER AHEARNE: I just urge you to think  
2 about it because this has a lot of potential to get  
3 unbounded. And they recognize it, I am sure of that.

4           COMMISSIONER ASSELSTINE: I wonder if I could ask  
5 Jack a quick question before he leaves there. Would you  
6 agree basically that in your backward look, that you don't  
7 see evidence as well that systems interaction is a  
8 significant contributor to risk?

9           MR. HELTEMES: Well, I can say that in the  
10 studies that we have conducted, we certainly have seen  
11 evidence of systems interaction which has disturbed us, and  
12 we have done a number of studies, and that's one of the  
13 areas we really look at in reviewing operational  
14 information, primarily LER and foreign reports, primary  
15 sources there.

16           We certainly see a number of serious situations,  
17 we would say. Whether they're substantial contributors to  
18 overall risk, that's why we really identify them to NRR so  
19 that they can put them in perspective.

20           From an engineering standpoint -- and that's the  
21 way we go after it, through the engineering analysis --  
22 they're troublesome to us.

23           COMMISSIONER ASSELSTINE: For the ones that you  
24 would view as significant, do they tend to fall in any one  
25 of the categories that was mentioned; that is, the spatial

1 relationships or the functional or the operator-related  
2 ones?

3 MR. HELTEMES: We have seen evidence of all  
4 three. And we have done studies of all three. For example,  
5 we have done a study very recently of the electrical  
6 equipment and how its failure modes could affect nearby  
7 equipment. But that particular study indicated that there  
8 were no serious problems within the plant. And so the  
9 results were very supportive to NRR's conclusions.

10 But we have seen human error and we have seen  
11 other coupling techniques that have resulted in system  
12 unavailability, safety system unavailabilities.

13 Does that answer your question?

14 COMMISSIONER ASSELSTINE: Yes.

15 MR. DENTON: Putting in more effort, we might  
16 find more. The question is is it -- should we put it in  
17 this way or put it in a bigger backwards look?

18 COMMISSIONER AHEARNE: Yes.

19 MR. DENTON: That's a question we've been  
20 grappling with, rather than just putting more into the  
21 front end.

22 There have been important system interactions  
23 that have been found, and that's how those did get into the  
24 Standard Review Plan. I think what we were discussing is  
25 how many more are out there to bite us that we might find

1 if we had the techniques to locate them.

2 COMMISSIONER AHEARNE: Yes.

3 CHAIRMAN PALLADINO: Any questions?

4 COMMISSIONER AHEARNE: No.

5 COMMISSIONER ROBERTS: No.

6 CHAIRMAN PALLADINO: There was one item I had  
7 mentioned earlier, although you have enlightened me so I  
8 could almost answer it myself. But what was said in the  
9 annual report has been thrust up to me a couple of times,  
10 the one in 1981, saying, during the coming year the staff  
11 will complete development of regulatory guidance for  
12 application and final analyses of systems interactions plan  
13 that some new plants nearing completion of construction.  
14 -- Staff also will be evaluating the conduct of the Indian  
15 Point analyses scheduled to begin in November 1981. We will  
16 be reading the results of that effort. I think that was  
17 more forward-looking.

18 At one time I wouldn't know how to have answered  
19 that. I don't know if you had any comments.

20 MR. DENTON: Other than I do not know  
21 specifically other than these reports are put together in  
22 anticipation of accomplishments, and it didn't come true.

23 CHAIRMAN PALLADINO: Okay, any other questions?

24 (No response)

25 CHAIRMAN PALLADINO: All right. Well, thank you

1 very much.

2 MR. DENTON: Thank you.

3 CHAIRMAN PALLADINO: This has been very revealing  
4 to me. I didn't appreciate what all systems interaction  
5 involved. I am not sure I still appreciate it, but I have a  
6 better feel for the extensiveness of it.

7 Unless there is anything more, we will stand  
8 adjourned.

9 MR. DENTON: Thank you.

10 (Whereupon, at 4:00 p.m., the Commission was  
11 adjourned.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25



CERTIFICATE OF PROCEEDINGS

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

This is to certify that the attached proceedings before the  
NRC COMMISSION

In the matter of: Briefing on Systems Interactions


Date of Proceeding: April 18, 1983

Place of Proceeding: Washington, D.C.

were held as herein appears, and that this is the original  
transcript for the file of the Commission.

Mary C. Simons

Official Reporter - Typed

  
Official Reporter - Signature

T. P. SPEIS. DST/NRR  
X 27517

COMMISSION BRIEFING

ON

SYSTEMS INTERACTION PROGRAM

AND STATUS (USI A-17)

APRIL 18, 1983

SYSTEMS INTERACTIONBRIEFING OUTLINE

- I. INTRODUCTION & BACKGROUND
  - DEFINITION OF SYSTEMS INTERACTION
  - TYPES OF SYSTEM INTERACTIONS
  - STAFF FOCUS ON SYSTEMS INTERACTION
  - NEED FOR SYSTEMS INTERACTION ANALYSES
  - PRESENT STAFF REVIEWS OF POTENTIAL SYSTEMS INTERACTIONS
  
- II. SYSTEMS INTERACTION PROGRAM (A-17)
  - OBJECTIVES
  - PROGRAM OUTLINE AND SCHEDULE
    - UTILITY PROGRAMS
    - INDEPENDENT METHODS DEVELOPMENT
    - PROGRAM EVALUATION & IMPLEMENTATION
  - RELATIONSHIP TO OTHER PROGRAMS
    - PRA
    - A-47

SYSTEMS INTERACTION: AN INTERSYSTEMS DEPENDENCY THAT JEOPARDIZES THE DESIGNED ACTION WHICH A SAFETY-RELATED SYSTEM WAS TO PERFORM.

GENERAL EXAMPLES

1. A FAILED POWER SUPPLY CAUSING SPURIOUS SIGNALS TO THE CONTROL SYSTEM WHICH IN TURN CAN OPEN RELIEF VALVES CAUSING A LOSS OF COOLANT, A SMALL LOCA.
2. A FAILED POWER SUPPLY WHICH COULD RESULT IN FAILURE OF CONTROL INSTRUMENTATION LEADING TO A TRANSIENT RESULTING IN REACTOR SCRAM.
3. FAILURE OF BOTH VENT AND DRAIN SYSTEMS, DUE TO A COMMON DISCHARGE, COULD LEAD TO A PARTIAL FAILURE TO SCRAM IN BWRs.
4. FAILURE OF A TURBINE COULD GENERATE A MISSILE WHICH IN TURN COULD DAMAGE SAFETY RELATED EQUIPMENT.
5. A FIRE IN SOME COMPARTMENTS COULD RESULT IN SOME LOSS OF DECAY HEAT REMOVAL CAPABILITY.

TYPES OF SYSTEMS INTERACTIONS

FUNCTIONALLY COUPLED SYSTEMS INTERACTIONS - THAT RESULT EITHER FROM THE SHARING OF COMPONENTS BETWEEN SYSTEMS OR THROUGH PHYSICAL CONNECTIONS BETWEEN SYSTEMS INCLUDING ELECTRICAL, HYDRAULIC, PNEUMATIC AND MECHANICAL.

SPATIALLY COUPLED SYSTEMS INTERACTIONS THAT RESULT FROM THE PROXIMITY OF SYSTEMS TO ONE ANOTHER WITHIN THE PLANT.

INDUCED-HUMANLY COUPLED SYSTEMS INTERACTIONS WHERE A PLANT MALFUNCTION OR AN ERROR IN WRITTEN PROCEDURES INDUCES AN OPERATOR ACTION.




Illustration of Systems Interaction Focus

NEED FOR SYSTEMS INTERACTION ANALYSES

1. OPERATING REACTOR EXPERIENCE HAS REVEALED  
UNPREDICTED DEPENDENCIES (COMMON-CAUSE FAILURES)

FOR EXAMPLE:

BROWNS FERRY PARTIAL FAILURE TO SCRAM  
CRYSTAL RIVER - LOSS OF DC POWER  
BROWNS FERRY FIRE

2. THE ASSIGNMENT OF THE STAFF'S REVIEW SOMETIMES FOLLOWS THE  
ASSIGNMENT OF DESIGN TASKS TO TEAMS THAT ONLY SPECIALIZE IN  
PART OF THE PLANT.
3. ACRS HAS BEEN STRONG PROPONENT OF SYSTEMS INTERACTIONS  
STUDIES SINCE 1974

PRESENT STAFF REVIEWS OF POTENTIAL SYSTEMS INTERACTIONS

STANDARD REVIEW PLAN

<u>HAZARD</u>	<u>SECTION</u>
EARTHQUAKE	3.2 & 3.4
ENVIRONMENTAL QUALIFICATIONS	3.11
FIRE	9.5
FLOODING	3.4 & 3.6
HIGH ENERGY LINE BREAKS	3.6
HURRICANES/TORNADOS	3.3
MISSILES	3.5
REACTOR PROTECTION SYSTEMS	7.2
SAFE SHUTDOWN SYSTEMS	7.4

OIE BULLETINS

- CONTROL SYSTEMS POWER SUPPLIES (79-27)
- MASONRY WALLS (80-11)

THE PROGRAM ON USI A-17 IS A SYSTEMATIC RE-EXAMINATION OF PRESENT REQUIREMENT FOR ADEQUACY CONCERNING SYSTEMS INTERACTIONS

PRESENT RESULTS SHOW THAT CURRENT REQUIREMENTS APPEAR ADEQUATE PENDING COMPLETION OF THE PROGRAM



STAFF'S OBJECTIVES FOR SYSTEMS INTERACTIONS

1. TO DEVELOP INDEPENDENT METHODS TO ANALYZE PLANTS FOR INTERSYSTEMS DEPENDENCIES.
2. TO ASSESS THE ADEQUACY OF THE STANDARD REVIEW PLAN FOR COMPLETENESS CONCERNING SYSTEMS INTERACTIONS.
3. TO PROVIDE CORRECTIONS TO THE S.R.P. (AND POSSIBLY REGULATORY REQUIREMENTS) THAT WERE IDENTIFIED BY THE ASSESSMENT.
4. TO ASSESS THE RISK SIGNIFICANCE OF SYSTEMS INTERACTIONS.

SYSTEMS INTERACTION PROGRAM TASKS

SCHEDULE

- |    |  |              |
|----|--|--------------|
| 1. | <u>REVIEW OF UTILITY PROGRAMS</u>              |              |
|    | PG&E RESULTS FROM DIABLO CANYON                | 1/84 - 4/84  |
|    | WASNY STUDY OF INDIAN POINT-3                  | 11/80 - 9/84 |
|    | CPCo PROGRAM ON MIDLAND-2                      | 6/82 - 3/85  |
| 2. | <u>INDEPENDENT METHODS DEVELOPMENT</u>         |              |
|    | DIGRAPH-MATRIX ANALYSIS DEMONSTRATION          | 9/82 - 9/83  |
|    | METHODS APPLICATION (PROPOSED)                 | 4/83 - 7/84  |
|    | EVALUATION OF APPLICATION                      | 7/84 - 10/84 |
|    | METHODS APPLICATION IN SEP-III/NREP            | UNSCHEDULED  |
| 3. | <u>EVALUATION AND DECISION ON USI A-17</u>     |              |
|    | EVALUATION OF PROGRAM RESULTS                  | 7/84 - 10/84 |
|    | DECISION ON SPECIFIC REQUIREMENTS              | 10/84        |
| 4. | <u>IMPLEMENTATION OF SPECIFIC REQUIREMENTS</u> |              |
|    | PROCESSING THE REGULATORY REQUIREMENTS         | 10/84 - 9/85 |
|    | ISSUE REG. GUIDE ON METHODS                    | 10/84 - 9/85 |

RELATIONSHIP TO OTHER PROGRAMS1. PRA

- o SYSTEMS INTERACTIONS ANALYSIS PROCEDURES HAVE BEEN INCORPORATED INTO THE PRA PROCEDURES GUIDE (NUREG/CR-2815).
- o PRAs PROVIDE A BASIS TO ASSESS THE RADIOLOGICAL RISK SIGNIFICANCE OF SPECIFIC SYSTEMS INTERACTIONS.
- o LESSONS LEARNED FROM THE SYSTEMS INTERACTIONS PROGRAM WILL BE ASSIMILATED INTO SUBSEQUENT PRA EFFORTS.

2. TASK A-47 (SAFETY IMPLICATIONS OF CONTROL SYSTEMS

- o A-47 IS ANALYSING SPECIFIC CONSEQUENCES OF ONLY CONTROL SYSTEMS MALFUNCTIONS.
- o A-47 CONSIDERS SINGLE INDEPENDENT FAILURES ALSO.

12/82

TRANSMITTAL TO:



Document Control Desk, 016 Phillips

ADVANCED COPY TO:



The Public Document Room

DATE:

4/19/83

cc: OPS File

FROM:

SECY OPS BRANCH

C&R (Natalie)

Attached are copies of a Commission meeting transcript(s) and related meeting document(s). They are being forwarded for entry on the Daily Accession List and placement in the Public Document Room. No other distribution is requested or required. Existing DCS identification numbers are listed on the individual documents wherever known.

Meeting Title: Briefing on Systems Interaction

Meeting Date: 4/18/83 Open  Closed

DCS Copies  
(1 of each checked)

Item Description:	Copies Advanced To PDR	*	Original Document	May be Dup*	Duplicate Copy*
1. TRANSCRIPT (w/micrographs) When checked, DCS should send a copy of this transcript to the LPDR for: _____	1	*	1	_____	_____
2. _____	_____	*	_____	_____	_____
3. _____	_____	*	_____	_____	_____
4. _____	_____	*	_____	_____	_____

(PDR is advanced one copy of each document, two of each SECY paper.)

\*Verify if in DCS, and  
Change to "PDR Available."