

ORIGINAL

T-2152

OFFICIAL TRANSCRIPT  
PROCEEDINGS BEFORE

NUCLEAR REGULATORY COMMISSION

DKT/CASE NO.

TITLE ACRS/SUBCOMMITTEES ON REACTOR RADIOLOGICAL  
EFFECTS AND SITE EVALUATION

PLACE WASHINGTON, D. C.

DATE NOVEMBER 13, 1982

PAGES 296 - 369

TROY  
DELETE ACRS

8211160274 821113  
PDR ACRS  
T-1151 PDR



ALDERSON REPORTING

(202) 628-9300  
440 FIRST STREET, N.W.  
WASHINGTON, D.C. 20001

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION  
3 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS  
4  
5 SUBCOMMITTEES ON REACTOR RADIOLOGICAL EFFECTS  
6 AND  
7 SITE EVALUATION  
8

9 Room 1046  
10 1717 H Street, N.W.  
11 Washington, D.C.

12 Saturday, Nov. 13, 1982

13 The Subcommittees on Reactor Radiological  
14 Effects and Site Evaluation met, pursuant to recess, at  
15 8:30 a.m., Dade Moeller, Chairman, presiding.

16 ACRS MEMBERS PRESENT:

17 D. Moeller  
18 J. Ray  
19 Mr. Axtmann

20 ALSO PRESENT:

21 Mr. Muller  
22 Mr. Kathern  
23 Mr. Shapiro  
24 Mr. Parker

25 DESIGNATED FEDERAL EMPLOYEE:

Mr. McKinley

P R O C E E D I N G S

1

(8:30 a.m.)

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. MOELLER: Good morning, the meeting will now come to order. This is a continuation of the meeting of the Advisory Committee on Reactor Safeguards, Subcommittee on Reactor Radiological Effects and Site Evaluation. We will simply pick up where we left off yesterday and continue, then, with our meeting. And we have two topics remaining on the agenda.

The first one is on the proposed amendment to 10 CFR Part 50, the ALARA rule for nuclear power plant operating licensees. And the second item we have this morning will be consideration of seismic events in nuclear power plant emergency planning.

After we have covered these two topics in open session, we will then go into Executive Session, remaining open to the public, but we will go into Executive Session to try to reach a consensus among the subcommittee members and our consultants on what our conclusions are regarding each of the several topics we covered yesterday and which we will cover today.

For the first discussion to lead us in the discussion and bring us up to date on the proposed amendment to 10 CFR Part 50 regulation, we have with us Bob Alexander from the NRC staff. Bob, why don't you

1 just sit at the table if you want to with us, wherever  
2 convenient. You know, Bob, of course, that yesterday we  
3 covered the proposed revised 10 CFR Part 20, and if  
4 there are tie-ins, which there are, between that and  
5 your proposed changes, we would like to hear about those.

6 MR. ALEXANDER: All right. I appreciate the  
7 opportunity to join you here on Saturday morning at  
8 8:30. It's always a privilege.

9 (Laughter.)

10 I do look forward to meeting with the  
11 subcommittee. I don't know whether all of you know it  
12 or not, but for about the past 10 years I have been with  
13 the Occupational Radiation Protection Branch. Most of  
14 the regulation guides and research reports that we are  
15 able to publish do not come easily. It's always a  
16 battle, usually one that takes several years.

17 There have been a number of times when this  
18 subcommittee has been of material assistance to us, and  
19 as I will point out -- are you going to devote an hour  
20 to this topic?

21 MR. MOELLER: Yes.

22 MR. ALEXANDER: We will have time to get into  
23 it depth. As I will point out, I believe there is an  
24 opportunity for the subcommittee to help us on this  
25 one. We have not rushed into this rule.

1           We started on it eight years ago in 1974 when  
2 the Director of the Office of Inspection and Enforcement  
3 wrote a letter to the Director of the Office of  
4 Standards Development saying that he felt some teeth  
5 needed to be put into the occupational ALARA concept;  
6 that they were having great difficulty in enforcing that  
7 concept because of lack of any firm criteria, and  
8 because the rule in Part 20 is preparatory, using the  
9 word "should" rather than "shall" and is considered to  
10 be unenforceable. We went to work on that rule, and  
11 issued a report in '77, I believe, and sent a full  
12 commission paper to the Commission in '78.

13           A little later on, after some additional  
14 activities took place, the Commission sent us what we  
15 call a Chilk-o-gram, a directive from the Secretary of  
16 the Commission giving us nine things they wanted us to  
17 do, or at least to consider. They gave us three things  
18 they wanted us to do and six things they wanted us to  
19 consider doing in the occupational ALARA area. I will  
20 only mention the three things they directed us to do.

21           One was to establish -- to take what we call  
22 the qualitative approach to the ALARA concept in a  
23 regulation. We used that -- those terms "qualitative"  
24 and "quantitative" -- to distinguish between  
25 quantitative rules which would establish numbers which

1 we would attach the ALARA concept to, which staff didn't  
2 want to do, and several other approaches.

3           The one the staff recommended to the  
4 Commission was to take an approach whereby we would  
5 attempt to bring the safety performance of the reactors  
6 that were not doing so well up to the level of those we  
7 considered to be doing very well. We thought that would  
8 be a reasonable thing to do. That was tantamount to  
9 assuming that the good performers were good enough, and  
10 suitable criteria. And the things they were doing were  
11 demonstrated by practice to be reasonable in cost. We  
12 haven't gone back yet to the Commission.

13           I wanted to get to all three things. The  
14 second thing they asked for was a rule which would  
15 require the power plants to establish occupational  
16 collective dose objectives, annual objectives. And the  
17 third thing was to require, for very high man rem tasks,  
18 a prior review by the NRC staff. They didn't specify a  
19 number for the size of the task, but we talked about  
20 1000 man rems as being the cutoff point.

21           Now, what I want to talk to you about today is  
22 our response to this Chilk-o-gram.

23           MR. MOELLER: Bob, on that, I'm sure you will  
24 cover it, but when we reviewed 10 CFR 20, the proposed  
25 revision, one of the things it says, as I recall is,

1 that they will not establish collective dose objectives.

2 MR. ALEXANDER: That's right.

3 MR. MOELLER: Is that in concert with what you  
4 are thinking about here?

5 MR. ALEXANDER: Yes.

6 MR. MOELLER: All right.

7 MR. ALEXANDER: Before getting to the  
8 Commission paper that we are about ready to send  
9 forward, I thought we might discuss the need for this  
10 rule a little bit.

11 I mentioned that the rule that we have  
12 covering the ALARA concept is preparatory, and that is  
13 germane to our problem, because it affects  
14 enforceability so much.

15 Another thing that has pointed us in the  
16 direction of trying to do more in this area are the  
17 radiation protection deficiencies observed in the health  
18 physics appraisals conducted following TMI. I don't  
19 know whether you've had an opportunity to look at the  
20 report published of those appraisals, but --

21 MR. MOELLER: The subcommittee has met. I am  
22 not sure that any of the consultants here were at those  
23 meetings, but we did meet with the staff on that and  
24 they highlighted the major deficiencies.

25 MR. ALEXANDER: Fine. I think the appraisal

1 report was surprising to a lot of people who felt that  
2 occupational health physics was in much better shape  
3 than the appraisals revealed to be. It was surprising  
4 to a lot of people. It has affected the thinking of the  
5 staff.

6           Then I should, of course, mention an increase  
7 in collective dose at the power plants that we have been  
8 observing -- a steady increase over several years with a  
9 dramatic increase in 1980 over 1979 that was sustained  
10 for 1981. The doses are running about 50,000, 54,000  
11 man rems per year now.

12           Another thing that weighs heavily on our minds  
13 is the experience, the nuclear Navy experience. At the  
14 risk of repeating something you already know, I should  
15 mention that in the nuclear Navy in the early sixties,  
16 they were experiencing the same thing we are  
17 experiencing now with their submarines and other  
18 vessels, and that is a steady increase in the annual  
19 collective dose.

20           They determined to turn that around and were  
21 able to do so. As I recall, the collective dose in that  
22 program peaked in 1967 and has been coming down steadily  
23 since that time, despite the fact that more and more  
24 ships have been launched. So that tells us that it can  
25 be done and makes us wish that we could do it in the



1 commercial nuclear power program.

2 MR. AXTMANN: Do you mean the total man rem  
3 per year is coming down, despite more ships?

4 MR. ALEXANDER: Yes, it has been since 1967.  
5 It continues to come down.

6 MR. AXTMANN: Sixty-seven?

7 MR. ALEXANDER: Sixty-seven. I believe it  
8 peaked in '67. Of course, the decline is not as rapid  
9 now as it was at first, but for several years there, for  
10 about a decade, 67 to 77, it was quite a dramatic  
11 reduction. So we know it can be done.

12 There are reasons why the Nuclear Regulatory  
13 Commission can't take the same -- many of the same  
14 actions as Admiral Rickover was able to take in his own  
15 program. But we are looking for ways to encourage the  
16 industry to do this itself. And one of the  
17 manifestations of that attempt has been to establish a  
18 rapport with INPO. Jack, what does that acronym stand  
19 for?

20 MR. BELL: Institute for Nuclear Power  
21 Operations.

22 MR. ALEXANDER: Institute for Nuclear Power  
23 Operations. We are interested in what they can do.  
24 They have a number of people from the nuclear Navy  
25 program in there, the Health Physics Program, and one of

1 the mangers is Bill Kimbley who was very instrumental in  
2 the success that the nuclear Navy enjoyed. He has a  
3 goal similar to that he enjoyed before with nuclear  
4 Navy. He hopes to see that happen in the commercial  
5 power industry. And of course, we are behind him 100  
6 percent.

7 As a matter of fact, --

8 MR. MOELLER: What was his name again?

9 MR. ALEXANDER: Kimbley. He was assistant to  
10 Murray Miles. We are entering into an agreement with  
11 INPO in the radiological health protection area, a  
12 written agreement, which is I believe ready for  
13 signature now by Wilkinson, the head of INPO and by our  
14 Executive Director for Operations, Mr. Dircks. I  
15 believe the plan is to delay the signatures until this  
16 rule is presented to the Commission to get their  
17 reaction.

18 In our commission paper accompanying this rule  
19 we tell the Commission about our work with INPO. This  
20 is a very important aspect of my talk this morning that  
21 I will return to.

22 As a matter of fact, we see the rule primarily  
23 at this point as being a stimulus to utility  
24 performance. We look at the rule not as one that, by  
25 itself, would turn anything around, but as an

1 appropriate rule for a plan which would give INPO --  
2 that is to say, would give the industry itself -- the  
3 opportunity to make the necessary corrections on its own  
4 without government interference, and only to interfere  
5 with proscriptive rules if the industry fails itself.

6           Many of us have high hopes that the INPO  
7 program will work and that the Nuclear Regulatory  
8 Commission will not have to go further. Are there any  
9 questions about the need for the rule at this point?

10           MR. MOELLER: Will you refresh us or tell us a  
11 little bit how INPO is going about this, or are they  
12 setting goals for each year -- a 10 percent or 5 percent  
13 reduction or something that you can measure or judge  
14 their performance by?

15           MR. ALEXANDER: I don't think they're that  
16 ambitious at this point. I think the first thing is to  
17 arrest the upward trend. Now, the upward trend may be  
18 arrested by itself, temporarily at least, by the fact  
19 that in a little while all of the additional chores we  
20 impose upon the plants because of TMI will be  
21 completed. There's no question but that those chores  
22 are causing a lot of the increase in collective doses  
23 that we're seeing.

24           I believe the staff estimates at least 33  
25 percent of that additional dose is due to our own

1 requirements.

2 MR. AXTMANN: You said that the trend has been  
3 up, monotonically going up. But I imagine that is an  
4 average figure. Are there some older plants where the  
5 trend has gone down? That is, something that might be  
6 attributed to the particular management of a given  
7 utility, or is it the situation you described first, the  
8 older plants are worse than the newer plants? Is that  
9 it?

10 MR. ALEXANDER: I think we learned more about  
11 the answer to that question from the appraisal program  
12 than we can learn from examination of the dose data.  
13 The dose data jump around quite a bit. A reactor will  
14 go along for years at a few hundred man rems per year  
15 and then they will have a steam generator replacement or  
16 something like that and it will go up to 8000. At the  
17 same time, another reactor that had 8000 the previous  
18 year goes down to 400.

19 MR. AXTMANN: Well, you could just wipe that  
20 out if you knew how much actually was -- and I suspect  
21 you do -- how much was due to the steam generator.

22 MR. ALEXANDER: Yes, we do know and it would  
23 be interesting to subtract that out and then look at the  
24 individual plant. But the appraisal program showed us  
25 that the plants that do well in the radiological control

1 area are plants in which the management is particularly  
2 interested and active in radiological controls. And  
3 plants where a more cavalier attitude is taken don't do  
4 so well. So there seems to be a direct relationship  
5 between the interest of management and --

6 MR. AXTMANN: That is what my original  
7 question was. Can you identify good and bad management?

8 MR. ALEXANDER: I think that was done in the  
9 appraisal program pretty readily. I don't think it's  
10 difficult.

11 MR. MOELLER: It was just a few months ago,  
12 Bob, we had in a high, medium and low group to tell us  
13 something about their management. As I recall, Davis  
14 Besse was one of the best, so we had that manager in to  
15 try to review with us what he does, what they do. And  
16 it was a combination of things. But as Bob says,  
17 management has to support it. Herb Parker?

18 MR. PARKER: Bob, a comment about your  
19 reference to the very good Navy program. I agree that  
20 they are doing a good job but I think there is one  
21 factor that artificially makes it look better than it  
22 is, compared with the average program on the commercial  
23 side, and that is the Navy practice of sending a man  
24 into a hot area with a recording meter. For that  
25 occasion, it comes out and shows no positive signal so

1 it goes into his record as zero exposure, although you  
2 know perfectly well it could have been one millirem less  
3 than the detection limit of that particular measurement  
4 integrated over the year.

5           You go through the Navy records, you find men  
6 with zero exposure working on the front line of a  
7 submarine. It is totally artificial. The tendency in  
8 commercial is to have your personal recording meter that  
9 you use time and time again, and it not only integrates  
10 what you actually get but it adds the natural background  
11 to it which we rarely subtract in terms of collective  
12 dose. Someone needs to look at how large that  
13 differential could be. It could be a considerable  
14 fraction.

15           MR. ALEXANDER: Do you have a feeling for how  
16 large that would be, Herb?

17           MR. PARKER: I wouldn't want to give a  
18 number. I looked at these things in detail at  
19 Portsmouth some years ago, and I have forgotten what the  
20 cutoff is, but I was impressed with what I consider a  
21 deficiency in reporting when you report it that way. I  
22 would have insisted on continuously the same recording  
23 device for people who repeatedly go into zones. It can be  
24 as high as 100 millirems a year.

25           Now, when you get that in a collective dose,

1 it begins to count because that is getting close, not  
2 too far from the average commercial exposure, right?

3 MR. ALEXANDER: Yes.

4 MR. PARKER: So you might want to do some  
5 looking at your data with that in mind.

6 MR. ALEXANDER: I suppose we should. I find  
7 I'm bureaucratic enough after all of these years to  
8 point out for the record at this time that the Nuclear  
9 Navy is not an NRC licensed activity.

10 MR. PARKER: And I don't mean to imply they  
11 are not doing a good job. It is just a bad quirk in  
12 their recording as I see it. You do have a program to  
13 reduce dose which is very efficient I think.

14 MR. MOELLER: Another question I would have is  
15 the Navy, I assume, hires civilian contractors to refuel  
16 the submarines. Would that dose be in the Navy dose?

17 MR. ALEXANDER: Oh, yes.

18 MR. MOELLER: So it is all of them?

19 MR. ALEXANDER: Yes. The --

20 MR. KATHREN: Could I just comment, Herb? I  
21 will take exception with you. I think they all wear  
22 either TLDs or in the old days, film.

23 MR. PARKER: At Portsmouth they changed it at  
24 every entry they made.

25 MR. KATHREN: Their TLDs or film? I don't

1 think that's true at Mare Island or Bremmelton or  
2 Pascagoula.

3 MR. PARKER: It may not be. The one that I  
4 looked at was due to this flack at Portsmouth, and that  
5 feature that had so many people turning out with zero at  
6 the end of the year. It impressed me at the time. It  
7 may be different at other places.

8 MR. KATHREN: I've had direct experience at  
9 Mare Island and it was different there. But you are  
10 correct about the use of the pocket ion exchangers which  
11 were always recorded as zero if they read nothing, and  
12 they did.

13 MR. PARKER: Do you remember what their limit  
14 was?

15 MR. KATHREN: Zero to 200 mr was the range.

16 MR. PARKER: Well, --

17 MR. MOELLER: The only way you can really hope  
18 to get doses down considerably is by the design of the  
19 plant, and I wonder if in the present depressed state of  
20 the industry, whether the reactor vendors are doing much  
21 along this line at all now.

22 I don't know. I haven't followed it, but I  
23 know when I was with GE I had a nuclear maintenance  
24 task force in all of the components of the company that  
25 supplies parts to a nuclear plant. We had meetings



1 about three or four times a year in which we discussed  
2 just these things we are discussing here; the collective  
3 doses and ways of doing maintenance and ways that  
4 designs could be improved to enable people to do work  
5 without getting the exposures that they were getting.  
6 And don't know if this has continued, what the other  
7 guys are doing.

8 I don't know whether you had a chance to look  
9 at that sort of thing at all.

10 MR. ALEXANDER: Yes, I have. At least in the  
11 Westinghouse program I have and I believe similar things  
12 are happening at General Electric. I hope at the  
13 others. They have a group set aside at Westinghouse to  
14 look for more efficient ways to perform maintenance  
15 tasks, which is the big end of the collective dose. And  
16 the reports I have heard and what little literature has  
17 been published are encouraging.

18 It is rather amazing sometimes how much  
19 working time can be saved by a small change. And of  
20 course, when you cut down on the working time you cut  
21 down on the dose. As a matter of fact, in the INPO  
22 program they maintained, those who were involved in it  
23 maintained, that this program actually saved the  
24 government money by bringing pressure on the shipyard  
25 people to find more efficient ways to do their work in

1 order to get their dose down -- that they actually saved  
2 money and it was not a costly program.

3 MR. MOELLER: On this, too, just reviewing  
4 what the subcommittee has done, we met with  
5 Westinghouse. I guess as I say the subcommittee, it was  
6 a full committee meeting with the Westinghouse people.  
7 Not to cite Westinghouse as a sole example, but they  
8 have this cooperative program with the Japanese now in  
9 which they are trying to design the next generation PWR.

10 And as I recall, their goal -- and the  
11 Japanese have been insisting upon it -- their goal for  
12 collective dose is 100 person rem per year or less, as I  
13 recall. So it is receiving a lot of attention. I was  
14 quite pleased to see what they were doing.

15 MR. ALEXANDER: I think Rags is right when he  
16 says if you want to keep the collective dose down, that  
17 is not simply a health physics matter; it's an  
18 engineering matter. As a matter of fact, the way they  
19 Navy was able to succeed was by getting the idea and the  
20 objective of keeping doses down pervading the entire  
21 organization so that everyone in the design stage of the  
22 plants, those doing process planning and everybody, was  
23 looking in that direction. And that is how they were  
24 able to achieve success.

25 So it involved a much broader application of

1 the idea than just with the health physics people.

2 MR. SHAPIRO: I think they made a tremendous  
3 effort in actually trying to cut down crud levels.

4 MR. ALEXANDER: Oh, yes.

5 MR. SHAPIRO: In other words, getting the  
6 source term down, in addition to operational approaches.

7 MR. ALEXANDER: Yes. They even changed some  
8 of their submarine operational procedures. They found  
9 that by varying the speed of the submarine, that they  
10 could knock the crud loose as the flow rate of the  
11 coolant changed, and then catch it in the traps they had  
12 installed. That was successful. All kinds of things  
13 like that were involved.

14 MR. AXTMANN: Fast starts and stops?

15 (Laughter.)

16 MR. ALEXANDER: We might take a look at the  
17 proposed rule. It is short. It says, "Each holder of a  
18 nuclear power reactor operating license shall develop  
19 and maintain a current written description of and  
20 implement an occupational radiation protection program  
21 including effective measures for maintaining radiation  
22 exposures for workers as low as is reasonably  
23 achievable."

24 These simple words, the number of years and  
25 the amount of work that has gone into it reminds me that

1 these words would probably be eligible for the Talud.  
2 But even so, we recognize -- and I would be less than  
3 frank with you if I didn't overtly point out -- that  
4 this rule would not be an extremely effective rule in  
5 dealing with our collective dose problem.

6 But let me hasten to point out that again, if  
7 the INPO program is not successful, we will come back to  
8 the Commission with a rule with a great deal more teeth  
9 in it than this one has. I can expand on that a little  
10 bit for you because I think this is an area where you  
11 might want to consider recommendation.

12 MR. MOELLER: I need to know, too, and you  
13 have pointed out, it is briefly stated here. But when  
14 you say "develop, maintain and implement an occupational  
15 rad protection program" are you including within the  
16 scope such things as Jack Shapiro just mentioned;  
17 looking at the source term, looking at perhaps  
18 decontamination procedures as well as what we would  
19 conventionally think of as training and doing things  
20 better? Or is this addressed primarily and principally  
21 to the more conventional occupational rad protection?

22 MR. ALEXANDER: We have these words "including  
23 effective measures for maintaining radiation exposures",  
24 ALARA, and of course, the connotation there is broad and  
25 does include things other than conventional --

1           MR. MOELLER: And you, when you are dealing  
2 with the INPO and they are going to implement or you are  
3 going to work out this agreement or you have worked it  
4 out, you are looking to them to look at the total  
5 problem, not just better training of people or hiring  
6 more health physicists.

7           MR. ALEXANDER: Yes, I certainly do. They  
8 have developed -- perhaps you have a copy of it within  
9 the subcommittee -- they have developed a book or report  
10 in which their criteria are given. These criteria have  
11 been carefully worked out, and they are applying these  
12 criteria to the pwwer plants. And they have an  
13 inspection program whereby at least every 15 months a  
14 team of INPO people shows up at the plant and inspects  
15 the plant against these criteria. And the criteria in  
16 the health physics area do not encompass everything that  
17 we would like to see in there.

18           But what they have is very good, and the  
19 reason given to me for this little problem is they feel  
20 that they need to put into their criteria number one,  
21 what the utilities can do, and number two, what they  
22 will do at this time. It is a matter of crawling before  
23 you walk, walking before you run. We expect to see  
24 their program get better and better as time goes by.  
25 But they were afraid if they hit these plants with too

1 much at once, their program would be killed on the spot  
2 and they would never get anywhere. I think there is  
3 some wisdom in that.

4           Now, we have agreed during an approximately  
5 two-year period to interfere with this program as little  
6 as possible. In other words, we want to help the  
7 program and not hurt it in any way. They have convinced  
8 us that a regulatory guide that we prepared to accompany  
9 this rule should not be issued. It is ready to print.  
10 We are going to just hold onto it for a couple of years.

11           Now, it says all of the things that their  
12 criteria include, plus quite a bit more. So we are just  
13 going to set that regulatory guide on the shelf until  
14 such time as INPO proves to us that their criteria  
15 approach won't work.

16           MR. KATHREN: Bob, might I ask if the  
17 regulatory guide says essentially what is in their  
18 statement of criteria? Presumably, they are going to  
19 follow, then, what will be said in the regulatory guide,  
20 and since regulatory guides are really not mandatory but  
21 merely suggestions as to how to comply with the  
22 regulations, of what benefit is it to hold up the  
23 regulatory guide?

24           MR. ALEXANDER: There, I would have to speak  
25 for them, which I am certainly not the best qualified to

1 do. I can tell you what my understanding is from  
2 talking with them at the number of meetings we have  
3 had. They feel that a regulatory guide in this area  
4 which tries to deal with and has the same purpose as the  
5 criteria, would be confusing. Not only would it be  
6 because different words are used, different ideas are  
7 stressed. Not only would it be confusing, but there  
8 would be a tendency, I think a natural tendency for a  
9 nuclear power plant to give precedence to the reg guide.

10 MR. KATHREN: But if the reg guide worked and  
11 achieved the desired goal of reducing radiation  
12 exposures then that would be fine, and why proceed with  
13 the INPO route?

14 MR. ALEXANDER: Why proceed with the INPO  
15 route?

16 MR. KATHREN: Yes, if the regulatory route  
17 would achieve the desired goal.

18 MR. ALEXANDER: Well, there I have to almost  
19 speak for the whole staff. My perception is that we  
20 would like to see this job done without government  
21 interference, if possible. Have as little in the way of  
22 regulations, reg guides as possible and still see that  
23 the job gets done, to give them a chance. That is what  
24 our position is. Give them a chance.

25 Now, we met with -- in the laborious process

1 of getting this paper ready for the Commission, we got  
2 all of the concurrences of the offices.

3 MR. MOELLER: This is the agreement with INPO?

4 MR. ALEXANDER: No, this is the Commission  
5 paper that goes with these rules. But it deals very  
6 much with the INPO situation, explaining it, trying to  
7 explain it to the Commission, trying to persuade them.

8 The headquarters offices concurred with our  
9 paper, and the concurrence from I&E was conditional upon  
10 our getting the opinions of the regions. This came at  
11 the last minute. Now, after eight years of things  
12 coming at the last minute, I was not dismayed by having  
13 to go to the regions. We simply arranged a meeting and  
14 had the regional people come in.

15 But it was an eye-opening meeting. Sometimes  
16 I think those people out there in the real world really  
17 do live in a different world than we do. We had all  
18 five regions represented by very competent, very  
19 articulate inspectors who had had years of experience  
20 inspecting these plants under our regulations. And they  
21 were able to convince us that our paper would probably  
22 be misinterpreted by people, that it wasn't clear  
23 exactly what we had in mind with respect to the INPO  
24 program, and they didn't understand what we were doing  
25 with INPO either. So we were able to explain that to



1 them.

2           As a result of this meeting, Jack Bell has  
3 rewritten the paper for the, I guess, one thousandth  
4 time, and we think have the story much better told. We  
5 are trying to leave the true impression that as far as  
6 NRC operations are concerned, there will not be much of  
7 a change associated with this rule. Inspectors will  
8 continue to work just about as they have.

9           Now here is the key reason for that, and the  
10 fact that I have sort of been building up to all  
11 morning. These inspectors said that as far as citing a  
12 licensee for failure to comply with his own procedures,  
13 even ALARA procedures, that they can do that now. They  
14 do it now, so they don't need this rule to give them the  
15 authority to cite a licensee for not complying with  
16 their own procedures. They said what they need to turn  
17 things around is a rule that will get good things into  
18 the procedures.

19           Now, this rule doesn't do that. This rule  
20 does not require -- we are giving no criteria for the  
21 procedures, for the programs. We are not requiring  
22 review by the staff for the programs review and  
23 approval. We are just saying have an ALARA program and  
24 then enforce it. So if the INPO program fails and we  
25 have to come back to the Commission with a rule with a

1 lot of teeth in it, I think it is going to have to be a  
2 rule which enables us to make sure that each plant has a  
3 high quality radiation protection program, not just a  
4 radiation protection program.

5 MR. MULLER: Bob, is it intended that this be  
6 restricted only to nuclear power operating licensees?  
7 It would seem that almost every other licensee, a  
8 university reactor.

9 MR. ALEXANDER: Rags, we tried for a year to  
10 make this change in Part 20 so it would be applicable to  
11 NMSS licensees, and it's only been in the last few  
12 months we have all come to realize that that would not  
13 be possible. The approach we are taking with these  
14 programs, we think that will be all right for 100 or  
15 perhaps a few hundred licensees. But when you have nine  
16 or 10 thousand licensees to apply this to, our NMSS  
17 people feel another approach has to be taken.

18 So what we are embarking on -- I don't know  
19 whether the subcommittee would be able to agree with it  
20 or not, but what we are embarking on is a program where  
21 one approach is taken for the materials and fuel cycle  
22 licenses by NMSS, and another approach is taken by NRR  
23 for the power plants. I think there are good reasons  
24 for that.

25 The approach, -- in order not to be incomplete

1 on this point, let me mention that the approach taken by  
2 NMSS with all of these licensees of theirs is to  
3 establish -- Jack, what are those limits called?

4 MR. BELL: Investigation levels.

5 MR. ALEXANDER: To establish investigation  
6 levels, and they intended to have different  
7 investigation levels for each major type of licensee.  
8 The investigation level is just that; it is a level such  
9 that if it is exceeded, then the steps will be taken to  
10 find out why by the licensee himself, and to prevent a  
11 recurrence. And NMSS is saying if you will do that,  
12 then we will consider you in compliance with our ALARA  
13 objectives. And we think that is a practical solution  
14 to an overpowering problem with so many thousands of  
15 licensees.

16 MR. MULLER: That's interesting. Yesterday we  
17 heard from the DOE labs and various people that are  
18 doing different types of radiation work with our  
19 reactors, and the objectives stated yesterday by the  
20 people we heard was they would like to have a uniform  
21 approach to the whole thing. And now you are suggesting  
22 just the opposite, which is sort of interesting. A  
23 bifurcation.

24 MR. ALEXANDER: Let me submit, Rags, that what  
25 you were talking about yesterday has to do with basic

1 radiological health protection standards, not agency  
2 operational procedures. What I am talking about is an  
3 operational procedure; a way to implement the basic  
4 standards you were talking about yesterday.

5 I would say that both these approaches, NRR  
6 and NMSS, will readily comply with anything set in the  
7 new Part 20. I think I can assure you of that.

8 Well, here at the Nuclear Regulatory  
9 Commission we are trained and forced to deal with value  
10 impacts at every turn. So let me spend a couple of  
11 minutes with you on that subject.

12 Both the value and the impact of what we are  
13 trying to do here is illusive. We know that if these  
14 things are done, we know from the Navy experience if  
15 from nowhere else, that if these things are done  
16 correctly, dose can be averted, both individual and  
17 collective dose. How much can be averted we don't  
18 know. It has been successful in the Navy program so we  
19 think it can be substantial, but at what cost.

20 When the plants are already operating below  
21 our regulatory limits, cost enters very much into the  
22 consideration. Now, cost to comply with the limits does  
23 not enter into consideration. They must comply with the  
24 limits. But when you start talking about doses below  
25 the limits and reducing doses already below the limits

1 and how much that costs, it's very important.

2           So one of the problems we face in this entire  
3 program is we don't know exactly how much the dose would  
4 come down, and we don't know exactly how much it would  
5 cost. We know to get doses down, particularly at  
6 existing plants, you have only two approaches. One is  
7 to reduce the radiation level; the other is to reduce  
8 the exposure time.

9           In the Navy program they found reducing the  
10 exposure time was the most effective way to go about it.  
11 When you reduce exposure time, when you introduce  
12 operational efficiencies to reduce exposure time, you  
13 save money.

14           So the cost to implement this program -- if we  
15 focus now on the next couple of years when we will be  
16 relying on INPO to implement this program -- the cost to  
17 implement the program may be almost entirely recovered.  
18 When I say that I don't include -- I'm not sure I should  
19 include -- the cost to INPO. The INPO program, the  
20 radiological health program that INPO has embarked upon  
21 costs INPO about \$1.3 million per year, which is a  
22 substantial sum.

23           Now, the cost to the nuclear power plants  
24 themselves the INPO people insist will be recovered by  
25 efficiencies introduced into their operations. We are

1 very hopeful for this program.

2           Well, I hope I have been able to help you  
3 understand what the staff is doing. I am also hoping  
4 you will understand and agree with what we are doing.  
5 We expect to make our briefing to the CRGR next  
6 Tuesday. I will talk to them much as I have talked to  
7 you. The CRGR, as a result of that briefing, will  
8 decide whether or not to conduct a review, an in-depth  
9 review, of this rule. Then I would tend to predict they  
10 will want to review, that they will agree with it and  
11 that we will go to the Commission.

12           We think then it may be possible to publish a  
13 proposed rule in January.

14           MR. MOELLER: Well, let me make a couple of  
15 comments, Bob, and I don't mean these as conclusions of  
16 the subcommittee at all. I mean them simply as -- well,  
17 maybe to provoke discussion or to propose a position  
18 which we can then move forward on.

19           One is the concept of working with INPO and  
20 having this relationship. To me, I think this is  
21 something to be encouraged because it is attempting to  
22 have the utilities police themselves instead of you  
23 being involved every step of the way.

24           And I also, to argue a little with Ron, I  
25 would agree that the concept of the NRC not interfering

1 for a two-year period other than consultation --  
2 obviously, you will keep up with what they are doing,  
3 you will get their data and so forth, but to give INPO a  
4 chance is pretty important. And I know the NRC is  
5 taking this same path in at least one or two other areas  
6 where they are hoping that the utilities can police  
7 themselves.

8           So those I think are good points. The other  
9 item I would mention -- and again, I think it is  
10 important for this subcommittee to look at it - and that  
11 is, what are the benefits that we can anticipate of this  
12 effort versus the rewriting of 10 CFR 20.

13           Let's say that one should be emphasized and  
14 the other should not, or maybe both should be emphasized  
15 but which one has priority? This, to my way of  
16 thinking, if it's done right has a chance for payoff  
17 within a year or two. Or maybe within a month or two.  
18 Whereas, I don't know that the rewrite of 10 CFR 20 has  
19 that much opportunity for payoff, meaning immediate  
20 reductions in occupational doses.

21           I just throw those out as some thoughts. Why  
22 don't we discuss this for a few minutes and then  
23 particularly find out from Bob what it is that you would  
24 like for us to do if we concur with it. Do any of you  
25 have comments?

1           MR. KATHREN: Only to say that I was making  
2 the point that it seems strange to me that if the  
3 regulatory guide was not in any way in conflict with  
4 what INPO was carrying out, I couldn't see any reason to  
5 hold it up.

6           MR. ALEXANDER: We don't really want to hold  
7 it up, Ron. We are doing that to be cooperative. It is  
8 a two-way street and this is something that INPO has  
9 asked us to do.

10          MR. KATHREN: To hold it up?

11          MR. ALEXANDER: To hold it up. They feel it  
12 would interfere with what they are trying to do, so we  
13 have agreed to do that. It is just a part of the  
14 agreement.

15          MR. MOELLER: Ron, of course, you have utility  
16 experience and you have insights that you should share  
17 with us, or we would appreciate it if you would share  
18 them with us. What do you see as problems here?

19          MR. KATHREN: I'm not sure they are really  
20 problems. The industry looks upon regulatory guides as  
21 mandatory. That may be one of their fears. One could,  
22 I think, alleviate this problem by putting in the  
23 regulatory guide a statement that participation in the  
24 joint INPO-NRC program would be considered as compliance  
25 with the regulation. You could even put a time period



1 on if you wanted to, which I think would resolve that  
2 problem.

3 My concern is that I believe the Navy program  
4 has worked quite well, and I would like to see it  
5 adapted to INPO. But my concern is the quality of  
6 personnel and equipment coupled with the fact that  
7 people are not in the Navy and, therefore, not subject  
8 to following orders of superior officers essentially  
9 unquestioningly. This will not lead to as good control  
10 as it would in the military situation. Was that clear,  
11 with all of those phrases and words?

12 MR. ALEXANDER: Yes, it is. I agree with  
13 you. I don't know think that any of us hope that the  
14 Navy experience would be repeated in the commercial  
15 arena. But I think we would be happy to see this trend  
16 just level off. If we could just see it level off and  
17 stop the upward rise, some of us would be very happy.  
18 If they are actually able to bring a downward trend,  
19 that would be absolutely wonderful.

20 MR. MOELLER: We have had utilities, of  
21 course, that have appeared before this subcommittee and  
22 the management people have said so what; we are  
23 complying with the dose limits. Why bother us about  
24 these increases in collective doses? They don't  
25 represent any problem at all.

1 MR. KATHREN: I can believe that.

2 MR. MOELLER: Is it our position to comment --  
3 and, Herb, you can help us -- on comparing this effort  
4 versus the 10 CFR 20 rewrite? Which has the best chance  
5 of payoff?

6 MR. PARKER: That is a dirty question.

7 MR. MOELLER: I think we have to grapple with  
8 it.

9 MR. PARKER: I am impressed with the approach  
10 I have heard this morning which ceases to be a flogging  
11 approach. I think what has happened in the past --  
12 without reflecting any criticism on individuals -- is  
13 that the people on the receiving end felt they were  
14 being flogged into doing things instead of the hortatory  
15 program you speak to this morning, Bob.

16 I think the hortatory approach is the only  
17 one. It is a qualitative thing anyway. One thing I  
18 would suggest that would help this is what we did years  
19 ago in Hanford. That is, to make a fairly comprehensive  
20 study of the cost of improving radiation protection, and  
21 we developed a rather universal formula to reduce the  
22 exposure by a factor of 10 would double the cost of the  
23 work.

24 If you could somehow get the present  
25 commercial people to contribute to the same kind of

1 study, the answer I don't think would be the same. This  
2 answer I gave you only applies when you are doing one  
3 heck of a lot of things, because there are some quantum  
4 jumps in this. Whenever the next step of improvement  
5 requires going to complete remote control, the cost just  
6 wants to fly up. So our general formula only worked  
7 because we had enough other things to smooth it out.

8           But there could be developed a study, and  
9 whatever the answer came out, the leaders of each  
10 organization could see what they would get for their  
11 money in the way of protection. You might want to think  
12 about some such approach if you haven't already done  
13 it. You may have.

14           MR. ALEXANDER: I have had similar thoughts  
15 recently, if I understand your point. I think that  
16 probably the best thing the NRC could do to turn the  
17 collective dose situation around for nuclear power  
18 plants would be to develop and make available to the  
19 highest levels of utility management, as based upon the  
20 Navy program, convincing argument that cost can be  
21 reduced. That is what managers listen for.

22           And if they could be convinced they could  
23 reduce their costs by taking steps, efficient steps to  
24 reduce the collective dose, then I think they could see  
25 that happening without INPO, NRC or anyone else bringing

1 pressure on them.

2 MR. MOELLER: That's similar but different to  
3 what Herb is saying.

4 MR. PARKER: I don't think you will reduce  
5 costs by improving the quality of protection, but you  
6 make a controlled investment in superior protection, is  
7 the thing you have to sell. And there is a big  
8 difference. In the Navy, similar to Hanford, everyone  
9 was willing to share the information, and the dollars  
10 available for the next day were not a great problem.  
11 Utilities don't have that, and I am not aware personally  
12 of the degree of competitiveness that would prevent them  
13 from sharing the best information.

14 Ron, you have been in that racket.

15 MR. KATHREN: They aren't really competitive  
16 in the sense that every utility is guaranteed a rate of  
17 return by the Public Utility Commission. So there isn't  
18 --

19 MR. PARKER: I haven't noticed a rush to share  
20 joyous information with others. Is that a correct  
21 observation?

22 MR. KATHREN: I don't really think it's wholly  
23 correct. It's not wholly erroneous either. They do,  
24 through the Edison Electric Institute and their task  
25 group on health physics, share information.

1                   But for the record I will say the Edison  
2 Electric Institute task force on health physics conducts  
3 its affairs in a far different manner than we would in a  
4 scientific or professional society. Its membership is  
5 limited, for one. Its topic areas of discussion are  
6 also very restricted and for many years, they operated a  
7 closed shop in which they deliberately excluded any  
8 outsiders and in particular, the regulators, because  
9 they wanted to feel free to talk about problems that  
10 they felt might reflect adversely on their own  
11 capabilities.

12                   I have been very outspoken, and for the record  
13 I will say that I believe that, again, the quality of  
14 staff and equipment has been relatively poor in the  
15 industry, although it is improving. And I think I would  
16 like to see that accelerated as well as what Bob has so  
17 well put, which is the need to get upper management to  
18 agree.

19                   Until you get that accomplished, until the  
20 upper management is really concerned with keeping  
21 radiation exposures ALARA, I don't think it will ever  
22 happen. There is absolutely no incentive in the plants  
23 to do it. The big incentive is to produce the maximum  
24 number of megawatts.

25                   MR. MOELLER: The other thing, too, or one of

1 the many that have to be fit into this total puzzle, we  
2 have heard this morning about steam generators and  
3 replacing steam generators at 2000 person rem each or  
4 whatever it takes.

5 Well, if we had a known proper way of  
6 operating or chemically handling the water and so forth,  
7 or designing and building steam generators so that this  
8 problem, the replacement, was not required, this would  
9 have a significant impact on the collective doses.

10 MR. KATHREN: Yes.

11 MR. MOELLER: And people are working on it.  
12 But I continue to be somewhat surprised that it seems  
13 like the group that is doing the most is EPRI, as far as  
14 I can tell. I am sure the vendors that manufacture  
15 steam generators have given it a lot of thought, too.  
16 But EPRI seems to be the one that really is coming out  
17 with some good recommendations. And I think it is true  
18 that an individual utility cannot have all the expertise  
19 to solve that problem.

20 Now, what is it on this, Ms. Tang? Do we  
21 write a letter?

22 MS. TANG: Whether we endorse the rule or have  
23 comments, we have to write it.

24 MR. MOELLER: Then we will in our Executive  
25 Session try to come up with something that we will write.

1           MR. ALEXANDER: The problem that I want to  
2 focus the subcommittee's attention on, Dade, is --

3           MR. MOELLER: Tell us what you want us to  
4 focus on and what will be helpful to you. What are the  
5 key factors?

6           MR. ALEXANDER: The key factor it seems to me  
7 is that what is really needed along the narrower lines  
8 we are talking about in this rule -- I'm not talking  
9 about now everything about collective dose in the  
10 nuclear power plant; all the engineering and  
11 everything. I am just talking narrowly about the  
12 subject we are trying to control in this rule.

13           What the NRC needs is a way to make sure that  
14 the procedures that each power plant has contain  
15 adequate directives to their employees with regard to  
16 the occupational ALARA concept. Once a plant has  
17 adopted such procedures, our problem is we have the  
18 enforceability we need.

19           But with the approach that we are taking now  
20 where the programs would not be reviewed by the staff  
21 and so forth, I think we will never be successful.

22           MR. MOELLER: Now, does INPO plan to develop a  
23 standard generic statement for each utility in terms of  
24 complying or developing an ALARA program? I hear what  
25 you are saying. You are saying to us what the regional

1 people emphasized to you.

2 MR. ALEXANDER: Yes, yes.

3 MR. MOELLER: I would think, then, in your  
4 cooperative plan with INPO either you -- and again, if  
5 INPO is going to carry the ball now -- not you, but INPO  
6 should give serious consideration to the development of  
7 what I would call a generic program for a PWR and one  
8 for a BWR if they differ.

9 MR. ALEXANDER: I don't think they are doing  
10 that. I could be wrong, but I don't believe they are.  
11 They are developing some guidance documents but they are  
12 highly technical in nature and don't deal with the sort  
13 of thing you are talking about.

14 The criteria themselves, of course, do, in  
15 broad and general terms, and if their program works most  
16 of the utilities will have radiation protection programs  
17 that comply with their criteria. To that extent, I  
18 think a lot can be gained. I think the INPO program  
19 will result in a lot of good things being included in  
20 these power plant procedures.

21 And perhaps what I am worried about will go  
22 away on its own. That is what we are all hoping. But  
23 if it doesn't, then we have to come back with another  
24 rule with more teeth in it. Then I think it must be a  
25 rule that requires a review of and approval by the NRC



1 of the radiation protection program.

2 MR. MOELLER: Jack Shapiro?

3 MR. SHAPIRO: I am a little concerned about  
4 certain aspects here as to what the role of government  
5 is, because the regulatory guides can provide a lot of  
6 good technical information. Some of them don't, but a  
7 lot of them can be very useful in terms of what they say  
8 they are doing, providing guidance and ways in which to  
9 accomplish certain objectives.

10 I just got across my desk the other day a  
11 regulatory guide for reducing occupational exposure in  
12 medical institutions; a great, big guide with all kinds  
13 of procedures. I haven't read it yet so I don't know  
14 how good it is, but it's there.

15 MR. ALEXANDER: It is excellent.

16 MR. KATHREN: Is that for the record, Bob?

17 MR. ALEXANDER: Yes. Dr. Brodsky prepared  
18 that, so it must be excellent.

19 MR. SHAPIRO: I don't feel as though I'm being  
20 coerced into doing these things. I feel I will get  
21 guidance and technical help. I feel in many areas, the  
22 government can provide technical information which  
23 industry won't do, can't do, isn't interested in doing.

24 In something like the ALARA concept, which is  
25 really so diffused and which I can see you don't want to

1 regulate it, I can see industry has a problem not  
2 wanting to be regulated because it's a philosophy more  
3 than an actual regulation. You still need a lot of  
4 guidance and technical information which should be  
5 available both to working people at the reactors, to the  
6 working health physicists who can then try to get to  
7 management and to your inspectors who perhaps give some  
8 advice.

9           So if your occupational regulatory guide is as  
10 excellent -- for reactors is as excellent as you say  
11 your medical guide is, I think that information should  
12 be made available. If the regulatory guide mechanism is  
13 a way that is abused, maybe you have to decide on some  
14 other mechanism of making information and guidance  
15 available. But I think your role is to help along the  
16 lines where you cannot really regulate the situation.

17           As far as those reactors are going, they are  
18 going by 10 CFR 20, and as long as they meet those  
19 standards they are in compliance. And unless there's a  
20 tremendous economic incentive, they won't do more. I  
21 don't care what INPO does or these other people do. And  
22 I think the guidance has to come from you, both from the  
23 working health physicist and through your own inspectors.

24           MR. ALEXANDER: We have made our guide  
25 available. All of the plants were sent a copy of this

1 document to comment on. It was published for comment.  
2 It was published a NUREG report first for comment. They  
3 all have it. We've made it available. So as far as  
4 making information available is concerned, we've done  
5 that. But it's not an official guide.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           At least we've done part of what you're  
2 driving at.

3           MR. MULLER: You have given it to INPO. Has  
4 INPO incorporated -- you said not everything, but they  
5 have incorporated quite a bit of what you have in there  
6 in their directives.

7           MR. ALEXANDER: Right. Not everything,  
8 though. We would like to see it all. They think they  
9 will eventually have it all, but not to start.

10          MR. MOELLER: I think we have to be patient  
11 and tolerant here and give INPO a chance. You know, I  
12 really believe that.

13          MR. ALEXANDER: I really think that we are  
14 talking a little bit about the elusiveness of the ALARA  
15 concept and the philosophical nature of the concept. I  
16 really believe that the ICRP optimization analytical  
17 technique is the answer to this problem. It is going to  
18 take a number of years to work out, but I believe that  
19 is the answer because it is with the optimization  
20 technique that we can take an analytical technique which  
21 can be defined and explained to people and derive the  
22 point at which as low as reasonably achievable is  
23 obtained, and we can come up with a number, and we can  
24 say for this operation, for this situation this number  
25 is ALARA, this number is the point at which the health

1 effects cost and the dollar cost are at a minimum, that  
2 sum is at a minimum.

3 MR. PARKER: I must strongly disagree with  
4 that, Bob. You have loaded up the present description,  
5 as low as reasonably achievable, by so much crud with  
6 social, political and socioeconomic factors so that you  
7 can employ pregnant women who have no business  
8 whatsoever in the nuclear industry, that you can't  
9 select that out again because you will invoke a new set  
10 of socioeconomic factors for any situation you are  
11 forced into.

12 MR. ALEXANDER: I guess I was talking about  
13 applications where the socio part of it would be  
14 probably left out. When you get into the occupational  
15 arena where the public isn't exposed, you can do  
16 optimization studies on such things as how often to take  
17 care of samples, how often to take bioassay samples, how  
18 thick the shield should be, whether or not to use an  
19 expensive respirator or an inexpensive respirator,  
20 whether or not to design a robot. You can do it. We  
21 are toying with it now.

22 I know it will be some time, but I hope that  
23 the very true observation you just made about  
24 optimization in general will prove not to be prohibitive  
25 in the occupational arena.

1 MR. AXTMANN: Don't such exercises require a  
2 dollar cost per man?

3 MR. ALEXANDER: Yes.

4 MR. AXTMANN: What is your dollar cost?

5 MR. ALEXANDER: We have one in Appendix I of  
6 Part 50.

7 MR. AXTMANN: What is it?

8 MR. ALEXANDER: One thousand dollars.

9 MR. AXTMANN: It's been the same for 15 years  
10 during which time inflation has run wild, and it's a  
11 hard number to defend, it seems to me.

12 MR. ALEXANDER: Well, any number would be hard  
13 to defend.

14 MR. AXTMANN: Well, that particular one since  
15 it has been constant for 15 years.

16 MR. KATHREN: Why don't you tie it to NRC  
17 salaries?

18 MR. PARKER: Confidential information.

19 MR. ALEXANDER: I think too much is already  
20 tied to NRC salaries.

21 MR. KATHREN: I mean the escalation factor.

22 MR. MOELLER: Any other questions or comments?

23 (No response.)

24 MR. MOELLER: Okay. Thank you, Bob, for your  
25 time, and we will certainly try to set out some remarks

1 and comments, and you have certainly clarified and  
2 filled us in on what we need to know.

3 Why don't we take a ten-minute break?

4 (Recess.)

5 MR. MOELLER: Why don't we resume?

6 The last item on the agenda is the discussion  
7 of seismic events as they relate to nuclear power plant  
8 emergency planning; and we have with us Brian Grimes to  
9 comment on this subject.

10 I might mention Brian has commented to us  
11 several previous times, but that the committee had  
12 questions about the matter, and they have asked us to  
13 explore it further.

14 MR. GRIMES: Before we get into the seismic  
15 issues, I want to make one follow-on comment to  
16 yesterday's discussion on potassium iodide.

17 I asked my staff to talk to the research  
18 people specifically on the source term point, and I now  
19 understand that the cost-benefit paper being done on  
20 potassium iodide will not document directly the iodine  
21 source term as you had expressed interest in, but that  
22 will rather be in the March time frame, and it will deal  
23 with a broader spectrum of things than iodine.

24 Also, the revision of the Sandia cost-benefit  
25 study will primarily be directed toward quantifying

1 things that were stated as being conservative  
2 assumptions but which were not quantified in the earlier  
3 report, which leads me to conclude that the statement in  
4 SECY-396A about refining the cost-benefit study should  
5 not have been as closely connected to the source term  
6 work as it was.

7 MR. AXTMANN: But that was --

8 MR. GRIMES: Based upon verbal discussions at  
9 that time.

10 MR. AXTMANN: But that was the only rationale  
11 given for changing your mind in six weeks, as I recall.

12 MR. GRIMES: Yes.

13 MR. AXTMANN: If you take that out --

14 MR. GRIMES: What my understanding is now is  
15 that that has somewhat reinforced the research view that  
16 this is a conservative assumption, that the assumptions  
17 warrant better quantification in that earlier study, and  
18 that if those things were quantified, a very negative  
19 cost-benefit balance might come out. So the fact that  
20 their intuition says that -- this is my interpretation  
21 of what they have told us -- the fact that their  
22 intuition says the source term should be lower makes it  
23 more worthwhile to pursue quantifying the other negative  
24 factors that would bear on use of potassium iodide. But  
25 they might not have bothered to do this had the source



1 term not changed.

2 MR. MOELLER: I think, Brian, though -- and I  
3 say this correctly, I believe -- that it is another  
4 example of the staff really not saying what they mean,  
5 and I increasingly seem to raise that type of question.

6 Had this SECY 82-396A have said that we have  
7 given this matter further consideration, and in view of  
8 the enormous research effort we have underway and the  
9 potentiality for new and better data coming forth on the  
10 source term that we believe we should delay any decision  
11 or delay our decision until such time as those data are  
12 available.

13 MR. AXTMANN: That would have been a  
14 reasonable position.

15 MR. MOELLER: Oh, sure. We would have all  
16 bought that, but that's not what it said.

17 MR. GRIMES: I would just suggest that January  
18 is a short enough time to wait to see what the Office of  
19 Research is coming up with in terms of recommendations  
20 on the matter, and that they have indeed said that March  
21 is the expected time frame for some quantification of  
22 the studies that have gone on. It would, I understand,  
23 be essentially a first report, a preliminary report on  
24 the results of research to date.

25 MR. AXTMANN: March?

1 MR. GRIMES: Yes.

2 MR. AXTMANN: And that will be NRC's summary  
3 of --

4 MR. MOELLER: Initial research findings, I  
5 gather.

6 MR. GRIMES: Yes.

7 MR. MULLER: Brian, yesterday I referred to  
8 the negative impact of the nonradioactive iodine in the  
9 KI, but I did not really emphasize the thrust of that  
10 German paper. Did you get a copy of that Kallee paper?

11 MR. GRIMES: No, I don't think so.

12 MR. MULLER: I believe she has a copy. I have  
13 mine with me if you want to xerox it while we're here.  
14 But the thrust is there is an intermediate dose of  
15 iodide, nonradioactive iodide, which is less  
16 conservative than either a lower or higher dose. It is  
17 kind of a funny curve. And it is this sort of thing  
18 which concerns me because there are variations in  
19 individual responses, and if you have a problem with an  
20 intermediate dose, to go to the high end or low end, how  
21 do you establish the amount of iodide that is  
22 administered?

23 It was that concern that was interesting  
24 there. It was called the Wolff-Chaikoff effect. Iodide  
25 is kind of complicated because it stimulates the

1 pituitary gland and affects the hormonal balance  
2 throughout the system. It affects hyperthyroidism,  
3 hypertension and various things. It is more complicated  
4 medically than just giving people a pill.

5           MR. GRIMES: I am not a medical expert  
6 myself. I guess my concerns with potassium iodide have  
7 been more on the logistical end of it. Even if it is  
8 perfectly safe to use, is it a practical thing from a  
9 logistics standpoint to rely upon; for example, to rely  
10 on people having it available when you are trying to  
11 make decisions?

12           MR. MULLER: Apparently Bernie Schleiien didn't  
13 have any reservations, and they kind of hone in on that  
14 25 R limit. But at our last meeting, our general  
15 meeting -- I don't know whether it was the last one or  
16 not -- we had a man here from the American Thyroid  
17 Association, which it would seem to me is probably the  
18 most competent group, and he recommended a higher level  
19 because he said they had no indication that any dose to  
20 the thyroid less than 100 R did anything perceptible to  
21 anybody's thyroid.

22           We have the minutes. I may be quoting him  
23 incorrectly. So I think if you aren't aware, you might  
24 want to get a transcript of his statement.

25           MR. AXTMANN: I finally remembered --

1 MR. PARKER: Excuse me. Go ahead.

2 MR. AXTMANN: The vendor who made the  
3 potassium iodine, it's Carter-Wallace Laboratories, the  
4 makers of Carter's Little Liver Pills.

5 MR. MOELLER: Herb.

6 MR. PARKER: This level is the thing that was  
7 thrashed through the pages of Science in this conflict  
8 between Rosalyn Yalow --

9 MR. MOELLER: And Von Hippel.

10 MR. PARKER: And it needs to be resolved to  
11 the scientific public's benefit, and I'm not sure it's  
12 resolved in the directions in which my dear friend  
13 Rosalyn Yalow refer to. But it shouldn't be left  
14 hanging, nor should it reside on one paper based upon a  
15 German population, because as I recall yesterday, their  
16 conditions of preplanning of iodine --

17 MR. MOELLER: They have an iodine deficiency  
18 in Germany. And our major question, of course, is the  
19 source term which can vary by orders of magnitude.

20 MR. PARKER: And at your last meeting you had  
21 access to a consultant who spent a great part of his  
22 distinguished career precisely on this thyroid question  
23 and is highly respected in the profession, namely Dr.  
24 Saenger. I would listen to him fairly carefully.

25 MR. MOELLER: Let's move on.

1 MR. GRIMES: We have had discussions in the  
2 past. I believe the last time I appeared before a  
3 subcommittee was in 1981. In fact, I have a note here  
4 that there was a full committee meeting on May 7, 1981.

5 Our position is essentially unchanged on  
6 seismic matters with respect to the emergency planning  
7 since that time. However, there have been a number of  
8 events that have occurred since that time which I would  
9 like to bring you up to date on.

10 MR. AXTMANN: Excuse me. When was the last  
11 report?

12 MR. GRIMES: The last formal report was, I  
13 believe, May 7, 1981.

14 MR. MOELLER: And give us all for our benefit,  
15 Brian, give us a --

16 MR. AXTMANN: That was an ACRS letter?

17 MR. GRIMES: No. It was an appearance by  
18 myself before the full committee.

19 MR. MOELLER: Give us a rundown on what the  
20 controversy is or what our question is, because I am not  
21 -- several of our consultants are new, and I think it  
22 would help.

23 MR. GRIMES: I will also reference a February  
24 22, 1982 memo of Mr. Alderman to Dr. Moeller which  
25 fairly well brings the matter up to date to that point.

1 The main question involved was expressed by the  
2 Commissioners themselves in a memorandum dated March 1,  
3 1982. These questions and the staff's answers are  
4 contained in the June 22, 1982 memorandum from Mr.  
5 Dircks to the Commissioners; and I believe you have  
6 copies of that June 22nd memorandum.

7           The two questions that the Commission posed  
8 were should the emergency planning activities of NRC  
9 licensees include consideration of the possible effects  
10 on emergency plans of very large earthquakes; and  
11 second, if NRC requirements are to include this  
12 consideration, what criteria should be applied in  
13 evaluating the adequacy of such plans in this respect.

14           There were also some questions by Commissioner  
15 Ahearne transmitted in the same memorandum which  
16 broadened the topic to all natural hazards, and by  
17 implication also to smaller earthquakes.

18           I think the key question is what do we pick as  
19 a basis on which to expend resources to plan for  
20 particularly offsite actions in the event of earthquakes  
21 or other natural hazards. The staff's answer to this  
22 has been first to rule out explicit planning for very  
23 large earthquakes. The basis for this is to look at  
24 what sort of things could be done to prepare for this  
25 sort of situation, and decide that some of them, such as

1 making earthquake-proof bridges and housing, are just  
2 not feasible anyway, and to also observe that many of  
3 the things that you would want to have in place for very  
4 large earthquakes are already put in place by other  
5 emergency planning measures such as backup  
6 communications capabilities.

7           The one exception to the staff's position  
8 against designing for earthquakes has been the areas of  
9 the country such as California where the frequency of  
10 moderate earthquakes, what I call in layman's terms  
11 moderate earthquakes, say below design basis  
12 earthquakes, are relatively high; and just by inspection  
13 those areas of the country in which bridges periodically  
14 fall down or houses are disrupted or other things,  
15 utilities are disrupted on a fairly frequent basis --  
16 that is, in the U.S. the west coast of the United  
17 States, principally California and a few other high  
18 seismic areas.

19           It seems to us that for these areas where  
20 there is a moderate expectation that there will be  
21 disruptive events, while the events would not be  
22 disruptive necessarily to the plant itself, they would  
23 be disruptive to the surrounding communities, that there  
24 be some thought given to what one would do in an  
25 emergency situation if there were disruptions offsite.

1           We don't believe that requires picking a  
2 particular earthquake size. It requires only a  
3 relatively small earthquake compared to what plants are  
4 designed for to disrupt offsite facilities. So  
5 essentially we will assume that there could be in  
6 California at least which would disrupt offsite  
7 facilities but probably not disrupt the plant, but  
8 perhaps warranting some thinking.

9           What we have identified is that there are  
10 several things we would like in a place such as  
11 California. One is assurance that if the earthquake did  
12 disrupt nonnuclear parts of the plant and perhaps put  
13 you into a low class of an emergency, an unusual event  
14 or alert by disrupting the power supplies or nonnuclear  
15 systems in some way, that one be able to get personnel  
16 to the site. In other words, one way to do this is  
17 utilities in California have helicopter service arranged  
18 for so that if roadways were disrupted by an offsite  
19 occurrence, they would still have a good capability to  
20 immediately augment the plant staff, if they were on a  
21 back shift, for example.

22           The other thing that seems wise is some  
23 knowledge or agreement between the onsite and offsite  
24 responsible people that this will be a consideration in  
25 an emergency situation, that the offsite authorities



1 would be obligated to give some information back to the  
2 plant to help them formulate any recommendations that  
3 might be warranted for offsite action in the emergency  
4 situation.

5           The third thing would be assurance of backup  
6 communications. And as I said, radios are generally  
7 used as backup to telephone systems. And so we have in  
8 place already without doing anything particularly  
9 extraordinary, we have those systems in place.

10           MR. MOELLER: Excuse me, Brian. I followed  
11 the first and the last. I didn't follow the middle one.

12           MR. GRIMES: The feedback of information from  
13 offsite authorities -- for example, the police would  
14 know in what areas bridges might have been disrupted.

15           MR. MOELLER: To the plant officials.

16           MR. GRIMES: Yes. Telling the plant officials  
17 that so that if an accident situation developed,  
18 something were getting worse, they would know that  
19 evacuation in a northerly direction is not the thing to  
20 advise because it's not a practical response, or that  
21 sheltering in a particular area is the best option  
22 available in certain situations.

23           The last thing is the Federal Emergency  
24 Management Agency has suggested that in California sites  
25 at least there be a designated place for state and local

1 officials to relocate to if their primary emergency  
2 facility is disrupted by an earthquake. And this would  
3 apply in situations even not including a nuclear power  
4 plant problem, that the emergency operations center of  
5 offsite officials would probably be manned in an  
6 earthquake and disrupted; they would probably have to  
7 have another place to locate and operate.

8           So those are the principal considerations.

9           MR. AXTMANN: I'm not sure I caught that last  
10 sentence. Are you saying making the offsite emergency  
11 center, double it?

12           MR. MULLER: Have an alternate.

13           MR. MOELLER: You would have an alternate for  
14 it.

15           MR. GRIMES: Have a location from which you  
16 would gather and operate not necessarily all the  
17 equipment you would have in the primary location, but  
18 everyone would know what the agreed upon fallback  
19 location was so that one could operate out of there.  
20 You would probably be working on radios and things like  
21 that in any event.

22           MR. AXTMANN: The second site then would have  
23 the same controls the first did?

24           MR. GRIMES: The second site would be just a  
25 designated location that state and local officials would

1 go to and work out of, not having any particular design  
2 requirements.

3 MR. PARKER: Just a designated offsite  
4 communications center, is this it?

5 MR. GRIMES: They would probably have to  
6 relocate their radios to that location, or if it was  
7 another typical thing might be moving to another county,  
8 to the emergency operations center of another county,  
9 for example, would be a ready way to presdesignate a  
10 site which in that case would have the in-place  
11 communication facilities. But if they just wanted to  
12 designate a building some place outside the area, they  
13 could do that also if they had plans to take their  
14 communications equipment with them.

15 It is a difficult question in terms of how  
16 much is enough. And it is, I think, clearly a judgment  
17 on what resources we should expend and what reviews we  
18 should do for these remote situations while trying to  
19 keep the concept of emergency planning applicable to a  
20 wide spectrum of accidents and not saying we have no  
21 capability to respond to end-of-spectrum events, but  
22 rather saying that the capabilities you put in place for  
23 the plant accidents will, to some degree, give you a  
24 base to respond to even lower likelihood events.

25 Of course, those other external events have

1 effects of their own on the public, and it may be that  
2 for very, very severe earthquakes which would also cause  
3 power plant releases that release might be the least of  
4 the worries in that area.

5 I guess as far as status goes the Commission  
6 has not responded to the staff on the June 22nd, 1982  
7 memorandum. So if the ACRS wished to comment on the  
8 questions which the Commission posed to the staff, I am  
9 sure that would be welcome. The Commission has not yet  
10 adopted the staff recommendation.

11 MR. MOELLER: Okay. There are several  
12 comments that I could make that may be helpful. Of  
13 course, first we have to crystallize what is the problem  
14 or what is the question we are trying to answer as a  
15 subcommittee. And I believe that in the transcript of  
16 the previous full committee meeting when Brian met with  
17 us it immediately became apparent to me there were  
18 misunderstandings.

19 Initially, the committee said has the staff  
20 considered the potential impact of an earthquake in  
21 disrupting bridges or roads or whatever it might do and  
22 communications? Has the staff considered this in terms  
23 of emergency planning?

24 Well, then the staff came back, and as I  
25 interpreted it, they were saying well, the chances of a

1 reactor of a nuclear power plant having an accident and  
2 an earthquake occurring coincidentally with it were very  
3 remote; and therefore, they really didn't see what we  
4 were asking.

5           Well, then we said back to them, we are  
6 talking about the potentiality where the earthquake  
7 itself causes the reactor failure, so they are  
8 simultaneous. Well, then, as Brian points out, if you  
9 had an earthquake severe enough to cause a failure in  
10 the safety systems of the reactor, which is of course  
11 designed to withstand an earthquake of a certain size,  
12 then the disruption of the total neighborhood would be  
13 so catastrophic that perhaps the reactor accident or  
14 release would be, you know, not be as important as it  
15 otherwise might have been.

16           Factoring into these questions you have the  
17 conclusions, perhaps tentative as they are, of the PRA,  
18 the probabilistic risk assessments, at Indian Point and  
19 Zion which showed -- and it depends upon how you read  
20 it, how you interpret it -- but it showed that seismic  
21 events constitute a major portion -- I mean, you know,  
22 60, 70, 80 percent of the total risk of a nuclear power  
23 plant, meaning of all of the factors that might cause an  
24 accident and cause a release, major release to the  
25 environment, seismic events are the major contributor.

1           Well, with that as background then, we do need  
2 to go back, the committee felt, and look at the  
3 earthquake which causes somehow a failure in the nuclear  
4 power plant which causes a release, and then what impact  
5 does this have or what considerations might we do in  
6 emergency planning to foresee such a situation and  
7 perhaps to lessen its impact because we did better  
8 planning.

9           You have a whole variety of things. You have  
10 the highway, the bridges, the telephone lines. I can  
11 see the highway and bridges would influence evacuation.  
12 So, as Brian says rightfully, you might not be able to  
13 evacuate in that direction, so you have to do something  
14 different.

15           The telephone lines, he points out that they  
16 do have backup communication systems. They definitely  
17 don't depend solely on telephone lines. We for some  
18 time had the impression that the staff was, except for  
19 California, tending to ignore the potential impact of  
20 earthquakes on emergency planning; so I guess we were  
21 calling for some consideration of it.

22           One possible approach we might use on this --  
23 and I believe it is obvious the reasons we are having  
24 problems with reaching a conclusion -- number one, we  
25 don't even really know what questions we are asking. We

1 have to clarify the questions. But even if we clarified  
2 the questions, I'm not sure we would have the answers we  
3 need because more data or more thought, more research  
4 needs to be done on the question.

5           Well, if that is true -- and I believe from my  
6 point of view that it is true -- there may be an  
7 approach that this subcommittee could recommend. The  
8 full committee at the present time is considering  
9 developing a proposal to the Commissioners for an  
10 extensive, in-depth study of the risk of earthquakes on  
11 nuclear power plants, meaning if the preliminary of the  
12 PRAs, the probabilistic risk assessments, of Zion and  
13 Indian Point show that earthquakes are the dominant  
14 factor, if that be true, then the whole subject of  
15 earthquakes and nuclear power plants needs a thorough  
16 evaluation, because if you set up your priorities,  
17 therefore you give that top billing.

18           That being the case, the committee is  
19 considering the development of a proposal for an  
20 in-depth study of the risk of earthquakes on nuclear  
21 power plants. And if indeed we follow through with that  
22 -- I am fairly certain the committee will -- then we  
23 could simply request that this be made a part of that  
24 more extensive study. And if that is the case, then our  
25 job is to formulate what are the questions we want to

1 have answered.

2 Am I making sense?

3 Brian, with me having said that, do you  
4 believe that there are questions that need answering, or  
5 do you believe it is more of a policy decision and you  
6 have concluded what should be done, and research really  
7 isn't needed to clarify it? That we need to hear.

8 MR. GRIMES: Based on current knowledge I  
9 think we have made the appropriate policy decision.

10 MR. MOELLER: And that policy decision in a  
11 nutshell is to consider it in areas where earthquakes  
12 are more probable.

13 MR. GRIMES: Yes, explicitly. And to say that  
14 measures taken for other purposes give us some assurance  
15 in the rest of the country that --

16 MR. MOELLER: We could cope.

17 MR. GRIMES: We could cope.

18 MR. AXTMANN: If it's 60 percent at Zion --

19 MR. MOELLER: The numbers were 80 percent.

20 MR. AXTMANN: It would be 99.92 at Diablo  
21 Canyon.

22 MR. GRIMES: Not necessarily.

23 MR. MOELLER: Diablo Canyon was double-checked  
24 and triple-checked in the design.

25 Herb, you are --



1           MR. PARKER: Dave, as an innocent listener I  
2 don't hear you and Dr. Grimes saying the same thing.  
3 It's probably my fault. You are talking about cases  
4 which include the disruption of the plant, and I thought  
5 that provisionally Dr. Grimes was restricting himself to  
6 those cases in which the plant properly survives because  
7 it was designed for the worst earthquake, and the  
8 surrounding community was disrupted. And I see some  
9 chances for there to be some positive benefits. With  
10 that pointed out, there may be a positive benefit in  
11 restoring order to a disrupted community instead of  
12 always having people knocking on their door saying you  
13 are going to blow up with an earthquake tomorrow.

14           So I would think this separation has  
15 considerable merit, not denying that overall the  
16 Commission might want to make a comprehensive study of  
17 earthquakes in the total picture. But I thought you,  
18 Dr. Grimes, were restricting yourself to this one case  
19 where the plant is operable except you can't get to it  
20 because your bridge is down, your telephone is down and  
21 the like.

22           MR. GRIMES: As far as explicit planning, but  
23 with the understanding that even for the case where the  
24 earthquake caused a release, that measures such as  
25 backup communication systems radios put in for other

1 reasons of realibility in the normal case would serve to  
2 give some capability even in that extreme case.

3 MR. PARKER: So you do want to include the  
4 released cases.

5 MR. GRIMES: Yes.

6 MR. PARKER: Which takes out the pleasure of  
7 having this a positive value to the utility.

8 MR. GRIMES: In terms of a qualitative  
9 argument only without any specific additional planning.  
10 It is kind of a side comment that for these extreme  
11 cases there is not zero capability; there are some  
12 things available.

13 I would say one question of interest to me  
14 would be what beyond measures currently in place -- for  
15 example, backup communications -- could be done readily  
16 to reduce risk in the severe earthquake case. It's  
17 really because we've not been able to think of those  
18 measures that we have not pursued the matter any  
19 further.

20 If there was a very simple thing that could be  
21 done that would give a high degree of assurance that  
22 many lives could be saved in such a situation, I think  
23 we would think about doing that. If there could be  
24 quantified a particular measure which would result in  
25 that risk being 20 percent instead of 60 percent total

1 risk, I am sure it might be worth looking at; but we  
2 have not identified those things at this point.

3 MR. MOELLER: Questions that immediately come  
4 to mind -- and I guess basically we have to answer the  
5 following question: Is the probability of an earthquake  
6 severe enough to disrupt the whole neighborhood as well  
7 as cause an accident in the plant, is that so remote it  
8 need not be considered?

9 If the answer is yes, we take one path. Now,  
10 if there is a possibility that such an earthquake could  
11 -- if the possibility is high enough, and I don't know  
12 what that possibility would be numerically; but if it's  
13 high enough that it needs to be considered, then  
14 immediately have an alert system -- you know, these  
15 horns that sound.

16 Is that seismically qualified?

17 MR. GRIMES: No, they are not.

18 MR. MOELLER: They are not. Then you have  
19 meteorological towers, and for some plants they were  
20 considering the ARAC system or the small computers that  
21 give you real time data. Well, you don't have any  
22 meteorological data if the meteorological towers went  
23 down with the earthquake, and they are not seismically  
24 designed. In communications you face that. You have  
25 answers.

1           Transportation, at least for the key people  
2 through the helicopters, you have answered that. But  
3 even distribution, we are talking initially distribution  
4 of KI. If they work out the system where they only  
5 distribute it after the accident occurs or have people  
6 come get it, there's going to be no distribution. So  
7 your question, I think, was very good that you just  
8 asked: what beyond the current measures might be done  
9 to decrease the risks, particularly simple things or  
10 minor alterations that could really be done. And I  
11 don't think we can sit around the table this morning and  
12 answer it. I think it takes more than just us doing it  
13 for the next ten minutes.

14           So I guess I am coming back to the following  
15 points. I still don't have all of the key questions  
16 written down, although Brian certainly has given us a  
17 start.

18           But, secondly, if we could get them written  
19 down or help other: write them down, then the logical  
20 approach would be to ask that the full committee  
21 consider incorporating these needs in the master  
22 research plan on the evaluation of seismic risks.

23           Does that make sense to you? It doesn't,  
24 Herb, or it does?

25           MR. PARKER: No. I think there is an

1 opportunity to separate the case in which the utility  
2 becomes a good citizen and write that separately.

3 MR. MOELLER: I hear you. That's wonderful.

4 MR. PARKER: If the plant leaks in the  
5 earthquake, you've done everything wrong in your NRC  
6 rules because you designed it. You said that that  
7 wouldn't happen.

8 MR. MOELLER: You design it for an earthquake  
9 of a certain --

10 MR. KATHREN: Magnitude.

11 MR. PARKER: And you take the national experts  
12 to give you the highest magnitude reasonably developed  
13 at that site.

14 MR. MOELLER: Well, but as Dr. Okrent would  
15 point out, the history of data for the U.S. is what, 200  
16 years, if that long? And when he asked the seismic  
17 experts or the NRC staff what do you predict as the  
18 return frequency of an earthquake a little higher than  
19 what you have designed for, they don't come up with one  
20 in one million years, you know. It is one in a thousand  
21 years or something like that.

22 MR. PARKER: Then you support the popular view  
23 that there should be no nuclear reactors in California  
24 if you are consistent in your policy.

25 MR. MOELLER: Yes, you could very well do that.

1 MR. PARKER: That is what I would do.

2 MR. MOELLER: Or design them to resist. And,  
3 of course, the other people come in and point out that  
4 the plant, although designed to withstand an earthquake  
5 of a certain magnitude, in actuality has a good degree  
6 of conservatism within that.

7 MR. MULLER: I recall in the San Fernando  
8 quake of '72 they had trouble with the Pacoima Dam, and  
9 I don't know what the emergency cooling ponds, the dams,  
10 how earthquake-resistant they are.

11 MR. MOELLER: They are seismic.

12 Your idea, Herb, we could certainly explore.  
13 And I am trying to think -- I agree completely. In  
14 other words, what could the utilities include in their  
15 planning to make them most useful to the neighboring  
16 community. And sure, we could just do it that way. We  
17 could ask that question: assuming the plant survives  
18 and doesn't really need a whole lot of effort, what  
19 might they do to help the community.

20 Well, Brian, Herb has given us a question, and  
21 you have given us one. Let me, though, as you again so  
22 that I go away from here knowing what you have said.  
23 You stated that you felt the current policy was adequate  
24 for the present, the proposed policy.

25 MR. GRIMES: Yes. And any comments the

1 committee would have on that as embodied in the June  
2 22nd memorandum would be useful.

3 MR. MOELLER: Does anyone have additional  
4 comments or questions to ask of Brian on the policy  
5 statement, of course. Even this memo of June 22nd is  
6 confusing because it points out that the ASLB  
7 misinterpreted what the Commission meant with respect to  
8 the San Onofre case.

9 MR. GRIMES: Well, we are not certain of that  
10 because we don't know exactly what the Commission  
11 meant. In other words, the Commission's words could be  
12 read the way the San Onofre board read them, to  
13 eliminate all considerations of earthquakes. It could  
14 also have been read as the staff has proposed and the  
15 Commission just has not spoken one way or the other on  
16 it. In the case of San Onofre that would not have any  
17 impact on the hearing because it was not an issue raised  
18 by an intervenor.

19 MR. MOELLER: You also state in here that  
20 because of the relatively high risk current practice  
21 calls for California licensees and applicants to  
22 consider the effects of earthquakes in their emergency  
23 planning.

24 Now, the only thing that I see coming through  
25 in terms of licensees' response to that is they give you

1 the impact on evacuation. They give you a change in the  
2 time required for the people to move.

3 Is that totally their response? Does that  
4 answer your question that they consider the effects of  
5 earthquakes?

6 MR. GRIMES: That is an important piece of the  
7 answer. They will, based on information they get back  
8 from local officials on the severity of the earthquake  
9 on site, include that as a consideration in their  
10 recommendations and their knowledge of what is practical.

11 The other things which I have mentioned they  
12 have cited are their capabilities to bring people to the  
13 site by helicopter, for example, which would avoid the  
14 damage.

15 MR. MOELLER: So that is a part of their  
16 response.

17 MR. GRIMES: Yes, it is.

18 MR. MOELLER: And the communications.

19 MR. GRIMES: And communications is a part of  
20 the response.

21 MR. MOELLER: All right. Okay.

22 Now, for each nuclear power plant in the  
23 United States do we know the biggest blizzard, tornado,  
24 hurrican, tsunami and flood that might occur at that  
25 site that's estimated potentially to occur during the



1 operational life of the plant? And have their emergency  
2 plans taken each of those items into consideration?

3 MR. GRIMES: To date that has not been done  
4 consistently across the board. It has been done in  
5 particular situations where roads are subject to  
6 flooding, for example. I believe it was done in perhaps  
7 the Rancho Seco case in a roads flooded situation. A  
8 northern site subject to blizzards, for example, does  
9 not really need to revise their evacuation time  
10 estimates for a blizzard situation. If they have a  
11 blizzard, people will sit there until the blizzard is  
12 over essentially. And some estimate could be made, but  
13 certainly the length of the blizzard could potentially  
14 be long compared to the time to move people out. So  
15 really you have to make a judgment at the time on what  
16 the situation is.

17 Other than that kind of severe weather, things  
18 which occur might typically occur in the plant lifetime,  
19 which is more the order of things we would explicitly  
20 consider in emergency preparedness, don't really turn  
21 out to be very important in emergency preparedness. The  
22 river may be at a 20 or 40-year high, but perhaps it  
23 will affect a bridge, but it doesn't really affect the  
24 total situation.

25 MR. MOELLER: Okay. Any other questions from

1 any of the consultants or committee members,  
2 subcommittee members?

3 (No response.)

4 MR. MOELLER: On this particular topic I  
5 gather we are not under obligation to write a letter or  
6 anything.

7 MS. TANG: You will want to address this at  
8 next month's full committee meeting to wrap it up.

9 MR. MOELLER: Yes. I think the best approach  
10 still will be to try to have whatever needs to be done  
11 incorporated into the overall seismic risk research  
12 effort that the committee recommends.

13 Well, thank you very much, Brian for coming  
14 down today; and we appreciate your spending time with us  
15 on this, because it is obviously a difficult question to  
16 resolve.

17 One little item here I note in my own notes,  
18 the last time you talked to us I believe you thought  
19 that the parameter display system was going to be  
20 seismically qualified, and I gather now it is not. Do  
21 you know?

22 MR. GRIMES: That is a little bit up in the  
23 air right now because the Commission is still  
24 considering that. Our position had been changed  
25 slightly in the interim to say that the SPDS need not

1 itself be seismic, but controller room instruments which  
2 were seismic should be grouped in a way that would be  
3 convenient to interpret should that principal system  
4 fail. Whether or not that grouping requirement still  
5 remains when the Commission finishes its consideration,  
6 there would still be a capability in the control room to  
7 derive information from seismically qualified  
8 instruments.

9 MR. MOELLER: All right. Thank you for that  
10 added comment.

11 I believe with that we will wrap up our  
12 meeting, and we will take a brief break and go into  
13 executive session to try to reach consensus on each of  
14 the items we have discussed over the last two days. The  
15 executive session will be open so that any members of  
16 the public who desire to attend may do so.

17 Let me thank our Reporter for being here on a  
18 Saturday morning to help us out.

19 With those comments I declare the meeting  
20 adjourned.

21 (Whereupon, at 10:50 a.m., the meeting was  
22 adjourned.)

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

\_\_\_\_\_

in the matter of: ACRS/Subcommittees on Reactor Radiological Effects  
and Site Evaluation

Date of Proceeding: November 13, 1982

Docket Number: \_\_\_\_\_

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript  
thereof for the file of the Commission.

Sharon Filipour

Official Reporter (Typed)

*Sharon Filipour*

Official Reporter (Signature)

OCCUPATIONAL RADIATION PROTECTION PROGRAMS RULE

PROPOSED AMENDMENT TO 10 CFR PART 50

BACKGROUND

- ALARA TASK FORCE (11/74)
- TASK FORCE REPORT, SECY 77-54 (2/77)
- "ALARA RULE" PROPOSED TO COMMISSION, SECY 78-415 (7/78)
- INFORM COMMISSION ON METHODS OF RULE IMPLEMENTATION,  
SECY 80-186 (4/80)
- COMMISSION REQUEST FOR RULE (2/81)

NEED FOR RULE

- 10 CFR 20.1(c) HORTATORY
- HEALTH PHYSICS APPRAISALS - RADIATION PROTECTION DEFICIENCIES
- COLLECTIVE DOSE INCREASING (NUREG-0713)
- NUCLEAR NAVY EXPERIENCE
- INPO-NRC AGREEMENT
- RULE AS STIMULUS TO UTILITY-INPO PERFORMANCE

PROPOSED RULE

EACH HOLDER OF A NUCLEAR POWER REACTOR OPERATING LICENSE SHALL DEVELOP, MAINTAIN A CURRENT WRITTEN DESCRIPTION OF, AND IMPLEMENT AN OCCUPATIONAL RADIATION PROTECTION PROGRAM, INCLUDING EFFECTIVE MEASURES FOR MAINTAINING RADIATION EXPOSURES OF WORKERS AS LOW AS IS REASONABLY ACHIEVEABLE.



VALUE/IMPACT

- DOSE AVERSION, INDIVIDUAL AND COLLECTIVE
- IMPROVED OPERATIONAL EFFICIENCY
- COST TO IMPLEMENT
- CONTINUING EFFORT COST