

ORIGINAL

**OFFICIAL TRANSCRIPT
PROCEEDINGS BEFORE**

NUCLEAR REGULATORY COMMISSION

COMMISSION MEETING

PUBLIC MEETING

DKT/CASE NO.

TITLE BRIEFING ON HYDROGEN CONTROL PROGRAM

PLACE WASHINGTON, D. C.

DATE NOVEMBER 19, 1982

PAGES 1 - 85

8212010078 821119
PDR 10CFR
PT9 7 PDR

AR
ALDERSON REPORTING

(202) 628-9300
440 FIRST STREET, N.W.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

BRIEFING ON HYDROGEN CONTROL PROGRAM

PUBLIC MEETING

Nuclear Regulatory Commission
Room 1130
1717 H Street, N. W.
Washington, D. C.

Friday, November 19, 1982

The Commission convened, pursuant to notice, at
2:05 p.m.

COMMISSIONERS PRESENT:

- NUNZIO PALLADINO, Chairman of the Commission
- VICTOR GILINSKY, Commissioner
- JOHN AHEARNE, Commissioner
- JAMES ACSELSTINE, Commissioner

STAFF AND PRESENTERS SEATED AT COMMISSION TABLE:

- W. DIRCKS
- S. CHILK
- M. MALSCH
- E. CASE
- R. MATTSON
- W. BUTLER

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

AUDIENCE SPEAKERS:

C. TINKLER
J. LARKIN
P. STAHL

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on November 19, 1968 in the Commission's offices at 1717 H Street, N. W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

P R O C E E D I N G S

1
2 CHAIRMAN PALLADINO: Good afternoon, ladies
3 and gentlemen.

4 We are meeting this morning for the
5 Commissioners to be briefed on the status of hydrogen
6 control programs currently being undertaken by the NRC.
7 I understand that the staff doesn't have any final
8 product for Commission review at this time, but general
9 discussion of the status of the programs would be
10 useful.

11 I also understand that we will hear some
12 information on programs being conducted by EPRI and by
13 other countries.

14 Do any of my fellow Commissioners have other
15 comments?

16 I will turn the meeting over to Mr. Dircks.

17 MR. DIRCKS: As you mentioned, Mr. Chairman,
18 this is a status report. We think that it is important
19 to bring you up to date, especially in reference to the
20 hydrogen matters and several of the important policy
21 issues facing the Commission, including the 82-1A paper
22 that we have discussed. This deals with not only what
23 NRR is doing in the area of hydrogen control updates,
24 but with what the Research Program is doing, and ties
25 back into the severe accident program.

1 (Commissioner Gilinsky joined the meeting.)

2 The staff is here today. Mr. Walt Butler will
3 present the paper, but Roger Mattson is here to jump in
4 at any point where it is necessary. Ed Case is also
5 ready to deal with any questions.

6 Roger, I guess you do want to say a few things
7 to start us off.

8 MR. MATTSON: This briefing is going to cover
9 a lot of territory. We have a very thick package of
10 slides in front of you. The way we have structured it
11 is for Dr. Butler to take you through the slides in a
12 rather summary fashion, giving you the opportunity to
13 intercede at any point and to say that you want to
14 understand a few more details. If we went into the
15 details on all of it, we would be here a couple of
16 days. Hydrogen is a technically complex subject in
17 itself but, as Bill has said, it touches on a number of
18 the areas that we are dealing with.

19 Let me introduce a few of the people who are
20 in the room, so that you know the names associated with
21 some of the work. In the Containment Systems Branch that
22 Walt is the Chief of, the person primarily responsible
23 for the hydrogen work is Charles Tinkler, sitting over
24 there.

25 Mort Fleishman is here, whom you have met in

1 the development of the Interim Hydrogen Rules. John
 2 Larkin is here from Research also, who has the
 3 responsibility for overall guidance of the Hydrogen
 4 Research Program. Carl Neal and Nelson Soo are in the
 5 audience. They have the responsibility for the hydrogen
 6 unresolved safety issue in the Division of Safety
 7 Technology at NRR.

8 Let me start, before Walt takes it over. If I
 9 could have the first slide. By way of introduction, let
 10 me give a little history. Some of you have been here
 11 longer than others, and it might help to know to how we
 12 got to this point.

13 The NRC requirements on hydrogen have changed
 14 since Three Mile Island, and the evolution of these
 15 requirements is still going on. They started with the
 16 TMI Action Plan and recommendations that were contained
 17 there flowing from places like the short-term/long-term
 18 lessons learned. The Kamany and Rogovin people all
 19 spoke to the question of hydrogen that occurred in the
 20 accident.

21 At about that time, there was an important
 22 Commission paper, actually there were several editions
 23 of it, SECY-80-107 -- it is useful for the record to
 24 keep referencing that. In that paper, the staff was
 25 emphasizing in 1980 the connection of hydrogen control

1 capability to containment volume and strength.

2 You will remember, there was a lot of back and
3 forth between the Commission and the staff, with the
4 ACRS involved, over exactly what should be our
5 requirements for small, low strength containments.
6 Subsequent to those discussion, there were Commission
7 decisions to require hydrogen control systems in ice
8 condensers and Mark III BWRs. Those requirements to
9 have hydrogen control systems led then to certain
10 license conditions being placed on the Sequoyah, McGuire
11 and, a license you haven't seen yet, the Grand Gulf
12 license.

13 Subsequent to those decisions, there were some
14 hydrogen control rulemakings, the so-called Interim
15 Rules, the first of which is in effective form, and the
16 second only being issued in proposed form, and we will
17 turn to those two things as we go along through the
18 briefing to give you a status on them.

19 You also asked at about that same time -- The
20 Commission asked the staff to develop a plan for an
21 unresolved safety issue on hydrogen, the reason being to
22 try to tie together all the diverse places that this
23 issue shows up and give some semblance of management.
24 We will talk to today about our progress in doing that.

25 COMMISSIONER AHEARNE: Semblance only?

1 MR. MATTSON: There is also a large research
 2 program that connects to research going on in industry
 3 and in other countries, that is aimed primarily at
 4 reducing the technical uncertainties that remain in the
 5 area of hydrogen, burning hydrogen control.

6 One other thing I want to say by way of
 7 introduction, and then you can see I have just followed
 8 the outline that is on this slide, you will hear us
 9 refer to two kinds of accidents this afternoon, and it
 10 is important that you understand the distinction that we
 11 are trying to make. The words we use are important
 12 words. On the one hand, we will talk about degraded
 13 core accidents, and on the other hand, we will talk
 14 about severe accidents.

15 Degraded core accidents are those that can be
 16 terminated short of core melt and return to some form of
 17 coolability in the vessel. TMI is a degraded core
 18 accident. Severe accidents, as you come to understand
 19 them in SECY-82-1, are those that lead to core
 20 meltdown. So severe accidents is a broader class of
 21 accidents than degraded core accidents. Severe
 22 accidents include degraded core accidents.

23 Sometimes we lose track of them, and we will
 24 foul up in our own presentation.

25 COMMISSIONER AHEARNE: What was your last

1 inclusion? What did that last statement include?

2 MR. MATTSON: Severe accidents include
3 degraded core accidents the set of severe accidents.

4 COMMISSIONER AHEARNE: I guess I missed that.
5 Severe accidents include those that go to core melt.

6 MR. MATTSON: Degraded core do not.

7 COMMISSIONER AHEARNE: They include those
8 because they cover the complete spectrum.

9 MR. MATTSON: I am sorry, I was talking
10 instead of listening. Try it again.

11 COMMISSIONER AHEARNE: Severe accidents, then,
12 are not restricted to those that have complete
13 core melt?

14 MR. MATTSON: No, they are not. You can
15 terminate a severe accident short of core melt. But when
16 you talk about a program to address severe accidents,
17 you are talking about a program that includes the
18 phenomenology associated with accidents all the way to
19 core meltdown, and containment failure, and so forth.

20 CHAIRMAN PALLADINO: It can include varying
21 degrees of core melt?

22 MR. MATTSON: Yes.

23 COMMISSIONER AHEARNE: So rather than two
24 separate, different kinds, one is a subset of the
25 other.

1 MR. MATTSON: That is right.

2 Okay, that is the introduction. Now, Walt.

3 MR. BUTLER: Thank you.

4 COMMISSIONER GILINSKY: Let me ask you
5 something. Are you going to talk about environmental
6 qualifications?

7 MR. MATTSON: Yes, that will come.

8 MR. BUTLER: I would like to start by showing
9 five viewgraphs, starting with page 2, which summarizes
10 our casework experience -- our recent casework
11 experience. For reference purposes, we listed three
12 elements of the first Interim Rule. We will come back
13 to these elements in greater detail later on in the
14 discussion.

15 Our licensing basis for hydrogen control for
16 the Mark I and Mark II plants are detailed in the
17 Interim Rule. During the past year, we have issued full
18 power licenses for the LaSalle and Susquehannah BWR
19 plants, which are Mark II containment plants.

20 The only Mark I containment plant to be
21 considered since the TMI accident is the FERMI-II plant,
22 and the staff's review of that is nearing completion,
23 and we will come to the recommendations for that.

24 COMMISSIONER GILINSKY: That is a Mark I?

25 MR. BUTLER: I am sorry.

1 That is a Mark I. FERMI-II has a Mark I
2 containment.

3 CHAIRMAN PALLADINO: When you speak of
4 inerting, you are speaking of inerting in the drywell on
5 these?

6 MR. BUTLER: The drywell and the wetwell.

7 CHAIRMAN PALLADINO: And the wetwell. How
8 about the containment building outside --

9 MR. BUTLER: The secondary building isn't
10 inerted.

11 For completeness, I would like to just
12 mention, with respect to the operating reactors, all the
13 operating reactors were previously inerting, that is
14 previous to the first Interim Rule, with the exception
15 of Hatch-II and Vermont Yankee. Subsequent to the
16 Interim Rule, those two plants are now operating with
17 inerted containments.

18 On page 3, for ice condenser PWRs, our
19 licensing bases in regard to hydrogen control were those
20 that evolved from Commission action on the Sequoyah Unit
21 I application. Full power licenses have since been
22 issued for McGuire-I, Sequoyah-II on an interim basis.
23 Others in the pipeline include the Catawba and Watts-Bar
24 plants.

25 We are nearing completion of our final

1 evaluation for Sequoyah Unit 1.

2 COMMISSIONER AHEARNE: That is of the -- There
3 you have the TVA's proposed different type of ignitors,
4 is that what you mean?

5 MR. BUTLER: Yes.

6 COMMISSIONER AHEARNE: Can you say a few words
7 as to why they went to a different type of ignitor?

8 MR. BUTLER: Yes. They elected to replace the
9 glow-plug with the TECO ignitors primarily to simplify
10 the system design, to remove the transformer which has
11 to transform 110 volts to about 14 volts to drive the
12 glow-plug. This design sort of snowballed -- I
13 shouldn't say snowballed, but step-by-step developed.
14 Sequoyah-I was the first unit that came up with the
15 design, and the next unit, McGuire-I, came up with a
16 slightly better design, and D.C. Cook after that.

17 Sequoyah-I being the first one felt that they
18 wanted to improve their design beyond what they first
19 came in with, and they elected to go with the TECO
20 ignitors. The other ice condenser owners feel that the
21 glow-plug ignitors are quite satisfactory and they are
22 staying with those ignitors for their final system.

23 COMMISSIONER AHEARNE: So the basic difference
24 between the TECO and the glow-plug is the stepped down
25 transformer?

1 MR. BUTLER: There are other differences with
2 respect to the design. The glow-plug ignitor is just a
3 single heated element like a pencil. The TECO is a coil
4 kind of ignitor, where there is more surface area.

5 MR. MATTSON: This led to quite a lot of
6 retesting and --

7 COMMISSIONER AHEARNE: That was my next
8 question. Have they done the same level of tests on
9 them, so they understand the performance in steam, and
10 the percentage hydrogen ignition. There were a lot of
11 tests that had been done on the glow-plug.

12 MR. BUTLER: Yes. They have performed an
13 extensive test program for the TECO system. However, as
14 you will find out in our evaluation for Sequoyah, we do
15 have some continuing question with respect to the TECO
16 ignitor, and we will pursue that further with TVA.
17 There are some confirmatory items that need further
18 attention.

19 COMMISSIONER AHEARNE: That is what you expect
20 sometime next month?

21 MR. BUTLER: Yes.

22 MR. MATTSON: We are really kind of getting up
23 against a tight turnaround here. We have the
24 information, as I understand it now, from TVA. It
25 appears that we will have a few loose ends even when we

1 finish this, although we will be able to conclude to our
2 satisfaction that the system is acceptable for the
3 long-term, pending some small confirmatory items.

4 We are due to go to the ACRS subcommittee on
5 the 6th of December, the full ACRS on the 9th and 10th
6 of December, or the 10th, one or the other, it isn't
7 firm yet, and the plant is presently scheduled to
8 restart by Christmas Eve.

9 COMMISSIONER AHEARNE: And the license
10 condition requires --

11 MR. MATTSON: -- that we approve the
12 satisfactory nature of the TECO design before restart.
13 Our work is nearly complete in order to support the ACRS
14 meetings.

15 COMMISSIONER AHEARNE: So, Walt, the remaining
16 questions that you have, you don't see those as being
17 ones that would block this approval. What would they
18 be, remnant questions that you still would want them to
19 further explore?

20 MR. BUTLER: I think we don't view them as
21 being major questions, but we do believe they need some
22 further attention in the insuing year. We will see
23 these as things that we will have to work further with
24 TVA and with our research people to get a better handle
25 on what we will call "confirmatory items."

1 COMMISSIONER AHEARNE: The other question on
2 this slide. You mention there that "the owners group --
3 "the Ice Condensor Owners Group has concluded that the
4 deliberate ignition system," et cetera. Is that a
5 formal conclusion that you are now reviewing, or is this
6 just a general sense of where they have come out?

7 MR. BUTLER: They have early in their program
8 examined a wide range of other alternatives. On the
9 basis of data in that evaluation they have concluded
10 that the ignitor approach is the best approach for the
11 ice condensor plants, and we are inclined to concur with
12 that decision.

13 COMMISSIONER AHEARNE: But as far as anything
14 that you are formally reviewing for the Sequoyah
15 submission, there is no Ice Condensor Owners Group final
16 report.

17 MR. BUTLER: No. I see what your question
18 is.

19 MR. MATTSON: They come in plant by plant. We
20 proceed from Sequoyah to McGuire because the licensing
21 decisions were staggered, and the same one year --

22 COMMISSIONER AHEARNE: There isn't something
23 out in terms of a report from the owners group?

24 MR. MATTSON: There may be. Some of the test
25 results were jointly sponsored by these people.

1 MR. BUTLER: Yes, they have quarterly reports,
2 but each licensee submits his own quarterly reports.

3 MR. MATTSON: One question that we might get
4 out of the way here. You are going to see in the
5 discussion as it goes along that there has been some
6 narrowing of the uncertainties on hydrogen by these
7 ignitors, and the narrowing of the uncertainty on
8 hydrogen phenomenology.

9 We are pretty comfortable with the design that
10 is before us now for Sequoyah, and we will proceed then
11 to write off on this one and McGuire. We will be down
12 to tell you about Grand Gulf for a full power license
13 early next year, and an interim approval.

14 With another ACRS review early in December,
15 and an ACRS letter that we are going to ask for on this
16 Sequoyah system, the question becomes whether you want
17 to hear a briefing, before Sequoyah is restarted, on its
18 ignitor system. There is some uncertainty among us as
19 to whether you require one. You have never said
20 anywhere we can find that you require one, but we
21 thought we ought to offer, because it is going to be
22 kind of at the last minute if we are going to give you
23 one.

24 Do you have any feel that you have here
25 today?

1 COMMISSIONER GILINSKY: Wasn't that a
2 Commission approval at a second stage?

3 MR. MATTSON: The license requires that NRC to
4 approve the ignitor system before restart following the
5 first refueling outage. We feel that we can give that
6 approval.

7 COMMISSIONER GILINSKY: I thought the way we
8 had worked it was that the initial approval was given by
9 NRR, and the second approval was given by the
10 Commission.

11 MR. CASE: Did it say NRC?

12 MR. STAHL: The words used were the Commission
13 reviews that.

14 COMMISSIONER GILINSKY: No, I think that was
15 the --

16 CHAIRMAN PALLADINO: The words used where?

17 MR. STAHL: In the license condition itself.

18 COMMISSIONER GILINSKY: It was intended, as I
19 recall, that it was actually the Commissioners. The
20 first approval was granted by NRR, as I remember it was
21 set up, and the interim system was to be approved by the
22 Licensing Office, and then at some point, when a system
23 for permanent use was developed, that was to be approved
24 by the Commissioners.

25 MR. MATTSON: I wasn't here at that time, so

1 your information is much better than mine.

2 MR. CASE: The terminology between the two
3 conditions, did they both say the Commission?

4 MR. STAHL: The third condition, I will have
5 to get the license, but does say that the Commission
6 will determine --

7 COMMISSIONER GILINSKY: I think the first one
8 says NRR.

9 MR. STAHL: No, it does not. In both
10 instances, the interim and the final system, will be
11 reviewed and approved really by the Commissioners. In
12 the first instance, the interim was part of our review --

13 MR. CASE: Did it say Commission in that one?

14 MR. STAHL: No.

15 COMMISSIONER GILINSKY: Are you sure? Why
16 don't you check that.

17 MR. STAHL: I will check that.

18 COMMISSIONER GILINSKY: As I remember it was
19 that we had approved the license but within a certain
20 number of months the interim decision --

21 MR. CASE: We obviously have no problem.

22 MR. MATTSON: We have no problem doing it, it
23 is just a question of --

24 COMMISSIONER GILINSKY: I understand.

25 MR. CASE: It is the holiday season and the

1 time to start operation.

2 COMMISSIONER GILINSKY: Obviously, there are
3 two ways to do this.

4 CHAIRMAN PALLADINO: Even if we weren't to
5 approve it, you would be prepared to present or brief us
6 on what the resolution is?

7 MR. MATTSON: Absolutely, yes, at your
8 discretion. We will be prepared any time after the 6th
9 of December. Obviously, we have to go to the
10 subcommittee and the full committee, and perhaps putting
11 it in-between or as soon after that --

12 CHAIRMAN PALLADINO: When do you need an
13 answer, or when do you need to give your answer?

14 MR. MATTSON: TVA says that they are scheduled
15 to start up on either the 24th or the 25th of December.

16 COMMISSIONER GILINSKY: John, do you remember
17 how that was phrased?

18 COMMISSIONER AHEARNE: No, I really don't,
19 Vic.

20 COMMISSIONER GILINSKY: I wonder if the
21 Secretary could look that up, or look up the
22 transcript.

23 CHAIRMAN PALLADINO: But you would be prepared
24 after December 6th?

25 MR. MATTSON: Yes. I think it would be best

1 to let us go before the ACRS and see what their concerns
2 are after having done a detailed review over the last
3 couple of years, and learn from that experience, and see
4 if we can report to you that they agree with us.

5 CHAIRMAN PALLADINO: This is on the hydrogen
6 ignitor?

7 MR. MATTSON: The ignitor system for Sequoyah
8 Unit 1.

9 Walter.

10 MR. BUTLER: On to page 4, for the Mark III
11 BWRs, our licensing bases were developed from the
12 precedent set during the licensing of Sequoyah unit 1.
13 The first of the mark IIIs is the Grand Gulf Unit 1
14 case, which has been issued a five percent license.

15 Staff reviews on the interim system for the
16 Mark IIIs were completed last July. Details of this
17 review will be discussed with the Commission when the
18 full power license is considered, now estimated sometime
19 in early 1983.

20 COMMISSIONER AHEARNE: Walt, are they using a
21 glow-plug also?

22 MR. BUTLER: Yes. The Mark III people are
23 using the glow-plug ignitors.

24 CHAIRMAN PALLADINO: Is this one a glow-plug?

25 COMMISSIONER AHEARNE: Yes.

1 Did anybody ever go to the combine system?

2 MR. BUTLER: The only one that considered it
3 in any serious way was the Allen's Creek NTCP case, but
4 that has since been cancelled.

5 CHAIRMAN PALLADINO: This ignitor system is
6 for the drywell above the suppression pool?

7 MR. BUTLER: Yes, and the containment above
8 the suppression pool. In the Mark III the suppression
9 pool is off to the side.

10 CHAIRMAN PALLADINO: But now the drywell is a
11 high pressure system, and then there is a lower pressure
12 containment. You are not talking about any ignitors in
13 the low pressure portion?

14 MR. BUTLER: Oh yes. The ignitors and most of
15 the burn will take place in the low pressure portion,
16 which is designed for 15 pounds gauge, similar to the
17 ice condensor containments.

18 CHAIRMAN PALLADINO: But in the others, you
19 didn't do that, or did you?

20 MR. BUTLER: The others being the Mark Is and
21 IIs?

22 CHAIRMAN PALLADINO: Yes.

23 MR. BUTLER: That is correct, we did not
24 require ignitors for the Is and IIs, we required instead
25 the inerting of --

1 CHAIRMAN PALLADINO: And it was inerting only
2 in the drywell?

3 MR. BUTLER: The drywell and the wetwell.
4 However, in that case, you see, the drywell is above the
5 wetwell connected with the downcomers.

6 MR. MATTSON: But not in the containment
7 building, not in the secondary containment.

8 CHAIRMAN PALLADINO: But here you are
9 requiring it in the containment building as well.

10 MR. BUTLER: Yes, but the containment building
11 for Mark IIIs is the primary containment. The reactor
12 building in the Mark Is is a secondary containment good
13 for only inches of water pressure. This is a different
14 concept.

15 CHAIRMAN PALLADINO: I see. Just because they
16 made that outside building stronger, now they have to
17 have ignitors?

18 MR. MATTSON: No. It is wherever the hydrogen
19 gas can reach after the gases go through the suppression
20 pool and the steam is condensed, the gases that
21 accumulate in the space above the water can burn, if the
22 hydrogen is there.

23 CHAIRMAN PALLADINO: Couldn't it do it in the
24 old ones also?

25 MR. MATTSON: Yes, and they are inerted in the

1 old ones.

2 COMMISSIONER GILINSKY: I think Joe looks upon
3 the new building as just the old secondary containment.

4 CHAIRMAN PALLADINO: Yes.

5 COMMISSIONER GILINSKY: It isn't. It
6 communicates with the inside.

7 CHAIRMAN PALLADINO: Only through the
8 suppression pool.

9 COMMISSIONER GILINSKY: Through the
10 suppression pool.

11 MR. MATTSON: Yes.

12 COMMISSIONER GILINSKY: The other one
13 doesn't.

14 CHAIRMAN PALLADINO: The other one
15 communicates with the --

16 MR. BUTLER: But the distinction is that in
17 the old ones, Is and IIs, the suppression pool is
18 inerted, whereas in the Mark IIIs, the suppression pool
19 or the wetwell is not inerted and, therefore, you need
20 these.

21 COMMISSIONER GILINSKY: The space above the
22 water does not communicate with the secondary
23 containment in the Mark I.

24 MR. MATTSON: That is right.

25 MR. BUTLER: That is correct.

1 COMMISSIONER GILINSKY: Whereas it is part of
2 the containment in the Mark III.

3 MR. MATTSON: Yes.

4 MR. CASE: It is the volume that the Chairman
5 is interested in, the difference in volume.

6 COMMISSIONER GILINSKY: It is not simply that
7 they made the building stronger --

8 (General laughter.)

9 CHAIRMAN PALLADINO: I am just looking at
10 sketches of these, and maybe I didn't sense some
11 difference.

12 COMMISSIONER GILINSKY: They have expanded the
13 containment and made it larger. What would have been
14 the taurus or the Mark II containment is now a larger
15 building. They have also put a lot of equipment in
16 there, which is what makes it impossible to inert it.

17 MR. MATTSON: Yes.

18 CHAIRMAN PALLADINO: I know why you wouldn't
19 want to inert that.

20 MR. CASE: We will sketch one.

21 MR. MATTSON: We will sketch one and bring it
22 up in a minute.

23 CHAIRMAN PALLADINO: Let's go on.

24 MR. BUTLER: All right, going on to page 5,
25 then, for the large dry containment. We have not

1 imposed any new requirements to deal with degraded core
2 accidents for large dry containments, pending completion
3 of rulemaking.

4 COMMISSIONER AHEARNE: Which rulemaking?

5 MR. BUTLER: This would be --

6 MR. MATTSON: -- the second interim rule, but
7 there is something that we want to tell you about that a
8 little later. So it is really the severe accident
9 rule. If that is enough answer for now, why don't you
10 wait until we get to the second interim rule.

11 COMMISSIONER AHEARNE: The severe accident
12 rule glimmering somewhere.

13 MR. MATTSON: I think we can show you why it
14 is worth waiting a few months, and we would like not to
15 wait on the second interim rule that long. But to do
16 the large dries, there is some methods development that
17 is occurring in Fiscal-83 that would really help cut
18 down on the amount of analysis that has to be done by
19 the various owners.

20 COMMISSIONER AHEARNE: I am sure, but do you
21 mean that the severe accident rule is only a few months
22 beyond some fixed date?

23 MR. MATTSON: The methods and the calculations
24 that go into forming the technical basis for the severe
25 accident decision will be completed within the next 12

1 months, yes, sir, that is NUREG-0900 -- Fourteen months,
2 at the end of Fiscal-83.

3 COMMISSIONER AHEARNE: That I wouldn't
4 challenge, but it is the rulemaking.

5 MR. MATTSON: No. The methods and
6 calculations will be done by done by the end of
7 December.

8 COMMISSIONER AHEARNE: It is the rulemaking
9 that I was questioning.

10 MR. MATTSON: Yes. But the reason for putting
11 it in that decision is a methods reason.

12 COMMISSIONER AHEARNE: Yes.

13 MR. MATTSON: We will get to it later.

14 MR. BUTLER: Examples of full power licenses
15 to large dry containment plants include those issued for
16 North Anna-II, Salem-II, and San Onofre-II.

17 MR. MATTSON: There is an interesting aside
18 that can be made on this slide, if you will bear with me
19 a minute. You will notice that the second bullet says,
20 "Some applicants have performed calculations to
21 demonstrate acceptable consequences without additional
22 measures, those are both large dry containments." The
23 first bullet says that we haven't required anything of
24 large dry containments. Then, the question is, how come
25 these people did the calculations.

1 The ACRS asked some questions beyond the
2 design basis, and hearing boards are anticipated to
3 allow contentions beyond the design basis. For those
4 reasons, some mix of those reasons, these applicants
5 chose to do analyses, make calculations of equipment
6 survivability, and containment survivability beyond the
7 design basis.

8 MR. CASE: Essentially those things that would
9 be required by the second interim rule if and when it
10 became final.

11 MR. MATTSON: Yes.

12 COMMISSIONER ASSELSTINE: I have a couple of
13 questions on those, Roger. Where you say, acceptable
14 consequences, what kinds of consequences do they
15 describe in those calculations?

16 MR. MATTSON: Survivability of the safety
17 equipment and ability to function, and survivability of
18 the containment. The same kind of thing that we require
19 of the ice condensers and the Mark III.

20 COMMISSIONER ASSELSTINE: What sort of
21 assumptions do they make on the percentage of metal
22 water reaction?

23 MR. MATTSON: The interim basis is 75 percent
24 metal water reaction, and both interim rules state 75
25 percent.

1 COMMISSIONER ASSELSTINE: Have you looked at
2 those calculations and decided whether or not you agree
3 with at least those two that were done?

4 MR. MATTSON: Walt?

5 MR. BUTLER: We have not undertaken a special
6 review of these two particular ones. However, we have
7 seen the analyses done for the NTCP case for a large
8 dry, the Pilgrim Plant, and we agreed with those
9 preliminary findings. They are quite comparable.

10 MR. MATTSON: That was 100 percent metal water
11 reaction for the near-term CPs, the difference in the
12 two rules.

13 COMMISSIONER ASSELSTINE: Also how did they
14 treat, perhaps, the weak points in the containment like
15 penetrations through containment?

16 MR. CASE: Just like an overall calculation
17 and say, well, it is a half for the interim rule, and
18 not look at the penetrations, or did they look at them
19 in detail?

20 MR. BUTLER: We have had our Structural
21 Engineering Branch reviewers take a look at the design
22 for penetrations. Basically, these penetrations were
23 designed for a 60-pound containment. They were not
24 modified when they were selected for installation in the
25 15-pound containment. So they are basically strong

1 penetrations.

2 MR. MATTSON: We are talking about now?

3 MR. BUTLER: These are the penetrations in
4 Sequoyah.

5 MR. MATTSON: Sequoyah.

6 MR. BUTLER: Yes.

7 I am sorry, it is a different issue on the
8 penetrations for the large dries.

9 MR. MATTSON: There continues to be some
10 attention to that question in on-going core melt
11 phenomenology work. We are doing some in the Reactor
12 Systems Branch. There is some going on in Research.
13 There is some going on in the Structural Engineering
14 Branch. What kinds of penetrations can be counted on to
15 be as resilient to overpressure of the containment; what
16 kinds can't? Is temperature important? Those kinds of
17 questions are still very active.

18 COMMISSIONER ASSELSTINE: I guess I was just
19 trying to get a sense of how much weight we should give
20 to the fact that at least in those two instances, at
21 least some analysis has been done that would lead one to
22 the conclusion that the consequences would be
23 acceptable, without any additional measures.

24 MR. CASE: I guess there is a little doubt on
25 the containment.

1 MR. MATTSON: For the large dries, there is
2 very little doubt. And because of the over-design for
3 the Sequoyah, I think there is fair confidence. The
4 question of penetrations for the severe accidents, the
5 ones beyond these hydrogen burn questions, are still a
6 real question.

7 MR. BUTLER: The final slide for casework is
8 on page 6, where for the NTCP and ML applications, we
9 base the staff review on the applicable rule issued
10 January 15, 1982.

11 We completed our reviews of the seven then
12 pending CP/ML applications. At this time, all but two
13 of these applications have been cancelled by the
14 applicants. They are the FNP plant, the ML application,
15 and the Staget Mark III plant.

16 Going on to the first interim rule now, on
17 page 7 --

18 COMMISSIONER GILINSKY: Let me ask you this.
19 Does D. C. Cook have ignitors?

20 MR. BUTLER: Yes. Units 1 and 2 have
21 ignitors.

22 MR. MATTSON: They are more like the McGuire
23 ignitors?

24 MR. BUTLER: Yes.

25 As you know the first interim rule is now an

1 effective rule, and we are generally satisfied with the
2 progress of its implementation in all respects, with one
3 exception, that of requiring the recombiner capability
4 as it affects Mark I BWR plants. Details of this are
5 shown on the next slide, where I discuss the recombiner
6 capability for the BWR Mark I plants.

7 MR. MATTSON: We are going to kind of move
8 from the interim rule to this specific thing. If you
9 have any questions on the other aspects of the first
10 interim rule, now is the time to ask them.

11 MR. BUTLER: This requirement for a recombiner
12 capability was intended to apply to all LWR plants. If
13 a plant did not have installed recombiners, they needed
14 to provide the capability for this installation, so that
15 they would not have to purge as the primary means for
16 hydrogen control.

17 The Mark I owners have completed an extensive
18 re-examination of the issue and have made a pretty
19 strong case for not needing the recombiner capability.
20 They have supplied a substantial amount of additional
21 information in the area to show that radiolysis rates,
22 in fact, are substantially lower than we had expected at
23 the time the rule was promulgated.

24 They provided cost information that indicated
25 the installation of this recombiner capability is a lot

1 more expensive than was considered at that time. When
2 you consider these two pieces of additional information,
3 it tends to alter the cost/benefit balance.

4 COMMISSIONER GILINSKY: What is our policy on
5 purge? Do we let people purge?

6 MR. MATTSON: We said in very short words, so
7 let me see if I can elaborate a little. 50.44, the
8 regulation concerning hydrogen control, when it was
9 issued in the '70s had two classes of plants -- new
10 plants and old plants. There were a number of plants
11 that were grandfathered.

12 The grandfathered plants were not required to
13 have recombiners. They were allowed to depend upon
14 repressurization and purging of the containment after an
15 accident, long-term after an accident, if combustible
16 mixtures of hydrogen were accumulating -- combustible
17 mixtures of hydrogen and oxygen.

18 After TMI, the staff thought about it and
19 discussed it with the Commission, and it was decided in
20 the first interim rule to require that for that class of
21 plants that had no recombiners, but depended upon
22 repressurization and purge, that we would require them
23 to install the capability, that means pipes and valves
24 to points outside of containment, where if a need came
25 to purge in order to control the hydrogen from

1 radiolysis.

2 This doesn't have anything to do with metal
3 water reaction. That is prompt generation of hydrogen,
4 and recombiners don't do anything for that. But for the
5 long term generation of hydrogen and oxygen, you would
6 be able to call somewhere and have a recombiner flown
7 in, hooked up to this capability that had been built
8 into the containment penetrations, and use the
9 recombiner in the way that it was used at Three Mile
10 Island.

11 CHAIRMAN PALLADINO: For what kind of a plant
12 was that, PWR?

13 MR. MATTSON: For both Ps and Bs.

14 CHAIRMAN PALLADINO: I thought you inerted the
15 BWRs.

16 MR. MATTSON: Yes.

17 CHAIRMAN PALLADINO: I see.

18 MR. MATTSON: But over the long term, if there
19 is a significant radiolysis in a BWR, you will generate
20 both hydrogen and oxygen by the radiolysis. The point
21 that has been brought to us by the BWRs owners is an
22 interesting and good technical point. If it has been a
23 severe accident, and there is a lot of hydrogen in that
24 inerted environment -- There would be a lot of nitrogen
25 from the inerting, but there could have become a lot of

1 hydrogen from metal water reaction, then that hydrogen
2 will act to suppress radiolysis over the long-term.
3 That is, no more hydrogen and no oxygen will be
4 generated.

5 On the other hand, if it is an accident --
6 here we come to one of Ed Case's and my intermediate
7 small window of accidents. If it is an accident just
8 between the design basis and a degraded core accident
9 that doesn't generate a lot of hydrogen, but does let
10 out a significant amount of fission products, then you
11 could theoretically generate hydrogen and oxygen in an
12 inerted containment.

13 So the question really becomes one of risk.
14 How probable is this small window? Our analyses have
15 shown that the argument by the owners is a good
16 technical argument. There is new information that has
17 been brought to us. There is new safety and technical
18 information, on the one hand, and new cost information.

19 If you look at the record from the rulemaking,
20 the estimates we had made, and there was no change of
21 those estimates in the public comment period, they were
22 in the hundreds of thousands of dollars.

23 CHAIRMAN PALLADINO: Where did you get this
24 overpressure of hydrogen? Did it come from radiolysis,
25 or some other --

1 MR. MATTSON: If it is a severe accident, it
2 came from metal water reaction. It the intermediate
3 area between the bad accident and the design basis
4 accident.

5 COMMISSICNER AHEARNE: Is this an argument
6 which would hold for all BWRs?

7 MR. MATTSON: Therein lies the question that
8 we are sort of hung with at the moment. We are debating
9 internally whether to come to you and say, "We think we
10 ought to issue exemptions for those BWRs who have made
11 this case," or whether we ought to issue a rule change.
12 We are grappling now with the extent of this
13 information, whether it should apply to other reactors.

14 In the case that we have done so far, we have
15 been concentrating on the suppression of the generation
16 of oxygen in an inerted containment. It is a little bit
17 different than a PWR where there is no inerting, but if
18 there were large amounts of hydrogen, it too would
19 suppress radiolysis long-term after an accident. Yet,
20 large dries, whether they can maintain any significant
21 amounts of hydrogen without being ignited or burned --

22 COMMISSIONER AHEARNE: But it would also hold
23 for Mark II.

24 MR. CASE: It would also hold for PWRs.

25 MR. MATTSON: Yes.

1 MR. BUTLER: The Mark IIs, of course, do not
2 purge as a primary means of hydrogen control. It would
3 really only apply to about 90 percent of the old Mark
4 Is, because it is only the Mark Is that rely on purging
5 as their primary means of hydrogen control. Some of the
6 more recent Mark Is have recombiners installed, and they
7 would not be affected.

8 MR. CASE: But also PRWs, Walt, the issue can
9 be well raised with them.

10 MR. BUTLER: Yes, certainly. Yes, there are a
11 number of older PWRs that purge as their primary means
12 of hydrogen control.

13 MR. CASE: I am inclined to go the exemption
14 route because the conditions vary from plant to plant as
15 to the probability of this small window. So in order to
16 have a control of the situation, it is better to require
17 it and then grant an exemption if the conditions were
18 right, rather than remove the requirement.

19 MR. MATTSON: That is consistent with the way
20 the information comes in. So far, it has only been
21 brought in for the Mark Is.

22 COMMISSIONER GILINSKY: Isn't the hydrogen
23 generation from the walls, and the paint, and the
24 debris, and so and so forth, and it is a small addition
25 to the other problems?

1 MR. MATTSON: Yes, that is true.

2 MR. CASE: But it is that small addition that
3 you are worried about from the combustion standpoint
4 because you take care of the initial amount by the
5 inerting. The metal water amount is taken care of by
6 inerting. It is the long-term radiolysis and other
7 sources --

8 CHAIRMAN PALLADING: Where you get both oxygen
9 and hydrogen.

10 MR. CASE: Right, that you have to worry
11 about. That depends on the so-called G value. The
12 safety guide would read --

13 COMMISSIONER GILINSKY: I don't like these
14 kinds of comparisons usually, but if you look at the
15 plants like the Mark IIIs and ice condensers, there is
16 loads of oxygen there that we are putting with.

17 MR. CASE: But you are burning the hydrogen in
18 a controlled way.

19 MR. MATTSON: So far they are all required to
20 have recombiners or else install a recombiner
21 capability. We have not looked at whether we would use
22 the same information to remove the requirement for a
23 recombiner capability being backfit.

24 Ed is saying, that is an interesting question
25 in light of what we think we are about to propose to you

1 for the Mark Is. It may be an interesting question, but
2 the technical analysis has not been done, and it is not
3 certain that it is the generically applicable argument.
4 We will have to study that argument. In the meantime,
5 your regulations and our reviews are on the safe side of
6 that. We require such capability to be backfit, and it
7 is up to the people, if they believe that it is an
8 unreasonable requirement, to come and tell us about it
9 and make the case.

10 In the meantime, we are concentrating on those
11 people who have brought the information, the Mark Is,
12 and I am signaling to you that they appear to have made
13 a good case. We still have it under review. You will
14 get a Commission paper in another weeks that probably
15 will recommend that exemptions be granted to the Mark
16 Is, although we are reserving a little bit on which way
17 we will recommend you to go.

18 CHAIRMAN PALLADINO: But they are postulating
19 -- In order to get an exemption, you have to postulate
20 that you have severe metal water reactions --

21 MR. CASE: The rule itself postulates that.

22 CHAIRMAN PALLADINO: Let me just go on.

23 MR. MATTSON: Just so you don't freeze your
24 mind on that, it is a more complicated question.

25 CHAIRMAN PALLADINO: My mind is very fluid.

1 MR. MATTSON: Don't let the record show we
2 agreed with that. It is more complicated than what you
3 just said. I

4 CHAIRMAN PALLADINO: I was going to ask you
5 another question. If you have coremelt, are you
6 postulating that you would have had zirconium metal
7 water reaction, or are you just saying that you would
8 not have had it?

9 MR. MATTSON: Yes, you would have had it.

10 CHAIRMAN PALLADINO: So you are saying that
11 you always get his overpressure?

12 MR. MATTSON: If it is a severe accident that
13 leads to significant core damage, that is damage to the
14 cladding and the geometry of the core, you will have
15 gotten metal water reaction. There is a class of
16 accidents which you could release the fission products
17 from the core, which is what contributes to the G factor
18 for the production of hydrogen by radiolysis -- hydrogen
19 and oxygen.

20 You could release the fission products and not
21 otherwise damage the cladding. You could perforate the
22 cladding, and lead to the release of the gap activity,
23 but not have a significant amount of metal water
24 reaction.

25 Then the question becomes, given the reasons

1 for putting the recombiner capability on as a backfit
2 requirement in the first place, that was the ability, if
3 you wanted it, to avoid purging.

4 We didn't say that it was a safety problem
5 from purging, remember. We said purging hadn't met with
6 a lot of public acceptance following Three Mile Island,
7 and if you listened to that question of public
8 acceptance, then there was the realization that there
9 were 40-some plants that had to purge for long-term
10 hydrogen control if significant amounts accumulated in
11 the weeks and months following an accident. Therefore,
12 the consideration was that it was relatively cheap to
13 put a pipe and a valve, and be able to pick up the phone
14 and call for one to be flown in.

15 We have since learned that the G factor over
16 the long-term in an inerted containment, say the Mark I
17 people, is not significant, and we tend to agree with
18 them for all, except this very narrow window that
19 doesn't have a high risk potential'.

20 COMMISSIONER GILINSKY: The whole notion of
21 recombiners comes from a time when one didn't take into
22 account accidents which involved a substantial amount of
23 metal water reaction.

24 MR. MATTSON: That is right.

25 COMMISSIONER GILINSKY: So, when you thought

1 about hydrogen, you thought about relatively small
2 amounts of it coming from the various causes that Roger
3 outlined, and the recombiner which has a relatively
4 limited capability would deal with that over a period of
5 a month or two.

6 MR. MATTSON: That is right.

7 MR. CASE: It is a very interesting question
8 that we are getting to here. We don't want you to make
9 the decision --

10 COMMISSIONER AHEARNE: Good.

11 MR. CASE: But it is a question that you can
12 think of.

13 COMMISSIONER AHEARNE: Roger, you also on this
14 chart mention that it is costing more than you thought
15 it was going to cost. Are you saying that you thought
16 that it was going to be relatively inexpensive?

17 MR. MATTSON: We thought several hundred
18 thousand dollars, and we are now fairly convinced that
19 it is several million dollars a plant when you consider
20 just the capability, but it is a pro rata share of what
21 it costs to build one and have it available to fly in.

22 It turns out that we had made an assumption
23 that basically the same recombiner would work for an
24 inerted containment that would work for a non-inerted
25 containment. It turns out that there are some

1 engineering costs and some redesign that has to be done
2 in order to make it work when it is passing a lot of
3 nitrogen in addition to the hydrogen and oxygen.

4 We had thought that a skid-mounted design for
5 flying actually existed, when in fact it doesn't. There
6 are some skids, but you can't fly them around and
7 guarantee that they will work. So there is some
8 redesign associated with that. When you look at the
9 cost of all this, and pro-rate it, it comes out to be
10 significantly higher than we had estimated on those
11 other bases.

12 COMMISSIONER GILINSKY: Are they mostly for
13 air charter?

14 COMMISSIONER AHEARNE: If there plants that
15 don't have to have it, the higher the pro-rationg gets.

16 MR. MATTSON: That is right. We could be in a
17 catch-22.

18 COMMISSIONER ASSELSTINE: Roger, are you
19 saying that, basically, these things are not hooked up
20 to penetrations in the containment, but they are just
21 put in and then you just fly them out?

22 MR. MATTSON: Yes.

23 COMMISSIONER ASSELSTINE: How long does it
24 take to get one unit hooked up?

25 MR. MATTSON: You don't need one for on the

1 order of weeks or even months, depending on the G value,
2 and you could conceive, from the way we flew things
3 around at Three Mile Island, getting one there in
4 hours. It is fairly easy.

5 COMMISSIONER ASSELSTINE: And the are all
6 outside containment?

7 MR. MATTSON: Yes, all outside containment.

8 COMMISSIONER ASSELSTINE: How do you prevent
9 insignificant releases?

10 MR. MATTSON: The design of the hook-up would
11 be double-valves and consideration of the radiation
12 protection of the workers, and that kind of thing. It
13 is just an engineering problem, and fairly
14 straightforward. You would have to consider that in the
15 installation.

16 CHAIRMAN PALLADINO: Will be the operators be
17 familiar with what they need to do?

18 MR. MATTSON: Yes, they would have to have
19 procedures for that.

20 CHAIRMAN PALLADINO: Procedures are one thing,
21 but that is when you usually get the inadvertent
22 releases, when you are hooking up, if you haven't with
23 it.

24 MR. MATTSON: Valve line-up and that kind of
25 thing are important, yes.

1 MR. BUTLER: Let me go on to the second
2 interim rule now.

3 COMMISSIONER AHEARNE: Before you go on to the
4 second interim rule, could you tell me what the status
5 is on high point vents?

6 MR. BUTLER: Yes.

7 COMMISSIONER AHEARNE: As far as how plants
8 are coming in.

9 MR. BUTLER: They are pretty much --

10 CHAIRMAN PALLADINO: When you are talking
11 about high plant vents, which plants are you talking
12 about, any specific ones, or all of them?

13 COMMISSIONER AHEARNE: Not any specific plant,
14 no.

15 CHAIRMAN PALLADINO: No, I meant specific
16 types. Are you talking about vents in --

17 MR. MATTSON: Let me see if I can narrow the
18 subject a little. In the case of the boilers, the
19 argument was generally that they had a lot of vents up
20 in the vicinity of the steamline and they didn't need
21 any more high point vents.

22 I think we are still having some debates with
23 a few boilers that had some interesting arrangements of
24 their isolation condensers, which you will remember
25 there aren't many boilers with isolation condensers.

1 COMMISSIONER AHEARNE: Yes.

2 MR. MATTSON: I think we have not had the
3 continuing debate with the rest of the boilers.

4 In the case of the PWRs, Walter, do you have a
5 general statement on them, or do you want me to try that
6 one, too?

7 MR. BUTLER: Go ahead and try.

8 Primarily, the thing is installed in most of
9 them, okay. There are a just a few open items in a few
10 of the plants that need some further work by the staff
11 to get the equipment installed. But then the procedures
12 for how you use the thing is something that we will have
13 to work out during the next few years.

14 COMMISSIONER AHEARNE: There is no class of
15 plant, then, that the basic design for it has not been
16 done?

17 MR. BUTLER: That is true, yes.

18 CHAIRMAN PALLADINO: Where are these high
19 point vents?

20 MR. MATTSON: It depends on the PWR. Some of
21 them are just in the head and high points in the loop, I
22 believe. In the B&W plants, they have one in the top of
23 the candy cane in their design.

24 CHAIRMAN PALLADINO: Why are these vent in
25 there; do get rid of non-condensable?

1 MR. MATTSON: Yes, their design basis was
2 non-condensable gases.

3 COMMISSIONER GILINSKY: It turns out to be a
4 good idea to have them --

5 CHAIRMAN PALLADINO: I am not arguing about
6 that.

7 COMMISSIONER GILINSKY: -- in the case of
8 accidents.

9 CHAIRMAN PALLADINO: I am just trying to
10 understand how they relate to hydrogen problems.

11 MR. MATTSON: They were intended for
12 hydrogen. There has been some discussion about their
13 utility for steam venting. The B&W Owners Group, in the
14 ATQG procedures, the anticipated transient operator
15 guidelines, or whatever they stands for, I can't
16 remember. The ATQG symptom oriented future procedures
17 include a reference and a dependence upon the valves for
18 aiding the management of steam bubbles in the B&W
19 design.

20 COMMISSIONER AHEARNE: If I could just make
21 sure that I understood what Walt said. There is no
22 class of plants for which the vent design has not been
23 completed. It is your sense that all the plants that
24 were to have vents put in are in the process of having
25 them put in?

1 MR. MATTSON: There is still some debate about
2 the design and its utility. There is a B&W plant in the
3 CL process, for example, that I just reviewed the
4 questions on this week, and there still is an active
5 dialogue about the way the vents between the head and
6 the candycane are connected, and the way they would be
7 used for managing accidents.

8 So it is fair to say that there is a design,
9 but it is also fair to say that there isn't final
10 write-off by the staff on some aspects of some designs.
11 We haven't completely written off the procedures for
12 their use at any plant.

13 COMMISSIONER AHEARNE: I would understand the
14 procedures part. I was trying to get a sense of how far
15 along it was in the process. I think what you are
16 saying is that it is mixed, that there are some that
17 have them in, and there are others where there is still
18 debate on the actual design.

19 MR. MATTSON: That is right, it is a mix.

20 CHAIRMAN PALLADINO: Roger, these high point
21 valves would be under the control of the operator; they
22 are not automatic?

23 MR. MATTSON: That is right. That is right,
24 they are all manually operated from the control room.

25 MR. BUTLER: The second interim rule, on page

1 9, was reissued as a proposed rule on December 23rd,
2 1981. It basically codifies for the ice condensor and
3 Mark III containments that which the Commission imposed
4 as licensing requirements earlier for the Sequoyah Unit
5 1 plant. It also proposes to require certain analyses
6 for large dry containments.

7 The status of the second interim rule appears
8 on page 10. Detailed staff review of public comments of
9 the rule have been completed, and we are in the process
10 of preparing a Commission paper on the second interim
11 rule.

12 COMMISSIONER AHEARNE: What is the estimate
13 date?

14 MR. MATTSON: I think they are talking that
15 they will be down in January.

16 MR. BUTLER: January or February of 1983.

17 MR. MATTSON: This slide has an important --
18 Again, we are trying to give you a briefing that tell
19 you where we are going in addition to where we have
20 been.

21 There has been quite a lot of discussion in
22 the public comment period about the requirement that is
23 in the rule for the large dry containments to
24 demonstrate plant by plant that what we think is true
25 for large dry containments can in fact be demonstrated

1 plant by plant.

2 Those are two features, in essence -- well,
3 three. One is that these containments have an ultimate
4 strength of about two-and-a-half times the design
5 strength. Another is that the burning of hydrogen,
6 without an igniting system, which is burning by sources
7 of ignition within the large dry containments, would not
8 cause pressures in excess of two-and-a-half times
9 design, or local pressures that could lead to
10 containment failure. The third is that the important
11 safety equipment would survive. Remember our discussion
12 of survivability.

13 The expectation is, and has been since we
14 first started talking about these things, since Three
15 Mile Island, that for the large dry containments, that
16 is the case. There is evidence to support that.

17 First, it has been fairly easy to show it for
18 the small containments, the ice condensers and Mark III,
19 easy in the sense of once you have got a control
20 ignition system, but easy also in the sense of the
21 pressures and the temperatures, that are generated when
22 you pay attention and the do the precise calculations,
23 turn out not to be so extreme. For example, the local
24 temperatures from hydrogen burn turn out to be less than
25 the environmental qualification temperatures for the

1 steamline break used in the normal EQ process. Once you
2 can show that, of course, you have really reduced the
3 regulatory burden imposed upon licensees for the
4 survivability question.

5 There is another point, and that is that the
6 equipment in containment survived a fairly hefty burn at
7 Three Mile Island. There was a lot of hydrogen
8 produced. There was some form of prompt ignition, and
9 apparently there was not significant damage to the
10 safety equipment that we ended up relying on.

11 There is a third reason for wanting to delay,
12 and that is the one that we were starting to talk about
13 a few minutes ago. And that is, in the IDCOR program,
14 to look at severe accidents, and in the NRC research
15 program supporting our severe accident decisions, there
16 is quite a lot of activity on survivability of
17 equipment, containment calculations for a fair spectrum
18 of plants.

19 We are going to look at 13 PRAs that are in
20 existence, and we will update them with current
21 information as the basis for our severe accident
22 recommendations. IDCOR is looking at four surrogate
23 plants, if you will, looking at these questions. It may
24 be possible, a year from now, to handle the large dry
25 hydrogen question for degraded accidents fairly simply,

1 without requiring each licensee to redo an expensive set
2 of calculations.

3 It seems to us worthwhile to take that year
4 delay, given that we expect the answer to be an
5 affirmative answer, and given that it would take them,
6 if they did plant by plant, several years to complete
7 them all, simply because there aren't the resources in
8 the country to do these kinds of analyses plant by plant
9 within a one-year period.

10 You put those facts together, and it is hard
11 to make a recommendation that the rule continue to
12 require the analysis that it had proposed for large dry
13 containments.

14 Now there are a couple of exceptions on the
15 order of what I have talked. Large dry containments at
16 this point include a couple of peculiar plants, or
17 unique plants. The Surry sub-atmospheric containments
18 are in the large dry class. Well, they are small, and
19 maybe we should do something special there. Big Rock is
20 a boiling water reactor, but in a large dry
21 containment. Maybe we should do something special
22 there. We will continue to think about that and have
23 answers to those questions when we come back to you in
24 January with the final recommendations on the second
25 rule.

1 COMMISSIONER AHEARNE: Do you have a working
2 definition for the sense of equipment. Is that a new
3 term?

4 (General laughter.)

5 MR. BUTLER: Roger.

6 MR. MATTSON: Do we really want to have a hot
7 standby cold shutdown discussion this afternoon?

8 It is the equipment required to keep the plant
9 in a stable, long-term cooling situation. It is subject
10 to the debate of exactly which equipment is that. You
11 have heard us have that debate with you on Sequoyah. It
12 would help to have a final Commission vote on the
13 environmental qualifications.

14 MR. CASE: I am working on it.

15 (General laughter.)

16 MR. MATTSON: I don't think you really want to
17 go further this afternoon, or we could be here for some
18 time.

19 MR. BUTLER: Going on to page 11, we mentioned
20 earlier that there was an unresolved safety issue task
21 A48. A draft of that action plan has been prepared and
22 it is now under staff review. Its objective is to
23 provide a vehicle for coordination of the NRC rulemaking
24 and technical review efforts on issue related to the
25 degraded core hydrogen control. It specifically

1 excludes the core melt hydrogen control issues.

2 COMMISSIONER AHEARNE: Let's see now, when you
3 say, it excludes the degraded core hydrogen control
4 issue --

5 MR. BUTLER: Core melt.

6 MR. MATTSON: It includes the degraded core.
7 It excludes the severe accident, the melt situation. It
8 is not completely consistent with the definition I gave
9 you earlier. It excludes the rest of the severe
10 accident set, how is that?

11 COMMISSIONER AHEARNE: Can you transform that
12 into what it includes in the sense of generation of
13 hydrogen?

14 MR. MATTSON: Seventy-five percent metal water
15 reaction.

16 COMMISSIONER AHEARNE: It doesn't go beyond
17 that?

18 MR. MATTSON: That is right. You see, it
19 includes the work on the Mark Is, IIs and IIIs --

20 COMMISSIONER AHEARNE: Yes.

21 MR. MATTSON: -- the ice condensor, large
22 dries being put over to severe accident in the way I
23 have just described. The completion of the lead plant
24 reviews, the completion of the second interim rule, and
25 the documentation of the results for the ice condensers

1 and the Mark III.

2 CHAIRMAN PALLADINO: Where did you say that
3 this was not consistent with your definition?

4 MR. MATTSON: I said something a few minutes
5 ago that was not consistent with the definition we had
6 tried to adopt for severe accidents. I corrected it.

7 CHAIRMAN PALLADINO: But this is degraded
8 core?

9 MR. MATTSON: This is degraded core, that is
10 right. It is the degraded core portion of the severe
11 accident domain.

12 COMMISSIONER ASSELSTINE: What is left out is
13 coremelts?

14 MR. MATTSON: Yes.

15 COMMISSIONER AHEARNE: When you put up, you
16 say that it is the vehicle for coordination. Does that
17 imply that the project manager for this has any
18 coordination role with respect to all of the agency's
19 hydrogen programs?

20 MR. MATTSON: Yes. Nelson Soo, sitting here,
21 is the project manager. Either he or Carl can jump up
22 if I offended them.

23 Nelson's job is to see that the activities in
24 these areas go forward on schedule by the people who are
25 working on them. In some cases, that is Walt. In some

1 cases it is Mort Fleischman in Research. If there are
2 research results, and there are, that need to become
3 available in order to support these final decisions,
4 that that all couples together; that there is management
5 attention being paid to how the schedules are being
6 kept, periodic meetings among the managers of NRR and
7 Research, and that this thing continues on schedule and
8 stays all glued together.

9 You probably know that there has been some
10 debate within the staff as to whether this is really a
11 USI. I must say it because I am the source of the
12 debate. You gentlemen decreed that it would be a USI.
13 There are two ways of thinking about a USI. It is
14 either an issue to which you don't think you have the
15 technical answer, and I don't think this one is. Or, it
16 is an issue, I guess, that you are worried about the way
17 the management of all these diverse pieces get pulled
18 together.

19 Given that we fairly --

20 COMMISSIONER AHEARNE: There is a set of
21 definitions, or definitional statements that apply.

22 MR. MATTSON: And it is to the former --

23 COMMISSIONER AHEARNE: The question is, does
24 it fit into that set of definitional statements.

25 MR. MATTSON: In my judgment, it does not.

1 You have a USI being prepared to come before you that is
2 the coordination of a number of diverse activities to
3 which I think we know the solution. It is just a matter
4 of execution, or turning the crank in this area right
5 now. To me that is not a USI.

6 CHAIRMAN PALLADINO: What do you mean? If you
7 get a solution, you have misclassified it?

8 MR. CASE: A USI is supposed to have certain
9 characteristics.

10 CHAIRMAN PALLADINO: One is that the
11 Commission declares that it is a USI.

12 (General laughter.)

13 MR. MATTSON: He seemed to be leading me to
14 something I think he knew was around, so we might as
15 well get it on the table.

16 COMMISSIONER AHEARNE: No, actually, it was a
17 much simpler question I was trying to get at, and that
18 was, it seemed to me that there was a large number of
19 efforts underway in this, and I was concerned that with
20 so many different efforts, whether there was any
21 coordination of all those efforts. This was the first
22 sense I got out, perhaps this is it, perhaps this is
23 where it gets coordinated. Now there is a difference
24 between a bookkeeping mechanism and a coordination.

25 MR. MATTSON: Okay.

1 COMMISSIONER AHEARNE: Is this a coordination
2 effort?

3 MR. MATTSON: This is a coordination effort.

4 COMMISSIONER AHEARNE: Nelson Soo is the
5 person who is responsible for coordinating all the
6 hydrogen efforts of the agency.

7 MR. MATTSON: As described here. We have
8 excluded the severe accident.

9 CHAIRMAN PALLADINO: You exclude the severe
10 accidents.

11 MR. MATTSON: Yes.

12 CHAIRMAN PALLADINO: It only goes up to the
13 degraded core portion.

14 MR. CASE: Yes.

15 COMMISSIONER AHEARNE: But that is a very
16 large amount of hydrogen generation.

17 MR. CASE: Yes, that is correct.

18 COMMISSIONER AHEARNE: I would imagine that if
19 you have a program that is so specific that 76 percent --

20 MR. MATTSON: We have addressed that
21 question. It is the accidents that can reasonably be
22 intercepted and still cooled.

23 COMMISSIONER AHEARNE: Sure.

24 (Commissioner Gilinsky left the meeting.)

25 MR. MATTSON: You have that in the rule. It

1 speaks of that.

2 COMMISSIONER AHEARNE: But as far as the
3 calculations that are required to handle the
4 distribution of the hydrogen, the burning or the
5 combustion of the hydrogen, the effects upon the
6 containment, all those have to fit within some --

7 MR. MATTSON: Yes. I don't mean to diminish
8 the technical complexity of the question.

9 COMMISSIONER AHEARNE: Right. And he is the
10 individual who is in charge of coordinating all of
11 that?

12 MR. MATTSON: Yes. The work is done in
13 various quarters, just like every USI.

14 COMMISSIONER AHEARNE: Yes. Since we do have,
15 in looking through this, there is a large amount of work
16 being done, my concern was where was it being
17 coordinated. I think you have answered that, is that
18 correct?

19 MR. MATTSON: Yes.

20 MR. BUTLER: The next topic would be the
21 hydrogen research efforts as sponsored by the NRC and
22 the industry, as well as foreign entities.

23 On viewgraph 12, for hydrogen research, the
24 NRC budget is about \$1.5 million per year spread over
25 some four years. Most of these programs are being

1 conducted at Sandia. They cover the areas of hydrogen
2 generation, detection, transport, mitigation and
3 control.

4 MR. MATTSON: Let me suggest that towards the
5 end of this, we are going to get to some conclusion we
6 would like to discuss, I think this is first time you
7 have heard them, they are fairly significant, back on
8 slide 20.

9 There are a couple of slides here on the
10 specific elements of the research in hydrogen program.
11 John Larkin is here to discuss them if you have
12 questions. We could probably save some time if we
13 bounced over them.

14 COMMISSIONER AHEARNE: I would rather see the
15 charts.

16 MR. MATTSON: Okay.

17 COMMISSIONER AHEARNE: You are here this
18 afternoon because I asked to have the Commission set up
19 the meeting --

20 MR. MATTSON: That is why I asked the
21 question.

22 COMMISSIONER AHEARNE: -- to let us know about
23 what was the status, and I would like to get the
24 status.

25 MR. MATTSON: We will go ahead with 13.

1 MR. BUTLER: All right.

2 On page 13, we start off with the first three
3 of some five research areas. The programs here include
4 those to provide a better data base on corrosion as a
5 hydrogen source, and the effects of corrosion products
6 on the water recirculation system.

7 On burn survival, these programs include tests
8 and analyses of the response of selected essential
9 equipment to the hydrogen burn environment.

10 For computer code assessment, we are looking
11 at the RALOC, CCBRA, and HMS codes as to how useful they
12 might be for analyzing the hydrogen transport question.

13 On page 14, we cover the next two programs
14 dealing with the hydrogen combustion, mitigative and
15 preventive schemes, such as the ignitors, the inerting,
16 the flaring, et cetera.

17 COMMISSIONER AHEARNE: You did have, as I
18 recall, programs -- That is, NRC had programs in which
19 you were running tests in various geometries. For
20 example, Coleman at MacGill University was doing some
21 flame spreading tests. It that included in your
22 combustion?

23 MR. BUTLER: Yes, that is under A1246, the
24 hydrogen behavior program. Dr. John Lee is doing some
25 contract work through Sandia.

1 COMMISSIONER AHEARNE: You also had a program
2 that had to do with various effects upon containment,
3 and containment strengths. I thought there were
4 actually some -- There one model containment that was
5 going to be tested.

6 MR. MATTSON: Yes. That is the work that Guy
7 Arlotto manages in Research, where they are starting
8 with the steel containments and moving on over a couple
9 of years to the concrete containments.

10 COMMISSIONER AHEARNE: But that is being
11 looked at as something separate from this?

12 MR. MATTSON: That is more a containment
13 strength question, and they will put forcing functions
14 in there representative of the various accident
15 sequences, including, I presume, some with hydrogen
16 burn.

17 John, can you help you with that?

18 MR. LARKIN: Yes, that is true. They are
19 developing both experimental and analytical models to
20 better understand the failure modes of the various types
21 of containments, and they will look at different
22 loadings, including the loadings from hydrogen burns.

23 COMMISSIONER AHEARNE: Is that program
24 integrated with this to the extent that this program,
25 the hydrogen behavior portion of it, is going to be

1 addressed, as I understood it.

2 MR. LARKIN: The hydrogen behavior program is
3 feeding input in terms of loads on containments into
4 that program.

5 COMMISSIONER AHEARNE: And they are phased
6 such that that can be done?

7 MR. LARKIN: Yes. Most of this work will be
8 completed earlier, prior to the final comment period.

9 MR. BUTLER: Now on to page 15, the matter of
10 hydrogen issues for core melt accidents. We thought we
11 would just touch on this briefly to indicate that the
12 hydrogen control problem is much more difficult for a
13 melted core situation than for a degraded core
14 situation.

15 CHAIRMAN PALLADINO: This is because you are
16 going from 75 to 100, or some other complication?

17 MR. BUTLER: Other complications, really.
18 There is much more hydrogen than the metal water
19 reaction. There is the hydrogen that comes from the
20 basemat, the concrete reaction.

21 CHAIRMAN PALLADINO: You are postulating
22 that. Okay, here you are postulating all the way to
23 melt through.

24 MR. BUTLER: Yes.

25 MR. MATTSON: From some typical large dry

1 PWRs, I asked somebody to put together a couple of
2 numbers to give you a feel, if you are interested in
3 that. The in-vessel hydrogen can move from like 1500
4 pounds to 1000 pounds, and going from --

5 COMMISSIONER AHEARNE: That is hydrogen?

6 MR. MATTSON: Yes, 1500 pounds of hydrogen.

7 -- and going from 75 percent metal water reaction to a
8 melted core. That is the in-vessel hydrogen. This is a
9 large dry PWR. The ex-vessel hydrogen and carbon
10 monoxide can go from zero pounds, in the case of the 75
11 percent metal water reaction and no core melt, to 1000
12 pounds in the case of a core that melts through and
13 interacts with the basemat.

14 So you are talking about 3000 pounds total as
15 compared to the 1500 pounds that are there with 75
16 percent metal water reaction. That is why you have some
17 people who say that a core melt is not 100 percent metal
18 water reaction. It is a 200 percent equivalent metal
19 water reaction. There are more combustion products to
20 deal with in the core melt down analysis of the type that
21 are done for Zion, Indian Point, or what-have-you, and
22 what you contend with in a degraded core situation.

23 MR. BUTLER: Going on now to page 16, to cover

24 --

25 COMMISSIONER AHEARNE: Let me just --

1 MR. BUTLER: Yes.

2 COMMISSIONER AHEARNE: When you say, potential
3 larger pressures just before just prior to the hydrogen
4 burn, do you mean then larger pressure than will result
5 from the hydrogen burn?

6 MR. MATTSON: No. What this means is that
7 when you are dealing with the 75 percent metal water
8 reaction, you have a core that has its geometry,
9 essentially the original geometry, and the amount of
10 energy has just been the stored energy and the shutdown
11 energy that has been generated since the accident.

12 In the case of a melted core that has led to
13 these additional amounts, it could also lead to
14 pressures having risen above the design basis for the
15 containment. It could be one-and-a-half times design,
16 instead of right at design. Then when the hydrogen
17 burns, it is on top of that already high pressure. That
18 is what we meant there.

19 MR. BUTLER: On page 16, we describe the
20 research activities of the industry, starting with the
21 Ice Condensor Owners Group work for TVA, AEP, and Duke,
22 the Hydrogen Control Owners Group, the BWR Mark III
23 Group, and EPRI.

24 COMMISSIONER AHEARNE: But, as I think we
25 discussed earlier, the only thing that you are actually

1 reviewing is the plant specific proposals?

2 MR. MATTSON: That is right. He is going to
3 tell you of the research that is going on, having
4 already described where we stand in the review of the
5 plant specific.

6 COMMISSIONER AHEARNE: I sort of draw a
7 distinction between -- I imagine you are familiar with
8 what they are doing, but as far as an independent review
9 of whether you agree with the results, am I correct that
10 the only thing that you are looking at from the sense of
11 whether or not you agree with it, is any plant specific
12 result?

13 MR. MATTSON: The use of the results on a
14 plant specific basis is what we have reviewed.

15 MR. BUTLER: Yes.

16 MR. MATTSON: Right.

17 MR. BUTLER: Essentially, all of the ICCG
18 sponsored research is now complete, and the staff's
19 assessment of the results is in progress and should be
20 complete by late December for Sequoyah Unit 1. The
21 staff evaluations for the other ice condenser plants
22 will follow soon thereafter.

23 MR. MATTSON: This has been a very good
24 program in my judgment. You will remember at the time
25 of Sequoyah and McGuire, you could go to a meeting of

1 experts on hydrogen control by ignitors, and there was
2 uncertainty here and uncertainty there, and a lot of
3 questions. Now there seems to be a much convergence of
4 the experts and their confidence.

5 CHAIRMAN PALLADINO: What does ICOG mean?

6 MR. BUTLER: Ice Condensor Owners Group.

7 On page 17, we describe the --

8 CHAIRMAN PALLADINO: What is the H2 mixing
9 test. What is the mixing?

10 MR. BUTLER: The hydrogen mixing tests were
11 those that were conducted at the Hanford Engineering
12 Development Lab using the old containment system
13 experiment vessel, where they bled in hydrogen at a
14 local spot, and measured the rate at which the hydrogen
15 mixed throughout the vessel.

16 CHAIRMAN PALLADINO: Let me ask you a question
17 again. Is Mark III not inerted in the drywell?

18 MR. BUTLER: That is correct.

19 MR. MATTSON: We have a picture.

20 CHAIRMAN PALLADINO: I know the Mark III, the
21 others I may have been --

22 MR. MATTSON: We want to show you exactly what
23 we are talking about.

24 CHAIRMAN PALLADINO: But just to clear up,
25 they are not inerted?

1 MR. BUTLER: They are not inerted.

2 MR. MATTSON: That is right. Everything
3 inside that containment is inerted.

4 MR. TINKLER: That is a Mark III.

5 MR. MATTSON: That is a Mark III. I mean,
6 everything inside that containment has an ignitor.

7 MR. TINKLER: Yes.

8 MR. MATTSON: To cover an area where hydrogen
9 could accumulate.

10 MR. TINKLER: All regions are covered.

11 MR. BUTLER: Inside the drywell as well as
12 cur.

13 MR. MATTSON: Yes.

14 Does that clear up that earlier question that
15 you had?

16 CHAIRMAN PALLADINO: That one I understood.
17 It is the other ones where I think I was wrong. I think
18 I understand now.

19 MR. BUTLER: On page 17, we describe the
20 hydrogen program that is program proposed by the BWR
21 Mark III Group. The milestone dates for this program
22 are set --

23 COMMISSIONER AHEARNE: What is a Hydrogen
24 Control Owners Group?

25 MR. BUTLER: That is just the acronym for the

1 BWR Mark III people.

2 MR. MATTSON: It is a different group of folks
3 than for the ice condensor.

4 CHAIRMAN PALLADINO: Do the ice condensers
5 include other than ice condensers?

6 MR. MATTSON: No.

7 MR. BUTLER: There is a separate and different
8 program for the Mark III people because there are some
9 significant differences in the design, and the hydrogen
10 burn behavior.

11 CHAIRMAN PALLADINO: Is the HCOG only for the
12 Mark IIIs?

13 MR. BUTLER: That is correct, yes.

14 CHAIRMAN PALLADINO: What about the Mark Is
15 and IIs, don't they have a group?

16 MR. BUTLER: They have no programs because
17 they resolved the question by inerting the atmosphere.

18 MR. MATTSON: These owners groups are narrowed
19 to the question of ignitors for the Mark IIIs and the
20 ice condensers.

21 CHAIRMAN PALLADINO: But I thought there was
22 still a problem even with inerting, that there were
23 certain window problems.

24 MR. MATTSON: You are right. There is an
25 owners group for Mark Is to address the question of

1 recombiner capability. As I said, there are narrow
2 owners groups. They depend on the topic at hand. There
3 is not an owners group for ignitors for Mark I. There
4 is an owners group for recombiner capability.

5 MR. BUTLER: These research programs for the
6 Mark III Group will be conducted over the next year or
7 year-and-a-half.

8 COMMISSIONER AHEARNE: In your combining
9 comments on the research program, does this carry with
10 it any flavor that, yes, if you do these things, they
11 will answer your questions?

12 MR. MATTSON: Yes. We pay attention to when
13 we need to make licensing decisions, to give John Larkin
14 money to substitute for staff.

15 COMMISSIONER AHEARNE: So it wouldn't be fair,
16 then, to conclude from the standpoint of the utility
17 that they have now gotten your approval of what it is
18 they have to look at in order to meet --

19 MR. MATTSON: That is part of our agreeing,
20 for example, on the interim licensing basis for Grand
21 Gulf. We will say, "You are qualified to go to full
22 power, but you must do the following pieces of research
23 you have told us about, and come back in a year," much
24 as we did with Sequoyah. It doesn't mean that we won't
25 learn and alter it slightly, but there is an attempt to

1 agree before the licensing as to what the research is.

2 COMMISSIONER AHEARNE: Right.

3 MR. BUTLER: On page 18, we describe the EPRI
4 programs. Basically, EPRI has served as the focal point
5 for much of the testing sponsored by not only the Ice
6 Condenser Owners Group, but also the Mark III people.
7 But in addition to that, they have programs of their
8 own, and we would like to call you attention to the
9 large vessel -- the 52 feet diameter vessel at Nevada
10 Test Station that they plan to use. This vessel is a
11 surplus item from the nuclear rocket program, and there
12 is some \$2.2 million worth of research that will be
13 conducted using that vessel.

14 COMMISSIONER AHEARNE: When you say,
15 validation of codes, which kinds of codes, hydrogen
16 burn, or --

17 I guess to get to my question, what is inside
18 the vessel? Does it have anything like the complicated
19 geometry that is inside of some of the systems where you
20 are worried about how does hydrogen diffuse, and the
21 question of pockets, and so forth?

22 MR. BUTLER: At this time, the vessel is
23 strictly an empty spherical vessel. It is a matter for
24 future consideration as to whether we require
25 compartments be placed in them.

1 COMMISSIONER AHEARNE: I was wondering what
2 type of code you are going to be validating in this
3 empty spherical vessel.

4 MR. BUTLER: You can collect data for not only
5 the hydrogen mixing codes, but also for the hydrogen
6 combustion, the pressure and temperature consequences of
7 burns.

8 Let me ask if Charlie can augment that
9 answer.

10 MR. TINKLER: With regard to your question
11 about how does such a vessel validate codes which have
12 to model many subsystems of containment.

13 COMMISSIONER AHEARNE: Right.

14 MR. TINKLER: In those instances, these tests
15 will only serve to validate portions of those codes,
16 where they can be used to model simpler geometries and
17 simpler configurations. But these tests represent
18 larger scale data, which is useful in validating codes.
19 Because some of the models between the various
20 containment codes are under review and there are some
21 differences, and it is expected that this data would
22 help.

23 COMMISSIONER AHEARNE: I would expect that
24 what is important when you go to a large vessel, is the
25 scale-size of your phenomena that you are worried about

1 with respect to the size of the vessel. Many of the
2 complications we were having in trying to address the
3 calculation within any real containment is the
4 subcompartment scale-size, and not the hydrogen free
5 space scale-size.

6 So it wasn't clear to me what you would get
7 out of this 52-foot diameter vessel that you wouldn't
8 have gotten out of some of the smaller vessels.

9 MR. TINKLER: I am saying that this is an
10 example. There have been discussions and some debate
11 upon the relative effects of radiation heat transfer and
12 the correlation of small-scale data.

13 The validation of computer codes using
14 small-scale data and radiation heat transfer upon
15 components of walls, especially in those cases where the
16 elements are much different than they are inside the
17 plant, the use of a 50-foot diameter vessel would
18 provide considerably more information in an instance
19 such as that.

20 COMMISSIONER AHEARNE: I am just skeptical
21 about the validity of the comparison.

22 MR. MATTSON: It might be that we are giving a
23 narrow licensing answer. Perhaps the Research Program
24 would like to support the EPRI joint program.

25 John, is there any other thing that you would

1 like to say about it?

2 MR. LARKIN: The first series of tests are
3 open volume, but we are looking at compartmentalizing
4 the vessel into smaller compartments.

5 CHAIRMAN PALLADINO: What sort of things are
6 you going to do in this vessel?

7 MR. MATTSON: John, did you hear that?

8 CHAIRMAN PALLADINO: What sort of
9 measurements?

10 MR. LARKIN: A series of several hydrogen
11 degradation burns. We are placing safety related
12 equipment in there, looking at the survivability of
13 equipment, comparing with the thermal response models
14 that we are developing.

15 MR. MATTSON: So it has got compartment burns,
16 no subcompartment burns. It has got equipment
17 survivability. The compartment thing is important
18 because of the volume to surface ratio is not scalable,
19 and radiation effects.

20 You asked the question about what
21 instrumentation. John, can you speak to the
22 instrumentation?

23 CHAIRMAN PALLADINO: What sort of
24 measurements?

25 MR. LARKIN: The valves, cables, ignitors.

1 MR. MATTSON: But it is temperatures and
2 pressures?

3 MR. LARKIN: Yes, temperatures and pressures.

4 MR. MATTSON: Then they pull the equipment out
5 and see if it is still functions.

6 MR. LARKIN: Right.

7 MR. BUTLER: Then gas concentrations.

8 It is interesting to note that there are five
9 foreign entities that are partners in the funding of
10 that EPRI program.

11 Going on now to page 19 for the foreign
12 hydrogen activities, we just listed two countries here
13 where we are aware that they have a strong interest in
14 this area as well. We have been communicating with a
15 number of individuals from these foreign countries in
16 the recent past, and have learned that these are the
17 areas of interest that they have expressed.

18 COMMISSIONER AHEARNE: Sweden has made a
19 decision, haven't they, that they definitely will put in
20 a filtered --

21 MR. MATTSON: Yes, they have. The French also
22 have made such a decision. We should have, perhaps,
23 included the French on the chart here. We didn't
24 because, although I think they are a participant in the
25 other EPRI study, they, like other countries who were

1 looking at probabilistic risk assessments looking at
2 degraded core and severe accidents, must contend with
3 the calculation of the contribution of hydrogen.

4 It didn't seem to us in recent discussions
5 that they put the emphasis on it that Germany had. We
6 put Sweden on here because they had specifically told us
7 that they were going to look at the effect of hydrogen
8 burning on the filter that they were designing.

9 MR. BUTLER: On page 20, we provide a brief
10 summary of the technical findings of the work during the
11 past year-and-a-half or so. We basically believe that a
12 well-designed hydrogen ignition system will successfully
13 mitigate the consequences of large hydrogen releases to
14 the containment for the more likely degraded core
15 accident scenarios. Some further confirmatory work is
16 warranted and is expected to be done in the next year or
17 so.

18 Focusing on the principal findings, first of
19 all, we feel that the burn pressures are below the
20 pressure capacity for the more likely accident
21 scenarios. We feel comfortable with this finding. We
22 feel that it is defensible with the data we have
23 in-hand.

24 CHAIRMAN PALLADINO: Those are degraded core
25 accidents?

1 MR. BUTLER: Yes.

2 MR. MATTSON: Yes.

3 CHAIRMAN PALLADINO: They go as far as you
4 intend your definition to go?

5 MR. MATTSON: Yes.

6 CHAIRMAN PALLADINO: I was wondering about the
7 words "for the more likely accident scenarios."

8 MR. MATTSON: That is what I was going to talk
9 about.

10 In the second interim rule -- Let me start
11 before that. In Sequoyah, there was only one sequence
12 used in the interim write-off, the S2D sequence, small
13 break LOCA with failure of ECCS, the reason being that
14 this is a slow-moving accident that moves through core
15 degradation slowly, and there is some likelihood that an
16 operator could take actions to interdict the accident
17 short of core melt, even though he had received as much
18 as 75 percent metal water reaction.

19 There are other accident sequences that move
20 so quickly that when you get to 75 percent metal water
21 reaction, you are on your way to core melt so rapidly, it
22 is hard to imagine the operator interdicting. So in the
23 second interim rule, the Commission and the staff worked
24 together to try to find a way to tell the Mark III and
25 the ice condenser owners how to consider other

1 accidents. We allowed two approaches. Let me see if I
2 can characterize them right. Walt, watch me.

3 MR. BUTLER: Yes.

4 MR. MATTSON: One was reasonable sensitivity
5 studies about a central accident like S2D. The other
6 was to look at a probabilistic risk assessment, to look
7 at the dominant sequences in a probabilistic risk
8 assessment, choose those that were slow-moving like S2D,
9 and show that you could protect against a range of
10 those.

11 Remember the discussions we had a year or a
12 year-and-a-half ago on the ignitors was, we all
13 understood that you couldn't prove that the ignitors
14 would work for each and all circumstances. In the
15 beyond design basis range, you must consider risk, which
16 are the ones that are the most important in contributing
17 to risk, of the thousands and thousands of permutations
18 and combinations of event sequences, if you can conceive
19 of ways that the ignitor system might not work.

20 So the idea was not to design it and build it
21 so that it would work against every possible situation,
22 but that it would work against those situations which
23 are dominant, or possible, or reasonably likely degraded
24 code accidents as Walt described in his statement.
25 There is some judgment in that process, and it is in the

1 second interim rule. You will get a chance to look at
2 it again in January to see whether it still holds
3 together. But it is not all degraded core accidents. I
4 very carefully said that it is the ones that are the
5 most likely, that is the dominant degraded core
6 accidents when you look at risk.

7 MR. BUTLER: The second principal finding here
8 that the temperature response of essential equipment is
9 below the qualification temperatures.

10 COMMISSIONER AHEARNE: That being set by the --

11 MR. BUTLER: Yes.

12 MR. MATTSON: There was some concern that we
13 would have to take some of that same equipment that had
14 EQ and tell these folks that had all these massive
15 programs, that they would have to redo some of that
16 equipment at higher temperatures. It has turned out,
17 when you look at local calculations, they are lower so
18 far than the EQ temperatures.

19 MR. BUTLER: We find also that the probability
20 of local detonations is very remote. We find that
21 mixing and operation of the ignitors prevent the
22 formation of detonable mixtures. Moreover, the ignitors
23 have to date initiated detonations of stoichiometric
24 mixtures. These are soft ignitors, they are not strong
25 detonators, and it appears that you really need a strong

1 detonator to set one of these things off.

2 COMMISSIONER AHEARNE: By a strong detonator,
3 do you mean something that distribute large amounts of
4 initial energy?

5 MR. BUTLER: Yes, a local, instantaneous, but
6 large volume of energy.

7 Some items warrant some further --

8 CHAIRMAN PALLADINO: You mean another
9 explosion?

10 MR. BUTLER: Yes.

11 CHAIRMAN PALLADINO: You can't block an
12 explosion and bring about another bigger explosion?

13 MR. MATTSON: The point he is trying to make
14 is that even if you take stoichiometric mixtures, and
15 you use the ignitors that are being used in these
16 plants, you can't make detonations occur.

17 You get burning, but you don't get
18 detonations. In order to get detonations, you have to
19 have a different kind of spark. You have to distribute
20 the energy differently from what these ignitors
21 provide.

22 CHAIRMAN PALLADINO: But hydrogen does explode
23 in certain circumstances.

24 MR. MATTSON: Yes, it can.

25 CHAIRMAN PALLADINO: What did you do here,

1 again?

2 MR. MATTSON: These ignitors are soft
3 ignitors. They are not hard detonation causers. Even
4 in these stoichiometric mixtures, we have been unable to
5 cause detonations with these ignitors. We have
6 purposely tried to and couldn't.

7 COMMISSIONER AHEARNE: Are you saying that no
8 matter what mixture you ran through, the ignitor could
9 not cause the hydrogen to detonate?

10 MR. BUTLER: Let's get some help from Charles
11 Tinkler who is more familiar with the literature on
12 that.

13 (Commissioner Gilinsky rejoined the meeting.)

14 MR. TINKLER: I would not say that you
15 couldn't. One must consider the geometry of the clad,
16 and the obstacles over which it goes, and so forth. But
17 in the test situations in which we have used dry
18 stoichiometric hydrogen-air mixture with thermal
19 ignitors, and other types of ignitors, with something
20 short of a blasting cap, we were unable to produce
21 detonation.

22 COMMISSIONER AHEARNE: Just to make sure that
23 I understand. You are saying, in the dry mixture, not
24 with steam, in the dry mixture, the ignitor was unable
25 to produce a detonation, independent of the mixture

1 range that you ran through?

2 MR. TINKLER: Correct, in a dry hydrogen-air
3 mixture.

4 COMMISSIONER AHEARNE: Right.

5 MR. TINKLER: Under stoichiometric
6 conditions.

7 COMMISSIONER AHEARNE: No, I am just saying
8 any mixture.

9 MR. TINKLER: Well, presumably, stoichiometric
10 conditions --

11 COMMISSIONER AHEARNE: It should be, I
12 understand that.

13 MR. TINKLER: I believe they were run at
14 concentrations anywhere from 20 percent hydrogen, 29 to
15 30 percent hydrogen, and I think some richer mixtures of
16 up to 40 or so.

17 COMMISSIONER AHEARNE: What about with steam
18 present?

19 MR. TINKLER: Mixtures have been run with
20 steam. A test has been conducted with steam, and the
21 results using other types of ignitors demonstrated that
22 the effects of minute amounts of steam make it more
23 difficult to initiate a detonation.

24 CHAIRMAN PALLADINO: Are these tests
25 consistent with experience? By that I mean, have there

1 not been hydrogen explosions where they had similar
2 kinds of initiations? I am not sure we know all the
3 reasons for hydrogen.

4 MR. TINKLER: I understand what you are
5 saying.

6 Clearly, hydrogen explosions have occurred.

7 CHAIRMAN PALLADINO: Yes.

8 MR. TINKLER: Sometimes it is difficult to
9 differentiate in industrial accidents whether it was
10 just a rapid burn which would do a great deal of damage,
11 but it could occur over a second, or two seconds.
12 Sometimes it is difficult to differentiate the damage
13 between that which occurred over milliseconds.

14 CHAIRMAN PALLADINO: Have you looked at
15 experience to see if the tests are consistent with
16 whatever experience we have?

17 MR. MATTSON: Yes. There was quite a lot of
18 talk when we started this program that we didn't need to
19 do any research and study, there was a sufficient body
20 of knowledge.

21 I think it is fair to say that the work that
22 has been done in hydrogen burning in this industry in
23 the last couple of years stretches that body of
24 knowledge significantly.

25 CHAIRMAN PALLADINO: It will be helpful when

1 we have a hydrogen occurrence.

2 MR. MATTSON: Walt has one last slide to show
3 you, what a chart really looks like when one of these
4 codes has been verified when all this data is run.

5 MR. BUTLER: Going on to the last viewgraph,
6 if you will focus on the viewgraph that we are actually
7 showing, since we sent that one downtown a few days ago,
8 we found that the points really had to be lifted a
9 little bit because the computer plotter did not follow
10 the actual results.

11 We also took the opportunity here to show you
12 the base-case rather than the sensitivity case that we
13 sent downtown, the 12-foot per second flame speed case.
14 The base-case is the S2D accident, where the calculation
15 assumes a flame speed of six feet per second. We show
16 up on the board there the design pressure for Sequoyah
17 to be 12 pounds gauge, 27 absolute.

18 The pressure capacity that we have found
19 acceptable is 36 pounds gauge, 51 absolute, and the peak
20 burn pressure here for the base-case is 19 pounds
21 gauge.

22 MR. MATTSON: Then you see the little on
23 again/off again blips as the concentrations are burned
24 down below the ignition point. They accumulate, and
25 burn again.

1 COMMISSIONER GILINSKY: The ignitors are on
2 throughout this entire period.

3 MR. MATTSON: Yes.

4 COMMISSIONER GILINSKY: Nature is just doing
5 this?

6 MR. MATTSON: It is the burning of the
7 concentration, diminishing it below the ignition point.
8 The accumulation of more hydrogen, igniting again when
9 it reaches a certain point where the ignitor can turn it
10 on, burning briefly, and then slowly diminishing over
11 time as the hydrogen from a 75 percent metal water
12 reaction following a S2D sequence slowly tails off.

13 COMMISSIONER GILINSKY: Did you say something
14 about the training of operators in connection with this
15 burn?

16 MR. MATTSON: We didn't.

17 COMMISSIONER GILINSKY: Is there anything more
18 to it than having them turn the ignitors on at some
19 point?

20 MR. MATTSON: Heretofore there hasn't been.
21 It might be useful to think, as we move along toward the
22 final write-off on a final system, to ask the question
23 of whether it has been factored into the training
24 process, to be more than "turn them on/leave on/walk
25 away from them." But if they are on, and if you get in

1 the situation, "Here is now is the best estimate of what
2 we think is going on."

3 COMMISSIONER AHEARNE: In your review for
4 Sequoyah, in this final review, aren't you addressing
5 what specific guidance they have got to operators?

6 MR. MATTSON: I believe we do. I am sure we
7 do.

8 MR. BUTLER: Yes.

9 COMMISSIONER AHEARNE: That will include what
10 situations they would use them.

11 MR. MATTSON: Yes.

12 COMMISSIONER AHEARNE: Okay.

13 MR. MATTSON: Where they go, in what
14 situations they turn them on, and when they leave them
15 on, and that kind of thing.

16 CHAIRMAN PALLADINO: Are there any other
17 questions?

18 We thank you very much. That was very
19 interesting and very enlightening.

20 COMMISSIONER AHEARNE: I specifically thank
21 you. This is what I had hoped to get, Walt, and I thank
22 you very much.

23 MR. BUTLER: You are welcome.

24 CHAIRMAN PALLADINO: We will adjourn this
25 meeting and take a ten-minute break before resuming with

1 the next meeting.

2 (Whereupon, at 3:35 p.m., the meeting

3 adjourned.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the
COMMISSION MEETING

in the matter of: Public Meeting - Briefing on Hydrogen Control
Program

Date of Proceeding: November 19, 1982

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript
thereof for the file of the Commission.

Patricia A. Minson

Official Reporter (Typed)

Patricia A. Minson

Official Reporter (Signature)

STATUS BRIEFING ON H₂ CONTROL
FOR SEVERE ACCIDENTS

- I. INTRODUCTION
- II. CASEWORK EXPERIENCE
 - A. NTOL & OR CASES
 - B. NTCP CASES
- III. RULEMAKING
 - A. INTERIM RULES
 - B. SEVERE ACCIDENT RULEMAKING
- IV. USI TAP A-48
- V. RESEARCH
 - A. NRC
 - B. INDUSTRY
- VI. SUMMARY OF TECHNICAL FINDINGS

CASEWORK EXPERIENCE

(NTOL'S AND OR'S)

- FIRST INTERIM RULE REQUIREMENTS ISSUED AS FINAL RULE (46 FR 58484) DECEMBER 2, 1981
 - INERTING
 - RECOMBINER CAPABILITY
 - HIGH POINT VENTS

MARK II

- LASALLE AND SUSQUEHANNA (OL'S HAVE BEEN ISSUED)

MARK I

- FERMI (NOT YET LICENSED)
- ALL NEW PLANTS ARE IN COMPLIANCE WITH THE FIRST INTERIM RULE
- PREVIOUSLY NON-INERTED BWR'S WERE VERMONT YANKEE AND HATCH 2 - BOTH ARE NOW INERTED

CASEWORK EXPERIENCE

(NTOL'S AND OR'S) - (CONTINUED)

ICE CONDENSER PWR'S

- ICE CONDENSER OWNERS INSTALLED DELIBERATE IGNITION (IGNITER) SYSTEMS
- STAFF APPROVAL ON INTERIM BASIS WITH LICENSE CONDITIONS TO REQUIRE CONTINUED RESEARCH ON H₂ CONTROL
- ICE CONDENSER OWNERS GROUP HAS COMPLETED RESEARCH ON H₂ CONTROL MEASURES AND CONCLUDED THAT A DELIBERATE IGNITION SYSTEM ADEQUATELY MITIGATES CONSEQUENCES OF H₂ RELEASED FROM DEGRADED CORE ACCIDENTS
 - TVA HAS PROPOSED PERMANENT SYSTEM WITH DIFFERENT IGNITER (TAYCO)
 - DUKE, AEP, RETAINING ORIGINAL SYSTEM WITH GLOW PLUGS
- STAFF FINAL EVALUATION OF SEQUOYAH PHMS EXPECTED: DECEMBER 1982

CASEWORK EXPERIENCE

(NTOL'S AND CR'S) - (CONTINUED)

MARK III BWR'S

- MP&L PROPOSED IGNITER SYSTEM FOR GRAND GULF: APRIL 1981
 - SYSTEM SIMILAR TO THOSE INSTALLED IN ICE CONDENSER
- OTHER MARK III PLANTS, E.G., PERRY, CLINTON HAVE PROPOSED SIMILAR SYSTEMS
- STAFF APPROVED GRAND GULF IGNITER SYSTEM JULY 1982 ON AN INTERIM BASIS AND IMPOSED LICENSE CONDITIONS TO INSURE CONTINUED INVESTIGATION OF H₂ CONTROL ISSUES
 - FUTURE RESEARCH THRU HCOG

CASEWORK EXPERIENCE

(NTOL'S AND OR'S) - (CONTINUED)

DRY CONTAINMENTS

- LICENSING HAS CONTINUED FOR DRY CONTAINMENTS WITHOUT REQUIRING ANY ADDITIONAL H₂ CONTROL SYSTEMS OR ANALYSES FOR DEGRADED CORE ACCIDENTS, PENDING CONCLUSION OF RULEMAKING
- SOME APPLICANTS HAVE PERFORMED CALCULATIONS TO DEMONSTRATE ACCEPTABLE CONSEQUENCES WITHOUT ADDITIONAL MEASURES, E.G.,
 - COMANCHE PEAK
 - SAN ONOFRE

CASEWORK EXPERIENCE
NTCP & ML APPLICATIONS

- IN LICENSING NTCP & ML CASES, STAFF HAS FOLLOWED REQUIREMENTS OF THE APPLICABLE RULE (47 FR 2286) ISSUED JANUARY 15, 1982
 - FNP HAS FOLLOWED APPROACH USED BY OTHER ICE CONDENSER OWNERS AND SELECTED AN IGNITER SYSTEM
 - SKAGIT (MARK III) HAS CHOSEN AN IGNITER SYSTEM
 - CP REVIEWS WERE COMPLETED BASED ON PRELIMINARY ANALYSES AND COMMITMENTS TO FILE RESULTS OF DETAILED ANALYSES WITHIN 2 YEARS OF CP-ISSUANCE DATE

FIRST INTERIM RULE
(46 FR 58484)

- INERTING OF MARK I & II
 - ALL EXISTING PLANTS ARE INERTED
 - ALL NEW PLANTS WILL BE INERTED
- RECOMBINER CAPABILITY
 - PWRs: IMPLEMENTATION IN PROGRESS
 - BWRs: IMPLEMENTATION ON HOLD
- HIGH POINT VENTS
 - DESIGN REVIEWS
NEARING COMPLETION
 - PROCEDURES REVIEWS
KEYED TO EMERGENCY PROCEDURES REVIEWS

STATUS OF RECOMBINER CAPABILITY -
FIRST INTERIM RULE

- PURPOSE: AVOID PURGING FOR H₂ CONTROL
- BWR OWNERS GROUP REQUESTED RELIEF
- PETITIONS TO COURTS HAVE BEEN FILED AND ARE ON HOLD PENDING STAFF REVIEWS
- SUBSTANTIVE NEW INFORMATION FOR BWRs
 - RADIOLYSIS RATES ARE SUBSTANTIALLY LOWER THAN EXPECTED
 - COSTS FOR RECOMBINER CAPABILITY ARE HIGHER THAN EXPECTED
 - COST-BENEFIT BALANCE ALTERED
- TENTATIVE TECHNICAL CONCLUSION
 - NEED FOR RECOMBINER CAPABILITY AT INERTED MARK I BWRs SHOULD BE RECONSIDERED
 - COMMISSION PAPER FORTHCOMING SHORTLY WITH RECOMMENDATIONS

SECOND INTERIM RULE
(46 FR 62281)

OBJECTIVE: DEGRADED CORE H₂ CONTROL FOR OR & OL PLANTS
WHICH HAVE ICE CONDENSER, MARK III, AND OTHER
NON-INERTED (DRY) CONTAINMENTS

- ISSUED AS PROPOSED RULE DECEMBER 23, 1981; COMMENT PERIOD EXPIRED APRIL 8, 1982
- GENERAL ELEMENTS OF RULE
 - DEGRADED CORE ACCIDENTS WITH H₂ FROM A 75% FUEL CLADDING REACTION
 - PROVISIONS FOR CONTAINMENT INTEGRITY
 - EQUIPMENT SURVIVABILITY

STATUS OF
SECOND INTERIM RULE

- DETAILED REVIEW OF COMMENTS ON THE RULE HAS BEEN COMPLETED
- COMMISSION PAPER TRANSMITTING A FINAL RULE IS IN PREPARATION
 - MAY PROPOSE DEFERRAL OF REQUIREMENTS ON DRY CONTAINMENTS UNTIL SEVERE ACCIDENT DECISION
 - DRY CONTAINMENTS HAVE HIGHER PRESSURE CAPABILITY
 - EQUIPMENT TEMPERATURE ANALYSES FOR ICE CONDENSER AND MARK III PLANTS DEMONSTRATE ESSENTIAL EQUIPMENT SURVIVES
 - DETAILED SURVEY OF EQUIPMENT IN TMI-2 INDICATES ESSENTIAL EQUIPMENT FUNCTIONED AS NEEDED AND WAS NOT IMPAIRED BY H₂ BURN ENVIRONMENT

USI TAP A-48

HYDROGEN CONTROL MEASURES AND EFFECTS OF HYDROGEN BURN ON SAFETY EQUIPMENT

- OBJECTIVE: PROVIDE VEHICLE FOR COORDINATION OF NRC RULEMAKING AND TECHNICAL REVIEW EFFORTS ON ISSUES RELATED TO DEGRADED CORE HYDROGEN CONTROL

- SCOPE: H₂ CONTROL AND EQUIPMENT SURVIVABILITY FOR SMALL AND INTERMEDIATE SIZED CONTAINMENTS
 - 1) MARK I AND II BWR
 - 2) MARK III BWR
 - 3) ICE CONDENSER PWRDRY CONTAINMENTS DEFERRED TO SEVERE ACCIDENT DECISION AND EXCLUDED FROM USI

- TASKS
 - 2ND INTERIM RULE
 - ICE CONDENSER AND MARK III LEAD PLANT IMPLEMENTATION REVIEWS
 - GENERIC DOCUMENTATION FOR ICE CONDENSER AND MARK III PLANTS

HYDROGEN RESEARCH

(NRC - RES)

- OBJECTIVE: PROVIDE INFORMATION TO ASSESS THE RISK REDUCTION BENEFITS OF VARIOUS H₂ CONTROL SYSTEMS FOR THE MITIGATION OF SEVERE ACCIDENTS: PROVIDE INFORMATION FOR NEAR TERM LICENSING DECISIONS AND TO SUPPORT RULEMAKING ACTIVITIES

- RESEARCH PROGRAMS ADDRESS THE FOLLOWING H₂ RELATED AREAS
 - GENERATION
 - DETECTION
 - TRANSPORT & MIXING
 - MITIGATION AND CONTROL

NRC RESEARCH - CONTINUED

- COMBUSTIBLE GAS IN CONTAINMENT (A1255)
 - H₂ GENERATION FROM CORROSION (DBA CONCERNS)
 - EVALUATION OF EFFECTS OF CORROSION PRODUCTS ON SUMP AND WATER RECIRCULATION SYSTEMS

- H₂ BURN SURVIVAL (A1270)
 - TESTING OF SAFETY RELATED EQUIPMENT IN HIGH HEAT FLUX ENVIRONMENTS, SIMULATION AND H₂ BURNING
 - LOADS FROM DETONATIONS OR ACCELERATED FLAMES
 - PROGRAM COMPLEMENTS THE NRR ANALYTICAL PROGRAM

- CODE ASSESSMENT AND APPLICATIONS
 - EVALUATE CODES WHICH MAY BE USED TO ANALYZE H₂ TRANSPORT (RALOC, COBRA, HMS)
 - RECENT NRR/RES MTG TO DETERMINE FUTURE COURSE OF WORK ON H₂ TRANSPORT CODES

NRC RESEARCH - CONTINUED

- H₂ COMBUSTION MITIGATIVE AND PREVENTIVE SCHEMES (A13386)
 - EVALUATION OF EFFECTIVENESS AND FEASIBILITY OF VARIOUS METHODS OF H₂ CONTROL
 - DELIBERATE IGNITION, INERTING, O₂ DEPLETION, WATER FOGS AND FOAMS, FLARING, CATALYSTS

- H₂ BEHAVIOR PROGRAM (A1246)
 - PRINCIPALLY ADDRESSES H₂ COMBUSTION BEHAVIOR - ANALYSIS AND TESTING
 - DEFLAGRATIONS AND DETONATIONS

- ALL MAJOR ELEMENTS OF RESEARCH SHOULD BE COMPLETED BY FY '85
 - SOME INDIVIDUAL PROGRAMS WILL BE COMPLETED EARLIER
 - DEGRADED CORE ACCIDENT RESEARCH THRU MID - '84
 - MELTED CORES THRU 85

HYDROGEN ISSUES FOR CORE MELT ACCIDENTS

HYDROGEN CONTROL MORE DIFFICULT

- POTENTIALLY MORE HYDROGEN PRODUCED
 - IN-VESSEL
 - EX-VESSEL HYDROGEN AND CARBON MONOXIDE
- POTENTIALLY LARGER RELEASE RATES OF HYDROGEN INTO THE CONTAINMENT
- POTENTIALLY LARGER PRESSURES IN CONTAINMENT BUILDING JUST PRIOR TO HYDROGEN BURNS
- POTENTIALLY MORE SEVERE ENVIRONMENTAL CONDITIONS (TEMP, PRESSURE, AEROSOLS)

H₂ RESEARCH
ICE CONDENSER OWNERS GROUP (ICOG)

- IN SUPPORT OF THE IGNITER SYSTEMS OF TVA, DUKE, AEP
 - IGNITER QUALIFICATION TESTING
 - COMBUSTION TESTING
 - COMPLETED EVALUATION OF ALTERNATIVE SYSTEMS AND IGNITER RESEARCH CONCLUDED IGNITER SYSTEMS ADEQUATE
- ANALYSIS WITH CLASIX CODE
- ELEMENTS OF ICOG RESEARCH
 - IGNITER DEVELOPMENT TESTING
 - COMBUSTION TESTS
 - LEAN AND RICH MIXTURES
 - FAN AND OBSTACLE TURBULENCE
 - COMPARTMENTALIZED GEOMETRY
 - WATER SPRAY/FOG
- H₂ MIXING TESTS

H₂ RESEARCH

BWR MARK III H.C.O.G.

- HYDROGEN CONTROL OWNERS GROUP FORMED TO RESOLVE H₂ CONTROL ISSUES PERTINENT TO MARK III'S
- HCOG RESEARCH FOCUSED ON DELIBERATE IGNITION ISSUES
 - COMBUSTION IN H₂ RICH ENVIRONMENTS (DRYWELL)
 - COMBUSTION ABOVE A SUPPRESSION POOL
 - 1/20 AND 1/4 SCALE COMBUSTION TESTS
- HCOG RESEARCH SLATED FOR COMPLETION DECEMBER 1983
- STAFF HAS REVIEWED PRELIMINARY RESEARCH PROGRAM AND PROVIDED COMMENTS TO HCOG

EPRI H₂ RESEARCH

- COSPONSORED SOME OF THE ICOG RESEARCH
- SPONSORED EQUIPMENT SURVIVABILITY TESTING
 - ALL ITEMS OF EQUIPMENT (SOLENOID VALVE, RTD, CABLE, VALVE OPERATOR, ETC.) OPERATED SUCCESSFULLY DURING AND AFTER H₂ BURNS
- COSPONSORING LARGE SCALE TESTS ALONG WITH NRC & SEVERAL FOREIGN UTILITY ORGANIZATIONS
 - 52 FEET DIA VESSEL WITH 87 PSIG DESIGN
 - SHAKEDOWN TESTING IN LATE 1982
 - EXPECTED USES
 - VERIFICATION OF SMALL SCALE DATA
 - VALIDATION OF CODES
 - EQUIPMENT SURVIVABILITY
 - TESTING OF METHODS OF H₂ CONTROL DURING SIMULATED METHODS

FOREIGN HYDROGEN ACTIVITIES

GERMANY:

- IDENTIFIED AREAS OF FURTHER STUDY
 - ULTIMATE STRENGTH CAPABILITY OF CONTAINMENTS
 - HYDROGEN COMBUSTION/MIXING STUDIES
 - ADVANTAGES/DISADVANTAGES OF HYDROGEN PREVENTION AND MITIGATION SCHEMES
 - RELIABLE HYDROGEN MONITORING SYSTEMS
 - RELIABLE PREDICTIVE METHODS FOR ASSESSING HYDROGEN COMBUSTION/MITIGATION SCHEMES

SWEDEN:


- STUDYING ALTERNATIVE FILTER DESIGNS FOR FILTERED - VENT SCHEMES, HYDROGEN BURNING EFFECTS INCLUDED

SUMMARY OF TECHNICAL FINDINGS

- DELIBERATE IGNITION ADEQUATE FOR DEGRADED CORE ACCIDENT
H₂ CONTROL IN ICE CONDENSERS AND MARK III'S
 - BURN PRESSURES ARE BELOW PRESSURE CAPACITY FOR THE MORE LIKELY ACCIDENT SCENARIOS
 - EQUIPMENT TEMPERATURE RESPONSE BELOW QUALIFICATION TEMPERATURE
 - PROBABILITY OF DETONATIONS VERY REMOTE
 - MIXING AND OPERATION OF IGNITERS PREVENT FORMATION OF DETONABLE MIXTURES
 - IGNITERS HAVE NOT INITIATED DETONATIONS OF STOICHIOMETRIC MIXTURES

- SOME ITEMS WARRANT FURTHER CONFIRMATORY WORK
 - SCALE EFFECTS
 - ANALYSIS VALIDATION

LOWER COMP. INST. PRESSURE
RESPONSE - - 12 FT/SEC FLAME



TRANSMITTAL TO:



Document Control Desk,
016 Phillips

ADVANCED COPY TO:



The Public Document Room

DATE:

11/22/82

cc: OPS File

From: SECY OPS Branch

C&R (Natalie)

Attached are copies of a Commission meeting transcript/s/ and related meeting document/s/. They are being forwarded for entry on the Daily Accession List and placement in the Public Document Room. No other distribution is requested or required. Existing DCS identification numbers are listed on the individual documents wherever known.

Meeting Title: Briefing on Hydrogen Control Program

MEETING DATE:

11/19/82

Open X
Closed

DCS COPIES:

ITEM DESCRIPTION:

Copies
Advanced
To PDR:

(1 of each Checked)

Original
Document
May
be
Dup*
Duplicate
Copy*

1. Transcript
(with new graphs
attached)

1

1

2. _____

3. _____

4. _____

5. _____

*Verify if in DCS, and
change to "PDR
available."

(PDR is advanced one of each document, two
of each SECY paper.)