

~~SECRET~~ (19)

BEFORE THE UNITED STATES
NUCLEAR REGULATORY COMMISSION

IN RE: THE MATTER)
)
OF)
)
THE NUCLEAR REGULATORY)
COMMISSION'S BELOW REGULATORY)
CONCERN POLICY STATEMENT)

TRANSCRIPT OF PROCEEDINGS had in the
above-entitled matter at The Holiday Inn O'Hare,
Rosemont, Illinois, on the 28th day of August, A.D.
1990, at 1:00 p.m.

PRESENT:

MR. C. J. PAPERIELLO,
Deputy Regional Administrator,
NRC Region III;

DR. DONALD A. COOL,
Office of Nuclear Regulatory Research, NRC;

MR. JOHN W. N. HICKEY,
Office of Nuclear Materials Safety and
Safeguards, NRC;

L. J. CUNNINGHAM,
Office of Nuclear Reactor Regulation, NRC;

MR. ROBERT FONNER,
Office of General Counsel, NRC.

REPORTED BY: NANCY BRUNER PARKS, C.S.R.

County Court Reporters, Inc.

219 NAPERVILLE ROAD
WHEATON, IL 60187
(708) 653-1622

DuPage Reporting Service, Inc. Court Reporting Services
Youker Court Reporters

OAK BROOK OFFICE
(708) 654-1121

KANE COUNTY OFFICE
(708) 897-8852

B114

1 MR. PAPERIELLO: Let's get started. We
2 have a long afternoon. We have at the last
3 count 34 individuals who wanted to say
4 something, and we are going to try to end by
5 6 o'clock tonight. At least, as sort of a
6 practical problem, it's the period of time we
7 rented the room and have court reporter
8 coverage.

9 Good afternoon. I am Carl
10 Paperiello. I am the deputy regional
11 administrator for the NRC Region 3 office
12 located in the Chicago suburbs.

13 I am pleased to speak to you today
14 on the Nuclear Regulatory Commission's Below
15 Regulatory Policy.

16 Also here today are Donald Cool,
17 Chief of the Radiation Protection and Health
18 Effects Branch, Office of Nuclear Materials
19 Safety and Safeguards -- excuse me. He is the
20 Office of Nuclear Regulatory Research.

21 John Hickey is Chief of the
22 Industrial and Medical Safety Operations Branch,

1 Office of Nuclear Material Safety and
2 Safeguards.

3 Jay Cunningham, Chief Radiation
4 Protection Branch, Office of Nuclear Reactor
5 Regulation; and Robert Fonner from the Office of
6 General Counsel.

7 In addition, there are several
8 other NRC representatives from the NRC
9 headquarters regional offices in the audience.

10 A few words about the conduct of
11 the meeting. There will be two additional NRC
12 presentations in addition to my opening
13 remarks. First, to discuss the basis of the
14 radiation dose criteria set forth in the policy
15 statement; and second, to discuss how the policy
16 will be implemented.

17 We will then take a short break and
18 invite oral statements from those who requested
19 in advance to make a prepared statement.

20 As noted in the Federal Register
21 Notice, oral statements are limited to five
22 minutes. If you have written statements, please

1 give them to the secretary at the door.

2 I have to ask you to limit your
3 statements. Because of the number of people we
4 have who want to speak, and some additional
5 people that we have made provisions for, a
6 number of local elected officials who wish to
7 speak that came in at the last minute, somebody
8 is going to be deprived of an opportunity if we
9 go over.

10 After an hour of oral
11 presentations, the panel will answer questions
12 from the audience for an hour.

13 If you wish to ask a question,
14 please get a card at the door and write your
15 question, along with your name and address, if
16 you wish, and give it to the secretary.

17 We will then take starting at 4
18 o'clock the remainder of all the oral
19 statements. If we finish before 6:00, we will
20 go on with more questions or additional
21 statements from people who haven't signed up in
22 advance.

1 Questions that remain unanswered
2 will be reviewed with other issues and published
3 in our meeting report.

4 This meeting will be transcribed,
5 as will other regional meetings. The intention
6 of the NRC is to gather all the statements and
7 questions, identify the issues raised and
8 publish a report responding to the issues raised
9 at public meetings.

10 I expect the Commissior will
11 consider these issues as they relate to the
12 policy before the Commission approves any
13 practice that implements the policy.

14 You will find at the door an agenda
15 for the scheduled speakers, copies of the slides
16 used by the NRC speakers, the Commission policy
17 statement and a booklet that discusses the
18 policy.

19 The Atomic Energy Act gives the NRC
20 the responsibility to regulate the uses of
21 nuclear material in the public interest and to
22 protect the public health and safety.

1 Knowing that protection of the
2 public health and safety is our prime concern,
3 we might ask why is the NRC pursuing a BRC
4 policy? Even if only very small amounts of
5 radioactive material are released as a result of
6 this policy, isn't even a small amount too
7 much?

8 This question goes to the heart of
9 our rationale for BRC policy. If the public
10 would not be better protected with the policy
11 than without it, we have no business allowing
12 BRC exemptions.

13 Let me emphasize we are convinced
14 that the public would be better overall
15 protected within this policy because it enables
16 people using and regulating radioactive
17 materials to concentrate their efforts on more
18 consequential risk.

19 Let me give you an example. Let's
20 say you are packaging waste for shipment to a
21 disposal facility and you have two kinds of
22 waste, one clearly above normal background

1 radiation levels and another kind you believe
2 might be contaminated but you can't detect
3 whether its radioactivity is from contamination
4 or from the radioactivity found naturally in
5 almost every substance.

6 Common sense suggests that after
7 making your radiation surveys and other checks
8 on the origin and documentation of the material,
9 you and the public will be better off if you
10 spent your time and money making sure that the
11 more radioactive waste, which is more of a
12 health hazard, is well and safely packaged.

13 A similar logic would apply to very
14 slightly contaminated material that could be
15 shipped for recycling instead of disposal and to
16 the decontamination of defunct facility sites.

17 This way of thinking has been the
18 Commission's statutory mandate for the onset of
19 a regulatory program.

20 The Atomic Energy Act provides for
21 the exemption of quantities or uses of
22 radioactive materials that will not constitute

1 an unreasonable risk to the public health and
2 safety and the environment.

3 Since the beginning of regulation,
4 certain uses have been exempt from regulatory
5 control. Some of these, such as uranium glazes
6 and the thorium in gas mantles, predate the
7 nuclear age. Other exemptions involving
8 man-made radioisotopes permitted new uses of
9 radioactive material in consumer products, such
10 as smoke detectors.

11 Still other exemptions acknowledge
12 the reality that uranium and thorium source
13 material are present naturally in some
14 concentration in almost every substance on the
15 surface of the earth.

16 Although experience has shown that
17 these exemptions have not resulted in any
18 significant risk to the public, they are not
19 based on any consistent criteria for
20 radiological dose.

21 The NRC Below Regulatory Concern
22 policy statement provides licensees and the NRC

1 staff guidance on an acceptable radiation dose
2 level when reviewing the risk associated with
3 certain activities involved in the use of
4 nuclear materials where these risks are so low
5 that the activity need not be further controlled
6 by the regulator to protect the public health
7 and safety.

8 Existing exemptions will be
9 evaluated against these criteria and will be
10 tightened as needed to assure a consistent and
11 proper level of protection.

12 In 1985, the United States Congress
13 directed the NRC to develop standards and
14 procedures and act on petitions to exempt waste
15 streams with very low concentrations of
16 radionuclides from regulatory concern --
17 regulatory control. This legislation referred
18 to these low concentrations as Below Regulatory
19 Concern.

20 In 1986, the Commission issued a
21 policy statement to provide procedures for
22 processing petitions for such waste disposals.

1 In addition to exemptions for
2 consumer products and waste stream, this policy
3 will also be used for decommissioning and
4 decontamination of nuclear facilities.
5 Currently, decommissioning is conducted on a
6 case by case basis using regulatory guidance
7 that has evolved with time. These criteria need
8 revision to reflect the state-of-the-art ability
9 to calculate effective radiation doses through
10 multiple paths and relate these to risk.

11 From a practical viewpoint, you
12 cannot decontaminate to zero. You can only
13 decontaminate to nondetectability.
14 Detectability varies widely with radioactive
15 elements and the amount of money you are willing
16 to spend on the analysis.

17 The ultimate physical limit is the
18 presence of natural radioactive material due
19 either to thorium and uranium, present in almost
20 everything around us, as well as cosmic ray
21 induced radioactive elements.

22 The Commission has recently

1 established rules requiring decommissioning
2 funding for all large facilities and mor.
3 mid-size ones. To ensure that funds are
4 adequate, some target level of residual
5 radioactivity must be defined.

6 Defining a detection limit that
7 must be met for radioactivity and defining a BRC
8 dose practically amounts to the same thing. A
9 limit based on BRC, however, gives greater
10 consistency within a more general exemption
11 policy and can more easily be related to risk.

12 This policy could permit solid
13 material containing low levels of radioactivity
14 not previously exempted from licensing to be
15 disposed of in other than a low-level waste
16 disposal site.

17 Note that I say "not previously
18 exempted." Most things placed in non-nuclear
19 waste disposal sites contain thorium and uranium
20 already exempted due to its low concentration.
21 Because radiation and radioactive material are
22 pervasive in our environment, practicality

1 eventually requires an exemption limit.

2 Chairman Hart has noted that we run
3 the risk that the wastes requiring disposal in a
4 licensed facility are cleaner than the
5 environment we are trying to protect.

6 If one accepts that BRC policy is
7 needed for sound practical reasons, how can one
8 identify a dose limit sufficiently low to say at
9 this point it's not worth spending any more
10 resources to lower the dose?

11 The Commission works in two
12 approaches. One approaches is to identify dose
13 levels whose associated risk is comparable to
14 other societal risks that are considered
15 acceptable. On the other hand, we can identify
16 changes in natural background dose and practices
17 that increase our exposure to natural background
18 radiation that society will not spend resources
19 to avoid.

20 In fact, the variation in
21 background radiation in the United States is
22 considerably greater than the dose limits in the

1 Commission policy.

2 The policy's individual dose of 10
3 millirem per year for small limited numbers of
4 people is comparable to the difference between
5 the incremental radiation associated with living
6 in a brick house versus house. And a 1
7 millirem per year criteria for large numbers of
8 people corresponds to the incremental radiation
9 dose caused by change in elevation of 200 feet
10 above sea level. The average difference in
11 natural background radiation between Chicago and
12 Denver is about 60 to 70 millirem per year.

13 An absorbed dose of several
14 millirem corresponds to a theoretical lifetime
15 health hazard risk of a few chances per
16 million.

17 Current reports from the National
18 Academy of Sciences as well as the United
19 Nations Scientific Committee state: For
20 exposures comparable to external natural
21 background radiation, the possibility that there
22 is no risk cannot be ruled out.

1 On the other hand, there are many
2 other practices characteristic of our society
3 that result in exposures of several mil irem per
4 year above background for certain members of
5 society. These include the use of phosphate
6 fertilizer, combustion of fossile fuel, the use
7 of televisions and video display terminals and
8 any number of industrial mining and smelting
9 practices.

10 It hardly seems reasonable to
11 require material which may contain less
12 radioactivity than fertilizer, potash or smelter
13 slide to be sent to a licensed radioactive waste
14 disposal site just because it originated in a
15 nuclear facility such as a hospital, university
16 or power plant.

17 Dr. Cool will discuss the dose
18 criteria policy further.

19 Let me conclude by clarifying a few
20 misconceptions. First, the BRC policy will not
21 in itself allow anyone to engage in new exempt
22 practices. Rule-making or licensing actions

1 will first be required.

2 Decisions on these actions will be
3 made only after detailed staff analysis and
4 consideration of public comment.

5 Second, exemptions are not
6 uncontrolled. Licensees granted exemptions will
7 be required to meet appropriate constraints
8 before transferring the material to exempt
9 status.

10 John Hickey will discuss how the
11 policy will be implemented.

12 I will now call upon Dr. Cool to
13 discuss the BRC dose limit.

14 DR. COOL: Thank you, Dr. Paperiello.

15 Let's first start by reviewing once
16 again what the objectives of the Nuclear
17 Regulatory Commission's Below Regulatory Concern
18 policy statement were. Those objectives are to
19 continue to meet our mandate for public health
20 and safety. And then within that objective, to
21 establish a broadly applicable risk base
22 framework within which we can make decisions

1 with regard to what materials need the full
2 range of controls for public health and safety
3 and which kind of materials may not need that
4 full change of controls and, therefore, may be
5 all or partially exemptable.

6 To meet those objectives, the
7 Commission has established several conditions
8 under which an exemption may be the appropriate
9 regulatory approach. First of all, once again,
10 we have to establish that the public health and
11 safety has been adequately protected. And then
12 within that, to determine that the application
13 of regulatory controls does not result in any
14 significant change to the dose as a result of
15 that practice or that the costs of the controls
16 that could be imposed is such that there is no
17 balancing with result to the risk, that would
18 actually be reduced, as a result of those
19 changes in controls.

20 To meet those basic conditions, to
21 allow information on a quantitative basis, to
22 try and determine what sorts of practices may

1 actually be conditions for exemptions, the
2 Commission looked at several bases for dose
3 criteria.

4 Dr. Paperiello has already stated
5 ionizing radiation is part of our natural
6 environment. It's here in this room in the air
7 that we breathe and the food that we drink.
8 There is significant variations in that from
9 place to place and from time to time.

10 The Commission has taken that into
11 account in looking at what sort of doses might
12 be appropriate for its criteria. The Commission
13 has also considered whether or not there is an
14 ability to measure, detect the sorts of
15 radiation, radioactive materials that we may be
16 talking about because one of the things that we
17 will need to do is demonstrate that any practice
18 in fact meets the conditions we have
19 established, the conditions, restraints,
20 requirements, through inspection and
21 enforcement.

22 And the Commission has also looked

1 at the risk estimates, risk analyses that have
2 been done by various groups at various times
3 with regard to the risk of ionizing radiation,
4 such as those published by the National Academy
5 of Sciences in the Biological Effects of
6 Ionizing Radiation report that came out in
7 December of last year.

8 Given those bases, the Commission
9 has established both individual and collective
10 dose criteria to govern whether or not a
11 practice may be considered for exemption from
12 some or all regulatory controls.

13 On the individual dose side, the
14 Commission has established two separate
15 criteria: 10 millirem per year for those
16 practices which would be very limited in the
17 scope of exposures, very limited number of
18 individuals or very small population which can
19 be exposed as a result of that practice; and 1
20 millirem per year criteria for practices which
21 would have a more wide-spread distribution,
22 practices where a large number of individuals

1 could potentially be exposed.

2 In addition to the individual
3 criteria, Commission has also determined that
4 it's appropriate to consider the total societal
5 impact of the exemption which may be taken.
6 Given that, the Commission has determined that
7 an appropriate value is 1,000 person-rem per
8 year over the entire population, including all
9 individuals that may be exposed.

10 One of the things to look at in
11 looking at these criteria, particularly the
12 individual dose criteria, are these are the
13 values which apply to the maximum individual,
14 those individuals within the critical group,
15 that individual or small handful of individuals
16 which receive maximum exposure.

17 They are not the values which would
18 apply to everyone associated with the practice.
19 Rather, we would expect that most all of the
20 individuals associated with a given practice
21 would receive exposure significantly less than
22 these maximum criteria.

1 To reiterate a little bit for you
2 by way of background and by way of comparison.
3 Radiation is part of our environment: Cosmic
4 radiation from space; the air that we breathe,
5 including radon, soil gases; from the food that
6 we eat and drink; from the various soils and
7 building materials used in construction and
8 other activities.

9 Taken together, the various sources
10 of exposure to an average individual in the US
11 population is something on the order of 360
12 milirem per year, including the average value
13 for radon. Of that, approximately 82 percent is
14 natural radioactivity from the air and water
15 that we breathe. The rest of that material,
16 about 18 percent, is from various man-made
17 sources, the bulk of which are medical
18 exposures.

19 Once again, remember, these are the
20 average values -- no one is exactly the average
21 -- the average over the entire United States as
22 taken from the information supplied by the

1 National Council on Radiation Protection and
2 Measurements.

3 Smaller amounts of exposure comes
4 from various consumer products which NCRP,
5 national academy, includes things like some
6 building materials, water from taps, television
7 receivers and various things. And then other
8 categories, including fallout from the nuclear
9 detonation testing, fuel sites and various other
10 activities.

11 How do these numbers compare to the
12 numbers which the Commission has selected as the
13 criteria for maximum individuals under this
14 policy statement?

15 Take a look once again at all
16 natural background, which is something on the
17 order of 300 milirem per year; for medical
18 exposure, 50 milirem per year. And there are
19 variations in that.

20 Values for maximum individuals,
21 critical group under this policy statement, are
22 considerably less than those values.

1 Comparable, in fact, to something like a chest
2 x-ray, which you may have for screening if you
3 have pain in the chest and your doctor suspects
4 a heart attack.

5 Similarly, these criteria were
6 selected keeping in mind the variations in
7 natural background and natural exposure which we
8 all experience.

9 Dr. Paperiello has already
10 discussed the fact there are relatively large
11 variations depending on where you are in the
12 country and variations something on the order of
13 10 milirem simply on the basis on the kind of
14 house in which you live.

15 Likewise, flying in an airplane
16 from coast to coast is associated with an
17 increased radiation dose, simply because of the
18 increased altitude.

19 The Commission has determined that
20 values such as these variations give a good
21 perspective with regard to the sorts of levels
22 which could be considered for the maximum

1 individuals under this policy statement.

2 From a quantitative standpoint,
3 what does this mean in comparison to the risk
4 assessments that have been done by the National
5 Academy of Sciences and United Nations groups?

6 The 10 millirem per year average
7 individual dose criteria for maximum individuals
8 corresponds to an annual risk of fatal cancer of
9 1 in 200,000. This corresponds to an annual
10 risk of fatal cancer from all causes here in the
11 United States in the aggregate for the average
12 individual of something on the order of 400 per
13 200,000. Of course, that's for one year.

14 Over the course of a lifetime, 400
15 per 200,000 corresponds to cancer incidence on
16 the order of 20 percent of the US population.

17 As a result, potential effects
18 which some people might see as being
19 attributable to these policy statements will not
20 be measurable or discernible within the context
21 of the exposures which are already present and
22 the variations of those exposures which are

1 present in the US population.

2 The Commission has two individual
3 dose criteria: 10 millirem per year and 1
4 millirem per year for that maximum individual,
5 that critical group. The Commission selected an
6 additional interim value of 1 millirem per year
7 in order that we can gain further experience
8 with regard to how exemptions may be requested
9 of the Commission and how exemptions may
10 aggregate over the course of time as we look at
11 the various applications of this policy
12 statement.

13 The 1 millirem criteria will be
14 particularly applicable to situations where a
15 large number of individuals may be exposed, such
16 as consumer products, recycling of materials.
17 It provides an additional insurance that
18 individual exposures to multiple practices, your
19 wristwatch, your smoke detector, all the things
20 that you can possibly add up, will still not
21 reach any significant level approaching any sort
22 of dose limit.

1 What will the NRC do under this
2 policy statement? We have published a final
3 policy statement. That policy statement,
4 however, does not exempt any material from
5 radioactive control.

6 It doesn't mean that radioactive
7 waste which had to be disposed of in a licensed
8 facility may now be disposed of in some other
9 manner. Instead, the Commission intends to
10 develop regulations, regulatory guidance in
11 implementing the policy statement to look at
12 those specific practices which may be considered
13 acceptable for exemptions from regulatory
14 control.

15 The Commission also intends to go
16 back and look at all of the exemptions that have
17 been made over the past 30 to 40 years under our
18 various Atomic Energy Act authorities, to look
19 at those and determine whether or not those
20 exemptions meet the test of the new policy
21 statement or whether further change would need
22 to be made in order to assure a consistent level

1 of protection.

2 Commission will consider petitions
3 for exemption from regulatory control and the
4 Commission will publish information and
5 proposals to the Federal Register in order to
6 ensure the public, you folks, have an
7 opportunity for continued input into the
8 decision-making process.

9 When looking at any given petition,
10 any given rule-making, the first thing that we
11 will need to do is analyze those proposals for
12 exemptions to determine whether or not the risk
13 from these proposals are acceptable and within
14 the criteria of the policy statement.

15 When we have made that analysis, we
16 will need to establish conditions and strengths,
17 requirements to determine whether or not those
18 risks which we deem to be acceptable will
19 continue to be met over time, not a one-shot
20 operation.

21 After establishing the conditions
22 and constraints, the Commission intends to

1 inspect and enforce, verify that those
2 conditions, restraints and requirements continue
3 to be met by licensees in the transfer of
4 material from controlled to an uncontrolled
5 status.

6 And the Commission intends to
7 periodically review over of the course of time
8 all the exemptions which may be granted to
9 determine that the public health and safety has
10 been adequately protected and to assure that the
11 build-up of materials is not resulting in
12 exposure in excess of our criteria.

13 To wrap up this particular segment,
14 once again I remind you the Commission has put
15 out this policy statement in full recognition of
16 the fact that its mandate is to protect public
17 health and safety. Within that, this is an
18 effort to establish a broad framework of which
19 to make decisions on the control and the
20 appropriate controls of radioactive material so
21 that we can focus our resources and the
22 resources of others involved in radioactive

1 material upon those risks which are most
2 important for the control of public health and
3 safety.

4 John Hickey, who is Chief of the
5 Operations Branch of the Office of Nuclear
6 Materials Safety and Safeguards, is now going to
7 briefly address some of the details with regard
8 to implementation of the policy.

9 MR. HICKEY: Thank you, Dr. Cool. I will
10 be addressing two questions briefly: What will
11 be the impact of the BRC policy? Now that the
12 policy has been issued, what should you do?

13 As you have heard, the BRC policy
14 provides regulatory framework for four types of
15 practices: Decommissioning, distribution of
16 consumer products, waste disposal and
17 recycling. All of those practices involve
18 transfer of low-level radioactive material from
19 regulated to unregulated status. All of this
20 has been going on for many years.

21 The reasonable question would be
22 how are things going to change as a result of

1 the BRC policy?

2 In the short run, there will be
3 ver little change. The policy is not
4 self-contained. It will have to be implemented
5 with rules and licensing actions.

6 Licensees need not be concerned
7 that the BRC policy itself would disrupt their
8 current operations of waste disposal. However,
9 in the longrun, the BRC policy is the beginning
10 process which will apply consistent radiation
11 risk basis to exemption status.

12 We can expect that most waste
13 disposal practices and consumer product
14 authorizations involving transfer of radioactive
15 material to unregulated status will be evaluated
16 in light of the policy. We believe that most
17 existing practices do meet the criteria and will
18 not change.

19 Cases which do not meet the BRC
20 criteria may have to be modified or justified
21 using traditional as low as is reasonably
22 achievable methods.

1 Also, the BRC policy will need to
2 establish clean-up standards for decontamination
3 of nuclear facilities. We are interested in
4 having existing contaminated sites cleaned up as
5 expeditiously as possible, and we believe that
6 definitive clean-up standards will encourage
7 this.

8 I would like to illustrate these
9 points by going through a few examples.

10 First, let me remind everybody of
11 the dose criteria that Dr. Cool covered. In
12 order for a practice to be considered BRC, it
13 should meet the individual dose criteria of 10
14 milirem per year or 1 millirem per year for
15 practices with wide-spread impact and collective
16 dose criteria of 1,000 persons per year.

17 Therefore, you can expect any
18 activity involving decommissioning, waste
19 disposal or consumer products to be scrutinized
20 to see whether it meets these dose criteria.

21 Let me first take the example of
22 decontaminating, decommissioning established

1 facilities. NRC has got 8,000 licensees, and
2 the agreement states have another 14,000
3 licensees. Most have seal sources or
4 short-lived materials only so they don't have a
5 significant decommissioning problem.

6 However, NPC must deal with a
7 number of cases every year where determinations
8 must be made as to whether contaminated
9 facilities are going to have to be cleaned up.

10 Current NRC regulations do not
11 specify acceptable clean-up levels for
12 contaminated facilities. They do not relate
13 contamination levels to dose. One of our
14 highest priorities will be to establish such
15 regulations.

16 In the meantime, we have published
17 Regulatory Guide 1.86 and other documents.
18 These guidelines specify the contaminated areas
19 and equipment that should be cleaned up to
20 certain levels of residual contamination. They
21 cover a wide variety of radionuclides, and they
22 are not readily convertible to dose numbers.

1 However, our preliminary
2 calculations show that for several common
3 radionuclides, such as trillium, cesium 137, the
4 projected doses will be about 1 millirem per
5 year or less. Therefore, in many cases, there
6 may not be any significant change in clean-up
7 criteria.

8 On the other hand, for some
9 radionuclides, licensees in some cases may have
10 to do additional clean-up which would not have
11 been required prior to BRC.

12 The bottom line is we will have a
13 consistent, stable basis for deciding how much
14 clean-up is necessary for contaminated
15 facilities. This will benefit both the public
16 and the regulated industry.

17 Next let's discuss waste disposal.
18 Most radioactive waste is now sent to licensed
19 radioactive waste disposal facilities. However,
20 there are already some limited provisions in our
21 regulations for disposal of waste containing
22 very low levels of radioactivity.

1 For example, Section 20.306 of our
2 regulations allow assimilation fluids and animal
3 carcasses contaminated with low levels of
4 trillium and carbon 14 to be disposed of without
5 regard to the radioactivity. Also, the animal
6 carcasses may not be disposed of in any manner
7 that would allow for their use for food in
8 humans.

9 This is important because many of
10 our exemptions will include restrictions as may
11 be appropriate to a particular situation. I
12 will come back to this point in a moment.

13 When we developed this rule, we
14 estimated the maximum potential radiation doses
15 to any exposed members of the public resulting
16 from exempt disposals would be less than 1
17 millirem per year. So this appears to be an
18 existing regulation that is consistent with BRC
19 policy.

20 Another example of regulation which
21 already permits exempt disposal is 35.92. This
22 regulation allows medical facilities to hold

1 short-lived waste of ten-and-a-half lives and
2 dispose of it as ordinary trash if there is no
3 detectable radioactivity.

4 In addition to these examples of
5 current regulations, NRC has considered
6 petitions from the academic community that would
7 allow exempt disposals of specific types of
8 slightly contaminated waste.

9 Also, we could receive additional
10 petitions; so it's likely that in the future we
11 will approve additional types of waste for
12 exempt disposal.

13 Note that all proposed rules,
14 including those associated with petitions, are
15 published with public comment. All interested
16 parties will have an opportunity to comment on
17 the proposals.

18 Going on to consumer products. You
19 are probably all aware we have already approved
20 smoke detectors, luminous wristwatches, thorium
21 lamp mantles and several other less common
22 products that contain small amounts of

1 radioactive material.

2 We do not currently have any
3 proposals for new types of products, but we will
4 consider them if they are proposed. However, we
5 will be going back and reviewing whether
6 currently authorized consumer products meet the
7 BPC criteria.

8 You can see from this table, for
9 example, smoke detec. appear to meet the
10 criteria. In the meantime, currently authorized
11 products can continue to be distributed.

12 With respect to recycling, our
13 current applications are very limited, and we
14 have no new proposals under consideration.

15 One current example is the
16 recycling of calcium fluoride slightly
17 contaminated with uranium which is used in the
18 steel production process. The steel itself is
19 not contaminated, and the projected doses to a
20 limited number of steel workers from this
21 activity are a few milirems per year or less.

22 So that appears to be also

1 consistent with BRC policy.

2 This, in brief, has been a summary
3 of where we are now and where we are going at
4 BRC.

5 You may be asking, What should I be
6 doing? In most cases, the answer may be
7 nothing. NRC has initiated --

8 (Laughter.)

9 MR. HICKEY: NRC has initiated or will be
10 initiating certain regulatory reviews and
11 revisions. Licensees don't necessarily need to
12 do anything unless they are specifically
13 notified to do so by NRC.

14 However, if you identify a need for
15 exempt disposal of a certain class of waste or
16 new consumer product, you can petition NRC for
17 rule-making to authorize such a practice.
18 Policy statement spells out the information that
19 you will have to provide.

20 In brief, the following will have
21 to be covered: Evaluation of individual
22 societal impacts, uses of the radioactive

1 material, pathways of exposure, quantities of
2 radioactivity, potential for accidents and
3 misuse, quality assurance and reporting
4 requirements, constraints and conditions of
5 use.

6 Constraints and conditions are
7 important, as I mentioned before. For example,
8 we may require that certain types of waste must
9 be incinerated, disposed of at a specified
10 location or disposed of so it cannot be used in
11 food.

12 NRC will consider the information
13 submitted, and if our evaluation is favorable,
14 we would approve the exempt practice.

15 What if you are not a licensee?
16 You may be reasonably concerned that adequate
17 protection of public health -- about adequate
18 protection of public health from exempt
19 practices.

20 I would like to make two points.
21 First of all, opportunity for public comment
22 will be provided for all regulations and

1 licensing action which differ from previously
2 regulated exemptions.

3 Second, approval of BRC for exempt
4 practices does not mean NRC will remove all
5 regulatory controls. Exempt radioactive
6 materials are produced by licensees. Those
7 licensees will continue to be regulated by NRC.
8 Licensees will be inspected to ensure they
9 dispose of radioactive material properly and
10 maintain proper records.

11 We will also check to make sure
12 that consumer products are safely constructed
13 and, if so required, labeled.

14 Decommissioning facilities will be
15 closely inspected to assure that they have been
16 properly decontaminated.

17 In summary, BRC policy will be
18 implemented such that there can be assurance of
19 the adequate protection of the public health and
20 safety.

21 No action is necessarily required
22 on licensees' part. If you are a licensee, you

1 will receive timely notification of any
2 regulatory changes made which may affect you.

3 Members of the public will be given
4 opportunity to comment on proposed rule
5 changes.

6 NRC will continue to tightly
7 regulate licensees to assure exempt practices
8 are safe. In this manner, we will meet our
9 obligation to protect the public health and
10 safety.

11 Thank you.

12 DR. PAPERIELLO: I thank people for their
13 interest. As of a week ago, the only indication
14 I had is we were going to have about 45 people
15 attend. Clearly, we specified a room for 300,
16 and we have more than that here. Obviously,
17 also a number of individuals came who didn't
18 tell us beforehand. Otherwise we would have
19 provided more space.

20 We have some complications. The
21 complication is the number of people who wish to
22 speak. Again, it's one of these things that as

1 of about a week ago, we had seven people who
2 wanted to speak, and it suddenly exploded on
3 us.

4 Therefore, I would ask you when you
5 step up to the podium and make your -- state
6 what you want to say, that you definitely stay
7 within the five minutes.

8 A couple of individuals have
9 requested to speak that did not call us ahead of
10 time. If I can get you in, I will. But I would
11 ask you to limit your remarks to about a
12 minute.

13 If you have something to submit to
14 us in writing, you can give it to either me or
15 the secretary at the door; and it will be
16 considered.

17 I would like to suggest, because of
18 the number of elected officials who have asked
19 to speak and the time that I told them we would
20 start taking statements, to maybe take about a
21 ten-minute break.

22 Is the Secretary of State Jim Edgar

1 here? He did want to make a statement. My
2 understanding is he might be here at 2 o'clock.

3 What I would like to do is take
4 about a ten-minute break. It is now 1:40. Come
5 back in 10 minutes at 1:50 and start taking
6 statements.

7 Questions. There are cards at the
8 door for people who want to ask questions. I
9 would ask you to write your question on the card
10 and give it to the secretary.

11 We will take a break from
12 statements at 3 o'clock. The panel will answer
13 questions. And then after an hour we will go
14 back and continue until whenever, until we get
15 all the statements done.

16 (WHEREUPON, a recess was had.)

17 DR. PAPERIELLO: Can I have your
18 attention, please? I have been told that the
19 Secretary of State is at O'Hare and will be here
20 shortly.

21 I will start going down the list of
22 state officials who have requested an

1 opportunity to make some remarks.

2 Are there any other -- besides the
3 Secretary of State, are there any other
4 state-wide elected officials that haven't
5 previously asked to speak here?

6 Then I will go on. Is State
7 Senator Patrick Welch here?

8 SENATOR WELCH: Yes.

9 (Applause)

10 SENATOR WELCH: Thank you very much.

11 Mr. Chairman, ladies and gentlemen
12 on the committee. My name is State Senator
13 Patrick Welch. I am chairman of the State
14 Senate Energy and Environment Committee in
15 Springfield. I am here today to testify about
16 the proposed regulation before the Nuclear
17 Regulatory Commission.

18 The proposed policy change is of
19 great concern to me for several reasons. I come
20 from a district which is the site of the first
21 Federal Superfund clean-up in Illinois, LaSalle,
22 Illinois.

1 That's not a fact I am proud of.
2 However, it is something that those of us in the
3 district have to live with every day.

4 Commissioners, I don't believe that
5 any of us want more waste in our backyards. Why
6 should we tell someone they should put waste in
7 their backyards?

8 Illinois, like other states, is
9 already facing a landfill space shortage.
10 Downstate landfills are taking in more and more
11 waste from Cook County daily and throughout the
12 State of Illinois and other states as well.

13 The difficulty that we are
14 currently experiencing with keeping toxic waste
15 out of our landfills will be exacerbated by
16 trying to keep radioactive waste above the BRC
17 levels out of those same landfills.

18 It's one thing for someone to stand
19 by the landfill gate and say you can't throw
20 that tire in that landfill, and it's quite
21 another for a person to determine what low-level
22 radioactive waste is and say you can't bring

1 that in.

2 Chairman Carr has said that the
3 country needs a safe Below Regulatory Concern
4 policy today. But as we know from experience,
5 what may be safe today may not be safe 20 years
6 from now or even ten years from now.

7 (Applause.)

8 SENATOR WELCH: Why should we in Illinois
9 put ourselves at risk for a potential clean-up?

10 (Applause.)

11 SENATOR WELCH: There are already hundreds
12 of millions of dollars in clean-up costs for
13 hazardous wastes, costs that we cannot afford.

14 Do we really need to add to that by
15 depositing BRCs in landfills here in Illinois?
16 I don't think so.

17 This type of policy also has the
18 potential of contaminating precious reserves of
19 ground water, water resources that our state
20 will need in the future.

21 The Environment Protection Agency
22 has stated all landfills will leak at some time

1 or other. We cannot take the chance that ground
2 water resources could become contaminated with
3 radioactive waste as well.

4 Additional concerns focus on waste
5 haulers driving these BRCs through our towns and
6 cities. What kind of liability will they have
7 to assume? What kind of liabilities will our
8 cities have to assume? What liability will the
9 waste hauler be responsible for if there is a
10 clean-up if one of the trucks carrying that
11 waste turns over?

12 Can the waste hauler afford that
13 liability? And can we, as citizens, afford that
14 liability?

15 Here in Illinois we found out in
16 the last year the number of accidents by trains
17 and trucks carrying waste to landfills more than
18 doubled. Do we really want to risk that by
19 having the same trucks also carrying radioactive
20 waste? I don't think so.

21 Washington is sending us incredibly
22 mixed signals on this issue. Six years ago I

1 was on a committee that was formed when Congress
2 passed legislation requiring states to site
3 low-level radioactive waste disposal sites. And
4 now in 1990, the Nuclear Regulatory Commission
5 wants to deposit low-level radioactive waste in
6 our landfills.

7 Ladies and gentlemen, the
8 Commission makes us all wonder what the federal
9 policy is or even if there is a public policy.

10 (Applause.)

11 SENATOR WELCH: If the Below Regulatory
12 Concern standard is adopted, it will once again
13 encourage the export of radioactive waste
14 Congress tried to limit by adopting a system of
15 interstate low-level waste compacts.

16 Some states have either no landfill
17 space available, or like New York, will run out
18 of space in the next few years. The system of
19 transporting radioactive waste will continue,
20 which state government thought Congress wanted
21 to stop.

22 Those states closest to the East

1 Coast will come to the Midwest because of the
2 closeness of transportation and the limit on
3 those costs. States like Illinois, Wisconsin
4 and Indiana will become importing states for
5 radioactive waste as well as other garbage that
6 we are already importing.

7 Our land is too precious to become
8 a dump site in Illinois. Our children are too
9 much expecting us to be stewards of this land
10 and not the spoilers of their land.

11 Finally, let me say that the
12 decommissioning issue brought up by this
13 Commission as one reason to lessen the standards
14 is one that we have already addressed in
15 Illinois.

16 Currently, those communities served
17 by nuclear power are paying a fee --
18 Commonwealth Edison or Illinois Power -- for the
19 decommissioning cost of those plants. That is
20 the nuclear power plant's responsibility. They
21 are billing us for doing just that. Don't make
22 us pay twice for the same service.

1 (Applause.)

2 SENATOR WELCH: Finally, let me say that
3 in Springfield this coming spring, I am going to
4 introduce legislation with Senator Joyce to try
5 to ensure that radioactive waste does not go
6 into our landfills, and I would encourage all
7 you folks right here today who show an interest
8 in this issue to come down to Springfield in the
9 spring and testify. And we will certainly be
10 willing to hear you in my committee.

11 (Applause.)

12 SENATOR WELCH: Mr. Chairman, Senator
13 Jerry Joyce could not be here today, but I have
14 written remarks by him that I will submit.

15 Thank you very much.

16 (Applause.)

17 DR. PAPERIELLO: Thank you, Senator
18 Welch.

19 Did you say Senator Joyce wouldn't
20 be here today?

21 SENATOR WELCH: That's correct.

22 DR. PAPERIELLO: Is Secretary of State

1 Jim Edgar here yet? Okay. Representative Clem
2 Balandoff.

3 (Applause.)

4 REPRESENTATIVE BALANDOFF: Thank you.
5 Good afternoon everybody.

6 It's truly frightening that this
7 hearing is even taking place. How can the
8 Nuclear Regulatory Commission consider even the
9 possibility of putting radioactive waste in
10 every landfill, in every incinerator, in
11 municipal sewer systems and even in recycling
12 streams?

13 The NRC is charged with protecting
14 the health and welfare of the public. How can
15 they be the agency pushing for the deregulation
16 of BRC radioactive waste?

17 This situation is almost beyond
18 comprehension. What are the possibilities if
19 BRC is deregulated? Many workers across the
20 country, from truck drivers to garbage men to
21 steel workers, without their knowledge, would
22 come in daily contact with radioactive waste.

1 Municipal waste incinerators and
2 toxic waste incinerators, which already spew
3 their poison into the air that all of us
4 breathe, would now be spitting out radioactivity
5 all across the country. Nobody, but nobody,
6 would be protected.

7 Fire fighters would be in danger
8 because even the knowledge that a fire was
9 radioactive would no longer be available. They
10 would be denied this knowledge because there
11 would be no manifesting of BRC waste.

12 If radioactive waste were to
13 contaminate the recycling stream, it could
14 produce the possibility of your morning
15 newspaper setting off a Geiger counter.
16 Eventually radioactivity would enter the food
17 chain, and we could be serving our children
18 orange juice that glows.

19 Commonwealth Edison would no longer
20 have to worry about power outages or class
21 action lawsuits because everyone could own a
22 piece of furniture that would glow in the dark.

(Applause.)

REPRESENTATIVE BALANDOFF: Bottom line is that there is absolutely no known safe level of radiation exposure.

The research scientist who was the first to warn pregnant women against having x-rays has now concluded that the amount of radioactivity that we are now releasing into our environment over and above the background radiation from the earth and outerspace causes 75 percent of childhood cancer.

(Applause.)

REPRESENTATIVE BALANDOFF: If BRC is deregulated, the only way for rates of cancer and birth defects to go is up.

With all those known facts about radiation, why would anyone conceive of deregulating any level of radioactive waste? The answer is simple. It's a matter of dollars and cents for a very powerful Washington lobby, the nuclear power industry.

(Applause.)

1 REPRESENTATIVE BALANDOFF: There is no
2 known safe level of radioactivity. What we are
3 talking about today is merely a matter of
4 semantics or, as many call it, linguistic
5 detoxification.

6 In Illinois, the House of
7 Representatives passed a resolution in June
8 calling on the Nuclear Regulatory Commission not
9 to deregulate BRC.

10 If this policy is adopted, I will
11 certainly urge my colleagues in the legislature
12 to do what a number of other states have already
13 done: Provide that Illinois is to supersede the
14 NRC decision because it's our responsibility as
15 elected officials to protect the people of this
16 state, already the most radioactive in the
17 nation.

18 (Applause.)

19 REPRESENTATIVE BALANDOFF: I come from the
20 South Side of Chicago where the IEPA has said we
21 have the largest concentration of waste dumps on
22 the North American continent. People in my

1 community are already at risk with cancer rates
2 among the highest in the nation because of our
3 polluted environment.

4 If BRC is deregulated, it will
5 certainly mean a further increase in our cancer
6 rate. And you must understand that my backyard
7 and your backyard are the same.

8 I stand here before you today as
9 much on behalf of you and your children as for
10 myself, my children and my constituents.

11 We must remember, according to the
12 old proverb: The earth is not a gift to us from
13 our parents. It is a loan from our children.

14 On behalf of all of us, I tell you
15 that deregulation of BRC would be one of the
16 worst policy decisions ever made by a government
17 body.

18 (Applause.)

19 REPRESENTATIVE BALANDOFF: This proposed
20 deregulation would be as monstrous a mistake as
21 was the commissioning of the nuclear power
22 industry in the first place.

1 (Applause.)

2 REPRESENTATIVE BALANDOFF: To put it in
3 very simple terms, it doesn't make sense. It's
4 outrageous. Don't do it.

5 Thank you very much.

6 (Applause.)

7 DR. PAPERIELLO: Thank you, Mr.
8 Representative.

9 I understand it appears that the
10 Secretary of State Jim Edgar has arrived. Would
11 you like to speak, sir?

12 SECRETARY OF STATE EDGAR: Thank you. I
13 would like to take as little of your time as
14 possible, so what I will do is make a brief
15 statement; and I would invite the members here
16 to read the longer, more detailed testimony that
17 I have submitted in writing.

18 I am here today to voice my
19 opposition to the NRC's proposal to
20 deregulate low-level hazardous wastes.

21 (Applause.)

22 SECRETARY OF STATE EDGAR: I believe the

1 proposal is wrong because it deprives states of
2 their right to regulate hazardous waste, because
3 it leaves serious public health questions
4 unanswered, because it undermines public
5 confidence in the NRC and other regulators and
6 because it will make it harder, if not
7 impossible, to locate new landfills and
8 incinerators near communities that already have
9 more than enough reasons to fear environmental
10 impact of such waste disposal operations.

11 Public health questions remain
12 because authorities disagree about the dosage
13 level of radioactivity that can be considered
14 safe.

15 The NRC staff has itself given
16 conflicting reports about whether safety stops
17 at 1 millirem or 10 milirem. Its current
18 conclusion, 10 millirem, is 10 times the level
19 recommended by the International Atomic Energy
20 Agency and two and a half times federal EPA
21 standards.

22 I am no scientist. As a layman, I

1 depend on the experts. But until the experts
2 agree on what is safe, I have to consider your
3 proposal unsafe.

4 (Applause.)

5 SECRETARY OF STATE EDGAR: We in Illinois
6 face a waste disposal dilemma. By 1995 our
7 landfill capacity will be exhausted. Efforts
8 are being made to build new landfills, but
9 community resistance is very strong.

10 We may soon have no place to put
11 our garbage.

12 Radiophobia will make that dilemma
13 even worse. If we cannot put environmental
14 concerns to rest today, how will we ever do so
15 if radioactivity enters the picture? Who is
16 going to want to see these gloves (indicating)
17 go into the local landfill?

18 One final point. The NRC's
19 proposal did not address a concern of
20 potentially even greater danger. It says
21 nothing about the presence of radioactive
22 materials in consumer products such as smoke

1 detectors.

2 Would the new policy allow higher
3 levels of radioactivity in products we keep
4 around the house?

5 If this policy is implemented
6 despite the objections I share with many other
7 citizens, I will join with those who share my
8 view and fight the policy through other means.
9 We will propose state legislation to regulate
10 the waste you exempt, and we will work with our
11 Congressional delegation to get Congress to
12 rescind this policy.

13 (Applause.)

14 SECRETARY OF STATE EDGAR: By coming to
15 Illinois today, you have demonstrated a
16 willingness to open your ear to those of us who
17 might have to live with the waste modern society
18 produces.

19 I appreciate your sensitivity to
20 our concerns. I thank you for lending us your
21 ear, and I encourage you to reconsider and
22 withdraw this proposal.

1 Thank you very much.

2 DR. PAPERIELLO: Thank you, Mr.
3 Secretary.

4 Are there any other state-wide
5 elected officials who wish to speak?

6 I will call upon Director Thomas
7 Ortziger of the Illinois Department of Nuclear
8 Safety. Is he here?

9 DIRECTOR ORTCIGER: Ladies and gentlemen,
10 Mr. Chairman, panel members. What I would like
11 to do is just give you a brief synopsis of
12 testimony that I presented before the United
13 States Congress Interior Subcommittee on Energy
14 and the Environment on June 27, 1990, at which
15 time we were asked to testify regarding the
16 State of Illinois' positions on BRC.

17 Illinois' concern regarding this
18 concept of designating certain radioactive
19 material as being below regulatory concern is
20 not new. Almost two years ago when we learned
21 that the US EPA had submitted a proposal of BRC
22 rules to the Office of Management of the Budget,

1 Illinois expressed its concern over the concept
2 of federally-established BRC standards.

3 More recently, in December of 1989,
4 and again in February of 1990, we wrote the NRC
5 expressing our concern about the proposal of
6 exempting certain practices and radioactive
7 materials from regulatory concern.

8 Our concern now, as then, is that
9 the adoption of a BRC standard which would allow
10 the disposal of low-level radioactive waste in
11 facilities not specifically designed and
12 licensed to receive radioactive material would
13 interfere with the efforts of the state and
14 regional compacts to develop new facilities for
15 the disposal of low-level radioactive waste.

16 Furthermore, we fear that the
17 policy will allow significant quantities of
18 radioactive waste to be disposed of in sanitary
19 landfills, making the siting and development of
20 new solid waste disposal facilities virtually
21 impossible.

22 However, our most serious concern

1 with the NRC's final policy statement is that
2 the NRC has indicated that they intend to make
3 rule-making that will implement these policy
4 items of compatibility on agreement states,
5 there by limiting the regulatory authority of
6 the state to prohibit unrestricted disposal of
7 radioactive material and revoking the authority
8 of the state and region compacts to determine
9 how best to manage disposal of low-level
10 radioactive waste.

11 Perhaps one of the most
12 reprehensible aspects of the NRC policy
13 statement is that the NRC did not make any real
14 effort to seek public comment.

15 (Applause.)

16 DIRECTOR ORTCIGER: In 1988 the NRC did
17 make and publish an advance notice of proposed
18 statement and meeting which identified some
19 elements of the policy that the NRC was
20 considering and invited, quote, "preliminary
21 views concerning a policy of exemptions."

22 But prior to the issuance of the

1 final policy statement, the NRC did not publish
2 a notice of proposed policy statement or even
3 distribute a draft version of the policy for
4 public scrutiny.

5 Let me go back just for a moment to
6 our environmental activities in this state. In
7 1987, the IEPA predicted that existing landfills
8 would be exhausted by 1992. Thanks in part to
9 increase recycling, the estimates have now been
10 raised to 1995.

11 However, in the last decade, only
12 five new solid waste disposal facilities have
13 been developed in Illinois; and since 1985, only
14 one new facility has been put into service.

15 Even without the threat of
16 radioactive materials, it is extremely difficult
17 to site new landfills.

18 (Applause.)

19 DIRECTOR ORTCIGER: If the state cannot
20 prohibit radioactive waste from being disposed
21 of in solid waste facilities, siting new plant
22 landfills would be virtually impossible.

1 Illinois vehemently objects to the
2 NRC policy statement. The Commission has done
3 far more than lay the groundwork for making
4 further decisions regarding appropriateness of
5 exempting radioactive materials and from certain
6 regulatory controls.

7 With only the sheerest of
8 camouflage, the Commission has laid the
9 groundwork for making its future exemption
10 decision binding on all the states. By this
11 action, the NRC has attempted to usurp the
12 rights of states to independently determine how
13 to fulfill their responsibilities.

14 Furthermore, the NRC has attempted
15 to tie the hands of the states that wish to be
16 responsive to the demands of their citizens that
17 low-level radioactive waste be disposed of in
18 the safest possible manner.

19 Thank you.

20 (Applause.)

21 DR. PAPERIELLO: Thank you, Mr.
22 Ortciger.

1 Are there any other state-wide
2 appointed officials? Alderman Jesse Evans.

3 MS. BURNS: Alderman Evans regrets he is
4 unable to attend. He wishes to concur with
5 Representative Balandoff's statement, and he has
6 asked me to speak briefly in his place.

7 I am Marian Burns, co-chairperson
8 of CURE, Citizens United to Reclaim the
9 Environment.

10 (Applause.)

11 MS. BURNS: CURE has been fighting since
12 September, 1985 for the protection and clean-up
13 of our highly polluted environment on the
14 Southeast Side of Chicago.

15 We are a coalition of seven
16 grassroots organizations across the Southeast
17 Side and south suburbs.

18 At this point we feel like Alice in
19 Alice through the Looking Glass when the White
20 Queen seized her by the hand and shouted, "Run."
21 After running as fast as possible for a long
22 time, Alice observed, "But we are in the same

1 place where we started."

2 White Queen replied, "Oh, it takes
3 all the running you can do just to stay in the
4 same place around here."

5 We have fought hard and constantly
6 for five years to reclaim our local environment
7 for human life. But as fast as we can defeat
8 one environmental threat, we see several others
9 rushing at us from all directions.

10 This threat to deregulate BRC waste
11 is the final outrage. If this insane proposal
12 becomes effective, we will be getting
13 radioactivity from our mountainous waste
14 management landfills, from our waste management
15 toxic incinerators and from the sludge from our
16 local sewage treatment plants which is used for
17 recovery of our landfill mountains.

18 Aren't we getting enough poison
19 already? We have been making bitter jokes for
20 years that we glow in the dark on the Southeast
21 Side.

22 We have been getting persistent

1 rumors from residents that radioactive waste has
2 been disposed of illegally in our landfills on a
3 number of occasions.

4 Now the nightmare could become a
5 reality. The disposal of radioactive waste in
6 our area could be done legally if the proposal
7 becomes effective.

8 We plead with you, don't do this to
9 us. Don't take away the last remnant of hope
10 that we can ever make the Southeast Side a safe
11 place to live.

12 The clean-up of the Southeast Side
13 would be a gigantic task. Don't make it any
14 more monstrous than it is already by adding BRC
15 to the witch's brew that's already poisoning our
16 land, our air and our water.

17 Give us a chance to turn the
18 destiny of our area in a different direction.
19 Give life a chance.

20 (Applause.)

21 DR. PAPERIELLO: Thank you. Alderman
22 Edwin Eisendrath.

1 ALDERMAN EISENDRATH: Than you very much.

2 I appreciate you allowing me to
3 testify today on this issue of BRC. I am going
4 to be brief and provide a local government
5 perspective.

6 I understand that you are having
7 five hearings across the country on this issue.
8 I hope they are better publicized, more
9 convenient than this one.

10 (Applause.)

11 ALDERMAN EISENDRATH: The public, at least
12 where I live, is not just professional
13 lobbyists. People who work in other fields are
14 concerned, too.

15 I am a little confused by the
16 intent of the hearings because, as I understand
17 it, the NRC has already approved the policy of
18 BRC. So either this is about overturning that
19 policy, which I hope it is. If it isn't, then
20 the NRC is guilty of feeding that growing
21 cynicism that alienates Americans from their
22 government.

1 (Applause.)

2 ALDERMAN EISENDRATH: The local elected
3 officials, like me, we are the front lines, and
4 we hear things that sometimes don't get heard by
5 the folks in Washington, DC.

6 As a rule, people here have little
7 confidence that their interests are being fought
8 for forcibly by folks in the federal
9 government. The concept of BRC doesn't help
10 dispel that attitude.

11 Our government tells us that a
12 little exposure to radioactivity is safe, that
13 certain contaminated by-products can enter the
14 waste stream or be recycled in the consumer
15 marketplace. We are told that products like
16 radioactive cosmetics may not be labeled, that
17 communities will not know if BRC is disposed in
18 local landfills.

19 These conclusions are
20 counter-intuitive. And that may mean that the
21 public isn't really educated on these issues,
22 but it also can't be explained just that way.

1 In fact, let's take the no labeling
2 provisions. They reverse a long trend towards
3 the community's right to know. And the notion
4 that radioactive waste may not need special care
5 conflicts with even things that other government
6 agencies are doing, the high profile taken even
7 by the Department of Energy on their clean-up of
8 weapons testing sites around the country.

9 I wouldn't want to be second fiddle
10 to that.

11 (Laughter.)

12 ALDERMAN EISENDRATH: People are not
13 relieved when the NRC states that many things in
14 the natural environment are radioactive. The
15 fact that airplane rides and luminous watches
16 and x-rays, and to some extent almost everything
17 else, is radioactive doesn't argue for less
18 concern but, rather, more.

19 (Applause.)

20 ALDERMAN EISENDRATH: I understand one of
21 the arguments you push for the BRC policy is
22 that the Nuclear Regulatory Commission needs to

1 focus its resources.

2 Well, that's a way of saying we
3 have lost the battle; that we can't really
4 protect our citizens any more, so let's be
5 satisfied by limiting the damage that we allow.
6 That isn't good enough.

7 (Applause.)

8 ALDERMAN EISENDRATH: It's been raised by
9 people before that the decommissioning issue is
10 very important, especially to us in this area.
11 We are surrounded by nuclear power plants.

12 Decommissioning will be among the
13 toughest challenges we face in this country. In
14 order to prepare ourselves, we have to be
15 talking about ways of disposing radioactive
16 waste in a responsible way. Instead, we are
17 talking about ways to sweep the stuff under the
18 rug.

19 That's not the appropriate way to
20 prepare for what will be a very important issue
21 in our future.

22 So I urge you to reverse the BRC

1 policy. Radioactive waste isn't safe at any
2 level. It isn't enough to say other things are
3 just as unsafe.

4 Labeling is a responsible thing to
5 do. We require it in the food industry. And
6 certainly Vitamin C at any level is safer than
7 BRC at any level.

8 (Applause.)

9 ALDERMAN EISENDRATH: Merging the
10 radioactive waste stream with the larger waste
11 river in America doesn't just taint the main
12 stream, but it diverts attention away from very
13 important questions of how we will deal with
14 more contaminated radioactive waste in the
15 future.

16 Locally, the people that I
17 represent and other local elected officials feel
18 very strongly about this and hope you will bring
19 that concern back to Washington, DC.

20 Thank you very much.

21 (Applause.)

22 DR. PAPERIELLO: Thank you.

1 Commissioner Jo Gardner?

2 Commissioner Jo Gardner?

3 Are there any other elected state
4 or local officials here who wish to speak who
5 haven't registered ahead of time?

6 Okay. I will call upon Sharon
7 Pines.

8 MS. PINES: My name is Sharon Pines, and I
9 am the regional executive director of Greenpeace
10 in the Great Lakes Area of the country.

11 Can you hear me back there?

12 I am here today representing the
13 staff and over two million supporters of
14 Greenpeace in this country, a considerable
15 number of Americans who wish to express their
16 outrage to Congress and to the NRC. Outrage at
17 this ludicrous policy, outrage at a process that
18 has effectively cancelled out public
19 participation, outrage at a federal government
20 which persists in kowtowing to the wishes of the
21 nuclear lobby; and finally, outrage at the
22 arrogance of the NRC in thinking that they, you

1 (indicating) can pull the wool over the public's
2 eyes.

3 (Applause.)

4 MS. PINES: You know, when many of us
5 heard about this policy, I think we had the same
6 reaction: Surely you aren't serious.

7 I mean, this policy has all the
8 makings of a science fiction horror movie. By a
9 mere flick of the pen, the NRC declares
10 radioactive waste to be safe. Decommissioned
11 nuclear power plants and contaminated nuclear
12 weapons facilities can then be taken apart and
13 dumped in landfills, burned in incinerators,
14 poured down sewers and taken to recycling
15 centers.

16 From recycling centers,
17 contaminated material could be remanufactured
18 into toys, jewelry, furniture and household
19 cooking utensils which would carry no warning
20 labels. And all this with absolutely no public
21 debate.

22 Now, what's wrong with this

1 picture? Let me tell you a few things.
2 Morally, it is an outrage that the financial
3 well-being of the nuclear power industry and the
4 DOE be permitted to take precedence over human
5 health.

6 (Applause.)

7 MS. PINES: Legally, it is unconscionable
8 that due process has been violated and the
9 public locked out of the decision-making
10 process.

11 This hearing, held after the fact,
12 at a time when most people are working and at a
13 remote location, is an insult. It doesn't
14 constitute an open process.

15 (Applause.)

16 MS. PINES: Finally, the NRC has sorely
17 underestimated the American public. When the
18 National Academy of Sciences concludes that
19 radiation is far more hazardous at far lower
20 levels than had been thought a mere decade
21 previously, and when even the US EPA, for God's
22 sake, fears for human health --

1 (Laughter.)

2 MS. PINES: -- with the promulgation of the
3 BRC rules, then the NRC is playing us for
4 fools.

5 Unbeknowst, obviously, to the NRC,
6 people everywhere are coming together to form
7 the fastest growing social justice movement in
8 the nation.

9 (Applause.)

10 MS. PINES: It's what we call the
11 grassroots movement for environmental justice.

12 This movement is demanding an end
13 to toxic and radioactive contamination of our
14 homes and neighborhoods an end to corporation
15 decision-making about public health matters, and
16 an end to government disregard about people's
17 concerns for health in the environment.

18 This is the movement that will
19 speak to you, Mr. NRC Commissioners, at these
20 hearings. And this is the movement that you,
21 the NRC, and Congress will be unable to ignore.

22 BRC is a target of this movement,

1 and we are determined that we shall prevail.

2 (Applause.)

3 DR. PAPERIELLO: Thank you. Carol
4 Oldershaw?

5 MS. OLDERSHAW: I am Carol Oldershaw, and
6 for a moment I'd like to relinquish my allotted
7 time to make certain that Dr. Judith Jonsroot is
8 heard at this hearing today.

9 She's traveled a great distance to
10 be here, was unable to sign up and is scheduled
11 at the bitter end of the meeting. And I think
12 that we need to hear from her now.

13 I will exchange places with her and
14 talk at a later time.

15 (Applause.)

16 DR. JONSROOT: My name is Judith H.
17 Jonsroot. I am a doctor in the field of
18 geography. I am from State College,
19 Pennsylvania.

20 I have been asked by Mrs. Oldershaw
21 to represent a newly-formed coalition of
22 citizens organizations deeply concerned about

1 radioactive waste in all its forms and most
2 especially about the NRC's decision to
3 deregulate one-third or more of the nation's
4 low-level radioactive waste through this
5 policy.

6 There is far more to comment, and I
7 would like to submit my written statement for
8 you for the record later.

9 And I thank you for this
10 opportunity, the representatives of the NRC and
11 to this audience, for caring about the future,
12 and what low-level radioactive waste,
13 deregulated, to be recycled into all our lives
14 in every possible way means.

15 I want to start by noting that
16 those who produce the next and all future
17 generations are not represented on this panel
18 before you. There is not a woman to be seen on
19 this panel.

20 (Applause.)

21 MS. JONSROOT: I make that point because
22 the deregulation of low-level radioactive waste

1 will affect those unborn in that each individual
2 woman is born with all of the ova she will carry
3 through her life. All the people who will ever
4 live on the face of the earth are in the women
5 and their ova and in the men through their sperm
6 today. And any damage which the Nuclear
7 Regulatory Commission permits to be inflicted
8 upon the very basis of life through any
9 additional exposures that are cumulative,
10 aggregative to the individual, will damage human
11 beings for the future as well as today.

12 And gentlemen, it is time for you,
13 you as representatives, whose salaries we pay --

14 (Applause.)

15 DR. JONSROOT: -- to go back to the
16 commissioners and say, Rescind this policy.

17 The Low-level Waste Policy Act
18 Amendments did not require the Nuclear
19 Regulatory Commission to deregulate anything nor
20 to exempt any practice. And I call upon the NRC
21 of its own volition to revoke its policy and,
22 instead, to formulate a policy that will assure

1 the absolute sequestration from the environment
2 of all low-level radioactive waste that has been
3 generated and to prevent the generation of any
4 more. It is within your authority.

5 (Applause.)

6 DR. JOWSROOT: The Atomic Energy Act calls
7 upon the Nuclear Regulatory Commission and other
8 regulatory agencies for the development, use and
9 control of atomic energy to be developed,
10 directed, so as to make the maximum contribution
11 to the general welfare.

12 In 1953, perhaps we did not
13 understand enough about the dosages that are
14 required to cause damage to human health. Today
15 we do. Today we know from Dr. Alice Stuart and
16 others in the medical field, rather than
17 engineers, that even an exposure on the order of
18 165 millirem to the fetus may increase markedly
19 the risk of childhood cancer or leukemia. We
20 know that.

21 We know that the NRC is obligated
22 by law to protect the general welfare and to

1 promote world peace. Certainly more radiation
2 in the environment of the world is not in the
3 interests of world peace nor the general welfare
4 of anyone.

5 Moreover, under the Energy
6 Reorganization Act that founded this
7 organization, this agency, the NRC, is directed
8 specifically to protect public health and
9 welfare. And it is time they did so rather than
10 protecting the interests of the nuclear
11 industry.

12 (Applause.)

13 DR. JONSROOT: A commissioner -- one of
14 your bosses -- a commissioner of the NRC
15 recently wrote in my local newspaper in
16 Pennsylvania that a BRC exempted consumer
17 product would be limited so that the annual
18 radiation dose to an individual user would be
19 about one-third hundredth or one-third of 1
20 percent of natural background radiation.

21 I do not know where the NRC thinks
22 it's coming up with its number 360 millirem

1 annual average exposure to citizens in the
2 United States. 100 millirem is naturally
3 occurring background in the East, 200 in high
4 elevations and on up with altitude.

5 They attribute this to indoor
6 radon. Indoor radon is not naturally occurring
7 background radiation as a problem for public
8 health. It is a consequence of indoor
9 exposures. It's been there in the background
10 all along, and it is highly improper for the NRC
11 to base its decisions for the deregulation of
12 low-level waste on a 360 millirem supposed
13 background radiation exposure to individuals
14 when 200 is indoor radon. It's not naturally
15 occurring, part of the background outdoors.

16 Some of us in the US are now
17 measuring. Some of us in the United States will
18 now be able to call the NRC upon its putative
19 claims that background radiation has increased
20 so markedly. I want to see the evidence,
21 certainly, before any action whatsoever is taken
22 on BRC.

1 Now, of all the significant aspects
2 of BRC, perhaps one of the greatest is the
3 matter of federal preemptive authority. And in
4 its policy statement, the NRC attempts to extend
5 its authority such that my state of Pennsylvania
6 and five other states, Virginia, Iowa,
7 Minnesota, Maine and Vermont, will be prohibited
8 from regulating low activity waste that the NRC
9 may decide to call BRC.

10 We believe that this will initiate
11 a constitutional crisis of major proportion.
12 The states must have the authority to go beyond
13 regulations and standards of the NRC, which has
14 so totally abysmally failed in its charge to
15 protect the public health and safety.

16 (Applause.)

17 DR. JONSROOT: This policy results in
18 environmental loading, environmental loading of
19 non-recoverable radioactivity which some day,
20 somewhere, affects some person's health. It is
21 unconscionable.

22 In my opinion as a geographer, we

1 are facing the reality of nuclear energy that
2 the NRC needs to comprehend. We have put our
3 faith in technology. There is no technological
4 solution for the management and isolation of
5 radioactive waste for the full duration of its
6 hazardous life.

7 Rather than planning to close the
8 public out of new reactor licensing, rather than
9 planning for a new generation of nuclear
10 reactors, we contend and we charge the NRC to
11 hear our contention that it is time for us to
12 put a boundary on the problem and to the best of
13 our ability to control all radioactive waste
14 that has already been generated, release none to
15 the environment from these activities and halt
16 the generation of any additional amounts.

17 (Applause.)

18 DR. PAPERIELLO: I would call upon -- I
19 apologise. Dan Prusaitis? You are on the
20 agenda. Next person on the agenda.

21 We will go on. The individual
22 isn't here. Catherine Quigg.

1 MS. QUIGG: My name is Catherine Quigg,
2 and I am research director of the Illinois Safe
3 Energy Alliance.

4 Mr. Chairman and members of the
5 committee. When the Russians beamed radiation
6 at the US Embassy in the 1970s, Americans were
7 understandably alarmed. Now comes the US
8 government with new ways to beam radiation at
9 its own citizens.

10 Under its new expanded BRC policy,
11 the US Nuclear Regulatory Commission has found a
12 way to give each American citizen the radiation
13 equivalent of up to five chest x-rays each year,
14 causing up to 12,500 extra cancer deaths each
15 year.

16 The NRC views the additional
17 cancers as being of little concern to most
18 members of society. We might well ask the NRC
19 why the American public would be so concerned
20 about the cancer risk to a few embassy employees
21 but feel no concern when thousands more face the
22 risk of cancer deaths, to say nothing of cancer

1 injuries, under its new policy. Which brings up
2 the fact that the NRC fails to discuss risk of
3 cancer injuries from its expanded BRC policy.

4 Cancer deaths and injuries impact
5 not just its victims. Families and friends of
6 victims suffer emotionally. The economic cost
7 alone can devastate a family.

8 The present radiation protection
9 system fails to take into account multiple
10 exposures. Radiation regulations treat each
11 source of radiation as though it were the only
12 source, rather than considering the cumulative
13 impact of all sources on individuals or on the
14 population as a whole.

15 The same individual could be
16 subjected to overlapping radiation exposures from
17 a number of NRC-exempted practices, each
18 contributing up to 100 millirem, and thus suffer
19 a cumulative exposure far greater than 100
20 millirem.

21 And if you doubt the 100 millirem,
22 read the NRC policy statement, Page 8. They

1 only talk about 1 millirem or 10 millirem, but
2 their limit is 100 millirem.

3 Because the NRC has no monitoring
4 plans or equipment in place to enforce the BRC
5 policy, it will have no way of knowing
6 individual or collective radiation exposures for
7 any of its exempt practices.

8 (Applause.)

9 MS. QUIGG: The proposal to allow certain
10 radioactive waste to be reclassified as ordinary
11 garbage for landfill burial is fraught with
12 hazards to the public health and safety. The
13 drinking water of the nation will be at serious
14 risk of radioactive contamination.

15 Moreover, sales personnel, garbage
16 and landfill workers will be at great risk from
17 occupational radiation exposures, especially
18 since there will be no monitoring of radioactive
19 merchandising quantity, declassified radioactive
20 waste or the workers themselves.

21 Workers unions should be up in arms
22 at this new policy if they aren't already.

1 (Applause.)

2 MS. QUIGG: Opposition to the Bartlett,
3 balefill landfill in Illinois should take on a
4 whole new dimension when activists realize that
5 their feared toxic waste dump will also be
6 radioactive.

7 Considering the mounting evidence
8 that low doses of radiation cause significantly
9 more cancer injuries and deaths than previously
10 conjectured, the NRC should busy itself with
11 changing its regulations to lower the public's
12 radiation dose rather than plans to increase
13 that dose.

14 (Applause.)

15 MS. QUIGG: There should no federal
16 preemption of state laws against BRC waste and
17 no exemptions of radioactive materials for
18 disposal in the marketplace or in ordinary
19 landfill.

20 Just because the NRC failed to
21 properly regulate the disposal of radioactive
22 smoke detectors and got away with it does not

1 mean that the public is willing to accept a
2 stream of radioactive consumer products in the
3 marketplace and at their local landfills.

4 (Applause.)

5 MS. QUIGG: The camel should never have
6 been allowed to get its nose under the tent.

7 The expanded BRC policy proves the
8 ethical and moral bankruptcy of the NRC and
9 those in Congress --

10 (Applause.)

11 MS. QUIGG: -- who passed the Low-level
12 Radioactive Waste Policy Act of 1980 and its
13 1985 amendments mandating the expanded BRC
14 policy.

15 Both laws should be repealed. The
16 NRC should refuse to implement any law which
17 contradicts and interferes with its own primary
18 mandate to protect the public health and safety,
19 a mandate which should supersede the
20 ill-conceived and dangerous Congressional
21 legislation.

22 There is no way the NRC staff can

1 protect the public health and safety by putting
2 it at greater risk of cancer injuries and deaths
3 from increased radiation exposure with this new
4 policy. They should so inform Congress.

5 Thank you.

6 (Applause.)

7 DR. PAPERIELLO: I would call upon David
8 Kraft.

9 MR. KRAFT: My name is Dave Kraft, and I
10 represent the Nuclear Energy Information Service
11 of Evanston, Illinois, a non-profit energy
12 education organization with 100 members.

13 While we strongly oppose the NRC
14 policy of Below Regulatory Concern, we must
15 congratulate the agency on its strategy of
16 scheduling a public meeting without proper
17 advance notice or education on the issue and
18 then requiring people to sign up in advance to
19 speak at this public meeting.

20 (Applause.)

21 MR. KRAFT: A public meeting
22 inconveniently scheduled in the middle of a

1 workday has minimized ability of the public to
2 participate in this process.

3 This amazing insensitivity shown
4 the public by the NRC provides one of the
5 reasons why NEIS and over 20 other organizations
6 around the country are currently suing the NRC
7 on its BRC practice.

8 (Applause.)

9 MR. KRAFT: The recent intention of the
10 Nuclear Regulatory Commission to classify a
11 substantial portion of what is now considered to
12 be hazardous low-level radioactive waste had its
13 beginning in another failed radioactive waste
14 policy, the Low-level Radioactivity Policy Act
15 of 1980 and its subsequent 1985 amendments.

16 And just as other parts of that law
17 have shown to be poor policy, so too has the
18 concept of deregulating this radioactive waste.

19 The NRC's notion that hazardous
20 radioactive waste can be, quote, "acceptably,"
21 unquote, disposed of in landfills, incinerators
22 such as those proposed for Robbins and Beford

1 Park, down sewers, along roadsides, in recycling
2 and scrap metal centers, has been challenged
3 vociferously by the current scientific thinking
4 on the hazards of exposure to low levels of
5 radiation, by national and international
6 agencies of stature equal to or exceeding that
7 of the NRC, by numerous state and local
8 governments, whose task to protect the health
9 and safety of their citizens is threatened by
10 such a reckless policy, and by hundreds of
11 private organizations nationwide who argue that
12 a policy that defines "acceptable" the
13 additional deaths of between 2,800 and 12,000
14 people each year so that the nuclear industry
15 can save some money is not only unacceptable but
16 it's criminal.

17 (Applause.)

18 MR. KRAFT: Objections to this policy are
19 legion, both from within and without the NRC.
20 Proposed NRC standards for BRC radioactive waste
21 of 10 millirem per year per waste stream are
22 below those standards deemed acceptable by the

1 International Atomic Energy Agency, the National
2 Committee for Radiological Protection, the
3 Environmental Protection Agency and also the
4 Illinois Department of Nuclear Safety.

5 The proposed 10 millirem standard
6 was severely criticized in a memo from Robert
7 Denero, then acting director of the Nuclear
8 Regulatory Commission's own office of Nuclear
9 Material Safety and Safeguards in a memo dated
10 September 8, 1988.

11 This memo was sent from ONMS&S to
12 the legendary Victor Stello. The DEA's Office
13 of Radiation Programs found seven major
14 criticisms of the NRC policy and standards and
15 stated unequivocally that, quote:

16 "This standard of 10 milirem is too
17 high a level for a blanket deregulation
18 criteria and is not protective of the
19 public health."

20 The NRC's own Victor Stello even
21 states that, quote:

22 "The dose to an individual will be a

1 function of dose rate, occupancy times and
2 pathways of exposure. Depending on the
3 assumptions made, dose estimates can often
4 vary by a factor of 100."

5 The NRC decision of deregulating
6 this waste comes six months after the National
7 Research Council concluded in its Bureau 5
8 report of December, '89 that hazards from
9 exposure to low levels of ionizing radiation had
10 been underestimated by a factor of between 4 and
11 14, four months after the International
12 Committee on Radiological Protection concluded
13 that worker exposure to low-level radiation
14 should be reduced about 250 percent, and after
15 studies on exposures to airline pilots and
16 stewardesses concluded that they may be exposed
17 to excessive amounts of radiation.

18 Good timing, NRC.

19 Although this tremendous amount of
20 information indicates that the policy is flawed,
21 it is important to note that the policy does not
22 truly meet the NRC's own professed goal of,

1 quote, "reduced cost and overall risks to the
2 public from managing certain types of slightly
3 radioactive waste in a manner commensurate with
4 their low radiological risks," unquote.

5 This indicates the true reason for
6 the policy: To save the nuclear industry money,
7 resulting in another dose of subsidized,
8 socialized nuclear energy policy.

9 (Applause.)

10 MR. KRAFT: This policy would actually
11 drive up the cost of low-level radioactive waste
12 disposal and compacts where the cost for future
13 LLRD disposal will be fixed, such as is the case
14 in Illinois, offsetting any perceived savings
15 from reduction in waste designated for low-level
16 radioactive waste disposal.

17 The NRC inconsistently states
18 elsewhere in the policy that, quote:

19 "The Commission will not consider
20 whether a BRC practice is justified in
21 terms of net societal gain."

22 Again proving that BRC represents

1 not a cost savings to society but, further,
2 another subsidization of the nuclear power
3 industry.

4 Although money is the least
5 important concern for NEIS, using the NRC's
6 number of 3.5 cancer fatalities per 10,000
7 people, which the EPA estimates state are three
8 times too low -- and figuring that Victor Stello
9 is right and that may be up to 100 times too low
10 -- a rough calculation of cost to society
11 reveals that the BRC will result in several
12 things: As much as \$250 million in medical
13 treatment costs for the last year of life alone
14 of the expected 12,500 cancer fatalities; as
15 much as \$109 million in lost wages from deceased
16 wage earners among this group, not including the
17 lost money of the economic multiplier effect;
18 increased cost of medical treatments for the
19 fatal and non-fatal cancer resulting from the
20 BRC policy; increased insurance and worker
21 compensation cost to individuals and employers;
22 and finally, an incalculable amount of money

1 lost in wages and productivity for those people
2 who develop non-fatal cancers or other radiation
3 induced medical problem such as depressed immune
4 system functioning.

5 NEIS has seen figures that indicate
6 that as many as 4,100 Illinoisans may die from
7 cancer if the maximum amounts of this policy are
8 allowed, with an equal number expected to
9 contract for fatal cancer from the BRC policy,
10 which will not even achieve the NRC stated goal
11 of reducing costs for low-level radioactive
12 waste disposal in Illinois.

13 Even if we subscribe to the notion
14 of such mercenary tradeoffs, this would be
15 totally unacceptable.

16 In 1945 after World War II, the
17 victorious Allies tried, found guilty,
18 imprisoned and then executed people whose job it
19 was to inflict random pain and death on
20 unsuspecting civilian populations. This was
21 called justice.

22 In 1990, the NRC wants to inflict

1 from 2,800 to 12,000 additional cancer deaths
2 and many more non-fatal cancers on the American
3 public so that the nuclear industry can
4 ostensibly save a little money. This is called
5 American nuclear policy.

6 (Applause.)

7 MR. KRAFT: How will history judge these
8 actions and us as a people if we do not oppose
9 the BRC policy?

10 I know my remarks have gone a
11 little long, but I hope in the spirit of
12 glassnos and peristroika you will heed my
13 remarks today.

14 Thank you.

15 (Applause.).

16 DR. PAPERIELLO: At this time, the agenda
17 shows that we are going to shift to an hour of
18 questions and answers. We have a bunch of
19 questions up here, and then we will go back to
20 complete the statements.

21 I have had a request from a couple
22 of people to take just a very short break. We

1 can take five minutes and then reconvene, and we
2 will go with the questions and answers.

3 (WHEREUPON, a recess was had.)

4 DR. PAPERIELLO: Can we resume? Can we
5 resume, get started again?

6 I'm going to -- I have had a couple
7 requests to change the agenda. I guess if there
8 is enough people who are willing I will,
9 slightly.

10 Two things. One, I have a
11 representative from the State of Massachusetts
12 Low-level Radioactive Waste Management Board who
13 cannot make the meeting and who has to go to a
14 Department of Energy meeting right after this,
15 and I have agreed to let her speak next.

16 I have also had a number of
17 requests from individuals who asked us to cut
18 the questions and answers down to half an hour
19 to let more people get their -- to make their
20 presentations, as they have other commitments.

21 If there is a show of hands to have
22 the statements and cut down the number of

1 questions? We will resume questions after we
2 get them.

3 (A show of hands.)

4 DR. PAPERIELLO: What's the feeling? How
5 many people don't want -- how many people want
6 us to keep an hour of questions?

7 (A show of hand.)

8 DR. PAPERIELLO: Well, I hate to say it.
9 The other side has it. Okay. I am trying to
10 thank everybody for their patience.

11 I will now call upon the State of
12 Massachusetts. I am sorry.

13 MS. AMICK: Thank you very much. I am
14 Carol Amick, the Executive Director of the
15 Massachusetts Low-level Radioactive Waste
16 Management Board.

17 The Massachusetts Low-level
18 Radioactive Waste Management Board is the lead
19 agency in the Commonwealth of Massachusetts
20 charged with the responsibility of managing
21 low-level waste.

22 The board was created by the

1 passage of general law Chapter 111H, the
2 Low-level Waste Management Act, and the board is
3 aggressively taking actions consistent with the
4 Governor's Milestone '90 certification to
5 fulfill the mandates of federal law, Public Law
6 99-240.

7 The management board is comprised
8 of nine persons who are charged under the law to
9 act in the public interest as they fulfill their
10 low-level waste planning and management
11 responsibilities. The professional training and
12 experience of board members explicitly mandated
13 by our law includes such areas as local
14 government administration, engineering,
15 radiological health, business management and
16 environmental protection.

17 Some board members have expertise,
18 technical expertise, in the use of radioactive
19 materials and others do not and reflect
20 different interests and concerns on this issue.

21 Because of this diversity of
22 backgrounds and views, each board member

1 represents the public's interest in a different
2 way. It is difficult for this diverse board to
3 reach 100 percent agreement on BRC, but with
4 honest input and discussion they make every
5 effort to derive an educated consensus opinion.

6 The management board has a baseline
7 position on BRC which was communicated to the
8 Commission in a letter to Chairman Carr dated
9 M. 10, 1990. The letter explains that
10 Massachusetts law contains several provisions
11 allowing the state to manage materials and
12 practices of all waste currently regulated as
13 low-level waste, including waste which may be
14 declared BRC in the future.

15 These provisions of our law are
16 founded on the principles of managing low-level
17 waste on the basis of the state's economic
18 concerns, such as matters of facility
19 utilization and allocation, and on the basis of
20 guarding against the potential liability of the
21 Commonwealth for personal injury and property
22 damage.

1 And the board was pleased that
2 Chairman Carr's response acknowledged the
3 Commonwealth's authority to manage and regulate
4 waste for non-radiological health purposes. And
5 Chairman Carr's letter states -- and I'm going
6 to turn in this testimony, but I will just pull
7 some sentences out -- that:

8 "The need for uniformity of basic
9 radiation protection standards does not
10 affect a state or locality's ability to
11 regulate radioactive materials for purposes
12 other than radiological protection or to
13 choose a site or technology when acting in
14 a non-regulatory proprietary capacity."

15 While the management board has its
16 fundamental position on Commonwealth regulatory
17 and management authority over all waste, other
18 BRC related issues remain perplexing. However,
19 the board does agree 100 percent that to have
20 thrust this new policy upon the states at a time
21 when states are trying to accomplish the goals
22 and fulfill the mandates of Public Law 99-240

1 are unnecessary complications to an already
2 extremely complicated issue.

3 Other state low-level waste board
4 agencies and authorities share this opinion.

5 The BRC policy complicates the
6 activity of our state national board in the
7 following ways: Number one, the BRC issue has
8 drawn the board's attention away from other
9 aspects of low-level waste management.

10 Unfortunately, the board's staff is
11 very small, and we are constantly responding to
12 numerous daily inquiries on BRC from citizens
13 and elected officials. And this public inquiry
14 response has taken valuable time from our major
15 task of meeting the 1990 milestone commitments.

16 Massachusetts is having financial
17 difficulties, as are many other states; and as a
18 result, this has meant a temporary reduction in
19 our state appropriations for low-level waste
20 programs.

21 The situation clearly demonstrates
22 the necessity of directing my staff, the

1 management board staff, to concentrate on those
2 activities which will enable Massachusetts to
3 fulfill the mandates of federal law.

4 Number two, the BRC issue has
5 generated significant confusion and
6 misunderstanding among the public. The public
7 is confused and perplexed. This confusion is
8 causing greater distrust of the NRC and
9 misunderstanding, anxiety and distrust of our
10 activities in the Commonwealth of
11 Massachusetts.

12 Increasing negativism on the part
13 of the public will complicate our ability to
14 meet the objectives of Federal Law 99-240,
15 especially in the extremely difficult phase of
16 siting a disposal facility for low-level waste
17 in Massachusetts.

18 Number three, the BRC issue has
19 created a political environment in which
20 rational discourse of the board's mandates are
21 more difficult. We have communities in
22 Massachusetts who are -- are considering and

1 have adopted by-laws and ordinances against
2 putting BRC waste in local landfills, even
3 though our state law already prohibits the
4 disposal of BRC waste in local landfills.

5 This is causing confusion on the
6 part of state elected officials who believed
7 that they passed a law that had this prohibition
8 in it several years ago and now are faced with
9 this confusing issue.

10 Another example. The differences
11 of opinion on the BRC have divided instead of
12 unified state leaders among states. Governors
13 must talk to governors. State low-level waste
14 leaders must communicate with their counterparts
15 in other states. But the BRC issue creates very
16 different standards for waste acceptance, and it
17 will reduce the cooperation among the states
18 rather than enhance it.

19 In order to fulfill the mandates of
20 federal law, Massachusetts, like many other
21 states, has many important issues to address.
22 For example, we are looking now at evaluating

1 the economic validity of constructing a disposal
2 facility for an annual volume of 25,000 to
3 30,000 cubic feet of waste which is predicted to
4 be our annual volume in the future.

5 The state's fiscal situation has
6 slowed the completion of all the tasks outlined
7 in Milestone '80 and Milestone '90.

8 In addition, an anti-tax group in
9 Massachusetts has succeeded in collecting enough
10 signatures to put a tax and fee rollback
11 initiative petition on our November state
12 election ballot.

13 Approval of that petition by the
14 electorate may threaten the passage by the
15 legislature of capital bond authorization that
16 we need for further low-level waste management
17 activities. Approval of this referendum may
18 lessen the chance for passage of legislation
19 which we feel is very important in Massachusetts
20 which assesses a fee on those who use
21 radioactive materials and generate the waste to
22 run our program in our state.

1 The need exists to inform the
2 public about the activities of the Commonwealth
3 in fulfilling our federal mandates, in siting
4 facilities and meeting all our other statutory
5 responsibilities.

6 The process of any future political
7 -- future negotiation with local communities
8 selected to host a disposal facility requires
9 further preparation. We need to be working on
10 that, not dealing with the BRC.

11 These are some of the management
12 board's concerns; they are not all. And I have
13 shortened my testimony because you have put me
14 out of turn, so I will turn in the full
15 testimony to you.

16 The board does not need to be
17 saddled at this time with another problem, B&C,
18 which will continue to cause confusion and
19 damage to the state's low-level waste management
20 activities.

21 We, therefore, urge you to go back
22 to the drawing board and to rethink your action

1 on BRC with respect to each of the parties,
2 including all of the states who must fulfill
3 responsibility under federal law.

4 Thank you.

5 (Applause.)

6 DR. PAPERIELLO: Thank you. I will now
7 start looking at some of these questions. I am
8 going to try to put several of them together so
9 we can cover a couple concerns.

10 I have a number of questions I'm
11 going to put -- I will answer together: What is
12 the motivation for establishment of a policy?
13 How much money does the NRC expect to save by
14 this policy? If these materials are of no
15 danger to the public, why are they now or
16 initially under regulatory control?

17 The purpose -- once something is
18 radioactive, theoretically it is never not
19 radioactive. If I start up with a certain
20 amount of material with a certain half-life, at
21 the end of that period I will have half of it.
22 At the end of another -- another same period of

1 time, I will have half again.

2 So in principle, in fact in
3 physics, once something is radioactive, it
4 decays and gradually decreases to a point --
5 well, that a scientist can't detect it.

6 My job for a number of years in New
7 York City, when somebody says something is
8 non-detectible, was to move the decimal point
9 over a couple places.

10 I can in fact detect radioactivity
11 either -- not just man-made but made by cosmic
12 rays that will give you doses in the order of
13 microrems per year. You can argue about whether
14 that's below regulatory concern.

15 We have never told licensees on a
16 systematic basis when you can give up. So
17 there's one motivation for a policy.

18 When is clean clean enough? We
19 have had practical limits. We couldn't detect
20 them. Well, what couldn't detect ten years ago
21 you might be able to detect now. What you can't
22 detect for a hundred dollars maybe you can

1 detect for a thousand dollars.

2 So there is an element of
3 practicality.

4 Another motivation, the
5 exemptions. We have exempted consumer products
6 over the years. They have been done for a
7 variety of reasons and a variety -- it's not
8 clear at this point whether or not they've been
9 on a consistent dose basis. That has to be
10 relooked at.

11 We did have Congressional
12 direction.

13 So a variety of motivations. Was
14 there economics involved? Yes, there was
15 economics involved. There is some, and a number
16 of existing exemptions today have economics
17 involved.

18 If you go to the hospital and have
19 a scan, a nuclear medicine scan -- I have had
20 one. My wife has had two of them. It is done
21 on an outpatient basis. You go home, and you
22 have radioactivity in you. If you have less

1 than 30 millicuries of radioactivity in you, you
2 can go home. You do not have to remain
3 hospitalized in a protected environment to
4 protect other people.

5 The primary motivation for that is
6 economic.

7 Is there an exposure to people
8 around you? Sure, there is. It is small?
9 Yes. What is it? I don't know, because that
10 particular exemption was made up 20 years ago,
11 before my time; and at this point I don't know
12 what the -- I don't know what that dose is.

13 So there were -- there have been
14 exemptions that have been generated over the
15 years that need to be relooked at.

16 There is another one. There is a
17 standard. A thing is not source material. In
18 fact, the words we use are "unimportant
19 quantities" -- that's taken from the Atomic
20 Energy Act -- uranium and thorium less than .05
21 percent by weight. This particular -- that
22 particular limit was based 35 years ago on

1 material that would be diverted for weapons.

2 It's not clear to me that there is
3 a consistent radiological basis for that
4 exemption.

5 So there are things that we really
6 need to relook at. The questions is -- you can
7 say, hey, we don't want any of it. There is a
8 practical problem. There is thorium and uranium
9 in the soil in our backyards. You can't say
10 license it all because that means I'd have to
11 license everything in the world: Cement,
12 bricks. So therefore, somewhere along the line,
13 I got to say, hey, I am not going to license
14 it.

15 You can turn around and say, but if
16 it's naturally occurring. Well, that
17 wouldn't -- that will get you into trouble. If
18 I burn coal -- if I burn coal, which has uranium
19 and thorium in it, I am going to enrich it. The
20 EPA and everybody that I have -- I have been
21 reading a lot of books lately in preparation for
22 this meeting.

L 1 Everybody has looked at what comes
2 out of coal stacks, coal plants. Nobody has
3 looked at what happens to the ash. They have
4 documented wonderfully all the radioactivity
5 remains in the ash. That's exempt from
6 licensing because of the .05 percent by weight
7 and not because of any dose consideration.

8 These are all the things that the
9 Commission needs to look at.

10 So there are things that deal not
11 just with economics but are practices. That's
12 the reason, I see, that we put forth this policy
13 and the motivation.

14 I don't know what we are going to
15 save in money. Maybe we will save nothing.
16 Certainly it will make a decision on what is
17 worthwhile -- we think, at least, we will make a
18 decision these things are worth worrying about
19 and other things aren't.

20 Don, why don't you answer a
21 practical question that deals with the
22 implementation of the policy.

1 DR. COOL: The question that was raised
2 had to do with whether there are reference
3 scenarios for pathway analyses that will be used
4 and whether those pathway analyses models and
5 computer codes are available.

6 The answer to the question is that,
7 yes, there are certain types of scenarios that
8 are generally used: Direct exposure, intake of
9 radioactive materials by inhalation or
10 ingestion.

11 There are a wide variety of models
12 which have been used in the past and may be used
13 in the future to model those particular things,
14 models which are used by the International
15 Commission on Radiological Protection, models
16 that have been used and endorsed by the
17 Environmental Protection Agency in their federal
18 guidance.

19 Those are the models which we will
20 use to look at the specific cases. Some of
21 those are directly available to the public.
22 Others are available through the Department of

1 Energy.

2 DR. PAPERIELLO: There have been a number
3 of questions on why we ran the meeting at this
4 particular time and the way we asked the
5 questions on cards.

6 Both of the decisions were ones
7 that you can blame on me personally. I held the
8 meeting at 1 o'clock in the afternoon because I
9 had no better time to hold it, and considered
10 that I was concerned -- wait a minute. I will
11 take the blame. So you can throw rocks at me.

12 The consideration was we were
13 supposed to hold a meeting for the entire
14 region, which is eight states. People had to
15 come from out of town; and I wanted, frankly, to
16 avoid the cost of paying the room rent in the
17 hotels in this area.

18 So I figured people could fly in in
19 the morning, have a meeting in the afternoon,
20 and fly out in the evening. You can say I was
21 wrong, but there wasn't any sinister -- no other
22 sinister motive in it.

1 MR. FONNER: I have had a few questions
2 dealing with some legal issues, and I will try
3 to answer a few of them at this point in time.

4 First question asked whether the
5 language in the policy statement -- says,
6 "Assuring that there is adequate protection for
7 the health and safety of all members the public
8 really means the same as saying that the policy
9 will ensure adequate protection?"

10 I think the answer to that is yes.
11 The linguistic variations are immaterial. The
12 concept of adequate protection, that comes out
13 of the Atomic Energy Act and sets an absolute
14 standard for the Commission to follow in
15 licensing and rule-making.

16 Another question is: Will public
17 input to rule-making and classification of waste
18 as BRC occur before rulings are issued? The
19 answer to that, again, is yes.

20 Rule-making requires public comment
21 under the Administrative Procedure Act. The
22 Commission always will publish a notice of

1 proposed rule-making. That notice will go into
2 the Federal Register. It may receive other
3 forms of publicity.

4 We are required to solicit public
5 comment. Public comment is received, and each
6 comment is analyzed.

7 And we have had rules of apparent
8 simplicity where we have literally analyzed
9 thousands of issues that have been raised by
10 members of the public, and we respond to each
11 issue that is raised and publish a response in a
12 document that is publicly available.

13 Those comments are taken seriously
14 and considered and evaluated in the formulation
15 of the final rule.

16 DR. COOL: Another one of the questions
17 that was raised related to the dose criteria. I
18 will read the question for you.

19 "The one in 10 millirem standards
20 are per person per waste stream per year.
21 What's to prevent people from being exposed
22 to multiple waste streams?"

1 The Commission considered very
2 carefully the potential for multiple exposures
3 and multiples practices and, as a result, put a
4 number of specific mechanisms into the policy
5 statement, and plans to implement that policy
6 statement to deal with them.

7 Those factors include that each
8 practice which would be considered for exemption
9 will be defined broadly so that you don't have
10 waste from one hospital being considered a
11 practice and the next hospital down the street
12 being a separate practice. Those will be
13 aggregated on a regional and national basis to
14 assure that you don't have multiple practices
15 from that.

16 The Commission established a 1
17 millirem criteria such that even if an
18 individual were a member of the critical group
19 from several practices, that the aggregation
20 would not approach values that would be a
21 significant fraction of the internationally
22 recommended dose limits.

1 The analysis that will be conducted
2 by the NRC will include all of the possible
3 pathways and the possibility for aggregation or
4 concentration of materials once it has been
5 released.

6 A VOICE FROM THE FLOOR: I can't stand
7 this. Are you going to tell us how you are
8 going to control that? Who is going to enforce
9 it? How are you going to know how much anyone
10 is exposed to?

11 DR. PAPERIELLO: I would ask you at this
12 point how does the NRC know now?

13 (Applause.)

14 DR. COOL: I will respond to specific
15 questions.

16 The Commission has stated, if you
17 recall the presentation I made at the beginning
18 of the meeting, that it is going to establish
19 conditions and constraints that it intends to
20 inspect and enforce on meeting those conditions
21 and constraints and --

22 A VOICE FROM THE FLOOR: At every landfill

1 and incinerator in the country? You are going
2 to have the nuclear police stationed at every
3 facility in the country, at every recycling
4 center, testing every piece of metal that's sold
5 on the market?

6 DR. COOL: Commission intends to inspect
7 and enforce the conditions and constraints they
8 establish on its licensees.

9 In dealing with multiple -- the NRC
10 also plans to look at the exemptions which are
11 issued and which have been issued and determine
12 whether or not at future times there have been
13 built-ups such that there could be multiple
14 exposures and, if necessary, go back and relook
15 at those conditions.

16 A VOICE FROM THE FLOOR: Long after the
17 damage is done.

18 A VOICE FROM THE FLOOR: How many
19 inspectors do you have? How often will they go
20 out? What are their criteria?

21 MR. FONNER: I am sorry. Lady in the
22 peach dress there. I didn't hear the question.

1 A VOICE FROM THE FLOOR: I want to --

2 MR. FONNER: I want to respond to an
3 earlier issue.

4 It's come up over and over again in
5 the course of the statements made by people and
6 I think in this last issue of questions about
7 disposal of waste in sanitary landfills.

8 It's the position of the General
9 Counsel's office at the NRC that the fact that
10 the NRC might under its policy release from
11 regulatory control certain low-level waste
12 because of the minimal health consequences that
13 that waste embodies does not preclude states or
14 municipalities or private operators from taking
15 steps either through legislation or regulation
16 or the way they operate the landfills from
17 precluding that waste from going into the
18 landfill.

19 We know for a fact that some
20 national waste disposal companies already
21 monitor waste that they are picking up to go to
22 landfills, and they reject that waste. And that

1 does not present a problem to the Nuclear
2 Regulatory Commission. That is a use of real
3 estate, real property, that's within the
4 competence of the states.

5 A VOICE FROM THE FLOOR: But agreement
6 state policy will precluded the states from
7 doing so due to compatability requirements; and
8 moreover, it so states in the BRC policy.

9 MR. FONNER: That is a question which is
10 asked of me, and I will get to answering that
11 when I get to the question. Will you wait?

12 A VOICE FROM THE FLOOR: Answer it now.

13 MR. FONNER: Mr. Owen, who was the
14 administrator of the radiological health program
15 in Columbus, Ohio, has asked that precise
16 question, and I will read to you his question:

17 "In what manner will the NRC resolve
18 the issue of compatibility given that the
19 Low-level Radioactive Waste Policy
20 Amendments Act of 1985 shifts
21 responsibility for low-level radioactive
22 waste disposal to the states and wide

1 latitude for implementation of same by the
2 states?"

3 First of all, I will read to you
4 the answer that was given by the Commission to
5 Congressman Martin, who raised the same question
6 in a series of questions presented to the
7 Commission this summer.

8 The answer states:

9 "The regulatory authority of an
10 agreement state could be affected by future
11 NRC rule-makings implementing the BRC
12 policy. However, in order for agreement
13 state authority to be affected, the
14 particular BRC rule-making would have to be
15 sufficiently important for NRC to make the
16 rule a matter of strict compatability. If
17 this were to occur, agreement states
18 would need to adopt conformity rules. The
19 basis for requiring compatibility in
20 agreement state programs is Sections
21 274(e)2, 274(g) and 274(j) of the Atomic
22 Energy Act."

1 Now, in the context of the
2 Low-Level Radioactive Waste Policy Amendments
3 Act of 1985, that does not mean that the waste
4 is deregulated from the standpoint of the
5 state's obligation to provide disposal capacity
6 for that waste. And if the state has access to
7 a low-level waste disposal site for that waste,
8 and if that state chooses to preclude the use of
9 landfills for that waste, the waste will
10 perforce be required to go to that low-level
11 waste disposal site licensed either by an
12 agreement statement or by the Commission.

13 I think that is the clear answer,
14 the clear implication of what the Commission is
15 saying and what the law presently requires.

16 A VOICE FROM THE FLOOR: Where is that
17 stated in the policy?

18 MR. FONNER: I don't think that's stated
19 that expressly in the policy.

20 A VOICE FROM THE FLOOR: It isn't.

21 (Laughter.)

22 MR. FONNER: But the policy does not

1 answer all questions that might come up.

2 MR. HICKEY: I have one specific
3 question: How does BRC apply to mixed waste?
4 The question is referring to waste that is not
5 only radioactive but contains chemical hazard,
6 for example benzene, that might be contaminated
7 with radioactive material.

8 And as background, a hazardous
9 waste has to be disposed of in a hazardous waste
10 disposal ground; and radioactive material has to
11 be disposed of in a radioactive waste burial
12 ground. And there are no facilities where you
13 can dispose of material that is both radioactive
14 and hazardous.

15 The answer is that if the hazardous
16 waste is classified as BRC, then it will
17 considered no longer radioactive; and so it
18 could be disposed of in a hazardous waste
19 ground.

20 A VOICE FROM THE FLOOR: Which is
21 linguistic detoxification.

22 MR. HICKEY: There are also some questions

1 related to consumer products:

2 "Assuming BRC goes through, will
3 products which contain low levels of
4 radioactive waste be labeled? Will I buy
5 my son a nuclear bicycle for Christmas?
6 And if you are going to allow the reuse or
7 recycling of contaminated equipment into
8 products, how can I be made aware of these
9 awful products?"

10 In some cases, the consumer
11 products are or will be labeled. Smoke
12 detectors are labeled now. But we recognize
13 that in some cases that will be -- will not be
14 practical because if the material is recycled,
15 the label cannot go along with the recycling
16 material.

17 So in some cases you will not know
18 that the material has slight radioactive
19 contamination, and the primary criteria will be
20 our decision that the material is of a low
21 hazard.

22 The labeling question will be

1 addressed where it's practical. If it's not
2 practical, then you will not have a label.

3 DR. COOL: There were several questions
4 related to the background values that were
5 presented earlier for radiation exposure. This
6 question, which was multiple-part, dealing with
7 what the background is of our industrial -- and
8 I assume you mean applications, background
9 levels at the present time, percentage of
10 background increase to the general population if
11 reclassified low-level waste enters people's
12 home via recycling stream and statistical
13 increase in total cancers attributable to this
14 increase.

15 In addition, there were other
16 questions dealing with what was included within
17 background and in particular what -- whether the
18 exposures from fall-out from weapons tests
19 conducted 20 or so years ago were included.

20 The answer to the last question, I
21 will take that for the first order. The
22 background exposures which we have presented in

1 a slide for you which are included within the
2 policy statement booklet which was available at
3 the desk were assembled by the National Council
4 on Radiation Protection and Measurement included
5 fall-out exposures from the nuclear weapons
6 testing program. It included various industrial
7 applications. It included nuclear fuel cycle
8 powerplant effluence and various other
9 miscellaneous contribution which I can't
10 elaborate on in detail.

11 That report is available from the
12 National Council on Radiation Protection and
13 Measurement which is an independent
14 Congressionally chartered group.

15 In terms of the percentage of
16 increase of exposure for potential recycling
17 streams is really impossible for us at this
18 time, as it would be impossible for you, to
19 predict what sort of proposals might be made for
20 the recycling materials.

21 No one has asked the Commission to
22 consider recycling of radioactive materials.

1 Should such a proposal be presented to the
2 Commission, we would have to consider that kind
3 of rule-making process through public comment;
4 and that proposal would have to meet the
5 criteria of the policy statement, which would
6 mean that the maximum individual under very
7 conservative calculated scenarios would need to
8 be less than 1 millirem per year. And any sort
9 of average individual as a result of that would
10 be significantly less than that.

11 MR. HICKEY: Question:

12 "If the NRC changes its mind about
13 what level of radiation is BRC, if they
14 decide they should tighten restrictions,
15 how will they track down and survey the
16 radioactivity of dump sites, consumer goods
17 and landfills? The NRC plans to maintain
18 no record of the fact of BRC materials, so
19 how can they correct the problems that the
20 current BRC levels may cause?"

21 We have to acknowledge that once
22 the material is released into the unregulated

1 status in public domain, that it's unlikely that
2 that it can be tracked down. So the enforcement
3 has to be at the front end.

4 A VOICE FROM THE FLOOR: What about
5 enforcement? You haven't said anything. Did
6 you beef up the fines and sentences? Right now
7 in Illinois the maximum is \$500 for certain
8 things. And the guy -- it's cheaper for him to
9 dump than it is to pay that \$500 -- or it's
10 cheaper for him to pay the \$500 than it is to
11 dump. So he dumps.

12 So what are you doing with nuclear
13 waste? Is it going to be the same route as
14 regular dumping? And the Mafia has big control
15 over this dumping.

16 What are you going to do with s
17 stuff that's thrown all over the highway w
18 you are not looking?

19 MR. FONNER: I am going to try to answer
20 your question. I don't know. What is Illinois
21 law and Illinois imposes as penalties is a local
22 issue.

1 If you don't like the Illinois
2 penalty, you think it's too low or not strict
3 enough, your remedy is with your state
4 legislature.

5 A VOICE FROM THE FLOOR: I want to know
6 how yours is any better.

7 MR. FONNER: Under the Atomic Energy Act,
8 violation of the regulation of the Commission --
9 we have a regulation that says you have to take
10 certain safety precautions in transport; that
11 there are limits on radiation and how you use
12 the materials. Violation of our regulation is a
13 felony subject to ten years in prison and a
14 \$10,000 fine.

15 A VOICE FROM THE FLOOR: Who goes to
16 jail? I want to see somebody go to jail.

17 (Applause.)

18 A VOICE FROM THE FLOOR: If I steal a loaf
19 of bread, I go to jail for the rest of my life.

20 MR. FONNER: We have not sent anybody to
21 jail yet on low-level waste conditions. We have
22 sent people to jail who supply fraudulent polls

1 for nuclear power reactors, who falsify records
2 of training and in certain other instances of
3 that nature.

4 A VOICE FROM THE FLOOR: The whistle
5 blowers get pushed out.

6 DR. PAPERIELLO: At this point we will
7 resume the statements, if we could.

8 I just want to make something clear
9 with the transcripts. The availability has been
10 noted at the door on the agenda that I passed
11 out.

12 There will be eventually all of the
13 transcripts in the five regional meetings, the
14 questions, all the issues will be identified;
15 and there obviously will have to be a response
16 to it.

17 There will be an executive summary
18 that is available on the main report if you ask
19 for it, if you sign up for it at the door.

20 I anticipate that all the questions
21 -- there's a lot, obviously, we didn't get to.
22 A lot of them are repetitive or they reflect the

1 issues that you have already made in your
2 statements.

3 The common issues that have been
4 identified will be discussed in the -- will be
5 identified and discussed in the report.

6 I will call -- I will ask you at
7 this point to please stay within the five minute
8 constraint or other -- some people here may not
9 get an opportunity. They will just give up and
10 leave.

11 I will stand up after four minutes
12 to give you an identification that you have a
13 minute remaining, and I will apologise if I
14 pronounce anybody's name wrong. I am good at
15 this.

16 Jeff Balch.

17 MR. BALCH: Good afternoon. My name is
18 Jeff Balch. I have written a song for the
19 occasion. I don't have my guitar with me. I
20 don't have the nerve to sing it a cappella, so
21 I'm going to recite it to you.

22 It's called "Below Regulatory

1 Concern."

2 I was strolling to the soda shop to
3 get me a malt when I got mugged and robbed. Got
4 my head stepped on. There was a cop on the
5 corner. He witnessed the assault.

6 He walked on over when thieves were
7 gone. He had a big old gun. His shades were
8 black He was calm and tough and taciturn. He
9 said, I would have jumped in but it looked like
10 this attack was below regulatory concern.

11 When I asked him what he meant, he
12 said, You hurt real bad? I said, Some bruises
13 and my head feels strange. He said, How much
14 stuff did you lose? I answered, My credit card,
15 five bucks and some change. He said, The
16 department's got a new mugging policy now. It
17 may strike you as little bit stern, but if the
18 injuries are minor and the theft is small, it's
19 below regulatory concern.

20 So I went to my savings and loan to
21 get some cash to replace the cash I did lose. I
22 said, Let me have my money. Well, they just

1 looked at me funny and said, Buddy, ain't you
2 heard the news? All across the nation there was
3 thrift deregulations. Your deposit cannot be
4 returned. This savings and loan was sucked dry
5 as a bone. It was below regulatory concern.

6 So I walked along and passed a kid
7 who wacked me in the knee with a baseball bat.
8 His dad was standing just a couple feet away. I
9 said, You just going to let him get away with
10 that?

11 The dad said, Hey, the kid's still
12 young. Give him some time; he will learn. But
13 for now, since he hasn't killed anybody, he's
14 below regulatory concern.

15 Well, I moved back home, and from
16 the end of the lane I saw flames shooting out of
17 my house. There was a fireman there. He asked,
18 Who's inside? I cried, My two kids and my
19 spouse.

20 Well, the fireman says, I am sorry,
21 pal, but we are going to have to let the thing
22 burn, because with less than one spouse, four

1 kids, two pets, it's below regulatory concern.

2 Now we are gathered here today to
3 discuss deregulation of some kinds of nuclear
4 trash, and the NRC says that the deaths will be
5 few and that BRC will save them some cash.

6 Well, I think we ought to answer
7 them very clearly before we all adjourn, that
8 nothing that causes people to die is below
9 regulatory concern.

10 (Applause.)

11

12

13

14

15

16

17

18

19

20

21

22

1 MR. PAPERIELLO: I would ask Bruce Macking,
2 Bruce Macking.

3 MR. MACKING: My name is Bruce Macking. I am
4 the coordinator of the Chicago based environmental
5 group TERRA. A lot of things have been said, and
6 I just want to restate a few things very simply.
7 The NRC is basically saying this is a low risk
8 policy. It's true that there is nothing that is
9 going to be no risk. But I think that a lot of
10 the radiation standards that have been put out are
11 lower than the standards that are being
12 promulgated by the NRC in the BRC.

13 And one thing we need to keep in
14 mind with radiation is that there, and it is what
15 people thought in the 50's with radiation, is that
16 there was a threshold and once you got through
17 that magic threshold, there was no radiological
18 damage that would occur. And we know not only is
19 that not true, but it is very obvious that in some
20 ways very low radiation could be more damaging
21 than higher doses of radiation in certain ways.

22 And there have been studies that

1 have warded out some of this. There is the report
2 that was analyzing the Nagasaki survivors and
3 there was the study that was recited earlier by
4 Judith Johnson done by Dr. Stern and George
5 Nielson in England where they found that the vast
6 majority of childhood leukemia came from exposure
7 to the in utero radiation.

8 And the fact is, and this is to the
9 NRC, is that people are going to die. They're not
10 going to die in the same way you see a bunch of
11 people killed by a serial killer on the 10 o'clock
12 news, but they are going to be just as dead. One
13 out of twenty-five people die of cancer here over
14 a, well, over a lifetime and this will not make a
15 huge blip on that death rate, but it's still going
16 to be people, extra people who will die. We don't
17 want a bunch of extra people dying. And that's
18 what the Nuclear Regulatory Commission should be
19 looking toward.

20 It's like some people are going
21 to die from background radiation. Of course,
22 that's true. But we need you to keep in mind that

1 we want as few people to die as possible. We
2 don't want to say, "Let's forget about this."
3 It's kind of like sweeping it under the rug or
4 something. I find it very ironic that there is
5 another Illinois State Law that you can't put your
6 grass clippings or your leaves in with your trash.
7 But now radioactive waste will be able to go out
8 with the trash. It's one of life's little ironies
9 here and it's very ridiculous.

10 I think the commissioners of the NRC
11 need to reflect on what's the right thing to do in
12 terms of public health. And I also would say the
13 same thing of people that are NRC staff members.
14 I think you need to really, really consider this
15 and if you really feel that this is not a good
16 idea, and I know for a fact that not everyone in
17 the NRC thinks that this policy is a good idea, I
18 think that you should speak out. I mean, this is
19 not Iraq where Saddam Hussein has people that
20 disagree with him dragged out of the room and shot
21 right at the moment.

22 The bottom line is we have had

1 environmental problems that we created, either
2 through ignorance or just turning blind eye to
3 things and we were stuck trying to figure out how
4 to clean up those. This is one that has not yet
5 quite happened, and it doesn't need to happen.
6 And I would like to see the NRC reflect on this
7 again so that it doesn't have to happen.

8 Thank you.

9 MR. PAPERIELLO: Thank you. Robyn Michaels.

10 MS. MICHAELS: Good afternoon, ladies and
11 gentlemen. My name is Robyn Michaels. I am a
12 graduate student of Urban Planning and Policy at
13 the University of Illinois at Chicago. I was a
14 founding board member of Uptown Recycling Station,
15 one of the first community based recycling centers
16 in the country.

17 I didn't go to college until I was
18 thirty because I was making a good living and
19 owned my own home. I had a lot of security. It
20 was a trip to Africa in 1985 that made me decide
21 to attend college. I wanted to know how people
22 made decisions about protecting their natural

1 environment.

2 I majored in cultural anthropology
3 because of its holism; that is, I knew there were
4 psychological, economic, historical,
5 philosophical, sociological, and political factors
6 behind most communities' decision-making.

7 Although my minor ended up being international
8 intercultural studies, I took fifteen credit hours
9 in environmental science.

2
10 Thus, my education and knowledge is
11 recent. I learned about habitat and natural area
12 conservation, solid waste and, the bottom economic
13 line, energy issues. I had a prior interest in
14 factors causing population growth, and that is an
15 issue intertwined with all the others.

16 My gut reaction to allowing the
17 disposal of low level nuclear waste as though it
18 was non-hazardous was amazement that someone
19 involved in the profit from low-level waste got
20 this far with this dangerous scheme. I have been
21 taught that all landfills leak at some point.
22 Usually, they start leaking after the operator is

1 no longer legally responsible. Yet, even the idea
2 of being legally responsible for citizens being
3 harmed by toxins is an oxymoronic thought.

4 My specialization in planning and
5 policy is educational policy in community
6 development. In my research, I found that
7 politicians and administrators have been gravely
8 concerned about the low level of scientific
9 literacy of US citizens for about thirty years,
10 since the USSR launched Sputnik. Our leaders, and
11 I use the term facetiously, hope that by making
12 Americans scientifically literate, we will come up
13 with a cure for natural laws. That is, we will
14 come up with solutions that go beyond the bounds
15 of nature, like making poison nonpoisonous. The
16 knowledge we get from knowing science is that
17 matter is neither created or destroyed, but we can
18 make matter poisonous and, due to laws of physics,
19 there is a net energy loss in making poisons
20 nonpoisonous.

21 To put the matter simply, nuclear
22 waste in any concentration comes as close to being

1 a universal solvent as we can get. It can't be
2 contained and shouldn't be produced. We really
3 don't need poison to live. The perpetrators of
4 this industry have taken advantage of a nation
5 kept ignorant of the real danger of nuclear
6 materials. Yet, many of the people you see here
7 managed to survive the education they were given.
8 They educated themselves.

9 In a way we speak as representatives
10 for our communities which are generally less
11 informed. We have torn ourselves away from our TV
12 sets and Madonna, our jobs and mundane aspects of
13 our lives, to tell you that we don't want to glow
14 in the dark and we don't want our children's
15 children to glow in the dark and we don't want our
16 friend's children, many of whom are struggling in
17 developing countries, to glow in the dark. We
18 don't allow drug dealers to poison us. Why should
19 we allow the nuclear industry to do so?

20 This is a matter of real science and
21 appropriate technology. Because we have the
22 capacity to produce as much poison as any other

1 country or more, it doesn't make us intelligent.
2 For the amount of money the nuclear industry
3 spends on flimflaming us, they could have
4 developed solar and wind products to satisfy many
5 consumer needs.

6 When I was in Africa, I saw
7 televisions powered by the sun. If they can do it
8 in places with no technology and no infra-
9 structure, we can certainly do it here. And if
10 the issue is the amount of products that have to
11 be produced to satisfy the number of consumers
12 there are, it is then a population issue with
13 economic theory. Industries will soon have to get
14 comfortable with the concepts of zero and negative
15 population growth if they want to have any
16 consumers. But that is yet another issue.

17 To sum up, I am aghast that such a
18 policy as Below Regulatory Concern would be
19 considered seriously. I can only imagine that you
20 have very poorly trained scientists on the staff
21 of the NRC, and that none of you drink or bathe in
22 water.

1 MR. PAPERIELLO: P. Hasbrouck, and I apologize
2 again.

3 MS. HASBROUCK: Hi, my name is Phyllis
4 Hasbrouck. I am the Director of a Chicago based
5 Environmental Group, TERRA. But I'm speaking here
6 mostly today as a mother of two small children
7 because they are among the most vulnerable to the
8 increased radiation exposure which your BRC policy
9 is going to let loose on us.

10 Your scientists tell us that only
11 3.5 out of 10,000 people will die of cancer from
12 your policy. Well, who gave you the right to say
13 that thousands more people should die an
14 agonizing death. And what about birth defects,
15 miscarriages and damages to the immune system,
16 which you don't even address in this policy.

17 Have any of you ever had a child
18 with a birth defect? Have any of you ever stayed
19 up all night with a crying, hurting, sick child?
20 The anonymous list of individuals which you so
21 easily dismiss are real people with real families.
22 How many people in the audience have lost a family

1 member to cancer? Raise your hand.

2 (Whereupon the audience
3 signified by raising their
4 hands.)

5 Look at that. How many have lost a
6 friend or colleague?

7 (Whereupon the audience
8 signified by raising their
9 hands.)

3
10 We say enough is enough. One of the
11 NRC speakers was at pains to reassure us that only
12 a few individuals will receive the full dose of
13 radiation under this policy. Are you implying
14 that garbage men's and truckdrivers' and steel-
15 workers' lives are not worth as much as other
16 people? Should we be prepared, as you apparently
17 are, to accept their agony and their death happily
18 because it's not us?

19 If you on the NRC could somehow be
20 given a list in advance of all the names of your
21 victims and you approve this policy anyway, you
22 would quite possibly be arrested and tried for

1 premeditated mass murder. But what difference
2 does it actually make that you don't have those
3 names in advance? The people will be just as dead
4 and their orphans, their widows and widowers will
5 be just as bereaved. How different is this BRC
6 policy from premeditated murder?

7 I am not willing to sacrifice this
8 precious child to put more money into the coffers
9 of the nuclear industry. And I will do everything
10 I can to mobilize other parents that don't want to
11 see their children fall victims of leukemia and
12 all the other diseases that are likely to happen
13 from this policy. I urge you as parents, as you
14 probably are, to reconsider what you are about to
15 do to the children of this country.

16 Thank you.

17 MR. PAPERIELLO: Thank you. I call upon Helen
18 Denham.

19 MS. DENHAM: Hi, my name is Hellen Denham and
20 I am a national coordinator with the Student
21 Environmental Action Coalition. SEAC is an
22 alliance of over 750 student environmental

1 organizations and 2,300 individuals dedicated to
2 creating a just and healthy planet.

3 We seek a voice in the decisions
4 that affect our lives and the environment within
5 which we exist. We are dissolutioned by the
6 disregard for human health and for the democratic
7 process that the NRC has shown in issuing a new
8 BRC policy. Today we face a future in crisis.
9 Environmental catastrophe does not remain a remote
10 possibility in the future. It is here now.

11 Never before has there been an
12 extinction rate comparable to today's. We are
13 radically destroying acute forests, rare species
14 and indigenous people. Not only are we
15 devastating biological earthlings through habitat
16 destruction, pollution and the slaughter of other
17 species, but for the first time we are having a
18 systemic impact on the life support system on
19 earth through the destruction of the ozone layer,
20 the greenhouse effect and world wide radioactive
21 and toxic waste.

22 These examples of destruction are

1 symptoms of a maladapted civilization that we
2 award short-term economic gain over sustainable
3 growth that serve the wants of the few and the
4 needs of the many and excludes our presence under
5 represented groups in society.

6 As young people with our whole lives
7 before us, we are appalled by the state of the
8 world we are inheriting. Decision makers seem to
9 have no qualms about using our earth, our air, our
10 water as a dumping ground for wastes of all types.
11 Our job is to act as caretakers of the planet for
12 future generations, and we wonder what type of
13 people can leave these poisons for their own
14 children.

15 We have come to understand that the
16 system is not working. People are dying today as
17 results of current policies. Those who are most
18 affected often have no say. This disregard for
19 democracy is shown in the hearing process we see
20 today. Look around us. For a matter of crucial
21 national importance, a total of only five public
22 hearings have been scheduled, with no hearings in

1 New York, Los Angeles or Washington DC, the media
2 capitals of the nation.

3 Today's hearing is held in the
4 middle of a workday during the summer in the
5 middle of the week and in a relatively
6 inaccessible location far from the city's center.
7 This is virtually guaranteeing a low
8 turnout--although I was pleased and excited that
9 there was as many people here today as
10 possible--and a low turnout of working people and
11 students.

12 The impact of the BRC policy will be
13 felt by many sectors of society, but once again
14 the hardest hit sectors will be those communities
15 primarily with low income and minorities where
16 landfills or incinerators are sited. The federal
17 and state regulators consistently shirk their
18 responsibilities to listen to the concerns of
19 those communities, choosing instead the side of
20 the industry, favoring backroom deals rather than
21 public participation.

22 In a country and increasingly a

1 world community dedicated to ideals of democracy
2 and individual liberties, the NRC's tactics stand
3 out as a painful anomaly. The NRC has rejected
4 the recommendations of its own staff, worldwide
5 nuclear and environmental regulatory bodies,
6 congressional leaders and local communities. This
7 shows nothing but disrespect for the due process
8 of representative government.

9 We also find it curious that the new
10 policy has been issued at a time when decades of
11 mismanagement of nuclear weapons production sites
12 have been uncovered. For the first time, the
13 levels of contamination surrounding such places as
14 the Rocky Flats has been uncovered. And the
15 necessity of attempting a cleanup has been
16 acknowledged by the DOE. At such a time the
17 loosening of restrictions on radioactive wastes
18 should be looked upon with great suspicion giving
19 incentives to government regulators to issue
20 policies which will lessen the cleanup costs.

21 The NRC efforts to reclassify
2 significant portions of hazardous low level

1 radioactive waste as below regulatory concern are
2 a step in the wrong direction. As students, we
3 demand that our futures be protected, not
4 sacrificed for the benefit of the nuclear
5 industry.

6 Thank you.

7 MR. PAPERIELLO: Thank you. I call upon
8 Rosemary Quillan.

9 MS. QUILLAN: I didn't prepare a-- Well, I
10 didn't prepare any written thing. I'm just going
11 to do this ad-lib. I have no watch, so if
12 somebody will tell me when I'm done. I've had two
13 cancer operations, one in 1988 and one in 1989.
14 Then I had angioid displacement, and I had to go
15 into the hospital for a transfusion from August to
16 December every month.

17 Every time I went into that
18 hospital, they wanted to give me a chest x-ray. I
19 had to refuse. I had to fight for my life.
20 Because I would have been getting a chest x-ray
21 for six months every month. And that helps me get
22 more cancer. I don't know if my original cancer

1 came from chest x-rays or if the government gave
2 it to me because my mother, nobody in our family
3 ever had cancer like that. So, I really think I
4 got it from somewhere in the atmosphere.

5 But the point is that these people,
6 I don't know if they have ever had any experience
7 along these lines or if they ever had the
8 insightfulness to look and find out what the
9 reasons might be, but the only thing I know is
10 that this literature that they have prepared sure
11 doesn't tell me what I want to know. For example,
12 they say that here-- Oh, I don't know.

13 Okay. But like when Dr. Cool was
14 talking, he didn't say who he was talking about.
15 He said that certain people would be dosed in
16 certain ways, wouldn't be allowed to do it or
17 something. But he wouldn't tell you who he was
18 talking about. How are they setting up these
19 measurements? How are they limiting the dosage?
20 Who do they limit it to? And when they give the
21 stuff out to people to dispose of, how do they
22 regulate it? How do they say, "Well--

1 And, oh, here is another thing
2 that's very important. The way I understand it,
3 low level waste contains high level waste. When
4 they talk about low level waste, all they are
5 talking about is they are excluding spent fuel
6 rods. But the whole other stuff is lumped
7 together. So when they give it to somebody, how
8 do they sort out the real low level waste from the
9 high level waste?

10 And what are they talking about?
11 All this man mentioned was thorium and uranium.
12 We don't know what else he is talking about and
13 this is supposed to be a public hearing that
14 happened after the fact where they are giving this
15 information. And I can't get any. And I'm going
16 to go and sit down because I can't think of what
17 else I have to say.

18 UNKNOWN VOICE FROM THE AUDIENCE: If you guys
19 think it's safe, why don't you guys hold onto it a
20 while until you and decide it is safe?

21 MR. PAPERIELLO: Well, people are complaining
22 that they are not going to have time to make

1 statements. If I don't turn around and take them,
2 they are not going be able to make them. They are
3 going to have to go home.

4 MS. QUILLAN: Do I still have time, because I
5 just thought of something?

6 MR. PAPERIELLO: Sure.

7 MS. QUILLAN: The way I understand it,
8 Congress gave them the responsibility for
9 decommissioning these nuclear sites where all this
10 stuff is spilling out into the air and into the
11 water. And just recently, the Rocky Mountain
12 Flats which was one of the most notorious back in
13 about the 40's or 50's was supposed to be giving a
14 lot of people trouble with radioactive iodine in
15 thyroids.

16 That just went back into operation
17 and so did the one down in South Carolina where
18 they were doing thorium. Furthermore, I
19 understand there is a whole bunch of them all
20 across the United States. There are two in Ohio
21 alone. I wouldn't want to be there. But the
22 point is Congress has only appropriated money for

1 four sites, four defense sites for this year.

2 I would like to know from these
3 people how they are moving ahead with this
4 decommissioning business of cleaning up the mess
5 we've already made and I would also like to know:
6 Why is there no environmental impact statement
7 required when they do the nuclear tests
8 underground. Now, we've had a lot of earthquakes
9 and other kinds of phenomena this year and what
10 I'm wondering, in California too, what I am
11 wondering is those are a whole lot more megatons.
12 I think it's one and a half times what leveled
13 Hiroshima and Nagasaki is what they are spilling
14 out when they do the tests in Nevada.

15 And the thing is, I don't think that
16 that just stays there. If it can't go up into the
17 air it has to go around making circles and maybe
18 it disrupts the ground and causes some of these
19 earthquakes, but yet you are not allowed to have
20 any environmental impact statement. I don't know
21 if Congress has any oversight over it, and it
22 looks to me that it's running wild and they don't

1 give a good God darn. Excuse my French.

2 MR. PAPERIELLO: Thank you, Ms. Quillan. As a
3 point of information, the NRC does not regulate
4 DOE facilities, not by law. And just again
5 another point of information, a point of
6 information. There are a lot of sources of
7 radiation. By law, we regulate a very limited
8 number of these. Just by law.

9 I mean, Congress gave x-ray machines
10 to somebody, radium balloons with the states,
11 accelerators, frankly belong with the states, not
12 with us. We regulate the material, provide the
13 fuel for a nuclear reactor, the nuclear reactor
14 and anything that is made radioactive incidental
15 to the use of the nuclear reactor.

16 I can't change that. You can. You
17 can go to Congress and Congress can right the law
18 any way they want. But I cannot suddenly say,
19 "Hey, I'm going to do x-ray machines." I can't do
20 that. That is just a question or matter of law.

21 Okay. I would like to call on--

22 UNKNOWN VOICE FROM THE AUDIENCE: They are not

1 likely to give you more regulatory power over more
2 sources of radiation, believe me.

3 MR. PAPERIELLO: I understand. I understand.
4 Dan Ballocult. Is he here?

5 (No response.)

6 William Tour.

7 MR. TOUR: Hello, my name is Will Tour and I
8 am a national counsel member of the Student
9 Environmental Action Coalition. I represent one
10 of thousands of students around this country who
11 have a personal stake in the Nuclear Regulatory
12 Commission decision on the Below Regulatory
13 Concern policy.

14 I keep hearing that students of this
15 country are our future. Well, it seems to me that
16 unless we take the future in our own hands and
17 start acting now, there isn't going to be a future
18 for us to inherit. Over the last couple of years
19 as we began to realize the things that are facing
20 our earth, students began making their own changes
21 in their own lives.

22 A lot of us try to drive less. We

1 recycle our waste. We conserve energy. But I
2 think a lot of us realize that the time has come
3 and we need to do more. Now we need to tell the
4 corporations that are polluting our future that we
5 won't buy from them and we will shut them down.
6 And we can tell the legislators who are voting our
7 future away that we are going to vote them away.

8 Looking at the policies that we are
9 discussing today, I see basically no reason for
10 them. The nation's increasing reliance of nuclear
11 power and entrustment in the BRC policy are
12 consistent with the lack of energy that this
13 country has, the same lack that is leading us to
14 war in the Middle East.

15 As students, we're beginning to
16 learn what we can and what we cannot expect from
17 our government. What we can expect is disregard
18 for human health and what we cannot expect is the
19 effective control of polluters. In this policy,
20 which will lead us to a thousand bolts of light
21 isn't the thousand bolts of light which I remember
22 people voting for a few years ago. It would lead

1 to increased danger to recyclers to consumers and
2 people all over the country.

3 It is used for this generation of
4 the world, the leaders, teachers, policy makers.
5 Now, in a ludicrous turn of events, we start
6 seeking in terms of preparing the earth for the
7 next generation. If we don't act quickly, I am
8 afraid we may face in many ways a barren and
9 desolate future.

10 Today I'm here as one voice in
11 protest. I want to send a message to decision
12 makers in this country and their new policies, be
13 it BRC or other policies which not only affect my
14 future and the future of other students, but the
15 future of our children and grandchildren: What
16 kind of message are you sending to us when you
17 tell us that corporate profits are more important
18 than our health?

19 It's time that we start holding our
20 government and the corporate world accountable for
21 their decisions and it's time that as students we
22 get a voice in the decisions that are affecting

1 our environment and our future and we basically
2 demand that the NRC rescind this policy.

3 Thanks.

4 MR. PAPERIELLO: Thank you. Mr. Richard
5 Kassanits.

6 MR. KASSANITS: Hi, my name is Rich Kassanits.
7 I am cofounder of a group called the Thorium
8 Action Group out of West Chicago. We were-- We
9 have some experience with the NRC and, well, with
10 one of their friends, Kerr-McGee and the policy
11 concerns us directly in West Chicago and we think
12 of the people in West Chicago as being sort of a
13 prototype group.

14 The AETNA lady here from the
15 southeast side was also involved with direct
16 radioactivity in the proximity of her home. And
17 all the people who live around nuclear power
18 plants face the same concern as we do and that's
19 that this policy will allow companies like
20 Kerr-McGee and nuclear power industries to clean
21 up lands that will be open for public use to a
22 higher level than it would before, thus saving the

1 company money.

2 Kerr-McGee I'm sure intends to do
3 that too. And let me tell you about my biggest
4 fear is the loopholes in this policy, the BRC
5 policy. You read it and it says that a lot of
6 these issues won't be discussed. They will be
7 hammered out in rule making in the future. They
8 use-- They give you basic numbers, but they say
9 that those numbers could change during their rule
10 making and the future.

11 So that means if an industry asks
12 for something, a higher level, than that will
13 become the standards to be applied to other
14 industries around the country. And in this case
15 if Kerr-McGee would get away with climbing up to a
16 higher level, that level then, as I understand
17 what I heard here today, that level would then be
18 the standard under the rule making process that
19 other companies could follow.

20 It's interesting to see this graph
21 that was displayed on the screen over here as part
22 of the package. They have the exemptions as

1 being 10 millirems per year per person and they
2 have the possible exemptions as being a hundred.
3 The collected dose that they possibly would exempt
4 go off the scale here. I think it was out to a
5 100,000 person rems which add at the dosages that
6 they are talking about, they could very well
7 consider giving a hundred millirems dose to every
8 person in the State of Illinois. And that's just
9 a rough outline.

10 I, you know, I have to agree that
11 there are protective limits and there are some
12 line that should be drawn. But the line that the
13 BRC policy isn't really drawing, is just
14 conjecturing at, is way out of line. You have
15 to-- You have limit amounts of resources that you
16 can clean up to.

17 But one BRC policy statement that I
18 got when commissioner, commissioner of the NRC,
19 one of the NRC commissioners, said that the ten
20 millirems dose is ten times too high and that the
21 thousand a person rem is ten times too high.
22 Well, that tells you something. I mean, one of

1 their own commissioners of the NRC is saying that
2 this whole policy is ten times too high. That
3 level is drawn way to high, and the level that
4 they would allow the companies to apply for is at
5 a hundred times what the international community
6 would allow in normal practice.

7 So I agree that there is a limit
8 that is below regulatory concern that is right at
9 a limit of detection. But this policy goes way,
10 way beyond that and the loopholes that it allows
11 companies are staggering. The whole policy is one
12 big loophole. It doesn't hammer anything out. It
13 doesn't set everything. It says, "Everything will
14 be allowed in rule making."

15 Now, if I have a minute, I just want
16 to give you my personal observation about what the
17 NRC is willing to do as far as loopholes go for
18 the industry. There is a rule about siting
19 nuclear waste dumps of the type that's in West
20 Chicago and the first criteria says that, first of
21 all, it has to be remote from the population, from
22 the public. There are homes directly across the

1 street. There are schools a block and a half from
2 this site.

3 The second part of this is they have
4 to protect the ground water. The ground water is
5 90 feet below that site. There is nothing but
6 sand over it. The site has to minimize erosion
7 and the option would be below ground burial.
8 Well, they can't do that because the water table
9 is so high. So they put it 47 feet up in the air
10 and the EPA says, "That's not going to minimize
11 erosion."

12 Well, I agree. Criteria one, that
13 whole criteria protects the public health. There
14 is a little bit in that preamble to the effect
15 that says that the existing sites require more
16 leniency. So this first criteria, one of maybe a
17 dozen was the one that they threw out, literally
18 threw out; and in the environmental statement,
19 they do not advise criteria one to West Chicago.

20 They do not apply the health and
21 welfare of the people, of the drinking water, of
22 anything to the people to their own rules. That's

1 the kind of loophole that they will allow a
2 company like Kerr-McGee. Now, if they are going
3 to allow that, I'm sorry, but I just don't believe
4 that the NRC can be trusted with this BRC policy,
5 which to me looks like a loaded gun. I got a lot
6 more to say, but I'll stop here.

7 MR. PAPERIELLO: At this time, I call upon
8 Toby Brown.

9 MR. BROWN: Thank you. My name is Tony and I
10 am a recovering pollute-oholic. And I'm also, I
11 am a student here in Chicago and I am based at the
12 University of Chicago, I mean, University of
13 Illinois at Chicago organizing for SEAC. And I
14 think we should talk about sustainability today.

15 You know, to me sustainability
16 means, "pay as you go." Pay everything up front
17 as you go, cash on the barrel. If you can't
18 afford it, don't buy it. I think we should have
19 sustainability in our industrial activities,
20 sustainability in our research and development,
21 sustainability in medicine, sustainability in our
22 energy production, sustainability waste handling.

1 I think we should have
2 sustainability in all of our human behaviors. And
3 if the cost for handling radioactive materials are
4 becoming prohibitively high, then good. That's
5 approaching the true costs. Maybe we can't afford
6 it. The cost, really, we're just pushing it onto
7 other life forms and other people at other times.

8 And besides that, the cost in
9 dollars isn't even the true cost. The true cost
10 is the damage to the environment and human health.
11 You can't even count that in terms of dollars
12 anyhow. And I just want to say that the
13 government/industrial complex has been running at
14 status quo of unaccountability now for too long
15 and there is a movement to stop this. The people
16 are outraged.

17 They say-- I have heard this saying,
18 and I don't mean this as a threat to anybody in
19 the NRC, but I've heard that, I mean, this as
20 encouraging for the people in the audience. They
21 say that the 90's are going to make the 1960's
22 look like the 1950's, and I am beginning to think

1 it's true.

2 The students are getting together.
3 People are getting together and we got to stop
4 this right here and now. And I would just like to
5 share, I'ke, a word of wisdom that I picked up
6 this summer out of Redwood. a Redwood summer in
7 California where they are trying to stop the
8 logging of the last few redwood trees. I learned
9 this from some of the people that are involved.
10 Try as best as possible. Whenever you're deciding
11 what to do and the earth is involved, consider the
12 earth first.

13 Thank you.

14 MR. PAPERIELLO: Thank you. I call upon Mary
15 Sumner. Marry Sumner.

16 (No response.)

17 Okay. I call upon Betty Johnson.

18 MS. JOHNSON: Hello, my name is Betty Johnson.
19 I am from RockFord, Illinois and with these
20 statements I am representing the League of Women
21 Voters in Rockford, Illinois and I'm going to skip
22 part of them.

1 It is commendable that the Nuclear
2 Regulatory Commission is holding these public
3 hearings to receive comments from the public on
4 it's Below Regulatory Concern policy. I think
5 that earlier involvement with the public would
6 have been more valuable.

7 Because the BRC policy as stated
8 poses an unacceptable risk to the health and
9 safety of the public, it is my recommendation that
10 the NRC should halt all efforts to classify
11 generically certain radioactive waste as below
12 regulatory concern. I also think that the NRC
13 should not preempt state's rights to regulate
14 disposal of radioactive waste within their
15 territory. As Commissioner Curtiss stated, there
16 is no public health or safety justification to
17 forbid states from requiring all radioactive waste
18 be disposed of only in landfills.

19 I'm going into some problems with
20 the BRC risk assessment and I am skipping part of
21 this. In 1990 the BRC policy admits that, as the
22 EPA has said, instead of one fatal cancer, the ten

1 millirem per year standard is equivalent to 3.5 in
2 10,000 lifetime cancer risk. But the NRC has not
3 adopted any upper limit on exposure. Widespread
4 deregulation resulting in exposure on the order of
5 100 millirems per year would equal 3.5 in 1,000
6 lifetime cancer risk, or about one cancer death
7 among 285 Americans exposed.

8 In fact, the NRC will be able to
9 grant approval to licensees to release radio-
10 activity up to the dose equivalent of 500
11 millirems per year and will allow special
12 exposures to workers that are much higher than the
13 current limit. This exposure is not optional for
14 workers.

15 Risk as defined in this policy
16 statement is fatal cancer. Risk being lifetime
17 fatal cancer risk. And in this risk, the NRC
18 needs to include other known health effects of
19 radiation, such as, non fatal cancers and
20 noncancerous effects, such as, damage of cells,
21 genetic and birth defects, and low birth weight in
22 babies, as well as decreased immunity to diseases,

1 which would greatly increase the number of people
2 affected by radiation and the risk.

3 The policy agrees that risks for
4 children and neonatal infants are much greater,
5 but does not calculate or include these effects in
6 its risk assessment. Other people at greater risk
7 are the elderly and those already ill with other
8 diseases.

9 BRC lists several consumer products
10 that may not be exempted under the new rule
11 because deregulating those items which involve
12 external or internal contact with the body would
13 be socially unacceptable regardless of how trivial
14 the resulting dose rate might be. These
15 considerations should also be included in relation
16 to other kinds of waste covered by deregulation
17 which can get into the environment via the food
18 chain and groundwater contaminated from insecure
19 landfills and/or through releases into the air.

20 And I'm going to-- Serious problems
21 may arise when the NRC uses background levels of
22 radiation as a standard by which to declare

1 man-made radiation levels safe. As more long
2 lived radiation materials enter the environment,
3 the background radiation continuously increases
4 and it is difficult to distinguish the source of
5 the radiation without careful and extensive
6 monitoring.

7 I am going to read you a brief part
8 of an editorial that I wrote for the League of
9 Women Voters which was published in February 1980:
10 "Because of recent reported releases of the
11 radioactive gas Krypton-85 from the Three Mile
12 Island Nuclear Power Plant and ensuing statements
13 from the Nuclear Regulatory Commission minimizing
14 the danger of these releases, the League of Women
15 Voters of Rockford, Illinois thinks it important
16 to clarify the long-term danger of releases of
17 Krypton-85.

18 "A complete review of the hazards of
19 Krypton-85 are detailed in the League's petition
20 for leave to intervene in hearings on the
21 operating license for the Byron Nuclear Power
22 Plant." Okay. I am going to skip that part.

1 "It is important that Krypton-85 be
2 contained because it's ionizing radiation can
3 cause cell damage, cancer and genetic defects in
4 future generations. Krypton-85 has a radioactive
5 half-life of 10.7 years, which means that it
6 remains dangerous for over 200 years. When
7 released into the atmosphere, it has worldwide
8 distribution and build-up with no means of removal
9 except by decay.

10 The problem this presents is
11 illustrated by the fact that ordinary Krypton, an
12 inert, non radioactive gas that has been widely
13 used for years in industry and medicine has become
14 so contaminated with Krypton-85 from nuclear
15 facilities and explosions that radiation
16 protection now must be provided workers using this
17 gas." This is part of the background radiation
18 for these releases.

19 Back to my comments here. Another
20 thing, I need to say something also about the
21 monitoring which I think it is very, very poor.
22 The commisson says, "From time to time, we will

1 conduct studies as appropriate to assess the
2 impact of an exempted practice or combination of
3 exempted practices," and so forth. It also says
4 that most monitoring will take place at waste
5 sources where records will be kept and probably
6 keep track of destinations or any combinations of
7 waste at specific sites, though they won't inspect
8 disposal sites except at the start.

9 And as they said, most of the things
10 will be from the source. I say past experiences
11 at waste sites such as Sheffield, Illinois, Maxey
12 Flats, Kentucky and West Valley, New York, as well
13 as DOE sites for low level radioactive wastes and
14 bomb manufactures leave serious questions and
15 doubts about how well this will be done. A
16 thorough analysis-- No, a thorough analysis of
17 multiple and cumulative exposures and synergistic
18 effects needs to be made to ensure the health and
19 safety of the public in relation to any BRC policy
20 implementation.

21 Ionization type smoke detectors show
22 the dangers of BRC deregulation of consumer

1 products. Again I want to read something that I
2 wrote for the League of Women Voters of Rockford
3 in 1980. I find that in three minutes I'll try to
4 get through it.

5 Because of recent sales promotion of
6 ionization type smoke detectors in Rockford, the
7 League of Women Voters of Rockford would like to
8 restate some of the hazards of ionization smoke
9 detectors. The League of Women Voters approves
10 the use of smoke detectors as a means of
11 minimizing and preventing fires, but believes that
12 the citizens of Rockford should realize that there
13 are two types of smoke detectors.

14 Both the photoelectric and the
15 ionization smoke detectors are available in
16 battery and plug-in styles. We believe that
17 photoelectric smoke detectors are preferable
18 because: One, seventy-five percent of fires in
19 the home begin as smoldering fires and
20 photoelectric smoke detectors react faster than
21 ionization smoke detectors to this kind of fire.

22 Two, Ionization smoke detectors

1 contain radioactive Americium-241, which is
2 similar to plutonium in its toxicity as a
3 carcinogen at extremely low levels of exposure.
4 The uptake of americium in plants from which it
5 goes into the human food chain, and absorption
6 from the human gastrointestinal tract is greater
7 than for plutonium.

8 Americium-241's radioactive
9 half-life is 450 years. So it poses a long-term
10 hazard to future generations. The official
11 maximum permissible body burden for Americium-241
12 is fifty nanocuries for an adult and the average
13 ionization type smoke detector contains 3,000
14 nanocuries.

15 Workmen producing these units and
16 anyone handling them are exposed to radiation, as
17 are firemen when they are present during fires and
18 cleanup workers. The alpha recoil action on
19 Americium surfaces inside the detector foil forces
20 small clusters of atoms to break away from the
21 source, releasing particles of respirable size
22 inside the metal foil covering from which they may

1 escape if the covering is damaged or melted.

2 Four, fire damage to these detectors
3 and product defects have not been adequately
4 tested and they are not clearly labeled to warn of
5 potential hazards and to insure proper use and
6 disposal. Now, I have heard that they are
7 labeled. I still say they are not labeled and
8 that the warning is not there. Because of the
9 concern about the dangers of this type of
10 detector, the NRC should put their labeling on the
11 outside of the package.

12 Five, Americium-241 should be
13 disposed of in a repository for radioactive waste
14 and not in some local landfill or elsewhere in
15 this community, where a buildup can cause serious
16 health defects of cancer and genetic defects. Ten
17 nanocuries per gram is the maximum waste level of
18 Americium-241 that could have been disposed of in
19 the low level radioactive waste dump at Sheffield,
20 Illinois before it was closed down, according to
21 Michael Hines of the Illinois Department of Public
22 Health.

1 And to me this shows absolute
2 insanity of allowing this to be deregulated. They
3 had no business deregulating this type of material
4 or putting in landfills. Now--

5 MR. PAPERIELLO: Ma'am, you have gone ten
6 minutes. I'm going to ask you to pass it on to
7 the next person.

8 MS. JOHNSON: That's it. I said most of the
9 things I wanted to say. I do have a copy of this
10 that I will turn over to you.

11 MR. PAPERIELLO: Thank you. I will call upon
12 Jonathan Goldman.

13 MS. GOLDMAN: Hi, my name is Jonathan Goldman.
14 I am a student at the University of Chicago and
15 Chicago area coordinator for the Student
16 Environmental Action Coalition. I just would like
17 to say that it's no accident that there are so
18 many of us here today and that we are being heard
19 and that we will be heard for the next four
20 hearings around the country. And we are here to
21 stay, and we will be heard.

22 This country was founded on certain

1 ideals. Preeminent among them is democracy and
2 the protection of individual liberties. For 214
3 years, people have fought and died to protect
4 these ideals and to try to help nations around the
5 world develop these freedoms for themselves.

6 The NRC's BRC policy helps show that
7 they have forgotten or simply disregarded what
8 this nation stands for and why. It is forgotten
9 that a government exists to protect its people,
10 not to harm them. It is forgotten that a
11 government exists to carry out the collective will
12 of the people, not to override it. We hope these
13 truths to be self-evident, that all men are
14 created equal.

15 This is one of the basic beliefs in
16 our society. It is the reason that we have a
17 representative system of government. It is why we
18 have one person, one vote in elections. The NRC
19 does not appear to believe this. The NRC makes a
20 mockery of participatory government, of government
21 of the people.

22 Why are there no hearings in New

1 York, Los Angeles or Washington DC. Why are
2 millions of citizens in those areas denied their
3 chance to participate in the process, to cast
4 their vote on BRC. Does the NRC deem that its
5 members are more equal than the citizens of those
6 cities?

7 The NRC has consistently brought out
8 expert opinions on the BRC and the health risks of
9 increased exposure. Its own staff members, as
10 well as the EPA and other worldwide regulatory
11 groups, have all been severely overruled. Is the
12 NRC more equal than those groups?

13 And what about the five that are
14 being held? The time and location of today's
15 hearing makes it largely inaccessible for people
16 who would like to attend. The NRC should study
17 its history books. In 1776, this country was
18 founded when common citizens refused to hold with
19 King George's tyranny. One of their complaints
20 itemized in the Declaration of Independence was
21 the following: He has brought together
22 legislative bodies at places unusual,

1 uncomfortable and distant from the common area of
2 their public records." For the sole purpose of
3 keeping them in compliance of these measures,
4 these words could easily have been written today
5 about this hearing.

6 But let me say this: I may be
7 fatigued, but I will not comply. That they are
8 given by their creator with certain inalienable
9 rights that among these are life, liberty and
10 pursuit of happiness. What is the NRC's approach
11 to life? The implementation of BRC to cost the
12 lives of several thousand people a year. These
13 deaths will happen in the name of money. The
14 American people will give their lives to freedom
15 and democracy. They will not give their lives to
16 increase nuclear industry dividend checks.

17 What is the NRC's approach to
18 liberty? To take it away from the states and
19 individuals where it should reside. And who can
20 even think about pursuing happiness when we have
21 to worry about radioactive waste in our earth, our
22 water and our air.

1 For the NRC to put BRC into practice
2 must take tremendous courage. I must ask each and
3 every one of the commissioners to look deep within
4 yourself and see if you really have what it takes
5 and see if you are really prepared to play God on
6 this issue.

7 Thank you.

8 MR. PAPERIELLO: Thank you. I call upon John
9 Calabrese.

10 (No response.)

11 Okay. I will call upon Mike Duer.

12 MR. DUER: Hi, my name is Michael Duer. I'm
13 not really an official representative of any group
14 on this day. I'm engineer and I am going to talk
15 a little bit what is going on here. My school's
16 motto was on knowledge and darkness, and I would
17 like to see if these two ideals were specifically
18 embodied in this policy formation.

19 The BRC policy, it is a
20 deregulation. It's a, you know, a member of that
21 Regan legacy, socialism for the rich and
22 deregulation as a general class of policy seems to

1 have failed. We deregulated the SCC and we got
2 the merger takeover of the 80's which has thrown
3 thousands of people out of work.

4 We deregulated the Federal Home Loan
5 Bank Board and we got the S and L mess. We passed
6 the Motor Carrier Act and it caused the Interstate
7 Commerce Commission to cease regulating truck
8 traffic. As State Senator Welsh noted, truck
9 accidents have just about doubled in Illinois.

10 We deregulated the Intelligence
11 Agencies and now the CIA is back to its methods of
12 winning friends all over the world. Deregulation
13 fails because of the lousy irresponsibility of
14 corporate bottomline thinking to override
15 everything else, including the health, safety and
16 welfare of our population. And I think we should
17 cease this deregulation mania.

18 This is not the Nuclear Deregulatory
19 Commission. It's the Nuclear Regulatory
20 Commission. Deregulation, what this means, this
21 means that instead of government of the people, it
22 means, "Let the market decide." Deregulation

1 means that midnight dumpers can do whatever they
2 want with nuclear materials.

3 Deregulate land waste means
4 generators of this waste strain can pass it off,
5 pass the buck, wash their hands of it and walk
6 away. And the people that they hire to handle
7 their wastes will probably be short lived
8 companies. They won't be required to keep records
9 and when the going gets hot, they will get out of
10 business. There will be no one to blame and the
11 public will pay the cost, just like they paid the
12 cost of the S and L. And this time it won't be
13 just money. It will be lives.

14 Deregulation means that waste will
15 be disposed of by the lowest bidder. Think about
16 that. In some of these slides here we've seen
17 statistics, expert reports, quoted numbers. Well,
18 you know, I question that. I worked in an
19 industry, the defense industry. They used to get
20 a lot of government contracts, and I guess they
21 will again.

22 And, you know, I've seen the kinds

1 of smoke that goes up, the kind of nonsense. Not
2 only this, but I need you to consider the history
3 of the ADC and the NRC and what their experts have
4 said. Now, their experts, these are consultants
5 that work in the industry. Their very jobs depend
6 on the continuing existence of nuclear power.
7 Their experts are exploiting the revolving door
8 policy. They say something, you know, and then
9 they get a good job because of this. It's payoffs
10 is what it is. They have a serious stake in this
11 industry.

12 You know, this is the kind of
13 thinking that led to the Shuttle Disaster
14 basically. The NRC, it's interesting that you
15 examine some of their reports in 1967 they came
16 out with a Washington report on, it's not a low
17 level waste but about reactors in general. But
18 this whole, that case is also the same sort of
19 modus operandi.

20 What they did is they have a report
21 which the preliminary drafts of farming it are in
22 an area the size of Pennsylvania and that it would

1 be at risk if there was a nuclear accident. But
2 later asked which higher brass when they had an
3 opportunity to review it said that qualitative
4 conclusions have a greater validity than any
5 America wants. And so they left out any
6 substantive assessment of possible risks.

7 In 1964 and 1965 National Labs US
8 Government undertook to review the Wash 740 Study.
9 Apparently they didn't like what they came up
10 with, because nothing from that was ever released.
11 Congress was interested in seeing something. They
12 were promised separate reports in June of 1965
13 later. These studies never materialized. Finally
14 there was an NRC study.

15 That was the famous Rasmusin Report
16 This is the report that concluded that nuclear
17 power was safe. They concluded, for instance,
18 that power exertion accidents don't happen. They
19 have, as a matter of fact, the ESL-1 test reactor
20 in 1961 suffered a power exertion. It blew up in
21 a nuclear style explosion, killed three
22 maintenance workers. It was a government test

1 reactor and results were sort of swept under the
2 rug.

3 Well, there is an example of, you
4 know, the NRC and before them the ADC's regard for
5 the reports. There is another report that PTR-738
6 from the National Reactor Testing Station in 1965
7 concluded that catastrophic reactor fails could
8 occur, that large forces there for existing small
9 scales could not be extrapolated and therefore
10 recommended a six year minimal theoretical
11 research and expendable research program.

12 This report was never published,
13 never referenced. It didn't even leak out until
14 ten years later that this report had been written.
15 Instead what the ADC elected to do was commission
16 four or five reactors over a five year time, the
17 very type of plan that this report recommended
18 against.

19 So this is what you see basically.
20 Unfavorable statistics and unfavorable reports are
21 ignored and instead they will find some experts
22 somewhere that they can pay to say what they want

1 and that's the basis for the BRC policy.

2 Thank you.

3 MR. PAPERIELLO: Thank you. I call upon Hazel
4 Johnson.

5 UNKNOWN VOICE FROM THE AUDIENCE: She is not
6 able to come.

7 MR. PAPERIELLO: Pardon me.

8 UNKNOWN VOICE FROM THE AUDIENCE: She is not
9 able to come.

10 MR. PAPERIELLO: Okay. Carl Perry.

11 MR. PERRY: Hello, my name is Carl Perry. I
12 am from the Illinois Prairie. We work in
13 conjunction-- We are a stablized environmental
14 consumer group. We work in conjunction with
15 Prairie across the country and Washington DC and
16 we are here today because we are also disgusted
17 with the Nuclear Regulatory Commission's Below
18 Regulatory Concern Policy, which poses an
19 unnecessary and unjustified threat to the health
20 of the people of Illinois.

21 And in their eagerness to save a
22 little money for the nuclear power industry, the

13
1 commission has ignored the objections of several
2 states, including Illinois, and the
3 recommendations of their own staff and the
4 guidelines of the Illinois Protection Agency and
5 the International Atomic Energy Agencies.

6 The Public Interest Research Group
7 has just released a new report entitled Below
8 Regulatory Concern, but Radioactive and
9 Carcinogenic. And this report shows that nuclear
10 reactors produce over 90 percent of so-called low
11 level radioactive waste in Illinois, which in 1988
12 totaled over 110,000 cubic feet and over 8,000
13 nanocuries of radioactivity.

14 And under the NRC scandalous BRC
15 policy, thirty to sixty percent of this nuclear
16 waste is going to be treated like ordinary garbage
17 and be put in leaky landfills or disparaged into
18 the air through incineration and mixed with our
19 water by dumping it into sewers. In addition,
20 when Illinois' nuclear power plants did not meet
21 the provisions, the BRC policy would permit
22 incomplete decontamination.

1 As if deregulating radioactive waste
2 were not bad enough, the NRC also wants to
3 incorporate radiation into consumer products and
4 to recycle radioactive material into such items
5 which would not necessarily be labeled. And the
6 commission has specifically suggested frying pans
7 and jewelry as good candidates for deregulation.

8 We have a message for the NRC.
9 Don't recycle radiation. Your job is to minimize
10 the risk that radiation poses to the public's
11 health, not to search for ways of spreading more
12 harmful radiation into our communities. The NRC
13 statement about the BRC policy you made available
14 says that we will be receiving more than 100
15 millirems of radiation a year from the nuclear
16 fuel cycle.

17 The NRC itself admits that a
18 lifetime candidate getting this from 100 millirems
19 of exposure annually is 3.5 to 1,000. The
20 commission believes that the death rate will be
21 285 and it is Below Regulatory Concern, but we
22 find it appalling. Is the NRC's rational or this

1 NRC's rational for it's BRC policy based on health
2 considerations, not at all. Instead the
3 commission has used background radiation as their
4 guide deciding that since people already die of
5 cancer, there is nothing to keep the government
6 from inflicting further death and disease on the
7 unsuspecting public.

8 Is the comparison to natural hazard
9 going to be the new standard for guiding
10 government policy. For example, does the fact
11 that some fires are started by lightening, justify
12 the legalization of arson? You can only be
13 thankful that the NRC has not been put in charge
14 of the Chicago Fire Department.

15 Unfortunately though, the NRC is in
16 charge of radiation protection and it intends to
17 preempt any efforts by state and local government
18 to do the job that the commission has refused to
19 do. As Tom Schwartz, the director of Illinois
20 Department of Nuclear Safety said in testimony
21 made on July 26 at a congressional hearing,
22 Illinois vehemently objects to the NRC's BRC

1 policy statement.

2 The NRC has attempted to tie the
3 hands of the state that wishes to accept the
4 demands of their citizens that low radioactive
5 waste be disposed of in the safest manner
6 possible. Although the commissioners have tried
7 to dance around the issue of state regulations,
8 it's clear that the NRC will not allow states to
9 step into the regulatory void.

10 An internal NRC document was
11 obtained, a December 14, 1989 memo from James
12 Taylor, the NRC Executive Director for Operations
13 states that the commission intends that its
14 regulations defining exemption will preempt state
15 regulations or local ordinances.

16 And another internal NRC memo feels
17 that the NRC's Chief Spokesman for the BRC policy
18 actually tried to get radiation bills accepted by
19 the commissioners. In fact, he supported a bill
20 that was one-tenth adopted by the commissioners
21 and arguing for the lower limit he observed that
22 once waste streams and products are exempted, it

1 will be difficult to exempt problems they create
2 in the environment.

3 The NRC assertion was summed up by
4 Chairman Garr on July 11, 1989 that said, "I
5 happen to be one of those guys that don't
6 necessarily believe a little radiation is
7 harmful." Well, Chairman Garr, the scientific
8 community is virtually unanimous in agreeing that
9 there is no level of radiation exposure that is
10 now known to be safe and you have no business
11 basing deregulation decisions on your own eyes and
12 what is totally unsupported by scientific
13 evidence.

14 Illinois Prairie is strongly urging
15 our state congressional legislation to just say no
16 to the NRC and put a permanent end to the threat
17 of radiation materials being disbursed throughout
18 our communities and to seek an amendment that
19 removes the NRC's authority to deregulate. We
20 also ask our Members of the House of
21 Representatives in a similar fashion to expand its
22 provisions so that Illinois will be able to set

1 its own standards for low level radioactive waste.

2 Thank you.

3 MR. PAPERIELLO: Thank you. I would like to
4 call upon J. Aronov.

5 MR. ARONOV: I pass.

6 MR. PAPERIELLO: Pardon.

7 MR. ARONOV: I pass. I am going to submit
8 something in writing.

9 MR. PAPERIELLO: Okay. I would like to call
10 upon Dr. Lou Marchi.

11 DR. MARCHI: Hi--

12 MR. PAPERIELLO: Can I make a comment? The
13 doctor is the last speaker that called in advance
14 and he's been placed at the end because he asked
15 for a longer period of time to speak and I agreed
16 that he could if he wanted to come at the end.
17 After he is finished, I have other individuals
18 that did not sign up in advance but did sign up at
19 the door and we will continue with them.

20 DR. MARCHI: Thank you. My name is Dr. Lou
21 Marchi. My degree is in Chemistry. I have been
22 retired for about ten years, but it seems that I'm

1 extremely busy. Part of the reason is that I've
2 been called up by various colleges in the
3 university to teach courses for them and in my
4 weak moment I said yes, and it's addictive and I
5 can't stop.

6 I would like to explain why if you
7 put radioactive material in municipal garbage
8 dumps, why this has not been looked at by the
9 Nuclear Regulatory Commission. I have to give a
10 little bit of a background here. First, as you
11 probably well know, all garbage dumps will leak.
12 Some will leak in two years, some in eight years,
13 some in twenty years.

14 I don't know of any garbage dump
15 that hasn't leaked in a period of time of more
16 than thirty years. In other words, in thirty
17 years or less, they will leak. And if somebody
18 has information for what has lasted for more than
19 thirty years, please let me know because I'm
20 making a tabulation of those.

21 Okay. Once a garbage dump leaks, it
22 will contaminate the groundwater and there is no

1 way to clean up the groundwater. Once it's
2 contaminated, there is no way to clean it up,
3 despite the fact that the EPA has attempted and
4 has failed in cleaning groundwater contamination.

5 There is another fact that you may
6 have not heard about and I would like to present
7 that to you. Back about three or four years ago,
8 Dr. Kirk Brown at Texas A and M checked the
9 leachate from various dumps. Some of the dumps
10 were garbage dumps. Some of the dumps were
11 hazardous waste dumps. He did a chemical analysis
12 checking the leachates of both dumps.

13 The result of that, there was a big
14 supprises. The leachate in the municipal garbage
15 dumps had the same toxicity as the leachate in the
16 hazardous waste dumps. We as individuals say,
17 "Over here we are going to have municipal dumps.
18 Over here we are going to have hazardous waste
19 dumps." But the reality is that the leachate has
20 the same toxicity.

21 So now if on top of all of that you
22 add radioactive ionizing radiation, materials that

1 will cause ionization, you now will have what has
2 been termed as mixed waste. The waste will
3 contain various organic molecules, whether they
4 have Benzene or Toluene or Trichloroethylene or a
5 long, long list of hundreds of various possible
6 compounds that could exist in municipal leachate.

7 We now add to that if you follow the
8 belief that the below regulatory concern is
15 indeed, okay, you will now have mixed waste. Now,
10 Benzene, for example, will cause leukemia. If in
11 addition to the Benzene, you have ionizing
12 radiation, you now have a situation where free
13 variables can form because of the presence of
14 these radiations. When that happens, the free
15 variables now are even more reactive than the
16 original parts of the setup.

17 Now, so far as I know, no tests have
18 been run to determine if there is an interaction
19 or a synergism due to the fact that you have both
20 ionizing radiation and a hazardous material at the
21 same time. An experiment that I would suggest
22 would be to run four tests. One, let's say, with

1 100 laboratory animals as a control. Another,
2 would be, a second one would be, you would run
3 another 100 with Hazardous Material A. "A" could
4 be any material, so long as it is hazardous. The
5 third one will be 100 animals with some ionizing
6 radiation producer, and then the fourth one, and
7 that's the important one that has not been done,
8 is you run the 100 animals again with a
9 combination of A and B, make it the mixed waste.

10 This is the real life situation.
11 These folks are talking about below regulatory
12 concern material as if it was totally isolated.
13 And in life, it is not isolated. They are
14 together. And so if they make decisions based on
15 the isolation that they are talking about, you're
16 not facing reality. And one of the things that we
17 have to do in this life indeed is to face reality.
18 So I say to myself, how can they make scientific
19 decisions without the results of these experiments
20 that I have just described.

21 Okay. On top of this, or as a side
22 really, it seems to me that Below Regulatory

1 Concern is really an attempt to find a solution to
2 pollution with dilution. Because they told me
3 that the nonradioactive garbage will dilute. In
4 reality perhaps I ought to remind you that the
5 solution to pollution is delusion rather than
6 dilution.

7 One thing that has not been
8 mentioned here that I certainly want to stress is
9 the biocumulation that takes place as you go up
10 the food chain. Assume for example that some
11 radioactive material has fallen to the ground, and
12 it can come from many possible sources. The
13 microorganisms in the soil will incorporate some
14 of this material. And as it goes up the food
15 chain in general it will biocumulate about ten
16 times. So if one microorganism eats another
17 microorganism, the second one will have ten times
18 the radioactivity of the first one.

19 If then a cornplant goes over and
20 picks up the remains from that particular
21 microorganism and incorporates it into the
22 cornplant, it will be another ten time

1 multiplication. If now you feed this corn to cows
2 or pigs or whatever animal, a cow in particular,
3 it would get a sixteen time multiplication,
4 because it takes about sixteen pounds of vegetable
5 matter for a cow to produce one pound of meat.

6 So you can, by multiplication here,
7 you can get 1,600 times, perhaps even 16,000 times
8 of radiation by biocumulation. And I haven't
9 heard one word from the folks who spoke here on
10 this particular matter. It's especially
11 dangerous, the biocumulation from a garbage dump
12 some of that leachate should get out and go into
13 the service water.

14 Fish are particularly good at
15 biocumulating. Some fish can biocumulate anywhere
16 from 10,000, 30,000, 40,000 times their original
17 concentration. Now, we're talking important
18 numbers that will produce damage. Don't anybody
19 eat that fish. So I would urge the NRC to check
20 into the whole matter of biocumulation.

21 Another matter that is of importance
22 and that I think you ought to know. Here in

1 DuPage County, the county workers are talking
2 about making a municipal garbage dump of 2,000
3 acres. This is beyond anything that's been
4 thought of in this area. But if you think 2,000
5 acres is large, in the run of the mill, there are
6 companies, no need to mention their names, that
7 are thinking in terms of 10,000, 30,000 acres, as
8 high as 40,000 acres.

9 Why is this of concern to me? Very
10 simple. You are now concentrating that the BRC
11 not become a policy. You will now be
12 concentrating on the radioactive materials in this
13 10,000, 30,000, whatever size megadumps that we're
14 going to have in the future. So the concentration
15 here is of great concern to me and I think it
16 ought to be heard by everybody in this room.

17 We have talked about risk, and I
18 would like to make a comment about that as a
19 society here. One of the cleverest, most
20 diabolical techniques worked out to violate
21 individual human rights by pollution is the
22 socially acceptable Risk Doctrine. This doctrine

1 holds that there is a social good which must take
2 precedence over individual rights.

3 Thus the government intercedes on
4 behalf of an industrial technology, not only by
5 using taxpayers money to fund the research and
6 development that industries should do for
7 themselves, but also by adopting the, "benefits,"
8 and I put benefits in quotes, of certain
9 industrial technologies and make the "risks" of
10 these same technologies to determine appropriate,
11 "standards," of pollution which shall be
12 acceptable to the public in exchange for the
13 so-called benefits the public will reap.

14 This course of agency-- Government
15 makes these decisions for us and we must obey them
16 for the social good. Once one concedes that the
17 risk benefits doctrine has any validity at all,
18 one has conceded the whole ball of wax since there
19 are no limits to the application of the, "Benefit
20 Risk Doctrine." I'm reminded, and I would like to
21 pass this onto you what the twice chief of EPA
22 once said, "The risk assessment is like a captured

1 spy. Torture it enough, and it will say anything
2 you want."

3 I do want to make a point on
4 sustainability, and one of the previous speakers
5 did mention sustainability. To me, it is
6 extremely important. The kind of sustainability
7 I'm talking about is you have to ask yourself,
8 "Whatever I'm doing, can I do this over and over
9 for ten years, a hundred years, a thousand years,
10 ten thousand years? Can I do it?" And at the
11 same time, "Will it be safe?"

12 And so I have to ask the NRC, ask
13 yourselves folks, if we employ BRC for 10,000
14 years, will that be safe? I don't have the
15 answer, but I can estimate what the answer will
16 be. I will say no. It will not. That procedure
17 is not a sustainable procedure. And if it's not
18 sustainable, I would say let's not do it at all.

19 Somebody said earlier that the
20 public is confused about ionizing radiation in
21 general. If that is the case, I would like to
22 point a finger to the NRC. It seems to me it's

1 their job to educate the public concerning
2 ionizing radiation. I don't think they have done
3 much of a job along that line. I would urge them
4 to have an education department so that indeed we
5 can begin to educate the public in a
6 technologically very complex world. And if they
7 haven't done it, let me urge you that you should.

8 Somebody mentioned earlier that in
9 Illinois as of July 1 of this year you cannot put
10 grass into a garbage dump for various reasons, but
11 it's okay if we have a BRC policy and put
12 radioactive material in there. Well, I have a
13 solution for that for those folks who don't like
14 that particular policy: Make the grass
15 radioactive, then it's okay to put it into a
16 garbage dump.

17 MR. PAPERIELLO: Okay. Thank you. I will now
18 proceed to the people who have signed up at the
19 door. Patricia Nied is that?

20 MS. NIED: Yes.

21 MR. PAPERIELLO: Could you spell your name for
22 the court reporter?

1 MS. NIED: N-i-e-d. Okay. I would like to
2 thank you very much, gentlemen, for letting us
3 speak here today. I am from the Kingery East
4 Community Association and I have a document in my
5 hand here that is from the Environmental
6 Protection Agency. It's a chemical analysis
7 report from May of 1986.

17
8 In our public drinking well in 1986,
9 levels of strontium were found at, on this page
10 they read 2.53 milligrams per liter. We're not
11 talking nanocuries. We're not talking picocuries.
12 We're talking milligrams per liter was in our
13 drinking water in 1986. We were never informed.
14 We don't know how long it was there. We know we
15 were on that well for nine years until they
16 switched us last year.

17 First of all, this will give you an
18 idea of where we're at. We're in Southeast DuPage
19 County. Here is O'Hare where we are now. This
20 would be Argonne National Laboratory. And this
21 little thing over here would be the illusive
22 Red Gate Woods. We are equally distant between

1 the two. I am here today to speak for all the
2 communities surrounding Argonne National
3 Laboratory and Red Gate Woods.

4 We have been doing some house study
5 surveys on our own. We've been sending our
6 children to doctors. There is a lot of cancer in
7 our area. Our children are coming down with
8 cancer. We are finding high levels of strontium
9 in our children's hair. I would like to draw your
10 attention to a 1945 report.

11 Now, this is 1945. It is called the
12 FRANCK Report, F-r-a-n-c-k. It is a document
13 issued to the Secretary of War and signed by the
14 original scientists working on the Manhattan
15 project. It's preamble states: The scientists on
16 this project feel it our duty to urge the problems
17 arising from the mastering of nuclear power be
18 recognized in all their gravity and that
19 appropriate steps be taken for their study and the
20 preparation of necessary decisions.

21 Now, I will get on with my
22 presentation for the NRC. Gentlemen, as chairman

1 of the Kingery East Citizens Advisory Committee, I
2 consider it an outrage that you would sink to
3 acquire the classification "BRC," Below Regulatory
4 Concern. In this, you are saying you are not
5 concerned. As you should well know, Kingery East
6 is located midway between Red Gate Woods and
7 Argonne National Laboratory in Southeast DuPage
8 County. The neighborhood is older than the
9 Manhattan Project and is currently experiencing
10 its share of water and health problems.

11 We are presently working with the
12 DOE to establish some type of testing procedures
13 for our health and water. Refusal to monitor all
14 potentially fatal radioactive contaminants does
15 not make these substances any less dangerous, and
16 severally hampers the investigations of our
17 problems.

18 I view BRC as a deliberate attempt
19 to withhold vital health impact information from
20 the public. The NRC cannot stand any more bad
21 press. Please be advised that attempts to change
22 regulations before scheduled well testing results

1 are released-- And these are scheduled tests.
2 These tests are going to go happen. Let me go for
3 that again.

4 Be advised that attempts to change
5 regulations before scheduled well testing results
6 are released in the Willow Springs, Burr Ridge
7 and Hinsdale areas, will be proof that the NRC is
8 still reverting to underhanded practices. Any
9 attempts to mislead the American public or deny
10 vital statistical information to that public is
11 unlawful and will be dealt with as such.

12 Know you will be held accountable
13 for your actions from a new younger generation of
14 Americans who care about their lives and threats
15 to the well-being of their children. BRC is a
16 tactful loophole created by the NRC. We, the
17 people, as tax paying citizens of these United
18 States have the right to such information through
19 the Freedom of Information Act. Your efforts to
20 dodge the real issues have been exposed. I advise
21 you to clean up your own act first before you
22 attempt to clean up America.

1 You would be wise to follow in the
2 footsteps of the DOE and its new efforts to
3 involve the community in future planning and
4 cleanup procedures. Why not put the question of
5 BRC on the November ballot? This is a democracy
6 in case you forgot. Let the people decide. Down
7 with NRC.

8 Carbon copies of these are sent to
9 Aldo Bott, Republican Candidate for DuPage County
10 Board President and John Tolbert, Supervisor of
11 the Downers Grove Township Board.

12 I thank you for your time.

13 MR. PAPERIELLO: I will call upon Venus A.
14 Klautz.

15 MS. KLAUTZ: I think a minute will be ample
16 time. My degrees are in Chemistry from
17 Northwestern University. I live in Glenco,
18 Illinois and Winchendon, Massachusetts. I am a
19 member the of Materials Research Society and have
20 attended most of the society's symposiums on a
21 scientific basis for nuclear waste manage. I do
22 not speak for the society.

1 This new policy is both cruel and a
2 charade. The low level waste problem is beyond
3 solution without a laboratory basis and with
4 poorly conceived computer modeling. Therefore, to
5 claim to be sparing resources of more, if I may
6 point a term, concernful waste is down right wrong
7 to the public. Your policy is an admission of
8 past failure. I was in Massachusetts when I
9 learned of this new policy. There was disbelief
10 by hospitals, utilities and politicians.

11 Why do you not tell the public that
12 rat waste is an article of commerce? Will it be
13 imported from the far east? You are burdening the
14 victims. Tell us also about the proposed return
15 to atomic testing in the Pacific. Shall we add
16 that to this risk discussion?

17 MR. PAPERIELLO: Thank you. I call upon Bill
18 Lukens.

19 MR. LUKENS: Thank you very much. Members of
20 the commission, my name is Bill Lukens. I serve
21 as Executive Director of MichRad, which is the
22 Michigan Coalition of Radioactive Material Users.

1 Previously I have distributed comments to the NRC.
2 In the interest of time, I will simply highlight
3 several points which we would like to make.

4 First of all, our organization
5 represents the interest of about 700 individuals
6 and organizations in Michigan who are licensed to
7 use radioactive materials. As generators of
8 radioactive waste, we support the Nuclear
9 Regulatory Commission's policy on BRC. It is
10 important that a consistent and rational procedure
11 be adopted by which certain forms of Class A low
12 level radioactive waste may be disposed of in the
13 general waste stream.

14 The dose of criteria being proposed
15 are true and prudent and within the national
16 variation of background radiation to which we are
17 all exposed. This policy we believe will provide
18 tremendous benefit as an alternative disposal
19 mechanism for universities and medical centers
20 generating very low concentrations of
21 radioactivity by redirecting funds and resources
22 to medical care and research rather than to

unnecessary waste disposal cost.

There has been a lot of discussion here this afternoon about the issue of death. I think we need to place in perspective use of radioactive materials as they apply to the health and the preservation of life. Radioactive materials are an essential element for the development of new medicines in the universities and in hospitals and in research facilities in the country.

That is an issue. I do not want to undermine the issue of death. I think that's a very difficult issue which the Nuclear Regulatory Commission has to deal with. But the alternative is the development of new medications which can preserve additional lives.

I would like to urge the Nuclear Regulatory Commission to continue the education and political leadership efforts of this policy and that it will be applied on a case by case basis and that it does not exempt generators and such by controls and monitoring to concern the

1 public health and welfare.

2 Thank you very much.

3 UNKNOWN VOICE FROM THE AUDIENCE: Put it in
4 your backyard.

5 MR. PAPERIELLO: I note the people who signed
6 up late the note said one minute. I've been
7 giving them more time because we have time to do
8 this. We're not trying to restrict anybody's
9 ability to speak. It's just that we want to give
10 everybody an opportunity.

11 We try to do this by asking people
12 to sign up in advance. If we have any time left
13 over, people who wish to speak again may. I'm
14 just trying to get through everybody.

15 I'll call upon Jane Collins.

16 UNKNOWN VOICE FROM THE AUDIENCE: Jane Collins
17 had to leave she asked me to read this: She had
18 to catch a train to get home in time to do chores.
19 This was an absurd place and a poor time to hold a
20 meeting.

21 MR. PAPERIELLO: Okay. I would like to call
22 upon Henry Peters.

1 MR. PETERS: Good afternoon and almost good
2 evening now. It's a pleasure to be here to
3 address you. My name is Henry Peters. I come
4 from Ontonagon County in Michigan and my area is,
5 that I live in, is the nonexcluded area for
6 perpetual low level radioactive waste dump. And
7 so in dealing with that issue, I have become
8 involved with the organization called Don't Waste
9 Michigan and some other folks, a statewide
10 organization trying to deal with the, trying to
11 find an appropriate way to deal with low level
12 radioactivity.

13 And I guess this brings in BRC. But
14 I don't really have too much too serious to add.
15 I shouldn't say it that way. What I really mean
16 is there is maybe some absurdity in my questions
17 that I have. And I apologize for burdening you
18 with any more absurdity. But my feeling is that
19 it's at least not as absurd as the BRC policy.

20 And, well, the question that flashed
21 across my mind recently is, for example, in regard
22 to the vectors and the pathways of which radiation

1 travels, and transportation in particular. Now,
2 in transportation or in radioactivity and other
3 toxics, I don't think it's the explosions and the,
4 "crash, crash," and the, "boom, boom," that's
5 really the major problem, although it is a big one
6 I think. It's really the, "drip, drip, drip," and
7 as the gentleman spoke before about the
8 biocumulation through the food chain and so forth.

9 But my question is: What about a
10 kind of a crash that will hopefully try to
11 illustrate a point? The question is: What are
12 the chances that two sizeable vehicles carrying
13 BRC or any other kind of radioactive materials
14 would smash into each other? And-- Well, I'll
15 just go on. And then what do we do? Do we count
16 the corpses per milligram or per millirem?

17 And perhaps to the BRC what is not
18 legally dead, if they die from a slow delivered
19 radiation. So that addresses maybe the health
20 issue about the death here. And another question
21 that's been troubling me is about the water waste,
22 BRC, the water waste. The area I live in is

1 basically a swamp, a marsh. I have a beaver pond
2 in my backyard. I have a creek through that flows
3 into a riverway that flows right into Lake
4 Superior.

5 So I started thinking one day about
6 mosquitoes since we got a lot of them. And there
7 is the question about insects living in waters
8 that are polluted with radiation that the fish
9 would eat and then, of course, the people eat the
10 fish and so forth. But there is another aspect of
11 that. I was wondering whether mosquitoes if
12 anybody knows or if there has been studies if a
13 mosquito bites you that has been living in
14 radiation, radiated water, does that affect, does
15 it transmit the radiation? Is that a pathway.
16 And if so, I have heard no discussions of it.

17 But I think in answer to the type of
18 a probable answer of my first question about the
19 the crash. I would say here on earth what were
20 the chances that two atoms would collide and
21 explode? Not much until human beings deployed
22 enough of them to make it happen.

1 And one other comment. I have been
2 studying some of the works of Dr. John Golfman,
3 and he says something to the effect that if the
4 idea of a safe dose of radiation prevails, he
5 estimates approximately one hundred million or
6 more unnecessary premature cancers or deaths over
7 time worldwide will happen and he does not discuss
8 even the inheritable genetic question today.

9 So that being said, I'm happy to say
10 that Ontonagon County has passed a resolution
20 against Below Regulatory Concern dumping. And in
11 closing, I am happy to say that it is illegal to
12 dump BRC in Ontonagon County.
13

14 Thank you.

15 MR. PAPERIELLO: Thank you. I would like to
16 call upon Sidney Bild, Dr. Sidney Bild.

17 (No response.)

18 He's not here. I would like to call
19 upon Gina Gamboa, Gina Gamboa.

20 (No response.)

21 Venous Klautz, you asked for
22 more time.

1 MS. KLAUTZ: I don't need more. A minute was
2 enough. I think I covered most of the important
3 points.

4 Thank you.

5 MR. PAPERIELLO: Okay. Is there a Mary Lee
6 Tart still here, Mary Lee Tart.

7 UNKNOWN VOICE FROM THE AUDIENCE: She had to
8 leave.

9 MR. PAPERIELLO: Okay. Is there somebody else
10 who wants to say something?

11 MS. OLDERSHAW: Me.

12 MR. PAPERIELLO: Okay. We'll take you, but
13 would you go to the podium and give your name to
14 the court reporter, please.

15 MS. OLDERSHAW: My name is Carol Oldershaw,
16 and I'm with Don't Waste Illinois. Thank you.
17 Don't Waste Illinois is a coalition of the grass
18 roots group from across the state who are working
19 on radioactive waste issues. Before I read my
20 statement, I would like to present to the
21 commissioners a resolution against deregulation of
22 radioactive wastes from the Downstate Grass Roots

1 Group Individuals for a Clean Environment, a group
2 fighting the siting of a low level radioactive
3 waste dump proposed for the East Central part of
4 the State of Illinois.

5 Today I am speaking on behalf of
6 Don't Waste Illinois, myself, friends and family.
7 The approved Below Regulatory Concern Policy is
8 yet another accommodation by our government to the
9 atomic power industry at the expense of citizens
10 in the environment and further proves that the
11 Nuclear Regulatory Commission is not an effective
12 regulator of the industry, but merely its minion.

13 The nuclear power industry is in
14 deep trouble. It has long promised Congress and
15 the American people that a solution to the safe
16 disposal of radioactive waste generated so
17 thoughtlessly at an atomic power plant was
18 imminent. The nuclear industry, ie, the
19 utilities, the reactor vendors, the energy
20 corporation are desperate to stay in business.

21 The BRC policy is an industry
22 attempt to show Congress and the public that there

1 are indeed solutions to one of those profound,
2 moral dilemmas of our time: What to do with the
3 millions upon millions of tons of radioactive
4 waste which have accumulated over these many
5 years?

6 Waste, by the way, generated not
7 only by commercial power plants, but also from the
8 the government's atomic bomb factories situated
9 all across the country. Well, guess what? After
10 some forty year's time and countless millions of
11 taxpayers' dollars, the atomic industry still
12 hasn't a clue. Why? Because there is no answer.
13 None. Radioactive waste and radiation once
14 produced and released into the environment are
15 here to stay well into the next Ice Age.

16 In light of recent scientific
17 evidence that exposure to radioactivity of any
18 level and duration is potentially harmful, the
19 approved Below Regulatory Concern policy scam
20 flies in the face of all that is moral and right.
21 The Nuclear Regulatory Commission is clearly out
22 of control and seriously remiss in its mandate to

1 take the lives, health, and welfare of citizens
2 from the acknowledged dangers of atomic power.

3 These industries should be stripped
4 of their authority to impose any such BRC policy.
5 To allow the release of more radioactivity of any
6 amount into the environment is criminal. The
7 approved Below Regulatory Concern policy is
8 legalized, premeditated, random murder.

9 I want this commission to hear that
10 risking the health and safety of human beings is
11 not an option here. And you should also hear that
12 neither my life nor that of my families is
13 negotiable. I demand that there be no exemption
14 from regulatory control and I further demand that
15 the Nuclear Regulatory Commission and its
16 relationship to the rich, powerful, politically
17 influential atomic power industry be investigated
18 by Congress.

19 MR. PAPERIELLO: Thank you. Was somebody else
20 back there? Again could you identify yourself for
21 the court reporter so she can get your name.

22 MR. DUER: Yeah, my name is Michael Duer. I

1 spoke earlier. I have another comment I want to
2 make. And that was to appeal to these five
3 gentlemen that are up here and also to the
4 gentlemen and the people that generate this waste
5 to listen to that still small voice of your
6 conscious, that little nagging doubt that maybe
7 what you're doing is a policy that's going to kill
8 people. Is it really the right thing?

9 Now, I realize a career change is
10 difficult and you may find some financial loss. I
11 speak from experience. I used to work in the
12 defense industry and it gnawed away at me a little
13 bit. It wasn't weapons that I made, per se,
14 electronic warfare and intelligence type things.
15 But eventually I started working on systems that
16 hookup to telephones and it was US telephone
17 standards that we interfaced to non-European and
18 that told me a little something.

19 And my conscious spoke up and I quit
20 and I was unemployed for a while. But I was
21 willing to take that consequence and suffer that
22 penalty for what was right and I urge you to do

1 the same.

2 Thank you.

3 MR. PAPERIELLO: Okay. Dr. Marchi, would like
4 to speak again?

5 DR. MARCHI: Just for the record, my name was
6 spelled wrong in the list. I would like to
7 correct it. It's not N-a-r-c-h-i. It's
8 M-a-r-c-h-i. Like the month of March with an I on
9 the end of it. But it's pronounced Marchi.

10 MR. PAPERIELLO: I apologize for that. Ma'am.

11 MS. JOHNSWIT: I'm going to try it this way.
12 Judith Johnswit. I would like to make two small
13 corrections to statements that have been made I
14 believe from the platform in both instances.

15 First, with regard to dose
16 assessment, I hope it is clear for the record for
17 all of us that the Nuclear Regulatory Commission
18 does not measure real doses to real people. I'm
19 sure you gentlemen are all aware of this. But
20 perhaps the public is not. They do not do so and
21 they do not intend to do so under any
22 circumstances to my knowledge.

1 Secondly, I believe Mr. Paperiello
2 has stated that the ash from coal fire plant in
3 comparison with nuclear facilities has not been
4 investigated and I would like the record to show
5 that this issue has been exhaustively discussed in
6 nuclear power reactor licensing, both in the
7 Hartsfield Plant and the Three Mile Island Plant
8 too.

9 I would also like to second
10 Mr. Duer's comment. As I have sat here the whole
11 afternoon watching the faces of this panel of NRC
12 employees, I have been very uncomfortable by the
13 lack of apparent, I would have to say
14 comprehension of the statements that you have
15 heard from many well-informed citizens.

16 This is a hard job for you and we've
17 been very tough on you. I do believe that the
18 time has now come in the United States for those
19 who are entrusted with regulation to take the
20 initiative as individuals to respond to their
21 conscious as many of us have done. You can do it.
22 I think you will find the freedom and the sense of

1 self-respect well worth any financial cost.

2 MR. FAPERIELLO: Yes, ma'am.

3 MS. KLAUTZ: A while ago in Illinois, the
4 Illinois Tenth Congressional District and my
5 representative to Congress has done work that was
6 on the Appropriations Committee. His wife works
7 for the DOE. He had a forum in North Chicago,
8 Illinois on July 21. And North Chicago is near
9 Abbott Labs and a lot of the nuclear medicine
10 establishments, Veteran's Administration Hospital,
11 University for Health Sciences of the Chicago
12 Medical School, etc.

13 I asked them about BRC and whether
14 he would challenge it. He said he had not heard
15 of it. Now, I learned here that this all
16 originated in the Congress five years ago. Either
17 this issue is causing my Congressmen to publicly
18 lie and deny knowing about this or he honestly
19 doesn't know about it. And I'm not sure which is
20 scarier.

21 Ten days ago my representative to
22 the legislature here, Grace Mary Stern, the very

1 well-informed lady also admitted she had not heard
2 of it and additionally she didn't plan to because
3 she had other fish to fry, more important things.
4 Now, I agree this is important. And maybe there
5 is even a connection. Well, I resent this matter
6 causing my representatives to lie to me or to
7 maintain this kind of thing. This is an education
8 job and more of that is required.

9 MR. PAPERIELLO: Okay. Mr. Bob Richard.

10 MR. RICHARD: Okay. Good evening, everybody.
11 My name is Bob Richard, and I am from Broken
12 Arrow. Broken Arrow is a grass roots organization
13 concerned with our local environment and namely
14 the world's first nuclear dump.

15 Now, I had not planned on speaking
16 here today and I have nothing prepared. But the
17 world's first nuclear dump is located by Red Gate
18 Woods just outside of Willow Springs. Right now,
19 there are twenty radioactive elements leaking out
20 of that dump into groundwater, into the stream.

21 And Patty Nied here had spoken
22 earlier. She lives right in the area and

1 strontium is in her water, and that's one of the
2 problems. So if the Atomic Energy Commission
3 which is no longer with us, but we have the
4 Nuclear Regulatory Commission. Now, if they
5 couldn't handle the first nuclear dump right, how
6 in the hell are they going to do it now?

7 Thank you.

8 MR. PAPERIELLO: Ma'am.

9 MS. NIED: Thank you. I waited so long to
10 speak before I forgot a little bit of what I was
11 going to say. I have a list of the radioactive
12 elements that were found in the ground stream at
13 Ray Gate Woods. The Site Survey Report from the
14 Department of Energy states that these elements
15 are in our groundwater and please don't tell me
16 that you're not going to monitor them.

17 Americium 241, Californium 249,
18 Californium 252, Curium 242, Curium 244, Cesium
19 137--which causes cancer in the ovum of the
20 female--Hydrogen 3, Neptunium 237, Plutonium 238,
21 Plutonium 239, Potassium 40, Radium 226, Strontium
22 90, Thorium 228, Thorium 232, Uranium 234, Uranium

1 235, Uranium 238. Please, you guys, don't tell me
2 you are not going to monitor these things.

3 Now, I would also like to recite
4 something that I wrote in 1986 and I was thinking
5 about myself, I was thinking about the people at
6 Three Mile Island. It's also a song that I'm not
7 going to sing, but I will recite it for you:

8 Years ago they had no place for all
9 their toxic waste. They buried it, cement encased
10 in a very hurried haste. Well, I just bought some
11 family land. They said that's a natural creek. I
12 got a feeling their uranium enclosure sprung a
13 leak. Because the ears have grown uneven on my
14 crop of corn and the water I won't drink that I've
15 been drinking for so long. My grandchildren will
16 probably be born deformed. And I'm supposed to be
17 happy living in my home.

18 We were dirtbike riding near Argonne
19 Lab, restrictive property. We couldn't believe
20 our eyes that night, yet mine still plainly see.
21 Back in November of '65, steel drums laid on their
22 sides. Caution, toxic waste. It said uranium was

1 inside. Back to the well the ears have grown
2 uneven on my crop of corn, and the water I won't
3 drink that I've been drinking for so long. My
4 grandchildren will probably be born deformed. And
5 I'm supposed to be happy in my home.

6 Now, that was written in 1986. I
7 finished in 1990. They dump this stuff on our
8 clean land and we know the effects of strontium.
9 Our cancer rate is through the sky and the surgeon
10 general says tobacco is why. It's time to fix the
11 power plants before they eradicate us all like
12 ants.

13 Thank you.

14 MR. PAPERIELLO: I think we have time for one
15 more statement.

16 MS. QUILLAN: I Just want to make a reference
17 to what she just said. My foot's asleep. This is
18 Rosemary Quillan again, Q-u-i-l-l-a-n. And she
19 says that cesium has cancerous characteristics.
20 And I would just like to point out that our
21 environment is being eradicated with cesium and
22 there is nothing that has to be on line and these

1 gentlemen are telling us the same thing is going
2 to happen with this BRC stuff and we should be
3 looking out for it.

4 MR. PAPERIELLO: You there.

5 MS. FAY: I've been here all day too, but I
6 would just like to hear if your guys opinion has
7 been changed at all and how this has affected you.

8 MR. PAPERIELLO: Could you please step up to
9 the microphone and state your name?

10 MS. FAY: My name is Sarah, with an H, Fay.
11 F-a-y. I've been here all afternoon too, and I
12 really honestly would like to know if all of you
13 guys, I watched your faces. You look like you are
14 tired. Has your opinion changed? Have you been
15 affected by what we've had to say?

16 MR. PAPERIELLO: I don't know how to give you
17 an answer. This has been mostly bureaucratic, so
18 I am afraid I can't.

19 UNKNOWN VOICE FROM THE AUDIENCE: Does that
20 mean no?

21 UNKNOWN VOICE FROM THE AUDIENCE: It means no
22 comment.

1 MR. PAPERIELLO: Ma'am.

2 MS. LABNO: My name is Kimberly Labno,
3 L-a-b-n-o. Okay. This is to you, my friends here
4 that I don't really know that well have said
5 basically everything. But I would like to assure
6 the Electric Power Research Institute and the
7 Nuclear Management and Resource Council that the
8 concern about BRC is not a trend. It's a
9 commitment.

10 And I think myself I've been here
11 since 12:30. I'm aching. I'm tired. But you can
12 give them a personal message because I'm sure
13 there is some backscratching and handwashing going
14 on. And just, you know, tell it to them. Tell
15 them to start thinking of another solution
16 because, you know, this one is not going to work.

17 MR. PAPERIELLO: Okay. I think at that point
18 we will adjourn. There will be additional
19 meetings in the other parts of the country as
20 noted. The additional meetings were the meetings
21 that were announced in the Federal Register Notice
22 in the other regions. Atlanta, Dallas, Fort Worth

1 and the San Francisco area.

2 Whether or not the commission will
3 hold meetings, additional meetings beyond that, I
4 don't know. There were at one time commissioner's
5 assistants here at this meeting and I'm certainly
6 sure what they said and what you said will be
7 thought about.


8 Thank you for your participation.


9 * * * * *

10 (Which were all the
11 proceedings had at the
12 hearing of the above-
13 entitled cause.)
14
15
16
17
18
19
20
21
22

1 STATE OF ILLINOIS)
2) SS.
3 COUNTY OF DU PAGE)
4

5 We, NANCY PARKS, C.S.R. and
6 CHRISTINA M. DURASKI, C.S.R., Notary Publics duly
7 qualified and commissioned for the State of
8 Illinois, County of DuPage, do hereby certify that
9 we reported in shorthand the proceedings had and
10 the testimony taken at the hearing of the
11 above-entitled cause, and that the foregoing
12 transcript is a true, correct and complete report
13 of the entire testimony so taken at the time and
14 place hereinabove set forth.

15 
16 CERTIFIED SHORTHAND REPORTER
17 Notary Public

18 
19 CERTIFIED SHORTHAND REPORTER
20 Notary Public
21
22