

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

THREE MILE ISLAND
INVESTIGATIVE TASK FORCE

Taped Interview No. 12
September 20, 1979

5 308230623
8308230623 790920
PDR ADOCK 05000289
T HOL

B&W 347L

1 VOICE: -- placed on -- or any training did you
2 remember a small break pipe LOCA that would stabilize above
3 1000 (psi) rather than one that would stabilize, oh, say at 500
4 pounds?

5 VOICE: From memory, prior to the accident, which
6 -- I might have changed quite a bit since the accident --
7 training was emphasized similarly to the simulator -- going
8 to larger and larger pressure increases in the building and
9 decreasing in the cooling system, put more and higher water in
10 holding the pressure -- took the pressure when it leaks. I
11 can't remember any special courses or training on that now.

12 MR. KUNDER: And I feel the same way. I can't
13 remember off the top of my head. Like I say, we were probably
14 all confused the day after the accident. But I don't remember
15 them ever simulating that down there or our training department
16 giving out that information, to the best of my knowledge.

17 MR. KEATEN: This is Bob Keaten on a slightly
18 different topic:

19 Bill Zewe's crew reported that they were not anxious
20 to close the block valve for the PORV unless they were really
21 sure that it was necessary because they were concerned that,
22 if they closed it, it would stick closed and be impossible to
23 reopen. Do any of you have any experiences or opinions that
24 would either agree or disagree with that? Did they know that
25 there was a leak?

1 VOICE: No. Once they knew it was a leak, of course
2 they closed the valve. But the point is that, they said they
3 weren't anxious to close it unless they knew they needed to
4 because they were afraid that if they closed it, it would
5 stick closed. Have you had experiences in either that valve
6 or valves of similar applications sticking closed that would
7 make you sensitive to admit it?

8 MR. WALSH: There have been very many situations
9 where valves have stuck closed. There would be a high P-T or
10 whatever around it. A lot of -- like sample lines on the
11 pressurizer having a -- manually-opened -- the small valves
12 for pressurizer sample -- not when we were operating, fortun-
13 ately, but that did stick closed. In the secondary plant that
14 was common nature. They always stuck closed. There isn't a
15 valve hardly on the plant there that didn't take six operators
16 to open it.

17 MR. BIRN: Excuse me, this Jim Birn.

18 Are we talking about limitorque valves now -- their
19 operators?

20 MR. WALSH: Yes, limitorque.

21 VOICE: I probably would have hesitated to close
22 that. If I knew for sure I was leaking PORV --

23 MR. WALLACE: We've had a little bad luck on in
24 unit one and unit two on those valves -- they're not operating
25 -- they're not opening and they're not closing. The only

1 thing about those valves -- are in a bad environment. You
2 know, I've been down there. We've had a lot of bad luck with
3 them. Of course, I see now that they've come up with another
4 type valve, different design and things like that. They should
5 have kept that -- that philosophy before they cause it, I
6 guess.

7 MR. WALSH: This is Walsh.

8 There was a lot of -- I guess more concern with
9 that crew of maintaining pressurizer level, and they, when
10 the level went up, they turned off HPI. Do you think that
11 was counter to the kind of training you guys had? Say with
12 the simulator or with just general discussions on that?
13 Level was going up and pressures down -- going or you aren't
14 too concerned with the pressures. Would you turn HPI off?

15 VOICE: Sure the operator would. I'm sure of that.
16 You know, like I said, it's a solid system, what the hell, you
17 want to be putting water in it for? Of course, that's ignoring
18 temperature and pressure. You know, if you're just looking at
19 system wide -- volume -- you know, but your question, ah --
20 oh, I don't think you'd turn off the pumps if pressure is
21 going down.

22 MR. KEATEN: The trouble was, it came down and
23 bottomed out. You'd say it had bottomed out.

24 VOICE: Well, pressure was staying and Faust was
25 not sure it was bottomed out.

1 MR. WALSH: It bottomed out at 1200 or below -- you
2 hit 1200 pounds in six minutes and so -- but that would be
3 pretty steep -- that would be a fairly steep -- but then it
4 would start. They had on a -- they must have assumed that
5 the pressure would come right back up. That's what you're
6 telling me. And that much is sure.

7 VOICE: But there's noting in your training that
8 was stressed that -- say if the safety system is actuated --
9 determine why it was actuated -- there is not set criteria
10 for determining when you turn off the safety system when it's
11 bren automatically actuated? Is there any criterion like
12 that that's never covered?

13 VOICE: That's true

14 MR. KEATEN: You're stating you've had, Bernie,
15 that it was not covered?

16 MR. WALSH: No, it's not covered.

17 MR. BIRN: This is Jim Birn. In reading through the
18 reports and things, it appears to me in a lot of cases when the
19 plant tripped, you did initiate ES on low pressure? That was
20 pretty normal? And so, it was normal practice just to reach
21 over and bypass ES as soon as pressurizer level started back
22 up?

23 MR. WALSH: Well, not necessarily level, you're
24 looking more at pressure -- you'd make sure you had a level.

25 VOICE: There may be some procedurally-allowed --

1 the actual loss-of-pressure procedure requires you to bypass
2 the signal so you can take manual control of the flow.

3 VOICE: The procedures says take manual control and
4 regulate the flow --

5 MR. WALSH: That's correct. So bypassing the HPI is
6 completely in complinace with the design.

7 MR. WALSH: And most of the time on a trip, okay,
8 most operators are trained that the procedure goes through
9 numbers on the pressurizer -- you know, level, when you start
10 pumping. Most operators reach over and start the second
11 makeup pumps, 'cause it's hard to keep the pressurizer from
12 blowing down, you know, if you just wait. Most guys just go
13 over and hit it.

14 MR. KEATEN: Bob Keaten again.

15 Let me swithc again to a different topic. We're
16 coming down to the end and there are a couple of things I want
17 to talk about. As you are aware, as a result of the accident
18 on the morning of March the 28th, there was a significant
19 transfer of a radiocative -- presumably both liquid and gases
20 purged into the aux building, and subesquently released from
21 the aux building to the environment.

22 As of today, the various investigations have not
23 been able to focus in on what really was the one leading
24 pathway of release from the reactor coolant system into the
25 aux building. If any of you have any information that would

1 help us find out what pathway or pathways were the ones that
2 really occurred, I'd be very interested in hearing that.

3 MR. WALSH: I've looked at that. I don't know.
4 They keep contending, you know, that supm pumps were fof and
5 they didn't pump water. I don't know how that water got over
6 there. I've looked at it. In fact, I worked with Bill, we
7 both looked at it. I had -- I don't know.

8 VOICE: We got a good bit of data that says those
9 pumps did get turned off after 120 minutes. As far as we
10 know, they were never turned back on.

11 MR. WALSH: Yeah, that's right.

12 MR. KEATEN: Which wouldn't have been enough to --

13 VOICE: Right. "cause at twenty minutes into the
14 accident there wasn't any core damage, so that water would
15 just have the normal primary coolant activity. It wouldn't
16 be the kind of hot water that was donw there later on.

17 MR. WALSH: I never heard anything, ah -- the first
18 two--two-and-a-half months on that, okay. Everyone said they
19 didn't know where the water came from. Then -- one day I saw
20 someone, I don't know if it was from B&W -- brought over one
21 of the graphs from the RC drain tank. Did you ever see anything
22 on the RC drain tank being pumped down after the accident? For
23 a period of time it looked like the RC drain tank had been pumped
24 down and it was for a forty minute period -- twenty minutes
25 later it was for another forty minute period which -- and the

1 thing was pegged out at greater than 150 gallons a minute which
2 constituted many thousands of gallons coming over from the
3 primary system in this.

4 The way that the graph looked it was right shortly
5 after the time of the accident. It showed a lot of spikes in the
6 graph which looked like maybe a pressure surge going into the
7 tank. And then the thing bottomed out at zero, where it should
8 be; and then took a straight line off the paper at greater than
9 150 gallons a minute; and then went into a straight line for
10 about 40 minutes, went straight right back down to zero; stayed
11 there for about 20 minutes and then came back up again.

12 MR. KEATEN: Do you remember how far into the
13 accident this was?

14 MR. WALSH: Well, you can't really tell, because
15 the chart is not dated quite properly. I guess on the second
16 day. Which (inaudible) Don did make his entry at least for the
17 date March 29th and at this point, the guy that was over there
18 at the time was just using all these lines and the pressure
19 excursion was going into the tank and going by that, it might
20 have been a 15 minute or 30 minute period after these excursions
21 occurred that pumping took place.

22 VOICE: Mr. Walsh: this is on the -- would the
23 flow from the drain tanks to the -- would it normally go to
24 the waste -- the plant's waste receiver tank?

25 MR. WALSH: I believe normally it goes to the plant's

1 RC bleed tank.

2 VOICE: There is a flow recorder on that?

3 MR. WALSH: There is a flow recorder in the control
4 room. And the guy that brought this over, he -- you know, like
5 you say, I never heard anything. I never heard one of anyone
6 pump out any water out of that tank. And this guy comes over
7 and he assumes that this is an automatic function -- the tank
8 gets too full; the valve opened and pumped out which is not
9 the case here.

10 MR. KEATEN: I know you told me about that graph,
11 but I've never seen it since nor heard about it.

12 VOICE: A GPU man spoke to Lex about it.

13 MR. KEATEN: Do you know who that was?

14 MR. WALSH: I don't remember his name right now,
15 but I know when he came up, he really started talking to me
16 about it. So I went over to show them what we had and all.
17 Like John was saying, that guy was under the assumption that
18 valve would open automatically, which it doesn't. It'll close
19 automatically, but it doesn't open automatically.

20 MR. KEATEN: I guess I'd like to close by giving
21 you guys an opportunity to bring up anything else that you
22 think you'd like to get out, either relevant to what we've
23 discussed, or relevant to something else.

24 MR. BOOHER: I think we ought to have a pay raise.

25 (Laughter.)

1 MR. KEATEN: I'm afraid you got the wrong audience
2 for that kind of --

3 (Laughter).

4 MR. WALSH: (Inaudible).

5 MR. WALLACE: Is it true now that we're getting --
6 could be fined for this operation under the new NRC regulation
7 that came out last month?

8 MR. KEATEN: This was one of the recommendations
9 of the NRC short-term lessons-learned group --

10 (Laughter.)

11 MR. KEATEN: Under certain circumstances, yes. I'm
12 not sure that that's actually been put into effect. There has
13 been an awful lot of discussion and an awful lot of people
14 saying that that's not a very good idea, so -- honestly I
15 don't know where it stands.

16 MR. WALSH: I want to say a couple of things. Now,
17 you know we went into extended training programs and, you know,
18 NRC is dictating everything they want, you know, my curiosity
19 is when is GPU going to take a stand? You know, everybody in
20 the world makes rules. And of all it costs us money to comply
21 with everything. Sure, it might be a little early but some
22 place along the line, somebody has to stop something.

23 You know, it's just like -- you know, I'm sure the
24 exams are going to be harder and there will be more people and
25 I don't know for sure if it's going to make it go away.

1 MR. KEATEN: I understand your question, Bernie,
2 and it's a very good issue and it's one that -- within the
3 Service Company we've had some discussions about as well, as
4 I am aware of these discussions (inaudible), and one of the
5 things that this group is supposed to be doing is to make
6 recommendations of the things that we think really need to be
7 done; and a corollary of that is, that when the NRC comes out
8 with some things that we don't believe need to be done, we're
9 hoping to flag that out and say, here's one that these guys
10 are saying, do it; our own findings indicate that it's not
11 really necessary or it's not going to be beneficial or in a
12 couple of cases, it may in fact even be contrary to what you
13 need to do. And then, use that as information to make a
14 decision as -- all right, this one it's not necessary, but it's
15 not that painful, so we'll just go ahead and do it; this one
16 is not necessary and it is really painful, so we ought to
17 stand up and fight about that one. So, we are planning to go
18 that way. This group is hoping to have an interim report in
19 about another month.

20 VOICE: Is that right? And you

21 MR. KEATEN: And you know how that works. Deciding
22 to fight the NRC regulations is not the same thing as winning
23 that fight.

24 MR. WALSH: I understand that.

25 MR. KEATEN: "Cause they're probably in as much

1 trouble as we are -- and getting through anything to 'em is
2 really tough.

3 MR. KEATEN: Okay, if no one has anything else,
4 I'd like to thank you guys for being here and giving us all
5 this information today.

6 (Meeting adjourned.)
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 MR. KEATEN: This is an interview with George
2 Kunder and George, I guess I'd like to start off the discussion
3 by asking you to describe for us as best you remember, when
4 you got into the control room on the morning of March the 28th
5 and what was going on and what was the perception of the people
6 at the time you got there?

7 MR. KUNDER: I arrived in the control room approx-
8 imately ten minutes of five, is my recollection, and when I
9 arrived, Tim Brian was in the control room and Scott Wilkeson
10 was in there; Fred Scheimann and approximately two of the
11 operators -- I can't remember the faces any more. They seemed
12 to be concentrating on the pressurizer level over in the area
13 of the makeup control panel in the console. Someone had
14 informed me that we had experienced a turbine trip, and sub-
15 sequent reactor trip, a rupture of the drain tank rupture disc
16 and the pressurizer level was pegged high. As I tried to gain
17 an assessment of the instruments for myself -- which was somewhat
18 slow because of my unfamiliarity with the console of the plant
19 -- I did not that the pressurizer level was virtually pegged.
20 I can't remember if it was totally pegged or very close to
21 being pegged. The operators thought the course of my attempt
22 at assessing the situation -- indicated that they were letting
23 down in order to reduce pressurizer levels. I questioned --
24 at some point in time how long they had been -- they had
25 indicated pressure had gone low -- and when the high pressure

1 injection was actuated.

2 I asked how long it was actuated because it seemed
3 to me that apparently the system had been overfilled, presum-
4 ably through the high pressure injection and they indicated
5 that it wasn't on for very long. Mostly qualitative asses-
6 sments at that point. Ben Brian had noted to me -- at one
7 point that the releif valve line -- seems to me I remember
8 a number of -- he said it was coming down and the number was
9 something like two hundred and thirty degrees. That's the
10 number I remember.

11 And based on that, it made sense; it was consistent
12 with the fact that we had a trip -- we had high pressure and
13 the reactor coolant trip -- and the relief valve apparently
14 had opened, and presumably had opened longer than the quenching
15 capability would permit, and allowed the rupture disk to blow.
16 And that was consistent in the sense that I had experienced
17 that similar kind of phenomenon at unit one years ago during
18 the startup program. Based on the fact that the indicated
19 temperatures were coming down, that seemed consistent -- and
20 I didn't pursue that particular item any further at that point.

21 The general perception appeared to be concern that,
22 while everything appeared to be steady-state, there was still
23 a lot of activity going on and the main concern in the
24 control room was the pressurizer level being high and the
25 inability of the operators to regain control of the pressurizer

1 level through what they perceived as inventory controls that
2 were in effect at the time.

3 Another problem that existed -- and I understood
4 Bill Zewe to be working on -- was the apparently high level
5 in the hot well. As things developed -- I guess I was there
6 for I would judge maybe ten or fifteen minutes before -- my
7 impression of the situation was that we had a very unusual sit-
8 uation, something that I had never seen before -- I had a dif-
9 ficult time assessing all the parameters because I pretty
10 much had to draw it out of the people who were really trying to
11 concentrate on what they were doing. So I asked for additional
12 people to be called in. And I requested Wilkeson to call in
13 Dubiel and Spelitz, all my lead engineers, and I think I asked
14 him to call in on coming shift supervisor and foreman because
15 I felt we needed additional operational experience in, too
16 They felt it when they were pretty hard-pressed to cover every-
17 thing and, you know, try to understand what was going on in
18 all these areas of the plant.

19 I guess that -- so as not to ramble on -- that was
20 the environment. The best way I can characterize my impression
21 -- initial reactions.

22 MR. TSAGGARIS: George, Lex Tsaggaris.

23 Still in that same time frame when you initially
24 came in, do you recall any perception of radiation problems?

25 MR. KUNDER: No.

1 MR. TSAGGARIS: Do you recall any radiation alarms
2 that were in -- that were indicatinm abnormally?

3 MR. KUNDER: If there were any in, I didn't observe.
4 Un, my reaction was that board was pretty well stable in terms
5 of little alert or alarm lights being lit. They sort of jumped
6 out at you when they start coming in. Sok there was no radia-
7 tion problems, apparently.

8 MR. KEATEN: George, do you remember who it was that
9 briefed you on the status? Was it one person, or did you just
10 talk to whoever was available or what?

11 MR. KUNDER: It was more than one person. And I
12 can't remember specifically who I spoke to at any one time. I
13 remember talking to Ken Brian relative to relief line temper-
14 atures; some of them had shut off, questioning the operators
15 on different things that had occurred or questioning where
16 the other pressurizer level indicator was so I could check
17 that -- I was trying to derive as much information as I could
18 from those guys and I have a habit of wanting to see the in-
19 struments myself and so I was trying to find them, which is
20 not that productive on my part to evaluate, because I didn't
21 have experience in the control room.

22 So, it was a combination of operators and shift
23 foreman and Ken Brian and maybe -- and Scott Wilkeson in the
24 control room at charts doing things like getting status too.

25 VOICE: Okay now, let me get things clear: at the

1 time that you came in, Bill Zewe was not in the control room
2 and this was as best as you can remember about ten minutes
3 of five?

4 MR. KUNDER: That's what I recall, yes. I think
5 that the gate records, if I recall correctly, showed me coming
6 through the gate around a quarter of five. It would have taken
7 me at least five minutes to come through the security center--
8 I remember seeing the relief valves with their atmospheric dump
9 open on unit one and I tried to raise anyone in the control
10 room but no one answered so I just yelled over the page that
11 the dumps were open just in case they weren't aware of it --
12 and I went over to my o-vice, put my brief case in there; I
13 don't know why I made that stop, but mainly to get my hardhat,
14 I think, and I proceeded right up to the control room of unit
15 one.

16 MR. KEATEN: I understand.

17 VOICE: Did I understand you correctly, that as
18 part of your initial gathering of information -- I won't call
19 it a briefing since I know it really wasn't, -- that you were
20 informed that the drain tank rupture disk had gone?

21 MR. KUNDER: Yes. I'm pretty sure somebody had told
22 me that and I went over and tried to find -- I think at one
23 point in time I walked back to try to find the indications for
24 the drain tank level, etc. with the individuals. I just seem
25 to remember going back there, but anyway, I do remember seeing

1 the building pressure recorder. That's over on the main
2 (inaudible). I observed that was about two psi in the building.
3 So again, that made sense to me although there was no proof that
4 the rupture disc blew based on my previous experience when we
5 blew the unit one rupture disc. It made sense to have some
6 small amount of pressure in the building from that -- due to
7 flushing of the water.

8 MR. KEATEN: I'd like to pursue a little bit that
9 previous experience of yours on unit one. This was what, a
10 normal reactor trip?

11 MR. KUNDER: I believe it was associated with a
12 trip. In my own mind I have never since gone back to reievew
13 that circumstance on unit one, but it may have been a condition
14 where we lost our vital bus and -- or at least the power
15 supply to the NNIs, which would have given the electromatic
16 relief valve an open signal, because the pressure -- I believe
17 it would have been the pressure -- either the pressure actually
18 went high or the instrumentation failed high and opened the
19 electromatic. I think it was that, but I may be confusing
20 two incidents. At any rate, the relief valve opened for an
21 abnormally long time, something like 30 seconds or longer, and
22 we may have had even some higher-than-normal temperatures in the
23 drain because, of course, you didn't have any release of
24 radiation in the reactor building. I don't believe anybody
25 was in the reactor building when this occurred. So that's why

1 that kind of thing made sense to me.

2 MR. KEATEN: Now, in this very initial time frame
3 that we're talking about, in the parameters that people
4 were telling you, did anyone mention the reactor coolant
5 system pressure?

6 MR. KUNDER: I'm sure they did at some point. I
7 remember looking at pressure.

8 MR. KEATEN: Um hum.

9 MR. KUNDER: And at the time, you know, with all
10 the things going on and trying to just concentrate on the big
11 picture, so to speak, and I hadn't reached the point where I
12 had begun to focus on (inaudible) but I did not that the
13 pressure was down -- something around 1100 psi, 1200 psi, and
14 my judgment of that, which was very cursory in retrospect, was
15 that somehow, we had lost the bubble in the pressurizer; either
16 collapsed it through an excessive in-surge and ended up at a low
17 pressure and recovery of that pressure again would depend upon
18 forming the bubble again in the pressurizer. And I really
19 didn't think the problem through far enough to concentrate on
20 the saturation temperature and the hot leg temperature -- I'm
21 not sure I can even remember the numbers right any more; but
22 it was somewhere around 550 or 560. Generally, 550 is about
23 where the T_{ave} immediately after trip. So again, that was
24 close to the values I would expect to see, but pressure was
25 low. It bothered me, but I explained that every quickly in

1 my mind as being the fact we had lost the bubble and we
2 hadn't regained pressure control. They did have the heaters
3 on -- but it was never considered that they weren't covered
4 enough.

5 MR. KEATEN: Jumping ahead for just a minute, at
6 what point in time, if you remember, did somebody draw the
7 conclusion that the primary loop was really saturated and that
8 there were probably gas bubbles in the primary loop? Was
9 that considerably later in the morning?

10 MR. KUNDER: Yes. I believe that we all drew that
11 conclusion simultaneously -- we were in the control room
12 discussing with a bunch of people you know -- I don't know who
13 really comes up with the idea at first -- it sort of mutually
14 develops. But when we knocked off a pump and later attempted
15 to restart the pumps and -- by that time we learned the hot
16 leg temperatures were climbing narrow range instrumentation.
17 And we tried to start the other pump and then -- I guess the
18 think that -- it was that combined with the high temperatures
19 led us to conclude that we may -- when we tried to start the
20 pump -- it was an immediate conclusion -- but during that ten
21 or fifteen minute period when we were trying to restart the
22 coolant pumps and we weren't getting any flow, that we started
23 to realize that we had some type of vapor lock. That's the
24 way I conceptualized it -- we had a big bubble in there and
25 we just weren't pumping anything. By that time we had rein-

1 initiated high pressure injection.

2 VOICE: (Inaudible) two places you had the full
3 pump.

4 MR. WALLACE: Two points -- two questions on the
5 reactor coolant pumps. First of all, was there a specific in
6 dication or pair of indications, that everybody focused on
7 which said -- "that's happening -- we got to try to restart
8 a pump".

9 MR. KUNDER: I can't remember. I think that it's
10 possible -- and this is speculation -- that the operators
11 at the console, who are expecting to see the onset of natural
12 circulation, didn't see the behavior that they were expecting.
13 And, of course, the hot leg temperatures continued to climb.
14 And I believe the danger there, at that time, was that, I
15 thin, we had to signal a problem. I guess at that point in
16 time I wasn't focusing on the instrumentation directly myself.
17 (Inaudible).

18 MR. WALLACE: From what you could see, when that
19 decision was made, was that basically made with the on-shift
20 watch standers, or were there some other collection of people
21 who were involved in that decision to go ahead and try to
22 start the pumps?

23 MR. KUNDER: Well, at that point in time, I believe
24 that Mike Ross was there; and next Joe Logan was in there,
25 and there were a number of senior people who were trying to

1 evaluate the behavior of the primary system. I can't
2 remember any specific individuals who -- whether it was the
3 crew or some of the other individuals who suggested it.

4 I don't remember myself, thinking, hey we got to
5 start that pump. I don't think that I thought that at that
6 point in time. A lot of our ideas were collectively assessed,
7 you know, so forth, took place and it's hard to recall
8 (inaudible).

9 VOICE: Second point. Do you know why or did
10 someone try to figure out why the first three pumps didn't
11 start?

12 MR. KUNDER: At the time, I'm sure there was an
13 answer, but I can't remember what it was.

14 MR. KEATEN: George, I want to ask you the kind
15 of question that, at this late date, is extremely difficult
16 to answer, but I ask it anyway. If at the time you had
17 originally gone in and you were looking at the control instru-
18 mentation and getting data, if there had been installed the
19 kind of thing that everybody's now talking about -- the
20 saturation meter that shows the relationship between pressure
21 and saturation pressure -- that meters had been there and you
22 had seen it and seen that, in fact, the pressure was sitting
23 on saturation pressure, would that have made any difference in
24 the way you thought about the pump?

25 MR. KUNDER: Oh yeah -- but that would presume that

1 I had thought this kind of a scenario through and understood
2 the dynamics of a small-break LOCA.

3 MR. KEATEN: No, I'm trying to ask you a different
4 question. Supposing we hadn't thought it through, but
5 you simply know what you know then, plus what you know as a
6 matter of fact, that the pressure was at saturation?

7 MR. KUNDER: I don't know. It might have, but
8 then again, there's no guarantee that it would have. I tend
9 to be less analytical and more operator-oriented in the plant.
10 The confidence I strike with -- generates from my knowledge
11 of the plant -- you know, I tend to react more as the operators
12 would have reacted because of my experience at the simulator,
13 which is because that's the only real operational experience
14 that I have in operating the controls. And -- I guess we've
15 become somewhat conditioned through previous trips and
16 subsequent inadvertant actuation of high pressure injection
17 that, when we have that kind of condition induced -- such as
18 we experienced also at the simulator -- the recovery is marked
19 by a pressurizer level coming up and pressure coming up. And
20 this anomaly is just one that we hadn't experienced. Perhaps,
21 just being bothered so much by that anomaly and not being able
22 to get my mind set in analytical fashion -- it would be easier
23 for one to do these a little bit more removed from the impact
24 of wanting to get the thing under control, directly. I think
25 that it would tend to offer a resistance to trying to figure

1 that problem out. But knowing what we know we know now, I
2 think that analysis would be pretty much an automatic thing.

3 MR. KEATEN: Oh heah. Knowing what you know now.

4 MR. KUNDER: I can't answer the question.

5 MR. KEATEN: Let me ask you a couple of other
6 questions -- I still want to focus on this very early period
7 before we go past it.

8 The time you came in, Bill Zewe was not in the
9 control room -- he was dealing with problems in the conden-
10 sate polisher. Who did you perceive was in charge of the
11 control room, or was that clear?

12 MR. KUNDER: Well, the control room, my perception
13 would be that the shift foreman was the guy in charge.

14 MR. KEATEN: I had -- I mean, was he acting like
15 the guy in charge?

16 MR. KUNDER: Well, without knowing who specifically
17 -- well, I was told over the phone that Bill Zewe had asked
18 me to come in, so I -- in the back of my mind was that Bill
19 Bailey was the shift supervisor on duty at this time.

20 MR. KEATEN: Yeah.

21 MR. KUNDER: When I came into the control room,
22 Ken Brian was there -- I guess I didn't really think that much
23 about who was in charge. Looking back, the guy in the control
24 room who had the continuity and really had the responsibility
25 was more Fred than anybody, I think.

1 MR. KEATEN: Now, then when Bill came back into
2 the control room, did you -- did it appear that he was really
3 in charge of the activities?

4 MR. KUNDER: Yes. He was the responsible shift
5 supervisor. He did have as much perspective as anybody did
6 in the whole event.

7 MR. WALLACE: This is Wallace. George --

8 MR. KUNDER: I would say "in charge" if I may
9 interrupt. The same question came up with the NRC inquiry
10 just yesterday. My perception of who was in charge was that
11 Bill, as the SRO of the unit, was responsible for directing
12 the activity of the unit. The question of whether, for instance,
13 I as senior member of the staff, was in charge is best char-
14 acterized by myself as -- there was some time that I consider
15 had to transpire and some realization on my part of what the
16 plant status was before I could assume the broader control,
17 the broader responsibility for the unit. I feel that I did
18 assume that to a great extent -- in the terms that I felt
19 responsible to get additional assistance called in for what
20 I perceived was a very serious situation compared to routine
21 previous trips, if you will. And in all that time I would
22 perceive that Bill would report to me as the senior individual
23 because Bill's responsibilities continued to be direction
24 and control of the emergency actions on the unit. So I perceived
25 myself as taking responsibility as senior member of the staff

1 in support. When Joe Logan arrived later on, it took some
2 time for him to become aware of what was going on. And there,
3 I'd say that more of an informal turnover took place in that
4 I perceived Joe as assuming responsibility. About that time
5 it was time to declare the site emergency. Between Bill and
6 myself, that realization became apparent. And he took one set
7 of actions relative to announcing to the plant and I took an-
8 other set of actions in trying to muster my engineers to
9 start making phone calls and get into the emergency plan ac-
10 tivities. And I viewed Joe then as the emergency director.
11 When Gary came in, he received the same type of assessment --
12 very quickly briefed on these activities -- and then he became
13 emergency director. And he formally announced it in the
14 control room. There was a progression of who was in charge
15 and that's the best way I can characterize it.

16 MR. KEATEN: As far as the operation of the plant
17 itself is concerned, Bill Zewe was really more or less the
18 continuous thread through this?

19 MR. KUNDER: I think so. I tried to offer him
20 backup and advice where I felt it was appropriate and qual-
21 ified to do so. Many times he took actions that I would char-
22 acterize as giving him "passive concurrence -- like securing
23 the pumps. I don't think I ever told him to secure the pumps.
24 The recognition of the low pressure and high temperature con-
25 dition which was outside the bounds of NPSH operation was on

1 their part. And I became aware of that and I did not see
2 anything wrong at that point with securing the pumps. So,
3 by not saying anything -- so to speak -- or sometimes, I
4 may even have actively concurred. In that sense, I pretty
5 much was offering whatever expert advice I could offer at
6 that point.

7 MR. KEATEN: At that point, at the time that you
8 were aware of the desire to secure the pumps and concurred
9 in it, what did you expect to be the true emergency cooling?

10 MR. KUNDER: Natural circulation.

11 MR. KEATEN: Did you have any memory of deliberate
12 actions that were taken to increase HPI flow prior or
13 concurrently with securing the last pump -- IA pump?

14 MR. KUNDER: I don't remember anything. The only
15 recollection I have -- and this I guess pretty much stands out
16 in my mind was -- I believe it was after we had secured the
17 pumps --very, very shortly after securing the last of the
18 pumps -- the tack that I was misled to take was that we were
19 going critical. And I had previously asked that boron
20 samples be taken so that engineers could perform a shutdown
21 margin calculation. This was much earlier -- maybe 20 minutes
22 after I arrived or something like that -- but I had then
23 received some initial reports from Dick Dubiel, who had
24 arrived at that point of time and I indicated that I had to
25 go down and coordinate that effort. It indicated that we had

1 about 700 ppm in the primary. Well, that sure (inaudible)
2 what the boron was and I went over to the panel and wheel
3 it was 1000 -- a little over a thousand ppm. And that
4 concerned me very much. And I told him he, go back and get
5 another sample. He got another sample -- an additional
6 sample result was available shortly thereafter and he said
7 the thing was 400 ppm. We had two analyses. One read 400
8 or something and the other one was slightly more. I said
9 -- I went over this again and after the pumps were secured
10 and which, with hindsight, it was the NI's responding to the
11 increased voidings by seeing more neutrons -- but it's
12 increasing, I thought. We're going critical because we were
13 already over almost a decade on to the intermediate range. So
14 it was really that set of indications which led me to -- pretty
15 much -- call out to start high pressure injection again. We
16 discussed a little bit. There was some hesitation and we finally
17 said, hey -- initiate high pressure injection. We saw that
18 we got big problems and we didn't really know where the hell
19 we are. So, I never looked at the panel to determine if high
20 pressure injection was being started; I just assumed it was.
21 I assumed they would carry out those instructions. And I
22 believe they were, even to this day.

23 It was very shortly thereafter then, that he called
24 back the information that he gave me on the sample lines and
25 that's when I was on the phone with Dick -- yelling melted

1 fuel -- lights started coming in and that's really when the
2 radiation indication became very apparent.

3 MR. KEATEN: Okay, I want to return to that point
4 in just a minute. But before I do, I want to ask you a
5 question on the sidelines. Today, do you understand why it
6 was that those initial boron samples read so low?

7 MR. KUNDER: Yes. We concluded that due to the
8 increased voiding the steam that was in the coolant system
9 being circulated around was getting into the sample lines
10 rather than the concentrated boric acid solution, so that would
11 give you an apparent lower boron concentration. Of course, as
12 the voiding increased, the steaming became greater and therefore
13 the boron concentration was being reduced.

14 MR. KEATEN: Where are the sample lines?

15 MR. KUNDER: They take off -- I've never seen unit
16 two sample lines, exactly, where they came off, but I know
17 where they come off the line in unit one. It's on the letdown
18 line. And they were letting down, so they were getting the
19 same voiding flow through that flow path. And it would be
20 somewhere down in the vicinity of the letdown curlers in the
21 building. Physicially it comes out and is sorted through a
22 very tortuous path -- a long path which eventually goes over
23 to the unit one sample lines. It had plenty of opportunity
24 to recondense and somewhat cool down and give us just what
25 we were seeing.

1 MR. KEATEN: Let me now come back to the point that
2 you were just leading into: when you heard that there was
3 increased activity in the coolant sample, did you immediately
4 draw the conclusion that that had meant core damage?

5 MR. KUNDER: Yes.

6 MR. KEATEN: At that point in time, did you in
7 your own mind, at all, make any guess as to what those words
8 "core damage" mean?

9 MR. KUNDER: I perceived that we were leaking.
10 At that time, I don't think I characterized the damage
11 as intolerable -- as anything more than that we were over-
12 heating the core somehow. The only thing I can say, that
13 I believe was in the back of my mind that we had some sort
14 of thermal effect heating effect that would have given us
15 that problem. I don't know how strongly I thought that but
16 that's the kind of thing that was in my mind. I felt that
17 we had some type of core damage ever since we got the first
18 indication of that activity. Six hundred MR's per hour in unit
19 one sample lines was really extreme to me and, of course, you
20 know, it lit up like a Christmas tree and it pervaded through
21 the whole panel within minutes. It was so extreme that there
22 was no question in my mind that we had site emergency. And it
23 wasn't too long -- and I didn't perceive us as having a loss
24 of coolant accident which came in much later. In fact, for
25 many days, the term "loss of coolant accident" has always been

1
2
3
End Side One

associated in my mind as a, you know, a big pipe break that's almost impossible to break. But nevertheless, it has the same effect. I didn't --

4 MR. TSAGGARIS: George, Lex Tsaggaris.

5 You say you perceived it as a loss of inventory
6 rather than a loss of coolant accident. Where did you --

7 MR. KUNDER: You had to look at the way I
8 perceived loss of coolant accident -- to me a loss of coolant
9 accident just meant the pipe break without any pressure --

10 MR. TSAGGARIS: Where did you think the loss of in-
11 ventory was?

12 MR. KUNDER: At that time, I wasn't sure.

13 MR. TSAGGARIS: Did you know that, subsequent
14 to all the radiation alarms going off that the PORVE block
15 valve had been shut and that --

16 MR. KUNDER: No.

17 MR. TSAGGARIS: You didn't know that the PORV had
18 been open all that time?

19 MR. KUNDER: I wasn't aware that we had closed that
20 block valve until -- it must have been some time around,
21 maybe 7:30 to 8:00, in that time frame, because I do remember
22 telling Don Haverkamp that's what we had found. But I knew
23 that I was not aware of that up until at least we got into the
24 general emergency.

25 MR. KEATEN: George, let me back up some more. At

1 the tiem that the radiation monitors all lit up, what did
2 you start doing then? Did your role change? Did you stop
3 trying to diagnose the plant or did you continue doing that,
4 or what?

5 MR. KUNDER: Well, I had very quickly believed in
6 my mind that we had done everything that we physically could
7 do to ensure that we had coolant to the core in terms of
8 initiating high pressure injection again. But we didn't know
9 what else we could do offhand, but when we did get the alarms
10 it was clear that we were in a site emergency situation and
11 had to implement the emergency plan. And for a second I
12 thought, boy, this is going to look good in the papers. But,
13 it's probably -- just gaining that realization was something
14 itself. But then I think, from there on, it was just more a
15 mechanical reaction based on previous drills that had.

16 MR. KEADEN: And that's what I'm driving at --

17 MR. KUNDER: I turned around -- excuse me, I don't
18 think my role changed. Bill still continued to attempt to
19 diagnose what was going on in the plant and Mike Ross assisted
20 him in that, I'm sure. I can't remember what everybody did
21 exactly, but I turned around and instructed two of my engineers
22 to begin making the phone calls per the emergency plan.

23 I think things did get a little bit confused in the
24 sense that, you know, who's going to do this, who's going to
25 do that. But we sorted that out fairly quickly, and we had

1 communications established in ECS. The nuclear engineers
2 automatically went back and got the isoplex and the overlays
3 and began their calculations. Joe Logan at that point being n
4 in the control room, I perceived as the emergency director and
5 I was doing this as really assistance to him, which is my
6 function in the emergency plan.

7 So, I guess that, at that point in time, I did
8 transgress into assistant to Joe. So that's about the only
9 sense, I think, that my role changed.

10 MR. KEATEN: Part of what I was dealing with is
11 at that point in time then, did your attention shift more to
12 implementing the emergency plan rather than looking at the
13 control panels.

14 MR. KUNDER: I think it did. For about a half an
15 hour or so I may have gone back to the panel to further
16 assess what was going on for a moment, but I don't think it
17 was that long.

18 MR. KEATEN: In the calculations that the nuclear
19 engineers started doing, were they making an attempt to
20 predict what the releases were likely to be?

21 MR. KUNDER: In general, that's the first response
22 in the emergency plan. You set up these overlays; you get
23 the meteorology that's significant at the time and basically
24 use the reactor coolant monitor as a source term and this is
25 a very conservative approach for assessing the off-site dose

1 prior to receiving data back from the on-site and off-site
2 monitors. So they would pick the appropriate overlay and
3 these predict what the dose would be for the first receptor
4 off-site. And the number I heard was like 10 R at Goldsborough.
5 Of course by that time we were moving along 90 miles an hour
6 and, you know, it's a big one all right. And that was our
7 function. But the only thing that we were doing --

8 MR. KEATEN: Excuse me, let me characterize this
9 point. The thing that they were doing, they were taking the
10 reactor building monitors as their source term and calculating
11 chi over Q and all those kind of things. But they were not
12 going back into the reactor and say, well, this is what we'll
13 likely end up releasing from the reactor and that's what the
14 source term is. I don't think they did that -- it doesn't
15 sound like the short map predictions, George --

16 MR. KUNDER: But I did not stand over them to
17 assure that they were making these calculations correctly or
18 anything like that, or really paying close attention to what
19 they were doing specifically at that point. I was more
20 interested in assuring that communications off-site were
21 established and checking with Joe on various things, some
22 of what I did I don't remember at all.

23 MR. TSAGGARIS: George; Lex Tsaggaris.

24 With regard to that 10 R projection at Goldsboro,
25 I'm just trying to get a relative time frame -- can you recall

1 whether that projection was made before or after the general
2 emergency was declared?

3 MR. KUNDER: Before.

4 VOICE: It was before.

5 MR. KUNDER: As a matter of fact, I thought that
6 based on that number, Gary declared a general emergency. It
7 wasn't maybe five minutes or so -- had elapsed. I can't
8 remember.

9 VOICE: Okay, what I'm trying to get a feel for is
10 was the projection made closer to 7 or was it made closer to
11 7.24 when the general emergency was declared?

12 MR. KUNDER: I think it would have been closer
13 to 7.25.

14 VOICE: Okay.

15 MR. KUNDER: That's speculation for me.

16 MR. WALLACE: George, to get back to the beginning,
17 when you said you came to the control room, you were looking
18 at some of the instruments, you mentioned pressurizer level.
19 Did you look at some other things like the pressurizer pressure,
20 the steam generators, makeup pumps were on, or did you use the
21 computer log?

22 MR. KUNDER: I looked at pressurizer level, looked
23 at the recorder chart on pressure, and I remember viewing the
24 alternate pressurizer level indicator on the right console.
25 I'm sure I looked at other things, but I can't remember looking

1 at anything else. And I don't recall ever really going over
2 to the computer and looking at any data on the computer. Alth
3 Although, let me say, I may have. I just can't remember ever
4 having done that, let's put it that way.

5 MR. WALLACE: Do you remember where the low pressure
6 was at, or the cure trend -- did it look like it was going --

7 MR. KUNDER: Well, I indicated before that it was
8 very gradually decreasing, but looking at that one-hour section
9 of strip chart, it was appearing somewhat level. Of course,
10 I looked at reactor building pressure itself. I'm sure I must
11 have looked at a lot of other indicators, but they just don't
12 come to mind any more.

13 MR. WALLACE: Okay, down a little further down the
14 line, there was an evaluation done -- where the pumps were
15 alarming -- of looking at the pump curve. Were you involved
16 in actually looking at the pump curve and you and Bill and Ed
17 maybe saying that well, here we are. Remember?

18 MR. KUNDER: I did that after the fact. After the
19 pumps -- the first set of pumps were secured, I went over and
20 I got the hot leg temperature and looked at the pressure and
21 went to the curve and the procedure that was laying on the
22 desk. I'm not sure which one that was, but that curve is
23 located in a couple of our procedures. And I did verify
24 that we were below the curve for one-pump operation and very
25 close I recall to another curve for two-pump operation that

1 we were just about right on and I remember also looking at the
2 RC pump and the flow was decreasing slowly and I guess we were
3 somewhere around 40 percent or so on the indicator and some-
4 where around thirty percent is the point where we tripped it.
5 It was decreasing with time and --

6 VOICE: At that point when you noticed that you
7 were at or below the curve, did anybody do an evaluation
8 saying why are we down here in pressure -- can we either lower
9 the temperature or raise the pressure and get back to an
10 operating range?

11 MR. KUNDER: I think that as fast as things were
12 happening, the attention span being diverted by so many things
13 I know I didn't. I don't know if the other fellows thought
14 about that or not. No one brought it out, that's for sure.

15 MR. WALLACE: George, Ed Wallace.

16 You described there were a lot of things happening
17 fast, yet as you go back and look at the conditions as they
18 change -- the historical data -- there were not a lot of
19 things physically taking place in the plant if you look at
20 real time. Can you describe some of the things that come to
21 mind today that were taking place that were diverting people
22 from focusing on the main issue of what's happening in the
23 plant?

24 MR. KUNDE: Well, for myself, I guess it's best
25 just to speak for myself. I had t phone conversations; one

1 with Gary Miller and another conference call with Gary and
2 Jack and Lee Rogers and the conference call too -- I can't
3 remember anymore the time -- probably ten, fifteen or twenty
4 minutes. Jack would ask some questions that I didn't have
5 the answer to and I'd go back into the control room and look
6 around and come back -- that sort of thing. They had believed
7 at one point that the B steam generator had a stem leak in it
8 somewhere, and that the steam leak into the building was
9 contributing to the pressure in the reactor building -- the
10 continued high pressure. And that was further supported by a
11 variance in the pressures between the steam generators. So
12 we were in the process of securing that and I was trying to judge
13 -- does that make sense -- I'm sure I looked at some of the --
14 that's what I said. I'm sure I looked at a lot of the indica-
15 tors and I just -- at any one time I can't think of all the
16 ones I looked at.

17 Questions may have arisen when people showed up;
18 when, for instance, Bubba Marshall. I asked him initially to
19 try to get a boron sample so I could still stay close to what
20 was happening in the control room and could see what was
21 happening. He went off and made some preparations to go over
22 to the lab. Dick Dubiel came and I was thinking in terms of
23 first of all making sure we got the sample analyses and having
24 him make sure someone was looking at containment entry. But
25 that was pretty much routine when you have a trip that we

1 would eventually take a run over to the reactor building and
2 assess the evolutions and corrections of problems prior to
3 restart. So I asked him to go down to the lab and make sure
4 that those guys were on the ball. Frequently we had less than
5 peak performance from the technicians and some of the -- in
6 this case we had an exceptionally good one directing Scott
7 Wilkeson to do some things.

8 A lot of time I must have spent traversing the
9 control room looking at indications and trying to figure out
10 what was going on. My thought process, I guess, never did
11 concentrate specifically on that core, with respect to core
12 cooling, but it's a thought process I don't think that would
13 be looked at in the same light as you would have looked at
14 a lot of other angles you tend to focus on. I think it was
15 later on after you had the failure of the -- leakage in B
16 generator so that wasn't so (inaudible). There was things of
17 that nature and (inaudible).

18 MR. KEATEN: George, this is Bob Keaten.

19 Once Gary Miller arrived, and took over as the
20 emergency director, what was your role then?

21 MR. KUNDER: Oh, I continued in really assessing
22 Gary and Joe in carrying out the emergency plan. Again,
23 principally in the communications area, because Dick Dubiel
24 addressed himself to the dose assessment and communication
25 with ECS. Manning was pretty well assured by that time because,

1 first of all, a lot of people called in plus, by the time
2 the accident -- the general emergency came about, there was
3 a lot of other people coming in for shift change in the
4 operations HP groups and some of the foremen and other super-
5 visors inthe plant (inaudible). So they were addressing
6 themselves to that aspect of the emergency plan. Gary was
7 looking at the whole broad picture. Bill Zewe and Mike Ross
8 were, as I recall, addressing themselves to the plant for,
9 say the first half hour to an hour or so of the initiation
10 of the emergency plan.

11 I guess it was some time after 7:45 perhaps, that
12 we began to, as a group, I can't remember the specifics --
13 address ourselves to core cooling. And this was after
14 communications had started to move and we had people making
15 phone calls and that could continue without any new direction.
16 Dose assessors were doing their thing; Dick Dubiel was pretty
17 much handling the plant concerns. From then on, Gary as well
18 as myself, Seelinger, Ross, Lee Rogers (who had arrived), Bill
19 Zewe, Ken -- tried to assess what our next move in the plant
20 would be. We had high pressure injection in effect in terms
21 of cooling. The RCS was still intact from the leakage
22 standpoint and by that time various members of the staff
23 were aware that the relief valve had been opened, apparently.
24 And, as far as what we were going to do next, and if that
25 doesn't work, well, what are we going to do after that?

1 And Ivan Porter and some others were looking at temperatures
2 in RCS and they were looking at indicator guides -- hoping
3 they were existing -- you don't have that wide range system.

4 That

5 s in unit one -- for more thermosamples in unit one. So the
6 role I played was just assisting any way I could in both a
7 technical manner in mustering my engineers to do things where
8 I didn't have at least -- and were assisting in the communica-
9 tions aspects of the emergency. I spoke to Diemoller and
10 Haverkamp directly, the State Police (inaudible) and stuff like
11 that. And that continued in some -- you know, throughout the
12 day.

13 VOICE: Do you remember the first discussions of
14 this group that you were describing with respect to core
15 cooling and whether at that time the perception was clear that
16 in fact you had had a LOCA and what the discussion were as to
17 what you should do next?

18 MR. KUNDER: I think it was clear that we had some
19 steam binding in the system and to get cooling you had to get
20 pressure injection through that core and somehow assure that
21 was going through the core. And I believe -- at least I
22 perceived -- that we were cooling the core by means principally
23 of steaming and superheating that steam. I, at some point
24 in time, maybe eight to nine o'clock, I drew the conclusion
25 myself that we had the core covered. I don't know that that

1 meant -- in my own mind -- that we had no voids -- I know it
2 wasn't cool but I felt that we were probably cooling the core
3 sufficiently that we weren't you know, going to have any kind
4 of melt-down or anything catastrophic would occur.

5 I know later in the morning one of the thoughts
6 that really bothered the hell out of me was, if we remain
7 in the mode we were in at that time, there was no way of
8 getting that steam vented off. I was wishing that something
9 would break at that point, so the steam would elak and we
10 could get the cooling that way and guarantee that the water
11 would somehow go through the core and fill it up. What I was
12 really concerned about -- became concerned about -- was that
13 if we were continuing to pump water into the pot and it was
14 removing heat principally by boiling off, we'd be concentrating
15 boric acid and I was worried that we'd end up forming a slurry
16 of boric acid so thick that you'd virtually stop all cooling
17 in that mode as well. Then we'd really be in the shits.

18 We we -- were trying to consider all the concerns
19 that each one of the group thought up. We knew we had to kind
20 of keep high pressure injections down. Some time later in the
21 day it was throttled back a bit because we were concerned about
22 using all the water via the steam. We had no followup action
23 and it was the result, I think, of at that concern plus some
24 others that we started to consider decreasing pressure and
25 trying to get on to the core floods. There was one way to

1 stop it. Another source of cool water is the RCS directly into
2 the pot. Maybe you'd have a chance of getting on the decay
3 heat which -- I don't think we recognized all the consequences
4 were -- in fact, it could have been a disaster. And, of
5 course, in retrospect it may have done a lot more damage and w
6 what existed early on in the accident. But nonetheless, that
7 was an attempt to come up with another approach to the cooling
8 with some fall back positions. I can't remember any of the
9 specific meetings although I can remember thinking -- my con-
10 cerns were the boric acid concentration and things of like that
11 and I remember seeing Lee Roger's face in the supervisor's
12 office and Ross's -- and trying to (inaudible) -- and trying
13 to figure out what the next move might be and then we'd get
14 together and -- all of us ended up concurring on a course of
15 action. And we tried to make sure we had some long-term
16 modes set, and some fallback positions set and then we'd take
17 some action and I guess we shifted concentration back to make
18 sure that all site monitoring was taking care of and muster
19 a list of changes to come into the control room and make use
20 of -- monitoring. Then -- I'm sure things were compounded
21 with the fact that we had to go into face masks for a while.
22 Looking back, that almost seemed all routine.

23 (Laughter.)

24 (Inaudible). It's hard to remember anything other
25 than that except I -- the trip up to the capitol.

1 MR. KEATEN: Right after the PORV block valve was
2 closed, the primary system pressure increased significantly.
3 Do you remember whether at that time there was a concerted
4 attempt to start one or more cooling pumps?

5 MR. KUNDER: I can't remember any more.

6 MR. BIRN: George, this is Jim Birn.

7 Long about that time, the NRC estimates there's
8 like fifteen to twenty people in the control room.

9 MR. KUNDER: I would say that's correct.

10 MR. BIRN: Was it still pretty well organized in
11 there? Where were these people located, primarily?

12 MR. KUNDER: Well, we had -- there was a -- I tended
13 to stay either in or near the shift supervisor's office so I
14 could communicate with my guys making calls and communicate the
15 status there right outside on the phones. There was a large
16 number of people around the corner -- I don't have the count
17 -- fifteen sounds like a fairly good characterization. Probably
18 in some parts back towards the I&C shop and the entrance to
19 the control room there was maybe more than that when we
20 evacuate I'm sure there was more than that especially the
21 ECS and brought them up to the control room. There were ten
22 people up near the console and near the CRO's including Gary,
23 Logan, Faust, Zewe and the operators on the incoming shift.
24 There had to be at least 10 of 'em.

25 Every once in a while Gary made known in no uncertain

1 terms to -- keep the damn noise down.

2 (Laughter.)

3 It was a -- I'd characterize things as reasonably
4 calm. I felt extremely good about the whole carrying out of
5 the emergency plan and all the activities. There was some --
6 actual initial confusion -- in terms of figuring out who's
7 gonna get the communication established with ECS and who's
8 getting out the drawings. And I was looking around for the
9 procedure and somebody got that out. It jelled together fairly
10 rapidly and I don't think that was of any real detriment or
11 concern. It was sort of a natural evolution for us, from a
12 state where we recognized our big problems to the point that
13 we could get into an organized framework for carrying out the
14 plan.

15 MR. KEATEN: So the amount of people there did not
16 make any mass confusion?

17 MR. KUNDER: I don't think that it hurt signif-
18 icantly, no.

19 MR. WALLACE: George, Ed Wallace --

20 MR. KUNDER: Some time it was even comforting
21 to have enough bodies there you could just grab a guy and say,
22 you do this. And didn't have to worry about who had the
23 watch and look around for someone -- that sort of thing.

24 MR. WALLACE: Could you characterize normal commun-
25 ications in the control room before the accident between the

1 operators? The thing I'm looking for is -- whenever they're
2 in there, when they're taking actions -- I'm looking for com-
3 munications between the CROs and the foremen and their
4 shift supervisor that are going on in that unit at that
5 time?

6 MR. KUNDER: I find it hard to characterize
7 except in the sense that I didn't notice any problems in
8 communication. I was aware of Bill deciding to do some things
9 that he tended to discuss that with the operators and when it
10 was excessively noisy he'd make sure of getting complete
11 enough information and things like that. I guess I didn't
12 pay attention to that aspect sufficiently.

13 MR. WALLACE: When an operator takes an action --
14 this is Wallace.

15 When an operator takes an action at a panel, is
16 there any oral communication to the foreman or supervisor?
17 Or would the general categorization of the communications
18 be to go up and if it's within certain bounds just to say,
19 do this?

20 MR. KUNDER: I think it's the latter. I'd char-
21 acterize it to more of the latter.

22 MR. WALLACE: Under what circumstances would you
23 say that he would then go outside of his normal activities
24 at the panel and start to describe his activities to the
25 supervisors? In what fashion would he do that? Would he

1 do it on a -- would he walk over to him and do it on a
2 personal basis, or would he more or less announce it so that
3 other people in the control room would know what activities
4 were taking place?

5 MR. KUNDER: I guess I'd seen it in many ways.
6 The one that sticks out in my mind the most is he'd turn
7 around after he'd done something and say, hey, you know, I
8 tried to open the block valve and it didn't open. You know
9 and it's your response -- you're the foreman or -- at times
10 he may call the guy up to have him assess the instrumentation
11 himself and render an opinion. But largely, when he goes
12 to perform an operation he does it and I'd say there's not
13 that much communication with anyone else about what he's
14 doing and what he's seeing unless you're effectiveness comes
15 up.

16 MR. WALLACE: During the morning of the accident,
17 how well informed do you think the people were standing back
18 away from the panel -- or maybe even the people who were at
19 different sections of the panel -- of all the activities that
20 were taking place? Was specifically thinking about activities
21 with pumps and valves and -hanging conditions and the state
22 things that were being attempted?

23 MR. KUNDER: I don't think that the information
24 details at the time were conveyed -- I won't say that --
25 weren't conveyed that much to the general people in the

1 in the control room. And that's pretty much been my experience
2 -- -- might be standing from here to you from the console with
3 three, four -- about six people between me and the console --
4 all waiting for some effect to occur and I'd have to some --
5 many times look myself to get my information. If you ask a
6 question it pretty much interrupts concentration somewhat to
7 get the answer that I want. So I'd say that there's not
8 that much information conveyed. It's very easy with engineers
9 coming in and other people coming in to not know what's
10 going on for quite a long time and have to pretty much have
11 someone go back and brief them. What I tried to do on
12 occasions, but like the engineers knew that all the radiation
13 alarms were up. I told them, hey it looks like we've got a lot
14 of fuel loose. And, we're really not sure where the heck we
15 are. So to make sure of the calculations -- that we had a
16 lot of core cooling.

17 MR. KEATEN: This is (inaudible). When you came in
18 to the control room and were initially getting acclimated,
19 you noticed that the reactor building pressure was up a little
20 bit; you noticed that the primary cooling system pressure
21 was down. Was there any thought in your mind at that time
22 that you should use that as a basis to declare a site emer-
23 gency?

24 MR. KUNDER: No. After the fact, it would have
25 been, you know. But at that time, I didn't perceive it as a

1 -- as a loss of coolant or a loss of inventory situation and
2 therefore, as one of our action levels, I didn't perceive it
3 could be a factor. My basis for declaring a site emergency
4 and increasing that to a general emergency was the severity
5 of the radiation indications that were occurring.

6 MR. KEATEN: Anybody have any more questions on
7 this early period?

8 MR. WALLACE: Yes, one question. This is Ed
9 Wallace,

10 George, do you recall -- you described it when
11 you came into the control room before the Christmas tree
12 effect took place on the radiation panel -- do you recall
13 anyone going up there and looking at that panel?

14 MR. KUNDER: No.

15 MR. WALLACE: (Inaudible).

16 MR. KUNDER: (Inaudible).

17 MR. TSAGGARIS: George, Lex Tsaggaris.

18 Do you recall any alarms on a letdown? Intermed-
19 iate cooler or letdown cooler?

20 MR. KUNDER: No. I don't recall any alarms that
21 were received. The alarm boards were pretty well lit up.
22 Qualitatively, I would find it kind of hard to give you even
23 an estimate of how many there were. There were quite a large
24 number of them.

25 MR. KEATEN: This is Bob Keaten.

1 I guess I do have one more question. When the dec-
2 ision was made to turn off the reactor coolant pumps and attempt
3 to go on natural circulation, did you or were you involved, in
4 any discussions or considerations of the limits or precautions
5 that are in the procedures with respect ot when you go on
6 natural circulation?

7 MR. KUNDER: Well, I was, you know, coming from
8 unit one training where, in general, guidelinse -- I guess at
9 that time though, I don't think I -- I don't recall discussing
10 the precautions at that time -- discussing what we were
11 looking for.

12 MR. KEATEN: Did you remember anybody pulling out
13 the procedure and looking ot see what the conditions were for
14 going on natural circulation?

15 MR. KUNDER: I don't remember seeing anyone doing
16 that. There was a procedure that was on the desk; I don't
17 remember what that procedure was or looking at it. You know,
18 I looked at the desk -- there was a procedure turned open to
19 the page with a figure on it -- and that's what I was going
20 after so I went over and looked at it. I couldn't tell what
21 procedure that was. It might habe been the one dealing with
22 natural circulation.

23 MR. KEATEN: Do you remember seeing in the control
24 room open steam tables or anybody looking at a steam table
25 during that period of time?

1 MR. KUNDER: No.

2 MR. KEATEN: You're aware that the precaution
3 that I'm talking about is the degree of sub-cooling for the
4 reactor coolant system before you go in natural circulation.
5 To your knowledge, nobody really checked that and you didn't?

6 MR. KUNDER: That's right.

7 MR. KEATEN: Later in the day when things (inaud-
8 ible) form the governor's office, did you go along with them?

9 MR. KUNDER: Yes.

10 MR. KEATEN: The request that came in -- did it
11 specify that it be Gary Miller or the plant superintendant or
12 the station superintendant who would go, or --

13 MR. KUNDER: I became aware of the request through
14 Gary. He either had a direct communication with, I believe
15 it was Jack -- Jack Herbein, or someone related to Gary. I
16 couldn't be certain of that I'm speculating -- but Gary --
17 I think I remember him indicating to me that he specifically
18 was requested to go along with Jack Herbein up to the
19 Governor's office to give him a briefing and, of course,
20 he seemed very upset at having to leave the control room
21 when we in our hearts felt that we were nowhere near out of
22 the woods, so to speak. He had asked for -- said "I want you
23 to go along" because he thought I'd have a little better chance
24 of calling the site and getting the printout of the sequence
25 of events or any other data that might be pulled together.

1 He felt that I had a little bit more continuity having been
2 there since approximately five in the morning and could
3 offer some additional information if they needed it. I'm not
4 sure at that time if he intended for me to really -- give any
5 briefing or even participate in the briefing but he wanted me
6 along in case he needed some backup information. So he made
7 -- while I was getting information, he was still continuing to
8 direct the activities and, I believe he, at the time, turned
9 over as much information and control to Bill and Logan as he
10 could and assured himself that the plant was -- while not
11 turly stable was approaching some stability and it wasn't
12 really -- we weren't in any significant transient at the time
13 and b going up there and calling back that he'd keep at least
14 in touch. That's what occurred.

15 MR. KEATEN: George, lets -- do you recall at any
16 time during your trip over to the governor's office or
17 any time later, an order coming over to stop steaming from
18 the steam generators?

19 MR. KUNDER: I recall prior to going ot the gov-
20 ernor's office that Gary was told that -- again this is
21 speculative as to how he received the information and so
22 forth -- but I believe it was in talking to Jack on the phone
23 -- that the Governor wanted us to stop steaming the generator
24 because of the perception that the steam was carrying radio-
25 active emissions with it. And we had made efforts through

1 Dick Dubiel's group to send someone up on the roof and try
2 and monitor the steam to verify that it was not contaminated
3 or -- at least the radiation coming from it was okay.

4 That was done with the result that there was no
5 concern and -- through that I know Gary was under quite a
6 bit of pressure.

7 MR. TSAGGARIS: So you did try and verify that you
8 weren't contaminating the atmosphere at least from the steam
9 generator?

10 MR. KUNDER: That is my understanding that someone
11 physically went up on the roof and with a monitor -- a survey
12 instrument -- and verified that that coolant was not radio-
13 active. I can't attest to it directly. Records might show h
14 at they had problem samples. I just don't know. The
15 samples were done in the generators. It seems to me that we
16 could get remits back from the feed -- thorough either direct
17 measurement of the line or coolant sample.

18 MR. TSAGGARIS: What problems did that present you
19 at the time? Did you have another mechanism? Was a conden-
20 sor available at that time?

21 MR. KUNDER: Well, when we got the initial request
22 or order, whichever way it came, to secure the steam dumps, we
23 -- I don't believe we had full backup so far and we were still
24 attempting to regain that and, of course, that was expedited
25 with a much higher priority after that order. We didn't just

1 secure until we did have adequate vacuum to go back to the
2 condensers. Because, you know, that was our only means of
3 cooling. No way could we steam it. That was the conflict
4 we were referring to. So it was some time -- I wouldn't
5 speculate as to how long it took, from the time we were ordered
6 to close that thing to when it actually went closed.

7 MR. KEATEN: Bob Keaten.

8 George, in retrospect, do you think that in any
9 sense the situation was aggravated by you and Gary being
10 absent from the control room long enough to make the visit
11 to the governor?

12 MR. KUNDER: I guess that I didn't think it at the
13 time but you now, when you get your mind diverted to
14 another endeavor you're not thinking about the plant or the
15 core, you know? Who knows, perhaps if we were able to stay
16 there, we would have gained some insight that would have been
17 very beneficial. I can't really answer that question fairly.

18 MR. KEATEN: I have one very general question
19 that I'll ask. But before that (inaudible).

20 MR. WALLACE: Ed Wallace.

21 One other question with regard to a couple of things
22 -- particularly during that period, and I think also earlier,
23 Gary has said that he had directed the operators to maintain
24 HPI full on both pumps. Particularly before he left for the
25 governor's office, he said "put it on and leave it on", if

1 I remember the way he stated it at the ACRS. Do you know
2 if that was done and do you know who he said that to?

3 RM. KUNDER: I remember Gary saying that -- I
4 remember him saying that no matter what you do -- and I believe
5 he said it point blank to Mike Ross, Bill Zewe, at least.
6 I can't remember seeing their faces there, but I'm sure it
7 was those guys that, you know keep that coolant -- keep that
8 high pressure injection on. I want to make it perfectly clear
9 -- you don't take it off. It seemed to me sort of at the
10 time inappropriate to even say because I couldn't even envis-
11 ion anybody not wanting to keep it on. It was the only way
12 to get water into the core. Anyway. But he did emphasize that.

13 MR. WALLACE: In the way he stated it, would you
14 have interpreted it -- what he said -- to be full flow or
15 within the limitation to keep the pump running and maintain
16 pressurizer level or some other set of conditions that would
17 be a matter of interpretation by the operator on the panel?

18 MR. KUNDER: It seems to me that by that time we
19 had -- information which suggested that if we maintain the
20 minimum flow of 250 gpm, that that was at least sufficient,
21 and I believe that when we left for the governor's office, we
22 did not have full flow. This is basically my recollection --
23 of course we could go back and look at the records. But I
24 don't think he made the distinction at that time. I think he
25 was saying, keep it on. I think that he say that it was

1 procedure B that we were following at the time.

2 MR. WALLACE: Can you recall any earlier times
3 when a similar kind of order might have been given by Gary
4 to maintain HPI to either full or to some other condition?

5 MR. KUNDER: I seem to recall that the order as
6 being given mid-morning. but I can't remember specifically.

7 MR. BIRN: I have some questions leading up prior
8 to and into it, the accident, if this is an appropriate time.
9 This is Jim Birn.

10 One of the things that led to some confusion was
11 the sampling of the generators, that evidently the A and B
12 sample lines were mislabeled?

13 MR. KUNDER: Yeah, well I wasn't that close to
14 that particular operation. I was just aware that they were
15 sampling for high activity. In fact, offhand, I can't remember
16 how we perceived we had primary-to-secondary leak. Except that
17 perhaps it was the sampling -- I'm not -- I'm not familiar
18 with the new system.

19 MR. BIRN: Some of the transcripts indicate that
20 they tumbled to that right away like maybe somebody had
21 perceived that they had this problem for a long time. Would
22 you in your position know anything about this?

23 MR. KUNDER: I don't think I remember even being
24 aware of crossed sample lines. Except that I remember hearing
25 something to that effect, of course, after the accident.

1 MR. BIRN: As -- and I gotta ask this because I'm
2 not familiar with the organization. As technical superinten-
3 dant, does all the work requests and design changes, and what-
4 not, cross your desk?

5 MR. KUNDER: No, not all. Work requests as a rule,
6 do not cross mydesk. Except for work requests that would
7 require PORC review and approval. As chairman of the PROC at
8 that time, I may have been one of the persons to review and
9 approve a work request that required that type of approval.

10 MR. BIRN: Who would make that determination as to
11 whether it took PORC approval or not?

12 MR. KUNDER: Porc - approved procedures related
13 to nuclear safety-related work in nuclear safety related
14 systems or work that could affect that.

15 MR. BIRN: Okay, so anything that was --

16 MR. KUNDER: Anything that was QC in nature or was
17 safety related would necessarily have to go thorough PROC.
18 Sometimes if there was a generic procedure involved with that
19 work, it would nto necessarily go through the PORC. Just
20 review the procedure to perform work, using the previously
21 approved generic procedure. That could be done without
22 going through PORC each time it was performed. But you asked
23 chain modifications -- do all go thorough my department. But
24 again, they do not necessarily go through me. The way it was
25 set up, the lead engineer may approve the change modification

1 after he filled out the safety evaluation and takes care of any
2 design-related work prior to the mod, but the way the specs
3 are laid out, the superintendant was the person who is
4 responsible for approval of all the change modifications. And
5 that might be myself in the absence of the unit superintendant.
6 There are some that I have reviewed before, but not all. And
7 in unit two, my tenure dates back to early December 1978,
8 so I am not aware of all the jobs in unit two, because I don't
9 have that responsibility.

10 But ever since I took the unit two position, I
11 did like in unit one; I requested all change mods include me
12 on circulation -- I could review and see what the package
13 consisted of and if I did see a problem, I'd send it back to
14 who initiated it. It wasn't -- I didn't see a hundred percent
15 of the packages.

16 MR. KEATEN: Before I get to a more general
17 question, George, let me turn to the situation with the EFW-12
18 valves. The review of the procedures and tech specs indicate
19 that the, that we had a procedure, a surveillance procedure
20 in effect which was a violation of the tech spec.

21 MR. KUNDER: Um, hum?

22 MR. KEATEN: But I quite (inaudible). And that
23 procedure --

24
25
End 12