

ORIGINAL

**UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION**

In the matter of:

ADVISORY PANEL FOR THE
DECONTAMINATION OF
THREE MILE ISLAND, UNIT 2

Docket No.

Location: Harrisburg, Pa.

Pages: 1 - 108

Date: Thursday, January 12, 1984

TAYLOE ASSOCIATES

Court Reporters
1625 I Street, N.W. Suite 1004
Washington, D.C. 20006
(202) 293-3950

8402140503 840112
PDR ADOCK 05000320
T PDR

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3 -----X
4 In the matter of :

5 ADVISORY PANEL FOR THE DECONTAMINATION :

6 OF THREE MILE ISLAND, UNIT NUMBER 2 :
7 -----X

8
9
10
11 Holiday Inn
12 23 South Second Street
13 Harrisburg, Pennsylvania

14 Thursday, January 12, 1984
15
16

17 The meeting of the Advisory Panel for the Decontamina-
18 tion of Three Mile Island, Unit Number 2, commenced at
19 7:02 p.m., the Honorable Arthur Morris presiding as the
20 Chairman.
21
22
23
24
25

1 APPEARANCES:

2 Members of the Advisory Panel:

3 The Honorable Arthur E. Morris
4 Mayor of Lancaster
5 P. O. Box 1559
6 120 N. Duke Street
7 Lancaster, Pennsylvania 17603

8 Mr. Thomas Gerusky, Director
9 Bureau of Radiation Protection
10 Department of Environmental Resources
11 P. O. Box 2063
12 Harrisburg, Pennsylvania 17120

13 Niel Wald, M.D.
14 Professor and Chairman
15 Department of Radiation Health
16 University of Pittsburg
17 RC510 Scaife Hall
18 Pittsburg, Pennsylvania 15261

19 Mr. Kenneth L. Miller, Director
20 Division of Health Physics and
21 Associate Professor of Radiology
22 Milton S. Hershey Medical Center
23 Pennsylvania State University
24 Hershey, Pennsylvania 17033

25 Dr. Thomas Cochran
26 Natural Resources Defense Council
27 Suite 600
28 1725 I Street, N.W.
29 Washington, D.C. 20006

30 Mr. Joel Roth
31 RD 1, Box 411
32 Halifax, Pennsylvania 17032

33 Ms. Elizabeth Marshall
34 736 Florida Avenue
35 York, Pennsylvania 17404

36 Dr. Gordon Robinson
37 Associate Professor of Nuclear Engineering
38 231 Sackett Building
39 University Park, Pennsylvania 16802

40 Mr. Thomas Smithgall
41 2122 Marietta Avenue
42 Lancaster, Pennsylvania 17603

1 APPEARANCES:

2 On behalf of the NRC:

3 Michael T. Masnik
4 Advisory Panel Liaison
5 U.S. Nuclear Regulatory Commission
6 Three Mile Island Program Office
7 AR-5031
8 Washington, D.C. 20555
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

MR. MORRIS: Good evening, everybody. I would like to call this meeting to order. And I would like to begin by welcoming a member to the Panel, Kenneth Miller, who will replace Jack Minnich, who was the Chairman who resigned back a few months ago.

Let me just read very briefly the most recent experience of Mr. Miller. He is the Director of the Division of Health Physics and Associate Professor of Radiology, Assistant Professor, I believe in 1978, at the Milton S. Hershey Medical Center, Penn State University, Hershey, Pennsylvania. So, I would certainly like to welcome Ken to this Panel, and I know you will be a good member of it.

I would like to say that I sent out, as Chairman, a notice to all Panel members of tonight's meeting, and also about a dinner meeting for this evening. And this is probably addressed to the Panel members that aren't here but I would urge you, please, to let me know when you can't come to a meeting. I think it's the least we can expect of you. And I do feel that -- there were only nine individuals of the twelve Panel members that even took the time to call my office to say they could or could not be here. And there were three people who did not even contact us.

And I am suggesting publicly that you try to be

1 a little bit more diligent with that in the future. We
2 did have a dinner meeting, and we were told at the last
3 meeting, I believe by our friend Bernie Snyder, that if we
4 held such a meeting and kept copious notes and reported
5 those notes to you that that would probably be okay.

6 What took place at the meeting -- and it was
7 from 5 o'clock to 7 o'clock tonight -- was a discussion
8 regarding the meeting that will take place with the NRC
9 Commissioners on February the 3rd. The time will either be
10 11 a.m., I believe, or 2 p.m., and that has not yet been
11 decided. We were asked to provide the Commissioners ahead
12 of time with some of the items that we will discuss. And
13 they will include such things as the action taken by the
14 Panel at the last meeting regarding the -- not considering
15 the restart of TMI-1 until firm funding is in place for the
16 cleanup of TMI-2.

17 Another item would be the radiation exposure to
18 workers. We plan on discussing that more tonight so that
19 we will have a better flavor of what it will be we will
20 discuss with the Commissioners. But that will be an item.

21 Another one will be water disposal options. I
22 note through the years we have talked about the potential
23 options for the disposal of water that is stored on the
24 Island. I think we will be asking the Commissioners to try
25 to get updates for us on that, as to what any new options

1 may be.

2 We will probably also be asking for an updated
3 schedule for the cleanup. They were all items that we dis-
4 cussed at the previous meeting.

5 We also discussed the fact that we would like to
6 change the time of these meetings from 6:30 p.m. to 9 p.m.
7 And we would be interested in hearing any comment from the
8 public at that portion of the program, as to whether you
9 feel that is something you would have a problem with or not.

10 (A conversation ensues between Mr. Morris and
11 Dr. Cochran.)

12 Apparently it wasn't clear on what I said. We
13 will be meeting in the future, hopefully starting at 6:30
14 p.m. to 9 p.m. And we will be setting up a regular sche-
15 dule of meetings for the second Thursday of the month for
16 each month of the year, and only if we want to cancel one
17 of those meetings will we do that. It will make it easier
18 for us to plan ahead.

19 We probably, however, will not hold the March
20 meeting but rather would schedule a tour of the Island,
21 hopefully if we can do that, in lieu of the March meeting
22 on the same day, maybe not in the evening, maybe in the
23 afternoon, but probably would not hold a March meeting.

24 We also discussed the future direction of the
25 Panel, whether we wanted to form sub-committees. We

1 decided that is something we do not want to do. But I
2 think there was general consensus that we do want to be
3 more active. And I suggested that I would like to see the
4 Panel lobby a little bit more on issues on which we have
5 acted, and that there is good consensus on, and I feel there
6 was an agreement on that.

7 And basically what we are saying is I think we
8 would like to be more active in the future on speaking out
9 on certain issues and trying to focus attention on certain
10 issues, so that we can speed the cleanup along, obviously
11 in a safe fashion, but speed it along and draw attention to
12 certain issues.

13 That concludes my, obviously well taken, notes
14 from the previous dinner meeting here this evening.

15 (A conversation ensues between Mr. Morris and
16 Dr. Cochran.)

17 I was asked whether I was going to ask the
18 audience whether you agree with the 6:30 to 9. I think I
19 already did do that, and Mr. Cochran missed that. But I
20 would suggest those individuals out in the audience, if you
21 do have a problem with that, or would like to comment on it,
22 if you will wait for a little bit later in the program and
23 then at the time for public input, please get up and speak
24 to it.

25 If there is no disagreement with it, we will

1 probably be scheduling our meetings around that time in the
2 future.

3 That concludes my rambling initial presentation
4 here tonight, and I would like at this time to go right
5 to the updates. And I would suggest -- I know Bernie
6 Snyder has asked for time on the agenda to discuss the
7 PEIS update, and I would like that part of your comments
8 tonight to be held until the end, as is on the agenda, and
9 just have you update us on anything else you want to talk
10 to regarding the cleanup, if you have anything.

11 MR. SNYDER: Yes, that's right. We don't have
12 anything other than that. We were just going to mention
13 it's available, and mention when the comments were due.
14 We didn't intend to get into a big discussion with it.

15 MR. MORRIS: That's fine. How about EPA? Did
16 they have anything, Mr. Kirk?

17 MR. KIRK: Other than the receipt of your letter
18 to Mr. Sjoblom, and his intent to be here on the 9th of
19 February, I believe, which is the date tentatively set.

20 MR. MORRIS: Right, the next meeting is the
21 9th right here at 6:30 p.m. again, if we decide to confirm
22 that time. And I did send a letter out to EPA, because we
23 had been told at the last meeting that EPA was considering
24 the termination of off-site monitoring at TMI-2. So, we
25 have asked EPA to make a presentation at the February 9th

1 meeting. So, is there any problem with that at this par-
2 ticular time?

3 MR. KIRK: He is planning on being here. I've
4 been directed to put together some visual material and
5 answer some of the questions you pose.

6 MR. MORRIS: Okay. And that's it for EPA?

7 MR. KIRK: Right.

8 MR. MORRIS: DOE?

9 MR. BIXBY: No, not to my knowledge.

10 MR. MORRIS: We may have a very short meeting
11 tonight. How about GPU, any update other than on funding?
12 Any update?

13 MR. KANGA: I had -- at the last meeting, I had
14 promised to respond to two questions. I sent a letter to
15 you and members of the committee here.

16 MR. MORRIS: I received that, but I think there
17 were some Panel members who did not receive that.

18 DR. ROBINSON: I did not.

19 MR. KANGA: My apologies if you did not receive
20 it. And I have some copies.

21 MR. MORRIS: Is that it, as far as you are con-
22 cerned?

23 MR. KANGA: Yes.

24 MR. MORRIS: Well, moving right along.

25 MR. GERUSKY: Mr. Chairman, there was another

1 issue. That was location of the meetings. If you did
2 mention it, I didn't pick it up.

3 MR. MORRIS: I did not. I wasn't sure how
4 firm we were on that. But there was at least a feeling
5 expressed at least that maybe we should attempt to go back
6 to the old way of doing things, and that is rotate the
7 meetings to different locations, at least hold a meeting
8 or meetings at Middletown or the Host that is close to the
9 airport so that those who fly in would at least be able to
10 catch a plane at night.

11 So it would probably be around the Middletown
12 Host -- what's the name of that? Host Resort?

13 MR. GERUSKY: Americana.

14 MR. MORRIS: Are you talking about -- or, is
15 it suggested we might even want to do that at the next
16 meeting?

17 MR. GERUSKY: Yes. My concern is the number of
18 public -- the members of the public not being able to get
19 into downtown Harrisburg, where they may be able to get
20 to something that's closer to their communities.

21 And monitoring is a subject that I'm sure that
22 the people in the greater Middletown area and also the
23 West Shore area are interested in. And it may be just as
24 easy for the people to come across the turnpike bridge from
25 the West Shore to get to the location, as it would be to

1 come in downtown. So --

2 MR. MORRIS: Do you want to make a suggestion as
3 to --

4 MR. GERUSKY: If possible, yes. One of the
5 major -- either the Middletown High School or at one of
6 the major hotels in the greater Middletown area, between
7 Middletown and Harrisburg.

8 MR. MORRIS: Mike, did you get that?

9 MR. MASNIK: I have --

10 MR. MORRIS: Does anybody have any suggestions
11 to that? Does that create any problems? I know, Mike, I
12 think you have this area reserved for the 9th, don't you?

13 MR. MASNIK: That's correct. That could be
14 changed.

15 MR. MORRIS: Why don't we try to set something
16 up for the 9th?

17 MR. GERUSKY: Why don't we later ask the audience
18 to comment on whether or not they feel that additional
19 audience participation would take place if we held it away
20 from downtown Harrisburg?

21 MR. MORRIS: I think we can do that. Although
22 when I was mentioning audience comment before, I'm not
23 sure how many members of the public are out there tonight.
24 I think that most of the people represent one of the
25 agencies. There may be one or two citizens unrelated to

1 any other activity.

2 MR. GERUSKY: That's why I wanted to hold it
3 away from here.

4 MR. MORRIS: Well, why don't we agree that we
5 will try to find a location around the parameters that you
6 set for the next meeting. And if we can't, then we will
7 be back here and we will let everybody know either way,
8 okay?

9 Right. On to funding. And the first is from
10 the Governor's Office on policy and planning. They could
11 not be here, but I understand, Tom, that you would be wil-
12 ling to report to us on what the Governor's plan was all
13 about and any other comments that you would like to make
14 on behalf of the Governor's Office.

15 MR. GERUSKY: I have some comments I received
16 late this afternoon from the Governor's Office about Banko,
17 who is Director of the Office of Policy Analysis, I guess
18 it's called now, in the Governor's Office, has been working
19 with the utility industry with the other states, and I guess
20 is the point man in the Governor's Office on the funding
21 program.

22 There were a couple of things that happened
23 over the last two or three -- well, one happened yesterday,
24 and the other happened within the last week, that have
25 brightened the spirits of people working on this proposal,

1 on Governor Thornburg's proposal.

2 The first is the decision by the Internal Revenue
3 Service that the utilities could indeed deduct any contri-
4 butions to the TMI cleanup fund from their profits. And
5 as a result of that decision, and since the utility in-
6 dustry is meeting today and tomorrow in the west, a tele-
7 gram was sent from the Governor to them reemphasizing the
8 need for their support. And I believe most of the people
9 in the audience have received a copy of that telegram.

10 I don't necessarily want to repeat the telegram.
11 I will give it to the Staff here to include it in the
12 Minutes.

13 The breakdown of Governor Thornburg's target of
14 seven hundred and sixty million dollars initially was to
15 have the EEI come up with a hundred and ninety million dol-
16 lars, the utility industry, have DOE come up with a hundred
17 and ninety million, GPU, two hundred and forty-five mil-
18 lion, Pennsylvania, thirty, New Jersey, fifteen, insurance
19 company, ninety. And that comes up to seven hundred and
20 sixty.

21 At present, the total of all the funding is
22 about five hundred and eighty-one million. EEI, sixty-five;
23 DOE, a hundred and fifty-nine million; GPU, a hundred and
24 seventy million; Pennsylvania, thirty; New Jersey, twelve;
25 insurance, ninety; B&W lawsuit, thirty-seven; and, Japan,

1 eighteen.

2 There is still some funds needed, but I think
3 that -- and the Governor's Office feels -- that this EEI
4 decision this week can greatly change that sixty-five
5 million to well over a hundred million and get the funding
6 going. This was a six-year funding program and everything
7 has been slid back a little bit. So, the actual amounts
8 needed are questionable.

9 But as the funds come aboard, I think things can
10 start moving forward. I hope that GPU is going to discuss
11 what they have requested the Public Utility Commission to
12 do, so I won't have to get into that issue. That will help
13 also.

14 We -- just because EEI is meeting today and tomor-
15 row does not mean they are going to make any decisions and
16 the utilities are going to rush to donate funds. But I
17 think that we will know probably within a month whether
18 there has been an increase or proposed increase in funding
19 for this, any additional support.

20 And at that point, we will find out how -- where
21 we are. We just don't know at this point. And I don't
22 think we can even judge whether they will use the -- what
23 affect the ruling will have on the issue.

24 MR. MORRIS: And, in fact, Tom, if they don't
25 meet a minimum of a hundred million, that sixty-five is not

1 firm.

2 MR. GERUSKY: That's correct.

3 MR. MORRIS: So, you are saying, I guess, six
4 major categories of funding that the -- of the six major
5 categories of funding that the only two that have met, or
6 exceeded the goal set for them, is the State of Pennsylvania
7 that is going to fund thirty million, and that was the
8 original proposal --

9 MR. GERUSKY: And the insurance.

10 MR. MORRIS: -- and the insurance proposed to be
11 ninety, and that's ninety. New Jersey is going to be short,
12 and even if EEI reaches their new pledge of a hundred and
13 fifty -- and they already have some no's on that -- they
14 will be forty or fifty million short, even if the most
15 optimistic happens.

16 MR. GERUSKY: I think optimistically you can
17 get about ninety percent of the seven hundred and sixty.
18 And that's enough to carry forward for quite a while. And
19 a lot of the times you get the rest of the ten percent
20 needed. That's including a positive action by the Public
21 Utility Commission on GPU's proposal.

22 MR. MORRIS: Anything else, Tom?

23 MR. GERUSKY: No. And I have no idea what this
24 Panel can do to try to get EEI members to support this.
25 I have been trying to figure out a way for the Panel to do

1 something, and I don't know what the Panel can do.

2 MR. MORRIS: Does anybody else have any ideas
3 or questions of Tom regarding what update he has?

4 MR. GERUSKY: After I get back to the office, I
5 will put these numbers in a memo to everybody so that they
6 are aware of what is available on this date, because it
7 could change tomorrow.

8 MR. MORRIS: All right.

9 MR. ROTH: Tom, I direct this to you. In speak-
10 ing to John Banko, he mentioned to me, in fact, that perhaps
11 that hundred million doesn't necessarily have to be firm.
12 In other words, perhaps an agreement could come in at
13 ninety million if they reach that, or ninety-three million.

14 Do you have anything further on that?

15 MR. GERUSKY: No, I don't.

16 DR. WALD: Tom, what was the federal figure?

17 MR. GERUSKY: DOE's proposed share was a hundred
18 and ninety million. And they have committed to about a
19 hundred and fifty-nine million. I think that again depends
20 upon -- now, most of this money, or all of this money, is
21 relegated to research activities. And if there is an area
22 that, as progress develops, as the decontamination proceeds,
23 where there is seen a need for some R&D work, there can be
24 some additional monies allocated. But, it's difficult to
25 predict what they might need right now.

1 MR. SMITHGALL: Or withdrew.

2 MR. GERUSKY: Yeah. If the program slows down,
3 that money slows down also.

4 MR. MORRIS: In fact, that's one of the items
5 that really caused us to be really concerned at a meeting a
6 couple of months ago, that the funding may not be in place
7 from DOE if the cleanup slowed down much more.

8 And to answer your question, Joel, I requested a
9 copy of the Resolution from John. I was told it's not
10 Kierney, it's Carney. It sounds like a combination of both,
11 Tom, from Edison Electric Institute, and it's fairly clear,
12 at least in that Resolution, that a hundred million is the
13 minimum amount. And I'm sure they could go to ninety, but
14 it would take another passage of a Resolution.

15 Because what I have here is a pretty in depth
16 program based on kilowatt hours and all kinds of different
17 ways of arriving at the one hundred fifty million dollars
18 from the membership. And I know that, because I was told
19 that on an update this week, they do have I think seven
20 utilities that have said no to this.

21 If everybody else would say yes, they would
22 still reach ninety plus percent of the hundred and fifty
23 million dollars.

24 MR. GERUSKY: I think there is another issue.
25 The utilities that have said no, I believe are the ones in

1 which the Public Utility Commissions in their states have
2 said: No, you cannot use ratepayer's money to spend on the
3 cleanup.

4 I believe, however, you don't have to spend
5 ratepayer's money. You can spend profits, and you can take
6 the money out of another -- you know, you don't have to
7 increase the rates to give money to GPU. And I think that
8 that may be addressed a little more at this meeting in
9 Arizona.

10 MS. MARSHALL: Could I ask about the GPU request
11 to the PUC? Is this something that's new?

12 MR. GERUSKY: Yes.

13 MS. MARSHALL: I see. And that's going to be
14 explained to us?

15 MR. GERUSKY: Yes.

16 MR. MORRIS: We are hoping. Anything else from
17 Tom?

18 If not, I guess GPU is on to hopefully provide
19 some update on the funding. If you could, come up, please.

20 MR. CLARK: Mr. Chairman, and members of the
21 Advisory Panel, I am Philip Clark. I am the President of
22 GPU Nuclear, the subsidiary of the GPU System, which is
23 responsible for the nuclear activities, including TMI.

24 I am pleased to have the opportunity to appear
25 before the Panel. While I have not appeared before you

1 before, I have been with the GPU Nuclear, or its pre-
2 decessor, for about four years this month. I have been
3 generally familiar with and following the activities at
4 TMI-2, although within GPU Nuclear Mr. Arnold, who I know
5 has appeared before you, had taken the lead relative to
6 TMI-2. And I had taken the lead with regard to some of
7 the other nuclear activities, Oyster Creek, TMI-1 and some
8 of the support activities.

9 So I am pleased to have this chance to meet with
10 you and to provide an update on the funding.

11 MR. MORRIS: Mr. Clark, just let me say on behalf
12 of the Panel that we appreciate your accepting our invita-
13 tion and taking the time out to give us this update. Thank
14 you.

15 MR. CLARK: With me is Mr. Edwin Kintner. He
16 is the Executive Vice-President of GPU Nuclear. With me,
17 I make up, with him I make up the office of the President
18 of GPU Nuclear. Within that office, we tend to share the
19 responsibilities with one or the other of us taking the
20 lead in a particular activity, just as Mr. Arnold and I had
21 done.

22 Our plan at this point, for the immediate future,
23 is that Mr. Kintner will be taking the lead within the
24 office of the President for TMI-2. We have available to-
25 night some biographies of me and Mr. Kintner, which we

1 thought might be of interest to the Panel. And I think you
2 will find that Mr. Kintner is very highly qualified, a long
3 career in energy, technical, management with the Department
4 of Energy and elsewhere. He came to GPU Nuclear in June of
5 1983. I think he is a great asset to us. And I think he
6 is going to be very effective in overseeing the TMI-2
7 activities.

8 In starting to present the update on the funding,
9 which you had asked for, I should note that GPU Nuclear
10 does not own the plants, does not collect revenues, and in
11 the sense is not the financial manager of the nuclear
12 activities. We operate under an agreement with the owners
13 of the plants, Metropolitan Edison, Jersey Central Power and
14 Light and Pennsylvania Electric.

15 The financial matters are run by those companies
16 and the GPU Service Company. The most knowledgeable people
17 on the finance, whom we would have liked to have brought
18 before you tonight, such as Mr. Cherry, are in fact out at
19 the EEI meeting, trying to raise money for the cleanup.

20 And it's unfortunate that the scheduling of this
21 and your desire to hear about the funding didn't allow us
22 to bring Mr. Cherry. I have talked to him today, and I
23 can tell you a short sense of what has gone on out there.

24 I have made preparation to give you a funding
25 update, and think I can do it. If we unfortunately reach

1 a point where I have to say I don't know, I'm sorry. I
2 will get the information and provide it to you. I am, you
3 know, just not that intimately involved in some of the
4 funding activities.

5 However, I think the base point we ought to use
6 for discussing the funding is the budget that had been
7 established for 1984. That is the budget which is described
8 in this -- Mr. Kanga's letter to you and members of the
9 Panel on December 15th, which many of you have. And I guess
10 if there are some here who don't have it -- do you have
11 copies?

12 MR. KANGA: I have made copies.

13 MR. CLARK: As described there, the budget for
14 1984 is seventy-five million dollars. We have just gotten
15 the actual cost or actual expenditures for 1983, and they
16 are essentially seventy-five million dollars as well.

17 The letter provides the breakdown of the sources
18 of the funding which the Panel has asked us for. Those
19 are: Customer Revenues and GPU, thirty-seven million;
20 Commonwealth of Pennsylvania, five million; State of New
21 Jersey, two million; Insurance Proceeds, fourteen million;
22 and, our anticipation on Rebates from B&W, two million,
23 providing a total of sixty million in which we have added
24 an estimated DOE and EPRI receipt, or funding for the year,
25 of fifteen million, to get the total of seventy-five.

1 The Commonwealth of Pennsylvania numbers are --
2 well, all of those numbers we feel are solid and in hand.
3 And I would like to move them to talk about possibilities
4 of additional funding and where we stand on those possibi-
5 lities, and some of the activities that have taken place.

6 The customer revenues and GPU of thirty-seven
7 million does not reach the Thornburg plan level of fifty
8 million a year. The Company, on Tuesday -- or, the com-
9 panies, Metropolitan Edison and Pennsylvania Electric, here
10 in Pennsylvania, formally requested the PUC to make avail-
11 able an additional fifteen million dollars a year. That's
12 actually fifteen point eight million dollars a year for
13 the cleanup.

14 That request would involve no additional cost
15 to the customers, would not change the rates but would
16 involve what is essentially a change in the accounting, or
17 the way they allow us to use funds. So, the funds now
18 being collected and provided to write-off the cost of the
19 investment in TMI-2, some portion of that, the fifteen
20 point eight million a year, would be allowed to be applied
21 to the cleanup.

22 If that request is approved, that would bring
23 the customer-side of the Thornburg proposal essentially to
24 the Thornburg level of about fifty million dollars a year.
25 We are hopeful, in submitting that request and our sense of

1 what the issues are involved in dealing with that request.
2 We are hopeful that the PUC will grant that, which would
3 be a sizeable increase in the funding available and would
4 bring that element of the plant to the full funding level.

5 I say that was just filed on Tuesday, and it's
6 going to be some time for the PUC to deal with that. But
7 that was one initiative the Company felt we should, and
8 did, take in order to get additional funding in place.

9 The IRS ruling was mentioned, I think. That is
10 an important step. There were many of the utilities who
11 had said that they needed that ruling before they could
12 decide whether to participate. The ruling itself applies
13 only to the companies that submitted requests. IRS rulings,
14 when they issued them -- and I've read the rulings -- says
15 this is not a precedent. This only applies to you. And
16 as I recall, it was Duke Power, and I forget the other. It
17 was a private utility and a public utility.

18 However, I think the strong belief of everyone
19 is that given that ruling, the basis for it, and the facts,
20 that anybody else who asked would also receive a favorable
21 ruling. So I think, you know, it is a favorable outlook
22 for all the utilities. But the actual ruling is limited to
23 those who had requested it.

24 MR. MORRIS: Is there anything unusual about
25 those two utilities that you would know that would cause --

1 MR. CLARK: No, it is not. In talking with
2 people who know better than I, nobody believes that there
3 is anything unusual. And I've read the ruling, and the
4 rationale they apply basically says: We think it will be
5 helpful to your customers to have the cleanup completed,
6 because it will help the financial status of all utilities,
7 the rates at which they can borrow money, those kinds of
8 arguments which I'm told, and believe, would be applicable
9 to other utilities.

10 But, in fact, the rulings themselves only apply
11 to the two people who had submitted their request.

12 Now with regard to the EEI itself, there is a
13 meeting, the last two or three days in Scottsdale, Arizona.
14 Bud Cherry and Chairman Bill Kuhns are there. The major
15 purpose of their being there is to press again for action
16 by the utilities to support the EEI commitment. The sub-
17 ject was discussed today.

18 The telephone report I have is that it was a
19 productive discussion, that there had been no expectation
20 that people would today sign up on the pledge, and nobody
21 did. But we understand a number of the companies will try
22 to move forward within the next several weeks and we think
23 we will, in that time period, get a good indication to know
24 how much progress is going to be made. And we remain hope-
25 ful, and I guess more hopeful at this point than we had

1 been in the recent past, that in fact the pledges will
2 reach the one hundred million dollar kind of threshold.

3 I think those are the major new developments,
4 if you will. I would like to go back for just a minute to
5 the seventy-five million which is in hand and which we are
6 planning to use. It is our belief that we can make signi-
7 ficant, useful progress at that level of funding.

8 And as we look back over the activities in '83,
9 there were disruptions. I'm sure you are familiar with,
10 with the over crane delays, the whistle blowers, a lot
11 of effort of our people and others devoted to that.

12 As we lay out the program for '84 at the seventy-
13 five million dollar level, we are looking very hard at
14 whether there are ways to make perhaps somewhat more pro-
15 gress in '84 than the schedules had shown. And, you know,
16 bend our best efforts to use all of that money effectively.
17 We think we can make significant real progress at that
18 level, and any addition funds that become available would
19 allow us to make additional progress.

20 That is, you know, the status as I was prepared
21 to present it. We would be glad to respond to questions
22 or comment further in any area that you would want.

23 MR. ROTH: Yes, Mr. Clark, I would like a
24 better definition of significant, you know, in terms of
25 seventy-five million dollars and still make significant

1 progress in cleanup which is approximately half of what
2 your proposed, or projected, expenditures would be. Now,
3 would that be half as much work now that would be accomplish-
4 ed?

5 MR. CLARK: I don't recognize the half in terms
6 of being half of some number that we had forecast recently.

7 MR. MORRIS: This would have been a letter that
8 went to Mr. Roth back in October of '81 that really spoke
9 to the whole funding question of seven hundred and sixty
10 million dollars around the Governor's plan and said this is
11 how we expect to spend it, '82, '83, '84, '85, '86, what-
12 ever. And it shows in 1984 that the funding level was one
13 hundred fifty-one million. It also showed in 1983 the
14 proposed funding level to be a hundred and ninety-six
15 million dollars.

16 MR. CLARK: I think that that is not the most
17 useful reference to use. In late 1982, after we had been
18 able to get into the containment building we had a much
19 better handle on what the job was. It was a total project
20 re-estimate for TMI-2, which as I recall was issued in
21 December of 1982. That laid out the entire schedule cost.
22 It confirmed the overall cost of the billion dollars and,
23 therefore, in effect confirmed that the seven hundred and
24 sixty million dollars identified in '81 was enough to
25 finish.

1 As I recall, the '84 funding level projected
2 then, with our better understanding of the job, was about
3 one hundred million. I don't know --

4 MR. KANGA: That's -- yes.

5 MR. CLARK: I think the one hundred fifty mil-
6 lion comes from a much earlier look at the job, before we
7 had the understanding which we had gained in the time be-
8 tween then and the end of 1982.

9 MR. MORRIS: Okay. Joel, did you --

10 MR. ROTH: Yes. I would like to follow up,
11 because I'm still confused. If that one hundred million
12 funding -- was that going to remain a standard for each
13 year approximately, you know, give and take? I'm trying
14 to figure out, again, your use of the term significant as
15 compared to the lay-offs that you've had down there on
16 cleanup, the particular standstill on cleanup.

17 Now, to be told a significant gain at this point
18 and still -- let's use your figure, we are still twenty-
19 five million short. I guess I just question that word
20 significant and really what it does mean.

21 MR. CLARK: Well, I did not intend to say
22 significant gain in terms of being greater than some re-
23 ference level. What I intended to say, and hope I did say,
24 but let me say now was we could make significant progress
25 in carrying out the cleanup. In other words, it's not just

1 stay there and get nothing done. It's a level which enables
2 us to, in fact, get cleanup work done.

3 MR. ROTH: Will you be bringing back some of the
4 people that you laid off, then, for cleanup?

5 MR. CLARK: I think we likely will. I said we
6 are reexamining the plans for '84 to see whether we can
7 better use the seventy-five million, make progress in per-
8 haps more meaningful areas. And I think we do expect to
9 bring back some of the people.

10 I might talk about what we will do in '84, which
11 I think maybe gets at your question. You know, what is the
12 significant progress. A major part of the progress will be
13 on the design and the preparations of the tooling to remove
14 the core. Now, that work is not done at the Island but is
15 necessary to get ready to do the core removal. That is
16 critical in terms of being able to be able to get the core
17 out, and doing the design work on those tools is significant
18 progress.

19 I think we expect to do work on decon in some of
20 the systems, cleanup in the building, reduction of dose
21 rates. That is significant progress.

22 We expect to finish the polar crane work, do the
23 testing and remove the head in 1984. I think that is sig-
24 nificant progress.

25 We expect to continue to be able to process and

1 ship off the Island some of the radioactive waste. I think
2 that is significant progress.

3 And if you look back on 1983, with all of the
4 problems, which were many, nonetheless we did get a great
5 deal of the waste shipped off the Island. And I think that
6 is real progress from a public health and safety standpoint.

7 And I think we are on the path in '84 to continue
8 to remove waste from the Island, as we are able to clean
9 up areas, concentrate the waste and send it off.

10 MR. MORRIS: Mr. Clark, though, I think to --
11 I think what Joel was saying, if I could, more specifically
12 you are talking about a head lift, I believe for 1984,
13 September, October, something around that time frame --

14 MR. CLARK: I think one of the schedules that
15 have been furnished, I frankly am not sure I know exactly
16 what is the latest information you have seen. There were
17 schedules which showed head lift in September. When I
18 talked about trying to see whether we can make more progress,
19 one of the things we are looking at is whether it's pos-
20 sible to pull that back a month, or a little more. In
21 other words, advance that earlier.

22 A month may not seem overwhelming, but this is
23 January. And if there are only eight months left, moving
24 it back a month is, you know, not trivial.

25 MR. MORRIS: I understand. But the second part

1 of the question, even if it's August, when you had the up-
2 dated figures that called for a hundred million dollars
3 in 1984 and they were generated, I think you said in late
4 '82 --

5 MR. CLARK: Yes.

6 MR. MORRIS: Do you know when those figures
7 were generated when you were proposing to do the head lift
8 as of late 1982?

9 MR. CLARK: I'm sure it was significantly
10 earlier. I would guess it would have been the summer of
11 '83.

12 MR. MORRIS: I guess the point being, there has
13 been a year slippage since '82. And it seems that is
14 related to the lower funds in '83 and lower funds in '84.

15 And is there, you know, what --

16 MR. CLARK: Well, first, a good part of the
17 slippage in the head lift is not funding related. It has
18 to do with the polar crane issue, with the fact there was
19 at least the six months delay in ability to go ahead with
20 the polar crane program as a result of the, I guess,
21 King, Parks whistle blower allegations. As a result of
22 those allegations, NRC, in effect, did not act on our
23 request to do the polar crane test until they could inves-
24 tigate them.

25 We and they put a great deal of effort into

1 those investigations. And there was a direct delay. My
2 recollection is our estimates say it was at least a six
3 months direct delay in the head lift because of that much
4 delay in the polar crane test.

5 MR. MORRIS: If you would not have had that
6 delay, you are saying you would have had the money avail-
7 able to do all of the work by the end of '83, early '84?

8 Is that what I hear you are saying?

9 MR. CLARK: I will ask Mr. Kanga to confirm,
10 but my recollection is that our total estimate at the end
11 of 1982 called for seventy-five million, or about that in
12 '83, and that is what we, in fact, did spend. And that if
13 it had not been for the polar crane delay, we would have
14 completed in '83 essentially the planned work in '83. We
15 would have had the head lift in some time in 1983.

16 Is that --

17 MR. KANGA: That is correct.

18 MR. CLARK: I want to make sure I speak to you
19 on this --

20 MR. KANGA: The estimate that we had prepared
21 at the end of '82 showed that we would be removing the
22 head in the summer of 1983. We were basically on schedule
23 for that work, including the polar crane test when we
24 started experiencing the delay due to the approval of the
25 polar crane procedure and the whistle blower incidents.

1 MR. MORRIS: Let me ask you something more
2 pointed. Are you saying there has been no real delay as
3 a result of lack of funding?

4 MR. KANGA: No, I did not say that.

5 MR. MORRIS: Well, let me ask that, then. Has
6 there been any real delay because of lack of funding; and,
7 if so, what has the slippage been since 1982?

8 Has it been a month, six months, a year?

9 MR. KANGA: That's really what the questions
10 are aimed at. May I answer?

11 Basically, in 1983, we experienced delay due to
12 lack of ability to use the polar crane. Since we were
13 stalled in that activity, we had to perform other activi-
14 ties under the head which we had scheduled at that time,
15 which was to investigate the conditions under the head,
16 which we talked to you about at the last meeting.

17 We were proceeding on performing that activity
18 on the basis of the use of polar crane. And when the
19 polar crane was not available, we had to change the di-
20 rection, change the procedures and the methods by which we
21 were going to perform that work.

22 So, in effect, what we did in '83 was to perform
23 the work but change the methods by which we could perform
24 it. And, therefore, we had essentially double work to
25 perform and perform it under adverse conditions when we

1 were not able to remove the shield locks.

2 So, in '82 we expended more money for performing
3 some of the work than we had anticipated.

4 MR. MORRIS: Excuse me, sir, one second. I
5 think maybe you are causing a little bit of distraction
6 for some of the Panel members. And you've had a pretty
7 good opportunity to take pictures. If you want to still
8 take them, can you kind of move back a little bit and not
9 be right here in everybody's face, please? Thank you.

10 PHOTOGRAPHER: Yeah, I've got plenty. Thank
11 you.

12 MR. MORRIS: Thank you very much. But, again,
13 because of that little distraction I was reading this
14 note. I heard most of what you said, but did you say --
15 again, I'm just asking, was there any slippage time-wise
16 because of lack of funding?

17 I heard you explain that you changed your
18 methods, your ideas on --

19 MR. KANGA: We expended more money in certain
20 of the activities; therefore, there was an additional
21 delay in other activities due to the funding.

22 MR. CLARK: I think it is clear that if in the
23 beginning of '83 there had been more money available than
24 seventy-five million dollars, we could have planned and
25 carried out more work.

1 If there were money to become available in '84,
2 and if it becomes available not on December 1st but in
3 time to plan to use it, we could do more work in '84. So,
4 to say it is the lack of funding that has caused the delay,
5 I think the answer in that sense is yes. If there had been
6 more money available to us, we could have made more pro-
7 gress.

8 MR. MORRIS: That is the question, because I
9 have heard a lot of times -- a lot, meaning several times --
10 that the delays have been caused by engineering problems,
11 unforeseen problems, problems with the polar crane, pro-
12 blems with certain allegations, and very rarely have I
13 heard anybody say but they have also been caused, if we had
14 had more money we could go a lot quicker.

15 MR. KANGA: I might say something on that. In
16 the program that we had outlined end of '82, we did con-
17 sider a number of alternative cases which indicated that
18 if additional funding was available in certain years we
19 could improve on the progress of the job and some of the
20 milestones such as removal of the fuel could be improved,
21 and we demonstrated that in that particular report.

22 So, we did look at the --

23 MR. MORRIS: I recall.

24 MR. CLARK: Whether you say more money would
25 let you go faster or less money is a delay, I mean that's

1 the case. And we think we've said that before; at least,
2 we've tried to.

3 Now, let me just describe what Mr. Kanga said
4 maybe just a little differently. The effect of the polar
5 crane problems was twofold -- no, probably threefold.

6 First, there was a direct delay in doing the
7 polar crane test and our ability to get on with head lift.
8 Second, in order to do other work which we planned to do,
9 using the polar crane because that was the most effective
10 way to do it, in order to get on with that work without the
11 polar crane, we replanned it, did a little different tool-
12 ing, new procedures, and did that work less efficiently.

13 But we wanted to do it rather than to not do
14 it. The third is that there was a large drain on the
15 resources of our people and particularly our management
16 in dealing with the allegations. I think you people are
17 familiar with what we call the Stier report, a report that
18 we commissioned by an independent investigator. That cost
19 over a half million dollars in payments to him and the
20 people working with him. It had a significant cost in the
21 time of our people to whom those investigators had to be
22 talking. And there was also a parallel NRC investigation.

23 So, it was just a major effect of those allega-
24 tions on our whole effort in 1983 which, as you know, may
25 ve hard to describe. But it was major.

1 MR. MORRIS: But it's fair to say that the
2 quicker the money comes in, the quicker the job can get
3 done, and the least likelihood you would have of losing
4 money such as DOES or at least delaying the use of those
5 monies?

6 MR. CLARK: I think the quicker, up to some
7 point.

8 MR. MORRIS: I understand that.

9 MR. CLARK: If we had seven hundred million in
10 '84 we couldn't do -- you know, we couldn't deal with it.

11 MR. MORRIS: I know that. But, instead of
12 waiting five or six years in getting the job done, you may
13 get it done in four years.

14 MR. CLARK: Right. And I think you can get an
15 approximation of that if you look at this December '82
16 project re-estimate where we did the base case on the
17 funding we thought was reasonably expected, and that was
18 seventy-five in '83, a hundred in '84, as I recall it, and
19 about a hundred escalated each year, if I remember the
20 case.

21 Then we looked at, suppose you get twenty
22 million more in this year and the changes in schedule were
23 on the order of fifteen percent. Maybe twenty percent on
24 the total schedule.

25 MR. MORRIS: Does anybody else --

1 DR. ROBINSON: Mr. Clark, at the present funding
2 levels, when do you project that the core, the removal of
3 the core, will be completed?

4 MR. CLARK: Well, we are just re-estimating the
5 schedule and trying to see from where we are now, which is
6 different from where we thought we would be, and with the
7 status of the work on the tooling, on cleaning up the fuel
8 core, the various elements that control the schedule, what
9 is the best schedule we can get. And we do not have a
10 complete new schedule estimate. The estimate we have goes
11 through '84.

12 It showed the head lift in I think September.
13 We decided we wanted to try to do better than that, so we
14 are reexamining the front end of that schedule. And as
15 I -- I think maybe the best thing we can say is that the
16 schedule we had in December of '82 is probably delayed
17 about a year.

18 DR. ROBINSON: I don't remember when the latest
19 schedule --

20 MR. CLARK: I don't either. Maybe that's my
21 problem.

22 MR. KANGA: Yeah, the December '82 estimate
23 showed the head removal, I believe, in June of 1983. We
24 are now estimating that the head removal would be in
25 August of 1984.

1 MR. CLARK: The core removal.

2 MR. KANGA: Okay. We have not projected pre-
3 sently scheduled in detail beyond the end of 1984, because
4 it is difficult at this stage to estimate that, not know-
5 ing what the funding level will be, and not in 1985.

6 And instead of spending sources of the project
7 on estimates and schedules for out-years based on strictly
8 guess work of what the funding would be, we would rather
9 wait for a few months to at least have a better estimate
10 of what the funding levels will be than to have that type
11 of a schedule.

12 We are hoping that the funding levels would be
13 stabilized, we would know what those levels would be, and
14 would be able to identify it more better with an estimate
15 of the total project in the schedule.

16 DR. ROBINSON: Are you suggesting I bring the
17 question up in June or July?

18 MR. KANGA: Yes. I would be able to give you
19 a much better answer.

20 DR. ROBINSON: Okay.

21 MR. CLARK: The fundings and other things, you
22 know, really change month to month. And re-estimating the
23 whole schedule with any validity is a good bit of work.

24 So, you know we try to do it not too often
25 except for the short-term schedule we need to proceed with

1 the work.

2 MR. MORRIS: Does anybody else have any ques-
3 tions?

4 I would like to pursue a little bit on still the
5 funding. A couple of questions. Updated cost projections,
6 do you still feel that within five percent, plus or minus,
7 that the seven hundred sixty million as of the beginning of
8 '82 is sufficient to complete cleanup; and, if not, when
9 do you expect to do a projection on cost again?

10 MR. KANGA: I would say that other than some of
11 the expenditures that we, in fact, wasted in 1983, there
12 is no significant change in terms of the cost estimates
13 for the activities that we are projecting at the present
14 time.

15 MR. MORRIS: Okay. So if you would still use
16 basically the seven hundred and sixty million dollar amount
17 beginning in '82, and look at the Thornburg plan, could we
18 get maybe by the next meeting some kind of look at where
19 the short falls are projected to be?

20 You've already got a feeling now. Maybe by the
21 next meeting you could have a pretty good feeling on
22 whether EEI is going to meet the hundred million dollar
23 amount. You know that, at best, they are going to get to
24 a hundred and thirty, a hundred and forty, and the pro-
25 jection was to get a hundred and ninety from that particular

1 fund-raising effort.

2 According to my information from DOE, they are
3 at a hundred and fifty-nine. And the Thornburg plan cal-
4 led for a hundred and ninety. You are saying that with
5 your efforts with the PUC, if you get favorable funding
6 that part of the plan would be in place.

7 I guess I think it would be helpful to get some
8 kind of look at where you stand funding-wise, what your
9 hopes are, and what the apparent short fall is right now;
10 with certain assumptions on the EEI, I realize that. But --

11 MR. CLARK: I think we certainly can give you
12 a status of, you know, pretty well assured funding versus
13 the Thornburg plan. We will be glad to do that.

14 I think one thing that it's helpful to keep in
15 mind -- at least, I find it helpful -- you know, nobody
16 can see to the end of the tunnel. It's the question of
17 whether there is enough money available now and next year
18 to keep going, and whether in 1984, in fact, that seven
19 hundred and sixty million signed up, it would be very nice
20 to have it. I would love it. But if you don't have it,
21 and there is enough money signed up so you can keep the
22 program moving at a good level through '84 and '85, there
23 is a fair bit of time to go and find the rest of the money.

24 I think that is the gist of what Tom Gerusky
25 said a little earlier in talking about some of the short

1 falls. So, yes, we can and we will provide you some kind
2 of a status versus the Thornburg plan.

3 But, you know, I don't think that in three
4 months we are going to have all the money in hand.

5 MR. MORRIS: You would not have it anyway, be-
6 cause much of this money is going to be given to you over
7 a period of four, five or six years. I understand that.

8 But if there is a short fall -- if there, in
9 fact, turns out to be a significant short fall, I think it
10 would be helpful to the Panel to find out where are you
11 going to look for that money, not do you have it. But
12 where are your hopes to raise the money coming from.

13 MR. CLARK: We will give you a status. You
14 know, I think that is a legitimate question. Let me just
15 make one comment on the DOE funds.

16 When we try to rack up funds against the
17 Thornburg plan, the seven hundred and sixty million dol-
18 lars went against the certain defined work scope basically
19 here at TMI, or cleaning up TMI. The one hundred fifty-
20 nine million, or whatever it is, from DOE goes against
21 the somewhat different work scope. Some of that money
22 is for, you know, waste disposal, off-site, very useful
23 and necessary activities, but not activities that were
24 within the seven hundred and sixty million dollars.

25 So my recollection is, of the one hundred and

1 fifty-nine million of DOE money, eighty-five or something
2 like that, goes against what the Thornburg plan was in-
3 tended to cover. Now the rest of the money is real money.
4 It is helpful to TMI. It is doing things.

5 But when you start racking up against the
6 Thornburg plan, you should not rack up a hundred and fifty-
7 nine at DOE. You rack up on the order of what I said.

8 MR. MORRIS: Which highlights even more of a
9 reason why it would be good to have a feeling for a short
10 fall.

11 MR. ROTH: Just bear with me for a minute. Let
12 us fantasize for the next one minute. Maybe we have been
13 fantasizing the last half hour. If this Panel had the
14 power -- and I mean this very seriously, because I'm still
15 having problems coming to grip with percentages because
16 of lack of funds versus engineering problems, if this Panel
17 had the ultimate power to give you money, how much money
18 would you ask for for 1984 and 1985?

19 MR. CLARK: I think -- you know, I think that
20 question really deserves some reflection and careful look-
21 ing, because the money goes to a variety of places, de-
22 signing the tools, so it would really be -- the question
23 is, how fast can the tool designers be expected to go,
24 cleaning up what we call the fuel core at TMI-2, getting
25 out what is in there, preparing to move the spent fuel.

1 The question is, how realistically can you do the engineer-
2 ing and the actual work without funding constraints on
3 that.

4 And there probably are four or five main
5 activities which we have to look at carefully in order to
6 see realistically how fast could you go with them if money
7 were no limit, which I understand to be your question.

8 MR. ROTH: What I'm coming back to is, I'm
9 saying -- perhaps I'm not grasping it, but we are almost
10 five years from the accident. And basically what I'm
11 hearing you saying is that there are still design factors
12 that haven't been, you know, dealt with or you haven't
13 gotten to yet, and there are all these factors, and we
14 keep on seeing the slippage.

15 And I guess I'm trying to point to you and say-
16 ing, fantasizing, what amount, without having to say re-
17 flect upon it, or anything of that nature, I guess I'm a
18 little tired of, after five years, having that.

19 And all I'm simply saying to you is, I still
20 want to know what money you would like, if we had the power
21 to give it to you for '84, what do you want?

22 MR. CLARK: Okay. What I'm saying is that I
23 can't answer you tonight.

24 MR. ROTH: When could you answer?

25 MR. CLARK: I think that depends on how good an

1 answer we want, and on the decision of whether the likeli-
2 hood of getting that is worth putting resources on answer-
3 ing the question. And I don't say that to be offensive.

4 The first estimate that the Company made on
5 the cleanup -- and it's a major effort. You know, you've
6 got dozens of people estimating hundreds. The first
7 estimate assumed funding was no limit. There -- that was
8 a big effort. We came out with it -- I forget the schedule,
9 and it's academic. We soon discovered after a year or so,
10 that that was not a realistic assumption. So, we did it
11 all over again.

12 And we laid out the plan again on the assumption
13 that we get what we thought was a reasonable amount of
14 money. Seventy-five in '83, a hundred a year. We
15 thought that was realistic. We also looked at, as I re-
16 call, three other cases at the same time, so as to give
17 an idea to people of how much more money could be used and
18 what it would do to the schedule.

19 And if the Panel does not have that before it,
20 you know, I would suggest that we provide it to you, be-
21 cause I think it's helpful to get an idea. As I recall,
22 we did not think it would be worthwhile even then to ever
23 go over a hundred and forty million a year, or something
24 like that.

25 MR. KANGA: We looked at certain cases -- and

1 I'm quoting from memory, when in 1985 and '86 we used
2 numbers like a hundred and twenty, a hundred and thirty
3 million dollars in those years.

4 MR. CLARK: And I think, for thinking about it,
5 those numbers are probably as good as what we generate
6 today, absent, you know, a very detailed effort which,
7 you know, I suggest is probably not worth the resources
8 which otherwise would be working on getting ahead with some
9 of the work.

10 MR. ROTH: So, basically, to end this point,
11 you could probably agree and say that perhaps the one
12 hundred thirty or a hundred and forty, or somewhere in
13 that, would be the money that you would like to have, to
14 be able to continue -- to use your word -- significant
15 gains.

16 MR. CLARK: And it would go faster. All right.
17 Now, I think I also need to be sure I leave you with the
18 understanding that there is a lead time in this, so that
19 getting a lot of money suddenly doesn't help me in the
20 next X months. You know, you have to get the contractors,
21 organize the people, change the plan.

22 And that's the reason why changes are so dis-
23 ruptive, because there is a lot of planning. You throw
24 that away and replan a new one. I really hope I'm not
25 coming up as non-responsive to your concern. I don't

1 intend to be.

2 MR. ROTH: All right. We will forget the
3 fantasy.

4 MR. MORRIS: Tom, did you have --

5 MR. SMITHGALL: Just a comment. I guess we
6 were fantasizing over dinner. We were wondering whether
7 or not there is a pension plan for these people on the
8 Panel. (Laughter.) And I just do some quick arithmetic --
9 I see Tom Cochran's out there, and he did this before --
10 and I see funding levels of seventy-five million dollars
11 a year, needing seven hundred and sixty million dollars
12 to do the full cleanup, it's going to take us ten years.
13 That's if you get seventy-five million dollars. So we
14 are not even halfway along. And we will be here January
15 of '89.

16 MR. MORRIS: That's from 1982 as well. So you
17 are talking about 1992.

18 MR. CLARK: We are not satisfied with the
19 seventy-five million dollars a year. There is no question
20 about it. That's why we have made the request to the
21 PUC. That's why we have been actively involved with EEI.

22 The Company put a lot of effort in trying to
23 get national legislation for industry contributions.

24 MR. MORRIS: We understand that. But, see we
25 are not asking you to say, if you got money today can't you

1 spend it tomorrow. We understand the lead time. We under-
2 stand the engineering. We are just looking for a simple
3 answer that says, you know, basically if you got the money
4 that you needed, what would that ten years go to? Five,
5 six or seven.

6 Agreed, maybe we need to go back and review the
7 document that was put together in '82.

8 MR. CLARK: As I recall, on the '82 estimate,
9 it had the cleanup completed in '88.

10 MR. KANGA: That's correct.

11 MR. CLARK: In '88. So, if you wanted to do
12 fantasy here, or ball park, you know, kind of rough numbers,
13 let's assume you are a year behind that and if you could
14 get to the funding levels in that plan, then it would be
15 '89.

16 I've told you exactly how I got the numbers.

17 MR. MORRIS: Okay. I understand.

18 MR. CLARK: I think that's the kind of thing we
19 will be talking about.

20 MR. MORRIS: Okay. Tom.

21 DR. COCHRAN: I'm still -- I've sort of lost
22 track of what the objectives are in the cleanup. And --
23 is it to get back a working reactor? To simply remove
24 the debris out of the core? Is it to have a facility
25 that you don't call it an interim storage place facility?

1 Is it to minimize worker exposure at this point?

2 MR. CLARK: Okay. It is not to get what we
3 call recover the plant, i.e., get it back working. It is
4 not to recover the plant.

5 DR. COCHRAN: Was it in the earlier estimates?

6 MR. CLARK: No. No. The earlier estimate in
7 there was one probably the summer of '81, December of '82.
8 It is not recovery.

9 Cleanup is defined roughly as removing the
10 core, including the fuel which may not be in the reactor
11 vessel, and cleaning up the plant to the point it does not
12 pose a particular threat to the environment. You might
13 make a rough analogy to cleaning it up to what might be
14 considered a decommissioned plant. All right.

15 Do you want to elaborate on that?

16 MR. KANGA: Yes. And included in that is
17 shipping --

18 MR. CLARK: Shipping the waste off-site, yes.

19 DR. COCHRAN: Is that -- has that goal changed
20 any? Have you relaxed that?

21 MR. CLARK: No.

22 DR. COCHRAN: It's not worth considering sort
23 of leaving it a little bit more contaminated for the sake
24 of reducing the exposures to the people?

25 MR. CLARK: Well, I think our sense is you have

1 to get it decontaminated someday. And that the -- on
2 balance, some amount of additional worker exposure now
3 in order to cut the threat, leads you to conclude you ought
4 to proceed with the cleanup now and not defer parts of
5 the cleanup.

6 MR. MORRIS: Let me just cut in here and say
7 that we knew that Tom Cochran has missed a meeting or two,
8 but we knew as soon as that PEIS came out on radiation ex-
9 posure to workers that Cochran, if nobody else was here,
10 Cochran would be.

11 And really, if we are going to get into a dis-
12 cussion on radiation and curtailing certain activities of
13 the plant, that is something that we are going to get into
14 tonight. And I'm sure Tom is going to proceed along what-
15 ever line of questioning he wants to on that, but unless
16 it relates -- the question is relating specifically to the
17 funding, Tom, that is an item that really -- I know you
18 are going to try to get into this any time you can, but
19 tonight it should be brought up in the next item on the
20 agenda.

21 DR. COCHRAN: I think it bears directly on fund-
22 ing.

23 MR. MORRIS: Well, if it's strictly a funding
24 question, fine. I thought you were saying because of
25 radiation exposure, should we not curtail certain activities

1 at the plant. If you are saying, in order to save money,
2 and forget the radiation and don't discuss that, then we
3 can get into that.

4 But it sounds to me like your concern is coming
5 from the radiation aspect.

6 DR. COCHRAN: Well, that's obviously my con-
7 cern.

8 MR. MORRIS: Well, I understand and you are
9 going to get plenty of time tonight, I think, to talk about
10 that. I just want to make sure we stay on the funding
11 issue first, if we could.

12 Does anybody else have any comments or questions
13 on funding?

14 MS. MARSHALL: I have a question in regard to
15 the contemplated cleanup, and the fact I gather that this
16 entails leaving the reactor building on-site; is that
17 right?

18 MR. CLARK: Yes.

19 MS. MARSHALL: We had heard at one meeting that
20 the walls, the inner walls, of the reactor building had
21 absorbed some radioactivity. And is it contemplated that
22 that would be -- that the reactor building would be free
23 of radioactivity at the time the cleanup is considered to
24 be done?

25 MR. CLARK: No. When you say free of radioactivity,

1 no. The cleanup would take you to a point that the radio-
2 activity there would be much reduced. And it would be --
3 I guess maybe the right term is fixed. I mean, radio-
4 activity which is embedded in concrete is not going to
5 come over into Middletown or wherever. So, it's not cor-
6 rect to say it would be clean. But it is correct to say
7 the total would be way, way reduced, and that the form
8 in which the activity existed would be stable, fixed.
9 You know, not airborne, not in liquids that could get off
10 the Island.

11 MS. MARSHALL: Thank you.

12 MR. MORRIS: Any other questions? Is there any-
13 thing else you wanted to say on funding? I assume not.

14 MR. CLARK: No. We just repeat we are not
15 satisfied not having more funding available, and we are
16 doing everything we can to get it.

17 MR. MORRIS: Okay. Thank you very much for
18 making a presentation, Mr. Clark.

19 While Mr. Kintner was very quiet, we certainly
20 appreciate your appearance and look forward to seeing you
21 again.

22 The next item on the agenda, and actually the
23 last item, other than public comment, is the -- an NRC
24 comment on the PEIS. Bernie, what's your pleasure? Do
25 you want to keep going at this point and forget about a

1 break and see how things go?

2 Cochran wants to take a break. He's going to
3 ask a lot of questions. Do you want to take a break?

4 We will take a five minute break.

5 (Whereupon, a recess is taken at 8:18 p.m.,
6 and the meeting was resumed at 8:30 p.m., this same
7 day.)

8 MR. MORRIS: If we could call the meeting back
9 to order and go right back into comments by your friend and
10 mine, everybody's friend, Bernie Snyder, and, of course,
11 Lake Barrett.

12 Bernie.

13 MR. SNYDER: I sure hope the Reporter got that
14 down. I will point to that some day when I need it.

15 Our only purpose here was really to call to both
16 the Panel's and the public's attention the fact we did
17 issue in the last few weeks a supplement to our Environ-
18 mental Impact Statement in the form of a draft document.

19 There are copies on the table to my right, to
20 your left, near the entrance. I would urge anyone in the
21 audience -- the Panel has all received copies I believe,
22 I hope -- I would urge anyone who has an interest in the
23 audience to pick up a copy. And I also want to say there
24 are a number of other things sitting on that table that
25 are relevant to the supplement.

1 First of all, there is a little blue book that
2 we put together called "Answers to Questions About Updated
3 Estimates of Occupational Radiation Doses at TMI-2." This
4 was written in an attempt to provide in laymen's language
5 a little more of an explanation.

6 MR. ROTH: For us, right?

7 MR. SNYDER: Well, actually I found it very
8 educational myself. You know, it's for those who find the
9 EPA-type document a little ponderous. I think they will
10 find the Q&A document to be helpful.

11 I want to mention that this was put together in
12 our office by a very capable gentleman, Walt Oliu, who is
13 in the back behind us, waving his hand now. I mention
14 that now, because it has been an important part of our
15 office's function to mention that we do our best to com-
16 municate, and I recognize we don't always succeed but we
17 really do make an effort.

18 Walt is a technical writer, and he is the only
19 literate one among us because he is an English major, not
20 an engineering major. And, in addition he is also the
21 author of a couple of books, the title of which I won't
22 tell you because I can't give a commercial, but they are
23 English textbooks.

24 He has done what I think is an excellent job
25 in putting this thing into good English, targeted really

1 for a high school graduate basically.

2 There is also on the table there a copy of a
3 Reg Guide, that's Regulatory Guide Number 8.29, which is
4 a general discussion of radiation effects. And it's
5 generally made available to workers at a reactor site.
6 And all GPU people who do work in radiation areas and have
7 received the radiation training do get a copy of this by
8 GPU; they provide it.

9 And, let's see, do we have the press release
10 over there or not? Yes. There is a press release which
11 we used for the press conference last week. And in there
12 it gives a little more detail as to when the comments are
13 requested. We are required to provide a minimum of forty-
14 five days, a comment period of forty-five days long. And
15 we have actually provided somewhat longer than that.

16 The comments are due from the public, and from
17 all interested people, to us by February 29th. There is
18 a February 29th this year, by the way. We actually picked
19 it to intentionally make use of that day for something.

20 In any case, we are happy to receive written
21 comments. We plan to have at least one public meeting in
22 the evening in the Middletown area. It is tentatively
23 scheduled for February 15th, and to be held at the Middle-
24 town High School. We will firm all that up and let people
25 know, and give plenty of advanced warning so they can

1 extend the time.

2 What we will do at that meeting is something
3 we have done in the past, and it has worked out well. We
4 will have a transcript made, as is being made of this
5 meeting, and we will take comments from the public, re-
6 spond to them at the meeting, but also consider the oral
7 comments that we received as recorded by the Reporter to
8 be the same as if the individual had written the comments
9 down and gone to the trouble to put a stamp on it and mail
10 it into us. We will try to make it as easy as possible
11 for people to communicate with us, because we are very
12 interested in that.

13 In addition, Lake has provided to the workers
14 at the site a short letter that explains the availability
15 of the document and gives a little bit of background. That
16 is attached and over on that pile there, too.

17 Finally, in an attempt to communicate with the
18 workers, because clearly this is a worker issue, letters
19 have been sent again by Lake, in my absence just after
20 Christmas, to eight union officials at the local, regional
21 and national level. These are the unions that have work-
22 ers on the site.

23 I would suggest that the Panel consider having
24 a detailed discussion on the PEIS at the next meeting. I
25 would be happy to answer questions now but very frankly it

1 wasn't my understanding that was the intent of this meeting,
2 and for that fact I did not bring one key individual that
3 I would offer to bring at the next meeting. That's Dr.
4 Frank Congel, who is the Chief of our Radiological Assess-
5 ment Branch, and is our -- he is expert on the question of
6 health effects. Okay.

7 And with that, I would urge the Panel to con-
8 sider that for the next meeting, and we look forward to
9 receiving your comments either as a Panel or as individuals,
10 or however you choose to do it, orally or written.

11 MR. MORRIS: Okay. Bernie, I do feel -- and
12 I'm pretty sure that Tom Cochran, and maybe some other
13 people, want to at least address parts of the PEIS tonight.
14 Where you could answer the questions, if Tom has any, we
15 certainly would appreciate it. But we understand that
16 you don't necessarily have the people present to answer
17 questions.

18 And if you don't, at least it will give you a
19 chance to know what some of the questions may be at the
20 meeting on February 9th. Because we agree that we pro-
21 bably do want to get more into it on that evening.

22 Tom, do you want to --

23 DR. COCHRAN: Well, I don't have but a few
24 questions. And it would probably be preferable to me
25 if we discuss it at the next meeting rather than this one

1 to get some more information.

2 One of the problems I found in going through
3 the PEIS is, it's impossible from the data in here to do
4 any sort of double checks on your -- on the numbers. You
5 have given us some aggregate numbers of estimates of
6 exposure for various operations. And I'm looking parti-
7 cularly at Table 3.1 on Page 3.2 where it's --

8 MR. SNYDER: That's the summary table.

9 DR. COCHRAN: Right. Well, there's no -- what
10 I would like to see is for a particular entry in the sum-
11 mary table, for example, under current cleanup plan for
12 the, let's say, reactor disassembly and defueling, I under-
13 stand these numbers are generated by some computer model or
14 at least aggregated through some computer model which is
15 more detailed than I would want.

16 But on the other hand, I don't have any feel
17 for how many people are involved in the operation and what
18 the average time they spend at the working level is, how
19 much dose they are getting.

20 MR. SNYDER: We can -- let me, just very briefly --
21 and I don't have the data with me. First, let me say that
22 we did utilize the services of a consultant under contract
23 to us, people who are expert in this field, Pacific North-
24 west Labs, Health Physics group out there.

25 And basically what we did, and this was

1 independent of a similar exercise that GPU went through,
2 and their contractor went through, we -- for that activity,
3 we took a look at the work breakdown, how the job was
4 broken down, made estimates of the hours that it would
5 take to do it in terms of man-hours, and took a look at
6 what the radiation field were expected to be in those
7 areas, assuming good ALARA practices applied, which we
8 discuss at some length in there.

9 And basically it's a straight multiplication.
10 Now it's obviously not as simple as all that. And if
11 you like, we do have the data that was used to build up
12 to these numbers, which I think is what you are asking for,
13 Tom. And I would be happy to provide that to you.

14 DR. COCHRAN: That's what I'm asking for.
15 Also, it scares me that I will get it in a lot more de-
16 tail than I want. I mean, I don't want to spend the rest
17 of my life studying --

18 MR. SNYDER: No. We have it taken and reduced
19 down the data. There are a number of sheets that go into
20 building up such a number. But as far as computer model
21 goes, it really isn't a computer model. The computers
22 are used, in this case, just to add the things, multiply
23 and add the things up. You know, it's strictly an account-
24 ing tool.

25 It was based on what we felt were reasonable

1 target numbers to shoot for in terms of what the exposures
2 would be. That's the key thing. And then it's just en-
3 gineering judgments as to how long does it take to do a
4 particular job and just multiply and add them up.

5 We can talk in more detail about that at the
6 next meeting, if you would like.

7 DR. COCHRAN: Well, I would like to do that.
8 And I would also -- I also think that level of detail should
9 have been in the draft so you can comment on something
10 substantively other than just the aggregates. I mean, it's
11 hard to --

12 MR. SNYDER: This is about the same level of
13 detail -- well, it's slightly more detailed, I guess, than
14 what we had in the original document back in March of '81.
15 And we felt -- in fact, I can't recall anyone criticizing
16 us for not providing that kind of detail.

17 DR. COCHRAN: Well, let me just remind you, I
18 criticized you because I thought your dose numbers were
19 too low. And maybe if we had had the detail, it would
20 have been more obvious.

21 MR. SNYDER: Well, we intend, at the next meet-
22 ing, to provide that.

23 DR. COCHRAN: Now, the other side of it is --
24 and this is basically nothing that I did not say the first
25 time around -- I don't agree with your cancer risk

1 coefficients. And you discuss -- in the back of the re-
2 port, Appendix B, and the problem I have is -- or, one of
3 the problems I have is the Staff does not take into
4 account anything that has happened after the BEIR 3 re-
5 port vis-a-vis the cancer risk coefficients. And I'm
6 specifically referring to the -- start with BEIR 3, the
7 controversy over whether the relative risks model, linear
8 model, is more or less appropriate than the linear quad-
9 ratic model for some of the coefficients.

10 Subsequent to that, it was a reevaluation com-
11 menced of the Nagasaki neutron data, which some people be-
12 lieve -- for example, Ed Bradford and myself and several
13 others -- that basically knocks out the argument of Rossi
14 and the majority opinion in the BEIR 3 report; and that,
15 therefore, the Bradford opinion in that report is now the
16 only really valid one. And that is, it ought to be looking
17 more to relative risk, linear model, than lower numbers that
18 came out of the linear quadratic.

19 So that, in a nutshell, at least in my view,
20 puts you up at the higher end of these numbers that appear
21 in Table B.10. And I would argue that you should also
22 have put in for the report not just the fatal cancer risk
23 estimates, but the cancer incidents which you do do, I see,
24 in this Regulatory Guide, Table 1, Page 8.29-6, which the
25 cancer incidents is higher, a good bit higher than the

1 cancer mortality numbers, because everyone doesn't die of
2 cancer.

3 Nevertheless, I think people are sufficiently
4 concerned of getting cancer that they ought to be told
5 about what the cancer dose numbers are. And the numbers I
6 personally come out with are more like one cancer per
7 thousand man-rem, which happens to be about seven times
8 the number you actually used in your basis for your calcu-
9 lations. So, instead of two to six, I would multiply your
10 number by about seven if my own personal estimate is
11 correct, which puts it up, in my opinion, in a range where
12 I worry a lot more than the Mayor of Lancaster does, and
13 would start looking a lot harder at how to get these man-
14 rem numbers down.

15 It would also be nice to know at the next meet-
16 ing whether GPU agrees with these latest -- I guess these
17 are NRC estimates.

18 MR. SNYDER: Yes, they are. They have a comment,
19 like everybody else, and we haven't talked to them about
20 it since we published it. Although, the earlier estimates
21 were lower. The latest high number that I saw, which is
22 some time ago, was twenty-eight thousand versus forty-six
23 thousand.

24 MR. BARRETT: They were sixteen to twenty-eight,
25 I believe. We bracket their estimates.

1 MR. SNYDER: On the health effects thing, I'm
2 not the right person, as you know, Tom. I would like --

3 DR. COCHRAN: I understand.

4 MR. SNYDER: -- to get your input and provide
5 a response at the next meeting, as well as the input of
6 any other members of the Panel who have some expertise in
7 this matter.

8 DR. COCHRAN: Well, I think the more important
9 thing -- because even at the lower cancer risk coefficient
10 estimates, the numbers are still sufficiently high that
11 everybody should have the same objective to get these man-
12 rem numbers down and sort of walk this through and explain
13 why you can't get those numbers down.

14 MR. BARRETT: Regardless of what the estimators
15 are, everybody here is concerned about the man-rem. We
16 are concerned about it. And so is GPU.

17 DR. COCHRAN: So is the Mayor. I was just --

18 MR. BARRETT: Everybody is. And, you know
19 millions of dollars, I'm sure it's at least that, millions
20 of dollars are spent by GPU to cut that man-rem number
21 down. And a lot of work and energy goes into that area.
22 And it is millions of dollars to do that.

23 MR. SNYDER: We have taken a very careful look
24 with a panel of outsiders at their rad protection program.
25 I think that has been discussed here with the Panel in the

1 past. And the consensus of opinion was that they needed
2 this -- going back many years now -- they needed to make
3 improvements. They made those improvements. We re-looked
4 at it and concluded that they are doing a good job with
5 the intention of always improving. And, you know, it's
6 probably our most important function on the site, is to
7 make sure they are doing absolutely the best job they can.

8 MR. MORRIS: Tom, you did ask a question earlier
9 regarding if the cleanup could stop shorter than it pre-
10 sently is contemplated, what kind of effects would that
11 have on radiation doses.

12 Again, I'm not sure that you are the people to
13 answer that, but you did raise that point on the funding.

14 DR. COCHRAN: Well, they explained, I think,
15 what their estimate is, what would happen in terms of
16 dosages.

17 Presumably, looking at your robotics scenario --

18 MR. SNYDER: That's why we put in that option,
19 because it's not out of the question but it's not today's
20 technology either.

21 DR. COCHRAN: I guess the question I would have
22 would be more, what are the funding implications of that
23 scenario, which is why I brought it up earlier.

24 MR. MORRIS: Well, why don't you pursue that?

25 DR. COCHRAN: Well, what are the funding --

1 MR. SNYDER: The funding implications? I'm not
2 the right person to answer on funding.

3 DR. COCHRAN: Well, you know there is no cost
4 data in this --

5 MR. SNYDER: No, there isn't.

6 DR. COCHRAN: -- which I think --

7 MR. SNYDER: We didn't attempt for each alterna-
8 tive, except for the robotics, there was statistically no
9 difference in terms of man-rem, which is the question be-
10 ing addressed here. So, there is no point in taking a
11 look at whether there is a great financial advantage of
12 one versus the other, because they got you to the same
13 end point in terms of exposure basically.

14 The robotics, I don't think anybody could put
15 a cost on that, because it's not a technology that's
16 available. So --

17 DR. COCHRAN: Well, there is another alterna-
18 tive. I mean, there are three alternatives. You can
19 walk away from the plant right now, which nobody likes.
20 Or, you can take the fuel out and seal it up and, in
21 effect, treat it as a clean plant which may or may not
22 meet whatever your requirements are in the plants.

23 MR. SNYDER: We have discussed this before,
24 and I think you know my views on that.

25 DR. COCHRAN: The third alternative is you

1 double the worker exposure to get it down to where you
2 want it. It's not clear to me that reducing the cleanup
3 exposure by two is not the right solution if it turns out --
4 I mean, you might have a better idea of that, whether you
5 are at the upper or lower end of your dose estimates in
6 three years from now. You don't have to make that decision
7 now.

8 MR. SNYDER: In any case, we agree that the
9 fuel needs to come out and that future activities could be
10 subject to some trade-offs, like you suggest.

11 DR. COCHRAN: Would it be useful to -- when you
12 provide the data next time -- provide it at a level of
13 detail sufficiently that, over the course of the next year,
14 people that track the dosages could find out, you know,
15 how one is doing relative to what today's prediction is?

16 MR. BARRETT: You can track them. I think after
17 the fuel is out, the big man-rem component is dealing with
18 the basement of the reactor building, the area that was
19 flooded with the eight and a half feet of water and the
20 cesium in the concrete, the unsealed inner walls. That
21 is probably the larger man-rem component.

22 Within the next few years, GPU will be concen-
23 trating on the defueling. I'm not sure how much data --
24 there will be some data obtained from the basement levels.
25 But as far as enough data to accurately, or better, project,

1 we don't know how much that will be yet. And we will go
2 into, you know, the details on it for you next time and
3 you can see that.

4 DR. COCHRAN: That's what you call reactor
5 building and equipment cleanup, or is that what you call
6 reactor disassembly --

7 MR. BARRETT: The reactor building, first row
8 on Table 3.1 --

9 DR. COCHRAN: That's the dose --

10 MR. BARRETT: Well, that's the reactor building
11 and equipment cleanup, that is the cleanup of the building,
12 per se, not the removal of the fuel. The second line is
13 the removal of the fuel from the reactor.

14 The actual cleanup of the building, that's the
15 chipping of the concrete and that sort of thing.

16 DR. COCHRAN: But you don't have to get down
17 on to that lower --

18 MR. BARRETT: You don't have to get down there
19 to do the defueling.

20 DR. COCHRAN: -- level, do you?

21 MR. BARRETT: No. To do the reactor defueling
22 where the concentration of the work will be over the next
23 few years does not do much in the basement at all. They
24 basically are bypassing the basement. There is some work
25 in the basement. They do have -- DOE and GPU together are

1 working on developing some of the robotics. So is the
2 Ben Franklin Institute. And work is proceeding in that
3 area, but it is not, you know, first priority work. First
4 priority has been toward more of getting the fuel.

5 MR. SNYDER: The basement can be ignored for
6 purposes of getting the fuel out. That's the bottom line.

7 DR. COCHRAN: Is that what is going to be done?

8 MR. SNYDER: There is some work that will go
9 on in parallel, but by far the majority of the effort will
10 be on the defueling.

11 MR. BARRETT: And the dose reduction you need to
12 do to do the defueling.

13 DR. COCHRAN: Am I correct that the only place
14 you can enter the containment building is at 305 level?

15 MR. BARRETT: That's correct. That's where the
16 hatches are.

17 DR. COCHRAN: And it doesn't buy you anything to
18 try to cut a hole somewhere else?

19 MR. SNYDER: The 305 level is not that large a
20 contributor to the source. And with the temporary -- not
21 temporary, but with the shielding that's been put in place,
22 I think that part of the dose reduction program that was
23 discussed at one of the meetings -- I guess you weren't at
24 that meeting, I don't know if it was the last meeting or
25 the one before that -- the transit dose that the workers

1 are getting as they come in through that route is really
2 very insignificant.

3 MR. BARRETT: GPU has -- I don't have the exact
4 number, but I would say it's tens of tons of lead in water
5 shields on the 305 elevation to shield radiation from the
6 basement. That's the 282 foot level, from coming up to
7 where the workers have to transit up to the 347 elevation,
8 which is the operating floor where they will do most of
9 their defueling work.

10 MR. MORRIS: Okay. I believe Mike Masnik did
11 indicate if we could provide him with at least an idea of
12 what questions you may be raising at the next meeting, of
13 course, that any Panel members may raise, it would help
14 him in expediting answers. So, I guess if you can get the
15 information to Tom that he has requested as quickly as
16 possible, that would allow him to review it, and maybe
17 Tom and Mike can talk a little bit on the phone before the
18 meeting to give you a feeling for at least some of the
19 questions.

20 MR. SNYDER: We will provide all the members of
21 the Panel the information, of course, not just to Tom.
22 You know, there may be interest by others as well.

23 MR. MORRIS: Are there any other Panel members
24 that want to speak to this question? I'm sure that most
25 of us are really not -- we are more making observations of

1 the discussions and listening to what is going on rather
2 than knowledgeable of this kind of detail.

3 Are there any members here that want to get into
4 it?

5 DR. WALD: Just a question. It says -- the data
6 base for the table that you are going to provide us, does
7 that include a more detailed breakdown of the age of the
8 work force?

9 MR. BARRETT: No, it does not.

10 DR. WALD: Is that easily available?

11 MR. SNYDER: We made an assumption -- the numbers
12 are in there -- but as to what the typical experience has
13 been so far, I think we will follow -- I don't remember
14 what the ages were.

15 DR. COCHRAN: I think age distribution is in
16 here.

17 DR. WALD: There is a range and an average, but
18 I'm talking about a distribution.

19 MR. BARRETT: We do not -- NRC does not have
20 age distribution for the workers. The Company may have it
21 by age. Generally the Company may not have that. As
22 far as you can correlate exposure to age, when you fill
23 out your age, you don't write down: My age is 24, 35, 45.

24 That statistic is not easy to come by.

25 MR. MORRIS: You do have an age, an average age,

1 of 42.

2 MR. BARRETT: Right. I think as far as which
3 ages are getting what doses, I don't have that. I'm not
4 sure the Company has that.

5 R. COCHRAN: Let me just respond to the Mayor's
6 remark that, the implication being that this is too
7 technical for a lay person to follow. I don't think that
8 is the case, because I think it's a fairly simple issue
9 and that is how can you do the work to lower these numbers.

10 And I think people on the Panel ought to look
11 into how that might be done.

12 MR. MORRIS: I have no question as to the
13 bottom line, that's right. But as to talking about linear
14 versus quadratic and explanations of radiation, I think
15 that I'm certainly not qualified or that knowledgeable to
16 discuss that, but when it comes down to the bottom line of
17 whether the numbers are one-sixth of what they should be,
18 obviously as a Panel member I have great interest in that,
19 and that's what I'm trying to say.

20 And that is at this particular time, I'm listen-
21 ing more with interest in what you may raise as deficiencies
22 in the way this is calculated rather than offer that as a
23 comment myself, because I'm not qualified to offer that as
24 a comment, Mr. Cochran.

25 MR. BARRETT: Where we put most of our resources

1 is not in estimates in the future; it's, is GPU applying
2 the ALARA principles in their design of future systems,
3 in the work they do, that they are going about it to
4 minimize those dosages as much as practicable. That's
5 where we focus most of our resources.

6 MR. MORRIS: It sounds like Mr. Cochran is
7 raising a question on not only what are they putting their
8 resources into, but are you even basically calculating the
9 dosages properly or the estimates properly. And then based
10 on what is an agreement on dosage levels, how can they be
11 minimized.

12 And I understand that's the type of thing he
13 wants to get into. And certainly we have interest in that
14 as a Panel. But, you know, I want to hear what -- if he
15 raises some question that your numbers are inaccurate, I
16 guess as an interested Panel member I would like to hear
17 your comment back to that, from whoever it is that is your
18 expert.

19 MR. SNYDER: We will have the right people here
20 to discuss that in as much detail as you choose.

21 MR. MORRIS: But obviously if there is any in-
22 dication here that I don't have interest in that as a
23 Panel member, that's unfair.

24 MR. SNYDER: I would like to call your atten-
25 tion, though, to one interesting piece of past data. While

1 everything from here on is, of course, a forecast, on
2 Page 1.5, that Figure 1.1, there is a comparison of the
3 annual collective dose per reactor in person-rem versus
4 years. And it's quite evident that for the data we have
5 shown for the cleanup periods starting in 1980, for example,
6 '81, '82, '83, that the site has been a good performer in
7 that regard and has accomplished cleanup work while keep-
8 ing the doses lower than the average or the median doses
9 for other operating pressurized water reactors.

10 In other words, they are lower here, under these
11 conditions, so far at least than if that plant had been
12 successfully operated. And I think it's a fairly good
13 measure of the success of the program.

14 DR. COCHRAN: Well, now, let me just question
15 you about that. Suppose your number of forty-six thousand
16 is right? And suppose you are thinking in terms of finish-
17 ing this job in seven years, that's seven thousand man-rem
18 per year or six thousand man-rem per year. That puts you
19 off this chart.

20 So, the implications I would draw from these
21 low numbers down here is you hadn't started yet. The big
22 numbers are real. Now --

23 MR. SNYDER: But you have to recognize, Tom,
24 how the forty-six thousand was calculated. And it's the
25 worst case scenario, the worse conditions, the highest

1 dose, the longest possible time a given job would take.

2 DR. COCHRAN: I understand that.

3 MR. SNYDER: So, it's a high number. There is
4 no question. And we wanted to make sure that we bounded
5 the problem.

6 DR. COCHRAN: That's what you told me last time
7 when you were bounding it between two and twelve.

8 MR. SNYDER: That was three years ago and, of
9 course, we are much smarter today.

10 DR. COCHRAN: Okay. Let's suppose -- all right,
11 let's take something more realistic today, that you say is
12 more realistic, and let's say it turns out that it's
13 twelve thousand over a six year period, which is two thou-
14 sand man-rem's a year, which still makes my same point, that
15 because these numbers today are down here around three
16 hundred man-rem's per year, and they are going to be two
17 thousand, it means you really hadn't started the dirty
18 work yet.

19 And with regard to these other plants, these
20 big error bars say -- to me, they say that you've got
21 problems at the other plants.

22 MR. SNYDER: What they reflect is steam genera-
23 tor replacement.

24 DR. COCHRAN: That's right. And when you
25 start getting a steam generator job and exposing a work

1 force to thirty-five hundred man-rem of exposure in one
2 year at the plant, I think that's -- I think it's excessive,
3 but that's in part because I think the cancer risk is
4 higher than what most people in the NRC would say it is.

5 I would say the risk, that perhaps you are
6 going to see an incidence of three cancers in that work
7 force in that one year's work.

8 MR. KINTNER: Mr. Chairman, I wonder if Dr.
9 Cochran would give us the references on which he bases that
10 estimate?

11 DR. COCHRAN: Well, I will provide those for
12 you the next time.

13 MR. KINTNER: Next time?

14 DR. COCHRAN: Well, I went through this earlier.
15 You start with the BEIR 2 and BEIR 3 and take them col-
16 lectively, and you read the minority report in BEIR 3,
17 which is the report that essentially Ed Bradford wrote,
18 we argued against the use of the linear-quadratic model,
19 argued for the linear model and relative risk model.

20 Now, I say that the re-evaluation of the Nagasaki
21 data and, you know, there are a number of articles floating
22 around on that, but I can't give you by name -- there is
23 also a DOE conference report that addresses that, and
24 there are some letters in science that address that, will
25 argue that you can no longer support the quadratic models.

1 And there is greater support for using the upper-
2 limit numbers in the BEIR committee. Now, that gets you --
3 if you will look on Table 1 in Reg Guide 8.29, these are
4 set out for cancer incidence, that gets you the BEIR 1980
5 number, is a hundred and sixty to four hundred and fifty,
6 cancers per million man-rem. The four fifty would be the
7 relative risk linear model number.

8 MR. KINTNER: Total.

9 DR. COCHRAN: That's right, incidence. And I
10 made the point earlier I think you ought to use incidence
11 rather than mortalities, because I think some people are
12 fairly concerned about getting cancer in the first place.

13 I would argue that you can double that number
14 again on the basis of some more recent work on the inci-
15 dence of cancers that are coming out in the ABCC data.
16 It's basically newer data on Japanese deaths since the
17 BEIR '83 report.

18 Now, when you get up around -- that puts you
19 up around one incidence per thousand man-rem. That hap-
20 pens to be sort of -- in that range, you are not too far
21 from the Mancusso -- you know, his is even higher.

22 MR. KINTNER: Could I just ask one other ques-
23 tion? You've answered my question.

24 DR. COCHRAN: You don't have to use the Mancusso
25 data.

1 MR. KINTNER: One other question. Tom, are
2 these data in any way related to four-rem per year inci-
3 dence?

4 DR. COCHRAN: Excuse me?

5 MR. KINTNER: Are these data related in any way
6 to the four-rem per year incidence?

7 DR. COCHRAN: What is --

8 MR. KINTNER: What I mean by that is if the
9 Nagasaki data, or some data which people are taking a
10 hundred rem or fifty rem at a time -- in other words, do
11 they relate specifically --

12 DR. COCHRAN: Can you take the ABCC data and
13 extrapolate it down, or do you have to? The answer is,
14 yes, you have to. If you are talking about the Hiroshima-
15 Nagasaki data, you have to extrapolate down from much
16 higher dosage.

17 MR. KINTNER: You've answered the question.
18 Thank you.

19 DR. COCHRAN: All right. There is no question
20 that some people believe that the right risk number in
21 these dose ranges may be zero. I don't happen to hold to
22 that.

23 But I will acknowledge that there are other
24 people that buy that. I would argue from a public health
25 standpoint it is prudent to use the upper-limit numbers

1 in terms of protecting public health. If you are going to
2 take a risk, you ought to take a risk on the side of
3 public health.

4 We could go into a long argument about how low
5 you see the cancer incidence, what dosage for thyroid
6 concerns. I think that the only data is up around the
7 dosages of the Nagasaki-Hiroshima data, but on the other
8 hand is this big extrapolation and a lot of uncertainties
9 associated with it.

10 DR. WALD: Certainly in a population with an
11 average age of 42, that six to nine-rem are really -- is
12 not the pertinent reference that pediatrics --

13 DR. COCHRAN: It's pertinent to the question of
14 whether it's reasonable to extrapolate down from high dose
15 to low dose using the same cancer risk coefficient. So,
16 it's certainly pertinent to the argument of whether the
17 risk -- if you see an incidence in children at six rems
18 it's hard to argue you wouldn't see a risk in adults at
19 six rems. And if you see it at six rems, it's not too hard --
20 you know, you are not too far away from extrapolating down
21 to a worker who gets three rems per quarter, or one rem
22 per year or something like that.

23 DR. WALD: On the other hand, the zero to nine
24 or the one to nine rad dose group, the actual ones at
25 Hiroshima and Nagasaki has not shown an increase in cancer.

1 DR. COCHRAN: No, the one to nine rem dose in
2 Nagasaki was taken as the control because they didn't have
3 enough -- that was the base from which you estimated the
4 cancer risk at the higher exposure levels. That's not a
5 statement that the zero risk -- it was zero excess cancer.

6 MR. MORRIS: Can everybody hear this discussion?
7 All right, if you are going to discuss it, try to raise
8 your voices a little bit so we can all hear what is going
9 on.

10 MR. SMITHGALL: I will raise my voice and just
11 say, if we've gone from two thousand to eight thousand
12 person-rem to thirteen to forty-six, I kind of agree with
13 Tom, not getting into the detail, not understanding a lot
14 of what has been said. I would opt for the higher risk as
15 well.

16 Bernie, you said that was three years ago, and
17 we are a lot smarter now. I certainly would not buy that
18 if I was affected by these person-rem, that three years
19 from now you are going to say it's forty-six to ninety-two,
20 and you say you are a lot smarter now.

21 To me, that's too simplistic. And I think maybe
22 what Tom has got to say, that maybe if we work with the
23 upper limits, that's maybe what ALARA is all about.

24 MR. SNYDER: Let me comment first on the --
25 your statement that, you know, it will be worse later.

1 Our point is that we are smarter now. When the estimates
2 were made in '81 there had been essentially no entries
3 into the containment building. Nobody knew what the con-
4 dition of the core was, and no one knew how bad the base-
5 ment was. Okay. So, we made an incremental increase, a
6 significant increase in knowledge by having over three
7 hundred entries in the containment building, an extensive
8 decon experiment, extensive surveys made. I mean, this
9 is really hard data versus guesses before.

10 So we knew nothing versus we know a lot more
11 now. So, whether you think that's a simplistic approach
12 or not, the fact is that those are the facts, the situation,
13 and our estimates now are based on knowledge as opposed to
14 projections, actual hard physical data.

15 DR. COCHRAN: Do you believe thirteen -- is it
16 your gut feeling that thirteen is closer to what it's
17 going to be than forty-six?

18 MR. SNYDER: Tom, I really -- I don't think
19 anybody can answer that question. I -- the estimates
20 were made on a worse case-best case kind of scenario. The
21 best case, in our estimates, would -- and we could be
22 wrong; we could be too high -- be about thirteen thousand
23 person-rem.

24 I would think unless there are just great sur-
25 prises or tremendous delays in the cleanup to exceed the

1 forty-six thousand, the probability of exceeding the forty-
2 six thousand is extremely low.

3 " MR. SMITHGALL: When has anything been the best
4 case since March of 1979 that you can remember?

5 MR. SNYDER: Well, I would say the water pro-
6 cessing was a very successful program. And the shipping
7 of the waste off-site was much lower estimates in terms
8 of man-rem's now than were made by either us or the Company
9 before it started. So, it's not always as black as some
10 people would like to paint it. It's not as good as some
11 people would like it, too.

12 In fact, it's not as good as --

13 MR. SMITHGALL: I guess my concern is not under-
14 standing the technical aspects, being a lay person here,
15 I guess I would have to opt for the worse case or on the
16 higher end of the worse case, not assuming that you would
17 treat the best case.

18 MR. SNYDER: What do you do differently if you
19 assume one versus the other? I don't know.

20 MR. SMITHGALL: I certainly don't.

21 MR. SNYDER: Well, I don't either. But my
22 point is, on an individual worker basis the regulations are
23 very strict in this area. And the Company has chosen for
24 most of their work to reduce our limits by a factor of
25 three and apply those as their limits to make darn sure

1 they never exceed our limits. Okay.

2 And, in addition, there are extensive reviews
3 done to make sure that the radiation work areas and the
4 work to be done in those areas are the best that you can
5 do under the conditions.

6 DR. COCHRAN: I don't dispute that.

7 MR. SNYDER: I'm trying to put it in ALARA
8 terms. That's the ALARA principle, and that's the worker
9 individual exposure limits that apply.

10 DR. COCHRAN: I don't dispute that. I certainly
11 have no basis to do that.

12 The questions I have is whether the program is
13 designed to decontaminate beyond what one might do if one
14 had -- if one's highest priority was, say, getting the
15 big pieces out of the reactor, the majority of the fuel
16 out of the reactor and minimizing the worker exposure,
17 would you do less chipping of the concrete and cleaning up
18 down in the bottom of the reactor and so forth?

19 Or, does it mean because you really think you
20 are going to have to do that anyway, and you would rather
21 do it sooner rather than later. It isn't going to make
22 any difference.

23 MR. SNYDER: Well, time is not an element,
24 because of the materials you are talking about. It's only
25 an element in terms of what might escape with degradation

1 of the plant over very long periods of time and, therefore,
2 become a potential public risk.

3 Lake wanted to make some comments.

4 MR. BARRETT: In Table 3.1, the summary table
5 on 3.2, we intentionally split out the reactor building,
6 equipment cleanup, that first row, and separated that out
7 from the reactor disassembly and defueling and the dose
8 reduction which is necessary to support the reactor dis-
9 assembly and defueling.

10 So, if one would say: Let's get the fuel and
11 lock the door, okay, you can separate out the numbers
12 here if you want to do that. Okay. It was intentionally
13 done. That's why we split them up so people could analyze
14 them that way.

15 Now, the GPU course, you know, the current
16 cleanup plan is basically to get that fuel first and do the
17 dose reduction efforts necessary to support defueling. If
18 it turns out, we go down the path X years and the fuel is
19 gone, we can revisit the question and say: Is it best to
20 leave that basement and drain the water out and maybe leave
21 the basement or not? That can be revisited at that time.

22 But what we have done in the PEIS, as we did
23 back in '81, was we looked at the cleanup job, what is the
24 total cleanup job? If time goes on later when you want to
25 cut it off at some point, you can do that. And when the

1 cleanup is done and GPU wants to go ahead and evaluate
2 things on restoring, they can go do that, too, at that
3 time.

4 But this is basically -- we looked at the clean-
5 up.

6 DR. COCHRAN: If I understand you, you are say-
7 ing, take Item 4 first, this is on Table 3.1, called
8 Dose Reduction, the GPU plan is to do that item first --

9 MR. BARRETT: It goes along with -- in parallel
10 under dose reduction with the reactor disassembly and de-
11 fueling.

12 DR. COCHRAN: Now, that item second --

13 MR. BARRETT: They will go together. We will
14 have a breakdown at the next meeting for you. We will
15 send it to you, and you can see that a little better.

16 But the dose reduction is the support for
17 defueling. Dose reduction was not a concept that was
18 there in our 1981 PEIS at that time, because there it
19 was clean the building, then go get the fuel. That's the
20 Alternative One we have there.

21 MR. MORRIS: At the next meeting, would you
22 also have -- since Tom has raised the question on this
23 BEIR report and talking about a minority report as one
24 of the basis for his questioning the projections, will
25 somebody be able to speak to us on whether that is something

1 you agree with, his interpretation, or not?

2 I think we need to hear that. Again, not being
3 technical people, I think we need to know where you are
4 coming from and where Tom Cochran is coming from so that
5 we, as a group, can at least get a feeling for what -- how
6 accurate we feel these projections are.

7 MR. SNYDER: We will certainly do that. And
8 Frank Congel will be particularly appropriate to address
9 that question.

10 MR. MORRIS: Could you also -- when you talk
11 about a minority report, could we get a feeling for who
12 all was involved in the majority report and what's the
13 minority report? Is it a three to two thing, or just give
14 us a feeling for what that means. I don't -- I don't
15 know, and I would like to get a feeling.

16 MR. SNYDER: Certainly.

17 MR. MORRIS: Are there any other questions from
18 Panel members on this? Obviously we are going to have a
19 chance to do this at the next meeting. But if you have
20 things you want to raise now to give NRC a flavor for it,
21 please take the time. Niel?

22 DR. WALD: Will Frank Congel be able to speak
23 to the current degree of completion of the review of the
24 Hiroshima-Nagasaki dosimetry?

25 MR. BARRETT: I don't know. I'm going to tell

1 him that's the subject, though.

2 DR. WALD: Yeah, because as far as I know,
3 people are still in the process of reviewing, revisions --

4 MR. SNYDER: I believe that Dr. Congel is
5 reasonably up-to-date. He should be, because that's what
6 he gets paid to do. And he is, I believe, well recognized
7 in the field as well.

8 So we will make sure we have the right people
9 here to be able to address that kind of question.

10 MR. MORRIS: Tell him to bring his saber along.
11 It may be a little bit of fencing.

12 DR. COCHRAN: I'm just asking to call Morgan and
13 Ed Bradford to get their views as to what has happened
14 since BEIR 3 and present that side as well as the official
15 NRC decision. And you will get a flavor for sort of the
16 spectrum, and I would say Ed Bradford and Morgan and people
17 of that view are in a minority.

18 But, you know, I've been in a minority a lot of
19 times. Don't mind it a bit.

20 MR. MORRIS: I think you enjoy it.

21 DR. COCHRAN: It's sometimes right.

22 MR. MORRIS: But I think we are looking for --
23 I am looking for a balanced understanding of what has been
24 and is being discussed here, and then we can decide which
25 end we, as a Panel, feel we want to accept. I think I would

1 be looking at some kind of balance approach to that that
2 would reflect reasonably all points.

3 DR. COCHRAN: Let me say that I agree with the
4 Mayor. I did not object at all in NRC presenting the view
5 that they've presented in this document as to the health
6 effects, because that's a view shared by some or many
7 scientists who are considered experts in this field. But,
8 the problem I've always had is there are other experts in
9 this field who take a very different view, and there is
10 an unwillingness on the part of the NRC and it's not the
11 TMI project's fault, it occurs in all of these PEISS,
12 an unwillingness to lay out sort of the full spectrum of
13 views in the health physics community on these cancer
14 risk coefficients.

15 Instead, they just present the one that is
16 shared by the people in the NRC, at the NRC.

17 MR. MORRIS: Another voice?

18 DR. ROBINSON: Not really. My interests, be-
19 cause of my background, are more in how the NRC intends to --
20 what mechanisms they use, and actually the procedure that
21 you go through, to see that the ALARA principle is pro-
22 moted at all times and followed at all times.

23 I would like to -- because I feel that's where
24 something can be done in a more practical manner. I can't
25 see the -- whether you use the upper or the lower range

1 doesn't really make any difference to what's happening
2 at TMI. I agree with Tom Cochran, which I many times
3 don't, that perhaps when the fuel is gotten out that
4 perhaps then the decision where to go should be made and
5 that's based on radiation estimates at that time.

6 But, right now it's -- you've got to get the
7 fuel out as far as I'm concerned. You can't leave it
8 there. And you do have to accept whatever minimum amount
9 that you are going to get, you have to accept that.

10 And so the object, as far as I can see, is to
11 keep that amount to a minimum, and that's the best way to
12 protect the worker and also get the job done. And I would
13 be interested, personally, in hearing how that is done to
14 give us a balanced view of what's going on.

15 MR. BARRETT: All right. That's a large program
16 within GPU, and it's probably the largest single part of
17 my office where we constantly watch that. It's done many,
18 many ways.

19 GPU has followed various regulatory guides,
20 commitments in ALARA programs, separation of health
21 physics control point. Management people, for example,
22 health physics does not come under operations. They apply
23 ALARA principles in the earliest design phases as to which
24 ways we get the fuel, right down to -- that's what I
25 might call microscopical ALARA, and if a man wants to go

1 in with a wrench and turn a valve in a high dose field,
2 he has to get a radiological in here to sign off on it,
3 and that sort of thing. And there are written procedures
4 on this.

5 It's a very large program. There are mock-ups
6 built, people are practiced, training, respiratory pro-
7 tection. It's a tremendous program, the biggest program
8 in GPU because they are the ones that do it.

9 DR. ROBINSON: Are you suggesting that perhaps
10 it shouldn't be done next time but at a separate meeting?

11 MR. BARRETT: You can easily fill up an even-
12 ing with that. Maybe what you might want to have is
13 maybe for GPU to give you, let's say, maybe a twenty minute
14 or half an hour presentation as to what is their ALARA
15 program and how do they assure that the doses that are
16 received are the minimum doses. And then maybe we could
17 explain to you, in a shorter time frame, what our program
18 is that we check that they are doing their right job.

19 You may wish to have that.

20 MR. SNYDER: Recognizing that the ultimate
21 responsibility is clearly the Company's. And we do an
22 audit over-sight kind of function.

23 But I think it might be interesting for you to
24 hear that from GPU, and also some measure of it is, how
25 much money is spent on this sort of thing. I know it's

1 significant. I don't know the numbers myself. That's one
2 measure. And, you know, what has been their track record
3 so far. That's a measure of success as well.

4 DR. COCHRAN: How long does the dose reduction
5 and reactor disassembly and defueling take? Over what
6 period of time?

7 MR. SNYDER: It's about three years, I guess.

8 MR. BARRETT: That again gets back to the
9 earlier discussion on funding. Let me take the 1982 base
10 estimate that GPU had, which is now spreading out. But
11 the defueling then was scheduled to start in mid-'84 and
12 basically it would run twelve to eighteen months, twelve
13 months if they had more funds. They could do it in
14 twelve, they could run two shifts. If they had less funds,
15 it would be a single shift and would be eighteen months.

16 That's not shipping. That's the defueling.
17 Once you have it in a canister in the pool, then you would
18 ship it. The actual shipping is not a high man-rem
19 operation. The higher man-rem work is the defueling with
20 the hands-on, people working inside that reactor building.

21 DR. COCHRAN: The two thousand six hundred to
22 fifteen thousand number, that will occur --

23 MR. BARRETT: That --

24 DR. COCHRAN: -- without funding constraints
25 over an eighteen month period?

1 MR. BAPRETT: That is the defueling part of
2 that, would be the twelve to eighteen months. The reactor
3 disassembly is like now, for example, the efforts to remove
4 the reactor head, that is considered by GPU accounting to
5 be part of the first phases of reactor disassembly.

6 The main milestones are: remove the head,
7 flood the canal and install special defueling equipment,
8 remove the plenum and then the actual operation of remov-
9 ing the fuel and canisterizing the fuel. That's what
10 would be called defueling.

11 So, it would include defueling plus the prepara-
12 tions for defueling. The polar crane actually I think was
13 considered first steps to reactor disassembly because you
14 needed to have the polar crane fixed to remove the missile
15 shields to allow you to move the head.

16 DR. COCHRAN: If that were the case, then why
17 wouldn't the seventeen hundred figure you have for dose
18 received to date in cleanup be --

19 MR. SNYDER: Some of it is. Some of it could be
20 counted that way.

21 MR. BARRETT: A small part is. The polar
22 crane is the only they've really done, I think, under that
23 category and it has been less than a hundred man-rem on
24 the polar crane.

25 MR. MORRIS: Any more discussion on this?

1 MR. BARRETT: Would you like to hear the ALARA
2 discussions next meeting?

3 MR. MORRIS: I'm expecting the next item on
4 the agenda would be to talk about what we are doing, and
5 depending upon the EPA monitoring and this discussion on
6 the PEIS, I would be interested, if you want to hang in
7 there for a minute, to let us know what you think, if
8 we would sufficient time to get into this thing after
9 that.

10 MR. SNYDER: We can allow the time. It logi-
11 cally fits I think. That's the reason I made the sug-
12 gestion.

13 DR. COCHRAN: One thing I didn't think about.
14 When does the comment period expire?

15 MR. SNYDER: February 29th.

16 DR. COCHRAN: Okay.

17 MR. MORRIS: Okay. As to the next meeting, is
18 there anybody here that wants to comment in a negative
19 fashion on us going to a 6:30 start and conclude at 9
20 o'clock? Hearing none, that's when we will start the next
21 meeting then, which is scheduled for February 9th at a
22 location to be determined.

23 And at this particular time on the agenda,
24 this would be the presentation by EPA regarding their
25 monitoring and possibility of their removing it from the

1 area. And the other major item would be a discussion re-
2 garding the radiation dosage, as discussed in the PEIS.
3 And that should be quite a discussion.

4 Now, regarding your request, Gordon, do you
5 feel we are going to have enough time? If so, should we
6 allot a half hour?

7 DR. ROBINSON: Let's see, we are now talking
8 two and a half hours?

9 MR. SNYDER: I don't think it would take a
10 half an hour.

11 DR. ROBINSON: Could we leave it on a tentative
12 basis, that if we have enough time? I have a strong
13 feeling that the discussion and interplay on the more
14 technical aspects of the cancer incidence is going to
15 consume a fair amount of time.

16 DR. COCHRAN: I think that's the least impor-
17 tant discussion to have. I mean, if you agreed with me
18 earlier that the problem is to have to reduce the dosages,
19 we ought to work on the man-rem side of things. I mean,
20 this other issue is just a ten-year running battle I
21 would have with the NRC.

22 And since a lot of people are not going to fol-
23 low it, and it's not the kind of discussion you can fight
24 out in an open forum with any sort of meaning --

25 MR. MORRIS: But, truly, if you are going to

1 bring them up, Tom, as an objection to it, I think we
2 should -- in order to get balance and understanding it so
3 that we are not accused of not considering it important,
4 that I personally want to hear -- if you are going to raise
5 it, I want to hear what the NRC will respond to in regards
6 to that.

7 MR. SMITHGALL: We will do it like the olympics,
8 only give you three rounds.

9 MR. MORRIS: I do feel like it's necessary,
10 but I do agree with you wholeheartedly that when everything
11 is said and done on that, the object, until the core is
12 removed, is to see how that can be done with the least
13 amount of exposure to workers.

14 And we need to discuss that as well. So, maybe
15 we will try to squeeze it all in and plan on doing that.

16 MR. BARRETT: What may be helpful to you is
17 sort of a description of what is in that reactor building,
18 show you some photographs of shielding and things like that,
19 and what the task is, to try to sandwich that down into
20 maybe a fifteen minute or so walk through quickly to under-
21 stand that.

22 And I think GPU would be best geared to do that
23 for you, to see what is in there, what the task really is,
24 because it is a monumental task.

25 MR. MORRIS: Okay. Is there anything else that

1 we want to bring up for the good of the Panel tonight?

2 MR. MASNIK: I would request that the Minutes
3 of the pre-meeting dinner be passed on to me so that I
4 may distribute them.

5 MR. MORRIS: They should be in the Minutes of
6 this meeting, because I went through my notes at the begin-
7 ning of this as to what all we discussed. So, maybe -- I
8 don't know if you were doing something else or not, but
9 you might want to review the transcript, because I think
10 that should be pretty complete on all the items we dis-
11 cussed.

12 If there was something that was missed, please
13 bring it up now so we can get it on the record.

14 DR. WALD: I guess we did discuss a concern by
15 some of the members of the Panel about the fact that a
16 substantive action was taken at a meeting to which some of
17 us did not receive notification of the meeting directly,
18 nor did we know in advance what was to be discussed, nor
19 was the full compliment of the membership present, and
20 there was some concern expressed about the rapid action
21 on the part of the Panel, which ordinarily -- which has
22 not over the years taken specific action very often. In
23 fact, I think we can remember three times altogether.

24 And I think I would express my feeling that it
25 is unwise for us to take substantive, important action

1 without the members having an opportunity to know that an
2 issue is coming up and, at least, to be present if they
3 can, or express their opinions one way or another in order
4 to have further discussions before such actions are taken.

5 I don't think we want to diminish what credibi-
6 lity this Panel has in taking seriously the mission of
7 furthering the solution of the problems of the decontamina-
8 tion of TMI-2 and serving as an advisory panel on the sub-
9 ject to the NRC.

10 And I think the concern was discussed and some
11 resolution brought forward in our further operations be-
12 cause of this issue. So, I think that deserves at least
13 some comment in the Minutes.

14 I should add that I'm one of the members who
15 was not aware directly of the meeting or of the subject
16 and would have discussed in a negative way, and voted in
17 the negative, on the action that was taken.

18 MR. MORRIS: Well, I'm glad you raised the
19 question, because we did discuss that item. And I men-
20 tioned at the last meeting, for those that were present,
21 that there was not a notice that went out. I think I was
22 the one that raised that point. And I had picked it up
23 through the weekly reports that go out that mentioned,
24 Niel, that a meeting was coming up.

25 And I assumed that if people followed those

1 that they would have picked it up. But I understand why
2 you may have missed it.

3 DR. WALD: If I don't get the travel voucher
4 blank to pay for that airplane trip, I don't consider that
5 a meeting is taking place.

6 MR. MORRIS: Okay. Well, we had quite a dis-
7 cussion on what the Panel can and can't do regarding
8 action at a meeting. I think it was agreed that Niel
9 would attempt to develop some guidelines around how we
10 might structure agenda and the likes so that all members
11 know what's coming up at the next meeting.

12 But we also made the point that Panel members
13 have a responsibility if they are not going to be make it
14 to a meeting to call the Chairman or the person schedul-
15 ing the agenda, tell them they will not be there and ask
16 them what may be coming up at the meeting. And, quite
17 frankly, in the past that has not happened very often.

18 I hope we do not proceed in that fashion while
19 I am the Chairman, because I think it's unfair to have a
20 Panel member to presume anything different. I think they
21 should contact the Chairman if they can't make it and
22 find out what's on the agenda.

23 So, I think maybe there is a difference of
24 opinion. But hopefully in the future we can work closer
25 to understand fully what's on the agenda and try to avoid

1 any surprises, because I don't think we want that.

2 And it's better if we get everybody attending
3 and discussing issues, knowing ahead of time what those
4 issues will be. And we are going to work towards that.
5 So, Niel, we are certainly going to hope you have some-
6 thing for us maybe by the next meeting that we can review
7 and discuss.

8 DR. WALD: Barring my teaching conflicts, which
9 I pointed out, I'm going to work on it.

10 MR. MORRIS: But that would come after the next
11 meeting.

12 DR. WALD: I think so. I'm not quite certain,
13 but I think so.

14 MR. MORRIS: Is there anything else that we
15 missed? And I really do want to make sure we have a full
16 accounting of that.

17 I went through, Mike, for your information the
18 topics that we will be discussing with the NRC on the
19 3rd of February. I outlined what we expected those to be.

20 I mentioned the change in the date, the sched-
21 uling every month on the second Thursday of the month,
22 changing of the time. I mentioned that we discussed the
23 direction of the Panel, and that we thought maybe sub-
24 committees were not necessary but that we wanted to be
25 more aggressive.

1 And I think that unless there is something that
2 somebody else wants to add, that pretty well summarizes
3 what happened.

4 DR. ROBINSON: I just want to go on record
5 that if I had been here at the last meeting, I would have
6 voted negative towards that resolution that was passed.
7 That was also discussed quite adequately earlier.

8 DR. COCHRAN: I would have cancelled one of
9 the two. (Laughter.)

10 MR. MORRIS: Mr. Cochran would have cancelled it,
11 so it would have been a -- it was five-one-one, apparently
12 it would have been at least a five -- a six-three-one is
13 what I'm hearing unless discussion would have happened,
14 which Niel made the point that if we would have been able
15 to use our persuasive powers maybe the vote --

16 DR. WALD: Two professors, you know. We can
17 talk a lot.

18 MR. MORRIS: So, we understand what you are
19 saying. Again, we can discuss this for hours, because I
20 don't know if we have agreement that a topic can't
21 suddenly come up that we might want to discuss. But that's
22 been already discussed in the past.

23 Is there anything different that anybody wants
24 to bring up? Public comment on anything that took place
25 tonight? I do see somebody from the public there. Was

1 there something you would like to address to us this even-
2 ing?

3 AUDIENCE: Yes. I'm concerned that in addi-
4 tion to the information that the Panel would be receiv-
5 ing on the agenda and preparing for the agenda, that the
6 public receive information. I'm concerned about the
7 monitoring question coming up and the possible removal of
8 the monitoring. Being part of the public that worked over
9 the years to get adequate monitoring in place, certain
10 monitoring programs and proposals, I think this is a
11 major concern to the public.

12 And I know that many people don't come to these
13 meetings. They find them highly technical, and I don't
14 think the place nor the time is the problem. I think the
15 format and the highly technical nature, and that they
16 don't have any interchange is really the problem, why we
17 don't have any more people here.

18 But I would hope there would be a lot of advance
19 notice to the general public that this will be a topic at
20 the next meeting and some information as to what will be
21 discussed so that people will come. Because it is of
22 great importance and a great concern to many of the public.

23 I also understand that the time is 6:30. And
24 that is a problem to most people who work or prepare meals.
25 Seven o'clock is even a problem with me. I prepare meals,

1 plus I work, so I rarely get here at 7. I usually get
2 here between 7:30 and 8. And 6:30 is a serious problem.

3 MR. MORRIS: What am I going to do about that
4 now?

5 Let's answer the first one first. What can we
6 do about getting more publicity on this meeting, since it
7 does involve two pretty major issues, one of which ob-
8 viously is the monitoring. One of the reasons it was sug-
9 gested we change was in deference to what you are saying,
10 is that a different location may help with attendance. But
11 obviously the major item would be to get good publicity on
12 it.

13 Mike, is there anything you can offer on that?

14 MR. MASNIK: Whenever we have a meeting, there
15 is a press release that is released, and it is published
16 in the Federal Register, and Lake notices it in his --
17 (Laughter.) Surprisingly, I have gotten phone calls from
18 people that have read it in the Federal Register.

19 MR. MORRIS: But the press release goes out,
20 Mike, when?

21 MR. MASNIK: It has to be -- I time that at the
22 same time that it goes into the Federal Register, which is
23 approximately two weeks in advance, two weeks or greater.

24 MR. MORRIS: Who does it go to? Who does it
25 go to, the press release, Mike?

1 MR. SNYDER: We have somewhere here from our
2 Public Affairs.

3 MR. MORRIS: I'm trying to find out. There is
4 a Harrisburg Patriot.

5 MR. NORRIS: We have a distribution list.

6 MR. MORRIS: Why don't you come up here?

7 MR. NORRIS: I'm Bryan Norris. I'm a Public
8 Affairs Officer with the NRC in King of Prussia, Pennsylvania.

9 And, like Mike said, we put out a news release
10 between two weeks and ten days before all meetings. And
11 we have a distribution list in the Harrisburg area. I
12 think it goes to something like fifty or so to the media,
13 television, radio stations, daily newspapers.

14 MR. MORRIS: That's fifty or so in the Harrisburg
15 area?

16 AUDIENCE: Maybe I wasn't clear on what I was
17 saying. It's not the problem that the press release does
18 not go out. The problem is there is not a full discussion
19 of what's going to be presented.

20 If you are talking about EPA taking away the
21 monitoring, there should be some discussion that the public
22 understands the ramifications of what the material is that
23 is being presented, so what our input can be --

24 MR. SMITHGALL: One of our discussions tonight
25 at the pre-meeting here was to do exactly that, to be able

1 to get more information as to what our agenda will be.
2 That's some of the complaints of the Panel members, as well
3 as I hear from you.

4 AUDIENCE: I think that the press announcement
5 or the press advising does go out. It's well done, but
6 it just is absolute facts. There is nothing that goes to
7 the public that gives any indication as to what will the
8 approach be, how the public will be involved, and what
9 some of the discussions or decisions may be.

10 MR. MORRIS: On this particular meeting, is it
11 possible to have you put in something in detail in the
12 release you send out on these particular topics?

13 I would think we should be able to work with
14 your press on that to make sure it happens for this meet-
15 ing, because it's very important it happens.

16 MR. MASNIK: The level of detail I get from
17 Joel on the agenda will be reflected in the press release,
18 so the more information I'm given as to what's going on,
19 that's transmitted.

20 MR. MORRIS: The problem we have here is that
21 if we want to meet every quarter, which we can do that,
22 we could have a real good agenda for that quarterly meet-
23 ing. We don't have -- Joel is involved with helping put
24 together an agenda. He has other job responsibilities,
25 trying to get hold of people -- we have to know if people

1 are going to be able to speak to an issue before we can
2 put it on the agenda. We have problems in timing if we
3 meet every month. And that may be something we will have
4 to discuss at the next meeting.

5 I would like to see us meet often, but if it
6 means we can't get an agenda together because that's too
7 frequent, then we are going to have to give up a chance
8 for a regular public comment so that we can have a good
9 agenda published so the people will know what we are talk-
10 ing about. We are going to have to get a balance for
11 that.

12 MR. GERUSKY: Mr. Chairman, I will commit to
13 having an agenda done and down to NRC next week.

14 MR. MORRIS: Thank you.

15 MR. GERUSKY: And I think this meeting -- the
16 purpose for this meeting is to get the public's input
17 into the decision-making process, that EPA is going -- it's
18 not only our input, but I want to make sure that the public
19 has adequate input into that decision.

20 MR. MORRIS: And I think the reason you brought
21 it up at the last meeting, to make sure the public had a
22 full knowledge. We knew what the monitoring impact may
23 have on this.

24 Yes, could you come up, please, and give your
25 name?

1 MS. MITCHELL: My name is Susan Mitchell. And
2 I just wanted to add a comment, that I think in addition
3 to the press release which only goes to the news room and
4 may never be announced, public service announcements at a
5 few radio stations in the Harrisburg area, I think, would
6 be very effective in communicating this meeting, because
7 not everybody reads the paper. And the news on the
8 radio and television may not pick up on it.

9 I also would like to state my preference for
10 a 7 p.m. meeting time rather than 6:30, and my hopes that
11 you continue to meet frequently and reserve time for
12 public comment.

13 My thanks to Thomas Cochran for the work he
14 has brought here and the information he has shared with us
15 tonight.

16 MR. MORRIS: Thank you.

17 DR. COCHRAN: Well, let's make it 7 o'clock.

18 MR. MORRIS: It looks like we have two people
19 that don't want to meet at 6:30.

20 MR. SMITHGALL: Three, Tom Cochran.

21 DR. COCHRAN: I don't care.

22 MR. MORRIS: What is it, do you want to go back
23 to 7.

24 DR. COCHRAN: I will vote any way you don't
25 vote. (Laughter.)

1 MR. MORRIS: Well, I'm for 7 o'clock, Tom.

2 DR. COCHRAN: It's 7. I don't care.

3 MS. MARSHALL: I would just like to add, it
4 seems significant that the person who raised this question
5 on the Advisory Panel about the desirability of not meeting
6 at 6:30 but leaving it at 7 happened to be a woman, because
7 we know how hectic it can be between getting home from
8 work and getting a meal on the table.

9 MR. MORRIS: I appreciate that. The problem is
10 that come 9 o'clock I see people leaving, and we have
11 another hour to go. And I was trying to get an earlier
12 ending and a little earlier beginning. But we will start --
13 we will continue from 7 to 10.

14 And when your friends start leaving at 9,
15 please tell them that it could have been over by then.

16 But, in any event, we are back from 7 to 10.
17 I don't know what to do about the public service announce-
18 ments. I can't do that. I don't think Joel can. We
19 spend a lot of time on the subject matter so we can meet
20 on a regular basis. If the NRC can get public service
21 announcements for us, fine.

22 MR. GERUSKY: We will try also.

23 MR. MORRIS: Fine. On this particular issue,
24 you will attempt to do that. Can you do that, at your
25 office at the TMI, can you not encourage public service

1 announcements? Can't you do that?

2 It seems to me they could do that very easily.

3 AUDIENCE: I think we would be hesitant to do
4 that.

5 MR. MORRIS: Well, Tom, if you could --

6 MR. GERUSKY: I think we could.

7 MR. MORRIS: -- it would be appreciated.

8 Any other matter that anybody wants to bring up at this
9 meeting?

10 If not, we stand adjourned. Thank you.

11 (Whereupon, at 9:56 p.m. the meeting was
12 adjourned, this same day.)

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF PROCEEDINGS

This is to certify that the attached proceedings before
the Advisory Panel for the Decontamination of Three Mile
Island, Unit Number 2

In the matter of: The meeting of the Panel
for the month of January

Date of Proceeding: January 12, 1984

Place of Proceeding: Holiday Inn, 23 South
Second Street, Harrisburg,
Pennsylvania

was held as herein appears, and that this is the original
transcript for the file of the Commission.

MYRTLE H. TRAYLOR
Official Reporter - Typed

Myrtle H. Traylor
Official Reporter - Signed



GPU Nuclear Corporation
Post Office Box 480
Route 441 South
Middletown, Pennsylvania 17057
717 944-7621
TELEX 84-2386
Writer's Direct Dial Number:
717-948-8400
4000-83-740

December 15, 1983

Mr. Arthur E. Morris, Chairman
The Advisory Panel for the
Decontamination of TMI Unit 2
Post Office Box 1559
120 North Duke Street
Lancaster, Pennsylvania 17603

Dear Mr. Morris:

During a meeting of the Advisory Panel on December 8, 1983, I was asked two questions to which I could not respond. This letter is to provide you with responses to the two questions:

Question #1 - What is the breakdown of the sources of funding for the \$60.0MM budgeted by GPUN for 1984?

Response - The following list provides the various sources for for 1984:

Customer Revenues and GPU	\$ 37.0MM
Commonwealth of Pennsylvania	\$ 5.0MM
State of New Jersey	\$ 2.0MM
Insurance Proceeds	\$ 14.0MM
Anticipated Rebates from B&W	\$ 2.0MM
TOTAL	\$ 60.0MM

As I indicated at the meeting, in addition to the above \$60.0MM funding, we anticipate that DOE and EPRI will contribute approximately \$15.0MM. Therefore, the total budget for the project is estimated to be \$75.0MM.

December 15, 1983

Question #2 - Will the customer bills increase or decrease with the restart of Unit 1?


Response - TMI Unit 1 will be put in the rate base when the unit is operated at 35% full power for at least 100 consecutive hours. Depending upon the load factor of the unit, it is anticipated that there will be a rate reduction to GPU customers of about \$80.0MM of which about \$65.0MM will be to Pennsylvania customers.

When TMI Unit 1 returns to the rate base, Metropolitan Edison Company and Pennsylvania Electric Company will collect about \$15.0MM per year additional money for the cleanup of Unit 2.

The major economic benefit of TMI Unit 1 restart occurs over the long term period. It is estimated that the life time operation of TMI Unit 1 will save the GPU customers more than a billion dollars over alternate sources of energy.

I believe the above information provides satisfactory responses to the two questions which were asked during the meeting of December 8, 1983.

Yours truly,


B. K. Kanga
Director, TMI-2

BKK:ms

cc: Advisory Panel Members
B. J. Snyder, NRC
L. H. Barrett, NRC

**GPU Nuclear Corporation
Communications Division**

Post Office Box 480
Middletown, PA 17057
717 948-8107



January 1984

BIOGRAPHY OF EDWIN E. KINTNER

Edwin E. Kintner was named executive vice president of GPU Nuclear Corporation in November 1983. He had served as vice president, administration, for GPU Nuclear since June 1983. Before joining GPU Nuclear, he was assistant to the vice president for advanced technologies, TITAN Systems, Inc., La Jolla, California.

Kintner was director of the U.S. Magnetic Fusion Program under the U.S. Department of Energy and the former U.S. Energy Research and Development Administration from 1977-82. He was deputy director of the program from 1976-77. During his tenure, the program gained worldwide recognition in fusion technology.

Kintner worked from 1966-76 for the former Atomic Energy Commission, serving as chief of fuel procurement, assistant director for reactor engineering and deputy director of reactor development.

Kintner served as project officer on the USS Nautilus, the first nuclear-powered ship, and held positions of increasing responsibility during a 21-year naval career and the development of the U.S. nuclear navy. He retired in 1963 from the Navy with the rank of captain and went on to serve as president and general manager of a Maine engineering and manufacturing company.

Kintner received a bachelor of science degree in 1942 from the U.S. Naval Academy and a master's degree in naval architecture and marine engineering in 1946 from Massachusetts Institute of Technology (MIT) and a master's degree in nuclear physics and engineering in 1950, also from MIT.

Kintner has received the Navy Commendation Medal and the MIT Distinguished Alumnus award. He has served with various international organizations for the development of fusion power.

Kintner is married and has four children. He resides at Montville, New Jersey.

###

**GPU Nuclear Corporation
Communications Division**

Post Office Box 480
Middletown, PA 17057
717 948-8197



January 1984

BIOGRAPHY OF PHILIP R. CLARK SR.

Philip R. Clark Sr. was named president of GPU Nuclear Corporation in November 1983. GPU Nuclear operates the nuclear power stations at Three Mile Island and Oyster Creek, New Jersey.

He had served as GPU Nuclear executive vice president since January 1982 and as vice president for nuclear activities for the former GPU Nuclear Group from late 1979 to January 1982. GPU Nuclear Group was a corporate predecessor of GPU Nuclear Corporation.

Before retiring as a U.S. government employee in August 1979, Clark worked as associate director, reactors, Naval Reactor Division, U.S. Department of Energy, and as chief, Reactor Engineering Division, Nuclear Power Directorate, Naval Sea Systems Command, Department of the Navy. In these positions, Clark directed a major element of the U.S. Naval Nuclear Propulsion Program.

Clark received a bachelor's degree in civil engineering in 1951 from Polytechnic Institute of Brooklyn, where he did graduate study in 1951-53. He attended Oak Ridge School of Reactor Technology in 1953-54.

Clark received a Navy Distinguished Civilian Service Award in 1972 and the U.S. Energy Research and Development Administration Special Achievement Award in 1976.

Clark is married and has seven children. He resides at Mountain Lakes, New Jersey.

###

FOR IMMEDIATE RELEASE

GOVERNOR'S PRESS OFFICE
COMMONWEALTH OF PENNSYLVANIA
CONTACT: Roland Page
Deputy Press Secretary
(717) 783-1116

HARRISBUPG (Jan. 12) -- Gov. Dick Thornburgh sent the following telegram to be delivered today in conjunction with a meeting of the Board of Directors of Edison Electric Institute (EEI) scheduled for Jan. 12 and 13 in Paradise Valley, Arizona (EEI is the trade association representing the the nation's investor-owned electric utility companies):

Mr. Charles J. Dougherty, Chairman
Edison Electric Institute
Red Lion La Posada Hotel
4949 East Lincoln Drive
Paradise Valley, Arizona 85253

Dear Mr. Dougherty:

More than two years ago, your board of directors joined me in recognizing that the radiation cleanup at Three Mile Island was a national problem and a national opportunity, that the safety of virtually all Americans was being enhanced by the lessons learned and yet to be learned there, and that the electric utility industry nationwide had a clear and obvious stake in demonstrating that it could responsibly react to the worst commercial nuclear accident in history. For these reasons, the EEI board committed to full industry participation in the national cost-sharing plan I had proposed for funding the TMI cleanup.

In view of the recent Internal Revenue Service finding that utility company contributions to the cleanup are tax deductible, in view of the industry's status as the only major partner in the cost-sharing plan who has yet to deliver even a portion of its share, in view of your own observation that some of EEI's members had been awaiting the now accomplished IRS finding on tax treatment before acting on this commitment, in view of the news that even EEI's Japanese counterparts now have decided to invest \$18 million in the cleanup in consideration of the lessons to be learned from it, and in view of the recent NRC warning that cleanup delays will substantially increase the radiation threat to the health of clean-

ge 2...Telegram to Edison Electric Institute

up workers, I submit that the time clearly has come for EEI and the industry to make good on the commitment made to this effort in 1981.

I urge you to impress on your assembled members the importance of responsible, positive, tangible and timely action on EEI's longstanding cleanup funding commitment.

It is in their interest, the nation's interest, and the interest of those who live with the legacy of radiation that continues to haunt TMI.

Sincerely,

Dick Thornburgh
Governor
Commonwealth of Pennsylvania

(This telegram also was sent to EEI headquarters in Washington, D.C.)

#

Mr Roth , I hope that the Panel will consider the significance of this item and the fuel failures at Prairie Island to the cleanup and restart.

Mr. I. LEWIS
6504 BRADFORD TERR
PHILA. PA 19149

Letters to the Editor

Phila Inquirer

400 N. Broad St.

Phila PA 19106

Dear Sir;

A lot has happened to the commercial nuclear power industry last week:

cracks closed a New England plant ,

PA PUC disapproved a PECO 1.1 Billion dollar loan for Limerick 2,

Senator Spector wound up admitting that he didn't understand what TMI witnesses were talking about,

and a small item appeared in a little read NRC document (TMI#2 Weekly Status Report P2.)

Of all the above stories of great significance , this little read item may well have the greatest significance: "The cavity volume in the damaged core (of TMI#2) is 26 1/2% of the original volume." Finally there is an admission on the part of the NRC and the operators of how very much of the core really was damaged in the TMI#2 accident. It took 5 years to get this little glimmering of knowledge.

Now the significance of this 26 1/2% is staggering. Originally, the NRC and the operators of TMI#2 were announcing damage estimates of 2, 3, or 5%. Few industry or Government experts suggested that the damage would be more extensive. Much of the NRC evaluations and reports assumed that the damage would be minor. Few assumed that over a quarter of the core would be damaged. Almost nobody of any notoriety suggested that over a quarter of the core had been damaged during the accident.

Suddenly this very significant number , 26 1/2% , slips into a little read NRC document without any notice by the media or experts.

26 1/2% means we were over a quarter of the way to losing the whole core.

26 1/2% means that we have to clean up 10 or more times as much debris as originally assumed.

26 1/2% means that we were 26 1/2 % of the way to the accident described in the China Syndrome of "losing an area the size of Pennsylvania." (AEC Wash 1400)

Very truly yours,

Harvie Lewis

P.S.: Please feel free to edit , but try not to change basic points.

Mr. I. LEWIS
6504 BRADFORD TERR
PHILA. PA 19149

TMI 12 WEEK 17 Status
12/4/83

Other decontamination activities in the auxiliary and fuel handling buildings consisted of some surface scabbling and preparation for remote cubicle flush decontamination. Tests to evaluate chemical foam decontamination systems are scheduled for next week. Generally, decontamination activities continue to occur at a reduced pace due to funding limitations.

WASTE MANAGEMENT ACTIVITIES:

During the week EPICOR demineralizers F-36, F-42, F-43, F-26, F-40, 2K-2, 2K-6, F-46, K-8 and 2K-9 were shipped from TMI to Hanford, Washington. GPUN had proposed to make a shipment of EPICOR II liners F-42, F-43, 2K-9 and K-9 as unshielded LSA on Thursday, December 8, 1983, however, NRC inspection of the shipment revealed that one liner, K-9, had contact radiation levels in excess of allowable transportation limits. GPUN removed the liner from the shipment and NRC will follow up with appropriate enforcement action.

SONIC CORE TOPOGRAPHICAL MODEL:

A computer generated map of the core void has been completed from sonic measurements which were obtained inside the reactor vessel in August and September 1983. A scale, plastic model of the damaged core was also constructed from the sonic data. Based on the sonic measurements, the cavity volume in the damaged area of the core is 330 cubic feet or 26 1/2 percent of the original core volume. The irregular cavity bottom is generally 5 feet below the top of the core region, with the deepest point, a narrow channel, being 6 1/2 feet deep. Laterally, the cavity extends to the core forming walls in several areas. (See Appendix 6)

Of the 177 fuel assemblies in the reactor, 42 assemblies around the core perimeter exhibit some continuous vertical development through the void region. The cross sections of 23 of these standing assemblies were less than 50% of the original, 19 assemblies appear to have retained more than 50% of their fuel pins, and 2 assemblies appear to be relatively intact. The sonic plot showed that fuel assembly segments, typically 2 to 10 inches long are routinely attached to the underside of the plenum. The top 2 to 4 feet of several assemblies on the west side of the core overhang the void. In several areas where the core forming wall was exposed, the sonic device mapped the 3/4 inch thick stainless steel plates which form the perimeter of the core. On the east side of the core, one area of the core forming wall appears to be bowed outward by 2 1/2 inches.

The sonic topographical data is being evaluated and will be useful in planning for plenum and fuel removal. The data supplements the previously obtained closed circuit television tapes of the void and at the present stage of disassembly and defueling planning does not alter the existing concepts for future work.

PUBLIC MEETINGS:

Past Meetings:

1. On December 5, 1983, Lake Barrett and Richard Conte, TMI-1 Senior Resident Inspector, met with the Concerned Mothers of Middletown, Robert Pollard of the Union of Concerned Scientists, Ms. Wiggins of State Senator Shumaker's staff and a reporter from a local newspaper to discuss cleanup operations

DISTRIBUTION LIST
FOR MATERIAL
TO THE ADVISORY PANEL FOR THE
DECONTAMINATION OF THE
THREE MILE ISLAND UNIT 2

Chairman Palladino	1149-H
Commissioner Gilinsky	1149-H
Commissioner Roberts	1149-H
Commissioner Asselstine	1149-H
Commissioner Bernthal	1149-H
W. J. Dircks, EDG	6209 MNB
H. R. Denton, NRR	P-428
B. J. Snyder	5031-AR
L. Barrett (5 copies)	TMI Site Mail Pouch
M. Masnik	5031-AR
R. A. Weller	5031-AR
R. Lo	5031-AR
D. Cleary	Rm. 234
C. Hickey	P-314
F. Congel	P-712
J. Zerbe	1013-H
M. Libarkin, ACRS	1016-H
T. Major	1016-H
J. Cook, OCA	MNB-3709
J. Fouchard	MNB-3709
R. Browning, NMSS	623-SS
Docket File 50-320	016
<u>PDR</u>	<u>016</u>
LPDR	016
DCS	016

Dr. Randy Roig, Director
Power Plant Siting Program
Department of Natural Resources
Tawes Building B-3
Annapolis, MD 21401

Dr. Franklin E. Coffman
Office of Terminal Waste Disposal
and Remedial Action
Office of Nuclear Energy
Department of Energy
Washington, DC 20545
NE-23 Germantown

Mr. Alvin L. Alm,
Deputy Administrator (A-101)
U.S. Environmental Protection Agency
401 M Street, NW
Washington, DC 20460

Mr. Thomas Magness
Council on Environmental Quality
722 Jackson Place, NW
Washington, DC 20006

PANE
P.O. Box 268
Middletown, PA 17057

Mr. Frank D. Davis
200 Gettysburg Pike
Mechanicsburg, PA 17055

Ms. Beverly Hess
1037 McClay Street
Harrisburg, PA 17103

Mr. Edward Charles
90 Nittany Drive
Mechanicsburg, PA 17055

Mr. John H. Murdoch
44 Kensington Drive
Camp Hill, PA 17011

TMI Alert
315 Pepper Street
Harrisburg, PA 17057

Dr. Frank Parker
School of Engineering
Nashville, TN 37203

Mr. Richard Chamberlain
Society of Nuclear Medicine
475 Park Ave., South
New York, NY 10016

Mr. Glen Sjoblom, Director
Office of Radiation Programs
U.S. Environmental Protection Agency
401 M Street, NW (ARN-458C)
Washington, DC 20640

Mr. Kenneth L. Miller, Director
Division of Health Physics and
Associate Professor Radiology
Milton S. Hershey Medical Center
Pennsylvania State University
Hershey, PA 17033

Mr. Bob Leyse
EPRI-NSAC
3412 Hillview Ave.
Palo Alto, CA 94303

Mr. Willis Bixby
U.S. Department of Energy
P.O. Box 88
Middletown, PA 17057

Ms. Mary J. Gregory
9th Floor, Federal Building
6th and Arch Streets
Philadelphia PA 19106

Ms. Lynn DeLaurentis
Donaldson, Luskin and Jenrette
140 Broadway
New York, NY 10005

The Honorable Robert Reid
Mayor of Middletown
60 W. Emaus Street
Middletown, PA 17057

The Honorable Arthur E. Morris
Mayor of Lancaster
P.O. Box 1559
120 N. Duke Street
Lancaster, PA 17605

Mr. John Minnich, Chairman
Dauphin County Commissioners
P.O. Box 1295
Harrisburg, PA 17108

Dr. Henry Wagner
John Hopkins School of Hygiene
615 N. Wolfe Street
Room 2001
Baltimore, MD 21205

Dr. Thomas Cochran
Natural Resources Defense Council
Suite 600
1725 I Street, NW
Washington, DC 20006

Mr. Ford Knight
Westinghouse Electric Corp.
Waste Technology System Div.
P.O. Box 10864
Pittsburgh, PA 15236

Mr. Thomas Gerusky, Director
Bureau of Radiation Protection
Dept. of Environmental Resources
P.O. Box 2063
Harrisburg, PA 17120

Elizabeth Marshall
50 W. King Street
York, PA 17405

Mr. Thomas Smithgall
2122 Marietta Ave.
Lancaster, PA 17603

Niel Wald, M.D.
5422 Normlee Place
Pittsburgh, PA 15217

Dr. Gordon Robinson
Associate Professor of
Nuclear Engineering
231 Sackett Building
University Park, PA 16802

Ms. Mary Hartnett
109 Cambridge Dr.
Mechanicsburg, PA 17055

Susan Fitzgerald
Philadelphia Inquirer
400 N. Broad Street
Philadelphia, PA 19101

Dr. William Kirk
Environmental Protection Agency
TMI-2 Field Station
100 Brown Street
Middletown, PA 17057

Mrs. Ann Trunk
143 Race Street
Middletown, PA 17057

Mr. Joel Roth
RD I, Box 411
Halifax, PA 17032

Mr. Glenn Hoenes
Pacific Northwest Laboratory
P.O. Box 999
Richland, WA 99352