T-1248

## **UNITED STATES OF AMERICA** NUCLEAR REGULATORY COMMISSION

In the matter of:

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

Docket No.

Subcommittee on Limerick Generating Station Units 1 & 2

> Pages: \_1 - 252 Location: Pottstown, Pa. Date: Friday, October 7, 1983

TROF di TROF di HALL WORK Selete B. White Varbier Washing Washington, D.C. 20006 (202) 293-3950

8310120175 831007 PDR ACRS T-1248 PDF PDR

SY1,sy1	
	UNITED STATES OF AMERICA
	NUCLEAR REGULATORY COMMISSION
-	
	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
	SUBCOMMITTEE ON THE LIMERICK GENERATING STATION
	Route 100
8	West King Street
	Pottstown, Pennsylvania
2	Saturday, October 7, 1983
10	
11	The subcommittee convened, pursuant to recess,
12	at 8.35 a.m., William Kerr, Chairman of the Subcommittee.
13	
14	presiding.
	ACRS MEMBERS PRESENT:
15	W. KERR, Chairman
16	J. EBERSOLE
17	D. MOELLER
18	ACRS CONSULTANTS PRESENT:
	M DENDED
19	P. DAVIS
20	A. GARCIA
	P. POMEROY
21	
22	ACRS FELLOWS PRESENT:
23	S. SETH
24	L. WAINER
	DESIGNATED FEDERAL EMPLOYEE:
25	R. SAVIO



2	the state of the state of the
	la de la constante de la const
	Here and the second
3	
-	
	Property and the second second second
4	
5	
	A CONTRACTOR OF
0	A SAME AND A
0	
7	
	and the second
8	
~	
9	
-	
1.2.1	
10	
	Contract of the second second
11	
	B
10	
14	
	and the second
	Research Science of Sector
12	
20	
14	
1.1	
15	
16	
17	
11	
	and the second second second
18	
10	
19	
**	
1.0	
20	
-	
21	
00	
22	
22	
20	

24

25

NRC STAFF AND PRESENTERS PRESENT:

R. MARTIN J. SEARS B. HARDIN P. CARTON H. TRAVER G. FOGARTY G. LEITCH B. MOORE

R. STAROSTECKI J. WIGGINS S. VAIL D. HELWIG R. ATKINSON P. TUTTON R. GEROGE R. LOGUE V. BOYER W. BRADY M. COONEY W. ULLRICH E. SPROAT R. MULFORD T. SHANNON W. BOWERS R. KANKUS R. ZONG

1	PROCEEDINGS
2	MR. KERR: The meeting will come to order.
3	This is a meeting of the Advisory Committee
4	on Reactor Safeguards, the Subcommittee on the Limerick
5	Generating Station.
6	My name is William Kerr and I am Subcommittee
7	Chairman. The other ACRS Members present are Mr. Ebersole,
8	Mr. Michelson and Mr. Moeller. As consultants we also
9	have Mr. Bender, Mr. Davis, Mr. Garcia, Mr. Maxwell and
10	Mr. Pomeroy and, in addition, two ACRS Fellows, Mr. Seth
11	and Ms. Wainer, are in attendance.
12	The meeting is being conducted in accordance
13	with provisions of the Federal Advisory Committee Act and
14	and the Government in the Sunshine Act. Mr. Richard Savio
15	is the Designated Federal Employee.
16	The rules for participation in today's meeting
17	have been announced as part of the notice of the meeting
18	published in the Federal Register of Monday, September 19th,
19	1983.
20	A transcript of the meeting is being kept and
21	it will be available as stated in the Federal Register notice.
22	I request that each speaker identify himself or herself
23	and use a microphone. We have received no written statements
24	from members of the public, nor have we received requests
25	for time to make statements from members of the public.

1	We will proceed with the meeting, and I ask
2	any members of the subcommittee or consultants if they
3	have any particular requests or comments to make before
4	we get into the formal presentation?
5	(No response.)
6	MR. KERR: I see none. I will therefore call
7	upon Mr. Robert Martin of the NRC Staff to begin the
8	NRC presentation.
9	Mr. Martin.
10	MR. MARTIN: Good after J, ladies and gentlemen.
11	I am Bob Martin, the NRC Licensing Project Manager for the
12	Limerick Review in the Office of Nuclear Reactor Regulation.
13	We have additional members of our staff here
14	with us today, Mr. Tom Novak, my Assistant Director, our
15	Instrumentation and Systems Reviewer, Marty Virgilic, and
1€	John Sears in the emergency planning area.
17	We will be joined by other members of the staff
18	throughout the meeting as the appropriate subjects in the
19	area come up.
20	With respect to the first item on the agenda,
21	I would like to go through a brief discussion of the
22	chronology of our review.
23	(Slide.)
24	The application was tendered March 1981. Shortly
25	thereafter the acceptance review was completed and the

application was docketed. The draft environmental statement, and I jumped a little bit there between those two dates, a lot happened between those two dates, but the draft environmental statement has recently been published in June, Part 1 of that statement. Part 2 of that statement is to come in the near future.

Recently in August 1983 we finished work on our safety evaluation report and published it. The remaining outstanding items in our safety evaluation report, confirmatory items and so forth, will be the subject of my later presentation.

Finally, here we are today arrived at the ACRS meeting.

(Slide.)

1

2

3

4

5

6

7

8

9

10

11

12

13

14

22

23

24

25

That is a description of where we have been up to now. A general projection of where we are going from now is going from this meeting into the full committee meeting. Then from there this winter and early spring of next year into the Atomic Safety and Licensing Board hearings and on to a projected decision date for issuance of the license.

One thing I will note about the date that is up there is that the projection of this date recognizes a certain amount of uncertainty. The uncertainty is based on assessing the potential number and scope of the issues

1

2

3

4

5

20

21

22

23

24

25

to be addressed in the hearing process.

(Slide.)

Please stop me if you have questions or otherwise I will proceed.

(No response.)

6 I thought I would put on a synopsis of those 7 conclusions that appeared in our SER recently issued. These 8 are our essential conclusions that upon the resolution 9 of the issues identified in the SER, we will be able to 10 conclude that the application for a license complies with 11 the NRC requirements, reasonable assurance that the facility 12 construction will be completed and the plant will be 13 operated in conformance with the requirements. There will 14 reasonable assurance that activities authorized by the OL 15 can be conducted incompliance with the regulations and 16 without endangering public health and safety. We will find 17 that the applicant is technically qualified and that the 18 issuance of the license will not be inimical to common 19 defense and security.

That concludes my remarks on the first item on the agenda with respect to where we are at this time in the review.

> Are there any questions? MR. KERR: Are there questions? Mr. Moeller.

1	MR. MOELLER: The date that you put up there
2	for the decision was March or something of '85.
3	MR. MARTIN: March 1985, yes.
4	MR. MOELLER: I believe I have heard a statement
5	that the applicant chought they might be ready to load
6	the fuel in Unit 1 by the Fall of '84. Are these dates
7	compatible, or could you comment on that?
8	MR. MARTIN: The applicant's currently announced
9	date for completion of construction is August of '84. Yes,
10	that is correct. The date of March '85 is the ASLB Panel's
11	estimation of how long it could take the proceedings given
12	their number and their complexity to come to a conclusion.
13	We are at this point very active in defining
14	with the various parties and with the Hearing Board these
15	issues and there is much to be done in the near future
16	before a clear picture really evolves which can be related
17	and interpreted into a schedule.
18	MR. KERR: Cther questions?
19	. (No response.)
20	MR. KERR: Please proceed.
21	(Slide.)
22	MR. MARTIN: In response to the next item for
23	a comparison of the Limerick and the site with similar
24	plants and sites reviewed by the NRC staff, I will note
20	that there are various places in the safety evaluation
1.4	

report where comparisons have been made. Of course, the 1 general comparison in the front of the report compares it 2 with three other reactors, it presents a number of parameters 3 applicable primarily to the NSSS.

4

A more detailed review of the thermohydraulic 5 characteristics of the Limerick core compared to Hatch 2 6 is found in Table 4-2 of the SER, and a comparison in general 7 of the containment type used in this reactor to others is 8 found in SER Table 6-1. We find in general that the NSSS 9 is fairly similar to others of the same general design 10 reactor. It is very similar to Susquehanna and of course 11 12 a comparison with Hatch 2 reveals that it is very close in relative parameter values to Hatch 2 with the exception 13 of the core power level, for example. The Limerick contain-14 15 ment has been described to be very similar to that of Susquehanna. 16

17 Are there any questions on the plant comparison? 18 MR. KERR: Mr. Martin, you have compared the 19 plant I presume in terms of the power plant itself and 20 its containment and it occurs to me that there are other 21 parts of this consideration that have some influence on 22 safety. Other parts of the NRC staff have talked about 23 this location as being one that has the potential for 24 higher risk and you say nothing about that in your comparison. 25 It also seems to me that in looking for those things that

might bear on safety that ones looks at the operational capability of an organization. You haven't said anything about that in your comparison. Perhaps these things are going to be treated later on in the staff presentation, but it seems to me that it would be appropriate to not necessarily make comparisons, but at least have comments on those items.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. MARTIN: Well, my next slide was to be a comparison. The first one was a comparison of plant related characteristics and the next one is a qualitative comparison of the chief site related characteristics.

MR. KERR: Go on to the next slide. (Slide.)

In comparing qualitatively the five areas listed here, the meterology, industrial and transportation hazards and so forth, the meterology we have found that the Limerick site is consistent with other nearby sites. We did not find anything that in general required an appraisal of being unique or different from other sites in this part of the country which have been recently reviewed.

Industrial and transportation hazards, while there are a number of them in connection with the Limerick site, we have reviewed these and we have given substantial attention to these and we have found that the plant has been designed to accommodate the effects of these. These

are discussed in some detail in our safety evaluation report 1 Section 2 and includes the petroleum products pipeline, 2 the consideration of the effects of explosions of several 3 types of pipelines in the vicinity of the site, the nearby 4 quarry with respect to the effects of explosives in that 5 guarry on the site and on the plant itself. We have 6 considered the existence of a nearby airport and what that 7 would mean as far as aircraft hazards to the plant. We 8 have ensidered the existence of potential toxic chemicals 9 principally from a plant located just across the river. 10 We have looked at the control room with respect to its 11 ability to detect and isolate in response to those chemicals. 12 We have looked at the potential for explosives being conveyed 13 on the nearby railroad and have reviewed the applicant's 14 justification that were that to occur safety related 15 structures, their function would not be affected. 16

MR. MICHELSON: Do you intend later on during the presentations to cover more fully the railroad question? MR. MARTIN: Not in particular, no.

17

18

19

20 MR. MICHELSON: I had some difficulty reading 21 the SER because it seemed to refer to a section. The reader 22 was referred to it but there was no discussion when I 23 went back to the section that was referred to. On page 24 2-6 you say that the details of the NRC staff evaluation 25 of blast and pressure on structures are in Section 3.8.1

14.50	
1	of this report. I went to 3.8.1 and I found no real
2	discussion of it. So is that reference incorrect that
3	is made here or what?
4	MR. MARTIN: I think the statement that we make
5	in 3.8.1 that the containment has been designed to withstand
6	the design basis accident loads, it includes a consideration
7	of that railroad car explosions, but I grant it is not
8	stated explicitly as such, yes.
9	MR. MICHELSON: I have difficulty believing
10	that is what I would call details.
11	MR. MARTIN: I can understand your point.
12	MR. MICHELSON: So sometime during this period
13	I would like to discuss a little bit the railroad explsion,
14	particularly as it relates to cooling tower failures and
15	this sort of thing and the effect of the cooling tower
16	failures.
17	MR. MARTIN: Okay. I would note that in our
18	evaluation of the applicant's analysis of this we found
19	that the diesel generator building turned out to be the
20	limiting building in this regard.
21	MR. MICHELSON: It was never clear. Did you
22	ever look at the cooling towers?
23	MR. MARTIN: I do not recall that they were
24	looked at.
25	MR. MICHELSON: Sometime we need to pursue it.
121.5	and the second

1	So leave a little time before the end of the meeting.
2	MR. MARTIN: Okay.
3	MR. MOELLER: In terms, Mr. Martin, of the toxic
4	chemicals, the report stated that the Hooker Chemical Company
5	I believe dealt with some 20 different chemicals that might
6	be released and become airborne, one of which was phosgene
7	as I recall, or that might be produced by certain accidents
8	at the plant.
9	To what extent did you review this? Did you
10	look at all the possible chemicals that perhaps might become
11	airborne in terms of whether the applicant is proposing
12	to have monitors on the air intakes for the control room?
13	MR. MARTIN: We looked at a range of chemicals.
14	The ones discussed in the safety evaluation report tend
15	to be the ones that surfaced as being the most important.
16	We did not focus just on phosgene.
17	MR. MOELLER: You looked at all that you con-
18	sidered to be important?
19	MR. MARTIN: Yes.
20	MR. MOELLER: And they have guarded against these
21	or they have detectors for them?
22	MR. MARTIN: To the best of my knowledge, yes.
23	MR. MOELLER: Now for the control room, as I
24	recall, they will have two air intakes. So that supposedly
25	in an accident where there are releases from the plant itself
1.2.1	

if the one intake becomes contaminated they can switch over to the other one. Was there any evaluation of the two air intakes to see whether they are best located to avoid both being contaminated say from a release from the Hooker Chemical Company, or is this not even possible?

1

2

3

5

6

7

8

16

17

18

19

20

21

22

23

24

25

MR. MARTIN: That would seem like a reasonable thing for us to do. I cannot answer that I know for a fact that it was done.

9 MK. MOELLER: Could someone tell us later whether 10 it was done?

MR. MARTIN: We will look into that, yes. MR. MOELLER: On the meteorology which you have already covered, you point out that the applicant has underestimated atmospheric dispersions conditions. What did you find wrong or what was it they were doing?

MR. MARTIN: There are several technical issues which are discussed within the meteorology section. In looking at the applicant's estimation of meteorological parameters for determining the design basis accident doses, we'costOmarily make our independent calculations and base our findings on those in any event. We usually look at the applicants and at least acknowledge that he did it, that he made a calculation, but the numbers which appear in the SER are based on our own independent evaluation.

MR. MOELLER: You found his to be nonconservative,

1	or not as conservative as yours.
2	MR. MARTIN: That is true.
3	MR. MOELLER: What was it that he did that
4	you didn't like?
5	MR. MARTIN: I don't believe I have the
6	specific information on that.
7	MR. MOELLER: Of course certainly I wouldn't
8	expect you to have the answers to all these questions,
9	but maybe when the applicant covers that particular aspect
10	if they could review the area of disagreement and why
11	they disagreed, that would be helpful.
12	MR. MICHELSON: One further question on the
13	railroad. Is there is going to be a discussion at any
14	time on the type of freight that could be reasonably
15	anticipated?
16	MR. MARTIN: I had planned no further discussion
17	on that, no.
18	MR. MICHELSON: I could only find the one thing
19	listed in the SER and that was the 56 tons of TNT I
20	beliave it was. Can this be put on in a little more
21	substantive basis maybe for the main committee meeting
22	MR. MARTIN: Certainly we will look at it.
23	MR. MOELLER: which will give us a little
24	more detail. What do we expect to be carted by the site,
25	because this is a little bit unusual site from the standpoint
1. 1. 1.	

1	of having such a heavily used railroad at its doorstep.
2	MR. MARTIN: Of course the evaluation appearing
3	in the safety evaluation report is that of the information
4	appearing in the FSAR which is much more extensive and much
5	more lengthy.
6	MR. KERR: Mr. Michelson, did you particularly
7	want the staff to discuss this, or do you just want the
8	information? I mean it is just possible that the applicant
9	has some information.
10	MR. MICHELSON: I really wanted the information
11	and then whether it leads to a discussion depends on what
12	the information is.
13	MR. KERR: Are there other questions?
14	Mr. Ebersole.
15	MR. EBERSOLE: Mr. Martin, I understand that
16	early on there was a consideration for several reasons
17	here that this plant adopt a method of containment venting
18	as an approach to core cooling and that that has been
19	subsequently cancelled and you don't contemplate that now.
20	I would just like to ask you the question at
21	this time, was that process looked at by the staff and
22	discouraged by the staff, or do you have any comment to
23	make on why it did not continue to be considered?
24	MR. MARTIN: I understand that that did take
25	place quite some time ago. I have no knowledge of whether
1.	

1	it was discouraged or encouraged by the staff.
2	MR. EBERSOLE: You have not been a party to
3	evaluation of that per se, have you?
4	MR. MARTIN: I was not in particular.
5	MR. EBERSOLE: Thank you. We will pursue it
6	then at another time.
7	MR. MARTIN: Okay.
8	MR. KERR: Other questions?
s	(No response.)
10	MR. KERR: Continue, please, Mr. Martín.
11	MR. MARTIN: Going on with the geography and
12	demography considerations, the most noteable item there
13	is that the population density surrounding the site is
14	relatively high when compared to other sites.
15	The geology and seismology aspects comparing
16	the Limerick site to others, we find that a qualitative
17	judgment is that it is comparable to other sides in the
18	eastern U. S. that have been licensed in recent years. We
19	found no unusual features noting, however, the recent
20	attention paid to the New Brunswick earthquake which we
21	have discussed at some length in the SER. The New Brunswick
22	earthquake concern of course is generic to other sites in
23	the New England Piedmont tectonic province.
24	This issue I believe appears later on the agenda.
25	With respect to the hydrologic characteristics

of the site, it is most noteable in that it is relatively 1 free from flooding hazards. We consider it to be a dry 2 site with respect to its potential for flooding. 3 4 Do you have any further questions on this? 5 MR. KERR: I see none. Continue. 6 (Slide.) 7 MR. MARTIN: I will now into the next agenda 8 item being a summary of the principal review issues, to 9 include a summary of the opens and their likely resolution, 10 an summary of dissenting NRC staff opinions and a summary 11 of the safety issues which the staff believes were or will 12 be the most different to resolve. 13 First, let me say I have no knowledge of any 14 NRC staff dissenting opinions with the information in our 15 SER that we have recently published. 16 Since publication of the SER, with its 24 open 17 issues, we have clearly resolved 8 of those issues bringing 18 us down to 16. We anticipate resolution in the near future 19 meaning a month to two months of several others. 20 The ones that we have resolved are items, and 21 since you have your handouts, I will just go through these 22 very guickly. instrument line vibration monitoring program, 23 No. 5; No. 8, airborne particulate radioactive monitoring 24 system; No. 9, second isolation valve for the hydrogen 25 recombiners -- and I see I will have to use another slide here.

No. 10, the pressure drop measurement across the ESF HEPA filters. Going to the bottom, No. 16, effects of hydrogen explosion on the off-gas system; No. 17, administrative procedures addressing applicable TMI action items; No. 19, reclassification of transient events is closed; No. 20; ODEN Code transient analysis calculations are also closed.

1

2

3

4

5

6

7

8

9

MR. MOELLER: Can we ask about some of those? MR. MARTIN: Certainly.

MR. MOELLER: On the airborne particulate monitor 10 No. 8, I didn't understand that, and again, maybe the 11 applicant can clarify it. My question is as follows. The 12 item refers to an airborne particulate monitor, and yet 13 its purpose is to detect a leak in the reactor coolant 14 pressure boundary. Now I presume that leak would be one 15 of steam or water, and why wouldn't you have depended 16 primarily on a gaseous airborne monitor rather than a 17 particulate monitor? Can you help me with that? 18

MR. MARTIN: We have a regulatory guide, Regulatory Guide 1.45 addressing detection of leakage as you mention. Some plant designs rely on both airborne participate and gaseous type monitors. The issue here on Limerick was that as is customary in our reviews we address the issue of why didn't Limerick have an airborne particulate monitor?

1 Limerick met with us and discussed this and 2 described some of the problems inherent with trying to 3 detect leakages, increases in leak rates of one gpm, one 4 gpm per hour I believe the value is. When you have a 5 background at any one given time and expect to have a 6 background of something like on the order of one to three, 7 and your tech spec limiting value is five, the sensitivities 8 of airborne particulate monitors to be able to measure 9 things that accurately are discussed at some length in the 10 SER which provides a rationale and a basis for the appli-11 cant's position.

MR. MOELLER: My question is do they have a gaseous monitor? Could someone from the applicant tell me that? Why the particulate monitor? Do you already have a gaseous monitor and they are making you put in a particulate also?

12

13

14

15

16

17

18

23

24

25

MR. LOGUE: Yes, sir, we can respond. Dave Helwig will respond for the applicant.

MR. HELWIG: Dave Helwig, Mechanical Engineering.
 We employ three diverse means of detecting
 primary fluent leakage in the dry well. One of them is
 noble gas activity. The others are at some level.

MR. MOELLER: So we are really talking about a gas monitor?

MR. HELWIG: Yes, sir. We have a gas detectivity

1 monitor. The problem was that the reg guide specified 2 that one of the required means of detection be airborne 3 particulate, which we disagreed about its effectiveness. 4 MR. MOELLER: I would support you. 5 (Laughter.) 6 MR. MOELLER: Okay, that is very helpful. 7 Could we go to another item, the one about the 8 pressure drop, No. 10. Did the applicant just agree then 9 to show the pressure drop in the control room, the need 10 to give an indicator there? How was it resolved? 11 MR. MARTIN: This is one that we had a lot of 12 activity on very recently. The applicant has provided 13 information to us which supports a finding that certain 14 of the functions that would be met by such pressure drop 15 instrumentation are met by alternatives in the Limerick 16 design and the other functions aren't needed to support 17 safety concerns. We have reviewed this at some depth with 18 them and have come to a concurrence with them. 19 MR. MOELLER: Could someone from the applicant 20 tell me why you did want to record the pressure drop and 21 what you are doing as an alternative to it? 22 MR. ATKINSON: Yes. I am Bob Atkinson with

20

Philadelphia Electric Company. We looked at this requirement to have the recorded pressure drop indication and we did not see any real need to have that in our design. The way

23

24

our systems are set up, we would have a flow switch. If 1 2 we start losing flow, if we get about 80 percent of system 3 flow, it automatically transfers to the standby unit. The 4 main purpose for pressure drop would be to enable the 5 operator to see if his filters are being contaminated and 6 then to manually take that action. 7 MR. MOELLER: Okay, so you look at the flow rate. 8 MR. ATKINSON: Yes. 9 MR. MOELLER: Okay. Well, I guess though the 10 Delta P would tell you that degree to which the building 11 would be becoming flooded up, but I can also understand that 12 the flow rate would be useful. 13 MR. ATKINSON: Yes, and normally our systems 14 aren't operated only in the accident mode. W do have an 15 alarm on the total pressure drop coming up in the control 16 room when we exceed about eight to nine inches. 17 MR. MOELLER: All right. Thank you. 18 MR. KERR: Are there other questions? 19 MR. MOELLER: I guess I have one on No. 16 or 20 it is related to it, at least in the discussion of the 21 effects of the hydrogen explosion on the off-gas system. 22 There is a discussion in the SER that tells 23 what will be the major sources of airborne releases from 24 this plant. This is on page 11-7 of the SER, and I didn't 25 even see the steam jet air rejector listed. Am I missing

something at this plant? Could the applicant tell me, don't 1 you anticipate that one of the majaor sources of airborne 2 releases of radioactive gases will be through the steam 3 jet air rejectors? 4 MR. HELWIG: Yes, sir. Our steam jet air rejectors 5 discharge through some charcoal filters. 6 MR. MOELLER: But as a source prior to the 7 charcoal filters, you certainly expect them to be a major 8 source? 9 MR. HELWIG: The table you are referring to is? 10 MR. MOELLER: Well, I was reading on page 11-7 11 of the SER and there is no mention. On page 11-7 it is 12 talking about the off-gas system and it tells somewhere --13 oh, here. If you got to the next to the last paragraph, 14 "The major source of gaseous rad waste in the normal plant 15 operation will be the off-gas from the main condensers." 16 Well, does that mean the steam jet air rejector, or is 17 that simply another word? 18 MR. HELWIG: The steam jet air rejectors discharge 19 through our high gaseous rad waste system. They are 20 not bypassed. 21 22 MR. MOELLER: And they are the off-gas from the main condensers? 23 24 MR. HELWIG: That is correct. 25 MR. MOELLER: Okay, thank you. That straightens me out.

MR. KERR: Are there other questions? (No response.)

MR. KERR: I have several.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

21

22

23

24

25

3

Concerning the Q list there is a letter undated, at least on the copy I have, from Mr. Swencer to Mr. Bower which has to do with the Q list. When I read the letter I wasn't sure that I could understand what the NRC was asking the applicant to do. Perhaps the applicant can interpret the letter better than I can. For example, I read that PE Company states that site grading is not Q listed. Then I read but the staff position is that modifications of the site drainage system, including wolf scuffers, parapet openings, grading, covers channels and so forth during the operations phase shluld have the pertinent QA requirements of 10 CFR 50, Appendix B applied in order to provide continuous assurance that storm water flow and so on and so on.

19 Is the staff saying that site grading is Q listed 20 or it isn't?

> MR. MARFIN: It is not. MR. KERR: But it should be? MR. MARTIN: Yes.

MR. KERR: So that in the future any time anybody does anything to the site grading, it has to go through

a Q process as specified by Appendix B? Is that the 1 2 intent? 3 MR.MARTIN: For those things that are important 4 to safety, the effects of local intense precipitation were included in our review and based on the design as presently 5 6 described, we reached certain conclusions. 7 MR. KERR: What about cutting grass on the side? 8 (Laughter.) 9 MR.MARTIN: I don't believe we had a problem 10 with that. 11 MR. KERR: It seems to me that that might get 12 into the drainage system to interfere with the water flow. 13 Then also, PE Company states that emergency 14 lighting systems are not Q listed because they perform no 15 safety function. I was curious as to why emergency lighting 16 systems don't perform a safety function. Maybe I don't 17 understand what emergency lighting systems are, but somebody 18 from PE Company explain to me why? 19 MR. BOYER: Yes, Ward Sproat can answer that in, 20 question, sir. 21 MR. SPROAT: My name is Ward Sproat. I am the 22 Electrical Project Engineer for Philadelphia Electric on 23 the Limerick Station. Our position is and has been that 24 the lighting systems in and of themselves are not active 25 safety systems, and that is what that response states.

1	MR. KERF: It says it doesn't perform a safety
2	function.
3	MR. SPROAT: It does not perform a nuclear safety
4	function. It may perform a personnel safety function, but
5	not a nuclear safety function.
6	MR. KERR: I can understand why you might want to
7	keep it off the Q list. I guess I would want to keep anything
8	off the Q list I could also, but it certainly seems to me
9	a bit farfetched to say that it doesn't perform a safety
10	function, but that is probably a small point.
11	MR. SPROAT: Well, we have designed the emergency
12	lighting system in the plant in the control rou. ~ specially
13	with several features and redundancy such that they are
14	essentially treated almost as a nuclear safety system, but
15	we haven't gone through a complete environmental qualification
16	and seismic qualification program for them.
17	MR. KERR: Okay.
18	MR. EBERSOLE: May I pursue this a little bit?
19	I just want to follow that up a little bit. To say that
20	the lighting is not a safty function is in a way just
21	saying that the operators are not safety elements of the
22	plant concept, and then that goes next to the concept that
23	operators could operate in the blind.
24	Let me put it this way. Is it a fact that you
25	provide emergency lighting which ensures that the operators,

1 if they are identified as elements of the safety functions, 2 can in fact look at the necessary equipment they are supposed 3 to operate and operate, and therefore lighting is a safety 4 function?

5 MR. SPROAT: The operators can perform their 6 function in the control room. What their function in the 7 control room is varies depending on the accident or 8 operating scenario. Under a design basis accident, as you 9 know, the operators do not have any functions to perform 10 for the first ten minutes in the control room and everything 11 occurs automatically.

During that time there is enough redundancy in our emegency lighting system and we do have the capability of hand-held battery powered lights that after that first ten minutes, if there is f me operator action required, they could perform that with the hand-held lights if all of the other redundant emergency lighting system failed.

MR. EBERSOLE: So you are saying the operators are competent with flashlights. Thank you.

18

19

20

21

22

23

24

25

MR. KERR: Also, Mr. Martin, as I think the last paragraph in the Swencer letter to Mr. Bower, and I am sorry but I can't see a date, but I find that the Philadelphia Electric Company response to RAI-26.57, whatever that is, is not in conformance with Regulatory Position C-3 and C-4 of Regulatory Guide 1.29, and I will read it.

The last sentence says "The staff position is that 1 these requirements." Now the staff position in the past 2 has been that regulatory guides are not requirements. Have 3 they become requirements recently? 4 MR. MARTIN: No, they have not. 5 MR. KERR: Then I guess I don't understand this 6 language. 7 MR. MARTIN: That is an unfortunate choice of words. 8 The regulatory guides themselves are not requirements. They 9 are guidance for our review. 10 MR. KERR: So PE Company can probably ignore that 11 paragraph. 12 MR. MARTIN: They can understand requirements to 13 mean guidance versus ignoring. 14 15 MR. KERR: Are we plahing games here? I mean are they requirements or not? 16 MR. MARTIN: They are a reference point from 17 18 which we start in the review. They are not explicit 19 requirements which are non-negotiable per se. MR. KERR: Okay. So this is still in the process 20 21 of negotiation? MR. MARTIN: Yes. 22 MR. MICHELSON: I do not see on the open item 23 list any reference to fire protection. Is it maybe 24 disguised in a little different way or is fire protection 25

7

13

14

15

16

17

20

21

22

23

24

25

MR. MARTIN: We have two items on the list related MR. MARTIN: We have two items on the list related to fire protection. They are numbers 14 and 15, 14 being the three-hour fire rated barriers for structural steel and being electrical cable and cable tray protection.

MR. MICHELSON: On Item 15 is there any particular area that you are looking at or in general?

MR. MARTIN: The concern is for areas where there are
concentrations of cables such as six cable trays in close
proximity to each other and whether such situations should
be protected by or should be enunciated by line type heat
detectors or protected by sprinkler systems.

MR. MICHELSON: Will there be any discussion of fire protection in the next two days?

MR. MARTIN: Not beyond my discussion of what the open issue constitutes, which I was going to get into later on.

18 MR. MICHELSON: You are going to discuss that issue 19 a little later on?

MR. MARTIN: When I went through the open issues themselves.

MR. MICHELSON: Well, I will ask my question then. MR. MARTIN: Okay.

MR. BOYER: I might add, we can add a little bit and provide some answers to questions that might have been raised this morning if you would like.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

18

19

20

21

22

23

24

25

MR. EBERSOLE: Bill, may I ask a question? MR. KERR: Yes, sir.

MR. EBERSOLE: Mr. Martin, I see that there has been added to the plant an auxiliary shutdown panel I presume in response to Appendix R and other requirements. However, it has been buried in the plant rather deeply in the area of relay cabinets, cables et cetera, and it presents at this time a tremendous challenge toward further obtaining of isolation of that room as well as the incoming and outgoing circuitry from it to make it a truely functional shutdown system.

What is the staff status in examining this concept and the presumed hope of making it effective in its present location?

MR. MARTIN: I would like to call on Mr. Virgilio possibly for a comment on that.

MR. VIRGILIO: Marty Virgilio, Instrumentation and Control Systems Branch. In Chapter 7 of our SER we discuss the relay shutdown system and we talk about a conditional finding of acceptability based on their demonstration of the capability to shut the plant down safely using the remote shutdown system. It is a confirmatory item.

MR. EBERSOLE: Shutting it down safely is one

thing, but shutting it down with extreme damage on the 1 outboard side of what I think is as yet not installed, 2 3 a three-hour fire rating, is something else again. Do you include in shutting it down the thesis 4 5 that the surrounding spaces are in open conflagration? 6 MR. VIRGILIO: Sir, the panel which I am 7 discussing is the remote shutdown panel provided to satisfy 8 the requirements of GDC-19 9 MR. EBERSOLE: We are both talking about the 10 same thing. 11 MR. VIRGILIO: For the instrumentation and control 12 in GDC-19 we look at remote shutdown independing of 13 damage in the control room. We don't postulate damage in 14 the control room. The provisions for fire protection in 15 Appendix R are somewhat different, and I am not prepared 16 to speak on that issue. 17 MR. EBERSOLE: I guess that answer leaves me 18 totally confused. 19 Hanson fols 20 21 22 23 24 25

30

end Take 1 end Simons Take 2

1	MR. EBERSOLE: The remote shutdown panel is for
2	the presumed loss of plant features for shutdown elsewhere
3	in the plant due to, principally, fire.
4	MR. VIRGILIO: No, sir. The remote shutdown panel
5	panel is provided for GDC 19 as a crontrol room evacuation.
6	There are two, I guess, postulated events. One is the
7	evacuation of the control room, another is a postulated
8	fire. One may use the same panel to serve both purposes
9	but that is not necessarily our requirement.
10	MR. EBERSOLE: Oh, are you telling me the shutdown
11	room that I saw is operated in the context of fulfilling
12	the requirements of GDC 19?
13	MR. VIRGILIO: I am not sure which one you saw,
14	sir.
15	MR. EBERSOLE: It is the one in the relay room.
16	Are there two remote shutdown panels? I thought there was
17	only one.
18	MR. SPROAT: If I may, maybe I can help. This
19	is Ward Sproat again from Philadelphia Electric.
20	There is only one remote shutdown panel per unit
21	within the auxiliary equipment room which you saw this
22	morning on your tour. We are using that panel for both
23	satisfying GDC 19 and the Appendix R requirements for safe
24	shutdown capability for a fire in any given fire area in
25	the plant.

٢.

31

e,

ある

19

20

21

22

23

24

25

1 For a fire in the auxiliary equipment room we 2 will depend on that remote shutdown panel to safely shut 3 down the plant. How we are able to do that is that the circuits 4 in the cables from the systems or the components of those 5 systems that are out in the plant, those cables come directly 6 to the remote shutdown panel first. Wherever those cables 7 pass through the auxiliary equipment room, they will be 8 encapsulated within a three-hour fire barrier.

At that point where those cables then leave that
panel and go back to the control room, they are isolated
from the control room cables at the remote shutdown panel.
So that for a fire, given that we wipe out the entire eqipment
room, we could still achieve a chold shutdown from the remote
shutdown panel without any difference to what happens in
the aux equipment room.

MR.EBERSOLE: So, you have fire-protected cablings that traverse the relay room.

MR. SPOAT: That is correct.

MR. EBERSOLE: And you will tell us about the heat balance you will get obtaining in a fire, I guess.

MR. SPROAT: Well, we have not done heat balance. What we have done is, the material which we have selected to use to encapsulate those raceways has been tested in accordance with the NRC and industry criteria which is the ASTME-119 three-hour fire test. We have shown that using

		÷	-
-	co.	Los.	- 2
111	p-1	T1.	- 31
***	~		-

S	
1	material that we have selected, that the temperatures inside
2	the barrier remain below a certain target temperature which
3	is below the rated temperature of the cable.
4	MR. EBERSOLE: Is this true even though there is
5	no heat sink inside the raceway?
6	MR. SPROAT: The encapsulation acts as the heat
7	sink. It is a semi-ceramic material which actually gives
8	off gases or a liquid during the fire and actually acts
9	to cool the cables inside the envelope.
10	MR. EBERSOLE: Thank you.
11	MR. MOELLER: On that remote shutdown panel, what
12	is the air supply? I am assuming a case in which the main
13	control room is uninhabitable due to, say, airborne contami-
14	nation. Is the remote panel provided with an emergency
15	air system?
16	MR. SPROAT: I would like to defer to Mr. Bob
17	Atkinson from our Mechanical Engineering Division.
18	MR. ATKINSON: This is Bob Atkinson.
19	The auximiary equipment room is fed off its
20	own equipment HVAC system. We do not have any provisions
21	for radiation protection on that airconditioning system.
22	MR. MOELLER: OK, then if you had a circumstance
23	in which the air in the control room was contaminated and
24	unaccep able, that it might even be radioactive material
25	or one of these chemicals that we are talking about, the

meh 4	34			
1	presumption would be that the same airborne contamination			
2	would probably be present in the area of the remote shutdown			
3	panel; am I correct?			
4	MR. ATKINSON: Yes, that would be correct.			
5	MR. MOELLER: Has the staff looked at that and			
6	you found it acceptable?			
7	MR. MARTIN: I don't have the answer to that.			
8	MR. MOELLER: Could you perhaps, between now and			
9	the full committee meeting get us that information?			
10	MR. MARTIN: We can.			
11	MR. MOELLER: Thank you.			
12	MR. ATKINSON: Sir, one further ting on that question.			
13	We do have air packs in the control room and if we ran into			
14	that situation, the operators would have to put them away.			
15	MR. MOELLER: Then you have them in the remote			
16	control panel, too?			
17	MR. ATKINSON: I am not sure of that. Maybe			
18	someone has the answer to that.			
19	MR. MOELLER: I don't believe that you do, and			
20	that would worry me.			
21	MR. MICHELSON: Could you remark just briefly,			
22	also on how you remove the heat from the control and from			
23	the remote control room in the event of a fire somewhere			
24	in between?			
25	MR. KERR: Do you understand the question?			
2011	이 것이 같은 것이 같이			

35
MR. ATKINSON: No. Could you repeat the question?
MR. KERR: Good, I don't understand it either.
MR. MICHELSON: You have to environmentally control
the atmosphere in the control room at all times and be
capable of controlling it in the remote control room if
you need to use it.
MR. ATKINSON: Correct.
MR. MICHELSON: Now, how do you cool both of these
in the event that there is a fire somewhere in the building
that might engulf the equipment that perhaps you are counting
on?
MR. SPROAT: OK, if you had the fire up in the
equipment room or ACAC system for the control room it
is a separate system, they are not related at all. There
are no inter-ties. We have three outer fire barriers between
the floors and we would not anticipate any problems with
that.
Similarly, if you had the fire in the aux equipment
room, the control room should be habitable.
MR. MICHELSON: Well, how are you cooling the
auxiliary control room?
MR. SPROAT: It is the recirculation of the HVAC
system.
MR. MICHELSON: All self-contained in the room?
MR. SPROAT: No.

meh 5
eh 6		이는 것이 있는 것이 있는 것이 있는 것이 있는 것이 있는 것이 있는 것이 있다. 이와 이가 있는 것이
	1	MR. MICHELSON: Are you using the common chiller
	2	that goes to the control room?
	3	MR. SPROAT: We do use the common chiller.
	4	MR. MICHELSON: Now, I am going to put the fire at
	5	the common chiller, I am going to burn up the chiller room.
	6	What does that do to the control room and to the auxiliary
	7	room?
	8	MR. SPROAT: Well, we have the provisions on
	9	MR. KERR: Excuse me, I want to find out if the
	10	control room and the auxiliary room are also burning.
	11	MR. MICHELSON: No, the fire is in between.
	12	MR. KERR: OK.
	13	MR. SPROAT: We do have the provisions on both
	14	the auxiliary equipment room and the control room system
	15	to put our airconditioning systems on one-hundred percent
	16	outside air, so we may design our design 76 degree, 50 percent
	17	relative humidity, atmosphere that we normally obtain. If
	18	we did lose the chiller, we could ventilate it with outside
	19	air and we would be in a fairly reasonable situation.
	20	MR. MICHELSON: Have you estimated the temperature
	21	you would rise to with just outside air?
	22	MR. SPROAT: No, we have not.
	23	MR. MICHELSON: That would be maybe for the main
	24	committee meeting, you could tell us.
	25	MR. SPROAT: OK.

me

meh 7

1	MR. KERR: What is it you want him to tell you
2	because he answered your question which was, no, they have
3	not estimated it. You would like for them to calculate that?
4	MR. MICHELSON: Yes, I think they have to.
5	MR. KERR: What is it you want calculated?
6	MR. MICHELSON: It is simply, if you lose the
7	entire chiller system for any reason, what temperatures do
8	you reach in the control room and in the auxiliary control
9	room for the case of using just outside air as the cooling
10	medium?
11	MR. SPROAT: Yes, sir; we will do it.
12	MR. EBERSOLE: Do you intend to positively
13	pressurize the auxiliary control room?
14	MR. SPROAT: The control room is normally
15	pressurized to an eighth of an inch water gauge.
16	MR. EBERSOLE: The auxiliary shutdown room.
17	MR. SPROAT: The auxiliary shutdown room is
18	controlled approximately I am not sure what the set point
19	is but it is a little bit less than in the control room.
20	We always try to keep the control room pressurized. So,
21	it is a cascading-type thing. The control room is most
22	important, the the auxiliary equipment room, and then the
23	surrounding areas.
24	MR. EBERSOLE: The auxiliary equipment room?
25	MR. SPROAT: Yes.

meh 8

MR. EBERSOLE: Well, under the circumstances of a 1 fire, do you maintain a positive pressure in the emergency 2 shutdown center? 3 MR. SPROAT: Right now we have just decided to 4 encluse the room in a three-hour fire barrier. This has not 5 been completed yet. We are in the design stage of getting 6 the three-hour fire wall and putting in HVAC systems, and 7 8 we have not come up with a total design yet. 9 MR. EBERSOLE: Thank you. MR. SPROAT: You are welcome. 10 MR. KERR: Please continue, Mr. Martin. 11 MR. MARTIN: I had concluded with the summary of 12 13 the ones that we have resolved. I would note, of course, that you do not have the benefit of our basis for these 14 resolutions because since the SER was issued on August 30, 15 we have not put these bases down and issued them in a 16 supplement. That will be done shortly. 17 There are several in addition to the ones that have 18 been resolved for which the prognosis is good for their early 19 resolution, and those are Items No. 3, pipe breaks outside 20 containment; 4(b) isolation check valves, 18, the size of 21 the Independent Safety Engineering Group and the last one, 24, 22 containment emergency sump reliability. 23 A brief comment on those. Number 3 involves the 24 provision of additional information, drawings, tables and so 25

24

25

1	forth for us to complete our review.
2	Number 4 likewise involves the provision of what is
3	apparently the last bit of documentation necessary for the
4	staff to reach its conclusion on the feedwater isolation
5	check valves.
6	Number 18, the Applicant has very recently provided
7	some information regarding his meeting the five-man requirement
8	for size of the ISEG with the combination of people from
9	several other organizations, and we have that under review.
10	The potential for that is faIrly good to be resolved in the
11	near future.
12	Number 24, while the containment emergency sump
13	reliability of course is an unresolved safety issue, we have
14	looked at the Limerick design in connection with our learing
15	of their using some materials other than metal-jacketed
16	insulation. We requested some additional information from
17	them regarding what they are using, the potential for it
18	as a result of pipe breaks to form debris, the potential to
19	use depression pool strainers and so forth. That review is
20	going forward reasonably well. I would anticipate its
21	resolution within the next month or so.
22	If there are no comments on those, then I will
23	go into the category of those that are open.

MR. MICHELSON: Before you do that, I did not see on the agenda any place where you would discuss further, for

1	for instance, the resolution of a pipe break outside the
2	containment. So, I guess I will have to ask the question I
3	have now and maybe you can provide the answer later.
4	The plant has a somewhat unique design in that the
5	essential pump rooms and turbine rooms at the bottom of the
6	reactor building all have bulkhead doors. In other words,
7	they are rather tightly-sealed rooms. When can we hear a
8	little bit about how these rooms are vented for the unusual
9	cases of, let's say, a steamline break inside the room, or
10	that sort of thing? Is that going to be covered later?
11	MR. MARTIN: I had not planned on doing so, no.
12	How they are vented?
13	MR. KERR: Do you understand the question, Mr.
14	Martin?
15	MR. MARTIN: I am not sure I do.
16	MR. MICHELSON: OK, very simply, if you break a
17	pipe inside of a box it will blow the box apart unless there
18	is a vent valve somewhere to let the pressure you. How is
19	this done for these corner rooms, how are they vented so
20	that you don't blow them apart, either with hydrostatic
21	pressure or with steam pressure?
22	MR. MARTIN: I appreciate your elaborating on it.
23	I can't answer it today. We will have to get some more
24	answers.
25	MR. MICHELSON: I am sure the applicant looked at
1.1	

4

5

6

7

11

12

13

14

25

it. In particular, since we don't have a lot of time, just address it for the case of the RXI and HPSI turbines since steam generally is a little bit more of a problem.

MR.POLYHAR: My name is Steve Polyhar with Bechtel. The HPSI and RXI compartments the the potential for steamline breaks, and there are panels in the ceiling of the compartments which would lift with blow if you get a line break. The steam would be vented through a valve gallery at a higher 8 elevation and would ultimately be vented through a panel, a large panel in the wall --10

MR. MICHELSON: After the steam leaves the room up through the panel in the ceiling, I guess, that opens, where does the steam go through in the balance of the reactor building before it is finally vented?

MR. POLYHAR: It goes vertially in a chamber, 15 a valve -- area around the drywell. 16

MR. MICHELSON: Is it also bulkheaded so that it 17 does not start going outdoors, or that sort of thing at that 18 point? 19

MR. POLYHAR: That is right. In fact, it goes 20 through the same compartment where the steam lines go down 21 to the turbines. So, if there is a line break either in 22 the pump department or in the valve area, it would went 23 through the same blow-out. 24

MR. MICHELSON: Does this vent all the way up to the

1 refueling floor, then, to get out, or were these panels lower 2 than that?

MR. PLOYHAR: The panel is lower. It is not terribly high above grade, it is about elevation 240 which is 20, 30 feet above grade. There are panels in the pump compartment, a one-way panel, so that if you had a rupture on one compartment it would not return to the other compartments.

9 MR. MICHELSON: So, it is vented outside through
10 a rather direct route, you are saying.

MR. PLOYHAR: Yes.

MR. MICHELSON: As long as I have an expert, maybe you could tell me how you handle the case of a water line break in one of these rooms, maybe it is service water or whatever, which proceeds to fill the entire room. What is the route?

MR. PLOYHAR: The room is watertight. If you
had a line break in the room it would fill up the room,
depending on the size of the break. However, we can take
a loss of a single pump room --

21 MR. MICHELSON: I am sure you can take the loss of 22 the room, but you can't take the loss of the walls, you have 23 to vent it somehow.

24 MR. PLOYHAR: Oh, yes. No, the walls are designed25 to take hydrostatic pressure.

meh 13

MR. MICHELSON: At 150-pounds pressure? I am 1 going to pump it up with a water pump, I am going to hydro 2 3 the room. MR. PLOYHAR: The subject has been looked at and 4 I believe the answer is that the line would be isolated. 5 MR. MICHELSON: So, you are depending upon 6 identification and isolation before the water exceeds the 7 ratings of the walls; is that correct? 8 MR. PLOYHAR: We also have drains from those 9 10 compartments. 11 M. MICHELSON: They won't do you any good. They are not big enough for this, I am sure. I did not see any. 12 MR. PLOYHAR: Orange drains. 13 14 MR. MICHELSON: Yes, but we are talking about a 15 large break now. MR. PLOYHAR: I think all those lines have been 16 17 analyzed. 18 MR. MICHELSON: But do you depend upon identification of the break in isolation before the room is too full, or 19 is there some kind of a final vent that carries the water 20 21 outside? 22 MR. GARCIA: Would not the same vent that carries 23 steam out carry the --MR. MICHELSON: No, the hydrostatic pressure would 24 25 be way too great before it got up that high.

T-MARK

1	MR. PLOYHAR: In most cases, I believe, the
2	compartments would be vented through a grating to a higher
3	elevation.
4	MR. KERR: Let me suggest, if you are not sure,
5	that you look.
6	MR. EBERSOLE: Mr. Chairman, before this expert
7	gets away, apparently you have given more thought than others
8	to the matter of steam vents. Let me just get a point of
9	clarification.
10	I take it this is based on the thesis that in time
11	you will close the steam pipe, execute valve closures; or
12	is it based on the thesis that your valves because of the
13	absence of any real testing at emergency close, that they
14	may stay open? What is the rationale?
15	MR. KERR: Do you understand the question?
16	MR. PLOYHAR: I am not sure I do.
17	MR. EBERSOLE: Well, do you count on maintenance,
18	that is failure of the valves to close in designing these
19	steam vents, or do you simply base this on a time to
20	discharge at which you will get a closure?
21	MR. PLOYHAR: The vent would, if the valve failed
22	to close, if both valves failed to close, the vent would
23	maintain the pressure.
24	MR. EBERSOLE: And the structure would stand the
25	differential, would it?

15	40	
1	MR. PLOYHAR: I believe so. I would have to verify	
2	that.	
3	MR. EBERSOLE: That is the most pessimistic view,	
4	of course.	
5	Now, let me ask you this, are these spaces isolated	
6	in the context that the steam will not feed into areas	
7	containing general purpose electrical appartus which will	
8	proceed to condense and short out all over the plant?	
9	MR. PLOYHAR: The path from the compartments would	
10	not go into general access areas where other electronic	
11	or electrical equipment is located.	
12	MR. EBERSOLE: You have isolated these areas	
13	which are subject to these pressured steam inputs so that they	
14	do not include sensitive electrical apparatus; is that what	
15	you are telling me?	
16	MR. PLOYHAR: I don't know whether I could claim	
17	that that is true in all cases.	
18	MR. EBERSOLE: Can anybody?	
19	MR. ATKINSON: I think I can clarify that. Bob	
20	Atkinson again.	
21	In the areas where we postulate the breaks we	
22	looked at the airconditioning ducts which could be a pathway	
23	to other areas of the plant. Any place that we have a	
24	ductwork penetrating that wall, we have provided steam	
25	flooding dampers. What these basically do is, they sense a	

Meh

1	pressure rise in the room and they close. They are essentially
2	gas-type dampers. The reason we put them in, so we could
3	not spread these environments throughout the plant.
4	MR. EBERSOLE: And then you excluded sensitive
5	equipment from that particular closed space? You did not
6	let electrical apparatus put inside the space that you so
7	enclosed?
8	MR. ATKINSON: I am not sure of exactly what is in
9	each space. I would assume there is redundancy, though.
10	FROM THE FLOOR: We had better look at that.
11	MR. MICHELSON: While you are looking at it, would
12	you also make sure to look at it in the case where it is
13	water instead of steam and your dampers are not particularly
14	effective any more?
15	In other words, if you are going to tighten up a
16	room as thight as those appear to have been made, what happens
17	when you fill the room with steam or with water?
18	MR. KERR: Please continue, Mr. Martin.
19	MR. MARTIN: The first item on the issues which
20	remain open is emergency preparedness. I will discuss two
21	subjects within this area, one being the meterological program.
22	the other being the emergency planning itself.
23	The meteorological program is Adjustment 3 of the
24	SER. We have reviewed the information on the program
25	provided to date and we have concluded that as described

.....

(B)

30.

-12

-

it appears to meet the criteria for upgraded meteorological
 measurements as part of the emergency response capability.
 The upgrading must be completed in accordance with the
 schedule of 3A2 of Supplement 1, 20737.

The staff has conducted a post-implementation review of that upgrading and the incorporation of current meteorological information into a real time atmosphere dispersion model for dose assessments will also be considered as part of the upgraded capability.

10 As indicated in the SER, we reviewed the information 11 on metereology provided with respect to the design basis 12 accident consideration, and we have concluded that those 13 issues have drawn to a close.

But with respect to the meteorology as it realtes to the operational meteorological program, our review has concluded to this point that sufficient basis has not been provided for showing that an acceptable percentage of data recovery can be expected from the program.

19 We discussed this at length with the applicant. The 20 applicant identified a program to collect that data, to 21 demonstrate the acceptable percentage of data retention. The program is scheduled to begin the 15th of October. We plan 22 23 to review, relative to that program, in February when we participate in the emergency planning implementation appraisal, 24 25 we plan to review the procedures for data taking which the

5

6

9

11

25

applicant will use. We are planning to review the training 1 of the maintenance personnel involved, and perhaps also to 2 3 take a look at the data taken through February.

We will look at the data taken through a six-month period from October 15, which puts it at about April 15, to see whether the program is on track to meeting the requirements which we feel it must meet. At that time, we would 7 make decisions, we would consider whether a decision was 8 needed to either agree that the program is on track or other decisions need to be made relative to the licensing of the 10 plant.

12 It is possible that we would look at it again at 13 a nine-month interval if we thought we needed to.

14 MR. MICHELSON: On the question of emergency 15 preparedness, are you making any particular or requiring any particular plans in the unlikely event that you should 16 17 experience a major railroad disaster at this site, and what 18 does the site now do?

MR. MARTIN: I don't have that information. 19 John 20 Sears, are you aware of that?

21 MR. SEARS: No, sir; we have not considered that. 22 MR. MICHELSON: Is that the sort of thing you would normally include -- and keeping in mind the very close 23 24 proximity of that disaster to the site.

MR. SEARS: We start with emergency planning, with

1 damage to the core and go from there. So, if indeed because 2 of a railroad accident there was damage done on the core, 3 that is the one, that is the point --

MR. MICHELSON: At that point, you normally start
out with everything clean around the site and you now have a
core that is in trouble. What do you do when you both have
a core in trouble and surnoundings that are perhaps in very
serious trouble? In other words, access to the site is even
becoming kind of restricted.

MR. SEARS: What would the context of emergency
preparedness be --

MR. KERR: Excuse me, let me make sure I understand the question. Are you postulating a railroad disaster and at the same time a molten core, one caused by the other; or what?

MR. MICHELSON: Yes. The railroad disaster is the thing, of course, that is the initiator. Now it is a question of what that may do to the site. Now, that has not been clearly established in my mind, at least from what I was able to read -- it is going to be, I assume, later.

21But if the core gets in trouble from the railroad -\_22MR.KERR: A railroad disaster being what?23MR. MICHELSON: Well, the postulated one was 56 tons24of TNT being set off near the diesel building, about 500, 600

feet from the diesel building. Pressures rise to 10, 12 pounds

per square inch on the strutures. It is not clear what happens 1 in the cooling tower and so forth. 2 MR. MARTIN: As I stated, in the SER we did review 3 that and found as far as the impact on safety-related concerns for the plant's operation it is acceptable. We did not 5 Arrive at a conclusion that damage to safety-related aspects 6 of the plant would result particularly in anything relating 7 to degraded core. 8 MR MICHELSON: I am sure that is words, these 9 are the words that are written. You have to postulate loss 10 of off-site power, this sort of thing. That this disaster 11 is going on right next to the switch yard, there is debris 12 flying in every direction. It is highly unlikely that you 13 will have even have on-site power. 14 MR. KERR: Maybe Mr. Martin understands what you 15

16 are asking. I am sorry, I don't understand what it is you are 17 suggesting that staff do.

MR. MICHELSON: Well, the first suggestion -- that was somewhat earlier -- was, where is the discussion of the kinds of railroad events that we are really postulating the the true consequential effects of the railroad incident.

Now I am asking, is there any emergency plan to
accomodate a combined railroad incident plus a nuclear problem.

24 MR. SEARS: Sir, I can address that. The operating
25 staff who is on duty are so sufficient to do the immediate

23

24

25

things that have to be done to alert people off-site if indeed -- we will even postulate that communications is lost because of this accident on the railroad, there is radio communication off-site which would still permit the operators on duty who have the authority and responsibility to alert people off-site and they can do that.

7 The operators will be self-sufficient to take care
8 of the core and to alert people off-site.

MR. KERR: Please continue, Mr. Martin.
MR. MARTIN: The other aspect of this first area
would be the emergency planning, the review of the emergency
plans themselves. In this regard some time ago, in '68 or
so, requests for additional information were identified. The
answers to most of them are scheduled for approximately
the end of December, January of '84.

In the meantime, the plan is being reviewed by
the Pennsylvania Emergency Management Agency which expects
to produce its findings by the latter part of November.
Those findings would then go to the Federal Emergency
Management Agency which would conduct its review and their
conclusions are expected sometime around the end of February.

Our review will proceed somewhat concurrently with those activities, beginning about the beginning of January. We will be arriving at conclusions of our review in the spring of next year, mid to late spring of next year.

1	MR. MOELLER: And then there will be a supplement
2	to the SER?
3	MR. MARTIN: There would be, yes.
4	The supplement would add to what we have said in
5	133 of the SER, which at this point in time, 133 provides
6	a plan for the future activities in this area.
7	MR. KERR: One of the rules of operating in front
8	of this committee is that you never pause, otherwise you get
9	a lot of questions.
10	(Laughter)
11	MR. MARTIN: Moving right along, then.
12	(Laughter)
13	MR. MARTIN: The next one being the effects of
14	Tornado Missiles on the ultimate heat sink. The ultimate
15	heat sink, as you saw during your tour this morning, is not
16	protected from postulated Tornado Missiles. We guestioned
17	the applicant on this. In response, the applicant has
18	presented information which is based on a probabilistic
19	approach, the probability of having a tornado, the probability
20	of having a missile with sufficient energy to do an unacceptable
21	amount of damage, and so forth and so on.
22	The quantification of the probabilistic argument
23	has not been sufficient to answer all of our concerns in this
24	area. We have met with them and discussed it extensively.
25	We have put our position in a letter to them. They are

7

24

25

1 currently doing some studies. They plan to meet with us fairly soon for a mid-study review to see where we are, discuss 2 3 where we are. I understand the results of their work is supposed to be available sometime in the November-December 4 5 time frame.

MR. KERR: Is it possible in principle that the probabilistic argument could be acceptable to the staff?

8 MR. MARTIN: It is in principle, yes. It follows 9 guidance of the standard review plan, of the basic review 10 approach.

11 MR. KERR: I was trying to imagine how one would 12 protect against tornado-generated missiles and I suppose 13 one can put a roof on it. But then I decided that would not 14 work very well. So, maybe we do not need to pursue this. 15 This would be rather difficult.

MR. MARTIN: Yes. I will move on, then, to 16 17 Area No. 6, seismic, dynamic and environmental qualification of 18 equipment.

19 Basically, there are five sub-topics within this area. Qualification of the ABS accumulators, this is as per 20 TMI Action Plan 2, page 228. The staff has recently produced 21 22 a letter to the applicant on that.

23 The qualification of the purge and vent valves, the basic qualification requirements on that subject were transmitted to the applicant some time ago. They have recently

sent us a response which will be under review. 1 The seismic qualification and review team efforts -2 well, really there were three review team efforts which I 3 will describe in one way: they are the seismic and qualifi-4 cation review team efforts, the pump and valve operability 5 review team, and the environmental gualification effort. 6 For each of these areas, each of these three areas, 7 the basic regulatory requirements, the information needed and 8 so forth, has been communicated to the applicant. The 9 applicant is developing a program to respond to these needs. 10 We are planning to meet with them and conduct 11 audits. We have review teams, of course, on our staff which 12 will in some cases yo to the plant, to the applicant's 13 offices and conduct detailed audits. These are about to begin. 14 We will be active in this area October through, I estimate, 15 into early next year on this. 16 MR. KERR: There is nothing unique about this 17 plant, this is something one would require of any plant of this 18 type. It is just a matter of getting the documentation for 19 this plant; is that the case? 20 MR. MARTIN: That is a true characterization. We 21 have not identified anything unique about this case. 22 MR. EBERSOLE: Mr. Chairman? 23 MR. KERR: Yes, sir. 24 MR. EBERSOLE: Mr. Martin, I see you mention 25

1	qualification of accumulators and that caught my attention.
2	What are you talking about, environmental qualifications
3	accumulators. They are just pressure tanks, are they not?
4	MR. MARTIN: The ADS accumulators, yes.
5	MR. EBERSOLE: So, what is the question about
6	environmental capability?
7	MR. MARTIN: The question is the information re-
8	quired to reach a conclusion that 2k328 has been acceptable
9	to the county court.
10	MR. EBERSOLE: What's that?
11	MR. SEARS: The qualification of ADS accumulators,
12	a TMI-2 requirement.
13	MR. EBERSOLE: In an environmental context?
14	MR. KERR: I have a whole list.
15	MR. EBERSOLE: I mean, is there an environmental
16	problem with these accumulators?
17	MR. NOVAK: Tom Novak from the staff. Let me
18	correct that one point. There has been some experience
19	recently with rusting and things on the inside of the
20	accumulators due to this corrosion. So, if you want to
21	take it in that
22	MR. EBERSOLE: This corrosion that's OK.
23	MR. NOVAK: I would just pose that as one potential
24	reason why we are interested.
25	MR. EBERSOLE: While you are on the topic, the

real environmental problem is qualification of the ADS valve, 1 whether it can tolerate the hostile conditions and keep those 2 valves propped open. 3 1 understand this plant has two colenoid valves, 4 two solenoid cores per valve and the intent, of course, is 5 when you need these valves open you get them to open. 6 Could you explain to me how those two solenoids 7 work, are they in parallel, do they work as separate systems 8 or what? 9 MR. KERR: Do you want the staff to explain that 10 specifically or do you just want to understand how it works? 11 MR. EBERSOLE: I want to understand how you --12 MR. KERR: Let me suggest that the applicant 13 has someone. 14 MR. HELWIG: David Helwig. 15 First I will address that issue and then I would 16 like to go back to one environmental qualification of the 17 accumulators, if I might. 18 We use parallel solenoids. 19 MR. EBERSOLE: They are parallel solenoids. 20 MR. HELWIG: Yes, sir. 21 MR. EBERSOLE: And each is connected to, then, 22 the same AC system? 23 MR. HELWIG: No, sir, one is DC and one is AC. 24 MR. EBERSOLE: Well, then they can't be parallel. 25

- H	
1	Are you there talking about mechanically parallel?
2	MR. HELWIG: Yes, sir.
3	MR. EBERSOLE: And you require both of those to
4	be energized for the function?
5	MR. HELWIG: No, sir, any one of them.
6	MR. EBERSOLE: Oh, either the AC or the DC solenoid
7	will kick the valve open?
8	MR. HELWIG: That's correct, they are three-way
9	solenoids located in parallel
10	MR. EBERSOLE: Are they maintaining position once
11	they are pulsed?
12	MR. KERR: We will accept "I don't know but I
13	will find out" as an answer.
14	MR. HELWIG: They are maintained, they have to be
15	maintained.
16	MR. EBERSOLE: They have to be. So, you have to
17	maintain these hot, whatever source of electric power you are
18	using, in the presence of the hostile condition.
19	MR. HELWIG: Yes, sir.
20	MR. EBERSOLE: So, they have to then survive over
21	the entire duration of the hostile condition, et cetera, to
22	remain open.
23	There are no other ways to open the vessel other
24	than these valves, which are safety grade; am I correct?
25	MR. HELWIG: Well, I don't think that would be

meh 28	58
1	quite literally true. I think the main steam valve certainly
2	would
3	MR. EBERSOLE: But they are prohibited under
4	emergency conditions.
5	MR. FELWIG: Under certain emergency conditions.
6	MR. EBERSOLE: Besides, will they open when there
7	is a differential across them?
8	MR. KERR: Why don't you say, "We'll stipulate
9	that. What is your next question?"
10	(Laughter)
11	MR. EBEPSOLE: Let me tell you what I heard. These
12	valves are the only way to keep the vessel open. They are
13	operated by either of two DC sources, but both of those or
14	either one of those has to be maintained, the potential has
15	to be contained while it is kept open.
16	MR. KERR: Now, wait a minute, I heard one AC and
17	one DC.
18	MR. EBERSOLE: OK. but either electric source.
19	Fither one or the other has to be maintained hot.
20	MD HEIWIG: Yes
20	MD KEDD. What is the question?
22	MR. REFROIT. I was just confirming that.
02	MR. EBERSOLL. I was just confirming endt.
20	MR. HELWIG: Let me correct my erectrical engineering
24	counterpart who has corrected me. We have all both be and
25	air on separate channels.

meh	29	59
	1	MR. EBERSOLE: And they are both DC. Thank you.
D	2	MR. HELWIG: They do have to be maintained.
	3	MR. EBERSOLE: Thank you.
	4	MR. MARTIN: Let me move on to inadequate core
	5	cooling.
	6	MR. MOELLER: Mr. Martin, could 1 ask one quick
	7	question on emergency preparedness?
	8	Will the current effort of the NRC staff to re-
	9	evaluate the source term, will that be completed and will it
	10	be possible for you to factor that into the emergency
	11	preparedness for this plant?
	12	MR. MARTIN: Mr. Cantor, can you speak to that?
D	13	MR. MOESLER: In other words, what are your
	14	anticipations?
	15	MR. CANTOR: We do not anticipate at the present
	16	time that there will be any results forthcoming from the
	17	accident source term investigation, that all impacts are
	18	emergency preparedness requirements in the context of
	19	Limerick.
	20	MR. MOELLER: And the second questionis, General
	21	Electric, of course, is doing research on the cleanup of
	22	fission products anticipated by the scrubbing of the
	23	suppression pool. Do you anticipate any impact from that
	24	research prior to reaching your conclusions on emergency
-	25	preparedness?

eh 30	60
1	MR. CANTOR: No, sir; we do not.
2	MR. MOELLER: Thank you.
3	MR. KERR: Mr. Davis?
4	MR. DAVIS: Mr. Martin, may I ask a question on
5	the seismic qualification area?
6	Appendix E of your SER, and particularly on page A-2
7	the statement is made that it is the NRC staff position that
8	facilities should be designed to withstand the recurrence of
9	an earthquake the size of the 1886 earthquake in the vicinit;
10	of Charleston.
11	Is this now the design requirement for all plants
12	in the east? That is what this statement implies.
13	Could you clarify that for me?
14	MR. MARTIN: I would offer that the staff in support
15	of that issue planned to be in attendance tomorrow. I am not
16	familiar with the complexities of the issue.
17	MR. DAVIS: Thank you.
18	MR. MARTIN: I know the statement is written,
19	particularly as it relates to Limerick there in Appendix E.
20	MR. DAVIS: All right, thank you.
21	MR. KERR: Plase, continue.
22	MR. MARTIN: Our SER noted where we were at this
23	point in time in reviewing the two BWR Owners Group reports
24	on this subject and indicated three areas that should be
25	accounted for. The first area being that the applicant should

m

consider the BWR Owners Group recommendations for upgrading 1 the water level instrumentation to reduce the errors caused 2 by high drywell temperature. 3 The second issue was with respect to determining 4 if operator action is needed to mitigate the consequences of 5 a break in a referenced leg in a single failure in a protection 6 channel. That issue is discussed further in Section 722 of 7 the SER. 8 The third item was that the applicant should 9 identify the type of water level indication equipment used 10 for Limerick. The concern there was with respect to whether 11 or not mechanical level indication equipment is used. 12 The applicant responded in a letter dated August 13 23. He responded indicating with respect to Item 3, 14 mechanical level indication was not used. 15 With respect to Item 1, they provided their 16 justification as to why their present water level instru-17 mentation is sufficient in the Limerick plant. 18 As far as I can say at this point, we have that 19 report, we have it under review. We will be working on it 20 in conjunction with our review of the BWR Owners Group 21 report. As far as an estimation of the time this issue will 22 be resolved, I think that will be early next year. 23 MR. KERR: Is this sort of question likely to be 24 resolved in a plant by plant basis rather than a generic 25

9.1

62
one for BWRs at this time?
MR. MARTIN: I believe the staff position related
to the BWR Owners Group report is going before our CRGR
committee. The scheduling of those activities is what
leads me to arrive at a January, early next year, schedule.
MR. KERR: Thank you.
MR. EBERSOLE: Mr. Martin, on this matter of the
level indication, if you don't have a proper level, the
thesis must be you want to do something about it.
The valves we previously discussed with the two
solenoids on them which are voltaged by DC, how many
batteries does this station have for feeding the critical
DC-supplied equipment; is it two?

.

SY3 flw LH2

. . .

1	MR. EBERSOLE: There are four batteries, but that
2	can be a little confusing if, in fact, buried under the
3	four there are really two.
4	MR. VIRGILIO: With regard to the ACS valves,
5	if that's what you're referring to in separate divisions,
6	that would feed the ADF solenoids.
7	MR. EBERSOLE: Are there two, then?
8	MR. VIRGILIO: Essentially, yes.
9	MR. EBERSOLE: Are these the same batteries that
10	feed the high pressure coolant injection system
11	MR. VIRGILIO: We have reviewed
12	MR. EBERSOLE: What about separation? I just want
13	to know about the number of sources.
14	You have two batteries.
15	MR. KERR: He said there were four.
16	MR. EBERSOLE: I know. But are these four reduced
17	to two in certain critical safety functions?
18	MR. VIRGILIO: No, I believe on this plant and
19	the applicant can confirm this that the high pressure
20	coolant injection system would be the third division. So
21	it's not the same division.
22	MR. EBERSOLE: Could the applicant say something
23	about the DC logic? Is it one out of two that he must have,
23 24	about the DC logic? Is it one out of two that he must have, or does he have one out of three or one out of four?

6

sy3,sy2

The second

	MD CODOLT Theliens on Till sime it a two
1	MR. SPROAT: I belleve so, I'll give it a try.
2	In my presentation later this evening, I'm going to be giving
3	quite a lot of details on the electrical distribution system.
4	MR. KERR: We can defer that then, if you wish.
5	Unless you can answer it in 30 seconds.
6	MR. SPROAT: We have four electrical divisions,
7	both AC and DC, complete separate. As far as HPCI is
8	concerned, that's powered mainly from DC division 2. RCIC
9	is powered mainly from DC Division 1.
10	MR. FEERSOLE: What about the semi-automatic release?
11	MR. SPROAT: The two ADS channels are divisions
12	1 and 2.
13	MR. EBERSOLE: The same divisions?
14	MR. SPROAT: Same divisions, but you only need one
15	out of two divisions to actuate an ADS valve.
16	MR.EBERSOLE: But if I lose one DC system, I lost
17	50 percent of these; I lose one or the other.
18	MR. SPROAT: No. You would still have complete
19	control over all your ADS valves, but you would lose RCIC,
20	but you would still have HPCI.
21	MR. EBERSOLE: I see, thank you.
22	MR. KERR: Please continue, Mr. Martin.
23	MR. MARTIN: I will move on to manual initiation
24	of the safety systems, Item 11 on the agenda.
25	(Slide.)

Tp3,sy3

1 Basically, the applicant has stated that the 2 individual subsystems of the ECCS were not designed to 3 satisfy the single failure criterion, and that the ECCS function will be met with any one of the subsystems inoperable. 4 5 The staff recognizes that interlock logic failure in just one 6 of several failures can be postulated to defeat the successful 7 operation of the containment spray, or single trains of 8 containment spray, RHR or LPCI. 9 However, it is our position that the remote manual 10 control should be provided at the component level, independent 11 of interlocks. 12 The position in the SER has been communicated to 13 the Applicant, there have been extensive discussions on it. 14 We're currently awaiting a documented response from them 15 justifying the present design. 16 Our requirement is -- our position is that we will 17 require that they propose plant modifications that would 13 provide interlocks for remote manual operation at the 19 component level for the containment spray, contrainment 20 spray/RHR and LPCI injection valve. 21 MR. EBERSOLE: Do I understand that you found that 22 the interlocks invalidated the single failure criterion thesis? 23 MR. MARTIN: It's a question of whether you need --24 remote manual control should be provided at the individual 25 component level.

tp3,sy4

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. EBERSOLE: But without remote manual control, did you find that the interlock system defeated the single failure criterion? That is, they were subject to single failure?

MR. VIRGILIO: What we found is that the ECCS on the -- this design of BWRs -- is considered a network. And single failures within portions of the network might cause you to have rely on another portion of the network. What the staff is working with the Applicant now on is that we have regulatory guidance that says where you have a safety system you automatic initiation circuits and your manual initiation circuits share the minimum number of common components.

What we have found is that there are interlocks on certain values that need to operate in order to have either manual or automatic system operability. Now, that may cause you loss of one of these interlocks and may cause you to have to rely on another safety system.

MR. KERR: Is your answer to Mr. Ebersole yes or no? MR. VIRGILIO: The answer is yes, there are single failures within individual portions of the ECCS network, but it isn't -- a single failure would not preclude the operation of the ECCS system.

MR. EBERSOLE: I've been concerned about interlock potential to create single failure potential for a long time on a generic basis. Is this unique to this plant?

tp3,sy5

1	MR. VIRGILIO: No, sir, it's not unique to this
2	plant. We have reviewed this on a number of plants, and
3	certain modifications have been proposed on other dockets.
4	MR. EBERSOLE: Are you invoking the operator going
5	and actually breaking the interlock at the component?
6	MR. VIRGILIO: No. sir. What we're proposing is
7	that separate interlocks be provided; possibly sensing other
8	narapeters. There are certain interlocks that serve as a
9	estatu function, for example, at high proceure/low proceure
10	evetom interfaces
11	MD_EDEDCOLE. Is there a desument that you can
12	MR. EBERSOLE: Is there a document that you can
12	identify that discusses this matter, both on the specific
15	and general context?
14	MR. VIRGILIO: It is included in our Safety
15	Evaluation Report, Section 7.
16	MR. EBERSOLE: Section 7, thank you.
17	SPEAKER: Dr. Kerr, I think we can add something
18	to this discussion. Mr. Edwards?
19	MR. EDWARDS: My name is Gary Edwards. I believe
20	in answer to your question, the system stillmeets the single
21	failure criterion with sharing these interlocks. That's our
22	position. That's why believe that even though we even
23	believe we meet the intent of the Reg Guide that's been
24	specified. I think it's 1.68. So we believe that we meet
25	the single failure criterion.

1	MR. KIRR: Thank you, sir. Please continue.
2	MR. MARTIN: On to the post-accident monitoring
3	instrumentation. This is the information addressed by
4	Regulatory Guide 1.97. The Applicant has responded to those
5	information requirements. The staff is currently reviewing
6	this information to determine the degree of conformance to
7	Reg Guide 1.97 and the adequacy of the post-accident monitoring
8	instrumentation. And on completion of our review, we'll
9	report the results in a supplement to the report.
10	However, this is anticipated to go on for perhaps
11	into early next year, December, January timeframe.
12	MR. KERR: Referring to my schedule, we're now
13	about five minutes behind the ending of your presentation.
14	I realize you can't immediately end it, but let's all try to
15	speed things up a little.
16	MR. MARTIN: Okay. I would simply characterize
17	where we are on these reviews.
18	The next one, Item 13, deals with several related
19	issues, one of them being addressed by I&E Information
20	Notice 79-22 with respect to control rooms being exposed to
21	adverse environment caused by high energy line breaks.
22	The other issue was a concern with respect to
23	several control systems or control and safety systems that
24	are being supplied information from common sensors or supplied
25	from a common power source. What happens if the power source

, - **1**0

10

ê

68

3,sy6

tp3,sy7

5

24

25

or sensors could cause multiple control system failures not bounded by the safety analysis.

69

The Applicant is well aware of this concern from extensive communications with us. They plan a response to the issue in the latter part of October.

I'm going to move on to Item 14, the three-hour 6 five-rated barriers for structural steel. The guidelines 7 for fire protection which review plants to require protection 8 of the structural steel. We have not learned of a sufficient 9 basis from the Applicant to this date for doing otherwise. 10 We understand the Applicant has the concern under evaluation 11 and plans to come to us sometime in the near future with a 12 proposed resolution. 13

The Applicant is also addressing the issue in connection with the Peacy Bottom plant. Communications are taking place with the staff on the Peach Bottom docket as well.

MR. EBERSOLE: When you get a fire rating of an insulating material, one of the strongest aspects of getting that rating is the character of the heat sink on the cool side. If you have zero heat sink there and it's an enclosed box, then you have much more critical problem that if you have a very good heat sink like a fan-cooled wall.

And maybe one of the worst things you have is when wrap a bunch of cables with so-called fire-rated material

1	and you have only the mass and the specific heating substance
2	inside to accommodate the in-leakage of heat. How do you
3	interpret the adequacy of fire ratings when there's virtually
4	no heat sink on the cool side?
5	MR. KERR: Is that a question on this particular
6	issue, Mr. Ebersole, because it doesn't seem to me it has
7	a great deal to do with protecting structural steel.
8	MR. EBERSOLE: He was talking about structural
9	steel. Structural steel completely wrapped in insulation
10	submerged in the heat source is one thing. A piece of
11	structural steel which has a cold side is another, and how
12	do you interpret whether you've done a good job or not?
13	And it's equally applicable to cabling.
14	MR. MARTIN: I don't believe I can answer your
15	question. We could have someone address it at the full
16	committee meeting, perhaps.
17	MR. EBERSOLE: Does the Applicant understand my
18	question?
19	SPEAKER: Could you, at sometime answer that?
20	MR. KERR: He would be hard put to tell you how
21	the staff interprets it, I think.
22	(Laughter.)
23	MR. EBERSOLE: I'd just like to get a practical
24	answer to that question. A fire rating, in other words,
25	has conditional requirements which I don't hear expressed here.

tp3,sy9

2. 1 Sec. 2	
1	MR. REED: Gary Reed, Mechanical Engineering.
2	Our evaluation we agree with you. I think the point of the
3	staff is that we will reach the structural limit of the steel
4	if it is not protected. If it is protected, it may very well
5	not reach that critical temperature at which it would yield.
6	We're confident that it won't yield without the protection.
7	MR. EBERSOLE: And you did a time-dependent study
8	on how hot it gets?
9	MR. REED: Exactly.
10	MR. EBERSOLE: Considering the available heat sink?
11	MR. REED: Exactly.
12	MR. EBERSOLE: And is that based on the so-called
13	fire source, the inventory that's in the room that's the
14	source of the fire?
15	MR. REED: Generally, cabling we have for burn-rated
16	specified or resulting from tests from on Sandia, all over,
17	we can assume that we have an ignition source, an external
18	ignition source, and from there on we do the burn rate
19	based on these test results and evaluate the heat in both.
20	MR. EBERSOLE: All I'm really looking for is
21	somebody to say yeah, I did a thermal analysis, not just a
22	fire rating.
23	MR. REED: Yes, and we have submitted that analysis
24	to the NRC on the Peach Bottom docket.
25	MR. EBERSOLE: Did you have any trouble with the

71

-

ċ

..
tp3,sy10

-

1	cables that are simply wrapped with some sort of a fire-
2	rated
3	MR. REED: To tell you the truth, we took those
4	cables out of our heat load because they're wrapped and protected
5	and should unite.
6	MR. EBERSOLE: What I'm asking is, did you have
7	any trouble did you completely encapsulate a cable run in
8	insulating material?
9	MR. REED: Our test results indicate that we will
10	not have a derating problem, if that's your question.
11	MR. EBERSOLE: Thank you.
12	MR. KERR: Please continue, Mr. Martin.
13	MR. MARTIN: The 15th item on electrical cable
14	and cable tray protection; we discussed that to some degree
15	before. The staff's emphasis is on anywhere from numbers such
16	as 6 or more cable trays that are in close proximity to each
17	other, then a combination of automatic sprinklers or line
18	type detectors should be employed. The Applicant informs us
19	they are doing a study at the present time to define the
20	occurrences of groups of trays in close proximity to each
21	other, and their basis for providing or not providing such
22	indication or protection. The Applicant anticipates that
23	their response to the staff will be consistent with their
24	schedule for Item 14.
25	MR. MICHELSON: Is this a good time now to ask

Hall.

Seatt.

1

2

3

4

5

6

21

24

about the cable trays in the control room which are above the control panel? There's a number of trays there that are fairly loaded with cabling, and I was wondering what is your plan for protection of the cabling, or fire protection or what? MR. KERR: The issue is still open. Are you asking

him to predict what the Applicant is trying to --

MP. MICHELSON: It isn't clear from the statement 7 that that issue is open. The issue that's open is whether 8 six or more trays -- there aren't six trays in there, but 9 one or two vertical trays. So I wondering if that's already 10 been passed on and approved, as opposed to six. 11

MR. MARTIN: I think the answer lies within the 12 fact that we have not taken our fire protection site visit 13 yet, so we have not examined on a direct basis those kinds 14 of consideration. Plus we have not received the Applicant's 15 response to the issue yet. 16

MR. SPROAT: If I may, the specific issue of the 17 raceways and cable trays above the suspended ceiling in the 18 control room was, in fact, an open issue. It has been closed 19 on the docket. 20

What we were doing in response, all of those trays that are above the ceiling in the control room will be 22 completely enclosed with steel tops and bottoms on the trays 23 and wherever the cables drop out of the trays, the openings in the tray covers will be closed with ceramic fiber and a 25

3, sy12

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

17

21

22

23

24

25

flame-retardant material. The staff has accepted that position and the item is now closed.

MR. KERR: Please continue, Mr. Martin.

74

MR. MARTIN: We have discussed 16, 17 and 18 at an earlier time. I would move on to 19. We've resolved also 20, 21 on the subject of ATWS; relates not to the ATWS subject that we've known for several years but to the recent generic letter 83-28, which the Applicant received, I believe, midlast July. We requested a response by mid-November, and the Applicant will respond to part of that information by mid-November. In conjunction with their efforts with the BWR owners group, they requested an extension to respond to the remainder of the information at different times, going up to about April of next year.

I would move on to the Q list, then. We have 16 reviewed -- had a number of iterations of review of the Q list, with respect to determining those structures, systems 18 and components that should be under the control of the QA 19 program. We've gotten the subject down to the list of items 20 which were communicated to the Applicant in our recent letter, which should have been dated September 12th. We apologize for not having the date on it. We are awaiting the Applicant's response on those.

The basic reason that those issues are still of concern is that they were things that, in our opinion, were

## Tp3,sy13

6

7

11

13

14

15

16

17

18

19

20

21

22

23

24

25

1 significant with respect to our findings, or safety-related 2 findings, when we reviewed the present design of the plant, 3 and we feel they should be controlled during the operation 4 phase of the plant.

15

5 I'd move on to the control room design review, TMI Task Action Plan I.D.1. The Applicant submitted a program plan outlined to us sometime before the SER reported the 8 results of our review of that in the Safety Evalution Report. 9 Subsequently, the Applicant upgraded that with a program plan 10 dated August 31. We are reviewing that program plan and we will make a decision as to whether or not an in-progress audit 12 is needed of what they are doing.

We anticipate our making a decision by the 1st of November. The Applicant plans to submit a summary report in response to the issue early April. If a pre-implementation audit is needed, that decision will be made by mid-April.

We anticipate a staff SER in late May to early June.

MR. MOELLER: As usual, that task action plan on the control room design is primarily a review of the human factors aspect; is it not?

MR. MARTIN: Yes, it is. As I understand it, yes, it is.

MR. MOELLER: The staff is currently initiating a study of habitability questions for control rooms, and I would





1	presume that if they find anything of concern they would
•	presume that if they find anything of concern they would
2	make it known to you, or it would be factored into the
3	consideration for this plant. I'm just making a statement.
4	MR. KERR: That's not a question, that's an
5	assumption.
6	MR. MARTIN: I have highlighted some of the steps
7	that would be significant in the emergency planning review
8	on a slide. These are consistent with things that were
9	discussed in our SER section on emergency planning. I won't
10	go into those any further.
11	I have also highlighted the open TMI items which,
12	although they are reflected in other issues we have
13	discussed, this collects the open TMI items in one place.
14	MR. MOELLER: On the emergency planning, when
15	roughly will the first exercise of tests be conducted?
16	MR. MARTIN: Mr. Sears?
17	MR. KERR: Did you hear the question?
18	MR. SEARS: I heard the question. I'd appreciate
19	the Applicant giving the answer, since they have to schedule
20	it.
21	SPEAKER: We had a date in late February which
22	we're in the process now of changing to July 25th. FEMA
23	and the counties have agreed to that.
24	MR. MARTIN: I will not go into the confirmatory
25	items, I will not go into them individually except to note
1.1	

Tp3,sy15

what the context of the confirmatory item is. That is, it 1 is characterized by staff essentially as agreeing with the 2 Applicant's approach to the issue. What is needed to complete 3 is one of several things; those being documentation or to 4 verify implementation at the site of the Applicant's response, 5 or analyses may be nearly complete and some final touches are 6 not expected to significantly change the results of those 7 analyses, or the staff desires to inspect the test results 8 to assure ourselves of understanding of the issue. 9 If there are no questions, this will conclude my 10 discussion. 11 MR. KERR: Any further questions? Thank you, 12 13 Mr. Martin.

77

MR. MICHELSON: I was trying to read real fast this 14 list. I can't do it that fast. One of the proposals I found 15 in the SER is the proposal to boil the fuel pool in the 16 unlikely event that you would lose the ability to normally 17 cool it. This talked about running the pool to 212°, and 18 apparently still running standby gas treatment within the 19 proper effectiveness. Could you tell us just briefly what 20 21 work has been done to verify that the standby gas treatment filters and so forth will function effectively when saturated 22 with liquid? I mean, air with liquid saturation to 212°, 23 24 and what effect does this have on the loading of the fans and things of that sort in the system? 25

3,sy16

1	MR. MARTIN: I'm not sure I can respond to the
2	specific details of that. I am aware that we have reviewed
3	this filters with respect to the guidance contained in
4	Regulatory Guide 1.52. This was a very active item of the
5	review back during the summer. We had numerous discussions,
6	meetings and so forth with the Applicant, a lot of which was
7	directed toward their basis for effectiveness of the filters
8	considering different moisture levels.
9	MR. HELWIG: If I might clarify for the Applicant,
10	under such a situation, our standby gas treatment system would not be
11	handling the ventilation.
12	MR. MICHELSON: I thought the Safety Review said
13	that that is how you would evacuate the air from the refueling
14	floor, is through the standby gas treatment. Isn't that
15	correct?
16	MR. HELWIG: Our secondary containment, when the
17	reactor is in operation our secondary containment does not
18	include the refueling floor.
19	MR. MICHELSON: Yes, but during the time when you
20	have to revert to boiling the pool, are you going to evacuate
21	the floor now through standby gas treatment, or through normal
22	ventilation?
23	MR. HELWIG: It would not get the standby gas
24	treatment.
25	MR. MICHELSON: It would not? The Safety Evaluation

1	led me to believe that that's why we didn't need to worry about
2	releases or whatever, because it went to standby gas treatment.
3	MR. HELWIG: No, sir, we have analyzed direct
4	releases from the boiling fuel pool as part of our Chapter 15
5	analysis.
6	MR. MICHELSON: And during the boiling you're going
7	to evacuate through the normal ventilation.
8	MR. HELWIG: One second.
9	(Pause.)
10	No, sir. We're relieving directly to the outside.
11	MR. MICHELSON: Is there any kind of dynamic
12	equipment at all required to relieve this boiling water to
13	the outside?
14	MR. HELWIG: No, sir.
15	MR. MICHELSON: And the ventilation ducts or
16	whatever and the valves are all in the correct position so
17	that the high humidity now will not cause them to close
18	somehow through electrical faults or whatever?
19	MR. HELWIG: That's correct.
20	MR. MICHELSON: So you don't have to environmentally
21	qualify any of this equipment for this 2120 atmosphere?
22	MR. HELWIG: That is correct, and our relief to
23	the outside will be through the flow-out panels.
24	MR. EBERSOLE: What was the basis for invoking
25	this atmospheric boiling? Was it the fact that you found

1	coolant fire supplies predominant or safety grade or
2	what? Why did you have to claim it?
3	MR. MARTIN: I'm not sure I can answer you at this
4	time.
5	MR. EBERSOLE: Well, why did you invoke boiling?
6	What drove you to that?
7	MR. XERR: To whom is the question addressed?
8	The Applicant?
9	MR. EBERSOLE: I'll ask the Applicant.
10	MR. HELWIG: At the Limerick plant the design is
11	such that our fuel pool cooling system is not ASME Section 3
12	safety grade. Our immediate heat sink for the fuel pool
13	heat exchange is also not safety grade.
14	MR. EBERSOLE: All right. If you would invoke
15	that, once you take the lid off and let's say you're in a big
16	hurry, does the boiling of the pool now include boiling in
17	the open vessel? Would the core, which is shut down five
18	days before or two days or whatever it takes to get the lid
19	off?
20	MR. HELWIG: No, sir. The vessel itself is
21	certainly cooled by the emergency core cooling system.
22	MR. EBERSOLE: So you do have conditions of
23	operation where the vessel is coupled to the pool, correct?
24	MR. HELWIG: During refueling outages, that would
25	be correct. Under that situation, our emergency RHR system

-

1	can be dedicated to cool the combination of the open vessel
2	and its
3	MR. EBERSOLE: So you would not invoke it in that
4	coupled mode?
5	MR. HELWIG: Absolutely not.
6	MR. EBERSOLE: Thank you.
7	MR. KERR: Other questions? Please continue,
8	Mr. Martin. Does that complete your presentation?
9	MR. MARTIN: If that is the completion of the
10	questions, yes.
11	MR. KERR: I rule that it is.
12	(Laughter.)
13	Thank you, sir. This brings us, then, to a report
14	on significant plant experiences given by representatives
15	of Region I, I believe, or a representative I don't know
16	how the recitation is planned.
17	MR. STAROSTECKI: I've got some representatives
18	from Region I here, and I recognize the pressure for time,
19	so I will just dive right into this presentation. If there
20	are questions, I would certainly appreciate them as they
21	come up.
22	Region I and who we are is very briefly shown in
23	the viewgraph. I understand you were given our background
24	information briefing package after your site tour. What I'd
25	like to do is very briefly give you an overview of what's in

. .

81

4

.

2

3

4

5

6

7

8

9

10

24

25

there and rely on that package for some of the details that we have.

The package consists of two parts; the first part is a narrative, and the second part is a distillation of all the inspection reports that have been conducted for Limerick to show the principal areas of the inspections and highlights of the inspections. So I'm not going to be here to give you very detailed information that's already in there; I would just like to give you our perspective of what we put into that narrative report and the highlights that we see from it.

In Region I we talk resident inspectors and region-11 12 based inspectors, so what I want to do is very clearly upfront 13 indicate that what we have at Limerick is, right now, two resident inspectors. They work for an individual who then 14 15 reports to a branch chief, who then reports to me and I report 16 to Tom Murly.

17 There are counterparts in the region that we call 18 specialist/inspectors. These are individuals who work for 19 Tim Martin in the Division of Engineering in Technical 20 Programs, and I'd just like to very briefly go through what 21 all those terms, EPB, TPS, mean, since they always confuse 22 me.

23 Basically, we have an Engineering Programs Branch where we have engineers who are knowledgeable in test programs, That's individuals in the electrical eigineering field,

82

.

1

2

3

4

5

6

instrumentation, monitoring, startup, pre-operational test programs. That's PTS. We have a Materials and Processes Section where we have people with knowledge in non-destructive examination, metallurgists, valve designers, things of that nature. And they support in Region I also non-destructive examination a mobile van.

7 There's a Mallagement Program Section which looks 8 at quality assurance, management procedures and programs of 9 that nature. Then we have a Plant Systems Section, which 10 is primarily engineers looking at fire protection systems or 11 any other questions that may come up related to reactor 12 engineering.

MR. KERR: Mr. Starostecki, I'm quite interested
in the way Region I functions, but I thought maybe you'd really
tell us something about Philadelphia Electric.

16 MR. STAROSTECKI: Fine, let's go to the next17 viewgraph.

18

(Slide.)

Philadelphia Electric started construction in 1970.
This slide just gives a brief highlight of some of their
experience and our experience with them. Our experience with
them has been on Peach Bottom, more extensively on Peach
Bottom 2 and 3 and, of course, Limerick since July of 1970.

24 The architect engineer is Bechtel, and I think25 that's an important point to bring out; that Bechtel out of

2

3

4

5

6

7

8

9

11

the San Francisco office has been supporting both Limerick and Susquehanna, and we have noticed that there has been an exchange of expertise between those units as Susquehanna has been coming up and there have been people transferred to Limerick.

So there has been a random sample that we draw to look at how much previous experience there is on the part of Bechtel at Limerick, and this viewgraph is intended to show the wealth of experienced people who are supporting 10 Bechtel at Limerick.

(Slide.)

12 There are some evaluations that Philadelphia 13 Electric has done on their own, in support with INPO, and the next viewgraph is simply intended to highlight that INPO 14 15 self-evaluation has been done. The areas that they've looked 16 at are identified; no major problems are identified.

17 Similarly, independent team evaluations were 18 conducted in July of 1983, and I believe Philadelphia 19 Electric Company used Gilbert Associates to help them conduct 20 that joint utility/management audit. The point can be made 21 here that there have been independent evaluations that have 22 been done. We do look at it with a view of better understanding 23 the processes that the Licensee uses to construct the facility, 24 and we use this as a tool to help us focus our inspection 25 efforts. If there are several areas where we see these

24

25

85

(Slide.)

The next one I'd like to cover is the inspection 5 history. The initial inspection with Limeric, in essence, was 6 a meeting to discuss quality assurance before the start of 7 construction in 1970. Two points have to be made here. 8 This was in the very early days of quality assurance/quality 9 control, and yet, Philadelphia Electric Company was thinking 10 about the issue at the time, and there was a structured program 11 put into place and it was reviewed by the region staff at 12 that time. And as Appendiz B came into being, Philadelphia 13 Electric was able to make sure their program complied. 14

The construction activities that were monitored and are still being monitored are listed. Today, we've got 17 149 inspections, or really 150 inspections, that have been 18 conducted now. The inspections, as I say, are conducted through 19 a variety of means, both individual inspectors from the region, 20 resident inspectors and team inspections.

We've spent approximately 7800 hours at Limerick,
and we have listed Shoreham and Susquehanna as two of the
plants for comparison. Yes, sir?

MR. BENDER: What is the average inspection time for a typical boiling water reactor? That shows a range of

1	1300 hours between the lowest and the highest, but what would
2	be a nominal number?
3	MR. KERR: Let me guess 7000.
4	MR. BENDER: Well, that's halfway between.
5	MR. STAROSTECKI: Let me answer in the following
6	way. The hours you have here are high for all three plants.
7	I'd normally expect to see the hours lower than any of these.
8	Shoreham also has been under construction for quite a long time
9	and it has had a large number of hours.
10	MR. BENDER: Then tell me why the numbers are so
11	high. It seems like a lot of hours, actually.
12	MR. STAROSTECKI: Time of construction and I
13	have not yet looked at the distribution of hours over the
14	13 years. I can hazard a guess and my guess would be that in
15	the earlier days, Limerick was very close, and they got an
16	awful lot of attention to a lot of the concrete work site
17	preparation activities. It is only a half hour drive from
18	the regional office to
19	(Laughter.)
20	The reason I say that is because I think the
21	record most probably will be biased.
22	Let me ask my staff to see if we've got a number
23	for the last few years, which I think may be more representa-
24	tive, and I'll answer it in the following way before they
25	even answer it. When you look at our SALP records, you will

-

tp3,sy25

1 see the inspection hours for the last three years are averaging 2 between 1500 and 1800 hours on that timeframe, which is a 3 fairly large amount of hours. MR. BENDER: That's enough answer. I don't think 4 5 you need to go any further. 6 MR. STAROSTECKI: The point is simply to show that 7 the hours, in our view, are high. Later on we'll address 8 SALP and the number of hours we've covered there, to give you 9 some perspective. 10 (Slide.) 11 The enforcement record is simply that we looked at 12 it to see can we learn anything from it. Notices of viola-13 tions are issued for every item of non-compliance, the 14 Applicant responds to that and the staff then goes on and 15 monitors the corrective action. The numbers in and of 16 themselves indicate that by comparison with Shoreham and 17 Susquehanna, Limerick is not unusual in either direction. 18 We've never had any escalated enforcement actions, or any 19 kind of civil penalty at Limerick. That's another data point. 20 (Slide.) 21 The more important question in my mind is what 22 do we in Region I do to satisfy ourselves that what's 23 happening at Limerick is acceptable to us. One of the first 24 things we've done is in late 1982, we developed a regional 25 construction team effort. We, in essence, said the plant has

2

3

4

5

6

7

8

9

10

11

12

13

19

20

21

22

23

24

25

been under construction so long, we didn't know the distribution of inspection hours, so we pulled together a combination of specialist/inspectors, resident inspectors and management staff from the office and dedicated them for about a month to look solely at Limerick.

There's an awful lot of synergistic effects that are gotten from this kind of team effort, and we simply said let's lock at some key critical components and find out what's going on. So in that short timeframe, we've gotten 520 hours, and that really indicates that you really had a concentrated effort from dedicated people to look at what I would call a window in time of the activities of this plant.

The strengths and weaknesses that we've listed 14 we've tried to extract and summarize from the inspection 15 report itself. Inspection reports are voluminous; we can 16 make them available if you wish. We have some more words in 17 the narrative of our briefing paper as to what we're trying 18 to convey.

The weaknesses listed were drafted and corrected, so they're not problems today.

(Slide.)

In addition to that, in March of 1982, we moved our van to the site, and this viewgraph lists the type of examinations we do. Now, this is an effort by the NRC regional inspectors plus contractors where we actually obtain

-

1

2

3

4

5

6

25

the data ourselves and then do our own examinations and compare our results after we've analyzed them with the results of the analysis by the Applicant. It gives us a lot more confidence in the way we can do this and have a satisfactory answer.

The point to be made here is that's quite a substantial effort and we did, in fact, come out in agreement 7 with the Applicant's determination. That gives us a lot more 8 confidence in their program and their quality assurance and 9 quality control activities as well. 10

Again, let me indicate that this is a complete 11 independent effort from start to finish in terms of we 12 selected the welds we want to look at, we selected the pipes 13 we want to look at and we went out in the field and obtained 14 the data. 15

MR. BENDER: This tells me a little bit about the 16 methods that were used but not much about the systems that 17 were looked at. Where did the regulatory staff concentrate 18 its intent? Are these inspections done on the primary system 19 or are they inspected down on the secondary system? Or would 20 21 they be inspections of structural welds and cable tray hangers or cable tray supports? How would I know what you're looking at? 22

MR. MARTIN: We can get you a detailed listing, 23 24 first of all.

MR. BENDER: Can you just tell me about what it is?

tp3,sy28

17

18

19

1 MR. STAROSTECKI: The emphasis is pretty much on 2 the primary system and the welds that connect -- of the 3 systems that connect directly to the primary system. RHR connections that come into a recirc loop, recirc loop 5 connections to any of the primary system taps. Not much if 6 anything in the secondary system. I've never heard of us 7 doing anything in the secondary system. Some occasional 8 structural examinations -- I can't remember exactly what 9 was done at Limerick. 10 The focus, ingeneral, to answer your question, has 11 been on the primary system and systems inside the containment 12 isolation valves. 13 MR. BENDER: Well, is there some logic to that 14 decision to concentrate on the primary system? 15 MR. STAROSTECKI: Let me ask Jim Wiggins who has 16 some additional comments he'd like to make.

90

MR. WIGGINS: My name is Jim Wiggins, I'm the senior resident inspector for Operations at Limerick, and I was part of the group that put together the presentation.

As far as what the NDE van looked at, it may very well have concentrated on the NSSS systems and pipe welding, but that shouldn't be taken to mean that that's what Region I emphasizes or concentrates on solely for the inspection. The review and inspection history will show you, as it shows in the enclosure to our presentation which you have, that the

2

3

4

5

6

17

23

24

25

construction inspection program, particularly in the area of welding, looks not only at NSSS systems, but what in their supporting systems -- and it does do an extensive amount of work looking at structural steel. There are records of a number of inspections looking at structural steel in various buildings for the plant.

As far as what the NDE van shows, they may not -8 I believe they did not check in each structural steel --

9 MR. STAROSTECKI: The NDE van itself focuses on 10 the NSSS because we just don't have the resources. This van 11 is used nationwide, and we just don't have the time to focus 12 on systems other than those within the containment isolation 13 valves.

MR. KERR: I think there's not an answer to your
question, Mr. Bender. Why don't you continue, Mr.
Starostecki?

(Slide.)

MR. STAROSTECKI: Review of the construction
deficiencies are required by the regulations, and this is a
program that the Applicant has to have in effect to review
non-conformances. We did not intentionally prepare a listing
of non-conformances or construction deficiency reports.

Rather, what I wanted to do was focus on the process that is used. Philadelphia Electric uses a multipletiered approach where they have people identifying the

22

23

24

25

non-conformances and reviewing them for applicability and
 reportability. They've got committees established to look
 at them onsite which include Bechtel as their constructor,
 and then they are furthermore reviewed in the corporate office
 by their QA organization.

92

So this kind of process gives us confidence that
they have a viable working syste They have had 92 that have
been resolved and 10 are under investigation, and that gives
rise to 102 construction deficiency reports. Of those 102,
41 are considered reportable.

In the briefing paper that we have prepared for you, we have given three examples to demonstrate how the process works, and the three examples include a problem that occurred several years ago, a recent problem and a problem that was different than the other two that we give for variety solely as an example of why this process is workable and is, in fact, working.

18 MR. MOELLER: On the 102, would all 10 that are 19 under investigation be reportable to NRC? I mean, could I 20 use that as an indication?

MR. STAROSTECKI: No. They've got 10 under investigation and we don't know whether they are reportable or not. They have to go through the review chain before they are determined to be reportable.

MR. MOELLER: And what constitutes a reportable

1	item? Is it one that is considered significant, or is it
2	trivial? Or what are the criteria?
3	MR. STAROSTECKI: It is a significance aspect of
4	it, and I can get into some
5	MR. MOELLER: No. That's one of the primary
6	things, then, how significant is it.
7	MR. STAROSTECKI: Yes, sir.
8	MR. MOELLER: And, I guess, how much it relates
9	to the health and safety, or could relate to that.
10	MR. STAROSTECKI: Yes.
11	MR. EBERSOLE: I was just going to give an
12	example. Suppose that you go on the roof, Mr. Starostecki,
13	and you saw a big tank up there and it was the domestic water
14	storage tank, and therefore, it wasn't a safety function. And
15	it didn't need to be QA'd in the usual context. Would you be
16	the one that would pick up the fact that in a seismic event
17	it would roll of its foundation and go down through the
18	several floors and call for something to be something to be
19	done about that?
20	MR. KERR: Please answer that yes.
21	(Laughter.)
22	MR. STAROSTECKI: I would qualify something in
23	front of that yes, because the process would have failed if
24	we had to rely on it. But yes, in fact, we in the region do
25	look for items that may have been previously missed, and do,

## sy3,sy32

1	in fact, raise them as issues to NRR and say we have concerns;
2	please resolve these, and you let us know how they come out.
3	MR. EBERSOLE: I only use that as one example of
4	MR. STAROSTECKI: I can give you more.
5	MR. EBERSOLE: I'm sure.
6	(Laughter.)
7	MR. STAROSTECKI: I'll go on.
8	Allegations I think these are important items
э	to address, and the fact that we do get allegations on this
10	plant and they do occur especially during construction.
11	Allegations come from various sources, obviously people at
12	the plant site, the general public. We get them through
13	letters, telephone, personal contact individually, I'll
14	sometimes get a call from somebody telling me they have a
15	problem.
16	We review these to assess safety significance
17	and credibility, and these are not reviewed to assess
18	credibility and safety significance to dismiss them, but
19	to identify whether we need to take prompt action. So
20	the regional management review is taking place to say, do
21	we need to immediately get somebody to resolve the issue.
22	Then we have the review process where either the
23	Region I inspectors conduct the technical review we have
24	asked NRC headquarters offices to do technical reviews for

us. Sometimes we'll get allegations involved with single-

94

1

## sy3,sy33

	1	failure criteria not being properly applied on various
	2	systems. So NRR would, in fact, become involved.
	3	All of these are documented in one fashion or
	4	another, either through reports or letters. We've had 16
	5	allegations total on record at Limerick. All of them have
	6	been investigated. We have not found any to have had an
	7	adverse effect on safety. I expect that we'll continue to
	8	get allegations that we will resolve.
	9	The point to note here is that the 16 is over the
	10	period of interest, which is 13 years, and that's not many
	11	allegations during that time period.
nd tk 3	12	
	13	
	14	
	15	
	16	
	17	
	18	
	19	
	20	
	21	
	22	
	23	
	24	
	25	

95



10.75

52

82

ñ

IMAGE EVALUATION TEST TARGET (MT-3)



SU







SIMONS Take 4	1	The SALP process as it is conducted in Region 1
ols	2	is used primarily for us to help us allocate resources and
TOONG	3	we have used inputs and do use inputs from everybody who
	4	is associated with the utility, an inspection program
	5	or licensing program. So various inspectors and various
	6	headquarter staff provide inputs.
	7	Three SALP reports have been prepared to date
	8	for Limerick. The initial one was 1980 and you can see
	9	the time period it covered. 1171 inspection hours indicates
	10	the total regional effort during that period of interest.
	11	The Category 3 that was assigned in the quality
	12	assurance
•	13	MR. KERR: Is the 1171 hours about the time that
	14	the SALP inspection, or whatever you call it, normally
	15	takes?
	16	MR. STAROSTECKI: The 1171 hours referred to the
	17	inspection hours that were conducted during these time
	18	intervals and that is a fairly low number, but you consider
	.9	that was 1980. The 1171 doesn't reflect the hours to
	20	prepare the SALP. The 1171 refers to the ispection hours
	21	that were done during the time period of interest.
	22	MR. BENDER: That is in the 7800, or I think it
	23	was, that you gave us earlier?
	24	MR. STAROSTECKI: Yes. sir. These numbers should
)	25	give you a much better perspective of what has been happening
		general and a second peropeter of white has been happening

within the last three years.

Now the Category 3 in the quality assurance quality control area resulted in additional meetings and corrective action on the part of the licensee, and it wasn't necessarily the licensee. It was more the subcontractor's effort at that time, and we can address it in more detail if you wish. It has since been corrected.

97

The 1981 SALP again covered the period of July 1980 through June 30th of '81. The inspection hours again are indicated. Those again are the inspection hours that were committed during that time period of interest.

(Slide.)

The more recent SALP we conducted because it had had 13 a six month delay or what we would call a gap, and it covered 14 the entire calendar year. Rather than artificially continue the SALPs with an overlap or a little bit here or a little 16 bit there, we had priorities in the regional office that required an awful lot of inspector effort outside this particular plant and we wanted to get a much better appre-19 ciation for what was really happening at Limerick. 20

We in fact did devote 1800 hours at Limerick, and I would expect the same, if not more, to be devoted to Limerick this year and in the years until they do load fuel.

(Slide.)

2

1

2

3

4

5

6

7

3

9

10

11

12

15

17

18

21

22

23

24

In 1984, or really next year's SALP, we will also be devoting more areas to look at. We have only looked at eight areas under the construction regime, but we recognize that foundation preparation is done that we no longer will evaluate it and we will starting looking at those activities that involve preparation for operation, the surveillance testing and the maintenance. So we will start adding categories to examine.

Yes.

MR. BENDER: The team that looks at the preoperational testing, is that the same team that has been doing the inspection or is that a different group?

MR. STAROSTECKI: We have got a team of regional specialists that routinely look at pre-op testing at all plants under construction. Those people that are looking at Shoreham for last year will be looking at Limerick.

In addition, we will also have a resident inspector devoted to solely looking at that area at Limerick and he has been there since September. That is Mr. Wiggins.

A third team type effort that we will initiate is during this pre-opdrational testing stage we will also get additional inspectors to form a team from other sites and other branches in the regional office to supplement and give us another perspective on really what has been going on in terms of pre-operational testing and the readiness

3

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1	for fuel load. I hate to give a drawn out answer, but
2	that is in fact what we do.
3	MR. BENDER: Thank you.
4	MR. MOELLER: On the resident inspector, is he
5	there primarily out of the region? He is not there out
6	of headquarters?
7	MR. STAROSTECKI: No, the resident inspector
8	is out of the region. He reports to the regional office
9	and we communicate with him every day.
10	(Slide.)
11	In an overview sense, what have we found at
12	Limerick? We found that PECo has an aggressive management
13	that does pay attention to NRC concerns and the way we
14	identify concerns and the way those concerns are corrected.
15	They have got an improving QA/QC program and
16	they are increasing the amount of QA/QC manpower. That
17	is an important item to us as they start turhing over
18	systems to the operations staff and as they start doing
19	more preoperational testing and start-up testing. They
20	have had a good recognition of paying management attention
21	to the quality of the plant.
22	They had an evident management review. It is
23	not just being delegated to some third party, and they
24	have site and corporate management involved in the decision
25	making. Again, thisis the area where the construction
	deficiency reporting is very important to us.

-

Records are generally complete, well maintained and readily available. There has been increased engineering expertise on the site in the last 15 months and I would expect to see more as the plant nears fuel load.

1

2

3

4

5

6

7

8

9

10

11

12

23

24

25

The conclusion I have is straightforward. What they have done to date is very acceptable. We are going to continue to spend more man-hours to confirm that what they have got in place continues to work as they near fuel load. We are going to have as of last month two resident inspectors and I would expect the hours this coming year and until fuel load to average on the order of 2000 to 3000 inspection hours per year.

May I ask a couple of quick questions. Could you comment on the way in which the PE Company and the architect/engineer contract organization quality assurance activities fit together, and, secondly, could you say, or do you have any feeling for what the build-up rate ought to be in terms of QA since it seems to need to grow as the operator takes over operation of the plant?

20Do you understand those two questions?21MR. STAROSTECKI: The latter question I understand22is how do we determine the build-up rate.

MR. BENDER: Yes, because you said you were pleased with it and I thought maybe you had some feeling for how fast it ought to be what types of things are needed.

MR. STAROSTECKI: I will let our resident 1 2 inspector give you some numbers, but basically they 3 have recognized the need for more QA/QC effort. They have 4 increased their budget for it and have been staffing up. 5 They haven't been staffing up as fast as we would maybe like, 6 but the exact numbers I don't have at my finger tips right 7 now. I can get them for you if you would like in terms of the number of QA/QC inspectors they have got. 8

9 MR. BENDER: I don't personally need them, but 10 it seems to me that it would be a piece of information 11 that would be useful for evaluation purposes to know whether 12 there is some kind of standard for build-up, what capability 13 is needed and at what rate so that you could make some 14 judgment as to whether an applicant is doing the job in the 15 way he should be doing it.

16 MR. STAROSTECKI: There obviously is not a standard and we exercise that really as a judgment call based on the manpower loading that the utilities present to us as to what they are doing in terms of staffing on site. Our next question is all right, what are you doing in terms of QA staffing and inspector staffing on your part.

17

18

19

20

21

22

23

24

25

When you see how that is being done among various plants, you have some reasonable basis for judging it based on successes at some plants and failures at others.

MR. BENDER: What I am asking you is why don't

you make the comparison so that it is understood a little 1 bettter? 2 3 MR. BOYER: I might add that that rate or number of build-up would vary with the number of construction 4 workers at the site and what the ongoing activity is. So 5 in making a comparison between one site and another you 6 7 would have to be careful to also look at the construction 8 activity. MR. KERR: Does that response answer your question? 9 10 MR. BENDER: Well, I wondered if you would 11 respond to the other question. What is the relationship 12 between the applicant's inspection force and the architect/ 13 engineer constructor's inspection force? 14 MR. KERR: Do you understand the question, 15 Mr. Starostecki? 16 MR. STAROSTECKI: I understa. the question. 17 Do you want our regional perspective of the issue? 18 MR. BENDER: Yes. 19 MR. STAROSTECKI: Let me get Suresh Chaudhagy. 20 He is the resident inspector for construction and let 21 him give you his firsthand observation since he is there 22 every day. 23 MR. CHAUDHAGY. I am Suresh Chaudhagy. I am 24 Senior Construction Resident Inspector at Limerick. The 25 way that the QA/QC works at Limerick is the licensee has

an overall quality assurance audit function under which the architect/engineer, Bechtel had its own QA program and they also have a quality control inspection program.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Currently I believe there is a manpower of about 230 plus or minus a few people in the QA/QC program of the architect/engineer who do the first level of quality verification and non-conformance identification of all the primary inspection. Their work is monitored by the architect/engineer QA/QC evaluation which is under a private QA engineer of Bechtel and they conduct the audit and try to keep tabs on the problematic aspects of their commitment and the QA program is being fulfilled for Bechtel and for Philadelphia Electric.

The third level is Philadelphia Electric's own QA evaluation which in my person view verifies control over the operations of the architect/engineer's QA/QC evaluation. Presently Philadelphia Electric has 16 QA engineers assigned off-site which is about three or four more than they had last year. The reason in my perception is because the plant is nearing completion and they have more pressures to close the open items than before and they need to put more attention on all the items which have been left open for years and there is smaller work taking more attention from other people.

So they have increased their manpower. Currently

Bechuel has about eight QA engineers who are engaged in 1 2 overall surveillance. So that is the effort that is being 3 put into the QA/QC. 4 MR. BENDER: Thank you. 5 MR. KERR: I thought early on you said something 6 about 230. 7 MR. CHAUDHAGY: It is 230 people are the qualty 8 control engineers and inspectors employed by Bechtel for 9 direction inspection and verification. 10 MR. KERR: Okay. Thank you. 11 Mr. Ebersole. 12 MR. EBERSOLE: Mr. Starostecki, in touring the 13 plant I noticed something I would just like to ask you about 14 as a generic sample. All plants have various modifications 15 put on them as they go along. This happened to be a 16 spreading room that I was in and they put in a tremendous 17 manifolding system for sprinkler heads. It had obvicusly 18 been added after the original design had been completed. 19 We looked that and then we looked at a few drains 20 that we could find. Who is it that says when this room, 21 and it had been gas protected, whenit is closed up tight 22 and it is subject to manual initiation of the water system, 23 how does one be sure that the room is not completely filled 24 up with water the the floor collapses and all sorts of 25 horrible things happen? Are you the party that looks at

1	at the compatibility of the drains to the sprinkers?
2	MR. STAROSTECKI: We would raise that issue and
3	elevate it for resolution to NRR for consistency of approach.
4	MR. EBERSOLE: But you would raise it
5	MR. STAROSTECKI: I would raise it and identify
6	it. For example, if the resident inspector raised it and
7	says I have a concern with flooding in that room because
8	there are drains and they are plugged because of the confine-
9	ment requirements for the gas.
10	MR. EBERSOLE: With debris from thefire.
11	MR. STAROSTECKI: Yes, with debris from the fire
12	and the resident can raise that on that issue or any other
13	issue when the resident is due. That then is surfaced within
14	the region for resolution with out specialists who apply
15	the consistency throughout the region. If he is satisfied
16	that, yes, this needs further evaluation, then another
17	inspector from the region will come out and look at it. If
18	we are not satisfied, then we go to headquarters and get
19	NRR assistance and get a resolution and say we have done
20	this and the licensee says this, and we think this ought
21	to be done and we request your direction.
22	MR. EBERSOLE: So you follow this matter up.
23	I would like to ask the licensee, you have a
24	process in place I quess that also looks at this even before

he does. Am I assured of that?
200	
1	MR. KERR: Do you understand the question that
2	Mr. Ebersole is raising?
3	MR. BOYER: Yes.
4	MR. EBERSOLE: It is a system interaction problem.
5	I heard the answer yes. That is all I need to know.
6	MR. KERR: Other questions?
7	(No response.)
8	MR. KERR: Mr. Starostecki, I personally found
9	your presentation to be really thorough and quite informative.
10	It also occurs to me, however, that the operation of this
11	plant is some time in the future and that an operating
12	plant may have more opportunities for presenting risks
13	than one that is under construction.
14	I am curious as to what the region's evaluation
15	is of Philadelphia Electric Company's ability to operate
16	a plant safely on the basis of what they have observed
17	in operating Peach Bottom plants? I note, for example,
18	in a new release from headquarters dated April 5th, 1983,
19	and I don't have a later new release to find out what
20	happened to this, but the NRC staff proposed to fine the
21	PE Company \$140,000 for about four different items of
22	compliance that were serious enough that the fines were
23	proposed.
24	Now they went on to say that there were no
25	safety items involved in here, but that these violations

demonstrate the need for improvements in the control of operational activities at Peach Bottom, and there are several of these.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Now my question is does this mean that PE Company really has difficulty operating these two plants, or is it to be expected that an operating company will get a fine like this every now and then just to sort of keep them honest or how do I interpret the PE Company's capability as a plant operator in the light of this rather recent experience?

MR. STAROSTECKI: Well, first of all, the enforcement policy sets a fairly high standard for escalated enforcement. For example, violations of limiting conditions of operation have to be considered for civil penalties. So on the one hand I immediately don't want to say that there is an immediate health and safety threat when we have a civil penalty.

It means that there is some trend developing or there are some serious matters taken coolectively that we are very distrubed about because it indicates potential problems, potential problems such as the degree of involvement of corporate versus site in the area of let's say health physics. Somebody has got to produce an ALARA program and somebody has to implement it if the two aren't talking together and some occurrences result where somebody gets exposed

unnecessarily, that creates a concern and we say that is a potential civil penalty.

1

2

14

15

16

17

I think you have to look at it in a little bit 3 broadher perspective, and let me say the Philadelphia 4 Electric Company has been op rating Peach Bottom very 5 acceptably. The Philadelphia Electric Company, however, 6 also has been through a period of time diverting operational 7 resources from Peach Bottom to staff Limerick. The NSSS's 8 are the same, and I think that is a very smart thing to 9 be thinking about years in advance. But you have gotten 10 key people in the operating area from Peach Bottom who are 11 now trying to help the Limerick Station prepare for its 12 operations. 13

Doing that is going to be a pertubation on Peach Bottom, and our inspections felt that maybe some of that was having an adverse effect. In fact, we did find some violations that in our judgment warranted civil penalties.

MR. KERR: I still don't know whether you are 18 telling me that PE Company is really an extraordinarily 19 good operator and quite competent and that even so they 20 can expect to get fines, or whether you are telling me 21 that they have been in the past fairly good but they slipped 22 up recently because they were trying to do too much. I am 23 trying to understand what sort of judgment. This is an 24 unusual situation. 25

We have looked at a lot of companies that have gone on line with their plants for the first time. PE Company is not in that category. It has been in this business a long time, and I therefore think we ought to able to learn something from their previous record about their capability to operate this plant.

1

2

3

4

5

6

7

8

9

10

11

12

14

15

16

17

18

19

20

21

22

23

24

25

In light of the fact that questions have been raised about this plant, its siting and other things, it seems to me it is fairly crucial that we have some confidence that they either will or are likely to be handle this. You people are closest to this and I am curious about what you think.

MR. STAROSTECKI: Let me, first of all, give some 13 perspective on the civil penalty. We don't give civil penalties out randomly. The civil penalty the Peach Bottom facility received in April was the first one they had received since they started operation, and I think that is important to note.

The reason I did explain what I was trying to convey was the fact that there was a drain in my mind of resources away from Peach Bottom to Limerick. That combined with the status of the physical plant at Peach Bottom with the violations that we had caused us to recommend a civil penalty that was in fact imposed.

So I would say yes, Peach Bottom is a good operator,

and they have had to face the issue of how do they staff up for Limerick. They haven't completely drained Peach Bottom, but yet what they have done at Peach Bottom causes me some concern, but it is not unacceptable to what has happened so far.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. KERR: In your view are they overextended at present?

MR. STAROSTECKI: In my personal judgment, they are not overextended, no. I recognize that they have to staff up for Limerick. I also recognize that have a simulator. I also recognize they have a lot of experienced people at Limerick.

My concern, quite frankly, is more towards Peach Bottom because that is where the risk is. I am happy with what corrective actions they are taking at Peach Bottom and they have taken the right steps at Peach Bottom.

Now I would have to go back five or six years and talk to a lot of people five or six years ago who maybe have differing views of Peach Bottom before they started staffing up Limerick, and I am not prepared to discuss that.

MR. KERR: I am much more interested in the way things are now, but I see something here happened in April of '83 which would appear possibly to reflect on the corporation's capability. I don't know how much it reflects because I still don't quite know how to interpret these fines.

MR. STAROSTECKI: That was not one individual 1 2 fine. There were a series of areas that we were concerned 3 with. 4 MR. KERR: I agree. There were four different 5 ones. 6 MR. STAROSTECKI: The combination of those 7 areas was our way of indicating that there is a trend 8 dweveloping that wararnted more corporate attention to 9 resolve them before they became unmanageable. 10 In particular the one that sticks out in my mind. 11 for example, is the one related to health physics and the 12 problems that the Peach Bottom site was having with 13 health physicists. We recognize that there is a need 14 for strong corporate tie with the stations because it was 15 corporate policy that set out how the work was to be done, 16 and it was lacking in our mind and that interface I think 17 since then has been improving. 18 MR. KERR: Are there other questions or comments? 19 MR. MOELLER: Well, in his bottom line on the 20 final page he says that he believes Philadelphia Electric 21 Company and its contractors and subcontractors are committed

to and capable of building a quality nuclear plant. I guess I would have been happier if it said not just that they were capable of, but he was confident that they would build a quality nuclear plant.

22

23

24

25

1	How many nuclear plants are in Region 1? How
2	many units.
3	MR. STAROSTECKI: We have got 23 operating plants,
4	9 under construction, plus Three Mile Island 2.
5	MR. MOELLER: And how many utilities are involved?
6	MR. MOELLER: On the order of 11 or 12.
7	MR. MOELLER: And where roughly would you place
8	Philadelphia Electric?
9	(Laughter.)
10	MR. MOELLER: Well, are they in the upper 50
11	percent or the bottom 50 percent? That would help it.
12	MR. STAROSTECKI: Can I divide it 25/50/25?
13	MR. MOELLER: Yes, that would be fine.
14	MR. STAROSTECKI: I would say in the middle 50.
15	MR. MOELLER: Okay, thank you.
16	MR. KERR: Mr. Bender.
17	MR. BENDER: Is there anybody in the upper 25?
18	(Laughter.)
19	MR. STAROSTECKI: Yes. Region 1 has been in
20	fact criticized by several people for being lenient because
21	we do have some people in the upper 25.
22	MR. KERR: Other questions or comments?
23	(No response.)
24	MR. KERR: Thank you, Mr. Sarostecki.
25	MR. STAROSTECKI: Thank you.

1	MR. KERR: This bring us into any comments from
2	the applicant at this point? Mr. Boyer or whoever.
3	MR. LOGUE: As the applicant's licensing engineer
4	responsible for maintaining schedules for this license,
5	I would like to also maintain schedules for the ACRS
6	meeting.
7	Most of what I would be saying in this time frame
8	has been said by our answers to your several questions.
9	We have been working extremely closely with the NRC licensing
10	people. We are in contact with them daily either in person
11	or by phone. I am quite pleased that within the past six
12	months we have reduced the open items in the SER down
13	from something like 115 to the 24 that you have in the SER
14	now.
15	As you were told this afternoon by Mr. Martin,
16	they are now down to 16 open items, and it is our goal to
17	reduce that down to zero as soon as we can.
18	We and the NRC have no argument about the open
19	items that are lacking.
20	MR. KERR: Thank you, Mr. Logue.
21	Are there questions?
22	Mr. Moeller.
23	MR. MOELLER: I had one going back to something
24	we were talking about earlier, and that is the capability
25	of the off-gas treatment system and its capability relative
1.1	

to the quality, the temperature and the moisture content 1 of the incoming air to be treated. Of course, the off-gas 2 system has a pre-heater recombiner after condenser hold-up 3 pipe cooler condenser guard bed and so forth before the 4 charcoal it absorbers. 5 Is the off-gas system at Limerick capable of 6 taking steam in at 212 degrees and removing the moisture 7 adequately enough so that the charcoal itself can remain 8 efficient? 9 MR. KERR: Do you understand the question? 10 MR. HELWIG: Yes, sir. 11 MR. KERR: Does it matter about the amount of 12 steam or are you just saying steam? 12 MR. MOELLER: Well, in his answer he can tell 14 me if there is a limit. 15 MR. HELWIG: As a matter of fact, leading our 16 steam generic efforts is a steam rise. We have a non-17 condensing second stage steam generic effort which provides 18 motive force and dilution so we don't handle the moisture 19 again in the off-gas system. So as such it is designed 20 at its inlet to handle a steam and air mixture. 21 MR. MOELLER: Thank you, that is very helpful. 22 MR. KERR: Other questions? 23 (No response.) 24 MR. KERR: I declare a recess until 5 o'clock. 25

MR. KERR: The next item on the agenda is a presentation by the applicant. I see Mr. Boyer ready to lead off. MR. BOYER: I am Vincent S. Boyer, Senior Vice President for Nuclear Power for the Philadelphia Electric Company. In my introduction I will give just a brief overview of the site and some relative statistics pertinent to it and then tell you a little bit about our organization and then introduce the speakers who will talk on the individual technical issues. (Slide.) The site, as you are aware, the site is located on the Schuylkill River near Pottstown, 1.7 miles from Pottstown. The slide here shows the Pennsylvania/ New Jersey area. The Philadelphia Electric Company territory

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

encompasses about 2340 square miles, roughly around about like this, including an area in the southern part of Pennsylvania which includes the Peach Bottom plant, the two boiling water reactors which are operating there and have been since 1974 on the Susguehanna River.

We are located 21 miles northwest of the Philadelphia boundary with the basic population of the Philadelphia City line between 25 and 35 miles away.

Pottstown lies at the intersection of two main

highways, Route 100 running east and west and the Philadelphia/
King of Prussia/Pottstown/Reading Highway, Route 422 and
the new bypasses or superhighways that have been created
along with that.

(Slide.)

5

6

7

8

9

10

11

18

19

20

21

22

23

24

25

This slide gives the population distribution for 1970 and for 1980. You will recall that the plant was conceived in the late 1960s, 1969, and the projections were then forthcoming after the 1970 population. By the time made our preliminary safety analysis report, we had the 1970 data.

The projections for that time for 1980 are shown on the bottom of the slide, and you will note that they were increasing from the 1970 level of 163,000 up to 180,000. However the actual 1980 data did not show that increase and actually showed a decrease. So that the ±56,000 was the latest census data.

Thus, the area has not grown as projected and this is typical of the entire area due to the movement of some industries and people to the Sunbelt part of our country.

The 1980 population was actually 13 percent less than projected at the time of the construction permit stage. (Slide.)

The next slide shows some of the Limerick design features which recognize the population situation and location

of Limerick. Limerick was located in the northwestern 1 2 part ofour territory, Philadelphia Electric Company's 3 territory from the standpoint of reliability. We have 4 Peach Bottom to the south and our Keystone and Commonwealth 5 transmission which are mine-mouth plants. The power from 6 those units comes in from the south. So for an overall 7 system reliability, from a customer reliability standpoint, 8 it was of interest to us to locate a plant in the northern Э part of our territory.

The Schuylkill and Delaware Rivers were examined
for sites and it was decided because of the advantageous
transmission routes which we had here at Limerick to
construct the plant here and bring water over to it rather
than to build the plant where the water was, the greater
amount of water on the Delaware River and have problems
in getting transmission out from the plant.

(Slide.)

17

18

19

20

21

22

23

24

25

This slide shows improvements in plant design over the standard BWR plant. Some of them have since been incorporated in BWR plants, but many of them are specific to Limerick.

The stronger reactor shiedl was one item that you people recommended at the time of your ACRS letter in 1971. We have increase the design requirements for the main steamlines to the turbine generator to be Class 1

seismic to be equivalent to ASME Section 3 Class 2 design. 1 We have installed loose parts and vibration 2 monitoring equipment, the vibration monitoring equipment 3 on all mamor pumps including even some of the balance of 4 plant pumps, the condensate and boiler feel as well as 5 6 those pumps you saw today on your tour which pertain to the 7 ECCS systems. We designed a refueling floor so that we would not 8 9 move a cask over the spent fuel pits. We have increased the structural strength of the 10 11 reactor building above the refueling floor. It is a reinforced concrete construction so that it would take the 12 13 impact of Leer jet and be essentially a gas type building 14 to hold a few inches of water pressure. 15 We have provided a air recirculation system and 16 air filtration system of some 60,000 cubic feet per second capacity to minimize radioactive releases. In other words, 17 18 we have designed criterias that if we have an event, an 19 accident or a failure of a piping system that we want to 20 maintain the contents of the release on site. 21 We have changed to an ambient charcoal gaseous 22 waste system to minimize the radioactive releases and to

avoid any potential for hydrogen explosions and to eliminate any concerns for the handling of krypton which would have been necessary with the cryogenics system that was originally

23

24

installed.

double closed valves.

25

1

2	We provided a ceiling system for all major pipes
3	which penetrate the primary containment so that we can
4	again maintain things within the primary containment and
5	prevent leakage to the outside in the event of an accident.
6	This consists of either double valves with a drain between
7	them or stay fill systems on piping systems that are normally
8	filled with water.
9	We have made certain changes to the ECCS systems
10	which will be identified by a later speaker, including
11	pumps of improved design for better net positive suction head.
12	MR. KERR: Excuse me. In what sense does No. 8
13	represent an improvement? I would have thought that would
14	be a requirement.
15	MR. BOYER: Well, this is over and above what
16	might be required on a double valve. We have made provisions
17	with a vent between or back into a appropriate space so
18	that we have additional assurance of non-leakage through
19	boundary valves.
20	MR. KERR: Okay. So it is that and the capability
21	of
21	MP POVER, Dight The requirements would
22	MR. BOILK: RIGHT. The requirements would
23	necessitate a double valved isolation point, but we have
24	gone beyond that to assure that there is no leakage through

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. BOYER: No. 10, the diesel generators, we have added four additional diesel generators of the inital designs. So we have four diesel generators per unit rather than shared diesels.

Early in the history of boiling water reactor operation the problem of intergranular stress corrosion cracking came along. At Peach Bottom we were just going through the construction of the reactor vessel and at some great pressure we insisted on the safe ends being replaced with non-sensitized safe ends. That was Peach Bottom. Limerick doesn't have sensitized safe ends on the reactor vessel.

We had the piping installed, the 304 steel piping for the recirculation system. The 28-inch piping hung in the containment of No. 1 when some of the cracking started occurring in the systems of other boiling water reactors, including a four-inch bypass valve around the main recirculating valve at Peach Bottom.

So looking at this situation we felt one thing we did not want to have was a potential for any cracking in this piping system at Limerick, and we decided, since we had the time, to change the piping. So we ordered new piping of the low carbon steel and the proper grade to be immune to intergranular stress corrosion cracking. We took

out the piping which was hung there and have essentially trouble free systems.

1

2

3

4

5

R

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

121

MR. KERR: What evidence is there that cracking won't occur in the 316?

MR. BOYER: By the EPRI tests and other industry tests by General Electric. They have cycled and exposed various materials, including the 304 and the 316 and various grades of carbon to strong salt solutions and have shown that the low carbon 316 is many times, hundreds of times greater resistance than the piping which was in prevalent use prior to this test work.

To my knowledge, even with the work that is still being done today, Bob Zong, is that correct, that there is no change from that position, is there?

ME. ZONG: No.

MR. BOYER: We provided quality control inspection programs to cover balance of plants and certain systems which we felt were important to reliability or safe operation of the plant. We did this early. We called it an R&S system to which we gave a modified quality assurance program to. We didn't necessarily go back to all the certification of heats that we used in the manufacture of the material, but we have applied quality assurance programs to these systems to improve their reliability.

We are using an improved fuel design. This 1 includes use of the core shall concept and a battery of 2 fuel which is more resistant to failure, and in the ATWS 3 area we have installed the System 3A which has 3A pumps 4 with automatic controlled features. 5 MR. MICHELSON: Before you leave that slide, 6 excuse me, Item No. 9 talks about providing ECCS pumps 7 of improved design. Could you tell me just briefly what 8 that consists of? 9 MR. BOYER: We will take a lower net positive 10 suction head so that we can operate with a lower net positive 11 suction head. Their motor pump reduces the net positive 12 suction head required for the continued operation. 13 MR. MICHELSON: I noted in looking at the pumps 14 themselves that they still use sealed water systems using 15 the processed fluid itself and passing it through cycling 16 17 separators for cleanup. MR. BOYER: Right. That concern that you 18 identified this morning will be addressed later by 19 Mr. Shannon. 20 MR. MICHELSON: Okay. I was only going to comment 21 that doing something about that would have been a nice 22 improvement, too. 23 24 MR. BENDER: With regard to the stress corrosion cracking test work, is there a report which explains why 25

the test work verifies that the long life of this 316L is 1 assured? You may not have it off the top of your head. 2 MR. BOYER: I don't have it. Bob Zong can 3 speak to that issue, I am sure. It is probably due to the 4 low carbon as well as the structure material. 5 MR. BENDER: Idon't want the explanation. I would 6 like to know the report which explains it. 7 MR. KERR: Can somebody identify a topical report? 8 MR. BOYER: Bob Zong is moving to a microphone. 9 ME. ZONG: Bob Zong of Philadelphia Electric. I 10 can't recite the number of the report at this time, but 11 there are numerous General Electric reports available and 12 several EPRI reports. 13 MR. BOYER: We will get you a list of those 14 by tomorrow morning, if you would like. 15 MR. BENDER: If you can just get them to me. I 16 don't care if it is tomorrow morning or not. 17 end Simons<sub>18</sub> MR. BOYER: Okay. Hanson fols. 20 21 22 23 24 25

Take No. 5 meh 1

1	MR. EBERSOLE: A question before you leave that.
2	Mr. Boyer, in these 14 items I see a great deal of
3	attention toward what you call safety-grade equipment.
4	I thought it would be extremely profitable to look
5	at the interface equipment toward the thesis of reducing
6	challenge frequency to emergency systems.
7	I have recently come back from Big Rock Point. As
8	a case up there, they have not lost main feedwater in twenty
9	years. Since a shutdown costs you probably over half a
10	million dollars a day and every shutdown or trip is a
11	challenge to safety systems especially, especially the
12	scram system, I would have thought there would have been
13	in place an intensive effort to improve interphase equipment
14	to reduce challenge frequencies on the safety system.
15	A case in point would be, I don't want to see
16	you hit HPCI or RCIC more often than you have to, or I don't
17	want to see you have to avoid backlash because you can
18	get the condensers. I don't like to see spurious turbine
19	trips because of vibration meter mal-performance or whatever.
20	Do you have a program in place dedicated to
21	reduction of challenge frequency of safety systems?
22	MR. BOYER: I would say that has been an on-going
23	thing with us all along through the entire design. We have
24	been looking for improvements. We have been looking at what
25	problems arise at Peach Bottom, operational problems from

			100
1000	~	Sec.	100
1111	<b>6</b> 7	T 1 -	1
41.1	~	4.2	Mar.

1	any LERs or experience down there. With each of those it is
2	reviewed by our engineering portion to say, "Is this
3	applicable to Limerick and what is the benefit, should we
4	incorporate this at Limerick?"
5	Dick, can you tell us how many probably have
6	been incorporated?
7	MR. MULFORD: My name is Dick Mulford, the
8	project manager for Limerick.
9	Over the past several years, as Vincent said, we
10	had an on-going program where we have reviewed bulletin
11	circulars and information notices. We have reviewed Peach
12	Bottom operating trends for incorporation, possible
13	incorporation for Limerick.
14	We have reviewed LERs; we have reviewed SILS,
15	PILS and now, most recently, SOERs, which are the INPO
16	Significant Operating Event Reports.
17	(Laughter)
18	MR. MULFORD: To give you a number just how many
19	of them were incorporated would be difficult. I do not
20	know, Tom Shannon is here beside me, maybe he can cite
21	some specific examples. I would say we have reviewed over
22	a thousand documents and probably about, oh, may 50 of those,
23	just as a round number, have been addressed at Limerick
24	directly by changes in design.
25	So, with all the acronyms I think, yes, there is

meh 3	126
1	definitely.
2	MR. EBERSOLE: What is the shutdown frequency at
3	Peach Bottom, what has the experience been per year?
4	MR. BOYER: Well, I can say that Peach Bottom 2 and
5	3 hold the record for boilding water reactors in this country
6	for capacity factors a year.
7	Ted, can you tell me the shutdown frequency, do
8	we have a number like that?
9	Five or six a year.
10	MR. EBERSOLE: Five or six a year, I don't know
11	MR. BOYER: Now, that is planned as well as
12	the trips have gotten down to be very few and far between.
13	Originally, we did have some trips. We made changes to
14	certain equipment such as the water level black boxes that
15	were giving us trips during the testing program, and so
16	forth.
17	MR. EBERSOLE: Thank you.
18	MR. MOELLER: Back on an earlier slide and you
19	don't need to show it again but you showed us the
20	population has actually decreased, and that could raise
21	the question and I realize you are only showing within
22	ten miles, you are not showing your whole service area but
23	do you have a need for the power from Limerick right now, or
24	will it replace existing fossil fuel plants?
25	MR. BOYER: Yes. We have a need for certainly

1Í

1	the output of Limerick No. 1 now. We have a retirement
2	program schedules for some older plants which are 40 years
3	old, namely Southwark, Ediston Units and Richmond Unit
4	which will take the capacity of Number 2 and provides for
5	some growth at a modest rate of, say, two percent over the
6	next year.
7	If Limerick No. 2 is not completed, we would have
8	to start planning very soon for some capacity in the early
9	1990s.
10	MR. MOELLER: Thank you.
11	MR. BOYER: The rext slide just shows the over-
12	sight view which you saw this morning, so I will not linger
13	with that any more.
14	The following one shows the site layout and you
15	principally took a tour of the site and are familiar with
16	that. Unless there are any questions, we would continue.
17	I would point out that the Technical Support
18	Center is at this location on the site and we will have a
19	safety parameter display system and other equipment there
20	to handle emergencies.
21	The Emergency Operation Facility will be in the
22	Plymouth meeting, basically.
23	MR. EBEREOLE: Did you deliberately pick the
24	transverse orientation of the turbine because of economies
25	in design?

2

3

4

5

6

7

8

9

10

11

12

23

24

25

MR. BOYER: Well, this is sort of a duplicate of Peach Bottom. When we started out with this design, we were attempting to duplicate Peach Bottom to get, you know, the best plant we could for the money. That is the arrangement that we had at Peach Bottom.

The orientation of the units with the generators in the center follows that Peach Bottom design, does place the units where the turbine missile consideration is all settled by the actual location of the unit and just the site layout and the duplication of Peach Bottom was the use of this. We did not see anything that was harmful in the arrangement.

MR. EBERSOLE: It will bring us volatility in
 turbine inspection and in equipment inspection, I guess.

MR. BOYER: Yes. I don't know that we were awareof that at the time.

MR. EBERSOLE: Another thing. Let me ask about the
general architecture design. I note that you have a substantial amount of equipment in secondary containment which,
over the long haul, have to have been contaminated by some
sort of an accident with some leakage, you must probably have
to go in and maintain.

What is the rationale for putting maintenancerequiring equipment inside of secondary containment?

MR. BOYER: Can you name a couple?

9

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

20

21

22

23

24

25

MR. EBERSOLE: Switchboards, secondary panel boards, things of various sorts in there that must require some operator attention over the three-month interval following an accident.

MR. BOYER: Certainly, in the design of equipment you need to have, you want to shorten the cable run and voltage drop, and what not.

MR. EBERSOLE: Well, do you have a plan in place over the long haul, following some accident, to do in and do things inside the secondary containment?

I have an accident, I don't want a meltdown but I had some leakage into secondary containment. That is one of the classical ones.

Do you have a plan of action to go into that secondary containment and prosecute the business of maintaining equipment which must --

MR. BOYER: We would expect to do that. At Peach Bottom now, since 1974 it has not developed any extremely 18 adverse conditions during its operation there. 19

MR. EBERSOLE: I know. But in any case, where you have secondary containment the question always arises, snall I put equipment in there which I have to go tend to.

MR. BOYER: But if you don't put it there, you have to put it outside that and try to get the longer pipe runs and face potential for difficulties.

meh 7

1

19

20

21

22

23

24

2:0

MR. EBERSOLE: I see.

MR. BOYER: Moving on, the Advisory Committee on
Reactor Safeguards met between November '70 and July of '71,
aNd in August of 1971 wrote a letter recommending the
construction permit for Limerick with some items which they
thought should be given further attention.

7 These are the lists of the major items that I 8 identified in going over that letter, and which have been 9 accomodated in the design. Some upgrading of small piping; 10 the main steam line sealing situation, and we either committed 11 to put in the third valve or to install a sealing system. 12 At that time we were thinking of a water shield between the 13 valves. That did not materialize in the, and instead it 14 is a leakage control system.

The biological shield to withstand the jet forces,
as I mentioned in the previous slide. Certain design
features of the ACCI pumps which will be addressed when Tom
Shannon gives his presentation.

We used non-radioactive steam for the turbine -seals. The recirculation pump trip because of the ATWAS concern we have incorporated that, including additional Gregor, and we have incorporated Alternate 3(a) which is an advance over what other plants are using today. That will be discussed with you a little later.

The inerting capabilities of the containment, just as

	131
1	we have at Peach Bottom with hydrogen recombined at the
2	outside, and the acceleration of .15 g for the seismic
3	design when our review had indicated a 1.2 g as being
4	satisfactory.
5	So, this does include some review on your part
6	that a higher seismic design would be appropriate and that
7	was incorporated in the design.
8	MR. EBERSOLE: Mr. Boyer, although that says they
9	are recommendations from ACRS, that belongs to another era,
10	in particular Item No. 1.
11	I hope I do not draw from that that piping below
12	two and-a-half inches diameter is not given the benefit of
13	seismic
14	MR. BOYER: No, where appropriate.
15	MR. EBERSOLE: I see.
16	MR. BOYER: Instrument piping is safety graded.
17	But this was one of the particular things that was mentioned
18	in your letter.
19	Next I might digress now a little bit to talk about
20	the Philadelphia Electric Company organization per se, and
21	to tell you a little bit more about us. You have seen some of
22	us today.
23	We have historically been a strong technical
24	company. This probably ensues from the fact that our manage-
25	ment have been engineers rather than financial or legal people.

24

25

At present, all the vice presidents of the company have an 1 engineering background except for two, and that is the legal 2 vice president and the corporate communications vice president. 3

We have had a history of being interested in 4 industry activities, to participate in resolution of generic 5 type problems or industry problems, and on this line I have 6 shown some of the participation at the current time by our 7 engineering forces. 8

You will see, it is spread through ASME, EEI, 9 AIF, ANF, IEEE, and various miscellaneous committees, 10 including EPRI. I do not think I have included all of the 11 EPPI advisory committees on here, particularly in the area 12 of fossil fuels. But these are the ones which relate to 13 the nuclear field. 14

We have been a leader in system generation, in the 15 utilization of the most modern types of generating equipment. 16 We have hydroelectric, we have pump storage, we have high 17 pressure and temperature fossil units, as well as of course 18 the pulverized coal system. We have installed SO-2 removal 19 systems of an innovative type on our Crombie and Eddystone 20 facilities which is new to the industry, and we entered the nuclear era in 1960 with the commitment to own and 22 operate Peach Bottom No. 1, the high-temperature gas-filled 23 reactor.

This plant went in service in 1967 and operated for

2

3

4

5

7

8

9

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

seven years. Peach Bottom 2 and 3 followed on the same site, boiling water reactors went in service in 1974 and Limerick followed that with operation expected, with fuel loading, next year.

The personnel that were developed for our Peach Bottom No. 1 continued with the company in various capacities, 6 being associated with Peach Bottom 2 and 3 and Limerick. Many of the people that are here in the management chart which I will show you were part of the original Peach Bottom No. 1 team. 10

Our chairman, our present chairman and our former chairman, Bob Gilks and Lee Everett, participated in the SlW design and in the FERMI design. We had five other engineers at FERMI in the early days of that endeavor.

This slide shows that we are also a participant in the BWR Owners Group activity which is pertinent to our nuclear field of endeavor. You can see that we have many of our engineers involved in these activities, serving in responsible positions on these committees to resolve issues that are before the boiling water community today.

The next slide shows the corporate organization, and I would say that I have drawn this one to show nuclear responsibility. It starts with the president and chairman at the top and then comes down to my block, which is the senior vice president responsible for nuclear power, and

then to the two blocks of the operational aspect and the 1 design aspect. 2 This chart does not include all the divisions or 3 sections, all the sections of the electric production 4 department or the engineering and research department. I 5 have excluded those that do not directly relate to the nuclear 6 activities. So that this is a rather functional chart of 7 the line of command for responsibility in the nuclear area. 8 I had the overall responsibility for the nuclear 9 operations of Philadelphia Electric Company, both for the 10 operational, operating plant and for Limerick which we have 11 under design and construction and are discussing here today. 12 I think it is important that you know a little bit 13 about the people who serve in those top three blocks, namely 14 15 myself, Shield Daltroff and John Kemper. I served in the position of vice president of 16 Engineering Research Department from 1968 to 1980, with 17 John Kemper as my manager. In 1980, the management saw fit 18 to designate me as the senior vice president with responsi-19 bility for all our nuclear activities. 20 I coordinate and review the plans and programs 21 with and through John Kemper and Shield Daltroff, the two 22 vice presidents. I have no people in my department, per se, 23 other than a secretary. So, I use the people in the 24 Engineering and Electric Production Department as I feel

25

appropriate through these vice presidents or even directly
 with notification that I talked to somebody about some things
 I would like to have done.

I can do this because I have worked with these 4 people in both departments, having been responsible for the 5 Engineering Department for the last twelve years until 1980, 6 7 and having served half my career in the Electric Production Department and having been the first superintendent of 8 9 Pach Bottom No. 1. Many of the people that are in these 10 blocks I have brought into the organization at Peach Bottom through my encouragement and discussions with me. 11

So, we are a very close group. John and Shields and I have offices adjacent to each other. There is hardly a morning goes by when we are not all in the office together if we are not out on other activities, that we don't get together to discuss the current nuclear activities and what is going on, what the problems are, and how we are working to resolve them.

We eat lunch together many times. A group of
management at Philadelphia Electric have a table at a local
restaurant and many times we are down there together, getting
updated with Joe Cooney and some of the others about the
current status of activities at Peach Bottom or at Limerick.

So, we are very close. I would say we are different from a lot of other companies, and so, this

1	organization works where it might not at other companies.
2	You will note that our quality assurance program
3	is split. There is a quality assurance programs in the
4	Engineering Research Department and there is one in the
5	Electric Production Department.
6	When we first discussed this type of organization,
7	there were concerns about whether we should integrate the
8	two activities into one department and a discussion as to
	where it might be placed. But we decided to go ahead with
10	t. split organization, each department being responsible
11	for its quality assurance program, and if it did not work,
12	we were going to do something to correct the situation.
13	We have seen no reason up to the present time to
14	change it.
15	MR. MICHELSON: May I interrupt for a moment and
16	maybe ask you a question on your organization chart?
17	I realize that these titles are not always too
18	indicative of what really goes on. Maybe you could tell me.
19	I tell you what I am looking for, and then you can tell me

20 where -- what I am looking for in your engineering work is 21 a somewhat independent review function which views the work 22 of a mechanical, electrical, and the other types of engineers 23 from a little more of a systematic, a total systems, a total integrated viewpoint and performs a review of what these 25 independent specialists are doing, and tries to integrate

19

20

21

22

23

24

25

systems to an overall concept.

2 Where is that kind of work being done in your 3 Engineering Department?

4 MR. BOYER: I would say it is being done in two 5 places, one, within the Engineering Department itself by 6 having other people look at the plant designs and review 7 from a systems interaction standpoint or an overall inte-8 gration aspect. Two, more recently in the Electric 9 Production Department by the designation of the Engineering 10 the integrated Safety Evaluation Group which we are 11 organizing in the Electric Production Department which 12 Ted Ullrich will speak to shortly.

MR. MICHELSON: Isn't it a little late, though, to wait until you have set up an operating organization to verify that the design that has been going on for years and years now is really OK? I would think --

MR. BOYER: You are assuming that we have not been
looking at it. I am saying, that is not the case.

MR. MICHELSON: No, I am sure you have and I was trying to determine where in your organization chart -- and I was looking at the Engineering side --

MR. BOYER: It is not a special group, but it is the function of the section head and the chief mechanic or engineer and his people to ensure that the review of Bechtel's design and that the individual engineer who has been making the

meh 15	138
1	review has enough supervisory review and input from other
2	areas, if necessary, to get the oveall desired results.
3	MR. MICHELSON: You apparently do this on a
4	discipline basis.
5	MR. BOYER: Yes, we do.
6	MR. MICHELSON: But not on a necessarily integrated
7	system basis.
8	MR. BOYER: Well, I would not say that. To cite
9	you an example, perhaps, maybe we could address it. But if
10	we are looking at a system design and its interface with
11	other systems or how it affects reliability, whether there
12	are improved ways we might do it, we just mentioned this
13	review of all the outstanding inputs that we can get from
14	industry, from manufacturers and what not and operating
15	experience, the engineers who are responsible for this take
16	this on at the direction of the supervisors in their own
17	area.
18	MR. LOGUE: If I could interrupt, Vince, this
19	will be discussed tomorrow morning by Mr. Mulford, our
20	response to your concerns about systems interaction. This
21	might be a place to discuss it then.
22	MR. MOELLER: Down in those two bottom blocks on
23	the independent safety engineering group, what is the
24	difference in LGS and DSA/DS?
25	MR. BOYER: That is Peach Bottom and Limerick.

meh 16

1	MR. MOELLER: And then up where you have the box
2	that says the superintendent, Limerick Generating Station,
3	I presume then you could put in the superintendent for
4	Peach Bottom, on the same chart?
5	MR. LOGUE: Absolutely.
6	MR. MOELLER: I mean, this same chart applies to
7	both, to the total.
8	MR. LOGUE: Right. That will be covered in more
9	detail by Ted tomorrow.
10	MR. KERR: Please, continue.
11	MR. BOYER: That concludes my remarks.
12	MR. KERR: Are there questions?
13	MR. BOYER: I might say, just to give you an
14	example on the intergranual stress corrosion cracking
15	situation, the question came up about Peach Bottom No. 2,
16	whether we should take it off again. It had been off but
17	because of some results in the industry there was a concern
18	whether we had accurate readings.
19	It was my decision to take the unit off and conduct
20	further examination, with consultation with the vice
21	president of Electric Production.
22	So, I am involved in these things.
23	MR. KERR: Questions? Thank you, Mr. Boyer.
24	MR. BOYER: The next speaker, then, will be Joe
25	Cooney. Joe is superintendent of the Nuclear Generation

8

25

Section. Joe joined the Peach Bottom No. 1 team back in the
 early 1960s, and we sent him to Orstord where he graduated
 from that course. He served as superintendent of the
 Peach Bottom No. 1 plant and is presently a member of the
 INPO industry review group for the Radiological Protection
 Emergency Preparedness Division.

Joe will discuss the Limerick offsite support activities.

9 MR. DALTROFF: Shields Daltroff. While Joe is 10 getting ready, speaking about the organization I think it 11 is important to speak about INPO. Let's just mention it, 12 he left it out of the list. We have been very active in 13 INPO. We take INPO very seriously as far as their comments 14 on our operation go. We are active.

I would just act we get a lot of interchange with other utilities being in INPO. I think that is a very important aspect.

MR. BOYER: We also have Ken Ullrich as a director
of INPO. So, that is an honor which we are pleased to make
his services available.

21 MR. KERR: Mr. Cooney, I am trying to understand.
 22 You are starting at 5:15 according to this?

23 MR. COONEY: I have to check, sir. I am advised
24 that is correct.

MR. KERR: And will therefore be finished at six.

		14	100
m	on	- R	ж.
110	C11		S.

2.00				
1	(Laughter)			
2	MR. COONEY: With your kind indulgence, I would			
3	like to take just a moment of your time and look back, and			
4	maybe help some of us.			
5	MR. KERR: You have more than that, you have 20			
6	minutes.			
7	MR. COONEY: To just look back for a moment and			
8	discuss the fine that was brought up earlier.			
9	I think it would be fair to say that Philadelphia			
10	Electric was one of the last utilities to experience a			
11	civil penalty. I think the civil penalty legislation was			
12	in place about three years, and we were one of the last to			
13	be fined.			
14	I think it would be fair also to say that we			
15	were fined primarily for personnel errors. They were not			
16	programmatic, they were not management-type things. Our			
17	people do an awful lot in a year. They made procedural			
18	errors, they forget to do certain valving in most cases.			
19	Finally, I would like to point out and Vince			
20	alluded to this, and this relates to the challenge frequencies -			
21	we had upwards I can't remember the exact number of			
22	days but we were around up 250, 280, maybe even as high as			
23	300 full, straight operating days at Peach Bottom last year,			
24	and on two previous occasions we beat the world record, free			
25	world record, for nuclear electric generation.			
			- 16	24
------	----	----	------	-------
1000	10	10	- 1	- C.A
311	e	11	2.	2

11.00	
1	So, I would like to believe that the management
2	aspect of the Beach Bottom Atomic Power Station has been
3	pretty good.
4	MR. KERR: I think you are telling me that you
5	just sort of got lonesome without having been fined.
6	(Laughter)
7	MR. COONEY: I thank you for that kind
8	observation.
9	(Laughter)
10	MR. COONEY: My purpose today is to discuss
11	offsite support provided by Philadelphia Electric Company's
12	Electric Production Department.
13	The Electric Production Department underwent
14	some reorganizational changes in anticipation of our
15	operation at Limerick. You will see the results of these
16	reorganizational changes as we progress.
17	The Electric Production Department is directed
18	by Mr. Daltroff who was assisted by a manager and in company
19	with the manager functioned as an office for directing the
20	activities of the Electrid Production Department.
21	The Electric Production Department has seven
22	divisions, three of which will be of primary interest to us
23	today. I will take a moment to point them out.
24	The Maintenance Division, the Quality Assurance
25	Division, and the Nuclear Generation Division. They will be

of primary interest to us. 1 Centralized maintenance of electrical and 2 mechanical equipment, as well as instruments, has been with 3 the Philadelphia Electric Company for many, many years. It 4 has worked well. We believe it reduces the amount of 5 technical and administrative effort that must be put in by 6 the people working at the power plant. 7 We think it contributes to the safety of our 8 operation and you will see that as we progress. 9 The first division I would like to speak about is 10 the Maintenance Division. It is headed by a division-level 11 superintendent who is responsible for all of the mechanical 12 and electrical maintenance in the power plants of the 13 Philadelphia Electric Company. 14 This division, in addition, has an engineering 15 group that does maintenance engineering work, headed by 16 an engineering charge. Ham Traver will be talking with you 17 shortly and will give you much more information about the 18 functioning of the Maintenance Division. 19 A very important maintenance operation is 20 conducted by a group that administratively reports within 21 the Engineering Department. This group repairs the 22 instruments at Peach Bottom and will repair them at Limerick. 23 Again, this method of operating has been with 24

the Philadelphia Electric Company since its earliest dates

	144
1	and we find that it works quite well.
2	Gene Fogarty is here, and he is the engineer in
3	charge of that group. He will discuss the workings of the
4	instrument repair group with you shortly.
5	The second division that should be metnioned is
6	our Quality Assurance Division. Our Quality Assurance
7	people are located at Peach Bottom, assigned to the power plant.
8	We have quality assurance people assigned to Limerick and at
9	the corporate headquarters. The superintendent of the
10	Quality Assurance group, Bob Morre, is scheduled to speak
11	with you shortly.
12	The final division that I would like to speak
13	with you about is the division that I head, it is the
14	Generation Division. Reporting to me is the superintendent
15	of the Peach Bottom Power Plant. Reporting to me also is
16	the superintendent of the Limerick Power Plant. Graham Leitch.
17	Graham will be talking with you later about his organization
18	and his training program.
19	Also reporting to me is superintendent of
20	Nuclear Services. Ted Ullrich. Ted has reporting to him

engineers in charge or directors for emergency preparedness, 21 licensing, radiation protection, nuclear training and a 22 newly-formed nuclear safety group which has working within 23 it the independent safety engineering group which we are 24 forming for Peach Bottom and Limerick at this time. 25

meh 22

1	We believe that these off-site grups significantly
2	contribute to the support of the power plants, at the same
3	time unloading them of administrative and technical burdens,
4	the result of which is an overall improvement in nuclear
5	safety.
6	MR. KERR: Pardon me. Before you leave, Mr.
7	Ebersole has a question.
8	MR. EBERSOLE: If you will go back to your other
9	slide for just a moment, there is some confusion to me.
10	I could not but note the strange aspect of the Engineering
11	Research Department. Who runs it and who runs the party
12	that runs it?
13	MR. COONEY: The Engineering and Research
14	Department is run by John Kemper.
15	MR. EBERSOLE: And who does he report to?
16	MR. COONEY: He reports to the president of the
17	Company, John Austin, as was shown earlier.
18	MR. EBERSOLE: I see. I did not pick it up
19	earlier.
20	MR. COONEY: So, here we have Mr. Daltroff
21	taking care of Operations and Maintenance.
22	MR. KERR: He may have all the information he
23	needs.
24	MR. EBERSOLE: I am in good shape.
25	MR. KERR: Don't overload.
	(Laughter)

		100	-
79.	on	1	4
1.13			4

1	MR. KERR: Mr. Moeller?
2	MR. MOELLER: On your last chart you have R. W.
3	Volmer as superintendent of Nuclear Taining. What is his
4	background or her background?
5	MR. COONEY: I will cover that.
6	MR. KERR: Other questions?
7	MR. BOYER: To move into some of these
8	explanations, Ted Ullrich will be our next speaker. He
9	is the superintendent of Nuclear Services, as was
10	described. He was superintendent of Peach Bottom 2 and 3
11	for a period of twelve years and was involved in the
12	Peach Bottom No. 1 operation.
13	Ted is vice chairman of ANS-3, the Standards
14	Committee and, as I mentioned, is on the INPO Board of
15	Directors.
16	MR. ULLRICH: My purpose today is to discuss
17	the five sections which report to me, the Nuclear Services
18	Group. I will provide a brief description of the support
19	provided by each of these groups during routine operations.
20	During your emergency planning discussion tomorrow,
21	Roby Kankus will discuss the roles played by those groups
22	in support of emergency management.
23	First, I would like to discuss the Nuclear Safety
24	Section. The engineer in charge of the Nuclear Safety
25	Section is George Hunger. George is a registered professional



correspondence, internal reports, and meeting minutes of

the Plant Operating Review Committee and Nuclear Review Board.

2

3

4

5

6

7

11

16

17

18

19

20

21

22

23

24

25

Safety concerns will be identified, investigated, reported to management and tracked for timely resolution. The corporate group will also provide technical backup to the on-site groups to assist investigations and reviews.

In addition to these three groups, there's a Peach Bottom/Limerick operating experience assessment committee. Mr. Hunger chairs this committee, which includes 8 the operations engineers of both the Peach Bottom and Limerick 9 plants and representatives from the Licensing Section, Nuclear 10 Training Section, Quality Assurance Division, Mechanical Engineering, Electrical Engineering and the General Electric 12 Company site representatives.

13 This committee provides a multi-disciplinary 14 review of significant internal and external operating 15 experience information.

The committee has been functioning since 1980 in support of the Peach Bottom operation. Participation by the Limerick Operations engineer and the review of information for applicability to Limerick has recently begun. We believe the independent safety engineering group function at Limerick complemented by the corporate and Peach Bottom groups and by the operating experience assessment committee, efficiently accomplishes the functions required by the TMI action plan in this area.

MR. MICHELSON: Before you leave that slide, let

1	me just get a clarification. On your corporate group, it
2	appears that you don't really review LERs, for instance, but
3	just depend on INPO to do all that, and then you look at
4	INPO's output. Is that a correct appraisal?
5	MR. ULLRICH: The internal LERs are reviewed by
6	our licensing group, which is the next group I want to talk
7	about. The ISEG group at the site would review the LER if
8	they feel it's significant.
9	MR. MICHELSON: I'm speaking now of other LERs from other
10	utilities than your own.
11	MR. ULLRICH: I think that's correct. We depend
12	on INPO and, to some extent, on our own internal reviews.
13	MR. MICHELSON: You actually receive the LERs
14	from all the others
15	MR. ULLRICH: No.
16	MR. MICHELSON: So it would just be happenstance
17	to look at one, then.
18	MR. ULLRICH: We would look at the Notepad
19	information, which we do now on a daily basis. And if you've
20	been in the industry, the information transfer between nuclear
21	power plants of the same type is very rapid. General Electric
22	Company has a site operating engineer at each PWR, and he
23	usually knows what's happening at the other plants on a daily
24	basis. So within the BWR group, the information transfer is
25	very rapid. And Notepad, if you've looked at, has everything

100 C	
1	on it that you ever wanted to know and then some.
2	MR. KERR: On August 1 of 1983, a nuclear plant
3	Monticello Nuclear Plant experienced a degraded voltage
4	protection system actuation, and as a result of that,
5	apparently it was discovered that this system had been
6	designed improperly and also had been operated outside of
7	the design and analysis that had been carried out by the
8	licensing group.
9	What action has PE Company taken as a result of
10	that, if anything, in examining your own system?
11	MR. ULLRICH: Well, the electrical problems
12	and that particular event is an area of degraded voltage. In
13	the operating experience assessment committee we have an
14	engineering representative. That item would come up in that
15	group for discussion and would be assigned to the electrical
16	engineering representative for review to determine what needs
17	to be done.
18	MR. KERR: I'm trying to get some idea of the lag
19	in the system. Has something been done about that particular
20	event? Do you have any idea?
21	MR. ULLRICH: I don't know, I haven't seen the
22	operating experience assessment committee meeting minutes for
23	September yet, but I doubt it.
24	But the degraded voltage problem has been with us
25	at Peach Bottom since the last four or five years. There's

151

2 MR. KERR: There are two interesting aspects of 3 this as far as I was concerned. One was the degree of voltage 4 problem, but the other was the implication that an analysis 5 had been done of our licensing group, and the operating group 6 was unaware of the analysis. At least, the operations seemed 7 to indicate that they were. So that there was not only a 8 problem of degraded voltage as a communications problem, 9 apparently there was a communications problem within the 10 organization. Either one of these I think is something that 11 one would want to do something about, if it existed within 12 one's own organization.

MR. BOYER: We'll try and find where that stands
in our organization for tomorrow morning.

MR. BENDER: Can we get some idea of how big these groups are? How many people are in them, what kind of people are they?

18 MR. ULLRICH: I gave you the credentials of George 19 Hunger, who leads the group. The Peach Bottom organization 20 at the present time has one person who is a licensed engineer 21 at Peach Bottom, has been on site for about 10 years. We 22 have two other people slated to enter that group in March 23 at Peach Bottom; one is an STA coming off-shift after a 24 three-year assignment on shift, an engineer, and the third is 25 a one-year experienced engineer who is now in STA training.

1	He will complete that in March.
2	The corporate group will have one additional
3	engineer. He is presently in certification training for
4	Limerick. The Limerick group, we anticipate having three
5	engineers; one individual is in certification training, was
6	at Peach Bottom in 1968, transferred to Limerick in 1976 or so,
7	and two others that are in STA training at this time.
8	We expect to have all these people STA-qualified
9	but not working the job, if yousee what I mean.
10	MR. BENDER: What's their level of experience?
11	Are they experienced engineers? Have they been in operations?
12	MR. ULLRICH: Yes. The lead people at each site
13	have been in operation. The second man at Peach Bottom, of
14	course, has had three years on shift as an STA, so he's got
15	at least four or five years of operating experience. The
16	individual in the corporate office is about a 10 or 12-year
17	experience individual, not all of that nuclear. He's been in
18	the nuclear business for about two years.
19	MR. MICHELSON: I'd like a clarification. Did you
20	say there's just one person in the corporate headquarters
21	that's doing this work?
22	MR. ULLRICH: Between George and one engineer
23	assigned to corporate headquarters, yes.
24	MR. EBERSOLE: Something is called the Nuclear
25	Safety Section set of words that I don't find anyplace but

1	here, yet when I look at the assignments in the details
2	below your tree I seem to see that nowhere in there do I
3	see integral safety assessment of designs the design
4	evaluation concept in the integral context of nuclear safety.
5	And I detect that it's like INPO; it's oriented
6	just to include the scope of operations and maintenance and
7	not integral design assessment to where multiplicity of
8	systems is involved.
9	MR. ULLRICH: We all serve that function in the
10	operating plant for modifications which occur.
11	MR. EBERSOLE: No, I'm talking about in the
12	original case.
13	MR. ULLRICH: No, I do not anticipate having this
14	group review the original design
15	MR. EBERSCLE: And where does that take place?
16	MR. ULLRICH: That takes place in Engineering and
17	MR. EBERSOLE: Is there a group corresponding to
18	this in Engineering?
19	MR. ULLRICH: I'll have to defer. I do not know.
20	MR. EBERSOLE: That looks at the integral design
21	assessment for safety?
22	MR. BOYER: I think that relates to the questions
23	that one of the gentlemen on the panel was
24	MR. EBERSOLE: Yes, it's a function in the design
25	context, however.

(6:00 p.m.)

1	MR. BOYER: Yes. And my response would have to be
2	the same with the additional thought that of course, Bechtel
3	design team, the initiator of the design, or General Electric
4	with Bechtel reviewing that design, does give some overview
5	of the total possible effects of system interaction or the
6	design requirements.
7	And Dick Mulford was going to address that a little
8	bit more tomorrow.
9	MR. MULFORD: I plan to, in my discussion of
10	systems interactions, heavily describe the design review
11	functions as practiced by GE, Bechtel, and most especially by
12	Philade'phia Electric.
13	MR. MOELLER: I would like to know how the corporate
14	independent group and the Limerick group interact. For example,
15	under Limerick you say that they review operating experience
16	information. Now, does that include INPO's summaries of LERs?
17	MR. ULLRICH: The external information coming
18	into the Philadelphia Electric Company is handled by our
19	Licensing Section or by the corporate safety group.
20	MR. MOELLER: Not by both?
21	MR. ULLRICH: Not by both. And when I get to the
22	next group you will see that bulletins, information notices
23	and things like that are reviewed by the other group.
24	MR. MOELLER: So they do come together in that
25	committee function.

1	MR. ULLRICH: They do come together in that
2	committee function that's up there, the operating experience
3	assessment committee function. That's when everybody gets
4	together.
5	The ISEG at the sites are primarily reviewing
6	information from the sites for applicability to the sites,
7	and when the corporate groups find things that are of interest
8	to the sites, passes it down. We do not want to burden the
8	site personnel with reviewing all the extraneous information
10	coming in to the Philadelphia Electric Company.
11	MR. MOELLER: I'm jumping ahead, but to what
12	extent does the Peach Bottom station currently participate
13	in the NPRDS system?
14	MR. ULLRICH: I think we are pretty much up to
15	date. We have a
16	MR. MOELLER: So they're pretty high.
17	MR. ULLRICH: a very large data base, and we
18	are pretty close to having all the failures reported.
19	MR. MICHELSON: By saying you have a large data
20	system, getting a large data base, what you're referring to is
21	the engineering data portion of NPRDS. How about the
22	experience portion of NPRDS where you're reporting your
23	failures and things?
24	MR. ULLRICH: I'm saying we're up to date on our
25	failures.
100.00	

1	MR. MICHELSON: Up to date means since when?
2	MR. ULLRICH: Well, since about 1979 or 1980 when
3	we started feeding this stuff to Southwest.
4	MR. MICHELSON: All your failures have been fed
5	into Southwest?
6	MR. ULLRICH: All reportable failures have been
7	fed in. We've not gone back and reviewed those which are
8	NRC reportable which may be NPRDS reportable. We've not gone
9	back and done that.
10	MR. MICHELSON: But essentially, NPRDS concluded
11	that all the components in the engineering data base, if there
12	are failures in those components they are reported to NPRDS?
13	MR. ULLRICH: That is correct.
14	MR. MICHELSON: And you're reporting all those
15	failures?
16	MR. ULLRICH: No, I said we were reporting all
17	failures which were reportable to the NRC.
18	MR. MICHELSON: All that are reportable to NRC,
19	did you report then to NPRDS?
20	MR. ULLRICH: Right, that's where we are right now.
21	MR. KERR: Please continue.
22	MR. ULLRICH: Okay. The Licensing Section is headed
23	by an engineering charge, Bill Alden. Bill held an NRc
24	license for the Peach Bottom HTGR from 1965 to 1972, and
25	operated that facility in the capacity of shift supervisor

1 during pre-operational testing, startup and initial commercial 2 operation. Within this group there's a Fuel Management Group 3 which is directed by Lou Rubino, professional engineer with a 4 BS in mechanical engineering and an MS in nuclear engineering. 5 The Fuel Management Group supplies data to the nuclear fuel 6 supplier for use in designing fuel reloads, and reviews these 7 core designs. The group is developing inhouse reload design 8 capabilities which will be applicable to Peach Bottom and 9 Limerick. The target date for completing this activity is 10 1985.

157

The group also provides core management operation, support analysis, material accountability, reactor core component analysis and replacement recommendations.

The fuel performance verification and testing programs for Peach Bottom are also done here. Similar support will be provided for Limerick when it becomes operational. We presently have 11 people in that part of the group right now.

The Special Projects Group is headed by Bruce Clark, a senior engineer who presently holds an NRC senior operator's license for Peach Bottom BWRs. He participated in the startup and commercial operation of Peach Bottom as the instrument and controls engineer, and later as the assistant maintenance engineer. He also serves as a Vice Chairman of

25

11

12

13

14

15

16

17

18

19

20

21

22

23

1	the Operating Experience Assessment Committee.
2	The Special Projects Group provides support on
3	both sites by gathering information related to Licensee Event
4	Reports, investigating these events, developing appropriate
5	reports for submission to the NRC. The group reviews modifica-
6	tions, safety evaluations to identify safety concerns, and
7	gathers and reviews industry-related information such as
8	NRC information notices, bulletins and INPO Notepad information.
9	Applicable information is provided to the cognizant
10	personnel both within the corporate offices and at the site.
11	Bulletin responses are developed by this group.
12	The Special Projects Group also supports site
13	personnel in reporting of failures to INPO NPRDS data base.
14	At this time, the majority of the Limerick safety-related
15	data base or engineering data base is ready for submission to
16	NPRDS. It has not been put into the system. It's just a
17	matter of getting on the computer and doing it.
18	MR. MICHELSON: You're aware, of course, that the
19	scope of NPRDS is significantly changed. Are you agreeing to
20	the new scope with intent to fully report under the new scope?
21	MR. ULLRICH: We have not seen we know that it's
22	going to be expanded, but I haven't been made aware
23	MR. MICHELSON: You haven't anybody working on the
24	working groups at INPO that have been putting the scope
25	together?

24

25

1 MR. ULLRICH: No, we have not. We've had people 2 down there to make sure that we know how to input and use it, 3 but not working on the scoping document. 4 The Licensing Group is directed by another senior 5 engineer, Bill Birely. Bill is a registered professional 6 engineer. He held an NRC license at Peach Bottom HTGR from 7 1967 through 1975, and served at the HTGR during pre-operational 8 testing, startup, operations and decommissioning. Following 9 decommissioning, he acted as a compliance engineer for the 10 boiling water reactors. 11 The Licensing Group is responsible for the 12 development and processing of almost all NRC submissions 13 following receipt of an operating license. This includes 14 license amendments, and responses to violations are identified 15 by NRC inspection programs. 16 Major submittals in support of the fire protection 17 program and TMI action plans are also processed by this group. 18 The rule changes, regulatory guides and NUREGs and industry 19 standards are periodically reviewed for applicability for 20 the preparation of licensability and implementation at each 21 site. This group routinely interfaces with the NRC staff, 22 vendors, owners groups and departments within the company to insure adequate knowledge in implementation of requirements. 23

The combined group of special projects in the Licensing Group is about 11 engineers, and they switch between

-

1.1.1.1	
1	groups as the work load moves around.
2	MR. KERR: Does that conclude your presentation?
3	MR. ULLRICH: No, I've got a couple more.
4	MR. KERR: And there are two more people after you
5	and then Mr. Moore before 6:00 o'clock?
6	MR. ULLRICH: Well, you gave us a late start.
7	I'll go faster.
8	The Emergency Preparedness Section is headed by
9	Roberta Kankus. She held an NRC operator's license for the
10	Peach Bottom PWRs from 1976 through 1980. Between 1980 and
11	82 she completed a two-year assignment in INPO in the
12	Engineering Analysis Division.
13	Ms. Kankus and the corporate support personnel in
14	this section are responsible for the overall development of
15	the Peach Bottom and Limerick emergency plans and the
16	maintenance and support of these documents. This section is
.17	responsible for coordinating these plans with off-site
18	government agencies.
19	The plant site has an engineer assigned as a site
20	emergency planning coordinator who is responsible for on-site
21	planning activities. Ms. Kankus monitors and directs these
22	activities through the station superintendents at the site.
23	This group develops and maintains emergency training programs
24	as well as the corporate emergency plan implementing
25	procedures. It assists that plants at site in developing and

23

24

25

1 and maintaining the site implementing procedures and 2 incorporates procedural changes into the emergency plan. 3 The section works with the site to schedule 4 exercises and drills as well as to provide coordination and 5 direction of the scenario development, control or evaluator 6 selection, placement and training and critiques corrective 7 action implementation. This section provides the off-site 8 interface required for exercise and drill coordination and 9 scheduling. 10 Interface between PE and the federal, state, 11 county, municipal and local emergency response agencies is 12 provided by this group with the assistance of a contractor, 13 Energy Consultants. This assistance is in the form of plan 14 development and training. 15 Section personnel interface with industry activities 16 in emergency planning. Ms. Kankus has been involved in the 17 INPO Good Practice development and in the writing of the 18 ANS 3.8 standard in emergency preparedness. Section personnel 19 participate in industry meetings and in emergency drills and 20 exercises of other area utilities as controllers and observers. 21 (Slide.)

The Radiation Protection Section is directed by Walter Knapp. Walter is a chemical engineer with an NRC license for the HTGR. He gained knowledge and experience in the radiation protection field at Shippingport, Savannah River, Oak Ridge and the Peach Bottom HTGR and PWRs. He's been
 active in his profession since 1959 and has held his present
 position since 1976.

Mr. Knapp has overall responsibility for the 4 5 proper implementation of the radiation protection programs 6 at Peach Bottom and Limerick. To accomplish this he provides 7 technical direction and consultation to the senior health 8 physicists and senior chemists at Limerick and Peach Bottom. 9 He routinely observes site health physics activities, reviews 10 appropriate health physics and chemistry procedures and 11 conducts AIARA program evaluations in cooperation with the 12 station ALARA coordinator. His experience and frequent 13 visits to the plant help insure quality radiation protection 14 of the chemistry program.

15 The Corporate Radiation Protection Section 16 personnel provide support to each site by being knowledgeable 17 of radiation protection practices at other facilities, 18 investigating new instrumentation and processing, processing 19 rad waste disposal site permit applications, providing 20 instructors for specific training programs, for health physics 21 supervisors and technicals, as well as the emergency response 22 personnel, auditing of general employee training and general 23 respiratory training programs, accumulating and training 24 of radiation exposure data, health physics and chemistry 25 data, performing internal dose calculations, reviewing

1

2

3

4

7

19

20

21

22

23

24

25

environmental radiation monitoring data and reviewing current and proposed regulations for application to each site.

(Slide.)

Robert W. Bulmer, the Superintendent of the 5 Nuclear Training Section, is an Annapolis graduate and a 6 professional nuclear engineer. He is a veteran of 23 years of service in the nuclear Navy. During two of these years he 8 served as the deputy senior member of the Operational Reactor 9 Safeguards Examining Board for the Atlantic Fleet.

10 Training programs routinely provided at both 11 Peach Bottom and Limerick sites include non-licensed operator 12 training, licensed operator training, health physics and 13 chemistry technician training, as well as shift technical 14 advisor training. In addition, general employee training and 15 general respiratory training and special programs associated 16 with first aid, fire protection and CPR are provided at 17 both sides. A training coordinator at each site is responsible 18 for these programs.

The Limerick Training Center is operated by General Physics Corporation. Dick Helt, a certified simulator instructor, is assigned to the Training Center on a full-time basis to provide liaison between the Nuclear Training Section and the General Physics Training Center staff. The Limerick has been extensively used by both Peach Bottom and Limerick personnel in the development of the symptomatic emergency

19

20

21

22

23

24

25

cperating procedures which are presently being used at
 Peach Bottom. The Limerick procedures are similar, and this
 training has been or is being provided to the Limerick opera tors at this time.

The main office group provides additional support to both Peach Bottom and Limerick. INPO accreditation of the Peach Bottom program is being pursued. PE Company was one of the earlier applicants for this accreditation. The group developed programs in accordance with INPO criteria so that accreditation can be sought at Limerick as soon as the plant is operational.

12 This group provides a job task and needs analysis 13 to provide the basis for training program development. To 14 insure that training needs are being met, feedback from 15 instructors, trainees and job supervisors are used to evaluate 16 the program. The group is also responsible for instructor 17 development, qualification and certification.

Any questions?

MR. BOYER: The next speaker would be Ham Traver, who's Superintendent of the Station Section of the Maintenance Division. I see he has three charts there which describe the maintenance organization, and I leave it to you whether you want to perhaps glance at those and ask some questions, or whether you'd like him to give his spiel.

MR. KERR: I see none. Thank you, Mr. Ullrich.

tp6,syl8		
		165
	1	MR. KERR: How long is your spiel?
•	2	MR. TRAVER: Three minutes.
	3	MR. KERR: Give it.
	4	MR. TRAVER: Okay. My purpose is to discuss the
	5	Maintenance Division's participation in the operation of
	6	Limerick. I'm going to cover the off-site resources that
	7	support the station, the organization of personnel assigned
	8	to Limerick and the development and training of our highly-
	9	skilled tradesmen.
	10	First, the off-site resources. As Joe Cooney
	11	explained earlier, the Maintenance Division is comprised of
	12	sections that perform functions on a systemwide basis. This
•	13	chart shows the services and resources available from
•	14	Limerick from the various centralized maintenance sections.
	15	My group, the Station Section, includes the
	16	personnel assigned to Limerick.
	17	(Slide.)
	18	This organization is led by a supervising enginee
	19	who's responsible for both mechanical and electrical work
	20	performed by Philadelphia Electric tradesmen as well as
	21	vendor personnel. Its primary responsibility is to insure
	22	that maintenance activities are properly performed in
	23	accordance with priority, schedule and economic criteria
-	24	developed by the operating staff.
	25	To this end, he communicates with the engineer of

r

maintenance and the outage manager resports to the station
superintendent. This supervising engineer is administratively
responsible for the maintenance personnel assigned toLimerick.
This arrangement facilitates interaction with off-site
maintenance groups, and relieves the station staff of related
duties.

Reporting to this supervising engineer is a
maintenance supervisor and various group leaders. The
technical support group provides technical direction,
performs studies and interfaces with the central maintenance
engineering section.

MR. KERR: Suppose that you need somebody for a rather crucial maintenance -- not routine, but abnormal maintenance -- at 2:00 a.m. some Saturday night. Who decides who is called on to do the maintenance?

16 MR. TRAVER: The first person to decide would be 17 our supervisor we have on NRC emergency staffing coverage. 18 Presently at Peach Bottom, we have a supervisor and another 19 helper on 24-hour, three shifts a day, seven day a week 20 on site at the station. One of his responsibilities is to 21 respond to the station staff concerns, assess whether he's 22 capable of judging what requirements are needed to meet those 23 requirements, and if not, communicate with the proper 24 individual in the maintenance organization to make that 25 decision.

1	MR. KERR: So the answer is you don't know who
2	would decide
3	MR. TRAVER: Who would decide would be the
4	supervisor who has an assistant foreman on duty at Peach
5	Bottom, and in the vast majority of cases he might ask for
6	help.
7	MR. KERR: Does he call on people on the basis of
8	seniority or qualifications or who's around, or how
9	MR. TRAVER: No. We normally do call people for
10	overtime assignments, which I assume you're referring to at
11	2:00 a.m. in the morning who would likely be overtime,
12	although we're anticipating at Limerick that we may well have
13	full shift coverage with maintenance personnel.
14	We have 1)-shift, multi-shift coverage, at
15	Peach Bottom presently, but if we're calling on overtime, he
16	calls the appropriate trade which is determined by
17	jurisdictional decisions that have been made through our
18	maintenance experience. He knows the appropriate that's
19	part of his responsibility to know the appropriate trade to
20	call.
21	MR. KERR: But he doesn't have a choice as to who
22	the appropriate individual is.
23	MR. TRAVER: No, he would not normally call any
24	individual by name. I'm going to talk about the qualification
25	of our tradesmen. They are quite capable of handling these

1 problems.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

MR. KERR: So any one of them would be equally competent?

MR. TRAVER: Not equally but adequately. MR. KERR: Thank you.

MR. MOELLER: In touring the plant this morning I gathered some of these tradesmen are also tradeswomen.

MR. TRAVER: Yes. In fact, that is the case. You did not see our tradesmen this morning at Limerick; however, you're quite right that we do have females progressing in our organization and gaining experience. Right.

Going on with the Planning Group --

MR. MICHELSON: You made a statement a little earlier that I want to be sure I understood. I thought you said that your maintenance organization was kind of separate from the operating organization at the plant and that it reports some other route. Did I understand that correctly?

MR. TRAVER: Yes, but we're stressing the administrative aspect of it. The supervising engineer at maintenance works very closely with the operating staff and they determine, as I mentioned, the priority of work to be done. They basically determine what is to be done and we implement that decision.

24 MR. MJCHELSON: Well, is the supervising engineer 25 a member of the Limerick staff?

1.2		1			20	in.
-	m	sec.	0	モチ	1	
1.	50	O.	3	v	6	6
						_

1	MR. TRAVER: No, he's a member of the maintenance
2	organization. He works for me.
3	MR. MICHELSON: He works at Headquarters.
4	MR. TRAVER: No, he's at Limerick.
5	MR. MICHELSON: Yes, but I mean he reports back
6	to the corporate level.
7	MR. TRAVER: Yes, that's correct.
8	MR. MICHELSON: So the maintenance is done by
9	people who are not responsible to the superintendent, then.
10	MR. TRAVER: Well, they're responsible to the
11	superintendent which happens to be myself
12	MR. MICHELSON: No, I mean they're not responsible
13	to the plant superintendent.
14	MR. TRAVER: That's true, they are not directly
15	themselves. We are as a maintenance organization. We're a
16	service organization to the plant operating staff, and we try
17	very hard to meet their requirements. But in fact, the
18	individual is responsible to the maintenance organization,
19	and if he does not perform correctly it's our task, which we
20	pursue, to evaluate his performance and remedy his deficiencies
21	and so forth and so on.
22	And was explained earlier, that, we feel, is an
23	advantage because it relieves the Peach Bottom staff of that
24	type of responsibility. We assure that we have the proper
25	people on the job.

1	MR. MICHELSON: This is true at Peach Bottom as
2	well as the Limerick.
3	MR. TRAVER: Yes, it is
	MP DALLTHROP, This is historic with Dhiladelphia
5	Floatnic There are a series of the series of
0	Electric. There are a number of what you might perceive as
D	internal contract organizations the Maintenance Division
7	is separate from the Operating Division in Electric Production
8	and administratively does not report to the station superin-
9	tendent. But the station superintendent has complete
10	control over what they do and when they do it and the blocking
11	out of equipment and so forth. The Maintenance Division only
12	controls precisely how the work is done.
13	And that's true in a number of things. For instance,
14	the Stores Division. For many companies, the storeroom would
15	report to the station manager; in our case it doesn't. We
16	have a centralized stores organization supplied as a service
17	to the plant.
18	MR. MICHELSON: As an example, I'm thinking, for
19	instance, the lubrication of vital equipment requiring numerous
20	lubrication oils. Those decisions are all made, then, by the
21	maintenance organization.
22	MR. DALLTHROP: No, no. They are made by the
23	operating organization and they give orders to the Maintenance
24	Division to perform the work.
25	MR. MICHELSON: Well, who looks at the background

25

of lubricating oils at various plants and how this might 1 affect your plant and so forth? That's done by the station 2 3 superintendent, then? How does other maintenance experience get back to your plant? 4 5 MR. DALLTHROP: Other maintenance experience in 6 the Philadelphia Electric Company? 7 MR. MICHELSON: No, in other parts of the country. 8 MR. DALLTHROP: The same mechanism as we've described 9 before, and generally through the plant organization, although 10 the Maintenance Division itself attends appropriate EEI and 11 that type meetings and so forth, where they bring that kind 12 of feedback. 13 MR. MICHELSON: But does the station superintendent 14 decide what lubricating oils are to be used and you take care 15 of getting them put in, and they're changed out from time to 16 time? 17 MR. DALLTHROP: That's essentially correct. The 18 station superintendent, of course, uses the manufacturer's 19 recommendations, and we have -- again, we have a central 20 chem lab which is fully equipped to analyze lubricating oil 21 and lubricating oil problems. There's an internal service 22 organization which can help them with that kind of a problem. MR. KERR: Please continue. 23 MR. TRAVER: Thank you. The planning group contains 24

trade background personnel who estimate jobs, coordinate the

1 collection of scheduling data and interface with the central
2 planning organization.
3 The electrical, mechanical and piping groups
4 perform tasks in their trade-related categories, and provide
5 supervisory and trade personnel as required for NRC emergency
6 staffing.

7 The Contract Coordination Group is responsible
8 to oversee work assigned to contractors and insure its
9 satisfactory completion in accordance with established
10 specifications.

We are certain this organization will perform well
 in Limerick because it's based on our experience maintaining
 Peach Bottom.

14

22

23

24

25

(Slide.)

We've been talking about the organizational aspects
of maintenance. Now I'd like to cover the development, training
and testing of our tradesmen. We believe tradesmen are most
effective if hired or transferred at the entry level and
thoroughly trained in maintenance practices. Accordingly,
all tradesmen begin their careers as helpers, after passing
an aptitude test administered by the Personnel Research Division.

During their time as helpers, these individuals are assigned to various groups or stations at which locations they assist tradesmen in the performance of their duties. This experience develops general mechanical skills and provides

2

3

4

5

6

7

8

9

the basis for an informed choice regarding their trade. Throughout their period as helpers, these individuals' performance is constantly monitored and performance evaluations are used to aid in their development.

At the end of their second year, helpers who have progressed satisfactorily are given a third class trade qualification exam. Qualified helpers are offered trades in seniority order.

(Slide.)

As can be seen by this slide, the number of formal training hours is a function of the specific trade selected. After work experience and formal training at the third class tradesman level, these individuals are given their second class trades qualification exam. After further formal training and on-the-job experience, they are eligible for the exam which qualifies them as a first class tradesmen.

MR. KERR: Is it true, as I would gather from this chart, that one as a bricklayer gets \$400 but as an electrician only \$280?

20 MR. TRAVER: Yes, that's true. There's quite a 21 difference in the training itself, but that's correct. The 22 amount of on-the-job type training and the nature of it is 23 different than electricians --

24 MR. KERR: I don't follow that. I think I could
25 reasonable electrical work but I sure can't lay bricks.

(Laughter.)

-----

1	MR. TRAVER: Thank you.
2	MR. MICHELSON: Does the maintenance organization
3	take care of the calibration and adjustment of all equipment?
4	MR. TRAVER: No, it doesn't, and the next speaker
5	is going to touch on that subject.
6	MR. BOYER: The next speaker is Gene Fogarty, who
7	who is engineer in charge for the Station Test Section of
8	the Research and Testing Division of the Engineering Research
9	Department. So here's another one where we have a group which
10	is centralized with a special section at each location where
11	their services are required.
12	Gene is a registered professional engineer, he's
13	a member of the IEEE Nuclear Power Engineering Committee,
14	serves as the Chairman of its Quality Assurance Subcommittee.
15	MR. BENDER: How many people are in it?
16	MR. FOGARTY: The whole division has 340 engineers
17	and technicians.
18	MR. BENDER: What's in the systems test section?
19	MR. FOGARTY: The Systems Test Section in the
20	middle section, the communications and relays has approximately
21	40 people. System control
22	MR. BENDER: That's all I wanted to know.
23	MR. FOGARTY: Okay. I won't dwell on our role as
24	a centralized organization. I will say that the Station Test
25	Section, which is the second section from the right on the
1.64.5	

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

chart, specializes in the maintenance of instrumentation and control equipment. We perform that function at Limerick, and I might add that in addition to having that responsibility during the operations phase, we are doing that for the total startup program, so there will be a continuity of effort through that time.

We also do the instrumentation at Peach Bottom, the Susquehanna Test Branch does that effort, and then the Recorder Test Branch is responsible for maintaining the instrumentation in our fossile fuel generating stations.

And finally, the engineering staff group, which has a group of engineers who specialize in the maintenance of instrumentation and control equipment and systems.

For purposes of time, I'm not going to dwell on the responsibilities of some of the other branches, nor will I dwell on the responsibilities of the two research sections which are shown on the left. I can answer questions later if you wish. But all of those are available to provide either direct or indirect support to the Limerick Test Branch or to Limerick Generating Station.

(Slide.)

MR. KERR: Mr. Fogarty, you have had this responsibility for sometime or is it not a new assignment?

MR. FOGARTY: I started -- I was there at the Susquehanna Test Branch during the startup of Peach Bottom

1	Units 2 and 3. I had to start up a fossile unit and then
2	became engineer in charge of Station Test Section.
3	MR. KERR: What would you say is the most important
4	thing about station tests that you have learned from Peach
5	Bottom the Peach Bottom plant.
6	(Pause.)
7	MR. FOGARTY: I'm sorry, that is a difficult one
8	to answer. I guess maybe the as we've seen regulations
9	change, as we've seen QA develop, I think it's the evolution
10	that we've had to go through ourselves both with our engineers
11	and our technicians to grow in those areas. So growing with
12	the technology, growing with the administration and complexity.
13	MR. KERR: Well, I wish you hadn't said that, because
14	it sounds to me as if what you've learned is you have to do a
15	lot of paperwork, and I thought maybe you had learned something
16	that also might enhance plant safety. And I guess I'm not as
17	sanguine about paperwork's importance to safety as some people.
18	MR. FOGARTY: I think we have learned a lot about
19	plant safety. A question came up before about the tests of
20	the plant safety systems, for example. We were very much
21	involved with Electric Production counterparts and with our
22	own friends at Electrical and Mechanical Engineering in
23	changing Peach Bottom and going from the digital switches and
24	differential pressure switches and that type of device to the
25	analog trip units, which reduce the calibration periods and

1	reduce the surveillance test periods, for example. And
2	reduce the scrams, that's one of the reasons why we were
3	able to meet the 300-day runs that Shields talked about
4	before.
5	MR. KERR: Have you encountered any situations
6	in which you feel that you were perhaps forced by regulations
7	or reg guides to over-test? By over-test I mean a situation
8	in which testing perhaps enhanced or increased risk rather
9	than decreasing it?
10	MR. FOGARTY: I can't think of any specific case
11	of that. No, sir.
12	MR. KERR: Thank you.
13	MR. BENDER: One follow-on question. Why is there
14	no Peach Bottom test branch?
15	MR. FOGARTY: I'm sorry, I went through that too
16	quickly. The Susquehanna Test Branch performs that function
17	at Peach Bottom. That branch has 63 people. In addition to
18	providing the instrument tests, they also are a small version
19	of the entire division. So they fill that function. They're
20	physically located at Peach Bottom.
21	MR. BENDER: Thank you.
22	MR. KERR: I assume it's the Peach Bottom Test
23	Branch that does the tests at Susquehanna.
24	(Laughter.)
25	MR. FOGARTY: I guess if we could have gotten that
1 contract we'd have bid. 2 (Laughter.) 3 MR. MICHEISON: Before you leave this slide, who 4 prescribes the tests to be followed, or is this group 5 actually formulating tests? Who prescribes the setpoints 6 that you then go in and set? 7 MR. FOGARTY: Setpoints come from engineering 8 information. Then the direction as to when tests are done is 9 a responsibility of the Electric Production Department, as 10 was alluded to earlier. Basically, they tell us what they 11 want done and when they want it done. 12 MR. MICHELSON: I'm trying to get back to the 13 station superintendent again. When I asked the question on lubricating oils, which was a mechanical question, the answer 14 15 came back the station superintendent prescribes what 16 lubricating oil is to be used. When it comes to a matter of 17 setpoints, does the station superintendent prescribe setpoints 18 to you and then you just carry them out? 19 MR. FOGARTY: Yes, especially for those instruments 20 for which there are surveillance tests. The surveillance 21 tests are approved by the station staff, including the station 22 superintendent or his designee. 23 MR. MICHELSON: How about the cases where they are 24 not prescribed, which is many, many --25 MR. FOGARTY: There's design information that just

1	flows through and it's information that the testing engineering
2	group station superintendent is aware of it.
3	MR. MICHELSON: Well, does it come from the
4	station superintendent from another organization he has, or
5	do you develop it and then turn it over to him and say this
6	is what we ought to do?
7	MR. FOGARTY: For the for the basic non-safety
8	related instrument, the calibration data is in the instrument
9	index, which is a basic document which is available to all.
10	There is maybe an implied kind of approval on the part of the
11	station superintendent. In fact, it's an engineering document
12	to which we adhere.
13	If the station superintendent can implement changes
14	to the setpoints through other mechanisms if he so desires,
15	then he would give us that direction.
16	MR. LEITCH: I'm Graham Leitch, the Plant
17	Superintendent. We have an instrument and control engineer
18	who reports to me through our technical engineer, who really
19	establishes priorities, is responsible for the development
20	of surveillance tests and bringing procedures to the Plant
21	Operating Review Committee for approval. And in much the same
22	way that the maintenance engineer which I'll describe a
23	little bit further in my talk coordinates and prioritizes
24	the maintenance activities, although the actual craft work is
25	done by others, the instrument and control engineer establishes

1	priorities and those in which the work of the people that
2	Gene supervises.
3	MR. KERR: Please continue.
4	MR. TRAVER: I'll briefly talk about the selection
5	and training process, which we believe has a lot to do with
6	our success as a service organization.
7	We require of our technicians that they have an
8	associate degree in electrical and electronics technology.
9	This year, which we believe is a reasonably typical year,
10	more than 400 interviews were held on campuses for prospective
11	graduates. From that number, approximately 70 were brought
12	to Philadelphia for follow-up interviews and the end result
13	was that 18 offers were made to the top candidates to fill
14	the 15 openings in the division.
15	Our training program begins with a pre-evaluation
16	or needs analysis. All technicians are trainined in
17	electricity, electronics and process control theory. The
18	extent of that training is a function of the needs analysis.
19	In addition, we provide vendor training to select the
20	technicians to assure that we have a sufficient number of
21	competent technicians to maintain the plant systems.
22	Most of this training relates to the nuclear steam
23	supply system instrumentation but there is a significant amount
24	of training that is done on other plant systems and equipment.
25	This training and the duration of this training varies anywhere

1	from three days to 16 weeks for one individual.
2	And finally, we do have a program, a three-step
3	program to monitor the effectiveness of our training program.
4	I won't go into that unless there are question on it. And
5	we believe the results of this selection and training program
6	is a competent, qualified technician.
7	MR. KERR: That completes your presentation?
8	MR. FOGARTY: Yes.
9	MR. KERR: Thank you, sir. Is Mr. Moore next?
10	MR. BOYER: Yes, Bob Moore is next. He's
11	Superintendent of Quality Assurance, he's a mechanical engineer
12	with over 30 years' experience in maintenance, operations and
13	quality assurance, and for five years he headed the
14	Maintenance Division as its general superintendent. He's
15	been involved in implementing the maintenance programs for
16	Peach Bottom and is or was a member of the Off-site Review
17	Committee.
18	He's been in charge of Electric Production Quality
19	Assurance Division since 1977.
20	MR. MOORE: As Vince said, my name is Bob Moore,
21	Superintendent, Quality Assurance Division of the Electric
22	Production Department. I've been in that position for the
23	past six years and it is my position tonight to present the
24	description of the quality assurance plan for operations of
25	the Limerick Generating Station, and I will proceed with all

1	deliberate haste.
2	The Electric Production Department is responsible
3	for quality assurance for all phases of the operation and
4	maintenance of Limerick Generating Station. We have delegated
5	that responsibility for quality assurance, or establishing
6	the quality assurance program and for insuring compliance
7	with the quality assurance program, to the Quality Assurance
8	Division of the Electric Production Department with two or
9	three exceptions of certain QA activities which are delegated
10	to the Quality Assurance Section of the Engineering & Research
11	Department, which I'll describe later in my presentation.
12	(Slide.)
13	This we're back at a simplified chart of the
14	Electric Production Department to show you where quality
15	assurance fits into the department. We are one of the seven-
16	tiered divisions and we report directly to the Office of the
17	Vice President, Electric Production. This gives us a
18	position of independence from many of the organizations that
19	we audit, and also, a direct reporting line to upper levels of
20	management, both of which are mandatory for any quality

organization.

21

22

23

24

25

(Slide.)

This is a simplified chart of the Quality Assurance Division, and organized under me I have three functional sections; a QA Engineering Section, a QA Auditing Section and

-		100			100	- 20
÷.,	100	Sec.	100	2.9	~ R.	Fr.
1.	0	53	 25	×.		10
	27		-		-	-

1	a Quality Contro 1 Section.
2	MR. KERR: Excuse me, from the chart I can't tell
3	whether you have responsibilities outside of the nuclear
4	generating area.
5	MR. MOORE: None outside of nuclear.
6	MR. KERR: Does Philadelphia Electric have any
7	sort of QA organization for non-nuclear activities?
8	MR. MOORE: I am developing the program at present,
9	so if you ask me next year I might not be able to answer you
10	the same way, but we definitely are going to pursue as a
11	division objective to apply certain elements of the quality
12	program to our fossile operation from a cost-benefit,
13	non-regulatory basis.
14	MR. KERR: Thank you.
15	MR. MOORE: And our training coordinator provides
16	training or coordinates training for the personnel in the
17	three functional QA divisions and coordinates QA/QC training
18	for those organizations outside of Quality Assurance.
19	(Slide.)
20	The first section is the QA Engineering Section
21	organized under the Engineer, QA, consisting of a group of
22	quality engineers and quality assistants in corporate office
23	and we supply a lead quality engineer to the Limerick startup
24	activity, and he supervises a group of QC inspectors involved
25	in the startup operation.

21

23

24

25

(Slide.)

2 The program, the quality program is based on 10 CFR 50 Appendix B and 10 CFR 71 Appendix E and the 3 applicable regulatory guides and ANSI standards which we've 4 committed to for Limerick. 5

6 Functions of our engineering staff are in the 7 preparation of QA/QC plans, manuals and procedures. They 8 review administrative procedures for the plant and for all support organizations and recommend approval or rejection. 9 10 They review procurement documents for safety-related material. 11 They prepare an annual status and adequacy evaluation of the 12 QA program. They trend and track non-compliances, non-13 conformances and Licensee Event Reports, and they maintain 14 a computerized status of all PECO commitments, keeping it updated and finally, verifying when those commitments are 15 16 completed. And make regular and extraordinary reports to 17 management, and they do QA/QC consultation with the various audited organizations. 18

19 The Audit Section, organized under the general 20 supervisor, QA, has personnel assigned at Peach Bottom and Limerick and corporate office, each under an audit supervisor with a group of qualified lead auditors. 22

## (Slide.)

The audit program is established to comply with the Limerick technical specifications and the applicable regulatory

guides and ANSI standards which pertain to OA auditing. I 1 might say that the audit/surveillance program at Limerick is 2 in large measure designed from the audit and surveillance 3 program that we have developed over the years at Peach Bottom 4 and have found it to be extremely satisfactory. 5 And in an effort to cut down time, I will not go 6 through all these various activities that we include in our 7 quality assurance plan. They are basically the same activities 8 that we have at Peach Bottom, and it covers essentially all 9 safety-related and important to safety activities in the 10 plant. 11 (Slide.) 12 This is the Quality Control Section. This is a new 13 organization in Quality Assurance. Up to this point in time, 14 uality control in the Electric Production Department has 15 been performed by the various implementing organizations. 16 This did not satisfy us in Quality Assurance completely because 17 it was fractionalized among various organizations and it did 18 not give all of the independence that we would like to have 19 seen. Management agreed to this assessment and it was decided 20 that all quality control activities in Electric Production 21 would be organized into a single organization which would be 22 part of the Quality Assurance Division. 23 We are presently in the process of organizing this 24

25

at Peach Bottom, we have a great deal of the program and

22

23

24

25

and inspection procedures done and we're about to start
manning the activity. It should be functional by the end of
the year. We expect to implement essentially the same
quality control program that we are about to invoke at Peach
Bottom.

6 MR. KERR: Could you give me a brief explanation
7 of the relationship between QA and QC?

MR. MOORE: Well, QC is generally accepted to 8 be part of QA. In some companies it is organizationally a 9 10 part of QA and in other companies it is organizationally a part of plant staff. But it is a QA function, a subset, if 11 you will. But it involves the real time on the job, physical 12 observation of activities as they are going on. As contrasted 13 with the audit program, which is a more after-the-fact review 14 of program and documentation. 15

MR. KERR: It is difficult for me to see how -maybe the words don't mean what they mean in English, but I
would have thought quality assurance was an effort to assure
that there not only has been but that there will be quality.
If it only works after the fact to discover errors, it
seems to me that's not a very good way to assure quality.

MR. MOORE: That's why you need a dynamic quality control organization that functions on real time in the trenches, and observes activities as they are being done. MR. KERR: But that's not quality assurance.

1	MR. MOORE: That is not the classical auditing
2	type of quality assurance.
3	MR. KERR: Okay, I'm just trying to understand what
4	the words mean.
5	MR. EBERSOLE: May I pursue that a little bit?
6	Is it that quality control is the active aspect of a broader
7	topic, quality assurance. And it assures that the plant, in
8	fact, physically matches the paper, not just that the paper
9	matches the paper.
10	MR. MOORE: That would be true because the quality
11	control inspectors are on the job and they have certain
12	witness in the hold points that they must be there to inspect
13	at that time because the job cannot proceed past that.
14	MR. EBERSOLE: Well, looking at the two divisions,
15	is the broader amount of your work done in quality assurance
16	or in quality control? Where's all the hard work?
17	MR. MOORE: Well, I haven't gotten into guality
18	control yet, but
19	MR. EBERSOLE: Doesn't that mean that you're in a
20	paper world up to now? Not a physical world?
21	MR. KERR: That's a leading question Mr. Ebersole
22	MR MOORE. I don't think I could answer that unless
23	vou insist
24	(Laughter )
25	(Laughter.)
	But actually, quality control, as I said, has been

implemented by the various organizations; that is each one 1 had their own quality control group, rather than having a 2 single independent group. And that's what we are proposing 3 now, to have quality control taken away from the various 4 operating organizations and put into a single independent 5 organization. 6 MR. EBERSOLE: Well, will you collect the quality 7 control documentations for your inventory? 8 MR. MOORE: We certainly -- part of quality 9 control will be to look at documentation, but it will be --10 in fact, that's my next spiel, if you will. That's some of 11 the things they're going to do. 12 MR. BENDER: Would quality assurance include 13 qualit planning and quality standards? 14 MR. MOORE: Yes. 15 MR. BENDER: Are they set by your organization? 16 MR. MOORE: The quality program is established by 17 our organization. We write the quality program for the --18 both plants. 19 MR. BENDER: Well, I'm not sure that program and 20 standards are quite the same thing. As a matter of fact, I 21 guess I would have to presume that quality standards are 22 often set by the engineering organization. Sometimes set by 23 the operating organization. How are they fed into the quality 24 assurance program? You don't create things abstractly. 25

1	MR. MOORE: We certainly do not. We don't create
2	one new requirement. All the things that we look for are
3	requirements. We are essentially compliance-oriented and
4	we see that people have done what they are committed to.
5	And as such, we have to be very familiar with the regulation.
6	But we do not establish the quality requirements, say, in
7	the design phase, if you will.
8	MR. BENDER: I suspect that all the quality
9	assurance is not laid out in the regulations; there has to be
10	some other place where quality guidance comes from, and I
11	guess I've become a little confused by the conversation.
12	MR. MOORE: In what regard, sir?
13	MR. BENDER: Well, how often do you inspect
14	what documents do you use for inspection, and what guidance
15	is given to the quality control organization.
16	MR. MOORE: We would have to differentiate between
17	quality assurance and quality control. Quality assurance people
18	are going to be doing auditing, basically. And this is what
19	I said was after the fact, and there are definite requirements
20	in the ANSI standards on what you have to do; minimum
21	requirements. And you have to it's in a large sense
22	programmatic. You have to see that the program is effective,
23	that there's no holes in it, and that people are properly
24	implementing the program. Those are really the two things
25	that the auditor looks at.

1	MR. BENDER: Well, you said quality control was a
2	subset of quality assurance, and that means it's a subset
3	of auditing, if I heard the previous definition. I'll quite.
4	MR. MOORE: They do generate paperwork, but it's
5	much less it's real time and when they go out on a job
6	and they look at an activity it's a go/no-go and they have
7	acceptance, rejection criteria and that's it. If it's
8	within the criteria it's a go, if it's not it's a stop.
9	MR. KERR: I'm disappointed, Mr. Bender. I thought
10	you were going to explain this so I could understand it.
11	You gave up.
12	MR. MOORE: There are a lot of people in this world
13	that don't understand the difference between quality control
14	and quality assurance.
15	MR. BENDER: It's an exercise for the student.
16	(Laughter.)
17	MR. MOORE: But I think I understand it in the
18	context that we use it in the nuclear power industry. I
19	think that what I've said here for quality control or what
20	we propose to do is pretty much the way most operating plants
21	are doing quality control.
22	To go on to the quality control
23	(Slide.)
24	the functions of quality control are receipt and
25	storage, inspection of safety-related materials, examination

20

25

1 and monitoring of radioactive waste and radioactive 2 materials, preparation and shipment and maintenance activities 3 witness, and the hold point inspections of maintenance and 4 modification, review and monitoring of plant operation, inspection of refueling operations and health physics 5 activities, the surveillance and testing program, almost daily 6 examination of the fire protection and housekeeping activities, 7 8 review of containment integrity conditions and verification of Electric Production commitments. 9

10 Quality Control also reviews procurement documents sent to vendors for safety-related materials and then reviews 11 12 the documentation which comes back from the vendors to see 13 if it is in compliance with the original order. They review 14 maintenance and modifications, inspection procedures to see 15 that the proper witness and inspection hold points are included, and they review the plant inspection procedures. 16

17 MR. EBERSOLE: In the matter of containment integrity, would you perceive that containment integrity would 18 19 not be obtained by first going around and doing heavy inspection and maintenance on the containment before you did a pressure test? And that you should do on uncalled occasions, 21 22 which would reflect the containment being in its natural state?

23 MR. MOORE: I think it certainly ought to be done 24 randomly, and in large part --

MR. EBERSOLE: Is it? Is it done randomly without

1 running around and patching up the holes first? 2 MR. MOORE: If you're talking about primary 3 containment, or secondary --4 MR. EBERSOLE: Both. 5 MR. MOORE: Well, primary containment, of course, 6 is determined basically by ILRT, and they have to be 7 satisfactory, of course, to go into operation. I think the 8 thing that we in Quality Control are going to be looking for 9 are breaches in what was initially a good, firm containment. 10 Particularly in the secondary containment, which is very 11 easy to breach. People opening doors in air locks or taping 12 switches or cutting a hole in a concrete wall. Those are the 13 things we'll be looking for. 14 MR. EBERSOLE: How do you test the integrity of 15 the -- let's say the control room environment against intrusion 16 of foreign substances, including radiation? 17 MR. KERR: Is this normally a function of quality 18 control? 19 MR. EBERSOLE: Well, I'll get to the point. If it 20 is done by pulling a negative pressure in the control room --21 would you consider that fulfilling a QA function when really 22 you operate pressurized in the reverse mode? 23 MR. KERR: I hope you'll say no. 24 (Laughter.)

192

MR. MOORE: I think what we would look for is to see

1 that whatever pressure mode was required was, in fact, 2 operative, whether it be negative or positive. We wouldn't establish that, but once it's established we would want to 3 4 see that it was maintained. 5 MR. EBERSOLE: It was tested that way. 6 All right, thank you. 7 MR. MOORE: The Quality Assurance Division interfaces 8 with many, may organizations and sometimes we're thought to 9 perturbate some of those organizations. We interface with the nuclear plant staff through review and approval of their 10 administrative procedures, through a continuing program of 11 12 audits and surveillances, by daily QC, inspections and 13 monitoring. 14 MR. KERR: Mr. Moore, could you just sort of 15 summarize this slide? It has a lot of information on it. 16 What should I learn from it? 17 MR. MOORE: It means literally that we interface 18 with a lot of people; almost everybody in the plant. 19 MR. KERR: Good, let's go to the next slide. 20 (Slide.) 21 MR. MOORE: And the next slide is really more 22 of the same -- there's one thing I would like to say, though, 23 and that's that lastly, we talk about interface with the Engineering & Research QA Section. We have delegated 24 25 several key QA activities to that section. One is the quality

1 assurance of major modifications. That has been delegated 2 along with the design and implementation of those modifications. 3 So they have the whole package; we do not do that. 4 We've also delegated to them the supply evaluation 5 and the maintenance of an approved evaluated supplier's list, 6 and since we had delegated that to them we do review and 7 approve their QA plan and we audit their activities to see 8 if they are --9 MR. KERR: Now, is that the Engineering and Research 10 Division of QA, or the QA Division of Engineering & Research? 11 MR. MOORE: No, that is the QA Section of 12 Engineering & Research, who really have the QA program during 13 design and construction, and we've delegated these things 14 which are normally operational QA things to them. 15 I think that really covers my point. Lastly, we 16 interface with the nuclear power industry by participation 17 in the ASME operation and maintenance committee, the EEI 18 quality assurance committee, the joint utility/management 19 audit group, attending utility QA and QC supervisory confer-20 ences, ASQC conferences and active participation in the 21 notepad activity, review and comment on proposed regulations, 22 ANSI standards and regulatory guides. 23 Finally, the program that we have at Peach Bottom 24 and proposing for Limerick has not been generated in a vaccum; 25

we've had a lot of input from various consultants in training

## tp 6, sy48

1	and program development. Among some of those are Management
2	Analysis Corporation, Gilbert Associates, Chem Nuclear
3	Incorporated, General Physics, Bechtel Power Company,
4	Stone & Webster and Stata-Matrix Institute.
5	That concludes my presentation.
6	MR. KERR: Are there questions?
7	MR. MICHELSON: Would you explain what your
8	participation in INPO/Notepad is?
9	MR. MOORE: Well, INPO/Notepad is an information-
10	sharing system, and one area of that is quality assurance.
11	There are different areas, so it's kind of discipline-
12	oriented.
13	So we are looking at the items that are on the
14	INPO/Notepad system that pertain to quality assurance.
15	For information, and they're looking for responses from us.
16	When we have a problem, we report our QA problem into
17	INPO/Notepad and we'll get responses back.
18	MR. BENDER: How many times have you done that?
19	MR. MOORE: How many times? Not daily but quite
20	often. In fact, I'm encouraging my people to give people
21	responses because we expect them when we put something in
22	there. And it's discouraging when you put something in Notepad
23	and you only get one response. It doesn't help you much.
24	It really requires participation of all the licensees if
25	it's going to work.

1	MR. BENDER: How many questions have you asked?
2	MR. MOORE: Fifteen, 20. Some of have been
3	helpful and some haven't.
4	MR. BENDER: Thank you.
5	MR. KERR: Mr. Moore, you said earlier I believe
6	that you hope to implement a QA program for your non-nuclear
7	activities but on a cost effective basis. What did you mean
8	by that?
9	MR. MOORE: Well, in the fossile business since
10	the really not regulatory response, the program, in our
11	opinion ought to be prospective, and if it isn't, then we
12	probably shouldn't do it. And probably
13	MR. KERR: I'm trying to understand how you would
14	measure cost effectiveness in respect to your business.
15	MR. MOORE: I guess we're looking at reliability
16	and availability. If by implementing some criteria of a
17	limited criteria of quality assurance to a fossile hydro
18	plant, we assure that we can improve their operations. The
19	question is degree.
20	MR. KERR: Would you say that the QA/QC program
21	for nuclear is not very cost effective?
22	MR. MOORE: I'd like to take the Fifth Amendment
23	on that one.
24	(Laughter.)
25	MR. KERR: You can't take the Fifth Amendment on

1 that because it costs too much money. And all of us are 2 paying for it. If it's not cost effective then the industry 3 and everybody else with some responsibility ought to be 4 doing something to make it cost effective. 5 MR. MOORE: My answer is I really don't know, but 6 I suspect it's not. 7 MR. KERR: It surely is expensive. 8 MR. MOORF: It is very expensive. But cost 9 effective is --10 MR. KERR: It seems to me that if the industry 11 thinks it's not cost effective -- I know that a lot of 12 burdens are being put on you, but I just think you ought to 13 try to persuade whoever is responsible for this that it 14 ought to be cost effective. 15 The benefits may be immeasurable in adifferent 16 way, but there ought to be something coming out of this that's usable. The public safety, reliability, something. 17 MR. MOORE: I think they do come out. As to whether 18 19 they are warranted by the cost, I don't know. The cost is 20 great. I'm not even sure what the cost is, but I know it's 21 great. 22 MR. KERR: Are there other questions? I'm going to declare a 10-minute break at this point. I think considering 23 24 the time of the evening, it's time well spent. 25 (A short recess was taken.)

197

end tk6

SIMONS Take 7

1 MR. KERR: May we get started, please. 2 In the interest of more efficient functioning, 3 I have decided as a committee of one that we will go tonight 4 until about 8:05 or about 8:10 or something like that 5 wherever we see a convenient cutoff. We will then finish 6 what we have not gotten over tonight tomorrow by working right through lunch, for example, until we get through. 8 I have asked the applicant to rearrange the 9 presentation tonight as is most convenient for him. So we 10 will cover whatever material and in whatever order he 11 wants beginning at this point and continuing until around 12 8 o'clock. 13 Mr. Loque. 14 MR. LOGUE: Our next speaker is Mr. Shannon 15 who is scheduled for later on in theprogram, but because 16 of the fact that GE people have to leave tomorrow morning, 17 he will be speaking now on the scram systems. Tom Shannon. 18 MR. SHANNON: Good evening. My name is Tom 19 Shannon and I am a Senior Engineer from the Mechanical 20 Engineering Division where I am responsible for the design 21 of the NSSS package at Limerick. 22 (Slide.) 23 What I would like to discuss with you at this time 24 is some of the major improvements that we have incorporated 25 into the Limerick design since its inception.

1 Now since that time we have had the opportunity 2 to take advantage of almost 10 years worth of operating 3 experience at Peach Bottom as well as extensive participation 4 in industry activities to produce a design that we feel 5 is far superior to the standard BWR-4 design. 6 (Slide.) 7 I will be talking about three topics this evening, 8 our scram discharge volume design, our ATWS prevention and 9 mitigation features and our ECCS and other related systems 10 designs. 11 (Slide.) 12 We will start with the scram discharge volume 13 design. Shortly after the Browns Ferry failure to scram 14 event, GE and the utilities formed a committee to review 15 the causes of that event and to make recommendations on 16 design changes to preclude the reoccurrence of such an 17 event. 18 These recommendations were subsequently endorsed 19 by the Commission in their safety evaluation report and 20 it is these recommendations I would like to go over with 21 you at this time. 22 We will start by first briefly listing each 23 recommendation. 24 Hydraulic coupling. This is direct coupling 25 between the discharge volume and the instrument volume.

	200
1	Continuously sloped piping.
2	Dual instrument volumes.
3	Redundant and diverse level instrumentation.
4	Instrumentation connected directly to the instrument
5	volume.
6	Dedicated vent and drain lines with vacuum relief
7	and redundant isolation valves.
8	What I would like to do now is to show have
9	we have incorporated these recommendations into our design.
10	(Slide.)
11	If I am not speaking loud enough, please let
12	me know. The Limerick scram discharge volume design
13	consists of two headers, each with its own instrument
14	volume. The instrument volume is connected directly to
15	the header without restriction. This minimizes the potential
16	for any water accumulating in the header without being
17	detected by the instrument volume.
18	This is the direct hydraulic coupling that I
19	referred to.
20	The headers as well as the instrument piping
21	are continuously sloped downward to facilitate drainage.
22	I mentioned the dual instrument volumes. This
23	enhances the reliability of the scram function in that water
24	accumulating in either volume will cause a scram.
25	The redundant and diverse level instrumentation is

provided by having four float type level switches, two 1 here and two here, and two Delta P type transducers to 2 detect the accumulation of water in either volume, a total 3 of six level devices on each volume. 4 This minimizes the potential for common mode 5 failure defeating the scram function. 6 The instrumentation is connected directly to the 7 instrument volume, not to the vent and drain lines. This 8 minimizes the potential for water hammer induced loads 9 damaging the devices. 10 We have dedicated vent and drain lines. The 11 12 vent lines have been provided and the vacuum relief valve to better facilitate drainage after a scram. 13 14 Finally, we have provided redundant isolation on the vent and drain line to further assure containment 15 16 integrity after a scram. Are there any questions on this chart while 17 I have got it up here? 18 MR. MICHELSON: Yes. I noticed on the actual 19 physical installation up there that there is a blind flange 20 at the end of the scram header, full sized. Is that a 21 feature that General Electric prescribed? 22 23 MR. SHANNON: No, sir. That is a feature that we included in our design to facilitate flushing and cleaning 24 out of the header. 25

MR. MICHELSON: I have a question first on the blind flange. Is that a double gasketed flange or a single one?

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. SHANNON: That is a tongue and grove 600 pound flange with a single metallic gasket.

MR. MICHELSON: At the time the reactor scrams and for a period of time thereafter, which might be a matter of minutes or hours or days, that scram discharge volume is an extension of the pressure vessel and maintains the reactor at full pressure, for instance. There has been a question in the past about the possibility of that scram discharge volume failing physically and pipe rupture. It has been discarded on the basis of very low probability which was based on all-welded pipe and so forth. Have you gone back to think about the probability of a scram discharge volume failure, keeping in mind now that it is a flange connection instead of a welded pipe?

MR. SHANNON: Paul, you carrect me on this I guess if I am wrong, but Philadelphia Electric participated in the Owners Group activity in analyzing the probability of that failure and we have looked at our design and have considered the status ofour design in that analysis.

MR. MICHELSON: Have you changed your probability of failure when you went to the flanged connection? MR. SHANNON: I would have to say no because the

flanged connection was part of our design almost from the
 beginning. We recognized based on our Peach Bottom
 experience that it was beneficial to have a flushing
 connection on the header.

MR. MICHELSON: If I recollect correctly, that
probability of failure that you came up with was based
on welded pipe and not on the flanges, and I think you
will find it is always significantly higher for flanges
than for welded pipe.

10 MR. SHANNON: Paul, can you add anything to that? 11 MR. TUTTON: My name is Paul Tutton with 12 Philadelphia Electric Company. The probability was based 13 on the actual design, but it was given in a generic 14 manner to envelop the designs of all the plants in the 15 BWR Owners Group. The specific concern from NUREG 0803 16 with things other than welded piping was with threaded 17 connections. We do not have any threaded connections.

18 MR. MICHELSON: Do you have some basis for whatever 19 number -- well, you came up I guess with a number that 20 GE is using.

MR. TUTTON: Yes, sir.

21

22

23

24

25

MR. MICHELSON: Do you have some basis for that number, because I recollect the basis said pipe failure based on welded pipe. So you must have found some basis to believe that the flanged connection was equal or even

1	better than welded pipe.
2	MR. TUTTON: Well, this is not certainly the
3	only flange in the reactor coolant pressure boundary.
4	MR. MICHELSON: It is some of the very few, other
5	than the vessel itself.
6	MR. TUTTON: Well, the vessel itself has
7	MR. MICHELSON: I don't want to pursue it too
8	much. Did you have some data base upon which to decide
9	what the probability of failure of that flange connection
10	might be?
11	MR. TUTTON: Well, not specifically for that
12	particular flange connection, no, sir.
13	MR. SHANNON: I think we considered a primary /
14	factor that contributed to that probability was the fact
15	that this piping was pressurized such a small percent of the
16	time.
17	MR. EBERSOLE: May I ask a couple of questions?
18	MR. SHANNON: Certainly.
19	MR. EBERSOLE: This design represents at least
20	to me a sort of a curious inversion of common logic. You
21	have 185 rods that open into a common receptor which is
22	calibrated to receive the discharge of all 185 on a gallonage
23	basis and subsequently prevent the leakage from each one,
24	which is a standard leakage rate and possibly the gross failur
25	of maybe one or more.

The thesis that appears to be represented here is 1 that we don't want to bother to attempt to control the 2 3 initial surge of water which is slightly radioactive and 4 wait until confirmation of the scram to close the receiving volume and then close it after you have got a 5 6 successful scram or leave it open if you don't on the grounds 7 of the more important function being preserved, namely 8 that you scram the reactor perhaps at the price of having 9 to control a little leakage.

MR. KERR: Be patient. The question is coming. (Laughter.)

MR. EBERSOLE: It is a very simple question and it is this. Do you as a utility or an operator critically consider and agree to this fundamental logic here that you should have a defined volume and defer the accomplishment of a more critical function as against a less critical one in the design logic of the system?

18 MR. SHANNON: I missed the second critical19 function that you are referring to.

10

11

20

21

22

23

24

25

MR. EBERSOLE: The second critical function is to stop the leakage that you might have later on. What you are doing is you are burning the system initially ----MR. SHANNON: That is correct.

MR. EBERSOLE: --- in the zeal to stop a minor processing problem which is the control of radiation.

1	MR. KERR: If I could reword the question, it is
2	why don't you discharge the water directly into the containment
3	and avoid this problem?
4	MR. EBERSOLE: And then intercept the flow as
5	you need to.
6	MR. SHANNON: Why don't we go to the suppression
7	pool, or something to that effect?
8	MR. EBERSOLE: Only temporarily during the first
9	burst when the greatest need is present.
10	MR. SHANNON: I would have to say in that
11	respect that this design has existed for a long time. We
12	have had it at Peach Bottom and our operating experience
13	has been good with it and there just has not been a need
14	to change it. We have not identified
15	MR. EBERSOLE: Then the logic of that is we are
16	waiting for the need to develop, like it developed at
17	Browns Ferry.
18	MR. SHANNON: Except that we have recognized
19	Browns Ferry and we have made extensive changes as a result
20	of that.
21	MR. EBERSOLE: That is a point patch.
22	MR. SHANNON: But there is not an identified
23	deficiency that I can see with this design. It works and
24	it has worked.
25	MR. EBERSOLE: It is just a logical problem. The

1.00	
1	singular relief valve, if it hangs out
2	MR. SHANNON: No, sir, it is not a relief valve.
3	MR. EBERSOLE: The vacuum relief?
4	MR. SHANNON: The vacuum relief, yes.
5	MR. EBERSOLE: I was just going to say if that is
6	closed, I presume because of the diameter that you
7	have an unstable volume there and it will go to the bottom
8	anyway and it won't be held up by suction. If the water
9	is leaking in you will not in fact hang up the water
10	because of the relief valve being closed normally?
11	MR. SHANNON: The reason you won't hang up the
12	water is similar to what was postulated to occur at
13	Browns Ferry. It is primarily that you have no restriction
14	between the header and here.
15	MR. EBERSOLE: It is an unstable column that
16	will go to the bottom.
17	MR. SHANNON: Beyond that for drainage, the
18	vent line is dedicated. It does not interface with any
19	other lines and the vacuum relief should you have an
20	adverse influence for whatever reason is there to take
21	care of that.
22	MR. EBERSOLE: Well, we would hope, for instance,
23	a maintenance man wouldn't accidently someday pressurize
24	a system with air or something.
25	Let me ask you a second question. What do you

1	consider to be the function of the common drain at the
2	bottom when you might have individual drains and so
3	separate the volumes and get half the rods independing
4	from the other half?
5	MR. SHANNON: If you separate the drain lines,
6	if you have two drain lines
7	MR. EBERSOLE: Right.
8	MR. SHANNON: Now what you have done is you
9	have provided two boundaries for containment instead of
10	one. So we feel one drain line is adequate and it is
11	reliable and it has been proved reliable and it minimizes
12	the number of isolation valves that have to be provided.
13	MR. EBERSOLE: As you can see, it compromises
14	dump volume.
15	MR. SHANNON: That is correct, but again we have
16	made this modification such that we are not concerned
17	with water held up here. We have got the dedicated vent
18	and we feel that drainage will be more than adequate.
19	MR. EBERSOLE: Well, that is all I have to say.
20	MR. LOGUE: In fairness to this design, I would
21	say we have not looked at other designs, but we don't
22	have them in detail in front of us to make a complete
23	evaluation of their merits either.
24	MR. MICHELSON: Will there be any in-service
25	inspection of the scram discharge header?

1	MR. SHANNON: Paul, why don't you respond to
2	that.
3	MR. TUTTON: The scram discharge volume will
4	be subject to ASME Section 11 Class 2 inspection.
5	MR. KERR: Please continue.
6	Oh, I am sorry, Mr. Garcia.
7	MR. GARCIA: Mr. Ebersole got most of my
8	question, but I would like to know how you would know
9	if the vacuum relief valve were to fail?
10	MR. SHANNON: Keep in mind that the vacuum
11	relief valve has no safety function. It is downstream
12	of the isolation valves.
13	Steve or Bill, we do not have an indication
14	on that valve I believe, is that correct?
15	MR. BRADY: We do not.
16	MR. KERR: Excuse me. We need to get Bill's
17	name and what he said.
18	MR. SHANNON: That was Bill Brady who provided
19	that answer and the answer was no, that we do not have
20	an indication on the vacuum relief device.
21	MR. KERR: Thank you.
22	MR. SHANNON: But, frankly, I don't see the
23	concern.
24	MR. GARCIA: Then why is it there?
25	MR. SHANNON: It is there primarily because the

safety evaluation report recommended it. We felt that 1 2 providing a dedicated vent line was more than adequate but it was not a major item to add to the design. Rather than 3 to beg the question of why didn't you add it, we put it 4 5 in, but we put it in downstream of the isolations where 6 it is not a concern. 7 MR. KERR: Anything else? 8 MR. GARCIA: If the valve were failed, would 9 it be picked up in maintenance? 10 MR. SHANNON: If the valve were failed, it would 11 be picked up in maintenance and it would not adversely 12 affect either the scram function or the reset of the 13 scram. 14 MR. GARCIA: Thank you. 15 MR. SHANNON: With the additions that we have 16 made to our scram discharge volume design, we feel that 17 we have significantly enhanced the reliability of the 18 scram function. However, recog 'zing the NRC's continuing 19 concern, we committed and Philadelphis Electric committed 20 in March of 1980 to incorporate in our design in our 21 design what was known at that time as ATWS alternate 3A. 22 Since that time we have worked closely with 23 GE and Bechtel to ensure that these modifications are in 24 place prior to fuel load. 25 In addition, we have gone beyond the 3A requirements

1	and have incorporated what I think are some significant
2	Limerick unique features in our ATWS design.
3	Let's go over ATWS design now.
4	MR. KERR: Excuse me. You indicated that you
5	did this because of NRC concern. Did Philadelphia Electric
6	have no concerns about ATWS?
7	MR. SHANNON: Philadelphia Electric was convinced
8	at the time and remains convinced now that the scram
9	reliability is such that ATWS mitigation features arecnot
10	required.
11	MR. KERR: I don't understand. This is an ATWS
12	prevention feature we are talking about, isn't it?
13	MR. SHANNON: No. What I am going to describe to
14	you right now is not only prevention but mitigation. We
15	have gone beyond prevention.
16	MR. KERR: What you have been describing is
17	prevention.
18	MR. SHANNON: That is correct.
19	MR. KERR: And I got the impression that you
20	said that you did this because of NRC concerns.
21	MR. SHANNON: No, sir. What I meant to convey
22	to you was that the mitigation features we feel were not
23	justified. But recognizing the continuing concern, we
24	did go ahead and commit to install them.
25	MR. KERR: Okay. I will find out what the
	mitigation features are then I guess.

1	MR. EBERSOLE: Yes, I think that is important.
2	After all, the pump trip is a mitigation feature.
3	MR. SHANNON: I am referring primarily to the
4	standby leaking control system and its automatic initiation
5	function. Yes, the recirc pump trip is primarily a
6	mitigation feature. We committed to that back at the
7	construction permit stade. That was a long standing
8	construction permit stage. That was a long-standing
0	commitment. So I am not referring to that specifically.
9	MR. KERR: Okay. You are going to tell us now
10	about I am sorry, Mr. Ebersole.
11	MR. EBERSOLE: No, I am done. Thank you.
12	(Slide.)
13	
14	MR. SHANNON: The first thing that we have done
	is that we have lowered the MSID isolation set point from
15	level 2 to level 1. This has the effect of allowing
16	more heat to be transferred to the condenser and less to the
17	pool during an ATWS event.
18	We provided an HPCI flaw split. Now the standard
19	BWR-4 design includes a 5600 gpm HPCI system injecting
20	through foodwater. Standard BWD 5 includes a 2000 rem
21	chrough reedwater. Standard Bwk-5 includes a 3000 gpm
22	HPCI system injecting through core spray. What we provided
22	at Limerick is a HPCI syst4m that will take approximately
20	two to three thousand gpm and inject it to core spray, take
24	the balance of the 5600 gpm and inject it to feedwater.
25	What this does, it is does a number of things. One,
13	

it keeps us out of a potential area during an ATWS event 1 where you could see core power oscillations. 2 GE's analysis has shown that with our design 3 there will be no power oscillations during an 'ATWS event. At the same time we have maintained the benefit of the 5 HPCI injection through core spray of the BWR-5 design 6 and yet had the full flow rate of the BWR-4 design. This 7 is a Limerick unique feature. 8 We provided a redundant reactivity control 9 This is logic that is redundant and diverse from system. 10 the reactor protection system to detect that a transient 11 has occurred, that a scram should have oc\_urred, but in 12 fact did not, and upon that recognition to activate the 13 following features: Alternate rod insertion, which is 14 a series of solonoid valves designed to bleed the air off 15 of the scram header should the scram function be unsuccessful. 16 MR. EBERSOLE: Isn't that commonly provided 17 prior to your design? Isn't that on Peach Bottom already, 18 except for the sensors not on it? 19 MR. SHANNON: What we have done at Limerick 20

213

is we have provided a total of eight ARI solonoid valves to increase the reliabilty of that function.

21

22

23

24

25

MR. EBERSOLE: Well, you have got that system however on Peach Bottom, not to the extent of having eight, but you certainly have two, don't you?

MR. SHANNON: We have a commitment at Peach
	214
1	Bottom ot provide ARI. I would have to check to see.
2	Yes, Wes. Wes Bowers.
3	MR. EBERSOLE: I thoght it was part of the
4	standard design to have alternate insertion with an
5	energized solonoid system.
6	MR. SHANNON: Part of the standard alternate
7	3A design. I have not come to our Limerick unique features
8	yet. What I am describing to you now is for the most part,
9	except for the HPCI splint, the standard 3A design.
10	MR. BOWERS: Wes Bowers, Philadelphia Electric
11	Company. The standard GE design includes two backup
12	scram solonoids which are energized by the RPS logic.
13	
14	MR. EBERSOLE: Theycall it ARI, don't they?
15	MR. BOWERS: No, it is called the backup scram.
16	MR. EBERSOLE: Oh, all right.
17	MR. BOWERS: In this case the alternate rod
18	insertion system has two separate solonoids. They do the
19	same function as the backup scram valves, but it is energized
20	by a totally separate and independent logic.
21	MR. EPERSOLE: Thank you.
22	MR. KERR: Please continue.
23	MR. SHANNON: Recirculation pump trip. The
24	recirculation pumps are tripped automatically in order to
25	reduce power by reducing core flow.
100	

1 MR. EBERSOLE: Before you leave that, how frequent 2 are they tripped, on every scram or just scrams on demand 3 from higher pressure or what? 4 MR. SHANNON: These would be tripped only in 5 the event of an ATWS. They are controlled by the ATWS 6 logic which is the redundant reactivity control system. 7 MR. EBERSOLE: Now the mode of trip. How do you 8 trip them? Do you do it with circuit breakers, do you 9 trip the excitation on the MG set or both of these? 10 MR. SHANNON: I am going to defer that to my 11 electrical people. Ray George. 12 MR. GEORGE: Ray George, Electrical Engineering. 13 We have placed two breakers in series in the feed to 14 recirc pump motor. They will be tripped by a trip signal 15 from the system. 16 MR. EBERSOLE: Well, the designer here is to 17 get as rapid as possible rundown of flow as you can, and 18 considering the WR squared in the system, you would get 19 that by tripping excitation. Why didn't you use it? 20 MR. GEORGE: The excitation system is not a 21 safety grade system. The breakers installed on the motor 22 feed are safety grade. 23 MR. EBERSOLE: Is that the sole reason you 24 went to breakers? What have you got, two safety grade 25 breakers?

MR. GEORGE: 1 MR. EBERSOLE: Is Peach Bottom like that? I just 2 want to know if thi! was a follow on from Peach Bottom. 3 MR. BOWERS: The Peach Bottom design is different. 4 At Peach Bottom we trip the feeder to the MG set. In this 5 case at Limerick we trip the breakers between the MG set 6 and the pump itself. 7 MR. EBERSOLE: You have two breakers between the 8 MG set and the motor proper? 9 MR. BOWERS: Yes. 10 MR. EBERSOLE: That is a costly system, isn't it? 11 MR. BOWERS: Yes. It was put in for another 12 reason in addition to that, to protect penetration. 13 MR. EBERSOLE: Well, thank you. 14 MR. KERR: Do you approve of that, Mr. Ebersole? 15 MR. EBERSOLE: Yes, but I wouldn't have spent 16 that much money on it. 17 (Laughter.) 18 MR. SHANNON: Likewise, feedwater pumps are run 19 back to zero flow in order to minimize core power by 20 minimizing the core flow and core subcooling. 21 MR. EBERSOLE: Isn't that staring at the devil 22 and taunting him, losing water? 23 MR. SHANNON: The feedwater pumps are only run 24 back when the low water level signal is not present. In 25 other words, we have sufficient water before we run the

1	feedwater pumps back. If we have low level, we don't run
2	them back. It is only on high pressure.
3	MR. EBERSOLE: So you run them back to maintain
4	level. It is supervised by level, the run-back?
5	MR. SHANNON: The run back is to zero flow in
6	order to reduce the power during an ATWS event. This is
7	only during an ATWS event and only during the type of
8	event where you have maintained level but you have high
9	pressure. Two of you initiation signals for ATWS are low
10	level or high pressure confirmed by APRMs not down scale.
11	This is the latter situation where you have got the high
12	pressure.
13	MR. EBERSOLE: Thank you.
14	MR. KERR: Where did that leave the devil?
15	(Laughter.)
16	MR. EBERSOLE: It left him all right.
17	MR. SHANNON: Finally, we provided automatic
18	initiation of the standby liquid control system. This
19	is a feature that is unique to Limerick. We are the only
20	plant that has committed to this automatic system.
21	Now I am going to get into this a little more
22	in a second, but I want to mention that with the exception
23	of the HPCI flow split, what I have described here is
24	basically the 3A design in NUREG 0460. We have gone beyond
25	that and let me show you what we have done.

(Slide.)

2	The standard 3A design requires an injection rate
3	of 86 gpm. What we have done at Limerick if we have
4	provided a total of 120 gpm injection rate via three
5	43 gpm pumps. This does two things for us. Under an ATWS
6	event it significantly reduces the time to cold shutdown
7	from 22 minutes at 86 gpm to 15 minutes at 129. It also
8	allows us to tolerate a single failure of any one pump and
9	still maintain the full 3A capacity.
10	Althought it is not clear on this drawing,
11	because I have not shown baffling arrangements, we also
12	have the capability of surveillance testing each pump
13	while maintaining the other two pumps available for
14	injection. We feel this significantly increases the
15	reliability and available of the standby liquid control
16	system.
17	We provided two paths through containment in order
18	to minimize the potential for a single active failure in
19	that area defeating the purpose of the system.
20	Finally, we inject through core spray in order
21	to take advantage of higher mixing efficiencies. Our
22	mxing efficiency has been demonstrated to be in excess of
23	90 percent via injection through core spray.
24	MR. EBERSOLE: Do the pressure transients that
25	you get at an ATWS exceed pressure transients from all other

other causes?

1

4

5

6

7

8

9

10

11

12

13

14

15

16

17

20

21

23

24

25

MR. SHANNON: No. They are below service level 2 sea limits. 3

MR. EBERSOLE: I don't mean service level sea. I am talking about during the normal course of operation when you have turbine trips and so forth is the ATWS level much higher than these?

MR. SHANNON: Let me ask Bill Brady. He is probably the closes one to those pressure transients.

MR. EBERSOLE: Let me explain what I am asking the question. If you have an unusual pressure transient and you have breached the liquid system you have a very limited volume of poison and you can't afford to let it leak out.

MR. SHANNON: If that is your concern, we have analyzed the ATWS and we know what the pressure surges will be.

MR. EBERSOLE: The seals and so forth?

MR. SHANNON: Yes, sir, and they are well within 18 our design capability. 19

MR. EBERSOLE: But is the ATWS transient still the higher transient you currently anticipate?

MR. SHANNON: I believe it is. Maybe I can 22 get somebody from Bechtel.

> Steve Vail, can you answer that? MR. VAIL: I believe it is.

you would be riding on faith on the seal strength that it was strong enough to not invoke a liquid leak.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. SHANNON: When you say seal strength, what seal strength are you talking about?

MR. EBERSOLE: I am talking about the seals on the main coolant pumps or any other point where I might lost liquid.

MR. SHANNON: We have considered seal failures and the results of that say the seals will not fail and will not be degraded. That has all been part of our design.

MR. FBERSOLE: Thank you.

MR. SHANNON: I hope by this you can see that Philadelphia Electric has done much more than any other utility with respect to ATWS. We produced a design that we feel greatly enhances the reliability and safety of our plant.

MR. EBERSOLE: Most other utilities stand in horror of having automated inejction on the ground it is going to cost them umteen million dollars because of inadvertent iniation. How did you prevent this?

MR. SHANNON: We stand in horror of it, too.
(Laughter.)

MR. SHANNON: The assessment of your down time

should you inadvertently inject depending on systems available, it could be anywhere from two weeks to a number of months, and frankly we are concerned that we will inject at some point in time. We are doing our level best to preclude inadvertent injection, but the possibility is always there.

1

2

3

4

5

6

7

8

9

10

11

12

16

17

18

19

20

21

23

24

25

MR. EBERSOLE: Well, what is the difficulty of the clean up? It is certainly not from reactivity effects. It is just to get the system out from a corrosion standpoint?

MR. SHANNON: Processing time to get the sodium penaborate out gets significantly longer as the concentrations get lower.

MR. EBERSOLE: So it is the processing time. 13 MR. SHANNON: It is the processing time, that is 14 correct. 15

MR. EBERSOLE: Thank you.

MR. SHANNON: The next subject I would like to talk to you about are some of the design improvements to our emergency core cooling and some related systems.

Now in this area I think there are three factors that have helped us significantly. One, as I mentioned previously, is our ten years worth of operating experience 22 at Peach Bottom. Throughout the design process at Limerick we had in place a formal procedure to review improvements made at Peach Bottom for their applicability to Limerick.

In addition, we have consulted our electric production personnel almost constantly on our design to get their recommendations to incorporate.

1

2

3

A

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

A second factor is our detailed review of the system level fault trees for the Limerick PRA. This has allowed us to pinpoint areas of greatest potential improvement and in quite a few cases was intrumental in the design decision-making process. The standby liquid control features that I just went over with you are examples of things that have come out of our PRA review.

Athird factor that is worthy of mentioning is our extensive participation in industry activity such as the BWR Owners Group. It has provided a good forum both formal and informal for the learning of design improvements at other plants and allowing us to evaluate them for us at Limerick.

MR. EBERSOLE: On this subject of design improvements I want to open a little topic and I think this is the place to do it. You have in the past or someone has considered containment venting and has discarded that notion for this plant.

MR. KERR: Excuse me. Can we finish the ATWS issue before we get on that?

MR. EBERSOLE: I thought we were off the ATWS issue.

1 MR. SHANNON: We are done with the ATWS but 2 I believe that the containment venting issue is scheduled 3 to be addressed tomorrow. MR. EBERSOLE: Oh, very well. I will take it 5 up then. That will be fine. 6 MR. KERR: Earlier you said there were some 7 mitigation features that you did not feel were necessary 8 and it is still not clear to me which ---9 MR. SHANNON: Automatic initaition and standby 10 liquid control. The industry as a whole has said that 11 it is not justified that we have to provide an automatic 12 system. We sympathize with that position. 13 MR. KERR: Well, on what basis do you decide when 14 you have done enough? I mean I realize that at some point 15 you have to say I have done enough and I am confortable. 16 How did you make the decision that you had gone too far 17 when you put in the automatic initiation? 18 MR. SHANNON: Well, I wouldn't say too far. We 19 evaluated our scram system and we are convinced that it is 20 reliable and it is reliable enough. 21 MR. KERR: But how did you decide. That is what 22 I am trying to understand. How did you decide when it 23 got reliable enough? 24 MR. SHANNON: At the time that we had re-evaluated 25 the Browns Ferry event and had committed to make those

1	improvements to the scram system as a result of that,
2	I would have to say even before that time we felt there
3	was a good reliability there.
4	MR. KERR: You mean you just did it on the
5	basis of good engineering judgment and a gut feeling that
6	this is a reliable system?
7	MR. SHANNON. NO
8	MR. KERR: I want to know how you made the
9	decision.
10	MR. SHANNON: An extensive GE analysis was done
11	to support the scram system reliability and it was based
12	on those numbers.
13	MR. KERR: Well, saw some of those numbers and
14	I can't believe that you took some of those numbers seriously.
15	Surely you didn't.
16	MR. SHANNON: What can I say. I do believe those
17	numbers are good numbers.
18	MR. KERR: What number do you use as an accepable
19	scram system failure?
20	MR. SHANNON: We estimate our scram system
21	reliability, and I shouldn't say estimate, but the analysis
22	that GE has performed tells us that our reliability now
23	is five times ten to the minus six per reactor year. That
24	is the probability of failure to scram. That is well in
25	excess of the NUREG 0460 which is three times ten to the

		225
	1	minus fifth.
•	2	MR. KERR: Yes, it is. And you believe that
-	3	number?
		MR. SHANNON: Yes, sir. That is a Limerick
		unique number that we have had generated.
	0	MR. KERR: And then anything bigger than that
	6	would be too hig in your view or would you be willing to
	7	live with comething bigger then then
nd Cimona	8	live with something bigger than that?
na Simons	9	
	10	
	11	
	12	
	13	
-	14	
	15	
	16	
	17	
	18	
	19	
	20	
	21	
	22	
	23	
	24	
•	25	
	20	

Take No. 8 meh 1		226
7:45 p.m.	1	MR. SHANNON: When you say "bigger," you mean
•	2	less reliable?
	3	MR. KERR: I mean five to the ten minus six is a
	4	fairly low number, I think.
	5	MR. SHANNON: Given our ATWS mitigation features,
	6	yes, I believe you could.
	7	MR. KERR: Well, I thought you did not meet your
	8	ATWS mitigation features because
	9	MR. SHANNON: If you are talking about the
	10	automatic injection.
	11	MT. KERR: Yes.
	12	MR. SHANNON: That is the best thing we have done
•	13	beyond everybody else.
•	14	MR. KERR: I appreciate that. I would applaud
	15	it. I am just sort of puzzled that you did in the face
	16	of not thinking it was necessary. I was trying to understand.
	17	I am not trying to disagree with you. I am
	18	trying to understand on what basis you decide this system
	19	is good enough. And you are telling me, I think, that you
	20	use a quantitative calculated failure scram number, five
	21	plus ten to the minus six.
	22	MT. SHANNON: That is correct.
	23	MR. KERR: I was trying to then find out whether,
-	24	if you became convinced that it really was not five times
	25	ten to the minus six but, say, was ten to the minus five,

1	you would think that it was too big.
2	MR. SHANNON: Let me try to put it in another
3	perspective. I think part of the problem you are having is
4	why did we do what we did in spite of the fact that I tell
5	you we think our scram reliability is more than adequate.
6	Keep in mind that the ATWS rule has been coming
7	out almost any month for years now.
8	MR. KERR: No, I am really I think I understand
9	what you did because you had to satisfy the NRC, you wanted
10	to get this thing on line. I sympathize with that pragmatic
11	approach.
12	I am trying to understand because I don't know
13	and I am not sure I know how to make the decision, so I am
14	trying to understand how you did it, how you decide what
15	number if it is a number is good enough.
16	MR. SHANNON: Engineering judgment. Engineering
17	judgment, I guess I have to say that. If you are asking
18	me if it were three times ten to the minus fifth, would we
19	do the same thing? I guess we would have to evaluate it at
20	that point in time.
21	MR. KERR: OK, so it is more engineering judgment
22	than it is numbers.
23	MR. SHANNON: Well, the numbers support that
24	judgment.
25	MR. KERR: OK, thank you.

1	MR. EBERSOLE: Mr. Shannon, I have a little
2	report here. It says, "Failure of relay in reactor protection
3	system on that G.E. plant."
4	It turns out that what happened, the classical
5	thing, the varnish coating on coil melted out. It does
6	not say in here whether that was due to a common excessive
7	high voltage to more than one relay. It attributes the
8	problem to the singular relay without noting that it might
9	have been a potentially common-mode failure.
10	Do you have excess voltage protection on such
11	matters as this to preclude common failure due to excess
12	supply voltage or pressures or flows, or whatever?
13	MR. SHANNON: Where are the electrical engineers?
14	MR. SPROAT: Ward Sproat, Philadelphia Electric.
15	We have looked in the reactor protection system
16	at common-mode failures of the associated relays. We
17	have taken several steps. One is, we have identified
18	several types of relays that have experienced some sort of
19	coil failure which could possibly lead to a common-mode
20	failure of the relays to drop out.
21	Those relays have been replaced. As far as the
22	voltage is concerned, in the RPS system, those relays are
23	fed from a dedicated ]20 volt inverter system and there are
24	two of them, one for each of the two RPS divisions.
25	We have a safety grade monitoring scheme on those

2

3

4

5

6

7

8

will finish.

229 power supplies that is redundant and such that if either we experience an over voltage, an under voltage or an under frequency condition, that those safety grade relays will automatically de-energize the feed to that channel of RPS MR. KERR: A couple more questions, and then I

9 About three years ago, I understand, there was a loss of electric power to the SCLC pumps at Peach Bottom 10 11 due to inadvertent pump breaker tripping. Am I correct? 12 MR. SHANNON: I am not familiar with that. Is 13 there anybody who can help with that one?

and give us a half scram condition.

MR. EBERSOLE: Thank you.

14 MR. KERR: My information may be invalid, but 15 this is what I am told.

16 There was an LER dated 10-10-80 and it is labeled, 17 "Electric power loss to SLCS system caused by accidental 18 tripping of a pump breaker. Power restored after receiving 19 alarm."

20 MR. ULLRICH: Ken Ullrich, Philadelphia Electric 21 Company, Electric Production.

22 That was during an outage, as I remember. The 23 area that those pump breakers are in is very congested and, 24 as I remember, the breaker tripped because somebody hit 25 the contacter on the breaker, which turned it off.

1	MR. KERR: I guess the question is, is there
2	some way of perhaps making that less likely in the future?
3	MR. ULLRICH: You immediately get an alarm in
4	the control room and you can go right out and put it back in.
5	So, it is a matter of plant configuration. You have to look
6	at traffic patterns and things like that. You can provide
7	batteries, or something on that order, to make sure that
8	that does not happen.
9	MR. KERR: Have you done something about it in
10	Limerick?
11	MR. ULLRICH: Other than ensure better house-
12	keeping because that was the first time it happened in what,
13	seven years of operation, and it was immediately corrected
14	within a couple of minutes.
15	So, we did not perceive it as a significant
16	problem, particularly since the plant was shut down.
17	MR. SPROAT: If I might just add Wars Sproat,
18	Philadelphia Electric at Limerick the three stand-by
19	electric control pumps are fed from three separate electrical
20	divisions. So, if this occurance was to be repeated, some-
21	body was to inadvertently trip a breaker, they would only
22	trip one pump, there would be two left.
23	As Ted just mentioned, all three pumps have
24	their control power continuously monitored such that as soon

1	alarm in the control room.
2	MR. KERR: So, your answer is something has
3	been done about it, the design has been changed at Limerick.
4	MR. SPROAT: That is correct.
5	MR. KERR: Thank you.
6	Are there other questions? Thank you, sir.
7	MR. SHANNON: Let me go on to our emergency core
8	cooling systems. In the area of automatic depressurization
9	there are three Limerick-unique modifications that we have
10	made that we feel enhance the reliability of our ADS function.
11	The first is that we provided a long-term
12	safety-grade air supply to the ADS valves, such that in the
13	unlikely event of a failure of the RHR shutdown cooling
14	mode, coupled with the failure of the normal air supply to the
15	ADS valves, we could guarantee long-term decay heat removal
16	by virtue of the fact that we have this air supply.
17	We have committed to an ADS logic modification
18	that will be in place prior to fuel load as a result of
19	TMI Test 2k318.
20	Essentially what this is, it is a modification
21	that will modify the ADS logic such that for those events
22	where previously operator action was required for depressuri-
23	zation, that will no longer be required, it will be fully
24	automatic. In addition, that modification will include an
25	ADS inhibit switch for ATWS consideration.

1	As mentioned earlier by Dave Helwig, we
2	provided school pilot solenoid valves on the air supply
3	to the ADS to minimize its susceptibility to single failure.
4	I believe these are three Limerick-unique
5	features.
6	MR. MICHELSON: The safety-grade air, that is
7	redundant air to each of the five, I guess, ADS valves you
8	have?
9	MR. SHANNON: Dave, do you want to speak to that,
10	Dave Helwig?
11	MR. HELWIG: Dave Helwig, Philadelphia Electric.
12	We have provided an external safety-grade air
13	supply system that really has teo separate parts, there are
14	five ADS valves, as you mentioned. One header in one of the
15	air supply systems provides three of those valves on one
16	side of the containment, and the other header and other
17	supply provides the two on the other side of containment.
18	MR. EBERSOLE: In view of the extremely critical
19	nature of guaranteeing ADS well, not necessarily ADS
20	but just DS, depressurization do you think that having only
21	valves that are forced by air pressure to remain open under
22	the pilotage of solenoids is a logical way to accomplish
23	depressurization as compared to rotary double valves like
24	PRVs on PWRs, systems which stay in place once you set them
25	in position and then are recovered by a second application of

meh 8

1	power?
2	MR. HELWIG: If I can take the other side of that.
3	Having air-operated valves we have been able to provide a
4	system that is extremely reliable.
5	MR. EBERSOLE: You are doing everything you can
6	to guarantee the air supply.
7	MR. HELWIG: Yes, sir; we are.
8	MR. EBERSOLE: The next thing is not that you
9	don't have air supply but to have mode-operated
10	MR. HELWIG: I understand the question, to my
11	knowledge we have not evaluated that.
12	MR. EBERSOLE: See, it is curious to see the
13	logic of the PWRs, and note how they obtain to be
14	depressurized.
15	MR. SHANNON: I guess I would have to go back
16	to the same type of response I provided earlier, where
17	the operating issue of these valves has been favorable
18	and we have not evaluated all the general points.
19	MR. EBERSOLE: And here they would be in a modest
20	environment because we have tail pipes on all the safeties.
21	MR. HELWIG: That's correct.
22	MR. EBERSOLE: So, they would not see a hard
23	environment.
24	MR. HELWIG: They are qualified for the
25	environment that they will see.

			- 20
	100		
m	-	~	-

1	MR. BOYER: Sir Mr. Boyer would your
2	situation require power to operate those valves that you
3	say are present in the PWRs? I mean, is it a loss of
4	power versus loss of air comparison?
5	MR. EBERSOLE: They have a mode-operated valve
6	that open and shut the port.
7	MR. BOYER: But at least power to the valves.
8	MR. EBERSOLE: Oh, yes, but it stays in place
9	without power once having been positioned.
10	MR. BOYERS: But I don't know that limitors have
11	been that
12	MR. EBERSOLE: Oh, no.
13	MR. BOYERS: great either.
14	MR. KERR: I would urge that we not redesign
15	PORVs here.
16	(Laughter)
17	MR. MICHELSON: Before we lose our expert on the
18	air supply, and you say it is a safety-grade air supply.
19	Safety-grade to me means that they can perform this function
20	on loss the desired function on loss of one of the air
21	supplies. Is three ADS valves enough to do all you need to
22	do?
23	MR. HELWIG: This is a long-term capability. We
24	went into some considerable detail in the FSAR describing
25	the situation. Each of our five ADS valves is provided with

a local accumulator to fulfill its immediate safety 1 function for depressurization. 2 The supplemental air supply we are talking about 3 here is the long-term depressurization maintenance, so to 4 speak. 5 MR. MICHELSON: OK, your safety-grade air supply 6 is supplying at all times, but it is pumping up five 7 accumulators -- I mean, accumulators to the five valves. 8 MR. HELWIG: Actually, the diversity is much 9 more considerable than that. In normal air supply there 10 is a bottled air supply that provides backup to the normal 11 air supply. But, yes, sir, the accumulators are in line --12 MR. MICHELSON: Well, you gave me too much 13 information. Now, what do you mean by "normal" air supply 14 versus the safety-grade air supply? 15 MR. HELWIG: I am sorry I gave you too much 16 information. 17 (Laughter) 18 MR. MICHELSON: I thought you had only a safety-19 grade system, one air supply supplying three valves and 20 the other one supplying two valves. 21 MR. HELWIG: Yes, sir. The valves are normally 22 supplied, as are all of our safety valves with a mode of 23 air, a mode of pneumatic supply from our containers with 24 the gas system. They pump back into the gas system. 25

meh 11

1	MR. MICHELSON: So the safety-grade air supply,
2	is it dedicated to dedicated compressors, one to three
3	valves and one to two valves?
4	MR. HELWIG: I think we were kind of creative
5	on how we approached this. We used bottle supply to
6	nitrogen to provide safety-grade supply to the safety grade.
7	MR. MICHELSON: Oh, this is not an unlimited
8	supply of gas.
9	MR. HELWIG: No, sir because we have a limited
10	number of bottles located inside the secondary containment.
11	We have provided connections to outside of the secondary
12	containment in areas that are accessible under all conditions,
13	all hypothesized conditions.
14	MR. MICHELSON: It is much more complicated
15	than I realized, but I think I follow you.
16	MR. HELWIG: I can show you the FSAR.
17	MR. EBERSOLE: Don't leave this. Are these
18	manifolded, these air supplies, so that the ADS are tied
19	together, or do you have individual tests out to outside
20	the containment so you can get at them one at a time?
21	MR. HELWIG: I believe I answered that the
22	first time. We had three to five SRVs on one air supply
23	manifold and two on the other.
24	MR. EBERSOLE: So, you got one out of two
25	air supply systems in that context.

			- C -	-
-	-	les -		
1114		E1 -	4. 1	2.
			-	-

MR. HELWIG: Yes, sir. We will either have 1 2 air to two or to three. MR. EBERSOLE: By the way, the depressurization 3 valves, there are just five that you can remote operate, or 4 5 are there more than that? 6 MR. HELWIG: No, sir. We can manually remote 7 operate all of the five of them. MR. EBERSO:E: How many are there in toto? 8 MR. HELWIG: Fourteen. 9 MR. EBERSOLE: Now, you have 14. Can I go to 10 your DC system and invoke that one of them has failed and 11 then a second one, in the course of meeting the corresponding 12 transient has unfortunately caused me not to be able to do 13 depressurization because you had a one out of two logic? 14 MR. HELWIG: One of the SRVs failed. 15 16 MR. EBERSOLE: Say again? 17 MR. HELWIG: You said one of them failed. 18 MR. EBERSOLE: One of the DC systems has failed. 19 How many ADS valves -- not ADS, how many depressurization 20 valves have I failed with one DC system failure? 21 MR. HELWIG: None. 22 MR. EBERSOLE: None? Well, that is because of your 23 dual solenoids. MR. HELWIG: That's correct. 24 MR. EBERSOLE: They all have dual solenoids, or 25

meh 13		238
	1	just the ADS?
•	2	MR. HELWIG: Just the ADS valves.
	3	MR. EBERSOLE: The oth ers have single solenoids.
	4	Is that right?
	5	MR. HELWIG: Yes.
	6	MR. EBERSOLE: Could you briefly describe the
	7	DC supply logic? I am just trying to find out if I have a
	8	DC bottleneck, if I have a one out of two logic
	9	MR. HELWIG: Why don't we find a DC engineer?
	10	MR. CAMERON: John Cameron, Philadelphia
	11	Electric Company.
	12	The ADS system is powered from Divisions 1 and 3.
•	13	MR. EBERSOLE: So, that is a one out of two logic.
-	14	MR. CAMERON: Yes, the five ADS valves are
	15	powered off both divisions. The remaining valves are powered
	16	off Division 1 power, and each valve is individually fused
	17	off the buses.
	18	MR. EBERSOLE: Now, let's see, the five ADS
	19	are of division what?
	20	MR. CAMERON: One and three.
	21	MR. EBERSOLE: And all the others are off what?
	22	MR. CAMERON: Division 1.
	23	MR. EBERSOLE: And if I fail DC Division 1, how
-	24	many valves have I got left?
	25	MR. CAMERON: You have five.

		- · · ·	 
1000	Sec.	Sec.	 
	10.0		 -
	-	**	 - <b>R</b>

1	MR. EBERSOLE: Because it is a double solenoid.
2	MR. CAMERON: Because it is a double solenoid.
3	MR. EBERSOLE: Of course, if I now have a
4	secondary DC failure because of cascading loads on that DC
5	system, I can't operate any of them, can I?
6	(Laughter)
7	MR. EBERSOLE: You have a one out of two DC logic,
8	is that correct?
9	MR. CAMERON: Yes.
10	MR. EBERSOLE: So, this new, modern big plant has
11	two critical batteries, in spite of the fact that numerically
12	it has four.
13	MR. CAMERON: No.
14	MR. EBERSOLE: Well, the other two batteries
15	don't do me any good if I can pinpoint a failure with two of
16	them.
17	MR. CAMERON: With the other two batteries, our
18	HPCI is on Division 2 and 4 with DC batteries.
19	MR. EBERSOLE: I understand that is high pressure.
20	I am talking about depressurization. Let me just explain,
21	it is real simple.
22	I have a DC system failure. That disables the bulk
23	of the ADS function.
24	MR. CAMERON: No, that has not disabled any of
25	the ADS functions.

-	100	20.	 Sec.
1110		-	 
***	-		 

1	MR. EBERSOLE: Well, sorry because of the dual
2	solenoid logic it disables all the others that don't have
3	the dual solenoids.
4	MR. CAMERON: But they are not necessary.
5	MR. EBERSOLE: That is true.
6	MR. CAMERON: We only need two valves for the ADS
7	function.
8	MR. EBERSOLE: That is true. But now in the course
9	of meeting the transient effects of that one DC system
10	failure and there always are unless you can tell me
11	otherwise if I sustain a cascade failure of the second
12	DC system, I have had it; is that right?
13	MR. CAMERON: Excuse me, I missed that.
14	MR. EBERSOLE: If I sustain a cascading failure
10	due to the transient effects on the second DC system, or any
16	sort of failure of any kind, I have had it.
17	MR. CAMERON: No. First of all, the design
18	criteria I think as you are aware of are basically
19	a single failure. What you are postulating now is a
20	dual failure of two separate safety divisions.
21	MR. EBERSOLE: The first failure is certain to
22	occur. During the life of a plant, it is an operational
23	support system. I am going to fail it sooner or later.
24	I will experience a transient when it fails unless
25	we design the plant to be stable in the presence of that

meh 16	92.5	241
	1	failure.
	2	MR. CAMERON: Okay.
	3	MR. SPROAT: This is Ward Sproat again from
	4	Philadelphia Electric.
	5	MR. EBERSOLE: This is my first exit, just the
	6	failure of that system.
	7	MR. SPROAT: I understand.
	8	MR. EBERSOLE: I have a transient condition, I
	9	will assume. I am not obligated to face it without
	10	redundancy in the context of having DC supply. Am I not
	11	correct?
	12	MR. SPROAT: No. There is no such transient
D	13	that could fail the second DC division.
	14	MR. EBERSOLE: Well, I understand there is no
	15	direct overload, it is just that you now begin possibly
	16	things to challenge the viability of the Number Two system
	17	that is supporting you.
	18	MR. SPROAT: Well, tomorrow in my presentation I
	19	am going to get into a lot more detail into our DC system
	20	design and reliability.
	21	However, there are no interties between any of
	22	the divisions. Therefore, there is no mode of common mode
	23	failure that can occur between redundant DC divisions.
	24	MR. EBERSOLE: Well, we will wait until tomorrow
	25	I think it might be well to point out, though, that even if

-	in the second	3	
m	en.	2. 1	
***	Sec. 7. 7	A	

	242
1	you had a dozen batteries buried, it would be a one out of
2	two logic, and that is what we have here. That is all I
3	have to say.
4	MR. SHANNON: Can I go on?
5	MR. KERR: Please.
6	MR. BOWERS: Can I say one more thing? Wes
7	Bowers. It is more than one out of two logic. In the case
8	you are postulating we have the HVAC system. So, if you had
9	the two failures that you are talking about in Division 1 and
10	3, you would have in effect failed ADS. But even if that
11	failure created a transient you have your HVAC system in
12	Divisions 2 and 4. They are totally adequate to take care of
13	that transient.
14	MR. EBERSOLE: And you take high pressure feedwater
15	without ADS.
16	MR. BOWERS: Yes.
17	MR. EBERSOLE: Thank you.
18	MR. SHANNON: Now I will go on to our LPCI
19	system. The standard BWR-4 design includes four RHR pumps
20	that are generally entered together into two loops, the loops
21	injecting through the recirc lines.
22	What we provided at Limerick and I can show it
23	better on this next slide is four direct injected pumps.
24	They inject directly into the vessel, they don't inject
25	through the recirc line, and they are not entered together.

1	What this means is, if you took a design basis
2	accident in a standard BWR-4 and you imposed on tope of that
3	a single failure, the worst single action failure, you could
4	lose two of the LPCI pumps as a result of the recirculation
5	line break. You could lose the other two LPCI pumps as a
6	result of a single failure.
7	Given that same occurrence at Limerick, we would
8	still have three LPCI pumps available, thereby would increase
9	the availability, the reliability of that mode of operation.
10	MR. EBERSOLE: A comment. On the other hand,
11	you have two pads to service the water, whereas you only
12	have four. I see only two pumps there that transport heat
13	to the sink.
14	MR. SHANNON: Let me go on, then, and I will
15	answer your question in one second.
16	MR. EBERSOLE: All right.
17	MR. SHANNON: Was there another question?
18	In the area of shutdown cooling and suppression
19	pool coils, our experience of Peach Bottom has led to two
20	modifications at Limerick, and they are basically a pump
21	discharge intertie and the improve decay heat removal
22	capability.
23	If you will flip to the next viewgraph here.
24	What I showed you in LPCI was one mode of operation. I did
25	it with a simplified flow diagram. However, what we have added

1	in effect is a near tie between the two loops, such that
2	either pump is available for shutdown cooling or suppression
3	pool cooling. Either pump can pump through the heat exchanger.
4	MR. EBERSOLE: This is just a valve tongue?
5	MR. SHANNON: That is correct.
6	MR. EBERSOLE: So, that just did not show in the
7	other drawing.
8	MR. SHANNON: That's right. The other drawing
9	was simplistic to show you LPCI, show you the four loops.
10	We do in fact have an intertie.
11	Beyond there, we provided a bypass around the
12	heat exchanger with the appropriate throttling capability
13	to provide better control of decay heat removal long term.
14	MR. MICHELSON: Before you leave that, before you
15	leave that slide, what is your surface water pressure going
16	to be relative to the pump discharge pressure when
17	circulating from the suppression pool?
18	MR. SHANNON: Yes, our surface water pressure
19	is low compared to RHR pressure.
20	MR. MICHELSON: So, you have not attempted to
21	address the problem of tube leakage in the heat exchanger.
22	MR. SHANNON: Yes, we have. We provided a
23	radiation monitor and the discharge of that heat exchanger
24	MR. MICHELSON: What are you going to do with
25	a radiation monitor?

meh 20

	245
1	MR. SHANNON: Isolate the heat exchanger.
2	MR. MICHELSON: How are you going to tell from a
3	radiation monitor I assume it is on the outside of the
4	pipe what the contamination levels are unless they are
5	extremely high?
6	You are putting several thousand gallons a minute
7	through the heat exchanger and you are trying to look at
8	the leakage to the river with the radiation monitor on the
9	outside of the plant?
10	MR. SHANNON: Ray, can you talk to the radiation
11	monitor?
12	MR. GEORGE: Ray George. I believe our radiation
13	monitoring system the heat exchanger takes a sample.
14	MR. MICHELSON: You are pulling a sample off the
15	stream and analyzing the sample continuously.
16	MR. GEORGE: Yes.
17	MR. MICHELSON: OK.
18	MR. SHANNON: You have two monitors on each
19	discharge line, by the way.
20	MR. HELWIG: Dave Helwig. You should also
21	clarify that we are not talking about leakage to any
22	body of water except on the heat sink which is vented in
23	the river.
24	MR. EBERSOLE: If this has a single suction
25	line with the usual two valves in it

		4	A 12	
1000	1	20	21	
. 111	<b>_</b>	E1.	2 1	
	~		-	

246 MR. SHANNON: That is correct. 1 MR. EBERSOLE: -- of this is inadvertently somehow 2 closed, do you have an alternate mode of operation; right? 3 MR. SHANNON: Yes. 4 MR. EBERSOLE: You will bleed water through the --5 MR. SHANNON: Through these valves to the 6 suppression pool and go into suppression pool cooling. 7 MR. EBERSOLE: On these pumps also, do they 8 take suction on the suppression pool in the LOCA mode? 9 MR. SHANNON: The RHR pumps can take suction from 10 the suppression pool, yes. These are used for suppression 11 pool cooling also. I have not show that on here for 12 simplicity. 13 MR. EBERSOLE: These pumps are used for lots of 14 things. 15 MR. SHANNON: That's correct. 16 MR. EBERSOLE: When you are taking suction on 17 the suppression pool, do they perform the dual function 18 of both cooling for the heat exchangers as well as the 19 inventory supply for the reactor? 20 MR. SHANNON: You can do that, depending on the 21 alignment of the system. In other words, you can take 22 suction from suppression pool and route through the heat 23 exchangers and go back to the vessel if you have a return path. 24 So, you know, there is a lot of flexibility within 25

meh 22

1	the system.
2	MR. EBERSOLEL: Do you have a split path to go
3	to either the vessel or the suppression pool?
4	MR. SHANNON: Yes, we can return it again. I am
5	giving you some simple drawings. We can return either to
6	the vessel or the suppression pool.
7	MR. EBERSOLE: How do you control that division
8	of flow, do you have a three-way valve or what, two valves?
9	MT. SHANNON: Well, we would not split the flow.
10	We would go either to the vessel or to the suppression pool.
11	MR. EBERSOLE: So, how do you perform both
12	functions?
13	MR. SHANNON: What are you talking about, give me
14	MR. EBERSOLE: Well, I have a LOCA that is so
15	small that it is not big enough flow to provide sufficient
16	coolant to cool the core.
17	MR. SHANNON: OK, but keep in mind that we
18	have four pumps.
19	MR. EBERSOLE: Oh, you divide up among the pumps,
20	then?
21	MR. SHANNON: You could operate any pump to
22	provide makeup to the vessel. In addition, you have core
23	spray pumps which I have not described to you because they
24	are basically standard. We would use one pump for decay
25	heat removal; if we were in a mode where we needed to be in

meh 23		248
	1	suppression pool cooling, we would use a pump for that mode,
	2	also.
	3	MR. EBERSOLE: Thank you.
	4	MR. KERR: How much longer would your presentation
	5	take if we didn't interrupt?
	6	MR. SHANNON: I could do it in about two or three
	7	minutes.
	8	(Laughter)
	9	MR. SHANNON: All right, the next system I wawnt
	10	to talk about are RHR service water system features. Now, the
	11	RHR service water system consists of two loops. I have
	12	highlighted one loop just for clarity. Two pumps per loop,
	13	each loop serves as a heat exchanger for each unit.
	14	Given that each heat exchanger is a hundred
	15	percent capacity heat exchanger, each pump is a hundred
	16	percent capacity pump.
	17	What this arrangement means is that any one of
	18	four pumps can provide decay heat removal to either unit.
	19	We feel this is a significant advantage in terms of
	20	availability, reliability of RHR service work.
	21	Do you have any questions on that one?
	22	MR. KERR: Continue, please.
	23	MR. SHANNON: OK. The last system that I want
	24	to mention is our safeguard piping fill system. Now, most
	25	BWR plants will include a fill system to maintain the ECCS pump

1	discharge piping salt water to minimize the effect of water					
2	hammer.					
3	We have such a feature at Limerick, but in					
4	addition we have gone beyond the standard plant, we provided					
5	a seismically-designed systen and a quality-assured system.					
6	I think we are the only plant with that feature also.					
7	This basically concludes my presentation. I just					
8	want to reiterate again that I feel we have taken advantage					
9	of a lot of operating experience at Peach Bottom; a lot of					
10	experience that produced a design that we feel is far					
11	superior to the standard design.					
12	MR. MICHELSON: On the question of a fill system,					
13	have you looked at the actuary charge system and other					
14	systems you are trying to keep cold and analyzed the					
15	consequences of the operator for instance failing to close					
16	the discharge valve before he trips the pump and thereby					
17	emptying the system to a much greater extent than a					
18	filled system can make up for very quickly?					
19	What do you do to prevent that sort of thing?					
20	MR. SHANNON: To prevent the operator					
21	MR. MICHELSON: To prevent your pipes from going					
22	dry because he failed to close the discharge valve before					
23	he tripped the pump.					
24	MR. SHANNON: Well, the discharge valves have					
25	you are talking about the injection valves, for instance, the					
1	LPCI?					
----	--	--	--	--	--	--
2	MR. MICHELSON: I am thinking mainly of return					
3	to the suppression pool, for instance.					
4	MR. SHANNON: We have control room indication					
5	of most of the valves that you are referring to. We have					
6	also provided a low level alarm on the piping such that if					
7	he did it, we would know it. We would know that the system					
8	were not					
9	MR. MICHELSON: Let's speculate for a moment,					
10	though, that you are in the throes of a response to an					
11	incident and you lose off-site power.					
12	Now the pumps tripped and the discharge valves					
13	can't go because there is no power to close them. What do					
14	you do to refill the system?					
15	MR. SHANNON: First of all, we provided a					
16	redundancy such that if you lost one LTCI pump, for					
17	instance, as a result of that					
18	MR. MICHELSON: Both of them were cooling, all of					
19	them are cooling the pool. You are in the throes of an					
20	event and you had to take a lot of heat out of the pool, and					
21	you are running along here with all of them cooling the					
22	pool and you lose offsite power, or you lose on-site					
23	power to the pumps.					
24	MR. SHANNON: You are on the fill system, you					
25	fill the line back up again.					

250

	MP MIQUELCON, No. 1					
-	MR. MICHELSON: You don't have an automatic re-					
2	start when the power comes back on site.					
3	MR. SHANNON: For the fill system?					
4	MR. MICHELSON: No, no, for the pumps. See, t'a					
5	pumps generally will restart automatically when the on-site					
6	power comes on.					
7	MR. SHANNON: No, we do not have automatic					
8	restart features, no.					
9	MR. MICHELSON: You don't?					
10	MR. SHANNON: Right, Ray?					
11	MR. GEORGE: Will you repeat your question, please?					
12	MR. MICHELSON: You lose off-site power while the					
13	RHR pumps are running, and then the diesels come on. Do					
14	the RHR pumps restart automatically?					
15	MR. GEORGE: The RHR pumps will restart automatically					
16	only if there is an accident signal present, a LOCA signal					
17	present.					
18	MR. MICHELSON: Okay, that could be high drywall					
19	or high containment pressure, for instance.					
20	MR. GEORGE: High containment pressure.					
21	MR. MICHELSON: Which you are likely to have if					
22	you have a hot containment and you have been trying to get it					
23	cooled down, and so forth.					
24	MR. GOERGE: A slow reactor pressure.					
25	MR. MICHELSON: Yes, which you would also have					

251

H

39.1	252
1	because you are to repressurize the reactor, that is how
2	the containment got hot.
3	I guess it is not worth pursuing. But you do
4	have a little problem, the keep chill is not very big for
5	those kinds of situations.
6	MR. SHANNON: I have an answer to an earlier
7	question, if you want me to give it now or I can give it
8	tomorrow, concerning the steam line water breaks in
9	compartments.
10	MR. KERR: I want you to give it tomorrow. Any
11	other questions on this topic?
12	We will recess until tomorrow morning at 8:30.
13	(Whereupon, at 8:20 p.m. the subcommittee meeting
14	was adjourned, to reconvene at 8:30 a.m., Saturday,
15	October 8, 1973.)
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	
1.1	

### CERTIFICATE OF PROCEEDINGS

ŧ

(,

	이는 것은
2	
3	This is to certify that the attached proceedings before the
4	NRC COMMISSION
5	In the matter of: ACRS SUBCOMMITTEE ON LIMERICK GENERATING
ه	Date of Proceeding: Friday, October 7, 1983
7	Place of Proceeding: Pottstown, Pennsylvania
8	were held as herein appears, and that this is the original
9	transcript for the file of the Commission.
10	
	Suzanne Young
	. Official Reporter - Typed
12	Suname Gouve
13	Officia Reporter - Signature
15	
16	
17	
18	
19	
20	
21	
22	
20	
24	
25	

TAYLOE ASSOCIATES REGISTERED PROFESSIONAL REPORTERS NORFOLK, VIRGINIA

# REGION I PRESENTATION LIMERICK GENERATING STATION

Owner:

Philadelphia Electric Company (PECo)

- \*1960's Peach Bottom Unit 1 (HTGR)
- \*1/68 Construction of Peach Bottom Units 2 and 3
- \*6/74 Construction Permit for Limerick Units 1 and 2

AE/Contractor:Bechtel (San Francisco)

\*Built Peach Bottom and Susquehanna (same units except Peach Bottom has Mark I Containment).

\*Randon sample of 1164 Technical Professionals shows 44% have previous nuclear experience.

\*Estimated that 95% of QA/QC staff has provided same function at other nuclear units.



## INDEPENDENT EVALUATIONS

Institute of Nuclear Power Operations (INPO)

- \* Fall of 1982 Self-evaluation by 22 PECo and Gilbert team.
  - -- Reviewed aspects of Design, Construction, Procurement, QA, Training and Project Management.
  - -- No major problems identified.
  - July, 1983 Independent team evaluations.
    - -- Concentrated on Construction and Design activities.
    - -- PECo has reviewed Draft and is responding.
    - -- Region I will assess report.

Joint Utility Management Audit (JUMA)

 Independent utility senior management-level audit.

. .

 Evaluated Philadelphia offices and site management.



REGION I TECHNICAL STAFF FOR LIMERICK .



### REGION I INSPECTION PROGRAM

- \* Program established by OIE
- \* Significant portion directed toward QA
- \* PECo QA Program in the PSAR and FSAR
- \* NRC accepted QA Program in SER
- \* Inspections by Resident and Region-Based Inspectors
  - \* Resident Inspector assigned in 1979
  - \* Second Resident Inspector (covering preoperational testing and startup testing) assigned September 4, 1983

. .



### INSPECTION HISTORY

- \* Initial inspection 1970
  - -- Before Construction Permit
  - -- Focused on QA
  - Management Meeting held to improve QA Program
- \* Monitored construction activities
  - -- Concrete work
  - -- Safety related structures
  - -- Piping and welding
  - -- Electrical activities
  - -- Safety related mechanical components
  - -- Instrumentation
- \* To date 149 inspection reports issued
- \* Inspection hours (approximate)
  - -- Shoreham 6500 hours
  - -- Susquehanna 7000 hours
  - -- Limerick 7800 hours

# ENFORCEMENT RECORD

- \* Notice of Violation issued for enforcement
- \* Applicant responds to Notice
- \* Response reviewed by inspectors and regional management
- \* Corrective actions verified during routine inspections

Enforcement history comparison

- -- Shoreham 77
- -- Susquehanna 103
- -- Limerick -.86

\* To date, Region I has not identified any significant programmatic weaknesses, other than those in the QA program identified and corrected in 1970. REGIONAL CONSTRUCTION TEAM INSPECTION

- \* Performed by Region I late 1982
- \* Coordinated team approach
- \* Focused on Construction Practices
- \* Accounted for about 520 hours of inspection effort
- \* Significant findings:
  - -- Strengths
    - \* QA indoctrination of PECo engineers and managers
    - \* Scope and technical depth of QA audits
  - -- Weaknesses
    - \* Bechtel's lack of communication tracking
    - \* Lack of explicit PECo guidance on audit findings
    - \* Bechtel's incomplete control of drawings for subcontractor
    - \* Poor clarification of nonconformance reporting criteria for electrical test



# INDEPENDENT NDE VERIFICATION

- \* Mobile NDE laboratory at Limerick in March, 1982
- \* 345 Region I and contractor inspector hours on site
- \* Purpose to verify PECo's welding QC program by performing identical tests
- \* Selection criteria for welds; ASME Class 1, 2, and 3, pipe sizes, materials and systems
- \* NRC detailed procedures used
- \* Examinations performed (adjacent to welds)
  - -- Radiography 19 welds
  - -- Magnetic Particle 2 welds
  - -- Liquid Penetrant 10 welds
  - -- Thickness Measurements 25 areas
  - -- Ferrite Measurements 4 stainless steel welds
  - -- Hardness Checks 25 areas
  - -- Weld Reinforcement Measurements 25 welds
  - -- Alloy Analysis 7 areas
  - Independent verification in agreement with applicant's determinations

REVIEN OF CONSTRUCTION DEFICIENCIES

- \* Required by 10 CFR 50.55(e)
- \* Applicant's program appears effective
  - -- Multi-tiered review
  - -- Reportability meets regulations
  - -- Appropriate level of evaluations
- \* End of September, 1983, PECo had investigated 102 CDR's
  - -- Resolved 92
  - -- Under investigation 10
  - -- Reporable to NRC 41
- \* Background report gives 3 examples
- \* Region I finds acceptable control by PECo

### ALLEGATIONS

- \* Source of Allegation
  - -- Letters
  - -- Telephone
  - -- Personal contact (Region | or RI)
  - -- Headquarters Duty Officer
- \* Regional Management Review
  - -- Assess credibility
  - -- Safety significance
- \* Review Process
  - -- By Region I
  - -- By other NRC offices
  - -- By Office of Investigation
- \* Documentation
  - -- Inspection report
  - -- Special report
  - -- Letter to alleger
- \* Limerick Record
  - -- Sixteen total
  - -- All investigated
  - -- None adverse to nuclear safety
  - -- One remains to be documented

SYSTEMATIC ASSESSMENT OF LICENSEE PERFORMANCE (SALP)

- Purpose Sound decisions regarding regional resources.
- \* Prepared by Region I input from:
  - -- Resident Inspectors
  - -- Regional Specialist Inspectors
  - -- NRR Project Managers
  - -- NMSS Project Managers
  - -- AEOD
  - Limerick SALP's:
    - -- 1980 covered 10/1/79 to 9/30/80
    - -- Inspection hours 1171 hours
    - -- Results Category 2 in 15 areas - Category 3 in 1 area (QA/QC)
    - -- 1981 covered 7/1/80 to 6/30/81 (3 month overlap)
    - -- Inspection nours 1020 hours
    - -- Results Category 1 in 2 areas - Category 2 in 9 areas

- -- 1983 covered Calendar Year 1982 (also observations from 6 month period)
- -- Inspection hours 1817 hours
- -- Results Category 1 in 3 areas - Category 2 in 5 areas
- Beginning in 1984, the SALP will also be focused on preoperational and startup testing activities for Unit 1.

### REGION I OVERVIEN

- \* Aggressive management attention to NRC concerns
- \* Improving QA/QC program and increasing QA/QC manpower
- \* Recognizing necessity of continuous management attention to quality
- \* Adequate management review is evident
- \* Both site and corporate management involved in decision making
- \* Records are generally complete, well maintained and readily available
- \* Increased engineering expertise on site in last 15 months

### CONCLUSION

Overall, Region I finds the construction program quality at Limerick to be acceptable. This does not mean there have not and will not be problems to be solved. However, this review adds confidence that PECo, its A-E/Contractor and subcontractors are committed to and capable of building a quality nuclear plant. removed the two distillation units previously there, and fenced the site. Stipulated penalities are provided for in the event of future noncompliance with the decree.

The consent decree may be examined at (1) the office of the United States Attorney, Northern District of Ohio, Suite 500, 1404 E. 9th Street, Cleveland, Ohio 44114. (2) the office of Regional Counsel, United States Environmental Protection Agency, 18th Floor, 230 South Dearborn Street, Chicago, Illinois 60604. and (3) the Environmental Enforcement Section, Land and Natural Resources Division, United States Department of Justice, Room 1515, Ninth Street and Pennsylvania Avenue NW., Washington, D.C. 20530. A copy of the proposed consent decree may be obtained in person or by mail at the Environmental Enforcement Section at a cost of one dollar per copy.

The Department will receive comments concerning the decree for thirty (30) days from the date of this notice. Comments should be addressed to the Environmental Enforcement Section, Land and Natural Resources Division, United States Department of Justice. Room 1515, Ninth Street and Pennsylvania Avenue NW., Washington, D.C. 20530 and reference United States v. Chemical Recovery Systems, Inc., DOJ No. 90-7-1-47.

#### F. Henry Habicht IL

Acting Assistant Attorney General. Land and Natural Resources Division.

[FR Doc. 83-25420 Filed 9-18-83, 8:45 am]

### BILLING CODE 4410-01-W

#### MOTOR CARRIER RATEMAKING STUDY COMMISSION

#### Public Hearing

Date: Friday, October 14, 1983. Place: John W. McCormack Post Office and Courthouse, Post Office Square, Room 208, Boston, Massachusetts 02109.

Time: 8:30 a.m.

Purpose: To receive lestimony, as mandated by the Bus Regulatory Reform Act of 1982, from various parties on: (1) Collective ratemaking in the bus industry and (2) the Impact of implementation of the Bus Regulatory Reform Act of 1982 on persons over the age of 60.

Anyone who is interested in submitting written testimony for the record of the Study Commission may do so by sending same to: Gary D. Dunbar. Executive Director. Motor Carrier Ratemaking Study Commission, 100 Indiana Avenue, NW., Washington, D.C. 20001. For further information, contact: Name: Gary D. Dunbar, Title: Executive Director, Phone No.: (202) 724-9600.

Submitted this, the 14th day of September,

#### Gary D. Dunbar,

Executive Director.

[FR Doc. 83-25457 Flied 9-16-83: 846 am

BILLING CODE \$820-80-4

#### NATIONAL FOUNDATION ON THE ARTS AND THE HUMANITIES

#### **Humanities Panel Meeting**

AGENCY: National Endowment for the Humanities.

ACTION: Notice of Meeting.

SUMMARY: Pursuant to the provisions of the Federal Advisory Committee Act (Pub. L. 92-463, as amended), notice is hereby given that the following meeting of the Humanities Panel will be held at the Old Post Office, 1100 Pennsylvania Avenue, N.W., Washington, D.C. 20506.

Date: September 29, 1983. Time: 9:00 s.m. to 5:00 p.m. Room: 430.

Program: This meeting will review applications submitted for Constitutional Fellowships (College Teachers). Division of Fellowships. for projects beginning after January 1, 1984.

The proposed meeting is for the purpose of Panel review. discussion. evaluation and recommendation on applications for financial assistance under the National Foundation on the Arts and the Humanities Act of 1965, as amended, including discussion of information given in confidence to the agency by grant applicants. Because the proposed meeting will consider information that to there to disclose: (1) trade secrets and commercial or financial information obtained from a person and priviewen or confidential: (2) information of a personal nature the disclosure of which would constitute a clearly unwarranted invasion of personal privacy and (3) information the disclosure of which would significantly frustrate implementation of proposed agency action: pursuant to authority granted nie by the Chairman's Delegation of Anthority to Close Advisory Committee Meetings, dated January 15, 1978, I have determined that this meeting will a clused to the public pursuant to subset ons (c)(4), (6) and (9)(B) of section 55.00 of Title 5. United States Code.

Further information about this meeting can be obtained from Mr. Stephen J. McCleary, Advisory Committee Management Officer. National Endowment for the Humanities, Washington, D.C. 20508, or call (202) 786-0322. Stepben J. McCleary. Advisory Committee Management Officer. (FR Doc. 63-25477 Filed 9-16-92, 845 am) BLLMG CODE 7536-01-00

### NUCLEAR-REGULATORY COMMISSION

#### Advisory Committee on Reactor Safeguards, Subcommittee on Limerick Generating Station Units 1 and 2, Meeting

The ACRS Subcommittee on Limerick Generating Station Units 1 and 2 will hold a meeting on October 7 and 8, 1983, at the Holiday Inn at Pottstown, Route 100 at West King Street, Pottstown, PA. The Subcommittee will review the application of the Philadelphia Electric Company (PECO) for an operating license.

In accordance with the procedures outlined in the Federal Register on October 1, 1982 (47 FR 43474), oral or written statements may be presented by members of the public, recordings will be permitted only during those portions of the meeting when a transcript is being kept, and questions may be asked only by members of the Subcommittee, its consultants, and Staff. Persons desiring to make oral statements should notify the Cognizant Federal Employee as far. in advance as practicable so that ...... appropriate arrangements can be made to allow the necessary time during the meeting for such statements.

The entire meeting will be open to

The agenda for subject meeting shall be as follows:

Friday, October 7, 1983—2:00 p.m. until the conclusion of business Saturday, October 8, 1983—8:00 a.m.

until the conclusion of business

meeting, the Subcommittee, along with any of its consultants who may by present, may exchange preliminary views regarding matters to be ;> considered during the balance of the meeting.

The Subcommittee will then hear presentations by and hold discussions with representatives of the Philadelphia Electric Company, NRC Staff, their consultants, and other interested persons regarding this review.

Further information regarding topics to be discussed, whether the meeting has been cancelled or rescheduled, the Chairman's ruling on requests for the opportunity to present oral statements and the time allotted therefor can be btained by a prepaid telephone call to be Cognizant Designated Federal Employee, Dr. Richard Savio (telephone 202/634-3267) between 8:15 a.m. and 5:00 p.m., EDT.

Dated: September 13, 1983. John C. Hoyle, Advisory Committee Management Officer. (PR Doc. 55-25404 Filed 5-16-63; 842 (m)) Sciling CODE 7560-01-60

Dairyland Power Cooperative, LeCrosse Bolling Water Reactor; Exemption

[Docket No. 90-409?

Dairyland Power Cooperative (the licensee) (DPC) is the holder of Provisional Operating License No. DPF-45 which authorizes operation of the LaCrosse Boiling Water Reactor. This provides, among other things, that it is subject to all rules, regulations and orders of the Commission now or hereafter in effect. The facility is a bolling water reactor rated at 50 MW(e) and is located at the licensee's site located in Vernon County, Wisconsin.

The regulation. 10 CFR 50.54(w). equires that each commercial power reactor licensee shall, by June 29, 1982. have taken reasonable steps to obtain on-site property damage insurance available at reasonable cost and on reasonable terms from private sources or to demonstrate to the satisfaction of the Nuclear Regulatory Commission (the Commission) (NRC) that it possesses an equivalent amount of protection covering the facility, provided, among other things, that "this insurance must have a minimum coverage limit no less than the combined total of: (i) That offered by either American Nuclear Insurers (ANI) and Mutual Atomic Energy Reinsurance Pool (MAERP) jointly or Nuclear Mutual Limited (NML): plus (ii) that offered by Nuclear Electric Insurance Limited (NEIL), the Edison Electric Institute (EEI), ANI and MAERP jointly, or NML as excess property insurance."

On June 29, 1982, the licensee filed a Request for Exemption from the provisions of 10 CFR 50.54(w) in excess of \$65 million. (10 CFR 50.54(w) currently requires licensees to be insured for a minimum of \$500 million in primary coverage plus \$66 million in excess property coverage.) In support of its request, the licensee submitted an estimate of decontamination and cleanup costs following a Three Mile Island. Unit 2 (TML-2) type accident of between \$5 million and \$39 million. The licensee indicated that it would obtain panary property insurance covering mages up to \$65 million but that It did not believe that coverage in excess of that amount was justified. The staff requested additional information from the licensee to support its estimates. This information was solicited by letters to the licensee dated August 2, 1982 and October 25, 1982. The licensee responded to these requests by letters dated September 13, 1982 and March 7. 1943. The March 7, 1963 response included a more detailed study than carlier submissions and increased its estimates of cleanup to \$42.5 million in Main dollars.

Despite the licensee's original exemption request and two our plemental responses to NRC quantions, the Commission concludes that the licensee has failed to provide adequate instification for exemption from the requirements for property insurance above \$65 million. First, Dairyland has made certain assumptions in its request that appear to be unwarranted. Specifically, Dairyland asumes that no more than 10.7% of the fuel rods will rupture and that no fuel melting will occur, even in a maximum credible accident. Consistent with this is Dairyland's assumption that LaCrosse's emergency core cooling system will function adequately after an accident. In evaluating the licensee's March 7, 1983 submittal the staff found that the maximum credible accident (MCA) assumed by DPC appears to be equivalent to a design basis loss of coolant accident (LOCA) assuming a single failure evaluated to show conformance with 10 CFR 50 Appendix K. While no check has been made of the level of fuel failures for this accident, it is the staff's judgment that the stated failure level of about 10% may not be conservative, since clad failure for all rods experiencing departure from nucleate boiling may be possible. Since the intent of 10 CFR 50.54(w) is to provide for insurance in the case of core damage accidents of at least the TMI-2 severity, if not worse, the licensee has not shown anything unique in LaCrosse's design that would justify the request for an exemption on the basis of the low cleanup costs. It is clear from the statement of consideration promulgating 10 CFR 50.54(w) (47 FR 13750) that property insurance was intended by the NRC to cover at least TMI-2 type accidents. As stated in that notice. "". \* .\* The Commission disagrees with the position taken by some commenters that it is unfair to many owners of smaller power reactors

to require insurance greatly exceeding the cost of replacing the facility. A TMI-2 type accident could well require coverage approaching \$1 billion, no matter what the original or size of the facility \* \* \* Until completion of studies evaluating the cost of cleaning up accidents of varying severity, it is prudent to require for all power reactors a reasonable amount of insurance for decontamination expense" (47 FR 13752).

Finally, in a parallel situation, on November 3, 1982, the Commission granted to Consumers Power Company an exemption from the excess property insurance requirements of 10 CFR 50.54(w). Consumers Power Company operates the Big Rock Point Plant (Docket 50-155), a 72 MW(e) BWR, and found in a comprehensive analysis of a maximum credible accident, that cleanup costs would not exceed \$470 million. The staff concludes that it would not be technically consistent in granting Dairyland's full exemption request while requiring seven times the insurance coverage for Big Rock Point.

Although there is no basis for the Commission to approve the licensee's entire exemption request, there is adequate justification to exempt the licensee from the excess property insurance requirements of 10 CFR 50.54(w). Exemption from such excess requirments would be compatible both with the conclusions of Consumers Power Company's findings with respect to its Big Rock Point Plant and with findings of a study developed for the Commission (Technology, Safety and Costs of Decommissioning Reference Light Water Reactors Following Postulated Accidents, NUREG/CR-2601, Pacific Northwest Laboratory. November 1982). This report considers three accident scenarios with a TMI-2 type accident considered to be of intermediate severity. The information developed from these scenarios indicates that although there is some relationship between size of a reactor and accident cleanup costs, certain of the major costs involved with accident cleanup-such as defueling a damaged reactor, activities to maintain a facility in cold shutdown, and construction of new treatment facilities-are not strictly power level dependent. But because there are steps in the cleanup process where cost is directly seleted to core size, lower overall costs can be expected for cleanup of reactors of the size of LaCrosse. The NRC concludes that LeCrosse would be expected to encounter, in the extreme, cleaner costs, that would be substantially similar to.

41832

### AGENDA FOR THE LIMERICK MEETING

OCTOBER 7-8, 19873

### Friday, October 7, 1983

Ι.	Exe	cutive Session	15	Min.	2:00	-	2:15	pm
11.	Rep	ort from the NRC Staff						
	Α.	Status of the NRC Staff review	15	Min.	2:15	-	2:30	pm
	Β.	Comparison of the Limerick plant and site with similar plants and sites reviewed by the NRC Staff.	15	Min.	2:30	-	2:45	pm
	с.	Summary of the prinicpal review issues (to include a summary of the open issues and likely resolution, a summary of dissenting NRC Staff opinions applicable to the review, and a summary of the safety issues which the NRC Staff believes were or will be the most different to resolve.)	45	Min.	2:45	-	3:30	pm
	D.	I&E Report on significant plant experiences and assessment of plant	45	Min.	3:30	-	4:15	pm
	Ε.	Comments from the Applicant	30	Min.	4:15	-	4:45	pm
****	BRE	IK ****	15	Min.	4:45	-	5:00	pm
11.	Rep	ort from the Applicant						
	Α.	Organizations and Management						
		<ol> <li>Summary of construction and operations management structure</li> </ol>	15	Min.	5:00	-	5:15	pm
		<ol> <li>Description of technical support, operations quality assurance, and maintenance programs</li> </ol>	45	Min.	5:15	-	6:00	pm
		<ol> <li>Description of training programs for reactor operators, startup crews, maintenance personnel, outside contractor personnel, and the use of the simulator in the training programs.</li> </ol>	30	Min.	6:00	-	6:30	pm



I

Limerick Meeting

10/5/83

B. Performance assessment for critical systems.

1.	Scram systems	15 Min.	6:30 - 6:45 pm
2.	Decay heat removal systems	20 Min.	6:45 - 7:05 pm
3.	AC/DC power systems	20 Min.	7:05 - 7:25 pm
4.	Control and instrumentation systems	20 Min.	7:25 - 7:45 pm
5.	Containment systems	15 Min.	7:45 - 8:00 pm
6.	Discussion	30 Min.	8:00 - 8:30 pm

### Saturday, October 8, 1983

\*\*\*\*\*

с.	Principle insights gained from the Limerick Probabilistic Risk Assess- ment and Severe Accident Risk Assessme t and use in plant design and operation.			
	<ol> <li>Scope, purpose, and summary of the results for the Limerick PRA, SARA, and other applicable existing PRAs.</li> </ol>	15 Min.	8:30 - 8:45	am
	<ol> <li>Use of Limerick PRA and SARA in the decision process and in the evaluation of the plant design, purposed safety improvements, and the effectiveness of emergency planning.</li> </ol>	45 Min.	8:45 - 9:30	am
	3. Discussion	15 Min.	9:30 - 9:45	am
BRE	AK ****	15 Min.	9:45 - 10:00	am
D.	Use of systems interaction analysis in plant design and in the development of procedures and training programs.	30 Min.	10:00 - 10:30	am
Ε.	Discussion of emergency planning	45 Min.	10:30 - 11:15	am
F.	Status of seismic reevaluation and plan for resolution	30 Min.	11:15 - 11:45	am
G.	NRC Staff comments	15 Min.	11:45 - 12:00	pm



Limerick Meeting

- 3 -

****	** LUNCH *****	1 Hr	12:00 - 1:00 pm
IV.	Oral presentations from members of the public as requested.	1 1/2 Hrs.	1:00 - 2:30 pm
۷.	Summary, conclusions, and discussion of future agenda.	30 Min.	2:30 - 3:00 pm



