

ACRST-2027  
**Official Transcript of Proceedings**

**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards  
Thermal Hydraulic Phenomena Subcommittee  
Open Session

Docket Number: (not applicable)

<sup>2/1</sup>  
TRO4 (ACRS)  
RETURN ORIGINAL  
TO BJWHITE,  
ACRS T-2E26  
415-7130  
THANKS!

Location: Rockville, Maryland

Date: Tuesday, March 28, 1995

Work Order No.: NRC-168

Closed pages 309-557

Pages 558-595

**ORIGINAL**

030001

9503310309 950328  
PDR ACRS  
T-2027 FDR

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

ACRS Office Copy - Retain  
for the Life of the Committee

**D I S C L A I M E R**

**PUBLIC NOTICE  
BY THE  
UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS**

**MARCH 28, 1995**

The contents of this transcript of the proceedings of the United States Nuclear Regulatory Commission's Advisory Committee on Reactor Safeguards on MARCH 28, 1995, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript has not been reviewed, corrected and edited and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS  
(ACRS)

THERMAL HYDRAULIC PHENOMENA SUBCOMMITTEE

+ + + + +

OPEN SESSION

+ + + + +

TUESDAY

MARCH 28, 1995

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear Regulatory  
Commission, Two White Flint North, Room T2B3,  
11545 Rockville Pike, at 8:30 a.m., Ivan Catton, Chairman,  
presiding.

SUBCOMMITTEE MEMBERS:

IVAN CATTON	Chairman
THOMAS S. KRESS	Member
ROBERT L. SEALE	Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

## 1 ACRS CONSULTANTS PRESENT:

2 Virgil Schrock

3 Wolfgang Wulff

4 Novak Zuber

5

## 6 ACRS STAFF PRESENT:

7 Paul Boehnert

8 Richard Savio

9

## 10 ALSO PRESENT:

11 Farouk Eltawila

12 Gary Wilson

13 Brent Boyack

14 Marino diMarzo

15 Joseph Kelly

16 Wayne Hodges

17 Alan Levin

18 David Bessette

19 Marcos Ortiz

20 Paul Bayless

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1	<u>Agenda Item</u>	<u>Page</u>
2	Subcommittee Caucus	
3	Follow-up Issues From this Meeting	561
4	Topics for Future Meetings	
5	Discussion Topics for April ACRS Meeting	
6	Adjournment	
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

## P-R-O-C-E-E-D-I-N-G-S

CHAIRMAN CATTON: Paul has on this thing follow-up issues. I guess you're going to dredge them out of your notes?

MR. BOEHNERT: I sure will.

CHAIRMAN CATTON: A lot of promises were made. I don't remember what they all were.

MR. BOEHNERT: I got most of them on here.

CHAIRMAN CATTON: For the full committee meeting. I don't know when they are scheduled.

MR. BOEHNERT: 1:00 to 3:00 on April 6.

CHAIRMAN CATTON: Thursday?

MR. BOEHNERT: Yes.

CHAIRMAN CATTON: I think what I'd like to do is we have two hours. I'll take the first 10 minutes. I am giving this in real time, so you'll have to adjust.

Farouk's overview, I think if you could cut it to about 15 minutes or maybe even a little less.

Joe Kelly, the RELAP5 work. Maybe 30 minutes. Just sort of highlight things.

Then I think the Dave and diMarzo team did such a good job in describing what we've learned from ROSA and OSU. I think 50 minutes, maybe.

Then the last item might be future plans, summary, what are the hard spots, what are the schedules

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 and things like that. And close it up, for a total of two  
2 hours.

3 The only thing in those times that's firm is  
4 my 10 minutes. You guys can do what you wish with the  
5 remaining hour and 50 minutes.

6 Now what I would like from you three, before  
7 we all go our separate ways on Thursday, I'd like your  
8 inputs on what you have heard in the past couple of days.

9 Well, why don't we do that. Why don't we just  
10 start with you, Novak. But I would also like it in  
11 writing.

12 DR. ZUBER: Okay.

13 CHAIRMAN CATTON: As a matter of fact, the  
14 writing that you have there, if after you give it to me  
15 orally, you give it to Paul, he'll type it up for me.

16 DR. ZUBER: But he would have to decipher this  
17 at any rate.

18 CHAIRMAN CATTON: He can.

19 DR. ZUBER: Let me start with the program. I  
20 call this section turnaround. It was a turnaround. I  
21 think this program has undergone a dramatic change from  
22 the August meeting. It orders a magnitude of improvement.

23 At the last meeting, I think it was in August,  
24 I don't know exactly the date. That meeting displayed  
25 managerial and technical incompetence. It was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1   disastrous meeting.

2               Now the program has undergone a change. It is  
3 well-organized. The presentations are very systematic,  
4 scrutable. They displayed a very good technical thinking.  
5 I think it was gratifying to look at the way that it was  
6 structured, they were presented, and the thinking behind  
7 it. It was excellent and very gratifying.

8               Another gratifying point was the use of the  
9 consultant. Finally, RES is making use of the best talent  
10 to bear on this problem. I think they should be  
11 complemented for it. My advice would be, make as much use  
12 as you can afford.

13              I would also recommend then for them to, I  
14 think it would be helpful at least, ask the consultants  
15 and the members of the committee if they would send to  
16 Paul the letters by the different consultants.

17              CHAIRMAN CATTON: We were told that we would  
18 get them.

19              DR. ZUBER: Good, good, good. I mean, this is  
20 what I wrote.

21              The speakers were very responsive to the  
22 technical questions and comments. They displayed good  
23 technical thinking in the approach to the problem. I hope  
24 they will continue this in the future, and also to respond  
25 to our questions, our advice. Why they take it, why they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 discard it. There should be kind of a paper trail on  
2 documentation on response to the questions and comments of  
3 the consultants.

4 In closing, I would like to complement the  
5 management, the staff and the contractors for generating  
6 this improvement. This is kind of general.

7 Now let me go on to PIRT. I view PIRT as a  
8 living document and I agreed with Negali (phonetic) and  
9 RES.

10 The difference between the state we are in now  
11 and the one when we started this year, CSAU is quite  
12 different. For CSAU, when we established the PIRT, we had  
13 tons and tons of data. So it was easy to establish the  
14 final PIRT.

15 Here, we are learning as we are testing and  
16 running. So it's a PIRT which is continuously is  
17 undergoing change. I think the approach we heard was  
18 good. It was systematic. It was documented. More than  
19 that, it was scrutable and well organized.

20 I don't see any problem with updating PIRT as  
21 much as it needed. I would support very strongly the  
22 comments by Wolfgang that they should also document why  
23 something is not applicable. I think this is important.

24 You know, somebody may say, "Did you think of  
25 this, did you think of that in starting the PIRT?" Well,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 it should be there.

2 There should be a paper trail. This is an  
3 Agency concern. There should be always a paper trail to  
4 see how we made the decision and on what basis. I think  
5 if we discuss something that's not available, I think we  
6 should document it, why it's not important.

7 Another thing I would also support is that the  
8 PIRT should be tied to the scaling. I think the scaling  
9 could really give support and verify. It's a quantitative  
10 method of supporting a qualitative judgement based on  
11 PIRT. I think a graph like Wolfgang, or maybe modified,  
12 should be really devised to put and compact all this  
13 information in one format.

14 Now let me go to, well anyway, I was pleased  
15 with the PIRT. With the analysis, it was very gratifying  
16 to hear the technical comments and learn about the physics  
17 of the problem and the exposition and the effort that the  
18 staff went to understand the phenomena. I think it's very  
19 good and should continue in the future.

20 There are some problems I can see where the  
21 cause may not be really applicable and useful in this  
22 problem. In this sense, I would really encourage the  
23 staff to continue this effort like Mario and Dave, along  
24 the line of Dave and Mario. But they should also be  
25 supported by scaling.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 Again, they should document why something was  
2 run high or low, and then have a paper trail on that.  
3 Especially if something is discarded. They should provide  
4 the basis, why was this process discarded and the reasons.

5 Going to the scaling. We didn't hear much  
6 about it, and I understand this process is ongoing. I  
7 would like to receive and maybe you already have received,  
8 all the handouts of the meeting they had in Idaho. The  
9 minutes of the meeting, the recommendations and  
10 conclusions.

11 The only comments, anticipating the future, I  
12 will say we should not really succumb to the NIH, not  
13 invented here syndrome. I think we should proceed as soon  
14 as possible. I think a timetable would be very useful to  
15 anticipate, to see when these results will be available.

16 I think starting from what Jose has done, and  
17 then continuing with the top down approach would be very  
18 useful. I don't see that every aspect that Jose has done  
19 I am in agreement. But generally, the approach is  
20 excellent. I think this is the first really good approach  
21 to a systematic analysis.

22 It can be improved of course. And we can  
23 start from there to go farther down.

24 I would recommend obtaining a consistent set  
25 of scaling and apply it to ROSA, OSU and SPES. I think we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 would learn much more about the behavior of this facility  
2 if we brought them on a dimensionless, the data, in terms  
3 of these dimensionless groups.

4 We can use the scaling for several purposes.  
5 We could use it to assess the analysis and support the  
6 analysis along the lines of Dave and Mario. We can assess  
7 the effect of distortion of the different facilities. We  
8 can use it to support the conclusions of PIRT. We can use  
9 also to develop dimensionless groups to plot experimental  
10 data. As soon as we have it, we can improve our  
11 knowledge.

12 This is just understanding physics. See, in  
13 the old plans we had time to get familiar with the  
14 problem. Here we have to be very fast very soon.  
15 Unfortunately, we lost three years. But maybe we can  
16 recoup it. So I think if you do this early enough, we can  
17 then use it to analyze the data. This is on the scaling  
18 and analysis and PIRT.

19 Now there is another area. As I call this  
20 problem area, some people think they don't like to hear  
21 the word problem, area of concern or whatever you want to  
22 call it. Let me identify several concerns.

23 One is the water hammer. The other one is how  
24 to deal with the water hammer identifying which condition  
25 it can occur and where.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1           The second item is dealing with thermal  
2           certifications in both, in CMT and the horizontal pipe.  
3           Our codes can not really predict it at all, very poorly.  
4           How do deal with these two problems.

5           Another problem I would identify is we should  
6           really look in a sense that we have cold water coming in  
7           contact with the surface, hot surfaces. What is the  
8           potential for thermal shock.

9           I think these problems we may face down  
10          stream. But I think the sooner the address them, we have  
11          enough time to look in advance to see how we can schedule  
12          our work and our resources to address this problem. It  
13          will be very unfortunate to face some of these questions  
14          at the time of certifications. I think if we address them  
15          early enough, we may find a resolution. But if we have to  
16          face them within six months or three weeks, there is  
17          nothing you can do.

18          So I would suggest therefore, to identify  
19          potential safety problems, accident scenarios and  
20          locations where these phenomena, especially water hammer  
21          and thermal shock can occur, and then assess the  
22          significance of the safety.

23          I would also suggest that, and you have done  
24          to your credit, use your consultants to this effect. For  
25          the thermal shock, you may look for somebody else. Then I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 would suggest that this work should be really documented.  
2 If there is not water hammer problem, let the consultant,  
3 whoever does it, say there is no water problem because of  
4 this, this, and that. They should be documented. This is  
5 the document on which we can make decisions, and there is  
6 somebody's name on it. If he's an expert, he has the  
7 weight and the responsibility. They will do the same  
8 thing for the water hammer and thermal shock.

9 If you have to address this problems years  
10 from now, someone may be dead, some of them may be gone in  
11 Europe or whatever. There is still a document that says  
12 how we arrived that this decision.

13 I think one great contribution ACRS can do is  
14 to really put the emphasis that every decision is  
15 documented and there is a reason on which you make and  
16 remake a decision.

17 Another item of concern is really the codes.  
18 I am not sure that either TRAC or RELAP are viable tools,  
19 will be very useful to us for this problem. One of them  
20 is that we have the problem, which our codes were  
21 historically poor was condensation and certification and  
22 labor tracking. These are the phenomena which listening  
23 to Dave and Mario, really this is really the crucial  
24 things. Those are the CEOs of all these PIRT, it's the  
25 condensation and certification.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1           So the question is, and I think this goes to  
2 RES, if down the road you can see that we can not afford  
3 to use this code effectively, what alternative solution do  
4 you have? I think it's better to start thinking how we  
5 can address these problems. If we have to do something  
6 else, what that else should be. These should be addressed  
7 early enough so that we can gain some time.

8           I would then think and assess other  
9 alternative tools, how we can address this problem. We  
10 can maybe use discords for something and maybe use  
11 something else.

12           But if this is addressed early enough in time,  
13 we should have enough time to resolve them before the  
14 certification date.

15           My other recommendation I would make in  
16 connection is with reporting the compilation of core  
17 calculations, the experimental data. I would recommend  
18 that these reports get a section called "Lessons Learned."  
19 I think there's lessons to us from each calculation.

20           They should address several items. One, what  
21 is the physics. What did you learn from the physics, in  
22 physics from this run. What did we learn of code  
23 capabilities, to model the important phenomena. If this  
24 was identified with PIRT. Three, identify code  
25 efficiency, deficiency.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1           If you list them, and then not only list them,  
2 but what are the implications of these deficiencies to the  
3 safety issue. I mean throughout the calculations. Some  
4 of these deficiencies may be zilch. No sense spending  
5 money on them.

6           But there should be somebody's name on it.  
7 You see, he made this recommendation. This is not  
8 important. Then, RES can make a decision, we are not  
9 going to put one in it.

10           Or if it's important, then there is a  
11 documentation that says, yes, this was important, but RES  
12 didn't support the funding. See there should be a paper  
13 trace on the responsibilities, and identify what are the  
14 problems. I would say that this third item is code  
15 deficiencies and evaluation importance, reactor safety.

16           Then the last item would be what  
17 recommendations are you making. If you want to make  
18 improvement, what this improvement is and how are you  
19 going to deal with it?

20           And now, I would like to make a final comment.  
21 I am not making this as a consultant to the ACRS.

22           I'm making this comment as a technical man who  
23 is very much interested in this technology, and I'm making  
24 it because, as an old man, I can always be done away by a  
25 jealous husband.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 (Laughter.)

2 CHAIRMAN CATTON: You sound like that fellow  
3 who, at the last awards, did the one hand push-ups.

4 DR. ZUBER: Yes. Well, whatever I can. I  
5 could make a comment, but this is on the record, so I  
6 won't go on -- really, I want to go on the record with  
7 this statement. As I said, not as a consultant, but as a  
8 technical man.

9 I would like, really like to compliment the  
10 ACS committee. I don't that the change in RES and the  
11 quality of the technical work which you have heard, which  
12 have been into effect today, and really, it was a great  
13 success for RES, and had it not been for the activities of  
14 the ACRS Committee, the turnaround is really, was due to  
15 your insistence and willingness to maintain high technical  
16 standards.

17 Otherwise, you see, Wolfgang and I, and  
18 Virgil, and the rest, we are like dogs. We can really  
19 bark, but we cannot bite. We're really -- You can -- you  
20 can -- well, that's -- no way to -- I am coming to that.  
21 You can write a letter through the Commission. You have  
22 the bite.

23 No, we have also the bite. If I'm so unhappy  
24 and frustrated, I can go to a technical journal, and put  
25 it in writing, and in public, and then see how the things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 unfolds, but hopefully this will never occur. So, you  
2 have the bite for it.

3 And actually, the turn-around is essentially  
4 due to --

5 MEMBER KRESS: Actually, Novak, we just bark  
6 louder.

7 DR. ZUBER: Well, whatever it is. Let me say  
8 why I'm saying this. The debt of this technology would be  
9 really the technical work which is presented and done by  
10 this Agency and industry, becomes the butt end of jokes in  
11 the technology, or ridiculed by the public.

12 If the work is so back that any housewife can  
13 see how the hell they made such a stupid mistake, this'll  
14 be the end of it. And I think we cannot afford it. So,  
15 it is essentially, really, to maintain.

16 And I look at your activity of the Committee.  
17 You are the last and only independent barrier to maintain  
18 technical quality. Like working in the industry, I work  
19 in government. Each one has a cultural -- culture which  
20 propagate, each one under different pressures, in making  
21 judgment, a decision.

22 The only one which I think is independent is  
23 your Committee. And I think it is up to you really to  
24 maintain high technical -- not maintain, but demand high  
25 technical standards from NRC staff, researchers, NRR, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 from the vendors. I heard over the years work by some  
2 vendors which were really -- would not be accepted even by  
3 -- when I was at UCLA as a senior student, I think that's  
4 a disservice to this technology. And I'm sometimes  
5 surprised that they're not already -- at these -- ACLS  
6 meetings.

7           There should be some standards which are not  
8 acceptable to this technology. And I think it's up to you  
9 to maintain it. I think all of us should recognize and  
10 support, and promote good technical work. And by the same  
11 token, we should never be afraid -- to identify and  
12 discuss technical garbage. And I think we should continue  
13 to do that.

14           And now, as I said, I made my comments on all  
15 aspects I wanted to take, to discuss, and I'm ready to  
16 face any jealous husband. (Laughter.)

17           CHAIRMAN CATTON: Thank you, Novak. Your  
18 turn, Wolfgang.

19           DR. WULFF: It is a question of how to follow that.

20           CHAIRMAN CATTON: I don't know what you're  
21 going to say.

22           DR. WULFF: I have checked off from my list  
23 here the things that Novak mentioned, though I don't want  
24 to repeat them, I do want to say, however, that there is a  
25 general improvement in the -- the presentations. That I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 agree with Novak very strongly that we have made  
2 improvement -- with the presentations of last year.

3 The theme of this two day meeting was PIRT,  
4 and Novak said most of them needs be said, I am concerned  
5 that Los Alamos has no intention to confirm, as I had  
6 hoped -- I am however happy that INEL planned to confirm  
7 that PIRT -- which is now subjective, and to make it more  
8 objective, as it is.

9 As far as ROSA, I am concerned that NRC's  
10 presentation claimed that the scaling was accepted by the  
11 consultants. I did not see that from their -- comments.  
12 And perhaps the consultants didn't see our comments on  
13 ROSA scaling. All the experts saw is some report that we  
14 did not see. So that there is some very strong  
15 discrepancy of our findings on ROSA scaling.

16 It may not be that. I'm not saying one way or  
17 the other. But we didn't see a scaling analysis yet. And  
18 that was still one of the open items that NRC should close  
19 in one way or another.

20 The same is true for SPES. We never saw any  
21 scaling. We don't know what the distortions in that  
22 facility is. I am -- on the one hand concerned about the  
23 long time during which the OSU scaling from Jose was  
24 isolated, and had no impact on the PIRT development in  
25 either INEL or at Los Alamos.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 I was very happy to hear here that it is not  
2 proprietary, except for -- he mentions in trade -- trade  
3 related information. But that the intellectual content of  
4 that report is available. And this is what we were told  
5 yesterday. And I am very happy, and I urge that people  
6 read this although I think we need to look at the system  
7 wide momentum balance, and its scaling.

8 And particularly where we deal with the  
9 interactions and possible oscillation. Not oscillation.  
10 That should come from that global momentum balance.

11 The data need to be reduced that David  
12 presented, in terms non-dimensional groups. We need to be  
13 aware of what the reference time that scales times is for  
14 every phase. I don't think that awareness is present yet.  
15 And before I go on, I would like to say to OSU, that  
16 scaling report is the best thing I have seen in scaling.

17 DR. ZUBER: Since Hochreiter was not here  
18 yesterday, I made the same comment. There may be items we  
19 disagree, but I said, you should be complimented for that  
20 work.

21 DR. WULFF: Then moving on, my question that  
22 was stimulated by the very systematic elimination of what  
23 we might call red herrings that I related to the test  
24 facility, but have nothing to do with the nuclear power  
25 plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 I think that was very systematic, convincing,  
2 and traceable. But the reverse has not been answered yet,  
3 and needs to be answered. And I think that should be one  
4 of the action items we have. That is, which phenomena are  
5 we going to miss in our experiments, in all three  
6 facilities, that might occur in the nuclear power plant?

7 MEMBER KRESS: Wolfgang, I've tried to answer  
8 that question in the past, and haven't seen any real  
9 technical way to do that. Do you have any suggestions on  
10 that? I think the only way to do it is by expert opinion,  
11 frankly.

12 DR. WULFF: I believe that is part of it. On  
13 the other hand, if we have recognized non-dimensional  
14 space that is covered by the power plant. And the one  
15 that is covered by our three test facilities. And we see  
16 that there is a domain that in -- in the test -- in the  
17 NPP nuclear power plant that is not covered by any of  
18 these tests. Then we have a very worrisome thing.

19 And I think that's the second part of it. If  
20 experts like Peter Griffith, and -- and Sancho Banerjee,  
21 and so on, agree that we have covered, I think it has to  
22 be the right experts. It should not be code developers  
23 who --

24 MEMBER KRESS: It has to be real thermal  
25 hydraulics people --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 DR. WULFF: Okay.

2 MEMBER KRESS: That have had a lot of  
3 experience.

4 DR. WULFF: Yes. So, water hammer is -- was  
5 covered by Novak. My big concern is about the codes. And  
6 I would like to supplement what Novak said, by saying,  
7 when you impose on the user to make technical decisions  
8 that, maybe it's my personal opinion, should have been the  
9 code developer, then you have to give clear and unique  
10 instructions, such that two different non-developers come  
11 up with the same answer.

12 If you don't have the instructions to achieve  
13 that, then the documentation is not right. And the code  
14 is subject to a wide variety of uncertainty. And -- and  
15 to ask the user to choose between Wallace or Kutataladze,  
16 these choices should be -- if they have to be made, they  
17 have to be very clearly written down. And I think to the  
18 upper tie plate, Kutataladze doesn't belong.

19 MEMBER SEALE: Wolfgang, wouldn't that choice,  
20 though, have to be couched in terms that the technical  
21 expert, the thermal hydraulicist, in this sense, rather  
22 than the code developer could best set forth for the user  
23 to make his decision with, you know?

24 What I'm saying is that the check sheet, or  
25 the instruction sheet that would tell you -- that the user

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 could use to decide which road he was going to take, is  
2 not really a code developer's worksheet. It's really more  
3 a --

4 CHAIRMAN CATTON: That's true.

5 MEMBER SEALE: -- a technical worksheet. And  
6 if that's the case, then it's not clear that the code  
7 developer couldn't have gotten an adequate set of  
8 instructions in the first place that would have allowed  
9 that decision to be embedded within the code.

10 CHAIRMAN CATTON: Yes. But there are  
11 different circumstances that you are going to use the  
12 code.

13 DR. WULFF: Well, my contention is that if you  
14 have a reactor, it has tie plates, and you should have a  
15 tie plate model, and not call it one of the general  
16 junctions. Junctions with which you could, in principle,  
17 in these codes with their flexibility, connect an interior  
18 node of the core with a turbine, which is -- makes no  
19 sense. But it is there.

20 That capability is there. And because of that  
21 flexibility, there is a tremendous burden on preparing  
22 decks. And there has to be information generated that  
23 could be totally automated for internal nodes. You have  
24 to specify for two identical nodes how they connect. We  
25 know exactly what they ought to be. And you ought to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 deal with the core, rather than with all the elements in  
2 the core.

3 So, but that is an aside. My contention is  
4 that there ought to be an element for a lower tie plate,  
5 and for an upper tie plate, and that you insert. And at  
6 that time, it's up to the code developer to determine what  
7 kind of counter current flow limitation ought to be in  
8 there.

9 Then I had -- this is my final concern,  
10 problems with using experiments for ranking. I think the  
11 justification that we heard here is subjective. That  
12 there ought to be somewhere a documentation of how a  
13 result is used. If you have pathon recognize, you  
14 recognize phenomena. That I can tell.

15 But whether they are important, important to  
16 the inventory of the core, or vessel, how that connection  
17 is made has to be written down. And the words we heard  
18 were not convincing, is my conclusion.

19 CHAIRMAN CATTON: Thank you. -- what's left.

20 MR. SCHROCK: There's hardly anything left,  
21 but I'll try to add a little bit. As I see it, it was  
22 predominantly a good news meeting. And to a lesser  
23 extent, some bad news, too, that I -- I think needs to be  
24 commented on.

25 In terms of the PIRT, and that effort, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 idea that was explained at the outset of the meeting, that  
2 research has a systematic approach to experiment and  
3 analysis. And are going to convince us of that.

4 There was an invitation at the outset about  
5 forming a partnership with ACRS. I think it's similar to  
6 words that I heard last summer about a new era of greater  
7 openness and cooperation. And I think in many ways that  
8 has occurred. There are some significant ways in which  
9 that has not occurred. And I'll -- I'll come back to that  
10 one.

11 The use of the experts in the PIRT activity  
12 looks excellent. I think that the communication of the  
13 information that's being developed there to this committee  
14 should be improved. That is, the little report that we  
15 got, and the mailings that had been developed at INEL is  
16 very sketchy, and it leaves out important details about  
17 who has said what on hard technical issues. And I think  
18 that's an important part of the information that relates  
19 to the documentation, suggestions that both Novak and  
20 Wolfgang have made already.

21 And I -- I thoroughly endorse that idea. We  
22 need to have a lot more attention paid to having good  
23 documentation of all of the aspects of this program that  
24 have already been touched on by the two previous  
25 consultants.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1           The PIRT from -- from Los Alamos on the TRAC,  
2 or for use of the TRAC code for the large break, probably  
3 is not of terribly great concern. But I -- I would say  
4 this, that while the participants in that are all good  
5 people, there is a -- a very strong code developer's  
6 mentality bias within that group. And I think they would  
7 have done very much better to have gotten a few  
8 consultants in, that didn't need a large number, but they  
9 should have gotten a few additional people from outside  
10 that would have brought a different perspective to it.

11           On the RELAP5 development, I was very  
12 disappointed, and this is what I was referring to by the  
13 negative aspects. And it takes two forms. I think one is  
14 that the subcommittee put a lot of efforts into reviewing  
15 the documentation of -- of RELAP5, I guess nearly two  
16 years ago. I don't remember the exact time of it, but  
17 it's quite a long time ago.

18           We have not had good feedback. Feedback has  
19 been almost non-existent. Now, what we heard today is  
20 that there is a kind of crash program which is getting  
21 some things into the code so it can be used.

22           In the certification program, some of the  
23 things I think need to be commented on. The code  
24 development has proceeded without interaction with the  
25 ACRS, as far as I know. I haven't attended all of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 meetings. But I think I've gotten minutes of all the  
2 meetings, and I do not think that there has been a  
3 suitable level of feedback of the activity at INEL on code  
4 developments in support of use of this code in AP600.

5 The review of code documentation -- models and  
6 correlations provided by this committee appears not to  
7 have been considered. I think from what we heard this  
8 afternoon, this is hard to see that it could have been  
9 considered.

10 Documentation of the new models, and  
11 assessment of the new models is lacking. That is, the  
12 documentation part of it, particularly. The assessment is  
13 proceeding without peer review, as far as I can tell. It  
14 seemed to me that there is need for some peer review on  
15 the models that are being modified in the code, prior to  
16 the expenditure of the resources to go through the  
17 assessment activity.

18 The stratification model, that there was quite  
19 a bit of time devoted to, I think is a misnomer. It looks  
20 to me like it's a level tracking scheme. But there are  
21 ways in which stratification needs to be modeled. And we  
22 have talked about that in earlier meetings. I don't think  
23 that we're getting to a satisfactory place on that one, on  
24 the route that we're taking here.

25 I would like to go back to the positive side,

**NEAL F. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 and say I was really very positively impressed with the  
2 work, that shows a lot of originality, a lot of careful  
3 thought, and open mindedness, in getting at the  
4 interpretation of all of the physics of what's happening  
5 in the system as revealed by the test data that are in  
6 hand so far.

7 So, that's all I have.

8 CHAIRMAN CATTON: Thank you, Virgil.

9 MR. SCHROCK: I have one --

10 CHAIRMAN CATTON: I'd like you guys to -- yes.  
11 One minute. I want you to write something down for me,  
12 too. And again, if you could leave it before the  
13 conclusion of the meeting Thursday. Now?

14 DR. WULFF: I overlooked one of the items. I  
15 would suggest that before new models are implemented in  
16 the code, that they would be peer reviewed somewhere. The  
17 reason for my saying that, is that with the thermal  
18 stratification, the first attempt was made to change the  
19 numerics.

20 But it was not really a well thought out step.  
21 We heard first that the volume was sub-divided, and we had  
22 an interface. And then we got a sharp rise in the  
23 temperature rise of these core make-up tank.

24 And then, it seems to me a second step is  
25 taken, and now to get in the diffusion. My experience is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 that as soon as you make changes in the code, you spend a  
2 lot of time. So, before you make any change in the code,  
3 you should really have the model thought out, peer  
4 reviewed, accepted, and perhaps tested out in an  
5 analytical, in a closed form solution type form.

6 And then spend all the time to get it working  
7 in the code. Because that usually takes about three times  
8 as much time than to develop the model right. And -- and  
9 I think we have to change the philosophy, or the mindset  
10 in going into the code, changing the numerics, then making  
11 anothe change in the -- change it first, make the change  
12 on paper and pencil before you get into the code.

13 CHAIRMAN CATTON: Well, in that regard,  
14 Wolfgang, I notice they have a code development and  
15 assessment sub-group, made up of their thermal hydraulic  
16 consultants, and it seems to me that it would be in order  
17 that they bless the model before the code development, the  
18 actual coding begins. I see some nods over here, yes.

19 DR. ZUBER: No. You see, the point is --

20 CHAIRMAN CATTON: I'll give you a chance in  
21 just a minute.

22 DR. ZUBER: I'm looking at this list and --  
23 well, okay. You see, I think you want a developer for --  
24 TRAC and one from RELAPS, that's fine. But I wouldn't put  
25 also some thermal hydrologists.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 CHAIRMAN CATTON: People who have done  
2 modeling.

3 DR. ZUBER: Modeling, right. People who are  
4 really familiar with modeling, and with the data, from  
5 experimental and modeling side.

6 DR. WULFF: But I think you've -- you've --  
7 Graham Wall had blessed the stratification model before  
8 any attempt, or any money had been spent to change the  
9 code, would have been an advantage.

10 CHAIRMAN CATTON: Oh, I think so, too.

11 DR. ZUBER: See, but I would add maybe one  
12 more or two more, really, thermo hydrologists and  
13 modelists.

14 CHAIRMAN CATTON: Yes. I made a note on that.  
15 When I looked down the list of names, the person who has  
16 done thermal stratification kinds of problems in the past  
17 is Banerjee.

18 DR. WULFF: Yes.

19 CHAIRMAN CATTON: When I was editor of JHT,  
20 his paper came through. So, he's done that kind of thing.  
21 It might be very helpful.

22 DR. WULFF: If we are looking at the list, I  
23 think the people who code documentation review are to be  
24 revisited.

25 CHAIRMAN CATTON: The suggestion has been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 made. DR.WULFF: Okay.

2 CHAIRMAN CATTON: What I'd like to do, if  
3 Farouk, would you like to make some comments?

4 MR. ELTAWILA: I'll start with the last  
5 comment about before we implement model in the code, that  
6 we should peer review them. And that's exactly what we  
7 intend to use this thermal hydraulic subcommittee model  
8 development, assessment subcommittee for that purpose.

9 And as a matter of fact, the ACRS, in my  
10 previous life in the -- made the same recommendation. We  
11 have implented that recommendation, and it's being -- it's  
12 delayed the development a little bit. But at least, when  
13 we know, when we put a model in the code, it's robust.  
14 It's endorsed by other experts in the field, and we have  
15 no problem with it.

16 So, I think that's a good idea, and we will  
17 follow it up here.

18 CHAIRMAN CATTON: You need to be sure, then,  
19 the subcommittee that gets the assignment, that it has the  
20 proper balance.

21 MR. ELTAWILA: Absolutely. Somebody who did  
22 work in that area in the past, and who understands the  
23 phenomenon, and can shed light about his experience to  
24 have the code development. That's -- it's not going to be  
25 rigid that these people will always be looking at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 model. We will choose from a whole group of consultants,  
2 the best one who can do the job.

3 MR. SCHROCK: Could I -- just while you're at  
4 that point, add just one suggestion. And that is that  
5 when code developers get an idea to take a correlation  
6 that they find in the literature to use in the code, but  
7 they think that they need to make a modification for one  
8 reason or another, why don't they give the professional  
9 courtesy to the author of the correlation, to run that by  
10 him for comment, if nothing more than comment.

11 There are so many things that are ill  
12 conceived in the existing code that are there because of  
13 the ignorance that follows the lack of that professional  
14 courtesy. Now, I think that the NRC should adopt a policy  
15 of insisting that that kind of feedback be obtained from  
16 people whose work is being used.

17 MR. ELTAWILA: Okay. That's very good.

18 CHAIRMAN CATTON: In particular if they're  
19 still living. (Laughter.) That was meant as a nasty  
20 comment, because some of the correlations are pretty old.

21 MR. ELTAWILA: I don't know what possessed me  
22 yesterday to say that there was -- scanning was adequate.  
23 I really, there are statements that you make in life, and  
24 you wonder why you made it. This is one of them.

25 CHAIRMAN CATTON: Okay. (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 MR. ELTAWILA: So, that was not intended.  
2 That was we, definitely having the scanning sub-group.  
3 And one of the meetings is going to be in Santa Barbara.  
4 So, hopefully that you might be able to hop on the plane,  
5 and come and visit. We'll give all the details --

6 CHAIRMAN CATTON: I'd be delighted to do that.  
7 I need to know the dates.

8 MR. ELTAWILA: I will give all the details to  
9 Paul -- in two weeks.

10 CHAIRMAN CATTON: Don't make it right on top  
11 of the full committee meeting.

12 MR. ELTAWILA: As a minimum, it's not going to  
13 be before the July 17th or 18th.

14 I'd like to give you -- so, I know that we --  
15 I promise you that we show a systematic way of looking at  
16 the data, and evaluating it. And we focused only on the  
17 PIRT. And I appreciate that you limited your discussion  
18 to the PIRT.

19 CHAIRMAN CATTON: Sometimes with difficulty.

20 MR. ELTAWILA: But I would like to tell you  
21 about other activities that we are doing right now, so you  
22 can schedule some meetings. As I indicated, we have two  
23 scanning sub-group meetings. One on the bottom up, and  
24 one on the two down. And they are going to be around the  
25 middle of Aril. One might be here, and the other one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 definitely at Santa Barbara.

2 DR. ZUBER: Are they scheduling before the  
3 tax, or after?

4 MR. ELTAWILA: After the tax.

5 CHAIRMAN CATTON: Thanks. That's hopeful.

6 MR. ELTAWILA: The task group on code  
7 development and assessment has not met yet. And we  
8 definitely, tomorrow, as a matter of fact, we are all  
9 meeting tomorrow to discuss all the items that are raised  
10 in this meeting, and we're taking action. And we will  
11 forward what needs -- the action item, and who is in  
12 charge of it -- in response to some of the comments that --  
13 - which in general, they are very favorable comments, or  
14 at least positive comments. And we --

15 So, the INEL will definitely have to go back,  
16 and try to develop, look at the PIRT, and look at the  
17 model in the code in item five, which models are in the  
18 code, which models are not, and provide us we a plan which  
19 we will take to the thermal hydraulic subcommittee --  
20 endorse it. Then we'll come to you, and show it to you  
21 before we go on with the program.

22 We -- having a meeting with INEL on April 6th  
23 unfortunately is the same day that the subcommittee is  
24 having its full meeting. But the purpose of the meeting  
25 is for INEL to show us the one inch hold leg break, a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 comparison between the three different facilities, and the  
2 AP600.

3 The -- facility and the AP600, using the lab  
4 code. It's not vehicle evaluation, like the marine --  
5 (Inaudible.) We have not seen it, and I hope they heard  
6 the comments, that this information should be provided on  
7 non-dimensional form, so we might, tomorrow, as a result  
8 of comments we heard today, we might postpone that  
9 meeting. Let them put this information in one-dimensional  
10 form, so they can present it to us -- we will be able to  
11 present --

12 I understand that there is interesst in the  
13 subcommittee to go and visit the USO facility?

14 CHAIRMAN CATTON: That is correct.

15 MR. ELTAWILA: We would like to accommodate  
16 that. And maybe at that time when we visit the OSU, we'll  
17 present to you this one inch cold leg break, comparison  
18 between the plant analysis, and --

19 CHAIRMAN CATTON: Okay.

20 DR. WULFF: -- we need the test.

21 CHAIRMAN CATTON: -- prior to any testing.

22 MR. ELTAWILA: -- we hope run a test while you  
23 are there. And understand -- (Inaudible.) So, we  
24 appreaciate your comments. And I hope -- I promised  
25 Professor Schrock that we will definitely continue in that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 spirit of cooperation. And you will see the result of  
2 that.

3 CHAIRMAN CATTON: Cooperation doesn't mean you  
4 necessarily have to agree with us.

5 MR. ELTAWILA: Oh, no. That's --

6 CHAIRMAN CATTON: If you don't agree, and you  
7 have good --

8 MR. ELTAWILA: If we have basis, we'll come to  
9 you, and say that's our basis. We disagree with you.

10 CHAIRMAN CATTON: That's right. But it's the  
11 cooperation that's important.

12 MR. HODGES: And I'd like to add, just a  
13 little bit to what Farhouk has said. We appreciate the  
14 feedback we're getting here. And you know, some of it is  
15 words of praise , and those are always welcome. Some of  
16 them are constructive comments, and those are also  
17 welcome.

18 I think a lot of the progress that you've seen  
19 made over the last several months is due to several  
20 factors. One is the fact that we now have data we can  
21 work with. But I think it's also due to the fact -- the  
22 attention that Farhouk has given to it, and I think  
23 DiMarzo and Dave Bessette have made major contributions to  
24 our data analysis. And I think can see some of that's  
25 continued.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1                   You know, I think there's a lot yet to be  
2 done. But due to their efforts, I think we're seeing a  
3 lot happen.

4                   CHAIRMAN CATTON: Thank you. Would either one  
5 of you like to comment?

6                   MEMBER SEALE: I think -- almost everything  
7 has been covered. I guess one thing I would like us to  
8 see Mr. Eltawila's comparison with Paul on the outstanding  
9 issues from the earlier review of RELAB. And I'll add one  
10 other category in on the things to look at, for surprises.

11                   And that is, I think we ought to check check  
12 valves and vacuum breakers. With all this cold water  
13 running around in this system, I'm worried about  
14 surprises, due to shock -- not shock, but pulling a  
15 vacuum, because of condensation, and so on -- (Inaudible.)

16                   -- because the valves -- most that stuff is  
17 there because of operating considerations, not necessarily  
18 safety considerations. We may not be able to get out of  
19 jail, once you get into --

20                   CHAIRMAN CATTON: Tom?

21                   MEMBER KRESS: One other item. I think our  
22 consultants covered everything very well. But at the  
23 start of the meeting, I recall Farhouk raising a flag,  
24 asking us if we could give some input of what might be  
25 mandatory if we had to have budget cuts. And I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 think we touched on that. And the reason is, to answer  
2 that question, you have to answer two -- two other  
3 questions.

4 And that is, how good are the codes already?  
5 And how good do they have to be? And the question of how  
6 good they have to be ties in to establishing their  
7 uncertainty, and what is an acceptable level of  
8 uncertainty.

9 And what we haven't seen yet is how the  
10 information we're getting out of the tests, and the code  
11 assessment and development, will be translated into its  
12 actual uncertainty. What is that process going to be?  
13 And how will you know when you have it good enough?

14 I think I know what the answer is. You have -  
15 - you have a set of tests, matrices for each test  
16 facility. And you'll look where the code doesn't match  
17 very well, and where there are phenomena that are missing,  
18 or phenomena -- you'll fix those in the code, and  
19 eventually the code will give a curve that looks something  
20 like what you see on the tests, for the various sets of  
21 tests.

22 And then we'll say, okay, it looks pretty good  
23 -- sort of an expert opinion -- but somewhere along the  
24 line, one needs to really do a technical assessment of how  
25 good these codes have to be in terms of their uncertainty,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 and how do we -- how do we develop that uncertainty out of  
2 the tests data we have, including the test data that backs  
3 up all the models that are in the code. I think that's  
4 missing.

5 CHAIRMAN CATTON: In part, there's a reg guide  
6 that tells them how to do it.

7 MEMBER KRESS: I know.

8 CHAIRMAN CATTON: I just. (Laughter.) I just  
9 thought I'd add that.

10 I'd like to thank everybody. And I think it's  
11 been a very good meeting. And we'll see you on Thursday  
12 afternoon, I guess, 1:00 o'clock to 3:00, next week.

13 Again, thanks everybody.

14 (Whereupon, the subcommittee meeting was  
15 adjourned at 4:38 p.m.)

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

C E R T I F I C A T E


This is to certify that the attached  
proceedings before the United States Nuclear  
Regulatory Commission in the matter of:

Name of Proceeding: THERMAL HYDRAULIC PHENOMEA  
OPEN SESSION

Docket Number: N/A

Place of Proceeding: ROCKVILLE, MARYLAND

were held as herein appears, and that this is the original  
transcript thereof for the file of the United States Nuclear  
Regulatory Commission taken by me and, thereafter reduced to  
typewriting by me or under the direction of the court  
reporting company, and that the transcript is a true and  
accurate record of the foregoing proceedings.



---

CORBETT RINER  
Official Reporter  
Neal R. Gross and Co., Inc.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005