

# ORIGINAL

## UNITED STATES OF AMERICA NUCLEAR REGULATORY COMMISSION

---

---

In the matter of:

DUKE POWER COMPANY, et al

(Catawba Nuclear Station,  
Units 1 & 2)

Docket No. 50-413 OL  
50-414 OL

---

---

Location: Charlotte, N. C.

Pages: 2232 - 2465

Date: Thursday, May 24, 1984

*Please return original to Jack Whitaker,  
E/M-439 - Distribution: TR 01  
0/1*

### TAYLOR ASSOCIATES

Court Reporters  
525 I Street, N.W. Suite 1006  
Washington, D.C. 20006  
(202) 293-7990

8405310002 840524  
PDR ADOCK 05000413  
T PDR

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
BEFORE THE ATOMIC SAFETY & LICENSING BOARD PANEL

-----  
In the Matter of:

DUKE POWER COMPANY, et al.,  
(Catawba Nuclear Station,  
Units 1 and 2)

Docket No. 50-413-OL  
50-414 OL  
ASLBP No. 81-463-06A OL  
-----

BB&T Center, Fourth Floor  
112 South Tyron Street  
Charlotte, North Carolina

May 24, 1984

Hearing in the above-captioned matter was  
convened, pursuant to adjournment, at 9:00 a.m.

BEFORE:

MORTON B. MARGULIES, Chairman  
Atomic Safety & Licensing Board Panel  
U. S. Nuclear Regulatory Commission  
Washington, D. C. 20555

FRANK F. HOOPER, Member  
Atomic Safety & Licensing Board Panel  
U. S. Nuclear Regulatory Commission  
Washington, D. C. 20555

ROBERT M. LAZO, Member  
Atomic Safety & Licensing Board Panel  
U. S. Nuclear Regulatory Commission  
Washington, D. C. 20555

1 **APPEARANCES:**

2 **On behalf of Applicants, Duke Power Co., et al:**

3 J. MICHAEL MC GARRY, Esq.  
4 MARK S. CALVERT, Esq.  
5 ANNE W. COTTINGHAM, Esq.  
6 Bishop, Liberman, Cook, Purcell & Reynolds  
7 1200 Seventeenth Street, N. W.  
8 Washington, D. C. 20036

9 ALBERT V. CARR, JR., Esq.  
10 RONALD V. SHEARIN, Esq.  
11 Duke Power Company  
12 422 South Church Street  
13 Charlotte, North Carolina 28242

14 **On behalf of the NRC Staff:**

15 HENRY J. MC GURREN, Esq.  
16 GEORGE JOHNSON, Esq.  
17 Office of the Executive Legal Director  
18 U. S. Nuclear Regulatory Commission  
19 Washington, D. C. 20555

20 **On behalf of the Intervenor, Palmetto Alliance:**

21 ROBERT J. GUILD, Esq.  
22 Post Office Box 12097  
23 Charleston, South Carolina

24 **On behalf of Intervenor, Carolina Environmental  
25 Study Group:**

JESSE RILEY  
854 Henley Place  
Charlotte, North Carolina 28207

**On behalf of Federal Emergency Management Agency:**

MICHAEL HIRSCH, Esq.  
Federal Emergency Management Agency  
500 C Street, S. W.  
Washington, D. C. 20412

## C O N T E N T S

		DIRECT	CROSS	REDIRECT	RECROSS	VOIR DIRE	BOARD
1							
2	<b>WITNESSES</b>						
3	J. L. Riley	)	2235		2461	2252	
4	Steven C. Sholly	)	2293				
5	Ray Twery	)					

	<b>EXHIBITS</b>	<b>MARKED</b>	<b>RECEIVED</b>
6			
7			
8			
9			
10			
11	<b>Intervenors' Exhibits:</b>		
12			
13	EP 48, Testimony of Riley & Twery	2248	2308
14	EP 49, Testimony of Sholly	2248	2308
15	*3 copies of exhibits furnished Court Reporter.		
16	EP 50, map**	2295	2295
17	** 1 copy furnished Court Reporter		
18			
19			
20			
21			
22			
23			
24			
25			

(9:00 a.m.)

## P-R-O-C-E-E-D-I-N-G

JUDGE MARGULIES: Please come to order. We will proceed with Interveners prefiled testimony on Contention 11.

MR. GUILD: Thank you, Mr. Chairman. Mr. Chairman, and members of the Board, this morning we have a panel of witnesses on Interveners Emergency Planning Contention 11, with respect to the extension of emergency planning for the City of Charlotte.

I would like to introduce beginning on my left, Mr. Jesse L. Riley, who I am sure you all know. Mr. Ray Twery, whose name has been misspelled on the prefiled testimony. It should be T-w-e-r-y. I apologize, Mr. Twery. And Mr. Steven Sholly.

Mr. Chairman, the witnesses are available to be sworn.

JUDGE MARGULIES: I will swear the witnesses. Will you please stand and raise your right hands. Whereupon,

JESSE L. RILEY,

STEVEN C. SHOLLY,

- and -

RAY TWERY,

were called as witnesses on behalf of the Interveners and, having first been duly sworn, were examined and testified

1 as follows:

2 DIRECT EXAMINATION

3 BY MR. GUILD:

4 Q Gentlemen, do each of you have a copy of your  
5 prefiled testimony before you?

6 A (Witness Riley) Yes.

7 A (Witness Twery) Yes.

8 A (Witness Sholly) Yes.

9 Q Mr. Riley, do you have a document before you  
10 that is entitled, Testimony of Jesse L. Riley, with a date  
11 of April 16, 1984.

12 A (Witness Riley) I do.

13 Q And is that your prefiled testimony prepared  
14 by you for use in this proceeding?

15 A It is.

16 Q Do you adopt that as your testimony?

17 A With certain corrections, yes.

18 Q If I asked you those questions today, would your  
19 answers be as set forth in that testimony, with the corrections  
20 that you will make?

21 A They would be.

22 Q Would you go through and help us with the  
23 corrections, Mr. Riley?

24 A Yes. On page 2, fourth line from the bottom,  
25 instead of the word, 'minimum,' in the middle of the line,

1 it should read, 'minimal.' The following word is, 'and'.  
2 Insert 'the' before 24,000.

3 Q Read the phrase, please, as corrected.

4 A That line would then read: ..treatment would be  
5 minimal and the 24,000 fatalities.

6 Moving up on the same page, about seven lines,  
7 go to the word, 'anticipate.'

8 Q That is at the beginning of the line.

9 A Beginning of the line. It should be, 'anticipates,'  
10 not, 'anticipate.'

11 Q Add an 's.'

12 A Add an 's.'

13 MR. CARR: That is before 19,000?

14 WITNESS RILEY: Before 19,000. In the line  
15 before, there is a blank space at the end of the line.  
16 Insert, 'Table 5.12'

17 BY MR. GUILD: (Continuing)

18 Q Would you read that, please?

19 A Yes. Under these conditions, Table 5.12  
20 anticipates 19,000, et cetera.

21 So you strike, 'I.'

22 A Strike whatever that letter is, yes.

23 Q All right. Is that clear, Mr. Chairman?

24 JUDGE MARGULIES: Yes.

25 BY MR. GUILD: (Continuing)

1 Q All right.

2 A Moving on to page 4, the tenth line from the top,  
3 starting at the line before it, to read the sentence: One  
4 type is postulational, chances are one in two -- it reads,  
5 'with.' Change it to, 'that.'

6 Q The line begins three types of probabilities?

7 A No. The line the correction is in begins with  
8 'postulation.' Chances are one in two that a flipped  
9 coin.

10 Q Strike with, and insert, 'that?'

11 A That is correct. The ninth line from the bottom  
12 of the same page, the first word is, 'these.' The full  
13 sentence reads: It reflects on analysis and an estimate.

14 It should read: It reflects an, a-n analysis.  
15 The following line, you should see: reactor safety study  
16 capitalized.

17 On page 5, the first line reads: Similarly, the  
18 probabilities of Brown's Ferry, insert, 'the' before Brown's.

19 The ninth line down, reads: only 800 years or  
20 so reactor. The word should be, 'operating,' not 'operated'  
21 experienœ.

22 Four lines further down, the line begins: to  
23 time spans are available,; insert, 'no' before indication.  
24 So, that line should conclude: No indication has been  
25 given.



1           Two lines below that, starting after the first  
2 word, reads: Although death by vehicular accident, insert  
3 between, 'death' and 'by', 'of an individual.'

4           Please go to page 9. In the seventh line from  
5 the bottom, beginning with the word, 'instructions,' the  
6 line reads: instructions that they are given. Please  
7 strike, 'they.'

8           Page 10, at the end of the first paragraph,  
9 the line reads: wind speed and direction indicated. Put  
10 a comma in place of a period, and insert: to be given,  
11 period.

12           The seventh line from the bottom begins with  
13 the word, 'involved.' It should read: The All Hazards  
14 rather than, 'An all-hazards,' and of course, all-hazards  
15 should be capitalized.

16           On page 11, the ninth line from the top, reads:  
17 sequences of serious plant accidents result in the. Strike  
18 'in,' which is the second word from the end of the line,  
19 and substitute, 'from.' Go down three lines, the first  
20 word is, 'majority.' majority of radio and television sets  
21 would not. Strike the, 'w' in 'would', and insert a, 'c',  
22 'could not.' And the following line, substitute the word,  
23 'operate' for 'play.'

24           Going on to page 12, line 5. It now reads, 'a  
25 likelihood of effective siren notification. Change the

1 first word, 'a', to 'the,' and change, 'likeliness' to  
2 'likelihood.'

3 Going to the middle of the page, the line starting,  
4 'shelter'. Shelter and tune to the EBS broadcast. Fairly.  
5 Please insert before, 'Fairly,' the word, 'the.'

6 Now go to page 14. And before the first sentence,  
7 insert these words: The simplest approach would be.

8 MR. CARR: That all comes before, 'Facilities'?

9 WITNESS RILEY: That is right. The simplest  
10 approach would be. And then strike, 'Facilities include.'

11 Going down to the third line, the last portion  
12 of which reads: The two systems under. Please strike the  
13 word, 'the,' at the beginning of the sentence. Capitalize  
14 the word, 'Two,' and between, 'Two' and 'systems,' insert  
15 'more sophisticated.'

16 So that it reads: Two more sophisticated systems,  
17 strike, 'under,' and in the next line strike, 'consideration.'  
18 So the sentence would read: Two more sophisticated systems  
19 would be computer actuated.

20 The same line, the final three words, 'Up to a.'  
21 Please strike, 'a' and insert, 'the.'

22 Going down four more lines, the sentence begins:  
23 These messages could be taped or the specific.

24 Change the 'c' in 'could' to 'would.' It would  
25 read: These messages would be taped, and strike the 'the'  
before 'specific.'

1                   In the following line, instructions would be  
2 pre-taped, strike the 'w' and insert a, 'c', to read:  
3 instructions could be pre-taped.

4                   Going down to the fifth line from the bottom of  
5 the same page, the sentence reads: Yes. It would make clear  
6 which subsections should. Please add the word, 'be.'

7                   The following line, the first word is, 'evacuate,'  
8 change it to, 'evacuated.' Add a, 'd.'

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



#2-2-SueT

1 "installed, it is estimated it would cost" strike the  
2 second "it" the one between "estimated" and "would" so  
3 that it reads: "is estimated it would cost."

4 Those are all the corrections.

5 Q All right. Now, Mr. Riley, as corrected do  
6 you adopt this as your testimony for use in this hearing?  
7

8 A Yes.

9 Q Mr. Twery, do you have your prefiled testimony  
10 before you?

11 A (Witness Twery) I do.

12 Q And do you have any corrections to make to that  
13 testimony?  
14

15 A Yes.

16 Q Would you do that, please?

17 A My name is spelled with one "r" instead of  
18 two. The correction is needed in the top of the first  
19 page.  
20

21 The last line of the first page, the word  
22 "form" appears. It should be "from."

23 On the second page is a substantive correction.  
24 Towards the middle of the page, the line which begins,  
25 "receive" a percentage is shown as five percent. It

#2-3-SueT,

should read "twenty point five percent."

2

MR. JOHNSON: Would you repeat that again?

3

WITNESS TWERY: Surely. In the middle of the second page, the line that begins "receive" the percent should be twenty and one half percent instead of five percent.

4

5

6

7

8

MR. JOHNSON: Twenty point five?

9

WITNESS TWERY: Those are the only corrections.

10

BY MR. GUILD: (Continuing)

11

Q Thank you, Mr. Twery. Was this testimony prepared by you or under your supervision for use in this proceeding?

12

13

14

15

A Yes, it was.

16

Q And, as corrected, do you adopt this as your testimony?

17

18

A I do.

19

Q Now, if I asked you these questions today would your answers be as set forth in this document?

20

21

A Yes.

22

23

Q Mr. Sholly, do you have a document before you entitled "Palmetto Alliance and Carolina Environmental Study Group Testimony of Steven C. Sholly on Emergency

24

25

#2-4-SueT

1 Planning Contention Number Eleven?"

2 A (Witness Sholly) Yes, I do.

3 Q Mr. Sholly, members of the Board, this is a  
4 separately bound document dated April 16, 1984.

5 A Yes, sir.

6 Q Was this prepared by you or under your super-  
7 vision for use in this proceeding?

8 A Yes, it was.

9 Q Do you have any corrections to make to your  
10 testimony, Mr. Sholly?

11 A A few. On Page 3, in the answer to Question 5,  
12 second line, it reads "nuclear power reactors is to  
13 provide does savings." "Does" should --

14 Q Slow down one second and let counsel find  
15 this.

16 A Page 3, the second line of the response to  
17 Question 5, the word "does" should be "dose."

18 Q On Page 4, the seventh line of the response  
19 to Question 7, the word "exceeded" should be "exceeding."

20 Q Is that the line beginning "design basis?"

21 A That's correct. On Page 6, the last full  
22 paragraph on that page, the first word of the second  
23  
24  
25

#2-5-SueT,

sentence which is "possible" should be stricken.

2 Q What line is that again, please?

3 A The second line of the last full paragraph  
4 begins "possible offsite doses." The word "possible"  
5 at the beginning of that line should be stricken. It's  
6 rather redundant with possible ending the sentence.  
7

8 On Page 7, at the bottom, the paragraph begin-  
9 ning "Obviously, these accumulated dose levels," the  
10 word "accumulated" should be stricken.

11 On Page 13, the very first line, the word  
12 "hour" should be plural. It should read "roughly four  
13 hours of accident initiation."  
14

15 On Page 16, the second paragraph in response  
16 to Question 18, the reference is the answer to Question  
17 16. That should read "A.17" not "A.16."

18 And on Page 18, the second full paragraph  
19 which begins "This reservation aside" the last sentence  
20 of that paragraph now states, "Another way of stating this  
21 is that there is about one chance in five." That should  
22 be one chance in three. So it should be one chance in  
23 three to one chance in -- and instead of ten that should  
24 be five. So, as corrected, that sentence would read:  
25



#2-6-SueT,  
1

2 "Another way of stating this is that there is about one  
3 chance in three to about one chance in ten of needing  
4 to implement protective actions beyond the present ten  
5 mile ..."

6 MR. CARR: Didn't you change ten to five?

7 WITNESS SHOLLY: Yes. Did I say ten? I  
8 didn't mean to.

9 That's all the corrections.

10 MR. GUILD: Is that last correction clear,  
11 gentlemen?

12 JUDGE MARGULIES: Yes.

13 BY MR. GUILD: (Continuing)

14 Q Mr. Sholly, as corrected, do you adopt this  
15 testimony for use in this proceeding?  
16

17 A I do.

18 Q Gentlemen, I would like to ask you in turn  
19 to briefly summarize your testimony for us, beginning  
20 with you, Mr. Sholly.

21 JUDGE MARGULIES: Before you go into that,  
22 let's get the documents marked.

23 MR. GUILD: Mr. Chairman, the --

24 JUDGE MARGULIES: Are you marking these as  
25

#2-7-SueT,

two separate documents?

2 MR. GUILD: Yes, sir. If we could mark the  
3 first document, that is the prefiled testimony of Messrs.  
4 Riley and Twery as Intervenor Emergency Planning Exhibit  
5 48.

6 MR. CARR: You are marking Riley and Twery  
7 together?

8 MR. GUILD: Yes. And that of Mr. Sholly that  
9 was separately bound, Intervenor's Emergency Planning  
10 Exhibit 49.

11 JUDGE MARGULIES: They will be so marked  
12 for identification with the changes made.

13 (The documents referred to above  
14 were marked Intervenor EP Exhibits  
15 48 and 49 for identification.)

16 INDEXXXX  
17 Are you going to offer them?

18 MR. GUILD: Yes, sir. I will offer them at  
19 this time. We ask that they be received in evidence  
20 subject to examination of the other parties.

21 JUDGE MARGULIES: Is there any objection?

22 MR. MC GARRY: Your Honor, we are going to  
23 conduct voir dire and perhaps move to strike, depending  
24  
25

#2-8-SueT,

1 on the answers. And then we have some substantive  
2 motions to strike the testimony, but it is recognized  
3 that we don't waive our rights in neither regard.

4 MR. JOHNSON: The Staff has some reservations  
5 about Mr. Riley's testimony. On Page 12, the two  
6 sentences that we would move to strike reference the  
7 CESG Survey that was stricken from the testimony of Mr.  
8 Rutledge on May 11th. And additionally we would be  
9 wanting to voir dire on some other items.  
10

11 So, except for those two we have no objection.  
12 If it is appropriate I would now move to strike those  
13 two sentences.  
14

15 JUDGE MARGULIES: Could you tell us where they  
16 are again?

17 MR. JOHNSON: On Page 12, Line 8, starting  
18 with "The CESG survey," that sentence and the following  
19 sentence which ends "EBS broadcast." We so move it be  
20 consistent with the Order of the Board striking the  
21 survey in its conclusions and so forth from the testimony  
22 of Mr. Rutledge. And this is based on that survey.  
23

24 MR. GUILD: Mr. Chairman, we maintain, of  
25 course, that the testimony with Mr. Rutledge and his

#2-9-SueT,

1 survey should be received in evidence. It does seem to  
2 follow, as Mr. Johnson states, that for consistency it  
3 would be appropriate to strike these two sentences. We  
4 don't mean to waive our exceptions to the Board's previous  
5 ruling with respect to the substantive testimony of Mr.  
6 Rutledge.

7  
8 But I think that Mr. Johnson's point is ap-  
9 propriate, given the Board's ruling.

10 JUDGE MARGULIES: These two sentences will be  
11 striken.

12 MR. GUILD: Mr. Chairman, if we may then, we  
13 would offer the prefiled testimony in evidence subject to  
14 the examination to come of the parties and a later motion  
15 to strike if they so choose.

16  
17 JUDGE MARGULIES: Yes.

18 (The documents previously marked  
19 Intervenor's EP Exhibits 48 and 49  
20 for identification are received  
21 in evidence.)

22 BY MR. GUILD: (Continuing)

23  
24 Q Now, gentlemen, in turn, Mr. Sholly, then Mr.  
25 Twery, and Mr. Riley, if you would briefly summarize your

INDEXXXX

#2-10-SueT

testimony --

2 JUDGE MARGULIES: There won't be any need for  
3 that, counsel. We have the testimony. We have all read  
4 the testimony and we will look to the testimony as it  
5 appears in the documents.

6 MR. GUILD: Mr. Chairman, with all due respect  
7 it would be helpful to those in attendance who have not  
8 had the privilege of having prefilings for a brief  
9 summary. And the witnesses are prepared for no more than  
10 a two minute summary of their testimony if the Chairman  
11 would entertain it.

12 We would ask the opportunity to do that.

13 JUDGE MARGULIES: Well, we are faced with  
14 time limits. And I'm going to maintain my ruling.

15 We have the testimony. I'm sure you have  
16 additional copies. If anyone of the spectators want to  
17 read it, they may do so.

18 MR. GUILD: All right, sir. We would -- since  
19 the Applicants have, and the Staff has, indicated their  
20 intention to voir dire the panel, we would either seek  
21 at this time to present examination with respect to the  
22 issue of qualifications or reserve our right to briefly  
23  
24  
25

#2-11-SueT

1 present a redirect voir dire on that subject, whatever  
2 the pleasure of the Chair is.

3 JUDGE MARGULIES: We will go to the voir dire  
4 and the motions. Go ahead, Mr. McGarry.

5 MR. MC GARRY: Thank you, Mr. Chairman.

6 VOIR DIRE EXAMINATION

7 BY MR. MC GARRY:

8 Q Mr. Riley, I will go with you first. This  
9 testimony, as I understand it, is being offered in  
10 support of Contention 11 and stands for the proposition  
11 that the EPZ should be extended out to an area of seventeen  
12 miles; is that correct?  
13

14 A (Witness Riley) I would say that it should be  
15 extended. The form of the contention was determined by  
16 the Kelley hearing Board previously. Our contention had  
17 been that it should be extended into Charlotte.  
18

19 Q And I guess the thrust of the question is,  
20 your testimony supports the proposition just articulated?

21 A That is correct.

22 Q We met on Decembet 12, 1983 when you testified  
23 on the reactor embrittlement issue. Do you recall that?  
24

25 A I do.

INDEXXXXX

#2-12-SueT,

1 Q And, Mr. Riley, to speed up things, I'm  
2 looking at Transcript Page 11,905, and I asked you the  
3 question: Now, the various issues, and I won't belabor  
4 this point, but you have testified I believe you told  
5 me, on seismicity, radiological monitoring, ice condensers,  
6 technical qualifications, suspended solids, need for power,  
7 ATWS, stud bolts, QA, borate scaling, cask drop and health  
8 effects; isn't that correct.  
9

10 And you responded: That is correct, and I will  
11 point out that in my professional work I have dealt with  
12 even more subjects than that.

13 Do you recall that?

14 A I do.

15 Q And the record will reflect that in addition  
16 to this list, you also testified on the issue of reactor  
17 embrittlement; is that correct?  
18

19 A That is correct.

20 Q Now, I continue, on Page 3883 in the McGuire  
21 transcript, I have made reference to, I asked the fol-  
22 lowing -- and let me see if this refreshes your  
23 recollection.  
24

25 Let me ask you if you recollect this statement.

#2-13-SueT

2 MR. GUILD: Excuse me. I object. There is no  
3 need for counsel to read from the transcripts of prior  
4 voir dire in this very proceeding which then reads  
5 from transcripts of voir dire in prior proceedings. I  
6 don't think there is any dispute as to the record in  
7 either this proceeding or that proceeding.

8 If the Board is not going to allow a summary  
9 of testimony in the interest of time, it's certainly no  
10 need to have counsel for the Applicants reading prior  
11 transcripts. We concede the answers to the questions.

12 As in previous voir dire, they speak for them-  
13 selves.

14 MR. MC GARRY: That's fine. I can just sum-  
15 marize that so the Board would have before them precisely  
16 the points.

17 MR. GUILD: Perhaps you could give the Board  
18 the transcripts, as the Board suggested I give the  
19 prefiled testimony to those who don't have it in front  
20 of them, Mr. McGarry.

21 JUDGE MARGULIES: It's not our policy to  
22 direct counsel how to conduct their cases, but if you  
23 can speed it up, counsel, it would be appreciated.  
24  
25



#2-14-Sue

MR. MC GARRY: Yes. I just have one page here,  
Mr. Chairman.

BY MR. MC GARRY: (Continuing)

Q Let me ask if you recollect this statement.  
I found in the McGuire proceedings -- this is you -- that  
I was under fire for claiming too broad a range of exper-  
tise because I testified in several areas. My testimony  
was striken, and one observation by the Chairman of the  
Board was the incredibility of a person having expertise  
in several areas. I tried to be cautious here as possible  
and claim as little as possible.

Then I asked you: Do you recollect that  
statement? And you said: It sounds like me. Do you  
recall that?

You responded: Yes, I do.

Again, are you familiar with that dialogue?

A I'm familiar with that.

Q And, Mr. Riley, I believe the record reflects  
in this case and other cases that you are a chemist and  
you have forty-five years of experience in the field of  
chemistry.

A I would like to correct that. I am a chemist

#2-15-SueT

1 and a physicist, and I've had the indicated number of  
2 years of experience.

3 And I would like to extend some of my response  
4 to the earlier question. In proceeding course, counsel  
5 who apparently are competent to deal with any area of  
6 inquiry, do so. I do not think counsel have some special  
7 sort of attribute that makes it exclusively their province  
8 to deal with a variety of problems.

9  
10 I feel that in this matter I'm an interested  
11 person. I have been concerned about these nuclear plants  
12 from the day that I first knew they were constructed.

13 And the bottom line is that it becomes quite  
14 apparent that this plant will be licensed. And it will  
15 be operating. And under those circumstances, as simply  
16 an ordinary person with concerns about my life and health,  
17 the life and health of friends and family and others in  
18 this community, I feel that the least insurance we can  
19 get is an adequate emergency plan.

20  
21 I feel I am fully qualified to address that  
22 subject.

23 end #2

24 Jim flws

25

fls Joe

1           Q       Now, with respect to that subject and the other  
2 subjects you testified to, am I correct in summarizing your  
3 involvement as a concerned citizen, who familiarizes himself  
4 with the literature, and draws conclusions on the basis of  
5 that literature, and brings that to the attention of the  
6 Board?

7           A       That is in part true.

8                    On the other hand, as a scientist I have developed  
9 a number of specialties as anybody in that field is likely  
10 to do. And I believe I have attained a satisficatory competence  
11 in many areas and that there is a reasonable chance that I  
12 have attained a comparable level of competence in the concerns  
13 for these proceedings.

14          Q       Do you claim to have experience in emergency  
15 planning?

16          A       I do not.

17                    On the other hand, as a survivor, at my present age,  
18 I have had experiences in avoiding causes of injury.

19          Q       Are you a health physicist?

20          A       I am not.

21          Q       Are you a medical doctor?

22          A       Certainly not.

23                    On the other hand, I am conversant with the  
24 literature of health physics, health consequences, as argued;  
25 and I could if called to do so ask other health physicists or

1 a doctor -- I am qualified to ask these questions.

2 Q And Mr. Riley, just for example, you make reference  
3 to a 19,000 fatality figure.

4 A That is correct.

5 Q Have you performed the analysis which gives rise  
6 to that number?

7 A I have examined in this proceeding Dr. Jacque  
8 Reed (phonetic) of the NRC Staff -- and he did perform that  
9 analysis. I have ascertained the details.

10 Q But in answer to my question, have you performed  
11 that analysis?

12 A I have not performed that analysis.

13 Q Are you a demographer?

14 A In a professional sense, I am not.

15 On the other hand, I am conversant as I have become  
16 acquainted with the materials and substance of demography,  
17 not only in this context but certainly in this context; yes,  
18 I've learned much about demography.

19 Q Are you a meteorologist?

20 A Similarly, I have briefed myself on this question.  
21 I have sailed over a number of years. I am familiar with  
22 weather patterns.

23 As a matter of fact, as long ago as in my twenties,  
24 I sailed the Atlantic from New York to Puerto Rico.

25 So I am quite weather-interested. And though I am

1 a professional meteorologist, I certainly have a high level  
2 of understanding of this area.

3 I have also visited the LAA (phonetic) and they  
4 were doing a research project on inversions in this area,  
5 which was part of the background in our case in this area.

6 Q And Mr. Twery is to your left?

7 A Yes.

8 Q He's a statistician. Are you a statistician in the  
9 sense that Mr. Twery is a statistician.

10 A Not in the sense that Dr. Twery is.

11 But in the sense that anybody practicing a physical  
12 science contemporaneously has to have a working functional  
13 knowledge of statistics.

14 And in response to this, some 25 years ago I was  
15 invited by the instructor in the Cellonese course in  
16 statistics to take some instruction.

17 Q Have you performed probabilistic risk assessments  
18 for Catawba or for any nuclear power plant?

19 A I have not.

20 Q Are you a behavioral scientist?

21 A In a professional sense, I certainly am not.

22 On the other hand, the question of psychology is  
23 of considerable interest to me. And so I have a double  
24 science major and a minor in math, I took courses in psycho-  
25 logy.

1 Q Do you have any first-hand experience in how  
2 people are going to react in an emergency situation?

3 A Would you define what you mean by first-hand  
4 experience?

5 Q By way of background, you've been here at these  
6 hearings for the last 11 years; and you've heard Mr. Pugh  
7 (phonetic) and Mr. Broome, for example, testify about their  
8 experience in emergency responses, being on the scene, and  
9 being able to give expert testimony on how people are going  
10 to respond in an emergency.

11 Do you have similar expertise?

12 A No.

13 But I do have the observation --

14 COURT REPORTER: Dr. Riley, would you speak up,  
15 please, sir? I have trouble hearing when your voice is  
16 directed to the back of the room.

17 WITNESS RILEY: There's a new set of theories  
18 involved. The threat at this time doesn't give any  
19 olifactory signal, it doesn't give any visual signals and it  
20 doesn't give any auditory signals.

21 In terms of this threat I would expect the reaction  
22 of people to be different than it would be to a fire, which  
23 generates smoke which is visible and can be smelled.

24 BY MR. MC GARRY:

25 Q And the basis for your statement is your personal

1 opinion? Is that correct?

2 A I would say based on my years of experience, I  
3 would come to that conclusion; yes.

4 Q Are you an expert in evacuation time studies or  
5 transportation activities?

6 A No, I am not.

7 Q Are you a siren expert, an acoustical expert?

8 A I have have done some acoustic work. In my work  
9 at Cellonese we are intersted in ultrasonics. And toward  
10 that end acoustical equipment from a major manufacturing  
11 company in the United States and Denmark. And I performed  
12 sound spectra analyses and sound level analyses.

13 Q You heard Dr. Basione (phonetic) testify?

14 A Yes.

15 Q With respect to acoustical capabilities of the  
16 sirens?

17 Do you hold yourself out as possessing similar  
18 expertise?

19 A I would put it this way, Mr. McGarry:

20 If you will read my testimony in this matter you  
21 will find that Dr. Basione's testimony confirmed my allegations  
22 and my prior testimony in the contentions.

23 So, first of all, I do not make a living, as  
24 Dr. Basione does; but I believe that independently I arrived  
25 at the same conclusions as he did.

1 Q Would you answer my question? The question was:  
2 Do you hold yourself out as possessing the same expertise  
3 as Dr. Basione?

4 A I would hold myself out as possessing some reason-  
5 able proportion of the expertise that Dr. Basione has, but  
6 not as much.

7 Q Let me pursue that for a minute.

8 Your experience with acoustics at Cellonese  
9 fascinates me, quite frankly; because Cellonese, based on my  
10 entire examination of you by me, my impression was you worked  
11 on fabrics, polymers and are extremely knowledgeable in that  
12 area.

13 And I am quizzical in trying to grasp how acoustics  
14 enters in to the Cellonese product?

15 A I would be very glad to tell you.

16 Yarns go into making up fabrics --

17 Q Yarns?

18 A Yarns.

19 Fibers go into making up yarns. These fibers are  
20 made by the extrusion of a solution of polymer through small  
21 orifices on the order of 40 microns.

22 Now, one of the besetting problems in fabrics  
23 is streakiness. And one of the question is, why are fabrics  
24 streaky; why do certain yarns dye differently than their  
25 neighbors do, or even undyed appear differently. The reason



1 happens to be an optical one.

2           Though the linear density of two yards may be  
3 similar, the configurations across them and tones are  
4 different. Now, since these are all nominally spun from  
5 circular jet holes, why are they different?

6           Well, it turns out there is a turbulence effect  
7 that occurs in these small orifices; and depending on whether  
8 there are small deposits inside this oriface which act as  
9 damping devices for the turbulent flow, one gets different  
10 levels of turbulence in different jet holes resulting in  
11 different configurations in the skin and filaments formed,  
12 resulting in the fabric complaints that we receive.

13           Is that clear?

14           Q       It is.

15           JUDGE MARGULIES: How does that go to acoustics,  
16 Mr. Riley?

17           WITNESS RILEY: The turbulence reveals itself  
18 by ultrasound, and by using appropriate sound equipment one  
19 analyzes the spectra and compare it to jets and so forth.

20           BY MR. MC GARRY:

21           Q       Do you personally -- let me strike that question.  
22                    Is it Dr. Twery?

23           A       (Witness Twery) No, sir.

24           MR. GUILD: Mr. Chairman, if I may -- if that  
25 concludes the voir dire of Mr. Riley, I would like an

1 opportunity to respond with some redirect questions. Perhaps  
2 it would be more convenient to do it at this point before you  
3 move to another witness.

4 MR. JOHNSON: Excuse me, Mr. Chairman, I would  
5 just like to make a few points about Mr. Riley; I think it  
6 would probably be better if I do it at this point?

7 JUDGE MARGULIES: Yes, please do.

8 MR. JOHNSON: Mr. McGarry really covered the two  
9 areas that I was going to focus in on. They are with respect  
10 to the answer to Question 11 on page 9 of the prefiled  
11 testimony of Mr. Riley.

12 Mr. Riley answer the question: Are there  
13 obstacles to effective planning in this region? -- by saying,  
14 There is a prospect of high traffic density and  
15 possible panic.

16 BY MR. JOHNSON:

17 Q You are not a traffic engineer, are you?

18 A (Witness Riley) I do drive an automobile, and I've  
19 been driving in Charlotte for the last 22 or 23 years; and  
20 I've had my problems just in ordinary traffic conditions.

21 From what we understand there will be much higher  
22 traffic density after the emergency broadcast system says  
23 there's been an accident at the Catawba plant.

24 Q And generally in regard to the reactions of the  
25 public, you are not a social psychologist; are you?

1           A        I am not a social psychologist, but, on the other  
2 hand, I think it's part of human experience to have adult  
3 emotional upheavals oneself in traffic situations; you know  
4 how you react, and you know how they react. I don't think  
5 one has to be a social psychologist to realize that people  
6 will be very concerned if they were told that there was a  
7 highly nuclear cloud approaching them.

8           MR. JOHNSON: That concludes my voir dire  
9 questioning of Mr. Riley.

10           We would move to strike Answer 11 on the basis  
11 that his views are based on his personal knowledge as a member  
12 of the public and not as an expert in the areas in which he  
13 is testifying.

14           MR. GUILD: Mr. Chairman, I would like to respond  
15 to that; but if I may conduct a brief redirect examination  
16 on voir dire before I respond?

17           JUDGE MARGUOLIES: Yes, if you would do it briefly,  
18 please?

19                   REDIRECT (VOIR DIRE) EXAMINATION

20           BY MR. GUILD:

21           Q        Mr. Riley, have you served as the authorized  
22 representative for Carolina Environmental Study Group in this  
23 and other proceedings before the NRC and its predecessor,  
24 the Atomic Energy Commission?

25           A        (Witness Riley) Yes.

1 Q And I believe your professional qualifications are  
2 in the record of this proceeding, so I won't go over those  
3 again.

4 JUDGE MARGULIES: I don't find them in the  
5 record.

6 MR. GUILD: Well, then, let me briefly summarize  
7 them.

8 They are in the record, Mr. Chairman. Mr. Riley  
9 has testified in this proceeding in the safety phase before  
10 Judge Kelley's panel; and his professional qualifications  
11 -- he's been received as an expert, a qualified expert --  
12 and his professional qualifications are in the record.

13 I apologize they are not before this Board, but  
14 they are in the record. Let me summarize them briefly so  
15 that they'll be before the Board:

16 BY MR. GUILD:

17 Q Mr. Riley, do you hold any degrees from institutions  
18 of higher learning?

19 A (Witness Riley) I have a bachelor of science  
20 from Northwestern University, with honors degrees in chemistry  
21 and physics. I was in junior year phi beta cappa, senior  
22 year, senior psi representative. I have a master of science  
23 degree from the University of Chicago in physical organic  
24 chemistry.

25 Q And what has been your employment?

1           A       My first employment was with Universal Oil  
2 Products Company. My second employment was with Shell Oil  
3 Company. My third employment was with Cellonese Corporation.  
4 I started, I believe, in 1944 and continued until my retire-  
5 ment in 1981.

6           Q       And are you a consultant to Cellonese?

7           A       I am presently a consultant to Cellonese.

8           Q       In what capacity were you last employed?

9           A       The job title was Senior Research Associate,  
10 before that I had been Staff Scientist.

11          Q       And do you have any patents?

12          A       Quite a number, I would say between 16 and 20.

13          Q       In what general area are those patents?

14          A       They are fairly broadspread, most of them, of  
15 course, are relating to the textile business; but some relate  
16 to color television.

17          Q       In your capacity as a representative of a party  
18 in this proceeding and in others, have you familiarized  
19 yourself with studies of emergency planning for accidents  
20 at fixed nuclear facilities?

21          A       I have read the documents in this case. I am  
22 sufficiently concerned about matters of emergency planning  
23 to go before the Mecklenburg County Commission and urge them  
24 to make a determination to be a participant in this proceed-  
25 ing. This was done last September.

1           The response of the County Commissioners, of whom  
2 there are five, was unanimously to adopt a motion to set up  
3 an Emergency Planning Review committee, the so-called  
4 "Blue Ribbon Committee," which was set up last October,  
5 appointed by the Chairman of the County Commission.

6           I have attended every meeting of this committee  
7 and I am listed as a resource person to this particular  
8 body.

9           In these proceedings I have had the opportunity to  
10 examine and study the emergency plans put forth by the State  
11 of North Carolina, York County in South Carolina; by the  
12 State of North Carolina, Mecklenburg County; Gaston County;  
13 I read Duke's plans in regard to Catawba site emergencies.

14           I would say that I am reasonably well-informed  
15 on the matter of emergency planning in this context.

16           Q       Have you read the prefiled testimony in this  
17 proceedings by Applicants and the NRC Staff?

18           A       I did.

19           Q       And you actively attended and listened to the  
20 examination of the witnesses by Applicants and NRC Staff  
21 on cross-examination?

22           A       I have.

23  
24  
25  
ENDT3JRB  
Joe fls

1 Q Have you read the prefiled testimony in this  
2 proceeding by Applicant and NRC Staff?

3 A I did.

4 Q Have you actively attended, listened to the  
5 examination of the witnesses by Applicants and the NRC  
6 Staff on cross examination?

7 A I have.

8 Q Have you conducted such cross examination yourself?

9 A I have.

10 Q You have presented testimony before the Blue  
11 Ribbon Committee that you mentioned?

12 A I have. If there is any point, I have a copy of  
13 some of it with me.

14 Q Who were the other resource persons before that  
15 body? Was there a representative of Applicant's, Duke  
16 Power Company?

17 A Yes. Bill Carter was their representative.

18 Q And did Applicants present testimony before  
19 that body?

20 A They did.

21 Q And are you aware of the decision of that body  
22 to adopt a resolution recommending the proposal presented  
23 by yourself and Carolina Environmental Study Group.

24 MR. MCGARRY: Objection. The question was asked  
25 whether or not Mr. Riley is aware of the results of the

1 Blue Ribbon Committee, and our objection goes to the point  
2 that such decision, or whatever it may be of that Committee,  
3 is irrelevant to this proceeding and is clearly irrelevant.

4 MR. GUILD: It obviously is not. What we  
5 predicted would happen yesterday, the Applicants obvious  
6 failure to recognize minimal parity in the offering of their  
7 supposed experts on these subjects, and the attacks that  
8 they make on the Interveners representatives obviously  
9 were lost on the Applicants. The point that is most germane  
10 to the question that is pending is that this very gentleman  
11 with his years of expertise and scientific disciplines on  
12 the subject of emergency planning presented testimony  
13 alongside the very best that Applicants could present to the  
14 local government study committee that reviewed this very  
15 question, and that local government study committee weighed  
16 the conflicting testimony of Duke's so-called experts and  
17 that of Mr. Riley and others, and adopted a resolution  
18 supporting the proposal of Mr. Riley.

19 Now, that should stand for a whole lot in terms  
20 of his relative qualifications to speak to this Atomic  
21 Safety and Licensing Board on the very same subject.

22 We maintain that 50-47 be the rule that applies  
23 in this case, which says specifically that the configuration  
24 extent of an plume exposure pathway EPZ is determined on  
25 the basis of local emergency response needs and capability.



1                   Now, that is exactly what this gentleman speaks  
2 to. That is exactly what he spoke to when he presented  
3 testimony to the so-called Nurkin Committee, and that is  
4 exactly what their decision reflects, is a decision that  
5 in findings on the basis of such local emergency response  
6 needs and capabilities the present EPZ was inadequate to  
7 protect the citizens of Charlotte.

8                   Mr. Riley is fully prepared, on the basis of  
9 his direct testimony, to stand cross examination on the  
10 merits of his opinion. Any questions that Mr. McGarry can  
11 ask him, that Mr. Johnson can ask him, that this Board  
12 can ask him, but I suggest that the issue of his qualifications  
13 is a red herring if there ever was one, and we should now  
14 get to the merits and let the gentleman speak to the subject.

15                   JUDGE MARGULIES: We have heard enough on the  
16 issue of his qualifications. We are going to sustain the  
17 objection, and rule on the Motion to exclude Mr. Riley from  
18 the proceeding.

19                   MR. MCGARRY: Your Honor, while you are  
20 deliberating, one point. I have not formally moved to  
21 Strike Mr. Riley's testimony. You have anticipated  
22 correctly, I will move, but I would like to finish the Voie  
23 of all the witnesses before I make that Motion.

24                   JUDGE MARGULIES: Judge Lazo indicates that I  
25 had made mention of sustaining the objection. If I

1 said sustain the objection, I misspoke. I was speaking in  
2 terms of ruling on the objection.

3 We seem to have been confusing the ruling. I  
4 sustain your objection to the last question, and that  
5 ruling stands. We are ready to rule on the qualifications  
6 of Mr. Riley to testify in this proceeding.

7 We would prefer to take up the qualifications  
8 of each witness separately, and if you are going to make  
9 a Motion, you may do so.

10 MR. McGARRY: Yes, Your Honor. We will do that  
11 briefly. Based on the answers to the questions that I  
12 asked and the Staff asked, what comes through is that  
13 Mr. Riley is a concerned citizen. He has been concerned  
14 about nuclear power for as long as I have personally been  
15 involved in representing Duke, and that is since 1972.

16 And he has testified on many issues. I maintain  
17 he has testified as a concerned citizen, not as an expert,  
18 and that is the key. It is a hard decision for the board.  
19 You are faced here with a gentleman who is concerned, and  
20 yet we do have rules, and we can look to Rule 702 of the  
21 Federal Rules of Evidence, and it is pretty straightforward,  
22 and one of the requirements of an expert -- we have some  
23 guidance, and that is the Appeal Board decision in McGuire.  
24 And in that case, I am referring to ALAB 669. In that  
25 case, Mr. Riley was not admitted as an expert. Was not

1 permitted to testify.

2 And the reasoning was, what Mr. Riley had done  
3 was he had surveyed the literature, and then he had formulated  
4 opinions and put them on a piece of paper, which served as  
5 his testimony.

6 The test of an expert is: Is that expert bringing  
7 some information that he or she alone possesses to this Board,  
8 to assist this Board as a trier of fact.

9 We submit that this Board is capable of reading  
10 the various documents that Mr. Riley has prepared and drawing  
11 its own conclusions. That is not expert testimony, and that  
12 is precisely the point that the Appeal Board ruled on.

13 I would just like to read from page 475 of the  
14 decision, which was found at 15 NRC 453, 1982. Rather,  
15 as presented in CESG's brief to us, his claimed expertise  
16 on the subjects at issue rest mainly on his asserted ability  
17 to understand and evaluate the matters of a technical nature  
18 due to his background of academic and practical training,  
19 and years of reading AEC and NRC documents.

20 Of all that was presented to the licensing board  
21 then, it cannot be said that Mr. Riley possesses any special  
22 knowledge, skill, experience, training, or education germane  
23 to the matters which his proposed testimony addressed.

24 Now, I think this Board is faced with the same  
25 proposition. One little byplay which was curious, is that

1 Mr. Riley said to me, well, Mr. McGarry -- when I asked  
2 him a question about fatalities -- you are as familiar with  
3 that as I am, and you could be sitting on the stand and I  
4 could ask you those questions, and you could give the  
5 answers.

6 That is probably true. Because I have been  
7 working in this field for some time. But I am not an  
8 expert. And that is the test that this Board has to come  
9 to grips with, so we move to strike his testimony because  
10 Mr. Riley is not competent as an expert to offer this  
11 testimony.

12 JUDGE MARGULIES: Does the Staff wish to be  
13 heard?

14 MR. JOHNSON: We have made our Motion. That  
15 is all I have to say.

16 MR. GUILD: Mr. Chairman --

17 MR. MCGARRY: I am sorry. I asked numerous  
18 questions about his area of expertise, with respect to his  
19 being a scientist, with respect to demography, with respect  
20 to meteorology, and in each one of these instances Mr. Riley  
21 indicated that, no, he wasn't a professional meteorologist,  
22 no, he wasn't a professional demographer, and yet I can tell  
23 the Board the reason that we asked these questions, these  
24 are precise points in his testimony.

25 The Staff pointed out one specific, and that

1 had to do with behavioral science and traffic, but the  
2 entire testimony is rife with those types of opinions that  
3 we are prepared to go through, but we represent to the Board  
4 are contained in the documents.

5 And he just is not competent to give those types  
6 of opinions.

7 MR. GUILD: Mr. Chairman, I would like to be heard  
8 before the Board makes its decision.

9 JUDGE MARGULIES: We have heard enough on the  
10 issue, and we are going to issue our decision. We find that  
11 Mr. Riley is sufficiently qualified to testify in connection  
12 with Contention 11. He has demonstrated by his experience  
13 and by his participation in this proceeding his ability to  
14 testify on the issue involved.

15 As to the Motion to Strike of Staff, we consider  
16 that as part of his overall testimony, and the limitations  
17 that were pointed out in his background will go to the weight  
18 that we are to afford his testimony.

19 You will be permitted to testify, Mr. Riley.

XXINDEX

20 CROSS EXAMINATION

21 BY MR. McGARRY:

22 Q Is it Doctor Twery, or Mr. Twery?

23 A (Witness Twery) Mister.

24 Q I think Mr. Riley said Doctor Twery.

25 A I am all but dissertation, and was sometimes

1 referred to such since I am a university instructor.

2 Q I just want to give you due recognition, Mr.  
3 Twery.

4 A I don't have the union card.

5 Q Referring to your testimony, on page 1 you have  
6 a statement of your professional qualifications. I would  
7 like to inquire as to your work experience. I don't see  
8 that set forth.

9 Have you had prior emergency planning experience?

10 A My experience includes three years working for  
11 Stanford Research Institute, at the Combat Development  
12 Experimentation Center at Fort Ord, Monterey, California.  
13 Stanford Research provided a professional staff to assist  
14 the Army in evaluating new combat systems, new combat  
15 threats, which included the conduct of monitored, highly  
16 instrumented measured battalion-size, and slightly larger  
17 sized exercises, north of Monterey. To the extent that  
18 -- what trained units do in military situations, and when  
19 exposed to simulated nuclear rounds in combat, and to  
20 other threats such as state of the art ground and air  
21 stress, and seeing what units do do from monitoring radio  
22 communication and actual action lines.

23 To that extent, I have experience. As a consultant  
24 to social scientists in an academic-type of environment to  
25 try to study stress, I have some exposure to it. I do not

1 consider myself an expert in such.

2 Q As I understand it, you are being held out as an  
3 expert in the field of statistics, is that correct?

4 A I don't know what I am presumed to be. I am a  
5 concerned citizen who lives in the affected area, who has  
6 been trained in statistics, and has worked for over two  
7 dozen years in trying to apply statistics to the real world.  
8 Most of this time in an industrial-type environment. Most  
9 of this time as a person who has been either trying to  
10 model things statistically, or evaluate how well somebody  
11 else has done it, or to interpret figures from one of the  
12 sciences that statistics are used in.

13 Q You said in an industrial environment. Would  
14 you elaborate?

15 A Certainly. My experience overlaps with Mr.  
16 Riley's at Celanese, where for eleven years I served in  
17 various roles as an applied statistician, operations  
18 research analyst. Doing corporate consulting to the entire  
19 Celanese Corporation, all of the divisions. The models  
20 that we did were some simulation models applied to  
21 industry reaction and industrial models. Some were more  
22 applied science models, such as how will people build  
23 tires, and how will tires perform, to take one very simple  
24 kind of example.

25 I have also done sales forecasting, and also have

1 done interpretation of results from sample surveys, attempting  
2 to do what you would probably consider as market research  
3 type of information of both asking people questions, and  
4 analyzing both other primary and secondary data.  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



#5-1-SueT,

Q I'm sorry.

2 A I could go on, but when I say industrial,  
3 what I'm saying is commercial type decisions such as  
4 Duke's forecasting type problems with the type of  
5 things that I've done quite a bit of work on. Computer  
6 simulation, building models for what is going to happen  
7 to direct earnings as a result of technical restraints  
8 and market forces.  
9

10 Q Let me see if I can shorten this.

11 A Certainly.

12 Q With respect to emergency plan, you made some  
13 reference to your experience working at the Stanford  
14 Research Institute. Is there any other job related  
15 experience that you would submit is germane to the issue  
16 of emergency planning?  
17

18 A My work as a -- while I was at the University  
19 working for the Civil Engineering Department in the  
20 analysis of traffic flow as a statistical consultant  
21 might be considered germane. Some of the consulting  
22 that I've done to social psychologists might be considered  
23 marginal.  
24

25 Q But with respect to your testimony, my

#5-2-SueT 1

2 understanding is you don't get into the issue of traffic  
3 flows or psychological stress; is that correct?

4 A It is implicit with the concern that led me  
5 to wish to testify.

6 Q I appreciate that. But your testimony appears  
7 to be taking certain data points from various treatises  
8 and then walking through a statistical or mathematical  
9 analysis to get a factor that you suggest people in your  
10 particular locale could be exposed to; isn't that  
11 correct?

12 A In general, yes. My reason for concern at  
13 the end is that looking at that factor and then asking  
14 the question, given that it may be higher -- risk might  
15 be higher by a couple of order of magnitudes as a practical  
16 matter compared to the theoretical statements that --  
17 figures that are given in the two studies that I've  
18 looked at, my concern is whether the Sandia statement of  
19 roughly a factor of ten in casualties -- if you would  
20 allow me to use quotes around that -- might -- that  
21 casualties might be affected by more than the factor of  
22 ten in this particular environment. It's a question in  
23 my mind, not as an expert but only as a concerned citizen  
24  
25

#5-3-SueT 1

who is used to living in Charlotte.

2

But I do not purport to be an expert in emergency planning.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Q Now, Mr. Twery, with respect to statistics, again I've got a mind set and I think of you as a statistician, one who is a fascicle in working with numbers. When I say that, in my sense, it's nothing derogatory about that. It was one of the most difficult courses that I had in college, so I appreciate what underlies that experience.

Can you explain to us what really a statistician does?

A A statistician can do anything that is within the realm of statistics. The realm of statistics consists basically of three -- the realm of statistics consists basically of three areas. One is called descriptive statistives; that is, how do you describe the world and how do you summarize the information that you have gathered into a form that is more readily understandable and more easily within one's kin. Secondly, the area of probability which discusses the area of, given a model how do you make estimates of the relative frequency with which

#5-4-SueT 1

2 various outcomes would occur, assuming that the model  
3 is correct. And, thirdly, the general area of inference  
4 which says that, given that I have looked at particular  
5 observations on the world or on an experiment, what  
6 are reasonably consistent models for me to say might  
7 describe the real world.

8 These techniques are put together by statisti-  
9 cians in many ways. Some people work in Washington  
10 just doing surveys which are intended to elicit the  
11 factual information that is required. Some of these  
12 people call themselves statisticians. Some people are  
13 mathematical statisticians and are concerned mostly with  
14 the problems of probability and inference from a theoret-  
15 ical mathematical point of view, or from a robustness  
16 point of view; that is, how sensitive are the mathematical  
17 results to conclusions to the deviations in the model in  
18 the real world.

19  
20 And others -- and I think I will consider  
21 myself in this, in this last type, primarily others are  
22 applied statisticians and try to apply all three types of  
23 areas to particular applied problems. If somebody has a  
24 problem of what to do with numbers or how to get numbers  
25

#5-5-SueT,

2 that will help them to reach a decision, I would certainly  
3 like to discuss things with them.

4 Q And in reaching a decision, a person such as  
5 yourself would put forth in a particular form the data  
6 in the most meaningful form, in the most representative  
7 form, of the real world situation; is that correct?

8 A One of the problems is to present data that  
9 is available in a meaningful form. Another is to discuss  
10 the possible impacts of deviations of the real world,  
11 possible deviations of the real world from the model that  
12 led to the conclusions, the standard statistical models.

13 And the third would be to apply the widest  
14 possible range of statistical knowledge and alternative  
15 techniques in order to get an answer which considering  
16 what the world is really like, what is the answer. We  
17 don't want to use a Philips screwdriver to turn a slotted-  
18 head screw, and that is often what a statistician calls  
19 a Type 3 error of using the wrong tool on the problem.  
20 It's a very common one and it's the type of error that  
21 I, as an applied statistician, am particularly sensitive  
22 to.  
23  
24

25 MR. MC GARRY: Thank you, Mr. Twery. We have

#5-6-SueT<sub>1</sub>

no further questions.

2 JUDGE MARGULIES: If you are ready to make a  
3 motion on his qualifications to testify, you should do  
4 so now.

5 MR. MC GARRY: We have no motion to make. We  
6 would turn to Mr. Sholly unless the Staff has questions.  
7 of Mr. Twery.

8 MR. JOHNSON: The Staff has no voir dire.

9 JUDGE MARGULIES: You may proceed.

10 BY MR. MC GARRY: (Continuing)

11 Q Mr. Sholly, you are next. How are you?

12 A (Witness Sholly) Okay.

13 Q Mr. Sholly, I think you have gotten a flavor  
14 of the type of questions I have been asking. And I'm  
15 sure you have been subjected to them in the past.

16 I want to turn first to your education and your  
17 experience. And, have you successfully completed any  
18 courses in the following subjects , nuclear engineering?

19 A No, sir.

20 Q Thermohydraulics?

21 A No, sir.

22 Q Atmospheric dispersion?

#5-7-SueT,

A Yes, in a meteorology course in college.

Q Was it a one-semester course?

A Yes.

Q What was the nature of the course?

A It was a meteorology course that is taken by earth-science majors primarily and approximately a third of the course dealt with atmospheric dispersion and its relationship to air pollution, and that was the context in which I studied atmospheric dispersion.

Q Radiation dosimetry?

A None.

Q I would like to focus on your work experience if I might. As I piece it together you graduated from college and then taught for two years, and then worked at a discharge facility?

A Waste water treatment plant.

Q Waste water treatment for about two years, and then became active in the Three Mile Island case?

A (Witness nodded in the affirmative.)

Q And after two years there, you moved to Washington and began working in 1981 for the Union of Concerned Scientists?

#5-8-SueT 1

A Yes.

2 Q Before I turn to your work at Three Mile  
3 Island and the Union of Concerned Scientists,, do you  
4 maintain that there is anything relevant in your back-  
5 ground up until Three Mile Island that has a bearing  
6 on your testimony today?  
7

8 A Well, the academic training in earth and space  
9 science includes some areas that are relevant in terms of  
10 atmospheric dispersion, geography in terms of examining  
11 demographic statistics and in some cases how the environ-  
12 ment influences what goes on there, in terms of develop-  
13 ment of traffic patterns and such.  
14

15 Also, my background was strongly general,  
16 mainly oriented at integrating information from various  
17 disciplines into a consistent analysis. And I think  
18 that's perhaps the most relevant part of it for conse-  
19 quent analysis and probabilistic risk assessment where  
20 it would be impossible for any one individual to have  
21 expertise if you are going to do a top to bottom probabil-  
22 istic risk assessment, let's say, starting out with  
23 initiating events progressing through to core damage and  
24 through the environment to consequences, it would be  
25



#5-9-SueT

2 impossible for one person to have expertise in all the  
3 areas required to do the analysis. And as such, the  
4 person who is doing the model would have to rely on  
5 analysis by others and by some others, integrate that  
6 into the consequence analysis and explain how consequences  
7 would vary given different sorts of assumptions.

8 Q Just so the record is clear, you made reference  
9 to demography, meteorology and traffic flow, I believe.  
10 Do you hold yourself out as an expert in any of those  
11 disciplines?

12 A No. I have a working understanding of how they  
13 are interrelated in terms of my background geography in  
14 earth and space science, but I'm not an expert in each  
15 of those individual areas, certainly not.

17 Q You make reference in your testimony to  
18 various studies, the Reactor Safety Study, WASH 1400,  
19 the RSSMAP which we will call the Sequoyah RSSMAP, and  
20 these studies utilize various codes; isn't that correct?

21 A Yes.

22 Q I think you even reference one of the codes,  
23 or several of the codes, in your testimony?  
24

25 A Uh-huh.

#5-10-ST

2           Q       My question to you is, have you personally  
3 used the MARCH Code, the CORAL Code, the CRAC2 Code?  
4 Have you worked with those codes?

5           A       In applying them, in other words, performing  
6 the actual analysis I have not had the opportunity to.  
7 The only one of which I would have used, as a practical  
8 matter, given the opportunity would have been the CRAC  
9 code. My background would not allow me to consequently  
10 run, say, the MARCH code or any of the PRA, thermo-  
11 hydraulics, I would not. I wouldn't even feel comfortable  
12 running those much less whether I'm qualified to or not.

13           Q       Now, with respect to CRAC code, you feel more  
14 familiar with that, but I ask you the question, have you  
15 conducted any analysis?  
16

17           A       No. I think, given the opportunity to, I  
18 think I could competently do such an analysis.

19           Q       You made reference to performing a consequence  
20 analysis and drawing upon analysis performed by others.  
21 And I get the impression it's a massive undertaking.

22                    Have you personally conducted a consequence  
23 analysis?  
24

25           A       No.

#5-11-SueT

2 Q You are familiar -- could we just hold for  
3 a second? Could I have the Board's indulgence?

4 JUDGE MARGULIES: Sure.

5 (Pause.)

6 MR. MC GARRY: Thank you, Your Honor.

7 BY MR. MC GARRY: (Continuing)

8 Q Mr. Sholly, to sum it up, am I correct in my  
9 understanding of what you have done is not dissimilar  
10 from Mr. Riley has done, yet in a different area; that is,  
11 the -- let me characterize what I believe you have done.

12 You are concerned about various nuclear power  
13 issues. You familiarized yourself with those issues by  
14 reading the literature, by pouring over the literature,  
15 and then you draw upon the literature that you've read  
16 and reached various conclusions, some of which are set  
17 forth in this testimony today.

18 A That's in part. I have also been in contact  
19 and mostly simply a peer review meeting in Atlanta on  
20 NUREG 1050, the draft which deals with the status and  
21 use of probabilistic risk assessment at the NRC and I was  
22 a member of the panel on regulatory applications in that  
23 case.  
24  
25

#5-12-SueT

2 Q And what you bring to bear on, say, both of  
3 those contexts would be whatever knowledge you have  
4 accumulated based on your familiarization of the subject  
5 area by reading various treatises?

6 A Largely so, yes.

7 Q As opposed to hands-on performing those analyses,  
8 running those analyses, working with those codes?

9 A Yes. Most of what I have done with the Con-  
10 cerned Scientists anyway is analyzed the results of such  
11 studies to draw out technical policy implications of those  
12 studies and that worked on the basis of what I do in  
13 terms of comments on NRC rules in the area, advising  
14 citizen groups and local governments on emergency plan-  
15 ning. That pretty well describes it.

17 Q And, again, the positions that you take for  
18 UCS or perhaps yourself and your comments to various  
19 citizen groups and jurisdictional groups and your comments  
20 to the NRC regarding various rulemaking or whatever NUREG  
21 documents, all of that is premised upon the knowledge  
22 that you have derived through reading the literature?

24 A Yes.

25 MR. MC GARRY: We have no further questions

#5-13-SueT,

1 for Mr. Sholly. Again, we would move to strike Mr.  
2 Sholly's testimony on the same basis of Mr. Riley.

3 We are all familiar with Mr. Sholly, and he  
4 has got a reputation in the industry that gave rise to  
5 what we refer to as the Sholly Amendments. But, in our  
6 view, Mr. Sholly has taken material, has read material,  
7 has gleaned from that material -- and the Board could  
8 do the same. And, so in our view, pursuant to Rule 702  
9 of the Rules of Evidence and the McGuire decision that  
10 I previously referenced, ALAP 669, we don't believe that  
11 Mr. Sholly possesses the expertise that is required to  
12 permit him to testify in this proceeding.

13  
14 JUDGE MARGULIES: Does the Staff wish to make  
15 inquiry?  
16

17 MR. JOHNSON: Just a second, Your Honor.

18 (Pause.)

19 No, Your Honor.

20 MR. GUILD: Mr. Chairman, I have no questions  
21 of Mr. Sholly, but with response to the Applicant's  
22 motion, I would say that Mr. Sholly's experience in the  
23 area -- it's obvious from his responses and from his visa  
24 attached to his testimony, he has provided testimony on the  
25

#5-14-SueT

1 subject, analysis and testimony on the subject to a  
2 variety of bodies that have been decision-makers on  
3 emergency planning, committees in Congress and licensing  
4 boards of the Nuclear Regulatory Commission, and most  
5 recently in the United Kingdom on the subject of emergency  
6 planning for fixed nuclear facility.  
7

8           The gentleman has studied the issue, and I  
9 think that his approach is directly analogous to the  
10 approach by Applicants, in the sense that Mr. Potter  
11 himself did not perform the analysis, either for example  
12 the Sequoyah RSSMAP but analyzed it, modified it, and  
13 drew conclusions and policy recommendations from it.  
14

15           Similarly, he took Applicant's own McGuire  
16 analysis of what the effectiveness of hydrogen mitigation  
17 at the McGuire facility similar to Catawba was. He  
18 didn't perform that analysis himself; looked at it, and  
19 thought it gave him some basis for supporting a notion of  
20 reducing the likelihood of more severe accident sequences,  
21 consequences, and presented those results to us in the  
22 form of his conclusions.  
23

24           I think it no more denigrates the testimony of  
25 Mr. Potter to suggest his lack of expertise and

#5-15-SueT

2            qualifications or propriety in drawing on that literature  
3            than it does to suggest the impropriety or lack of  
4            qualification of Mr. Sholly to do likewise.

5                            Again, we are troubled that Applicants don't  
6            seem to apply the same standards of expertise to their  
7            own people that they would have apply to those that  
8            criticize the adequacy of their facility and their  
9            emergency planning. We think Mr. Sholly's testimony  
10           is founded on sufficient qualifications to provide  
11           guidance to the Board.

12                           I direct the Board's attention to the pro-  
13           visions of the Rules of Practice, 10 CFR 2733, with  
14           respect to the subject of examination by experts. The  
15           rules do not specifically speak to the question of  
16           qualification of an expert witness. We agree that by  
17           analogy the Federal rules of evidence are appropriate,  
18           although we think that the standard set forth in the  
19           Federal rules, contrary to that characterization by Mr.  
20           McGarry, is consistent with the provisions of 2733.

21                           And there the language is relevant under  
22           Subsection A, is that the individual is qualified by  
23           scientific or technical training or experience to  
24             
25

#5-16-Sueff

2 contribute to the development of an adequate decisional  
3 record in the proceeding.

4 That is in the context of conducting an examina-  
5 tion, but I would submit that that is the same principle  
6 that play under the Federal rules, under the decisional  
7 authority, including the McGuire Appeal Board decision  
8 cited by Applicants with respect to Mr. Riley.

9 JUDGE MARGULIES: The Board is ready to rule.  
10 We find Mr. Sholly qualified to testify on Contention 11.

11 The motion of Applicants is overruled.

12 MR. GUILD: Mr. Chairman, before tendering  
13 the witnesses for cross-examination, I have one exhibit  
14 that I would like to have identified.

15 This is with respect to Mr. Riley's testimony,  
16 Page 13, Question 17. It is with regard to the alterna-  
17 tive proposed alert notification system, and it is a  
18 mockup map of the City of Charlotte. I know Applicants  
19 have seen it before.  
20

21 DIRECT EXAMINATION

22 BY MR. GUILD:

23 Q Mr. Riley, can you identify that as a map  
24 reflecting your testimony?  
25

INDEXXX



#5-17-SueT1

2           A       Yes. This map reflects my testimony. It  
3 shows in detail the system of subsectors with relationship  
4 to the Catawba plant that I propose to have specifically  
5 notified by telephoning system.

6           Q       And does this graphically portray the alert  
7 and notification system that you described at Page 13  
8 in response to Question 17 in your prefiled testimony?  
9

10 end #5

11 Jim flws  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1                   c shows the city limit of Charlotte and it shows  
2 the lines proposed in the Board's writing of Contention 11  
3 of the area subject to litigation.

4           Q       All right.

5                   That's the -- the dark line is Highway 16 and 74?

6           A       That is correct.

7                   MR. GUILD: Mr. Chairman, I would ask that this  
8 map, this document, be identified as Intervenors' Emergency  
9 Planning Exhibit No. 50 and received in evidence.

10                   JUDGE MARGULIES: Is there any objection?

11                   (No response)

12                   JUDGE MARGULIES: It will be so marked and  
13 admitted into evidence.

14                   (The document referred to was  
15 marked Intervenors' Exhibit  
16 EP 50 for identification, and  
17 was received in evidence.)

18                   MR. GUILD: Mr. Chairman, we tender the panel  
19 for cross-examination.

20                   Gentlemen, please answer any questions by the  
21 other parties or by the Members of the Board.

22                   JUDGE MARGULIES: Let's take a -- yes, counsel?

23                   MR. MC GARRY: Your Honor, we have one matter  
24 that we might before you take a break put on the table; it's  
25 a motion to strike various parts of Mr. Riley's testimony.

1 And we will do it very quickly, and then break; it will take  
2 about five minutes?

3 JUDGE MARGULIES: Okay, let's go through it.

4 MR. MC GARRY: Okay, on page 2 --

5 MR. GUILD: Mr. Chairman, we would object.

6 The offered to strike all his testimony, and that  
7 motion was rejected. They don't get a second bite at the  
8 applie. We think it is improper and we would oppose that.

9 MR. MC GARRY: There are different grounds for that.  
10 The first ground was on the basis that he wasn't qualified  
11 as an expert to sponsor. Now in respect to specific sections  
12 we will maintain that it is irrelevant or already has been  
13 ruled-out by the Judge Kelley Board.

14 I would like to direct your attention to page  
15 2 at the bottom --

16 MR. GUILD: Mr. Chairman, it's already been  
17 received. Applicants had the opportunity to do this. They  
18 have an opportunity through cross-examination to establish  
19 a foundation to strike. That's the process we've been  
20 following. If they have a preliminary objection, they should  
21 have made it in a timely fashion.

22 They didn't. And I would object to them proceeding  
23 this way at this time.

24 (The Board conferring.)

25 JUDGE MARGULIES: We will hear the objections.

1 MR. MC GARRY: Thank you, your Honor.

2 On page 2, the bottom of page 2, about the last  
3 eight lines, begins, "The 19,000 fatalities are conditioned  
4 on availability of moderate medical treatment."-- down to the  
5 end of the page; we move to strike that section, in that it  
6 raises a matter, that is, the adequacy of medical treatment,  
7 that was rejected by the Safety Board.

8 And we have made reference to that on previous  
9 occasion; that was in a September 29th, 1982 Decision at  
10 page 5. In addition it is inconsistent with the Commission's  
11 ruling in San Onofre.

12 JUDGE MARGULIES: I think we ruled on a similar  
13 objection yesterday and in which we denied the objection,  
14 in that the matter for medical treatment was brought up in  
15 terms of establishing a number of fatalities rather than  
16 in terms of the adequacy of the medical treatment.

17 MR. MC GARRY: Your Honor, if you read the section  
18 it says, "As there are only 10 radiation beds in Charlotte,  
19 it seems that medical treatment would be minimum and 24,000  
20 fatalities projected" et cetera.

21 It seems to question the adequacy of medical  
22 treatment. And they are able to go from 19,000 to 24,000;  
23 I think implicit in that jump is the adequacy of medical  
24 facilities. And that issue has been ruled-out.

25 JUDGE MARGULIES: I would make the same ruling

1 that we made yesterday and overrule the objection.

2 MR. MC GARRY: The bottom of page 5, Question 8;  
3 all of the answer to 8 we would move to strike as totally  
4 irrelevant to this proceeding; and this record should not be  
5 cluttered with references to Judge McMillan's decision which  
6 was overruled by the Supreme Court nine-to-zero.

7 MR. GUILD: May I be heard at this point, or should  
8 I wait till we go through all this again?

9 JUDGE MARGULIES: Let's hear it as he goes.

10 MR. MC GARRY: Page --

11 JUDGE MARGULIES: No, I want you to respond,  
12 Mr. Guild.

13 MR. GUILD: Mr. Chairman, the observation by  
14 Judge McMillan is of a lot of relevance.

15 Judge McMillan heard considerable evidence with  
16 respect to the issue of probability of accidents, and made  
17 factual findings that rejected Applicants', Duke Power  
18 Company's experts and their position, that you could dismiss  
19 the possibility of serious accident, death, and health effects  
20 as a matter of statistics.

21 While it is accurate to say that his legal decision  
22 declaring the Price-Anderson Act unconstitutional was reversed  
23 on appeal, the factual determinations that he made were not  
24 upset.

25 And it is the factual conclusions by informed

1     Charlotteans -- who happens to be a Federal District Judge --  
2     who weighed all the evidence on this very issue; and it's a  
3     quotation from his opinion that specifically references  
4     core melt at McGuire or Catawba -- it speaks to Catawba --  
5     and we think it's appropos, particularly -- it's not a  
6     matter in contest whether he said it or not; it's a publica-  
7     tion of West Publishing Company; and we think it's approp-  
8     riate to be presented.

9                     (The Board conferring.)

10                    JUDGE MARGULIES: In terms of the question:  
11     "Are there others who share your concerns?", the first  
12     setnence is responsive.

13                    The remainder of that answer is irrelevant to  
14     the question; and it will be stricken.

15                    MR. GUILD: Mr. Chairman, may we ask that this  
16     and any subsequent portions that are stricken be included  
17     in the record as an offer of proof?

18                    JUDGE MARGULIES: The request is granted.

19                    MR. MC GARRY: Turning to page 9, we support  
20     the Staff's motion to strike the answer to Question 11 for  
21     the reasons stated by the Staff.

22                    JUDGE MARGULIES: We previously ruled on that  
23     objection. We will maintain that ruling.

24                    The ruling was that we will permit the testimony  
25     and that the objection goes to the weight based on the

1 witness' qualifications.

2 MR. MC GARRY: Thank you, your Honor.

3 We then would turn to page 11, Answer 16,  
4 beginning with the second sentence, "The primary deficiency",  
5 the third sentence, and part of the fourth sentence up to  
6 the word "notification"; so, beginning with "The primary  
7 deficiency" and ending with "under such conditions there  
8 would be no notification". Then come down two more lines  
9 and we move to strike two words in the sentence that begins  
10 "There would be neither alerting" -- we would move to  
11 strike two words, "neither alerting"; and our basis is  
12 the language they make reference to questions the adequacy  
13 of the sirens to operate, the ability -- that power will be  
14 supplied to sirens.

15 This Board has already ruled that that matter  
16 is improper in this proceeding, and the Safety Board also  
17 ruled that this matter was inappropriate in this proceeding  
18 at transcript page 1089.

19 MR. GUILD: Mr. Chairman, it's a different  
20 context. There was no contention that's been allowed in to  
21 be litigated as to the loss of power to the siren system.

22 It is an obvious problem, though, in the context  
23 of using sirens as a means for notification to the City of  
24 Charlotte. It's a fact.

25 You can't just pretend the facts don't exist

1 because this Board or the NRC has chosen to dismiss conten-  
2 tions that raise troubling issues.

3 We think the fact is relevant, the fact that goes  
4 to the issue of what's appropriate alerting notification  
5 system for southwest Charlotte; that is in contention; and  
6 we believe that it underpins Mr. Riley's proffer of an  
7 alternative means of notification which is his computer  
8 telephone system. It's necessary for foundation.

9 (The Board conferring.)

10 JUDGE MARGULIES: We will deny the motion, but  
11 not consider the testimony as going to the merits as to whether  
12 AC power is or is not effective in operation of the sirens.

13 MR. MC GARRY: Thank you, Judge.

14 The next motion is on page 12, the middle of the  
15 page, being the word on the far right-hand side, "Fairly  
16 general information which would be required" -- all the way to  
17 the end of the page.

18 This language raises a new contention: the  
19 contention set forth in this language is the adequacy of the  
20 EBS message. That's a new contention. It has nothing to  
21 do with Contention 11.

22 And, further, it has nothing to do with any of the  
23 contentions. It's a new matter and should be stricken from  
24 this proceeding.

25 MR. GUILD: Mr. Chairman, the fundamental



1 distinction that gives rise to Contention 11 is that there  
2 are an awful lot more people in southwest Charlotte per  
3 area of land than there are in the EPZ, in excess of 2,000  
4 persons per square mile.

5           The position of the Intervenor is that there  
6 are deficiencies providing a sufficiently precise instruction  
7 to those persons in the densely-populated southwest  
8 Charlotte area as the use of a general EBS message that cannot  
9 be tailored as specifically as the telephone alerting  
10 system proposed by Mr. Riley -- and this goes specifically  
11 to that point.

12           The map that has now been received in evidence  
13 reflects the quadrants that the telephone notification  
14 system would be capable of directing a specific message to.

15           So these are facts. The observation with this  
16 about his opinion as to the inadequacy of the general EBS  
17 message to move persons out of the way of a plume in  
18 southwest Charlotte, or contrary, to order them to stay put  
19 in shelter while others move out of the way of the plume,  
20 have a basis; and should stand as support for his proposed  
21 alternative alert and notification system.

22           MR. JOHNSON: Mr. Margulies?

23           JUDGE MARGULIES: Yes?

24           MR. JOHNSON: Just a comment: even though the  
25 contention 11 raises the issue of what the size and

1 configuration of the EPZ ought to be, we don't believe it  
2 ipso facto raises every single substantive issue in the scope of  
3 Section 5047(b) and all the planning criteria.

4 And to the extent that this raises a substantive  
5 issue or that sort, I don't think it's appropriate.

6 MR. GUILD: Mr. Chairman?

7 JUDGE MARGULIES: Yes?

8 MR. GUILD: By way of response, Applicants'  
9 own pleading that's been received, been noticed, which  
10 identified the long list of specific enhancements that would  
11 be required in order to extend the EPZ, specifically mentions  
12 among many other things the EBS, the public information  
13 and education and the alerting notification system.

14 The contention does speak generally to the ade-  
15 quacy of emergency response; that's the point of having an  
16 EPZ, because it requires a detailed emergency response plan.

17 I think the confines of the substantive issues  
18 are reflected in the prefiled direct testimony. We're limited  
19 to what's before you by way of prefiled testimony. This  
20 certainly is one concrete aspect even the Applicants identify  
21 as would be required if the EPZ were changed.

22 JUDGE MARGULIES: Mr. Johnson's observation is  
23 meritorious. The contention only deals with the extension  
24 of the EPZ into a new area; it doesn't deal with the adequacy  
25 of implementing plan within the EPZ. And we would just treat

1 this as opinion testimony and not deal with it in terms of  
2 treating with the adequacy of the different systems that  
3 implement an evacuation of the EPZ.

4 MR. MC GURREN: Your Honor, as a point of clarifi-  
5 cation, does that mean that in writing findings we would  
6 not rely on this particular testimony in support of the  
7 contention, support of Contention 11?

8 MR. GUILD: Mr. Chairman, I'd like to be heard  
9 now that Mr. McGurren has had his opportunity to suggest  
10 what the confines of findings ought to be.

11 It's our view that Contention 11, which says that  
12 the EPZ is inappropriate, based on "local emergency response  
13 needs and capabilities," does require a foundation finding  
14 about the adequacy of local emergency response needs and  
15 capabilities; one of which is the capability for alert and  
16 notification.

17 And we would, of course, seek to offer evidence  
18 as we believe this is, as to the state of local emergency  
19 response capability in the City of Charlotte.

20 WITNESS RILEY: Judge Margulies?

21 JUDGE MARGULIES: Yes?

22 WITNESS RILEY: May I adopt my role as spokesperson  
23 for CESG?

24 (The Board conferring.)

25 JUDGE MARGULIES: I think it would be highly unusual

1 Mr. Riley, to be operating both in the capacity as  
2 representative and witness simultaneously. And you have  
3 informed and able counsel in this joint contention.

4 Mr. McGurren, on your request for ruling, we reserve  
5 decision and will rule on it subsequently.

6 MR. MC GARRY: Your Honor, we have one last  
7 motion.

8 If you would turn to page 13, we would move to strike  
9 the answers to questions 17 through 25, which are pages 13  
10 through three-quarters of page 16. That has to do with  
11 alternative system. We don't believe that alternative systems  
12 are within the scope of this contention.

13 It is our view the Contention 11 speaks to the  
14 issue of whether or not the emergency planning zone should  
15 be extended, and not, if it is extended, what types of  
16 response mechanisms should be considered by this Board.

17 JUDGE MARGULIES: In effect, it's an aspect of  
18 what Mr. McGurren's inquiry goes to?

19 MR. MC GARRY: That is correct, sir.

20 JUDGE MARGULIES: Mr. Guild?

21 MR. GUILD: Yes, Mr. Chairman, we think that at  
22 the appropriate time it will be for the parties to offer by  
23 way of remedy, proposed remedies to this Board, various  
24 defices to implement the results proposed in Contention 11,  
25 that is, the extension of the EPZ.

1           Beginning with the full extension of the EPZ  
2 planning provisions as reflected in substance in Applicants'  
3 pleading that's been admitted, the list of implementing  
4 measures, we think that there are various submeasures and  
5 phase procedures for implementing plans for Charlotte that  
6 can be considered as alternatives.

7           And we intend to propose these.

8           One of the proposals for remedial relief --

9           JUDGE MARGULIES: Well, let us not go into those.

10          MR. GUILD: -- is a method of alternative  
11 notification reflected in this part of the testimony.

12          You know, the Board is going to have to grapple  
13 with those questions, either on the question of the existing  
14 -- adequacy of existing capabilities, and response capabilities  
15 and needs, or remedial measures -- relief.

16          And one way or the other you're going to have to  
17 make a finding. We believe that this as alternatives goes  
18 to both issues: the existing state of needs and capabilities  
19 as well as remedial relief.

20          End6  
21          Joe fls

22

23

24

25

26

1 I am informed, for example, the Board struck --  
2 while striking all of Mr. Rutledge's survey, included for  
3 example his proposed recommendations by way of an opinion  
4 as to what this Board should do to alter perceived inade-  
5 quacies in the Plan, and this goes to the same thought.

6 JUDGE MARGULIES: It was a particular contention  
7 on that aspect. We will take a fifteen minute recess.

8 (Short recess taken.)

9 JUDGE MARGULIES: Back on the record. The Board  
10 has considered the Motions to strike that portion of Mr.  
11 Riley's testimony, beginning with Question 17 and extending  
12 to the end of Question 25, and it is the ruling of the Board  
13 to grant the Motion to strike the material contained therein,  
14 being beyond the scope of Contention 11.

15 In regard to your question, Mr. McGurren, all  
16 of those two sentences on page 12 are not stricken. We will  
17 not have to consider them in the findings of the fact and  
18 conclusions of law that are submitted in this proceeding.

19 MR. GUILD: Which two sentences do you have  
20 reference to?

21 JUDGE MARGULIES: Starting midway on page 12,  
22 the fairly general information, which would be required  
23 in an EBS message, that sentence; and the following  
24 sentence.

25 MR. GUILD: May we have those portions of Mr.

1 Riley's testimony included in the record?

2 JUDGE MARGULIES: Yes. Is there any reason at  
3 this point not to accept into evidence the two exhibits,  
4 48 and 49?

5 MR. MCGURREN: No, Your Honor.

6 MR. MCGARRY: No, Your Honor.

7 JUDGE MARGULIES: 48 and 49 are admitted into  
8 evidence. Interveners 48 and 49. You may proceed with  
9 cross examination.

XXINDEX

10 (Above referenced documents,  
11 Interveners Exhibits 48 and  
12 49, are received into evidence.)

13 MR. MCGARRY: Thank you, Your Honor.

14 BY MR. MCGARRY: (Continuing)

15 Q Mr. Riley, turn to page 2 of your testimony.  
16 The second line of your testimony, you indicate lacking  
17 immediate protective action.

18 Am I correct in understanding that phrase to  
19 mean no protective action for a twenty-four hour period?

20 A (Witness Riley) That is correct.

21 Q Further on down through that paragraph, seven  
22 or eight lines down, Mr. Riley, you make reference to the  
23 Siting Guidance Study, NUREG/CR-2239. That is the Sandia  
24 Citing Study, is that correct?

25 A It is.

1 Q Have you used the Sandia Citing Study to assess  
2 the accident consequence of Catawba?

3 A I considered it as one of several accident  
4 assessment -- I considered it as one of several sources with  
5 respect to possible accident consequences. FES 0961 I believe  
6 I have also used.

7 Q Is it your understanding that the Sandia Citing  
8 Study used weather data from the Catawba site?

9 A Yes.

10 Q Mr. Riley, let me just hand you a copy of that  
11 document. Do you have a copy?

12 A I have a copy.

13 MR. GUILD: Could I perhaps look on with one  
14 of counsel's?

15 BY MR. McGARRY: (Continuing)

16 Q Page A-5. Do you have that, Mr. Riley?

17 A A-5. Yes, sir.

18 Yes, sir. Table 8.1-2, captioned General  
19 Site Data?

20 Q In the left hand column, they list there various  
21 plants, one of which being Catawba, correct?

22 A That is right.

23 Q And if we move over several columns, to a  
24 column there under the caption, Meteorological Station,  
25 it bears the title, Nashville, is that correct?



1           A       That is correct. What is signifies is that  
2 typical meteorological years were used. In responding  
3 to your question, when I said, 'yes,' I had in mind the  
4 fact that the specific windrose data for Catawba is given,  
5 and I knew that the typical meteorological year data what  
6 they describe as several bins were used in their crank  
7 calculation.

8           COURT REPORTER: Mr. Riley could you please  
9 speak up. There is no sound system in here, and it is  
10 terribly difficult. It really is.

11          MR. McGARRY: Did you get the last --

12          COURT REPORTER: I got it.

13          JUDGE MARGULIES: Would it be better if Mr.  
14 Riley sat down at this end of the table.

15          COURT REPORTER: I think it probably would.

16          MR. McGARRY: Why don't we go off the record.  
17 Mr. Riley has all those documents he would probably like  
18 to move up.

19          JUDGE MARGULIES: I think we better clarify  
20 for the record as to how the time is going to be divided  
21 up today. The prior procedure, Interveners were getting  
22 four hours and fifteen minutes, and the other parties were  
23 getting an hour and a half, and then for Contention 1 and 7,  
24 you reversed that. I see no reason why we shouldn't proceed  
25 in the same manner today.

1 MR. McGARRY: That is what we are operating  
2 under, and we discussed the matter with the Staff. It might  
3 be helpful if we could ascertain how much time we have left.

4 JUDGE MARGULIES: As with yesterday, we did not  
5 take out time for Voir Dire. We only measured cross examination

6 MR. GUILD: I would like to say that the prior  
7 practice has been so zealously defended by Applicants in  
8 respect to time limits before the Safety Board included  
9 very, very, clearly, charging me with every minute I took  
10 during Voir Dire as part of cross examination.

11 JUDGE MARGULIES: We do not in this proceeding.

12 MR. GUILD: We ask specifically that the two  
13 hours that was taken to examine the gentlemen on the panel  
14 be charged against Applicants time on cross examination.  
15 It is only fair. That was what was charged against us  
16 in every case in the past.

17 JUDGE MARGULIES: What is fair is what we have  
18 done in this proceeding, Mr. Guild, and yesterday, when  
19 you took a half an hour Voir Dire, we did not charge you  
20 with it, and you got your full four hours and fifteen  
21 minutes, in addition to the half hour Voir Dire time.

22 MR. GUILD: I appreciate your courtesy Mr.  
23 Chairman in extending to us that half hour.

24 JUDGE MARGULIES: That is what you took in  
25 Voir Dire time. I couldn't give you more time.

1 MR. GUILD: No, you didn't. You cut off my  
2 time as a matter of fact. The point is, Voir Dire time  
3 was charged against us at every opportunity in the safety --

4 JUDGE MARGULIES: I have nothing more to do  
5 with the safety phase.

6 MR. GUILD: Fine, Judge. I would just like  
7 the record to reflect that this is a practice that has not  
8 been followed in prior parts of this proceeding.

9 JUDGE MARGULIES: You may continue.

10 BY MR. MCGARRY: (Continuing)

11 Q Mr. Riley, I want to go back to the last answer.  
12 I asked you whether or not the Sandia Study utilized Catawa  
13 weather data. You indicated yes. Then I showed you the  
14 Sandia document, or asked you to examine it, and turn to  
15 pageA-5, and that indicated that the Catawba-Nashville  
16 meteorological data was used, is that correct?

17 A (Witness Riley) It was used in Crack 2. On the  
18 other hand, I do not have the information that would let  
19 me know what utilization was made of the windrose data.

20 Q Again, focusing on Sandia Citing Study, if you  
21 could turn to the Forward, page 3-iii.

22 A Roman 3.

23 Q Are you aware of the statements indicating that  
24 the primary focus of this document was to develop citing  
25 criteria, and that the results don't represent nuclear  
power risks?

1           A       I have read that language, but I have also  
2 read, if you look at Roman 4, last paragraph: This  
3 report represents some work being done to support the  
4 expanding use of probabilistic risk assessment in the  
5 regulatory process. NRC must be careful with results  
6 of such analyses considering very large uncertainties in  
7 the results.

8                   And then going on down, to the middle of the  
9 same paragraph: Results presented in this report are  
10 not significantly different than results of consequence  
11 studies that have been available in the open literature  
12 for decades. Given the source terms assumptions, large  
13 consequences are calculated.

14                   However, the risk probabilities times consequences  
15 posed by such accidents are very small. Therefore, the  
16 accident numbers should only be quoted with the associated  
17 probabilities and with the stated assumptions recognizing  
18 the uncertainties in the analyses.

19                   My reading of that, Mr. McGarry, was that the  
20 uncertainty level is such that the findings in this document  
21 would not be significantly different than those for a site  
22 specific study, such as the FES points out, that in their  
23 opinion the uncertainty level may be in the order of at least  
24 a factor ten, but probably not exceed the factor of one hundred.

25           Q       And Mr. Riley, I would like to address your

1 attention to the last sentence of Roman 3.

2 Could you read that last sentence?

3 A Thus, the results presented in this report do not  
4 represent nuclear power risks; and when I read this Report,  
5 Mr. McGarry, I put a question mark after that particular  
6 sentence, because it seemed such an obvious non-sequetor.

7 Q Mr. Riley, again looking at the Citing Study,  
8 are you aware that the Citing Study assumes no emergency  
9 response beyond ten miles for twenty-four hours?

10 A Yes, quite a point is made of that, and the high  
11 levels of fatality and early illness that it reports are  
12 attributed to that.

13 Q Could you turn to page 2-51 of that document?  
14 I am looking at the carryover paragraph. Four lines from  
15 the bottom of that carryover paragraph, does not the document  
16 reflect the following language: It should be noted that  
17 most results presented in other sections of this report  
18 assume a no immediate emergency response beyond ten miles,  
19 and consequently a significantly over-estimated early  
20 fatality peaks.

21 A Is your question -- did you read it correctly?  
22 It is not my intention to hold you up, Mr. McGarry, but  
23 I am looking for another item in this report which I would  
24 like to include in my response.

25 MR. MCGARRY: Your Honor, I am not going to make

1 a big point of it, but I think we should make it a rule  
2 that the witnesses don't confer.

3 MR. GUILD: If you have something to say to  
4 each other, please say it aloud so the reporter can get  
5 it on the record.

6 WITNESS RILEY: All right. Mr. Sholly asked  
7 me what I was looking for, and I told him that I was looking  
8 for material on the effects of emergency planning on these  
9 consequences.

10 He showed me a Table, Table 2.5-6 --

11 MR. McGARRY: What page is that on, Mr. Riley?

12 WITNESS RILEY: That is on page 2-47. What  
13 I was looking for, however, was a graph, which is also in  
14 the report, and which I have not yet found.

15 BY MR. McGARRY: (Continuing)

16 Q Perhaps your counsel can take that up on redirect  
17 so we can move on.

18 A (Witness Riley) The language is, as you say,  
19 correct. The point I want to make is fatality level is  
20 very dependent upon the emergency planning involved, and  
21 the figure when I locate it will show that there is a factor  
22 ten difference between no planning and no response, and  
23 best planning and best response in the judgment of the  
24 people who wrote this report.

25 And I would now like to indicate that the figure

1 that I was seeking is on page 2-71, and the scale -- there  
2 are five charts on this page -- and the chart in the upper  
3 left hand corner shows the relationship between mean early  
4 fatalities and reactor size, for no evacuation, summary  
5 evacuation, and best evacuation. By examining this chart  
6 one sees that the difference is approximately a factor ten  
7 between the two extremes.

8 Q Does that finish your testimony?

9 A It does.

10 Q Mr. Riley, turning to page 4 of your testimony,  
11 at the bottom of the page, you make reference to the Three  
12 Mile Island 2 accident, and you indicate that, as I understand  
13 it, the probability of that occurring was zero in the reactor  
14 safety study, is that correct?

15 A I would say rather it was out of the reactor  
16 safety study. There is no reference made to the sort of  
17 accident that occurred at TMI-2. It simply means that it  
18 hadn't been conceived of. Yet, the real world it happened,  
19 and it demonstrated that there could be such an accident.

20 Q Do you know if the reactor safety study  
21 considered a TMI-type sequence?

22 A In the sense that it considered operators  
23 throddling down the feedwater pumps, then turning them off,  
24 then turning them back on; in the sense that it considered  
25 a shock wave of water bursting the housing of a feedwater

1 pump, certainly not. It did not consider that sequence.  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



#8-1-Sue

1 Q Mr. Riley, let me show you a couple of docu-  
2 ments. I will show it to your counsel first.

3 (Mr. McGarry is showing Mr. Guild a docu-  
4 ment.)

5 Mr. Riley, have you familiarized yourself  
6 with WASH 1400?

7 A (Witness Riley) I've read parts of 1400.  
8 It's a huge document and you can include the appendices.  
9 I have not read it from cover to cover.

10 Q Mr. Sholly, have you familiarized yourself  
11 with WASH 1400?

12 A (Witness Sholly) Parts of it. I've been through  
13 it all at one time or another.

14 Q Let me address you gentlemen's attention  
15 to WASH 1400 and its Appendix I, Appendix 1?

16 A Appendix 1.

17 Q Appendix 1 to that document. I'm looking at  
18 Page i-63 and there under the caption "Safety/Release Valve  
19 Reclose SR/VR", it describes that phenomena which would be  
20 in essence a stuck open PORV valve.

21 Would you concur?

22 A (Witness Riley) I have no problem with what  
23  
24  
25

#8-2-SueT 1

2 you said but you do not address the additional features  
3 of the accident I mentioned, namely operator intervention  
4 and the failure of feedwater pump.

5 Q With respect to the feedwater pump, wouldn't  
6 that be the initiator, the initiating transient?

7 A It's a complex transient. In the early part  
8 of it, apparently there was improper performance of the  
9 ion exchanger. There was a clogging of a pipe which  
10 delivered ion exchange water to the steam generator from  
11 the ion exchanger.

12 And the clogging of that, due to apparently  
13 improper operation or design, I would say was an ini-  
14 tiator.

15 Q As was the feedwater transient; isn't that  
16 correct?

17 A As was the mislabeling of the condition of  
18 the valves on the auxiliary unit.

19 Q Do you know if WASH 1400 considers operator  
20 error?

21 A I do not know the specific context of the  
22 TMI-2 accident, and in the cite you showed me earlier it  
23 did not.  
24  
25

#8-3-SueT

Q Do you know, Mr. Sholly?

A (Witness Sholly) Yes, it did.

Q Now, Mr. Riley, going over to Page 5 of your testimony, you make reference to the Brown's Ferry fire.

Do you know whether the Reactor Safety Study considered fire as an event that could lead to a core melt?

A (Witness Riley) I cannot say in my own knowledge that it did or did not. But I can say that it did not consider the specific sequence of events involved at Brown's Ferry involving the incredible situation that the polyurethane foam material which was used to plug leaks in the cable trays had been accepted as nonflammable on the basis of standard tests made on a solid block of polyurethane which when exposed to candle flame did not ignite.

Q Now, Mr. Riley, I would like to focus on your language on Page 5 where you state on Line 2 that the Brown's Ferry fire was unenvisaged and hence had a probability of zero.

Do you see that language?

A I certainly do. And what I mean by that

#8-4-SueT<sub>1</sub>

1 language is that the ignition mechanism was unenvisaged.  
2 The fire resulted from something that the operators of  
3 that plant and the Commission had failed totally to  
4 anticipate. So the probability was zero.

5 Q Mr. Riley and Mr. Sholly, I show you a copy  
6 of WASH 1400, and it's the Executive Summary. I'm sure  
7 both of you executives have read it; is that correct?  
8

9 A Not for that reason. But, yes, I have read  
10 it.

11 Q And turn to Page 65. We have a section  
12 captioned "Other Internal Causes" and it's Section 5.3.5.

13 And I would like you to just peruse that if  
14 you are not already familiar with it.

15 MR. GUILD: Mr. Chairman, could I ask counsel  
16 to identify the date and the title of the document?  
17

18 MR. MC GARRY: I'm sorry.

19 WITNESS RILEY: If counsel has no objection,  
20 I will be glad to do it for him.

21 MR. MC GARRY: I'm sorry. Yes, please, would  
22 you give us the date?  
23

24 MR. RILEY: It's WASH 1400, NUREG 75/014.  
25 It's dated October 1975.

#8-5-SueT

BY MR. MC GARRY: (Continuing)

Q The question I have pending, gentlemen, is, do you know whether --

A I took you at your word, Mr. McGarry, to peruse this. Peruse means carefully and slowly. I'm still reading.

Q I just want to be sure you are aware of the question that is pending to help you in your thought process. Would you want me to?

A Please, yes.

Q The question is, would you know whether the Reactor Safety Study has considered fire as an event that could lead to a core melt?

A (Mr. Riley looks at document.)

The Reactor Safety Study was initiated for the Brown's Ferry fire. This document makes clear that the original concepts did not involve an anticipation of the Brown's Ferry fire. And the redirection in which the study proceeded was a consequence of this actual experience.

Q And then is it fair to say that the Reactor Safety Study recognized the Brown's Ferry fire and took

#8-6-SueT,

1 that into account in the language I've asked you to  
2 read?

3 A Yes, after it had happened, though the study  
4 was launched before that time.

5 Q Did Brown's Ferry result in a core melt, the  
6 Brown's Ferry fire?

7 A It did not, but I would like to point out that  
8 it very readily could have.  
9

10 The Brown's Ferry fire lasted for approximately  
11 six hours. The individual whose candle flame ignited  
12 the polyurethane foam insulation that had been stuffed  
13 in the cable trays to prevent air leakage into the  
14 low pressure MARK-1 containment, which is to operate at  
15 nine pounds absolute which is about five pounds below  
16 atmospheric pressure, instead of following standard  
17 operating procedures tried to put out the fire himself  
18 with a dry extinguisher.  
19

20 He was aware that the regulations called for  
21 using dry extinguishers. After a while he notified not  
22 the proper source but someone who had gotten the proper  
23 source reviewing the fire emergency situation. For a  
24 period of almost six hours, the personnel at that plant  
25

#8-7-SueT 1

2           battled to put out that fire by the prescribed methods  
3           which involved dry extinguishers.

4           Q       Mr. Riley --

5           A       During that period of time -- I would like  
6           to answer your question, if I may.

7           Q       My question -- my time is running. My question  
8           is simple. Did the Brown's Ferry fire result in a core  
9           melt. The answer was no.

10          MR. GUILD: The witness has an opportunity  
11          to explain his answer.

12          MR. MC GARRY: He does. My time is running.  
13          If he has anything further, his counsel can bring it  
14          out on redirect. I'm not interested in the remainder  
15          of that answer.

16          MR. GUILD: I'm sure he's not, but the witness  
17          should have an opportunity to finish his answer, Mr.  
18          Chairman. My time is limited as well, and the witness  
19          should be able to give a complete answer to the question  
20          he has asked whether he likes the complete answer or not.  
21          he has asked whether he likes the complete answer or not.

22          WITNESS RILEY: I could condense the answer,  
23          sir.

24          JUDGE MARGULIES: I'm going to sustain the  
25

#8-8-SueT

objection. The answer went well beyond the question and was not a relevant response.

MR. GUILD: Mr. Chairman, we would like the response in full to be included in the record by way of an offer of proof. It should be understood that the answer was not complete as given, and we would like the complete answer in the record for consideration at least by the Applearn Board or the Commission or courts at some later time.

Can the witness be allowed to finish the answer for the record, please?

JUDGE MARGULIES: No. He cannot. You can state as to what he would testify to, which would be a full description of the accident. And we will let it go at that as the offer of proof.

MR. GUILD: At the next break, I will have the witness provide me that information and I will make a statement as to what his answer would be for the record.

BY MR. MC GARRY: (Continuing)

Q Mr. Riley, on Page 7 -- Page 5, I'm sorry, Page 5 of your testimony, you indicate that -- I can't put my finger on it right at this moment. Perhaps you



#8-9-SueT,

can help me. That various accidents were unenvisaged.

You make reference to the Brown's Ferry file, correct?

A That's right.

Q And the FERMI-1?

A Yes.

Q Are you aware that the Reactor Safety Study addressed the possibility in an event tree and labeled --

A In a what?

Q In an event tree.

A Event tree.

Q Are you familiar with that term?

A Certainly.

Q And labeled that possibility as an unanticipated transient?

A Are you referring to FERMI-1?

Q I'm referring to the fact whether or not WASH 1400 considered unanticipated transients in its analysis. Do you know?

A I would point out that FERMI-1 occurred in the 60s before the Reactor Safety Study was undertaken.

Q Again, I would like to direct your attention to WASH 1400, Appendix Roman I or I, and it would be --

#8-10-SueT

it will be Figure 1 4-11.

2                   Again, directing your attention to WASH 1400,  
3                   October 1975, Appendix I, we turn to a page. It says  
4                   i 85-86. And we turn to Figure 1 4-11 and 1 4-12.

5                   First, I would like you to read Note 4, could  
6                   you, with respect to Figure 1 4-11?

7  
8                   A           Figure 1 4-11(c) shows an arbitrarily chosen  
9                   transient of some type that has not yet occurred in the  
10                  one hundred fifty years of operation of commercial nuclear  
11                  power plants.

12                  MR. CARR: A hundred and fifty reactor years.

13                  WITNESS RILEY: If I misspoke, a hundred and  
14                  fifty reactor years is what it reads.

15  
16                  BY MR. MC GARRY: (Continuing)

17                  Q           And then on these pages, is it not correct,  
18                  Mr. Riley, that there is a block, two blocks, and they  
19                  contain event trees?

20                  A           That is correct.

21                  Q           And in the lefthand block, which would be  
22                  Figure 1 4-11, in the bottom half, do we not have two  
23                  event trees, one bears the caption "Part C, Upperbound  
24                  Unanticipated Transient" and the bottom bears a caption  
25

#8-11-SueT

"Part D, General Unanticipated Transients?"

2 A That is correct. Turn to my testimony --

3 Q I will get your explanation on Figure 1 4-12  
4 and then you can.

5 At the bottom of that square, there is a  
6 caption "Part C, Unanticipated..." it appears to be  
7 Transient.

8 Does that appear to be what it says?

9 A That does appear to be what it says.

10 Q Now, would you please explain?

11 A Certainly. My testimony is before it happened  
12 the probability of a TMI-2 accident was zero. It had  
13 not been anticipated.

14 On the next page, my testimony is: Similarly,  
15 the probabilities of the Brown's Ferry fire, the FERMI-1  
16 partial melt down were unenvisaged and hence had a  
17 probability of zero.

18 Now the verb form I use is a past tense. It's  
19 "were" and it means before the RSS came into existence.  
20 And at that time, these things certainly were not  
21 considered.

22

23

24

25

end #8  
Jim flws

1 I think it's also germane, Mr. McGarry, to  
2 look at the following sentence in which I state, "we simply  
3 have no knowledge of all possible scenarios which may lead  
4 to a serious release."

5 And you confirmed this.

6 "So it must be said that since the occurrence of  
7 the aforesaid events the Staff has greatly enlarged its  
8 contemplation of severe accident sequences."

9 Q Thank you.

10 Mr. Riley, turning to page 8 of your testimony,  
11 and you state therein that the people in southwest Charlotte  
12 most heavily contribute to estimated early fatalities?

13 A That is right.

14 Q What is the basis for that statement?

15 A The demography of the region, the fact that to  
16 get the high level consequences that are given in the FES,  
17 Table 5.11, Table 5.12, you'd have to have a lot of people,  
18 and you have to have the prevailing southwest wind.

19 Q Mr. Riley, those documents, the figures you've  
20 just referenced state that the early fatalities will be in  
21 areas such as Charlotte?

22 A They don't explicitly state it, but a reasonable  
23 person could draw no other conclusion from the other facts of  
24 record.

25 Q Mr. Twery?

1           A           (Witness Twery) I was just going to comment I  
2 believe that the basis is, the assumption is made, that the  
3 population density assumed in order to get the figures arrived  
4 at -- were arrived at by assuming that there was a homo-  
5 geneous distribution of all the people in a given disc  
6 centered on Catawba. That the number -- a large proportion of  
7 the people in that disc do live in the more populous areas  
8 of Charlotte, certainly in the area we're looking at, a  
9 large percentage of those. And in that sense, certainly,  
10 they do raise the average level of population per square  
11 mile throughout the disc that was considered.

12           Q           Did you find any figures, any statement that  
13 specifically says that those early fatalities that you  
14 reference and Mr. Riley references, are attributable to people  
15 living in Charlotte?

16           A           One of my objections that -- to -- or uneasiness  
17 about the conclusions is that the simplified assumption was  
18 made by the -- what's the green book's name? --

19           A           (Witness Riley) Final Environmental Statement.

20           A           (Witness Twery) Final Environmental Statement --  
21 simplified things by not using census track data but, rather,  
22 using data for what the total population was within a --  
23 within the disc.

24                       Now, since they made that assumption, actually  
25 that's -- the part of the disc, one part of the disc that they

1 looked at that had the highest population density happens to  
2 be the part that we're talking about now, southwest  
3 Charlotte, or it has higher than average density.

4 I have not looked at the census track data, but  
5 I am sure that I have no doubt that that would substantiate  
6 the fact that the census tracks put it within the city limits  
7 of Charlotte in the 1980 census track data.

8 If there are any demographers present, perhaps  
9 they could comment.

10 Q My question is: is there any statement you  
11 rely on?

12 A Yes, sir.

13 The statement I relied upon was that they assumed  
14 a homogeneous density throughout the disc.

15 Q Is there a statement in that document, or any  
16 document, that says 19,000 fatalities that are references  
17 in your testimony and Mr. Riley's testimony, that are  
18 attributable in large measure to people living in Charlotte?

19 Do you find those specific words?

20 A Those specific words were not quoted in that,  
21 no, sir.

22 But it was based on population, obviously.

23 Q Mr. Riley, I ask you the same question?

24 A (Witness Riley) The words were not stated.

25 On the other hand, in response to an order by

1 Judge Kelley, demographic data were provided to the Board and  
2 the parties in respect to Charlotte.

3 And I have in front of me one of the exhibits  
4 that was then provided. I don't see the identifier upon it.

5 What it does is show the total population in  
6 various one-mile increments in the northeast, the  
7 east-northeast sectors.

8 And in order to get this sort of numbers like  
9 40,000 people exposed to 200 rem or more, or 270,000 exposed  
10 to 25 rem or more, one absolutely has to use Charlotte  
11 demography.

12 It's an inescapable conclusion.

13 MR. GUILD: Mr. Chairman, the record should reflect  
14 that the document examined by the witness was a submission  
15 by Applicant as to demography in Charlotte.

16 BY MR. MC GARRY:

17 Q Mr. Riley, does the testimony reflect the evidence  
18 that there are approximately 95,000 people living in the  
19 EPZ?

20 A (Witness Riley) That is correct.

21 Q Doesn't the evidence also reflect that there is a  
22 transient population there?

23 A To a size like 35,000, that is correct.

24 Q And isn't it possible that the numbers that are  
25 referenced in the testimony, your testimony and Mr. Twery's

1 testimony, could take those figures into account?

2 A I don't believe it's possible.

3 In order to have that high a kill effect you'd  
4 have to have a concentrated plume. You get a concentrated  
5 plume, you would have to have conditions where there's an  
6 inversion, there's very little vertical circulation or  
7 turbulence in the plume region.

8 That automatically limits the plume width.

9 And an example of such a concentrated plume would  
10 be a width of degrees of arc of approximately 10 degrees of  
11 arc.

12 I can illustrate that to you by the diagram that  
13 I believe I have here.

14 (Pause)

15 Which is applied to Intervenors' Exhibit No. --  
16 I believe -- is it 49 or 50?

17 MR. GUILD: The last exhibit, Mr. Chairman.

18 WITNESS RILEY: And when we apply this highly  
19 concentrated narrow plume to a map of the surroundings of the  
20 Catawba plant, it becomes apparent that to have the consequences  
21 that we talked about, you would have to have a highly  
22 concentrated population (demonstrating with map).

23 BY MR. MC GARRY:

24 Q Aren't there --

25 A (Witness Riley) From that we would not get



1 from the sources that you just referred to; of the 95,00  
2 people that you speak of in the EPZ, 35,000 are at Rock  
3 Hill.

4 Rock Hill is in the diametrically opposite  
5 direction of Charlotte, and it wouldn't give us the sort of  
6 numbers of exposure that we would need.

7 If we wanted to try to involve Carolyn, again,  
8 we're off in a different angle.

9 And I don't think you can cover all the ground  
10 in the region with a plume which (demonstrating) at its  
11 17 mile extent is only about two miles wide.

12 Q We have -- strike that question.

13 Are there not concentrations of people in the  
14 EPZ? Different concentrations?

15 A Can you put a number on that, Mr. McGarry?

16 Q Let me ask Mr. Twery, I see him nodding his head?  
17 Can you do that, Mr. Twery?

18 A (Witness Twery) The population density in the EPZ  
19 is not homogeneous, is what I was nodding my head to; yes,  
20 sir.

21 Q Mr. Sholly?

22 A (Witness Sholly) I think the question can rather  
23 easily be resolved: at least in the Staff's calculations  
24 and also in the CRAC-2 calculations that went into the siting  
25 study, one of the features you hit on the printout is

1 the magnitude of the peak dose, the maximum calculated  
2 figure, and also an indication of what compass direction  
3 and distance segments the peak occurs in. And all that would  
4 be required is examination of the CRAC-2 output, the CRAC  
5 output in the Staff's calculations, and you could get that.

6 Q Mr. Riley, have you done that?

7 A (Witness Riley) I have not.

8 Q Mr. Twery, have you done that?

9 A (Witness Twery) No, sir.

10 A (Witness Sholly) One other --

11 Q Mr. Sholly, have you done that?

12 A No, I have not.

13 One other point, however, is characteristic of  
14 calculations using CRAC and CRAC-2, is that the large  
15 calculated consequences typically occur from a rain-out of  
16 the plume onto a densely populated area beyond 10 miles;  
17 in fact, typically between 10 and 25 miles.

18 Q After the population at 10 miles, 9 miles; that  
19 could be a contributor to this figure; is that correct?

20 A One could speculate, but it's much more direct to go  
21 with the CRAC or CRAC-2 outputs and take a look.

22 Q And are you aware that Rock Hill as Mr. Riley just  
23 made reference to runs from about 10 to 13 miles from the  
24 plant?

25 A I am aware of that, that it's a concentration of

1 population --

2 Q So isn't it possible --

3 A -- both cities, I am sure, would show up on  
4 the CCDF curve, the curve that plots the cumulative distribu-  
5 tion of effects, where they would really turn up.

6 A (Witness Riley) Mr. McGarry, to elaborate on that,  
7 to be specific what you seem to be interested in is "b".  
8 We consider the most populous sector, which is the northeast  
9 sector, you see that between 10 and 11 miles the population  
10 is about 1,600.

11 I've indicated that the intense plume that we are  
12 discussing would be about a quarter of that in terms of  
13 degree or arc. So that gives us 400.

14 Let's take the next one, that gives us a little  
15 over 2,000.

16 Add 500 to it and we've got 900.

17 We get up to 4,500 in the next one-mile increment  
18 and that gives us 1,000.

19 What I am pointing out is that by this procedure  
20 we can head to a high value. There is no other population  
21 distribution about the Catawba plant that will give you  
22 these sorts of numbers.

23 Q Thank you, Mr. Riley.

24 MR. MC GARRY: I want to show counsel a letter  
25 here.

1 (Pause)

2 BY MR. MC GARRY:

3 Q With regard to the Sandia siting study, I'd ask  
4 this of Mr. Sholly and Mr. Riley -- I suspect, Mr. Sholly,  
5 you are familiar with this:

6 That a Mr. Willian Snyder, Director for Nuclear  
7 Fuel Cycle Programs, Sandia Labs, wrote a letter to  
8 Chairman Palladino dated November 12, 1982; and it was with  
9 regard to, I believe, comments of the Washington Post and  
10 a letter, the Marquis letter, Congressman Marquis letter,  
11 and comments that appeared in his committee.

12 Are you familiar with that letter, Mr. Sholly?

13 A (Witness Sholly) I have not seen it. I think  
14 I've seen the other letter.

15 (Counsel handing document to witness.)

16 A I have seen this one.

17 Q There are two letters: one went to Carl Walsky  
18 (phonetic) of AIF, and one went to Chairman Palladino; and  
19 they are identical letters.

20 And you've seen one of those letters, Mr. Sholly?

21 A Yes.

22 Q Mr. Riley, have you?

23 A (Witness Riley) Yes.

24 Q I just direct your attention to the third paragraph.  
25 Am I correct, it is stating that -- this letter states that,

1 "Information generated in our study should not be employed  
2 to evaluate risk or accident consequences for actual  
3 operating plants at US sites."

4 Is that correct?

5 A That is the language.

6 And my observation about it is that the nuclear  
7 industry and the NRC were damaged very considerably by  
8 the release on the stationery of the Committee on Interior  
9 and Insular Affairs of the United States House of representa-  
10 tives, of the peak fatalities that were found to have  
11 emerged in the Sandia study.

12 And I point out that this is dated November 1,  
13 before the letter to which you referred.

14 And I would say that the letter is in response to  
15 you might say the fire that was started by this particular  
16 revelation and that -- Mr. McGarry?

17 Q Go ahead, I don't mean to cut you off; I just  
18 was going to confirm your point for the record.

19 A By the fire that was set up by this particular  
20 revelation.

21 I am regretful to say that in practice in  
22 governments in the United States very frequently we see  
23 statements that are very clearly self-serving and which  
24 ignore the palpable truth.

25 I said earlier in my testimony that the gentleman

1 who signed-off the foreword of the technical guidance pointed  
2 out there were no significant differences in any of these  
3 groups of numbers. And now to put in the disclaimer that  
4 it wasn't calculated for that specific purpose is an  
5 absurdity.

6 Two-and-two make four whether or not I've got a  
7 contract to a certain person for saying that in a certain  
8 context.

9 Q Just so the record is complete, let me read the  
10 first two paragraphs; I think it corresponds to what you said.

11 This letter, written by Mr. Snyder to Chairman  
12 Palladino, begins:

13 "On behalf of Sandia National Laboratories, I wish  
14 to correct impressions left by the Washington Post articles  
15 and subsequent wire service reports on reactor accident  
16 consequences.

17 "These reports seriously misinterpret our draft  
18 reports and other preliminary information. The net result is  
19 that the public has been given a very distorted and  
20 confusing picture of nuclear power reactor accident  
21 probabilities and consequences."

22 A That is Mr. Snyder's opinion.

23 MR. MC GARRY: Your Honor, may I put these in the  
24 record because they have been identified as documents; we  
25 have copies for the Board and parties.

1 I would ask that the November 12, 1982 letter  
2 from A. William Snyder, four pages in length, be marked for  
3 identification as Applicant's Exhibit EP 20, and be received  
4 in evidence.

5 JUDGE MARGULIES: You haven't distributed copies.

6 (Mr. McGarry distributing copies of document to  
7 Board and parties.)

8 MR. GUILD: Mr. Chairman?

9 JUDGE MARGULIES: Yes?

10 MR. GUILD: We -- my copy is rather poor; I  
11 wonder if Applicants have a better copy so I can identify  
12 the identity of Mr. Snyder, the author of the letter?

13 MR. MC GARRY: Yes, I have a clearer copy which --  
14 it's on the letter to Mr. Walsky, which indicates A. William  
15 Snyder, Director, Nuclear Fuel Cycle Program; and it's blurred  
16 in the copy that I've asked to be marked for identification  
17 as Exhibit EP 20.

18 MR. GUILD: Mr. Chairman, we object to receipt of  
19 this letter in evidence.

20 The letter appears to address a document that is  
21 not the basis for Mr. Riley's testimony, and that is the  
22 draft report and other preliminary information; that's the  
23 language of the second paragraph of the letter.

24 I note that Mr. Riley's testimony explicitly  
25 has reference to NUREG CR 2239, which is the study itself

1 in its final form.

2 I think the colloquy that Mr. Riley had with  
3 Mr. McGarry on this point reflects that it's addressed to a  
4 press report that commented on a draft, total fatality  
5 figures, if you will, that were not within the specific  
6 context of the way this witness says he relied upon the data  
7 and analysis in the actual final report as it applies to  
8 Catawba and emergency planning in Contention ii.

9 So we would object on relevance grounds to  
10 redempt of the letter.

11 I would also mention that Mr. Snyder is obviously  
12 not available; and so his connection with the study itself  
13 and how much knowledge he has of the details of the final  
14 report is unknown. But I don't mean to hinge my objection  
15 on the technical question of authorship of the letter. I am  
16 simply concerned about whether the substance of the letter  
17 speaks to the same, the same matter that Mr. Riley does in  
18 his testimony.

19 MR. JOHNSON: I think it is fair game, this  
20 letter. Mr. Riley's testimony with regard to some of the  
21 peak numbers is in fact based on the information that's in  
22 that press report in the Washington Post, and the 42,000  
23 fatalities, for example, on page 3 of Mr. Riley's testimony  
24 aren't found in the Sandia report at all.

25 And therefore I think it's legitimate, this letter



1 which comments on the Washington Post and wire services  
2 reports addressing the information upon which Mr. Riley is  
3 relying.

4 JUDGE MARGULIES: Mr. McGarry?

5 MR. MC GARRY: Yes, your Honor.

6 We subscribe to the Staff's position.

7 In addition, both witnesses when handed the  
8 document indicated that they were familiar with the document;  
9 it's not a new document to them.

10 And Mr. Riley I believe referenced that document  
11 in cross-examination yesterday with respect to interrogation  
12 of our witnesses.

13 WITNESS RILEY: I didn't reference the Snyder  
14 document. I referenced the Subcommittee on Oversight and  
15 Investigations' document.

16 MR. MC GARRY: And this letter is part of the  
17 entire package of that subject; and inasmuch as that subject  
18 has been introduced in this record, we think that it is  
19 appropriate that this document should be part of the record.  
20 We would note it comes from the Commission's files.

21 MR. GUILD: Mr. Chairman, Mr. Riley's reference at  
22 page 3 is really not to the Washington Post or wire service  
23 reports, as Mr. Johnson suggests; it's to the Report of the  
24 Committee on Interior and Insular Affairs, Subcommittee on  
25 Oversight and Investigation, November 1, 1982.

1 MR. MC GARRY: And I believe the witnesses, when I  
2 asked the question, acknowledged the committee report gave  
3 rise to the Washington Post and wire service articles.

4 ENDT15JRB  
5 JoeFls

6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 MR. GUILD: Mr. Riley's reference to Page 3 is clearly  
2 not to the Washington Post, the wire service reports, as  
3 Mr. Johnson suggested, it is to the Report of the Committee  
4 on Interior Insular Affairs, Oversight Investigation,  
5 November 1, 1982.

6 MR. McGARRY: And I believe when the witness,  
7 when I asked the question, acknowledged that that Committee  
8 Report gave rise to the Washington Post and wire service  
9 articles.

10 MR. GUILD: I am sure the chicken and egg  
11 sequences could extend quite far, Mr. Chairman, with respect  
12 to what was connected to what. But the point is the  
13 letter addresses not NUREG 2239, nor does it address the  
14 Committee of Congress, it addresses something different.  
15 It's author is not present and available for explanation  
16 of what it does address, or for response to questions on  
17 cross examination, and we object to its receipt.

18 JUDGE MARGULIES: The Board will admit the  
19 letter into evidence, but not to the truth of the matter  
20 as recited.

21 BY MR. McGARRY: (Continuing)

22 Q Mr. Twery?

23 A Yes, sir.

24 Q Turning to your testimony, do you have it before  
25 you?

1 A Yes.

2 Q Page 2. You indicate at line 13 of your  
3 testimony, that the expected value of .176 early fatalities  
4 from the operation of Catawba Units 1 and 2 over their  
5 operating lifetimes, is that correct?

6 A That is what I intended to reference, yes.

7 Q Does this value come from the NUREC 0921, which  
8 is the Final Environmental Impact Statement?

9 A It was my intention to take the correct figures  
10 from that, yes, sir.

11 Q Is this value all the sectors and all the  
12 distances?

13 A There is no reference to sector. It is the  
14 average value. I presume. It is not stated. And given  
15 this out in the context to which I can only conclude it  
16 was an expected value.

17 Q It is an expected value for all fatalities in  
18 all sectors?

19 A For all of the simulation cases that they ran,  
20 I presume, over all conditions, yes. Averaging over all  
21 conditions.

22 Q And over all sectors?

23 A Sure. South, north, east, west, for example.

24 Q You indicate further down in your testimony that  
25 -- you have a value of .35 for your sector of early

10-3-Wal

fatalities, do you see that?

1 A .176 becomes .035.

2 Q And then eventually becomes .35 for my sector;  
3 you say, accordingly the .035 becomes .350 for my sector.

4 A Yes.

5 Q I find that rather curious. If for the totality  
6 of the environmental consideration, the early fatality  
7 figure is .176, and for your sector, which is only a part  
8 of the whole, the early fatality figure is greater. How  
9 can --  
10

11 A You are comparing an expected value with a  
12 conditional expected value. The expected value is for the  
13 entire area. If I chose a random place to live, in any  
14 direction from the Catawba plant, then the expected value  
15 would be .022.

16  
17 If I say that I live in a specific spot, and  
18 I ask the question for the particular 22 and a half degree  
19 sector that I live in, what is my risk, given that fact  
20 that I live where I am as the condition, then the expected  
21 value is quite different, and I as a resident of a particular  
22 house in a particular location that I own and that I am not  
23 going to move from, was particularly interested in what is  
24 risk that I have? How much do I have to worry at night?  
25 Or during the day.

Q What do you mean by the term, 'expected value?'

10-4-Wal

1           A        You want me to take up your time to answer that?  
2        Expected value, I mean a mathematical expectation in which  
3        each possibility is weighted by the probability with which  
4        it occurs. By conditional expected value, it is essentially  
5        the same thing, except that you are given a fact, and you  
6        take the expectations. That is, you use conditional  
7        probabilities instead of unconditional probabilities to do  
8        the averaging with.

9           Q        You have a value here of .0022, and you describe  
10       this as an expected value. How did you calculate .0022?

11          A        I would have to find it in the table. I thought  
12       I took the right one out. Perhaps you can point out that  
13       it is wrong, I don't know. What is the expected value.

14               MR. JOHNSON: Do you want to use my document?

15               WITNESS TWERY: Perhaps you can tell me what the  
16       right figure would have been used to take out of here.

17               MR. RILEY: I can offer it to the witness. It  
18       is Table 5.13. I believe that is the number you used.

19               WITNESS TWERY: I believe that -- I will attest  
20       to the fact that was I was trying to do as just a poor  
21       person who was living there, and trying to see what the  
22       technical documents available would likely shed on what  
23       my risks was, that I did not do the detailed analysis that  
24       I am sure the REC Committee would do if they had to substantiate  
25       such a thing.

1           What I did, was I used the figure of 22,000 that  
2           appears on page 580, on the line that is titled 10 to the  
3           minus 7, and ignored the probabilities of any contribution  
4           to the expected values that would be made by other --

5           Q       Okay. We are looking at a different table.

6           MR. CARR: The problem is you are using the Draft  
7           Environmental Statement, and this is the Final.

8           WITNESS TWERY: As an informed citizen, I find  
9           it impossible to get a copy of the final document, I am  
10          sorry to say, so I just used the best that I had.

11          BY MR. McGARRY: (Continuing)

12          Q       You just take your time.

13          A       Page 581, I believe, the same Table, Table 5.11,  
14          probability of impact per reactor year at various levels,  
15          I looked only at the probability line for ten to the minus  
16          7. The figure that is given in this table, in the column  
17          Persons Exposed over 200 rem, is 22,000. Multiply the  
18          22,000 by the probability, ten to the minus 7, I got .022.  
19          The expected value actually would have to be obtained by  
20          taking the cross products between the first and the second  
21          column for all lines, and added together, .0022 is actually  
22          an underestimate of the expected value as I interpret the  
23          table.  
24          table.

25          If I took the wrong one, I certainly stand to be  
            corrected.

10-6-Wal

Q So, this is an approximation of the expected value?

1 A Pardon me, sir, it is the lower bound of what  
2 the expected value is.

3 Q It is the lower bound of the expected value for  
4 persons exposed over 200 rem.

5 A Yes, sir.

6 Q Is it your understanding that a person exposed  
7 to over 200 rem is a fatality?  
8

9 A No, sir. It is something I wouldn't like to  
10 have myself, and I was going to look into this on my own.  
11 If I used the word, 'fatality' there, I am sorry. Perhaps  
12 I am not using the correct technical terms.

13 Q I believe your entire testimony speaks to  
14 fatalities. It states right here that the expected value  
15 .0022 for early fatalities, and then you continue building  
16 on that .0022.  
17

18 A I use that as a starting point. The argument  
19 would be the same. If my figures are wrong, sir, I certainly  
20 would appreciate the right figure that I should use.

21 Q I am quibbling now, sir, with the word, because  
22 then I come over to page 3, and the top of page 3, line 3,  
23 you conclude between 35 and 350 early early fatalities.

24 A Early -- you are saying that I should have said  
25 they are over 200 rem, immediate exposure.

Q Yes. Would you accept that?



10-7-Wal

1 A Yes, sir. The important thing to me was as I  
2 read the draft report and read and looked at the Sandia  
3 Study, was that the risk to me -- I was trying to evaluate  
4 was there any risk that I would be concerned with as a  
5 resident of the area, and I tried to lay out here just the  
6 sense in which the risk to me is larger than might be implied  
7 by the figures that are presented in the Catawba Study.

8 A (Witness Riley) I would like to add for Mr.  
9 Twery's information, that 200 rem is a threshold level  
10 for early fatalities. Depending on medical treatment, it is  
11 near at the fifty percent level dosage -- I believe 314 rem;  
12 if there is heroic medical treatment, it is a little over  
13 500.

14 A (Witness Twery) So, I would be sick, but not  
15 necessarily dead.

16 A (Witness Riley) You would have a chance of  
17 dying.

18 Q Mr. Twery, turning to another topic, you indicate  
19 in the testimony that you live at 3335 Sunny Brook Avenue?  
20

21 A (Witness Twery) Drive, sir.

22 Q Drive. And do we have a map that reflects  
23 precisely where that is?

24 A That is approximately three-quarters of a mile  
25 from South Park.

Q I am sorry. How far sir?

10-8-Wal

1           A       Approximately three-quarters of a mile from South  
2           Park, sir.

3           Q       If we may have the Board's indulgence for a  
4           moment.

5           JUDGE MARGULIES: Yes, you may.

6                   (Off the record discussion among counsel)

7           MR. MCGARRY: We are just trying to identify  
8           off the record precisely where Mr. Twery lives, and we will  
9           put it on the record.

10          JUDGE MARGULIES: Is there any objection?

11          MR. MCGARRY: I am sorry?

12          JUDGE MARGULIES: Is there any objection to Mr.  
13          Guild conferring with Mr. Twery?

14          MR. MCGARRY: I think it is highly unusual,  
15          Your Honor. No problem. I would say there would be no  
16          problem.

17          WITNESS TWERY: Let me just take one half a  
18          minute.

19                   (Witness confers with Mr. Guild)

20          JUDGE MARGULIES: You may proceed.

21          MR. MCGARRY: (Continuing)

22          Q       I feel like the mouse that roared, Mr. Twery,  
23          but to pinpoint where you live, I show you a map which I  
24          believe is Intervener Exhibit, and would it be safe to say  
25          that on this exhibit --

10-9-Wal

A (Witness Twery) That looks about right.

1 Q And that would be east-northeast sector, and it  
2 would be -- it is almost in the middle of the page, is it  
3 not.

4 A I am not sure what you mean by, 'page.'

5 Q This exhibit.

6 MR. GUILD: There are some numbers and letters  
7 in those things. Do you see those.

8 MR. McGARRY: Can you help me, Mr. Guild, to  
9 identify what exhibit --

10 MR. GUILD: This is Interveners 44.

11 JUDGE MARGULIES: Is it 44 or 50?

12 MR. GUILD: 44 is the unmarked version. Maybe  
13 it would be clear to use --

14 JUDGE MARGULIES: That is 50.

15 MR. McGARRY: Interveners EP Exhibit 50.

16 MR. GUILD: They are identical maps. One  
17 has markings.  
18

19 MR. McGARRY: And we are looking in the east-  
20 northeast sector. We come down to the east-northeast to  
21 where it says. It appears to be 16C. We see the word,  
22 'Charlotte' in the middle of the map. We come directly  
23 down below the 'C', and we see the number 16, and then in  
24 the bottom lefthand square, that would be 16C, and at the  
25 very top of that square, and almost in the middle, there

is a number 3667, and right below it is the word, 'road.'

1 In that triangular area, that is where Mr.  
2 Twery lives, correct?

3 WITNESS TWERY: Yes, sir. That is within a  
4 quarter of a mile of it.

5 BY MR. MCGURRY: (Continuing)

6 Q Thank you, Mr. Twery.

7 A (Witness Twery) Surely. It is always nice to  
8 know where I am.

9 Q Mr. Twery, just so the record is correct, I  
10 believe you said you lived about a dozen miles, and I believe  
11 that map reflects that you live about fourteen miles from the  
12 plant. Will you accept that?

13 A Certainly.

14 Q Now, going down to page 2 of your testimony,  
15 you indicate there in the middle of the page that you are  
16 in a 22 and a half sector. That is east-northeast sector,  
17 correct?  
18

19 A Yes, sir.  
20

21 Q Which would receive a plume from the Catawba  
22 unit about five percent of the time, and you correct your  
23 testimony to twenty point five percent of the time.

24 A Yes, sir. Did I get the right sector?

25 Q Nope.

A Am I off by one sector?

10-11-Wal

1 Q Yes.

2 A It should be what -- eight, nine percent.

3 Q Let me show you --

4 A Could I ask you what the statistical competence,  
5 the standard deviation is that is associated with any of the  
6 numbers that you are about to show me?

7 Q No, you cannot.

8 A Excuse me, sir.

9 Q As I said to the Board today, I am not an expert.  
10 Mr. Guild, I will show you these in one minute. Let me  
11 show them to counsel first.

12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
*End 10*

#11-1-SueT

2 JUDGE MARGULIES: Is this something counsel  
3 can stipulate to so we don't have to go through all  
4 the mechanics?

5 MR. MC GARRY: We are willing.

6 MR. GUILD: I don't know exactly what you are  
7 going to ask. I asked Mr. McGarry a question and he  
8 said he wasn't the expert. So, it may require some  
9 supplemental information to stipulate.

10 I would be more than happy to take a break  
11 and see if we can work something out.

12 MR. MC GARRY: I think I can get through this  
13 in thirty seconds, Your Honor.

14 BY MR. MC GARRY: (Continuing)

15 Q In the FSAR, Final Safety Analysis Report,  
16 Volume I, I direct your attention to Table 2.3.4-1, and  
17 here it bears the caption "1975-1977 Wind Occurrences  
18 Ten Meters" and in the wind sector which I represent the  
19 wind is coming from the west southwest, so it would be  
20 going to your sector north northeast, does it not reflect  
21 that the percentage is five point two two?  
22

23 A (Witness Twery) This is a twenty-two and a  
24 half degree sector.  
25

#11-2-SueT

Q That is correct.

2 A That is correct. The figure reads five point  
3 two two.

4 Q And then directing your attention to the  
5 Sandia siting document that we have been discussing, and  
6 directing your attention to Page A-21, that's Table A.4-1,  
7 bearing the caption "Site Windrose Data Probability of  
8 Wind Blowing Towards Sector."  
9

10 If you look under the sector east northeast,  
11 which is your sector --

12 A Uh-huh.

13 Q -- come down to Catawba, does it not have a  
14 figure, point zero eight seven?  
15

16 A Yes. I took my figure out of the next column.  
17 Obviously I was off by one sector. The northeast south-  
18 west one reads point two zero seven. And that's one  
19 which I took by mistake.

20 Q So, you would correct your testimony accordingly,  
21 then?  
22

23 A No. My testimony -- perhaps it did not say  
24 the context in which I was giving it. The context of my  
25 testimony, I do not intend to give exact figures because,

#11-3-SueT

2 as a statistician, I know that the figures I am using  
3 here and that are available contain large amounts of error.  
4 I would not expect that I am right to within half an  
5 order of magnitude.

6 What I was trying to illustrate was the reasons  
7 why I could not accept, as my own feeling of personal  
8 danger, the lower bound that was given in the report and  
9 trying to indicate the reasons why, namely that I live  
10 in a section of Charlotte towards which the wind generally  
11 blows from Catawba, that the Catawba plants between them  
12 have eighty years of reactor life, that the population  
13 density is much larger in this section than it is in the  
14 majority of the annular ring which was considered, and  
15 that my personal evaluation of preparation was somewhere  
16 perhaps in the neighborhood of a summary or even less  
17 preparation.  
18

19 And on the basis of those, I said that my  
20 own subjective evaluation as taking the available data,  
21 the data that was available to me, was that somewhere  
22 between thirty-five to three hundred and fifty, not  
23 early fatalities but people being exposed to 200 rem.  
24 I should correct that. During the life of the Catawba  
25



#11-4-SueT,

1 reactors using the best that I could get of the NUREG  
2 figures, and assuming a somewhat imperfect preparation  
3 plan, and from my point of view, I thought this was  
4 favorable towards saying that the cost of a good prepara-  
5 tion plan, since it could make the difference between  
6 thirty-five and three hundred and fifty early fatalities,  
7 and that that brought heavy exposures, that that would be--  
8 that order of magnitude, starting from such a large base  
9 would be something that is worth considering.

11 I do not purport to say that these figures are  
12 right. And instead of thirty-five to three fifty, I  
13 would agree with you that it should be perhaps as low  
14 as, be one third of that, ten to a hundred and ten.  
15 I don't think that the accuracy of the figures are great  
16 enough for me to hesitate at all in saying that there is  
17 that much uncertainty on my own part.

19 The figures you showed me were for 1975-1977  
20 wind conditions Weather conditions this year have  
21 been a heck of a lot different. Some years I get my  
22 figure depending on when the -- if there were an accident,  
23 the 1975-1977 figures might be appropriate, since apparently  
24 neither you nor I know whether the data is -- puts me  
25

#11-5-SueT

2 really less at risk than I should know myself to be or  
3 less at risk.

4 I have to just say I don't know. As little  
5 as I know about meteorology, I would say that there is  
6 quite a bit of change in wind direction variation from  
7 year to year, though, in long period swings.

8 Q You mentioned half an order of magnitude of  
9 a wind direction frequency.

10 A The data that you showed me and asked me to  
11 show where I got my figure from, I said I got it from  
12 the next sector instead of the sector I'm in. I would  
13 say that -- I would guess that any of those percentages  
14 there could be changed by a factor of two, up or down,  
15 and that I would not be surprised if we could look at  
16 an eighty year -- forty year, rather, history.

17 Q Is a factor of two a half an order of  
18 magnitude?  
19

20 A No. Half an order of magnitude would be half  
21 of ten, or five.

22 Q So the record is clear, then you are revising  
23 your statement with respect to the dose factor, half an  
24 order of magnitude could be two?  
25

#11-6-SueT

2           A       I'm saying that I'm waving my arms and all  
3           the figures we are dealing with are highly uncertain  
4           here. And I certainly would welcome any reason to worry  
5           less or more than I am here. I am trying to present a  
6           line of reasoning for the residents of southeast Charlotte  
7           and somebody who has had experience in trying to integrate  
8           information such as is made available here, I feel that  
9           the evacuation plan is something that I would like to see.

10                   I'm just an informed person who has expertise  
11           in trying to do something with probabilities and numbers.  
12           I'm not saying they are exact. We don't know. As we  
13           have agreed, we don't know what the standard deviations  
14           are, how much variability there is from year to year,  
15           or how much of an error has been estimated in all the  
16           numbers we are talking about.

18                   I might call your attention to the fact, along  
19           the same line of reasoning, that the figures that we are  
20           using are based on having twenty-three percent -- pardon,  
21           twenty-three percent basements whereas only sixteen percent  
22           of the private homes do have basements, according to the  
23           report in the southeast. So, the figures given on that  
24           basis are erred in the upper direction.  
25

#11-7-SueT

1 JUDGE MARGULIES: Do you have much more on  
2 the examination of Mr. Twery? It would probably be  
3 an appropriate time to break here.

4 MR. MC GARRY: Fine. We can break now. Yes,  
5 Your Honor, based on the questions thus far and the  
6 length of the answers I think it would take more time.

7 JUDGE MARGULIES: We will recess until two  
8 o'clock.

9 MR. GUILD: Before you recess, may I have  
10 some clarification about the time allocations? I  
11 wasn't clear about whether the reversal meant Applicants  
12 and Staff are to divide the four hours and fifteen  
13 minutes.

14 JUDGE MARGULIES: That is correct.

15 MR. GUILD: And we have an hour and thirty --  
16 yes, minutes for redirect?

17 JUDGE MARGULIES: That is correct.

18 MR. JOHNSON: Your Honor, I have a question  
19 on that last scheduling. To me, that doesn't represent  
20 what I understand to be the way in which the allocations  
21 were broken down. The entire time that was used up,  
22 it seems to me, by the Applicants four and a half hours,  
23  
24  
25

#11-8-SueT

2 and the Staff is going to get a part of that. Even if  
3 that is correct, that wasn't my understanding.

4 The whole remaining times, not accounting for  
5 the Board's time, is then allocated to the Intervenor?  
6 That doesn't represent what my understanding of the  
7 prior practice was.

8 JUDGE MARGULIES: That was my understanding  
9 of the prior practice, and what we did on 1 and 7.

10 MR. MC GARRY: I guess my logic is, Your  
11 Honor, when we have a shorter period of time we have  
12 to split it with Mr. Wilson, the Applicants and Staff.  
13 That hour and a half. That's the logic of why --

14 MR. GUILD: We have to split it between  
15 Palmetto and CESG, who are essentially identified in  
16 the same position on this issue as are Applicants and  
17 Staff with respect to the issues. And it seems imminently  
18 the way to do it.

19  
20 But I thought there was some unclarity about  
21 it and that's why I asked.

22  
23 MR. JOHNSON: My understanding was that there  
24 was a block given for the Intervenor and that was flip-  
25 flopped with the Applicants when it was the other way

#11-9-SueT

2 around, and that everything else, the hour and a half,  
3 or what have you, was everybody else, not just redirect.

4 JUDGE MARGULIES: Let's see if we can plan  
5 out the remainder of the time. What I have so far is  
6 that the Applicants have taken an hour and a half

7 MR. MC GARRY: I would suspect that we are  
8 going to be between an hour and a half and two hours.

9 JUDGE MARGULIES: In addition?

10 MR. MC GARRY: In addition. That would take  
11 three.

12 JUDGE MARGULIES: You pretty well balance  
13 out.

14 MR. JOHNSON: It seems to work out.

15 MR. RILEY: Mr. Chairman, Mr. Twery has to  
16 take a 6:35 plane. He has a rigid obligation tomorrow.  
17 I think it would be helpful in our planning to take note  
18 of that. He will have to leave here about 6 or a little  
19 before.  
20

21 JUDGE MARGULIES: Do you expect you will be  
22 taking your full hour and a half?  
23

24 MR. GUILD: I certainly hope not, Your Honor.

25 JUDGE MARGULIES: You will see how things

#11-10-Sue

develop?

2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. GUILD: I will have to see. The record should reflect that the witnesses are doing ably on their own and probably don't need any further questions from me. But I really do need to ask that we have the hour and a half.

JUDGE MARGULIES: We will let it go at that and recess for lunch.

MR. RILEY: Until?

JUDGE MARGULIES: Until 2 o'clock.

(Whereupon, the hearing is recessed at 12:58 p.m., to reconvene at 2 p.m., this same day.)

end #11

Jim flws

1 AFTERNOON SESSION

2 (2:00 p.m.)

3 JUDGE MARGULIES: Please come to order.

4 We will resume the hearing

5 Whereupon,

6 JESSE L. RILEY

7 STEVEN C. SHOLLY

8 and

9 RAY TWERY

10 resumed the stand as witnesses on behalf of Intervenors and,  
11 having been previously duly sworn, were further examined and  
12 further testified as follows:

13 CROSS-EXAMINATION

14 BY MR. MC GARRY:

15 Q Mr. Twery?

16 A (Witness Twery) Yes, sir.

17 Q On page 2 of your testimony you indicate the  
18 density of population in your sector is ten times greater  
19 than the average density for the entire 50 mile radius;  
20 is that correct?

21 A Yes, sir.

22 That was intended as a round number.

23 MR. MC GARRY: I will show a document to your  
24 counsel first.

25 (Pause)



1 BY MR. MC GARRY:

2 Q I would like to show you a document from the  
3 FSAR, Final Safety Analysis Report, and I am looking at  
4 Table 2.1.3-13, which bears the caption, "2000 Projected  
5 Population Distribution, Zero to 50 Miles." "2000" being  
6 the year 2,000.

7 There is also another table, Table 2.1.3-11,  
8 which is "1981 Projected Population Distribution, Zero to  
9 50 Miles."

10 A (Witness Twery) What is the source of the informa-  
11 tion in this document.

12 Q This is the Final Safety Evaluation Report, I have  
13 shown you Volume I that we looked at earlier; this is one of  
14 the documents that Duke has submitted in this proceeding.

15 Now --

16 A I still don't know the source? Were these Duke's  
17 estimates about each of their areas?

18 Q That's correct.

19 Now, if we look at the total figure for the 50  
20 mile circle, if you will --

21 A Yes.

22 Q -- it's 1,656,093; is that correct?

23 A That's what it says; yes.

24 Q And you're in the east-northeast sector --

25 A Um-huh.

1 Q -- so the total population for that sector is  
2 218,184; is that correct?

3 A That's the number it says there.

4 How long are these sectors? This is a slice of  
5 pie that is labeled east northeast?

6 Q That is correct.

7 A And it is -- extends from the Catawba plant out  
8 towards Charlotte, how far?

9 Q 50 miles.

10 A 50 miles; okay.

11 Q Now, if one were to ascertain the population  
12 density, isn't it appropriate for one to divide that figure  
13 -- let's take the total population of 50 miles -- by  
14  $\pi r^2$ ? -- to get the area of that circle, and divide  
15 that into the total population to give you the population  
16 density?

17 A Population density per square mile; yes.

18 Q And I calculate that to be approximately 210?

19 A Um-huh.

20 Q Would you accept that, subject to check?

21 A Yes, I assume your arithmetic is right.

22 Q And then if we look at the east northeast sector,  
23 would it be appropriate to divide that by  $\pi r^2$   
24 divided by 16?

25 A Since it's 1/16 of a circle; yes.

1 Q And I calculate that to be 444.

2 A Your calculation is quite correct, sir.

3 But it has no relevance to my statement.

4 Q Why is that?

5 A You're talking about a slice of pie that is  
6 50 miles deep, and I believe you said I was 14 miles from  
7 Catawba?

8 Q That is correct.

9 A Now, I would say in looking at the map here that's  
10 on the wall (indicating) that 50 miles from Catawba will  
11 take you far through northeast Mecklenburg County and  
12 that part of the pie which has the largest part of the area  
13 of the slice is the part that's least densely -- least densely  
14 populated.

15 And so, I'll agree with you that the slice of  
16 pie that you named is only twice as dense as the area  
17 altogether; but, still, if you looked at the part that I  
18 lived in, which is within the EPZ, which is what, about 20  
19 miles from Catawba to downtown Charlotte? -- that part of the  
20 slice has -- would certainly have less than a third of  
21 the area in the whole slice of pie, and at the same time  
22 would have a much -- much of the population in the pie.

23 Based on the figures that you just showed me  
24 I would say that maybe my 10 is high, and maybe it only should  
25 be 8.

1           If we could look at census tract data, and  
2 could look at my census tract, and compare the area of my  
3 census tract with the population recorded in 1980, that  
4 would very strongly persuade me I was wrong if the figures  
5 came out to be very much more different than 8 to 10.

6           Q       But you did not perform that --

7           A       No, I did not, sir.

8                    The 10, as I say, is a ballpark figure.

9           Q       One of the points of confusion I had in my mind --

10          A       Yes, sir.

11          Q       -- is you take a 50 mile circle, and you look at  
12 the population in that 50 mile circle; and you do go out 50  
13 miles --

14          A       I didn't, sir.

15                    Who are you saying goes out 50 miles?

16                    Your figures do here. The NRC study --

17          Q       Your testimony, density of the population in this  
18 sector is 10 times greater than the average density for the entire  
19 50 mile radius --

20          A       Yes, sir.

21          Q       All right.

22                    So, you are --

23          A       I was trying to relate to the publication.

24          Q       Going out to a 50 mile radius? Okay.

25          A       Okay, I was correct in that one number anyway.

1           Q       And you use that on the one hand, 50 miles; and  
2 you get a population density; but then on the other hand,  
3 rather than taking a smaller 50 mile sector, you take an  
4 individualized sector; and to me it seems like there's a  
5 comparison of apples and oranges?

6                    Tell me why I am incorrect?

7           A       I don't think the 50 mile radius is certain from  
8 everything I've heard here today, and I am not an expert  
9 in what happens when you -- to nuclear contamination, how you  
10 get contaminated, how this happens, depending on meteorological  
11 or other nature of accident conditions, but the little bit  
12 I've heard seems to indicate that people are worried about  
13 shorter distances, say, 25 miles radiuses or something like  
14 that.

15                   So I don't understand why the 50 was used -- the  
16 50 was used by the NRC, and I assume with good reason.  
17 Although I don't know what those reasons are.

18                   For the -- my own personal reason, my personal  
19 basis for selecting a -- considering a much smaller sector,  
20 a sector of a much smaller circle, is that the only thing  
21 we're talking about here today is the part of Charlotte that's  
22 between downtown Charlotte, basically, and the Catawba  
23 reactor.

24                   That isn't 50 miles. And I'm only interested in,  
25 given the fact as I said once before, conditionally, given that

1 I live within this section of Charlotte, what's happening?

2 Q I understand that. And I understand why you  
3 focused on that sector.

4 But, you then compare it to a number that goes  
5 out 50 miles, and then back down to get a figure that you  
6 cite in your testimony?

7 A Yes, sir.

8 Q So at some point in time you are recognizing  
9 that here you can't go out 50 miles and get this data.

10 But let me ask you this question:

11 Are you familiar with the analysis and input that  
12 went into the Staff's derivation of this 50 mile radius  
13 figure?

14 A All I know is they report a 50 mile radius figure,  
15 and I didn't see any substantiation as to what the SOP --  
16 standard operating procedure -- is for what size area to  
17 consider.

18 And I presume that it is to make the computer  
19 simulation amazingly more complicated and involved. If they  
20 had looked at the fact that population density varied  
21 throughout the disc, so they assumed a homogeneous disc.

22 Q That's what you say. You say, apparently they  
23 assume this uniform --

24 A Yes.

25 Am I correct that this is essentially what the --

1 Q Well, I want to ask you to turn your attention to  
2 the Final Environmental Report --

3 MR. GUILD: For the record -- I am not clear on  
4 this:

5 Is counsel indicating that the data in 0921  
6 was the year 2000? Because that was the substance of your  
7 question.

8 MR. MC GARRY: No, it's page 537.

9 BY MR. MC GARRY:

10 Q Do you have the Final Environmental Impact  
11 Statement before you?

12 A (Witness Twery) I think there may be one available  
13 to me; yes.

14 Q Turn to page 5-37.

15 A Um-huh.

16 Q And there at the bottom of the page I read as  
17 follows: "Environmental parameters specific to the site  
18 of Catawba Station have been used include the following:"  
19 And the second bullet is: "Projected population to the year  
20 2000 extending through a region of 80 kilometers -- 50 miles--  
21 and 563 kilometers -- 350 mile radius from the site."

22 Is that correct?

23 A Yes, you are reading correctly.

24 I'm with you there.

25 Q Mr. Sholly, let me ask you a question based on

1 your experience:

2 Is it common practice in the NRC to spread  
3 population out uniformly in an FES analysis?

4 A (Witness Sholly) Well, I've reviewed CRAC outputs  
5 perhaps a dozen analyses, and what they do -- I think it's  
6 1970 census data which they have available; and what they  
7 do, they assign it to sectors and divide the entire area  
8 considering all existing compass directions.

9 And then the CRAC code allows 34 distance  
10 increments out from the plant, and you assign population to  
11 the wedges and distance interval from the plant.

12 And it's based on census tract data that was  
13 available for 1970.

14 Q So those set points as you go out could have  
15 different population densities?

16 A Yuh, now, each of those pie slice and distance  
17 slice, then, the population density within that is considered  
18 to be uniform; but each one of those little pieces is  
19 different from another.

20 A (Witness Twery) Is that --

21 Q There is no question pending.

22 Mr. Twery, now directing your attention to the  
23 bottom of page 2, you talk about the uncertainty factor of  
24 1 to 100, 10 to 100 --

25 A Yes.



1 Q Do you see that at the bottom of the page of  
2 your testimony?

3 A Yes, sir.

4 Q Would a professional statistician always pick  
5 values that would give you the worst-case consequences?

6 Wouldn't a statistician use the mean or some  
7 representation of a distribution for decision-making pur-  
8 poses?

9 A It would certainly vary by the statistician,  
10 what school the statistician was for, what kind of decision-  
11 maker the information was being presented to, the nature  
12 of the decision, and all.

13 In commercial decision-tree uncertainty analysis  
14 that I have done the typical thing has been to present some  
15 idea of what the probability distribution is, including  
16 stating what the mode is of the probability distribution;  
17 and to usually state with the tenth to the ninetieth  
18 percentile were to give the full idea of the -- where the  
19 bulk of the probability would seem to indicate that you  
20 were.

21 Q And the uncertainty could go up or down, correct?

22 A The purpose of giving the tenth and the ninetieth  
23 percentile idea would be to show that there was a range  
24 and just how narrow it might be, where reality might be  
25

1 or where we might end up.

2 Q Would you multiply .35 times -- 10.35 times  
3 100?

4 A Yes, sir.

5 That was the numbers that were recorded by -- in  
6 the -- I don't know what page it's on -- in FES in the draft;  
7 there was the -- the technical statement was made that  
8 these probabilities are not wrong much; they might be wrong  
9 by a factor of 10. They are unlikely to be wrong by more  
10 than a factor of 100.

11 Q Couldn't then the value be .01 that you multiply  
12 the .35 by?

13 A I don't have the statement in front of me and it  
14 would take me a while. I don't want to use up all your time  
15 trying to find it in the Draft Environmental Statement.

16 My interpretation was that if the probabilities  
17 -- the basic approach that was being made in the particular  
18 paragraph in which the factors of 10 to 100 was offered,  
19 were given with the idea that for various reasons it's  
20 conceivable that the numbers given were actually toward the  
21 lower end of what the probabilities of an accident might be  
22 or damage might be; but that's -- 10 to 100 was certainly  
23 the worst that it could get beyond that.

24 Somebody just found that reference for me?

25 This is the Final Environmental Statement, and it's

1 pages 5-47, and it's the last sentence in the next to the last  
2 paragraph.

3 Yes.

4 Q Page 5-47 of the Final Environmental Statement?

5 A Yes, yes.

6 Q And that gives the qualitative judgment of the  
7 Staff that the uncertainty bounds could be well over a factor  
8 of 10, but not as large as a factor of 100?

9 A Yes. That is the phrase I was --

10 Q And that uncertainty can go both ways? Isn't  
11 that correct?

12 A At this time you could interpret that it might  
13 go both ways.

14 And I would agree that maybe the uncertainty could  
15 go in either direction. I don't know what the intent of the  
16 Staff was. Certainly reading the one statement by itself  
17 at this time indicates that the Staff may have meant they  
18 could -- that their probabilities could be too high as well as  
19 too low.

20 That was not the way I interpreted the sentence  
21 at that time, at the time I extracted the information.

22 Q Turn to page 3 of your testimony.

23 A Yes, sir.

24 Q About 10 lines down you say, "we are talking about  
25 an expected economic cost of \$35 million to \$350 million just

1 from early fatalities."

2 A It should have been -- a correction, too -- just  
3 from people with over 200 rem exposure.

4 Q But let's just explain, let's talk about that  
5 for a second.

6 The premise is \$1 million per life?

7 A Yes, sir.

8 Q Now, are you going to change your testimony and  
9 say it's \$1 million per injury?

10 A No, sir.

11 I would accept the fact that Mr. Riley corrected  
12 me; 200 rems I unfortunately extended to say that the person  
13 would be killed for sure instead of just sick.

14 Q So then that correction would modify this  
15 statement?

16 A It certainly would. I don't know if anybody can  
17 provide a statement -- that somebody can provide to me  
18 some idea of what happens when somebody gets 200 rem immediate  
19 exposure, I'll be glad to use that information to change  
20 my statement here.

21 Q Well, absent that knowledge, then, you don't have  
22 a basis for making any cost reductions; isn't that right?

23 A The cost projection, absent that knowledge, I  
24 would say that it would be somewhat less than that ballpark  
25 that I showed here; yes, sir.

1 I don't know how many million dollars it would be.  
2 I'm just used to thinking of things in dollar  
3 values. I had felt that this economic basis was used for the  
4 Catawba reactors and should be put into service, that the  
5 same basis might be appropriate as part of considering whether  
6 the cost of extending the evacuation area to southwestern  
7 Charlotte might also there be an economic consideration.

8 Q Well, Mr. Twery, let's just look at these numbers --

9 A Yes, sir.

10 Q You state there the expected economic loss,  
11 and what you've done is you, on page 2 you walk through  
12 starting with a base number and put on there as a factor so  
13 you finally get a factor that it is 35 to 350; and then you  
14 apply \$1 million to that; and you get \$35 million to \$350  
15 million; correct?

16 A Yes, sir.

17 ENDT12JRB  
18 Joefls  
19  
20  
21  
22  
23  
24  
25

13-1-Wal

1 Q Yes, I think we have just gone through and  
2 determined that with respect to the uncertainty, you factored  
3 in the high side of uncertainty. You didn't factor in the  
4 low side of uncertainty.

5 So, I ask you rather than being the expected  
6 economic cost, wouldn't this be the maximum, if indeed we  
7 are talking about fatalities?

8 A I am not sure, sir, because I haven't looked  
9 at the uncertainties on the other side. I do not know what,  
10 -- if you are going to say economic costs, then I don't know  
11 what the economic cost is of people who have gotten between  
12 25 and 200 rem exposure. I don't know what the economic  
13 cost is of the loss of my house permanently that nobody  
14 is going to reimburse me for it.

15 I don't know what the increase above the two  
16 original point 0022 figure should have been, because  
17 of using an actual expected value instead of a lower bound  
18 for the expected value of loss, which was the place that  
19 I started from.

20 Q Right.

21 A I don't know whether that .0022 should be .0024  
22 or point 0032, or just exactly what it should be, because  
23 we have fewer basements in the southeast than they do in the  
24 northeast. We may even have fewer brick houses in the  
25 southeast than they have in the northeast. There are lots

13-2-Wal

1 of factors in both directions. The only thing I am trying  
2 to say is in my personal evaluation -- one could say that  
3 a reasonable set of assumptions could lead to a much larger  
4 value than the middle area, and I am not saying that the  
5 middle area in FES is wrong.

6 I am saying that there is a logic that one could  
7 go through to say that a person living in the southeast  
8 area of Charlotte might actually have a little bit more  
9 interest in an evacuation plan than a surface acceptance  
10 of the figures given in FES might indicate.

11 And I wouldn't say that even within a factor of  
12 a hundred that any of the numbers that I have given here are  
13 really correct. I am not absolutely positive of that,  
14 because I am not even sure if I used the exact figures right  
15 from your original study that you showed me, or the  
16 meteorological data that was actually used in the DES, how  
17 much different things would look.

18 I am just trying to say that because of the way  
19 that things were done, the best that I could determine from  
20 the sources of data that were generally available, it seems  
21 reasonable to assume that one possibility is that there could  
22 be extensive economic costs. The expected value of economic  
23 costs from radiation damage over a period, the life of the  
24 reactors, might actually be a considerable amount rather than  
25 an amount of less than a million dollars.

13-3-Wal

1 If you would agree with me that a figure between  
2 five million and fifteen million was a reasonable number --

3 Q Your Honor, I am going to have to stop him.

4 A I am sorry.

5 Q I do have time constraints.

6 A Excuse me.

7 JUDGE MARGULIES: I look upon counsel, if they  
8 feel they have time constraints, to raise the objections.

9 MR. MCGARRY: That is what I am doing at  
10 this point.

11 WITNESS TWERY: Excuse me.

12 BY MR. MCGARRY: (Continuing)

13 Q Mr. Twery, at the bottom of page 3, you talk about  
14 resettlement costs of a hundred and twenty-five dollars per  
15 person. You say it seems low by the factor of 10 to the 3  
16 and 10 to the 5, isn't that correct?

17 A Yes, sir.

18 Q Now, what do you entail -- what do you mean by  
19 the term, 'resettlement?'

20 A I am saying that is resettlement consists of  
21 more than bread, water and bed for one week, and includes  
22 the fact that I have -- I no longer have a home that I can  
23 use, or two cars that I can use, dead dog, dead trees, dead  
24 everything, whatever else that I can't use, and I have to  
25 resettle in total, that the total amount of that resettlement



13-4-Wal

1 cost, defining it that way, would certainly be much more  
2 than a hundred and twenty-five dollars.

3 Q What would it be when you apply these factors  
4 of 10 to the 3 and 10 to the 5?

5 A Ten to the 3, I would say 125,000.

6 Q And 10 to the 5?

7 A You would add two zeroes, two zeroes to that,  
8 and take it over a million dollars.

9 Q What would it be. If you add two zeroes, that  
10 would be --

11 A That would be twelve-five, sir.

12 Q Twelve million, five hundred thousand dollars  
13 per person?

14 A That is correct. I am saying it would be  
15 somewhere between a hundred and twenty-five thousand, and  
16 twelve million -- am I off one? If I put three zeroes after  
17 it, it makes it a hundred and twenty-five thousand. If I  
18 put five zeroes after it, it is twelve million, five hundred  
19 thousand. It certainly is a very large ballpark, but I think  
20 you will agree that my hundred and twenty-five thousand  
21 is rather modest.

22 My house and cars and furniture costs that much,  
23 or more than that replacement value.

24 Q Now, you have the yellow book in front of you,  
25 the FES?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A I can get that, yes, sir.

Q And turn to page F-3.

A Appendix F-3?

Q That is correct.

A Yes, sir.

Q And just above Section F .2. The sentence just above, for either of these situations, the cost of evacuation and relocation is assumed to be a hundred and twenty-five dollars (1980 dollars), per person, which includes cost of food and temporary sheltering for a period of one week.

A Yes, sir, that is where I agreed with you on my previous statement. I said if you could include in settlement cost total resettlement instead of just providing bread, water, and bed for one week, I think that a hundred and twenty-five dollars per person is quite low.

And that is another economic cost, redefining the term from the way it is used in that sentence.

Q That finishes Mr. Twery. We do have a Motion to strike based on that last answer, that the relocation costs are an item that was ruled out by the Safety Board. We also move to strike item (c) on page 4. The adequacy of medical facilities, was ruled out by the Board on September 29, 1983 Order, at Page 5, and the relocation matter

was ruled out by the Board in March 5, 1982 Order, at Page 34.

1  
2 MR. GUILD: Mr. Chairman, if I could, belaboring  
3 the first point, the matter is belated. Mr. McGarry's  
4 motion to strike wasn't founded a bit on his examination  
5 of the witness. It speaks to the expressed terms of the  
6 prefiled testimony which we have had in front of us now  
7 for I don't know how many hours. Beyond that point, the  
8 Board may rule in or out of Contention, or rule in or out  
9 facts; the facts that are contained here are facts the  
10 witness focuses on with respect to his view that there  
11 has been an understatement of economic costs associated  
12 with various aspects of emergency planning in the purview  
13 of his testimony.  
14

15 It is not simply complete to say that the licensing  
16 board ruled out a contention on medical facilities without  
17 answering the issue of whether or not Mr. Twery can talk  
18 about the point. The Board has already ruled on that issue  
19 with respect to Mr. Riley's testimony. We believe that since  
20 the adequacy of the medical care is determinative of the  
21 consequences of the model in the FES, it is obviously  
22 relevant to his testimony, which focuses on the FES consequences  
23

24 Secondly, as to the resettlement costs, Mr.  
25 McGarry is simply off base in suggesting that the ruling  
on a contention that had to do not with the issue of

1 resettlement cost, but with the issue of feasibility of  
2 relocation as an emergency response measure should govern  
3 the issue of whether or not Mr. Twery can comment on the  
4 obvious inadequacy of the hundred and twenty-five dollar  
5 figure as an economic cost of one clear aspect of the  
6 emergency plan.

7 Both points are properly included in Mr. Twery's  
8 testimony.

9 JUDGE MARGULIES: The Board will deny the motions.  
10 In regard to the resettlement costs, the matter is fully  
11 explained on the record, and it is in the record, and it  
12 would serve no purpose to strike the testimony.

13 As to (c), we ruled on a similar objection twice  
14 previously, and the same ruling. The motions to strike are  
15 denied.

16 BY MR. MCGARRY: (Continuing)

17 Q Mr. Sholly, what do you believe are the major  
18 plant features that are important to characterize a release  
19 in the event of a core melt?  
20

21 A (Witness Sholly) Generally, or for ice condenser  
22 plant?

23 Q I will say -- why don't you start generally, and  
24 then give me --

25 A The probability of a release or the size of the  
release. I don't recall.

1 Q What are the important characteristics that one  
2 would focus on in determining in a core melt event, the  
3 amount of release that could be generated?

4 A The number of things being the operating history  
5 of the core up until the point of the accident, it would be  
6 a matter of what type of accident sequence you are in.

7 Whether it is a pipe break, or whether it is  
8 transient, that would affect the possible deposition of  
9 radioactive materials in the primary system. It would  
10 then depend on the status and functioning of engineer  
11 safeguards, ice condenser. It would depend upon the status  
12 of container heat removal, and determining at what point  
13 the containment might fail.

14 It would also depend on the interaction of the  
15 core material after the vessel is breached, whatever it  
16 winds up on, whether it is the containment floor, whether  
17 it is a pool of water. Exactly where the molten core  
18 material winds up after the vessel is breached.

19 Q The containment integrity would be important?

20 A Absolutely. All else aside, that is probably  
21 the single most important factor, all other things being  
22 equal.

23 Q Turning to page 19 of your testimony, you make  
24 reference to NUREG 1131.

25 A Yes.

13-9-Wal

Q What reactor site does 1131 consider?

1 A It doesn't consider specific site. It presumes  
2 a population density of a hundred persons per square mile.  
3 It uses meteorology from a particular site. I am not aware  
4 of anywhere within the document itself that it indicates  
5 which site was modeled.

6 If you consider the information that is in the  
7 Sandia Citing Study, for instance, it wouldn't make a huge  
8 amount of difference which site is used for this purpose.  
9 There are some exceptions to that; if you use a site that  
10 has an extremely frequent rainfall as opposed to a desert  
11 site, or something like that.  
12

13 You can get more extreme values. I presume that  
14 the authors were intelligent enough not to do that.

15 Q Now, with respect to your testimony in that  
16 part which relies on this NUREG/CR-1131, does that document  
17 use the reactor safety study release categories and  
18 category frequencies?  
19

20 A Yes. At some point in the analysis, segregates  
21 further the core melt release categories, which covers  
22 PWR-1 through 7, and segregates them into basemat melt  
23 events, in an atmosphere of containment failure event.

24 But in the particular dose versus distance  
25 consequences, are weighted by the relevant probabilities  
of each of the PWR-1 through 7.

13-10-Wal

1 Q As I understand it, Mr. Sholly, there are two  
2 weightings that are associated with those PWR categories.  
3 PWR release categories 1 through 5 are given one set or  
4 ratings, and PWR categories 6 and 7 are given another set  
5 of ratings, is that correct?

6 A I am not sure that is correct. If you can point  
7 me to something in the document that you may be relying on  
8 in asking your question, I will be happy to try to clarify  
9 it, but I don't think that is correct.

10 I am fairly confident it is not, because I have  
11 seen other calculations that individually use each PWR,  
12 calculate them separately, and those results are rather  
13 different.

14 Say comparing PWR-2 with PWR-5.

15 Q How are the dose calculations that are set forth  
16 in NUREG CR-1131 related to NUREG 0396?

17 A In many cases they are identical. 0396, in fact,  
18 reproduces many of the figures identically. There are  
19 additional things in NUREG 0396 beyond what was in 1131,  
20 and those relate to those calculations of design basis  
21 accidents.

22 Q You have some curves attached to your testimony,  
23 which I take it come from 1131, is that correct?  
24

25 A Well --

Q I think that is Figure 5.2? Figure 5.3?

13-11-Wal

1 A The ones I copied were from 0396, but I am sure  
they are reproduced somewhere in 1131.

2 Q You have several curves here. Figure 1-11,  
3 the first one. Isn't that 0396?

4 A Yes, it is.

5 Q That is 1-38 of 0396, I believe.

6 A 1-38, yeah, yeah, 0396.

7 Q Now, turning to the next page of your testimony,  
8 you have a set of curves figure, 5-2, 5-3, 5-9, 5-10 --

9 A Those are from 1131.

10 Q That was my question. How do those curves relate  
11 to 0396?

12 A They break out values into the melt through  
13 release categories in the atmosphere release categories,  
14 and show for both mean and 95 percent level, that level  
15 which is exceeded only five percent of the time, according  
16 to a couple of different sets of assumptions on emergency  
17 response or sheltering.

18 Q Now, doesn't 1131 perform two analyses? One for  
19 PWR categories 1 through 5, and another analyses for PWR  
20 categories 6 and 7?

21 A Yes. And if you look at the figures that are on  
22 the testimony, 5-2 and 5-3 are for PWR 6 and 7, the melt  
23 through release categories, and Figures 5-9 and 5-10 are  
24 the mean 95 percent results for the atmospheric release  
25



13-12-Wal

categories.

1 Q Now, looking at curves -- let's say 5-9, as I  
2 understand it, these curves are based upon PWR release  
3 categories, and the release probabilities of the reactor  
4 safety study?

5 A That is my understanding, yes.

6 Q And these curves are for PWR-1 through 5 release  
7 categories, is that correct?  
8

9 A That is right. Those release categories involving  
10 a core melt, and the failure of the containment to the  
11 atmosphere.

12 Q It is my understanding that you used these curves  
13 as a representation of all the release -- of all the Sequoyah  
14 RSSMAP release categories, is that correct?  
15

16 A For at least the atmospheric releases I think  
17 that is correct.

18 Q What releases did you not use them for?

19 A Well, I wouldn't have used PWR-1 through 5  
20 in a melt through scenario. Those would have been referred  
21 to Figures 5-2 and 5-3.

22 But for the atmospheric releases I used 5.9 and  
23 5.10.

24 Q And what fraction of the release scenarios are  
25 the core melt in RSSMAP?

A Well, the RSSMAP study referring to Chapter 9,

1 only concerned itself with the atmospheric release  
2 category, so it assigned the dominant accident sequences  
3 to release categories 1 through 5 because, for instance,  
4 the reactor safety study showed that those were the ones  
5 that tended to dominate risk, and that the melt through  
6 categories were of less importance.

End 13.

7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

#14-1-SueT

1 I should also note, referring to the section  
2 in the testimony where it discusses the differences  
3 between the PRA results for Surry and Sequoyah, this  
4 appears on Page 11 of testimony. Look at the second  
5 bullet on that page --

6 MR. JOHNSON: Could you give me that page  
7 again?

8 WITNESS SHOLLY: Page 11. If you look at  
9 the second bullet on that page, overpressure failure  
10 of -- that essentially makes the point that -- not  
11 the second, I'm sorry. It's on Page 12, the very last  
12 one, makes the point that containment base melt  
13 through sequences for Sequoyah are, at least by this  
14 study, always preceded by an overpressure failure to  
15 the atmosphere.  
16

17 BY MR. MC GARRY: (Continuing)

18 Q So, with respect to release category 6 and 7,  
19 and directing your attention to RSSMAP, for all intents  
20 and purposes, they don't consider those occurring; is  
21 that correct?  
22

23 A No, because you have an atmospheric failure  
24 before the containment base melts through. The only  
25

#14-2-SueT

2 way that would be important is if you are doing a full  
3 blown risk assessment and want to consider the pathway of  
4 releases.

5 Q Now, looking at Figure 5.9, doesn't PWR  
6 release category 2 dominate among the Reactor Safety  
7 Study release categories 1 through 5?

8 A Well, I don't think you can tell that from  
9 Figure 5.9 but in general PWR 2 dominated the consequence  
10 results. So, that's correct.

11 Q And with respect to RSSMAP, doesn't RSSMAP  
12 focus on Categories 3 through 5 as being the dominant?

13 A (Witness looking through documents.)

14 If -- do you have a copy of the RSSMAP study  
15 with you? You could look at this one.

16 If you go through Page 9-13, what this does is  
17 show a comparison using a bar graph or block diagram. The  
18 Surry results are depicted as the white blocks and the  
19 Sequoyah results are depicted as the ones with the small  
20 box in them.  
21

22 MR. JOHNSON: Could you list the page again,  
23 please?  
24

25 WITNESS SHOLLY: It's Page 9-13.

#14-3-Sue

BY MR. MC GARRY: (Continuing)

2 Q And would you concur, looking at that figure,  
3 that Categories 3, 4 and 5 dominate for RSSMAP?

4 A Perhaps 3 and 4 do. 5 doesn't figure in much  
5 because of the results for 2, 3 and 4.

6 Q And that's a logarithmic scale, is it not?

7 A Yes, I believe so.

8 Q Now, aren't release categories 3, 4 and 5 less  
9 severe than the Category 2?  
10

11 A Yes.

12 Q Yet your curves reflect dominance of release  
13 category 2, so they don't represent RSSMAP; isn't that  
14 correct?  
15

16 A To that extent, that would be correct. How-  
17 ever, if you look at the release fractions for the  
18 Reactor Safety Study release categories, taking a look  
19 at PRW 4 and 5, they generally involve -- well, less  
20 than ten percent release of iodine, cesium groups, and  
21 everything else. It's smaller than that.

22 Those releases would have to occur quite a  
23 bit more frequently than PWR-2 for them to actually  
24 dominate risk. I would agree with you that it's quite  
25

#14-4-SueT,

2 clear that they occur more frequently but their margin  
3 of difference is perhaps a factor of, what, two or three,  
4 perhaps, judging from Page 9-13. And without actually  
5 running consequence calculations similar to what they  
6 did in 0396 and using the Sequoyah values, I still say  
7 PWR 2 would still be dominate because the release fractions  
8 are so much larger.

9 Now, just for example if you were to have a  
10 plant where the difference in probability was, say, a  
11 factor of fifty or a hundred, between PWR 3 and 4 and  
12 PWR 2, then it might be a different situation. But  
13 this is only a factor of two or three.

14 Q Looking at Figure 1-9, 9-1 of the Sequoyah,  
15 isn't the percentage of releases of PWR categories 1  
16 through 5 much lower for RSSMAP than they are for the  
17 Reactor Safety Study?  
18

19 A Would you repeat your question again? I'm  
20 not sure I got it.

21 Q Now, directing your attention to Figure 9-1,  
22 isn't the percentage of releases of PWR Categories 1  
23 through 5 much lower for the RSSMAP than they are for  
24 WASH 1400?  
25

#14-5-Sue

2 A I don't understand the question, and I will  
3 tell you why, because both studies have releases in  
4 Categories 1 through 5. Release categories 1 and 2 have  
5 almost the same frequency as analyzed. 3 and 4 are  
6 more probable. And 5 is somewhat more probable.

7 I'm not sure I understand the gist of your  
8 question. If you were to sum the frequency for all of  
9 those release categories, Sequoyah would come out with  
10 the greater frequency of releases. And I doubt that's  
11 the point you were trying to make.

12 Q But your curves are conditional upon a  
13 release of Categories 1 through 5. It's not an absolute;  
14 is that correct?

15 A That's right. That's right. Ideally, had  
16 I access to the CRAC code setup, I could have input  
17 the relative frequencies of release categories 1 through  
18 5 representing Sequoyah into the code, and done the  
19 calculations. I did not have that opportunity.

20 Q Isn't it correct, though, it's a publicly  
21 available code?

22 A It is publicly available. It requires an  
23 extremely large computer to run it. A CEC 7600 is  
24  
25

#14-6-SueT

1 typical, and I simply don't have access to one. I  
2 could have great fun if I did.

3 MR. CARR: I'm sure you could.

4 (Laughter.)

5 WITNESS SHOLLY: That would have been the  
6 ideal thing to do, though, as I say.,  
7

8 BY MR. MC GARRY: (Continuing)

9 Q Now, directing your attention to Page 7  
10 of your testimony.

11 A Page what?

12 Q Page 7, Answer 9. And on this page you  
13 appear to have -- you focus on one mile.

14 A Yes.

15 Q Release category, whole body doses and  
16 thyroid doses at one mile and you assume no protective  
17 action for forty-eight hours.  
18

19 A That's right.

20 Q Are you familiar with Contention 11?

21 A Yes.

22 Q And what is your understanding of Contention  
23 11?

24 A It focuses on the expansion of the EPZ from  
25



#14-7-Sue

1 ten to seventeen miles. This was simply to indicate  
2 the variation in dose among the different release  
3 categories if no protective actions were taken. Granted,  
4 the results would be different at ten miles or seventeen  
5 miles, whatever distance you care to choose. These  
6 results were available, and I presented them simply for  
7 illustrative purposes.  
8

9 Q But not as representative of the situation at  
10 Mile 10?

11 A No, absolutely not. It very clearly refers  
12 to one mile. And it stands for two principles really.  
13 It shows you are going to need to do something at that  
14 distance and that you take the most optimistic assumptions  
15 you want to make about sheltering at that distance, and  
16 it doesn't buy you a lot of time for the long run.  
17

18 So evacuation would be absolutely necessary.

19 Q Now, with respect to Page 9 and 10 of your  
20 testimony, Answer 13, and you appear to acknowledge that  
21 for normal operations one can compare favorably the Surry  
22 unit and the Catawba unit, but then you continue on Page  
23 10 and say that for accidents it is not proper to assume  
24 a comparison; is that correct?  
25

#14-8-SueT

1 A Yeah, meaning in terms of risk or situations  
2 in which you would be concerned about emergency response,  
3 normal operations are essentially irrelevant.

4 Q Do you have the Final Environmental Statement  
5 before you?

6 A Yes.

7 Q Appendix E. Would you turn your attention to  
8 E, Page 1?

9 MR. GUILD: What page again, counsel?

10 MR. MC GARRY: E-1. I would just like to read  
11 several things to you and see if these statements have  
12 a bearing on your testimony.

13 BY MR. MC GARRY: (Continuing)

14 Q Paragraph 1. The results of the Reactor Safety  
15 Study (RSS) have been updated. The update was done  
16 largely to incorporate results of research and development  
17 conducted after the October 1975 publication of the RSS  
18 and to provide a base line against which the risk associat-  
19 ed with various LWRs could be consistently compared. Pri-  
20 marily the base line RSS results (NUREG/CR-1659) reflect  
21 use of advance modeling of the processes involved in  
22 melt down accidents.  
23  
24  
25

#14-9-SueT

2 And it continues. I will now move to the  
3 third paragraph.

4 The Reactor Safety Study Methodology Applica-  
5 tion Program (RSSMAP) has resulted in a review of domi-  
6 nant accident sequences for several plants. The Sequoyah  
7 RSSMAP risk assessment indicates the importance of  
8 hydrogen control measures for reducing the likelihood of  
9 failing ice condenser containment following severe  
10 accidents; Catawba has an ice condenser containment like  
11 Sequoyah. The Applicant for Catawba has plans to satisfy  
12 the Commission's requirement on hydrogen control; there-  
13 fore, the use of the Surry base line sequences is  
14 appropriate since a Catawba plant specific assessment of  
15 accident sequence is not available.

16 Do you agree with that statement?

17 A No, I don't.

18 Q What is the basis?

19 A There are several things which factor into  
20 this. I was aware at the time that I did this analysis  
21 that the RSSMAP did not account for the hydrogen control  
22 measures. I had a limited amount of time to do the  
23 analysis. I did not have available to me the liability  
24  
25

#14-10-Suq

2 data on the hydrogen control system. It would also re-  
3 quire some very detailed study going from scratch,  
4 probably taking several months. If the work has already  
5 been done, I would have needed access to it. You would  
6 need to establish the reliability characteristics of  
7 the igniters if there are any mechanisms by which they  
8 failed, if there were environmental conditions which  
9 could cause them to fail such as plugging by aerosol,  
10 whatever. You essentially need to consider not only the  
11 improvement in risk that you would get by installing  
12 the igniter but also the downside risk.

13 For instance, you could be in a situation  
14 involving a loss of power in which the igniters aren't  
15 working and nothing else is working essentially. The  
16 core melt release occurs in the containment, power comes  
17 back on. The sprays come on, the igniters come on, and  
18 you have a rather large burn. There is a whole litany  
19 of considerations that would be required to change the  
20 Sequoyah results to reflect the presence of the igniters.

21 I was not able to do that in the time I had  
22 available to me to prepare the testimony. Clearly, it  
23 would have an effect. How much uncertainty is introduced  
24  
25

#14-11-Sue

1 into that is hard to say. It could be a factor of ten;  
2 it could be more.

3 Now, on the other hand -- and this is also very  
4 important -- the Sequoyah RSSMAP study did not consider  
5 external events, nor do we have any idea of what external  
6 events could be a risk at Catawba. By external events,  
7 I'm speaking of events which are external to the system.  
8 And these include events like fires, earthquakes, tornados,  
9 hurricanes, in-plant floods. There is a list of a hundred  
10 or so possible external events in the PRA procedures guide.

11 If we assume that external events have no  
12 impact at all at Catawba, which may be a good assumption  
13 and it may be totally erroneous -- I have no idea -- if  
14 we are willing to make that assumption, then the results  
15 of my analysis would be very definitely effected by the  
16 presence of the hydrogen igniters. No bones about that.

17 On the other hand, we have no idea what ex-  
18 ternal events would do to the risk profile of either  
19 Sequoyah or Catawba.

20 Q Now, the 0396 analysis was drawn from the  
21 Reactor Safety Study; isn't that correct?

22 A That's right.  
23  
24  
25

#14-12-SueT

2 Q Does the Reactor Safety Study consider ex-  
ternal events?

3 A Yes and no. Yes, it did address fires,  
4 earthquakes, tornados, and it concluded they did not  
5 contribute significantly to risk, less than ten percent  
6 of overall risk, and attempted to make that argument for  
7 all plants.  
8

9 A subsequent analyses of Indian Point,  
10 Seabrook, and perhaps some others, have shown that that  
11 conclusion does not hold water on the site specific  
12 basis, that there are sites and there are combinations  
13 of reactor designs and the influence of external events  
14 that are very site specific, that can indeed have a  
15 tremendous influence on risk.  
16

17 And so I think that part of WASH 1400 is well  
18 recognized to be invalid and hasn't been relied on, to  
19 the best of my knowledge, for quite some time.

20 Q Did RSSMAP analyze external events?

21 A No, it did not. It was a very limited study  
22 attempting to bank on the work that had been done in  
23 RSS and extend that sort of analysis to include a couple  
24 of different types of containment designs.  
25

#14-13-Sue

2 If I may, for a minute, I can give you a  
3 reason why external events are very important for Catawba  
4 or Sequoyah.

5 Q If you don't mind, maybe your counsel could  
6 follow up on that. I appreciate it.

7 A Fine.

8 Q As I understand what you have just told us,  
9 Mr. Sholly, you have not performed any independent  
10 evaluation of the applicability of the Sequoyah RSSMAP or  
11 release category frequencies that would apply to Catawba?

12 A If you are asking me if I've done a Catawba  
13 specific PRA, absolutely not.

14 Q And the methodology you employed was to look  
15 at the RSSMAP and utilize the RSSMAP to draw your con-  
16 clusions; is that correct?

17 A Absolutely, the sole point to that being it  
18 should be more representative of the performance under  
19 severe accident conditions than those in the Surry  
20 analysis.

21 Q And that you've also indicated the presence  
22 of the distributive ignition system could have impact  
23 on your results?  
24  
25

#14-14-SueT

2           A       Yes, it could. And that would be in pretty  
3 much direct proportion to the reliability -- it would  
4 be pretty much in direct proportion to the reliability  
5 of that distributive ignition system.

6           Q       And if the reliability were good, then a lot  
7 of the release categories set forth in the RSSMAP would  
8 shift over to Category 7; isn't that correct?

9           A       I don't know.

10          Q       Maybe 6?

11          A       I don't know if that's true or not. But if  
12 whether at some later point you have no failure or not,  
13 that's one of the things we need to look at.

14                   But what it would do would certainly be to  
15 shift the probability of the release categories 2 and 3  
16 which are dominated by this hydrogen burn sequence down-  
17 ward. If, let's say, the reliability of the distributive  
18 ignition system is such that it only fails one chance out  
19 of a thousand, that would knock those down by about that  
20 much.  
21

22          Q       And you would more approximate Surry?

23                   Again, I'm asking you to assume that the igniters function  
24 and are reliable. If they function, you are going to get  
25



#14-15-Sue

closer to Surry; isn't that correct, from RSSMAP?

2

A I don't think it's possible to say, because

3

I don't know what happens if you burn that hydrogen with  
a distributive ignition system what happens after that.

4

5

6

See, the Sequoyah analysis stopped once the  
hydrogen burn fails the containment; that's essentially  
the end of the calculation.

7

8

9

You would need to carry your calculations

10

with whatever containment models you were going to use,  
past the point at which that distributive ignition burn  
would take place, to know what would happen.

11

12

13

14

end #14

15

Jim flws

16

17

18

19

20

21

22

23

24

25

fls Sue

- 1 Q Do you have a grid map in front of you?
- 2 A Yes.
- 3 Q Table 85, which is page 8-17.
- 4 A Yes.
- 5 Q That table is captioned "Ice Condenser PWR  
6 Key Accident Sequence Containment Failure, Mode, Probabilities,  
7 and Release Category." The left-hand column bears the caption  
8 "Sequence" and there they have some sequences that are of  
9 interest, the S1D, the S1H, the S2D, the S2H; is that  
10 correct?
- 11 A Yes.
- 12 Q And then if we go over and look at, let's say  
13 Release Category-3, don't those gammas indicate a hydrogen  
14 overpressure?
- 15 A Hydrogen burn, the deltas indicate an overpressure.
- 16 Q Hydrogen burn?
- 17 Now, if we eliminate those hydrogen burns through  
18 the proper functioning of the mitigation system, then those  
19 release categories will no longer remain, those sequences  
20 no longer remain release category-3; isn't that correct?
- 21 A What I see is that you have a split between the  
22 hydrogen burn categories, they clearly shift to the right  
23 somewhere; perhaps the containment wouldn't fail; perhaps it  
24 would fail at a later time leading to one of the lower  
25 release categories.

1                   But you also have those delta failures in there.

2           Q       Now, does that release category-7 indicate that  
3 that's where they're probably going to shift to?

4           A       I don't think it indicates here -- I suppose it's  
5 possible; but I can't tell from this.

6                   If the containment doesn't fail, clearly it goes  
7 to 7.

8           Q       What does the containment barrier pressure assumed?

9           A       I believe it was 45 pounds plus or minus a few  
10 pounds. I don't remember exactly; but that's the number that  
11 comes to mind.

12          Q       If you turn to page 8-4 of the RSSMAP?

13          A       Oh, I'm sorry, excuse me.

14                   Yuh, psia, it's 30 psia, plus or minus 3 psia.

15          Q       And are you aware of the fact that the Catawba  
16 -- that the SER reflects a containment pressure of 72 psig?

17          A       I was not aware of that.

18          Q       Thank you.

19                   We mentioned it yesterday. Do you have the Safety  
20 Evaluation Report?

21          A       No, I don't. I've not seen that.

22          Q       Counsel has; we talked about it yesterday. It's  
23 page 3-24, it's paragraph 22 on the left-hand side.

24          A       Um-huh.

25          A       (Witness Riley) I think it should be added at this

1 point that yesterday it was also the testimony that at  
2 McGuire the Engineering Department of the State of Iowa  
3 made a calculation under NRC contract, and found the average  
4 failure pressure for the McGuire containment would be  
5 80 psig, with a standard deviation of plus or minus 20 psig.

6 And I feel that the inclusion of the standard  
7 deviation would contribute much to the interpretation of  
8 this 72 psi that's just gone in the record.

9 A (Witness Sholly) Have you question about  
10 proposing about 72,000?

11 A (Witness Riley) Okay.

12 Q Do you know what effect a higher containment  
13 pressure would have?

14 A (Witness Sholly) For any accident sequence which  
15 does not bypass the containment; and the only one that does  
16 in that study is Event-Z. You might also have steam generator  
17 tube ruptures which would bypass the containment, but those  
18 weren't included.

19 For the sequences which don't include containment  
20 bypass, it could delay containment failure for some of those  
21 sequences to a later time, at which fission products move  
22 and systems would have a chance to operate; natural deposition  
23 certainly would have a chance to; and it's possible that  
24 the releases could be lower.

25 Without the details of the MARCH analyses

1 for such sequences it may be possible that some of the  
2 sequences wouldn't change all that much; it would depend on  
3 how fast the pressure was rising and what's driving that  
4 pressure rise.

5 In other words, whether it's water sources or  
6 whatever it is, and some factor that would terminate pressure  
7 before it would reach 70 pounds.

8 There's no nice, easy, simple, answer for it.

9 MR. MC GARRY: May I have the Board's indulgence?  
10 I have one more question.

11 (Pause)

12 MR. MC GARRY: Thank you, your Honor.

13 Thank you; that concludes our cross-examination.

14 JUDGE MARGULIES: Staff has cross-examination?

15 MR. JOHNSON: Thank you.

16 CROSS-EXAMINATION

17 BY MR. JOHNSON:

18 Q Mr. Sholly, I'm George Johnson.

19 A (Witness Sholly) Hi. While we're hot, you'll  
20 start with me; okay.

21 Q I'm George Johnson of the NRC Staff.

22 In your testimony on page 17 in answer to  
23 Question 19, you state, "NUREG-9396 serves as the explicit  
24 technical basis for the size of the plume EPZ, and therefore  
25 represents a logical starting place."

1           Now, as I read from the document, NUREG-0654,  
2 Revision-1, the planning basis -- it's on page 12 -- the  
3 size, about 10 miles radius, of the plume exposure, EPZ,  
4 is based primarily on the following considerations:

5 A) Projected doses -- do you have it before you?

6           A       Yes.

7           Q       So, it's A, B, C, and D. It's written in several  
8 places in your testimony. And these planning bases for  
9 these -- bases for the 10 mile EPZ are derived from NUREG  
10 0396.

11          A       Perhaps with the exception of B.

12                   And D say that detailed planning within 10 miles  
13 will provide a substantial base for expansion of response  
14 efforts in the event it is proved necessary.

15                   I don't recall seeing anything in 0396 about  
16 However, it was in the Commission's Statement of  
17 Considerations on the Emergency Planning Rule. And I got that.

18                   If it is in 0396, I'd like to be aware of it.

19          Q       There is a statement that I'll show you; it's on  
20 page 16.

21          Q       In the main report?

22          Q       Yes.

23          A       Okay.

24          Q       It's the first full sentence on page 16, four lines  
25 down.

1           A       Thank you.

2           Q       Now, as I understand your testimony, one of  
3 your problems, the major difficulty with NUREG 0396 that's  
4 a planning basis for determining the 10 mile zone, is that  
5 it's not a Catawba-based -- it's not based on a PRA for  
6 Catawba; it's based on other analyses.

7                   Is that correct?

8           A       Yuh. It would ideally be the case it would be  
9 based on a plant-specific analysis.

10          Q       If you were to put that difficulty of yours aside,  
11 would you agree that those four bases constitute a proper  
12 foundation for determining the size of the EPZ?

13          A       No. And let me explain why:

14                   Two principle points: first of all, item D on  
15 page 12 of NUREG 0654, if you consider for a moment what  
16 the implications are for an area the size of Charlotte,  
17 a town the size of Charlotte, on the immediate boundary of  
18 EPZ, in terms of emergency response, the things that would  
19 be done, I would venture to say that you would find that  
20 -- a greater concentration of special facilities: hospitals,  
21 schools -- to go on and on. You name it. -- in a much  
22 smaller area.

23                   And you have an entirely different qualitative  
24 situation:

25                   The population is much denser. The river network

1 is a little more restricted. Qualitatively it's a different  
2 situation.

3 I would agree that in most cases where you do not  
4 have the precedence of a fairly sizeable metropolitan area  
5 just outside an EPZ that D is probably true.

6 Where you have a densely populated metropolitan  
7 area on the immediate perimeter of the 10 mile EPZ, I  
8 don't think that holds an ounce of water.

9 And that is one of the key reasons why I recommend  
10 that some degree of planning be done for Charlotte.

11 And I think the testimony makes pretty clear later  
12 on, and not necessarily recommending that all of the things  
13 one would do within ten miles would be necessary for this  
14 extension. You would not need sirens. It could probably  
15 be demonstrated that one could go out with fire equipment  
16 and stationary sirens and notify -- an EBS message -- and  
17 notify a sizeable fraction of the population, without  
18 referring to more extreme measures, like, putting sirens up  
19 on top of skyscrapers and such.

20 But the basic point, the basic thrust of this is  
21 that ad hoc actions have a higher chance of failure in an  
22 emergency, populated, area than they do when you're in a  
23 less densely populated situation where basically you may have  
24 a few hundred people per square mile.

25 And my second problem with these four point is,



1 that there seems to be an excessive focus on early fatalities  
2 as a consideration in emergency planning.

3 Certainly the avoidance of early fatalities is  
4 important. But you cannot stop there.

5 And NUREG 0657 is the overall goal of emergency  
6 planning is to minimize population dose. But then it doesn't  
7 really seem to me it follows through on that in determining  
8 the EPZ.

9 In other words, a significant chunk of your  
10 population dose from release categories occurs outside 10  
11 miles.

12 Certainly it can be knocked down by sheltering  
13 and relocation, but again, if you are not an extremely  
14 densely populated area, ad hoc actions will probably get you  
15 by.

16 If you're a densely populated area I think the  
17 chances of getting by on an ad hoc response are much less.

18 And in my view that argues for some real planning,  
19 assessing what your capabilities are, how fast you can  
20 implement them, some degree of public awareness that, you know,  
21 you may be called upon to do this so it doesn't take them by  
22 complete surprise.

23 And I think those minimal steps greatly improve  
24 your chances of success in implementing an emergency response  
25 in that area immediately outside the EPZ where you have a

1 dense population.

2 Q Are you aware that the testimony of Mr. Broome in  
3 this proceeding with regard to the status of emergency  
4 planning for Charlotte-Mecklenburg County, and the fact that  
5 the emergency planning staff and command is already a part  
6 of the emergency planning for Catawba?

7 A I didn't get the testimony until very recently.  
8 I didn't have time to look into it in great detail. I do  
9 remember some testimony to that effect.

10 And that would indicate that, at least, some of  
11 the initial work that would need to be done to include  
12 Charlotte has perhaps already been done.

13 Q Are you also aware that there's an All-Hazards  
14 Plan?

15 A That's not at all atypical for a large city.

16 Q For Charlotte-Mecklenburg?

17 A I am aware that it exists, yes.

18 Some of the problems you run up against with all-  
19 hazards plans is that they tend to be focused on small areas;  
20 for instance, a transportation accident where there's a  
21 hazardous materials spill; flooding -- flooding occurs within  
22 a pretty well-defined area; your railroad tracks only go  
23 through certain parts of the city, that type of thing.

24 And whereas with the distances that we're talking  
25 about with Charlotte and Catawba, you could involve

1 a fairly substantial chunk of the city in pretty short order  
2 in a big accident.

3 And you want to be sure that the all-hazards plan  
4 has the capability to be expanded to cover the entire city.

5 Q Do you still have page 12 in front of you?

6 A 0654?

7 Q Yes?

8 A Yes.

9 Q And you would agree that Points A and Point D  
10 do talk, do address, protective action guidelines that don't  
11 necessarily involve the life-threatening doses; only C addresses  
12 immediate life-threatening doses.

13 A You said A and D are what we're referring to?

14 A really doesn't really have a great deal to do  
15 with emergency planning.

16 Q Let's just focus --

17 A I tried to explain that in the testimony.

18 Q Well, let's just focus on D, then.

19 That does focus on the PAGs, not just --

20 A Yes.

21 Yes, within 10 miles. Fairly well.

22 Q Now, also in your testimony you discuss the  
23 least likelihoods for release categories of PWR 1 to 3;  
24 on page 18 of your testimony you say that these release  
25 categories are not very different from Surrey and Sequoyah.

1           And I also was noting that -- your reference to  
2 NUREG CR 1131 data which you have as Figures 5.2, 5.3,  
3 5.9 and 5.10, appended to your testimony.

4           You have focused on certain of the release  
5 categories, particularly -- I think you said earlier in  
6 cross-examination you addressed PWRs 1 through 5 curves  
7 separately.

8           Now, would you agree that -- let me back up a  
9 second.

10           In your testimony you do note that NUREG 0396  
11 which services as the basis for the planning for the entire  
12 radius of the EPZ does rely in turn upon the NUREG CR 1131  
13 analyses.

14           And part of those analyses were represented by the  
15 curve, the curves that are shown in Figure I-11, which  
16 is represented in NUREG 0396; but others -- that includes  
17 all the release categories, PWR 1 through 7?

18           A       Right.

19           Q       So you would agree -- those other figures from  
20 NUREG CR 1031 were also considered by the authors of  
21 NUREG 0396; you would agree to that, wouldn't you?

22           A       Yes.

23           Q       It's all part of their consideration.

24           A       Yuh, they do appear, for instance, on page I-46  
25 of NUREG 0396 in slightly different form, in that the authors

1 of 9396 are addressing the PAG.

2 Q So you would agree that in arriving at the 10  
3 mile EPZ the authors of 0396 did consider all the different  
4 curves, and you have considered them broken down from PWR  
5 1 through 5 and 6 and 7, and also altogether; you have also  
6 considered this?

7 A I would be surprised if they had not been.

8 Q And then do you have problem -- strike that.

9 I would like to turn to a reference to yours of  
10 warning signs which --

11 A What page is that on?

12 Oh, page 14.

13 Q Now, there what you are talking about is the  
14 question of whether emergency planners, or those persons charged  
15 with taking protective actions in emergencies would have in  
16 fact the time to take action from the time of release to  
17 time that the plume would be a particular distance from the  
18 plant.

19 And you're talking about times prior to 10 hours  
20 at the top of page 15, for example.

21 ENDT15JRB  
22 Joe fls  
23  
24  
25

1 A If I recall, the five to ten hours begins at  
2 accident initiation. What is really critical is the amount  
3 of time between awareness, at least potential for a core  
4 melt, and the time a release would occur. That was studied  
5 in one of the other studies that I had referenced. It turned  
6 out to be very, very important.

7 Q Back on page 14, is that study NUREG 0773 that  
8 you are referring to, or is this some other study?

9 A Well, 773 gives the warning time for some of  
10 these categories. Specifically for an ice condenser plant.

11 Q Okay. So we are talking about the time of  
12 initiation of an accident until the plume reaches a particular  
13 population. These are the number of hours you were talking  
14 about?

15 A Give me one minute. Yes. Accident initiation  
16 until the plume travels up. As I indicated, that seemed  
17 to be where the bulk of the sequences I looked at came out.  
18 There were some that were sooner than that, and some a good  
19 bit later.

20 Q What I would like to focus in on is the problem  
21 that you identified that you wouldn't have all of that time  
22 available because of delay in detecting the existence of  
23 the accident. That is the point you are trying to make.

24 A What I tried to indicate was that perhaps the  
25 warning times in 0773, and for that matter the warning times

16-2-Wal

1 that went into the Surry base calculations were probably  
2 a bit pessimistic.

3 In other words, you would have a little more  
4 time than perhaps the authors of the Reactor Safety Study  
5 though in '75, and that is because of some changes in the  
6 post-TMI, emergency action level criteria, which attempt  
7 to get the plant operators and plant management moving  
8 toward declaring an emergency sooner than they would have  
9 under the former set of procedures.

10 And this would tend to help maximize the amount  
11 of time you have available.

12 Q Would you also agree that as a result of the TMI  
13 action plan, particularly NUREG 0737, Supplement 1, NUREG 0737  
14 calls for various upgrading of equipment. Things like the  
15 safety display parameters system. The reactor vessel liquid  
16 indicator system, and things like that, that in fact the  
17 equipment and upgraded training that now exists, that is  
18 available to operators in a control room has improved the  
19 ability to detect precursors to an accident than the initiation  
20 of an accident?

21  
22 A I think so, yes.

23 MR. JOHNSON: Thank you, Mr. Sholly. Mr. Riley?

24 MR. RILEY: Mr. Johnson?

25 BY MR. JOHNSON: (Continuing)

Q On page 2 of your testimony, you refer to some

16-3-Wal

1 information that was found in NUREG/CR 2239. I believe  
2 it is found on page C-6. And your statement is citing  
3 guidance study, NUREG/CR-2239, specifically projects for the  
4 Catawba Plant 100 mean early fatalities for an SST-1  
5 accident and release and 710 mean early injuries.

6 Do you see that?

7 A (Witness Riley) I do.

8 Q There is a footnote on page C-2 with respect  
9 to the table that has that information in it. The Table  
10 being C-1, that you are referring to, is that correct?

11 A That is correct.

12 Q And part of that footnote says, if I may read it,  
13 Caution should be used when applying these numbers. The  
14 probability times consequence is not an adequate representation  
15 of risk. It provides only a common measure for comparative  
16 purposes, i.e., the ranking order. The complimentary  
17 cumulative distribution function showed in Figure C-1 through  
18 C-18 are a better representation of risk.

19 That is the footnote on that table that pertains  
20 to the numbers that you have in your testimony, is it not?

21 A It is.

22 Q Would you turn to the CCDF for Catawba, which  
23 appears on page C-7?

24 A C-9?

25 Q I am sorry. C-9. There are three CCDFs on that



1 page. The first one on the left is for early fatalities,  
2 and is conditional upon SST-1, correct?

3 A That is right.

4 Q And if you look at the key, Catawba is represented  
5 by a little plus. That is the way you would identify the  
6 line on that CCDF that represents the information pertaining  
7 to Catawba?

8 A That is right.

9 Q Okay. Now, if you look at the number, the place  
10 on that CCDF which represents 100 early fatalities, that  
11 would be ten to the two, is that correct?

12 A That is correct.

13 Q If you read up that line, the plus mark, and then  
14 you read over to the scale of probability, what number do  
15 you get?

16 A Somewhere between thirty and forty.

17 Q I find it is in the neighborhood -- if you read  
18 up from the 10 to the minus two, that is 1 times ten to the  
19 minus two; the next hashmark is two times ten to the minus  
20 two, three times ten to the minus two, four, and five.

21 I get five times ten to the minus two.

22 A I should have said between forty and fifty. You  
23 will note that the key for Kelway is right on top of the  
24 small mark which represents 30, and I missed that. So  
25 I would agree with your 50, yes.

16-5-Wal

1 Q That -- five times ten to the minus two is  
2 not fifty. Isn't it .05?

3 A Well, that is .05, yes.

4 Q The probability that is associated with 100 mean  
5 fatality -- one hundred fatalities, is actually .05 is that  
6 correct?

7 A That is right. That would be a five percent  
8 probability.

9 Q Now, if you will look at that CCDF and you look  
10 at the entire range of it, doesn't it show that although  
11 the mean early fatalities might be, based on the other  
12 tables, one hundred, that the median would be far lower.  
13 A far lower amount. What you have is a skewing of the  
14 absolute numbers of fatalities down at the very improbable  
15 level of -- down to ten to the minus three, and that is a  
16 conditional probability based on Carmel, which itself is  
17 in the area of ten to the minus five. Would that be a fair  
18 statement?

19 A That would be a proper interpretation of this  
20 draft. I think the question I would like to respond to  
21 though is whether I consider this a valid indication, and  
22 I would have a few observations to make about that.

23 The reason a value of a 100 shows up in the  
24 table that we first discussed is almost certainly due to the  
25 very high consequence levels in worst accident, and as you

16-6-Wal

pointed out, that raises the mean value.

1 We are dealing with the median of askewed  
2 distribution. It gives us a relatively lower value here  
3 though they express it in somewhat different terms.

4 I have a series of reservations. I feel that  
5 the consequence estimates that have been made for the  
6 various accident scenarios are largely plausible because  
7 we are dealing with things that can be measured. We are  
8 dealing with core inventories. We are dealing with  
9 conceivable release mechanisms. I won't go into the details.  
10

11 But the part of risk that is, in my judgment,  
12 extremely uncertain is the probability of occurrence; as the  
13 footnote that you referred to indicates, not everyone would  
14 take as a definition of risk the product of probability  
15 and consequences.

16 I am one of those people who has those reser-  
17 vations. You correctly translate the material on this  
18 printed page. I personally do not accept it as valid.  
19

20 Q Then why did you rely on it in your testimony?

21 A I did not rely on it in my testimony. I gave  
22 it as a for-instance of what had been reported by Sandia  
23 Laboratories. If you will go further in my testimony,  
24 you will see a discussion of probability in the terms that  
25 I just cast.

Q I understand. Have you performed any of your own

16-7-Wal

probability risk assessments?

1 A Because I believe in the reliability of --

2 Q Please answer my question first, and then you  
3 can explain.

4 A I will, Mr. Johnson. The answer is, 'no.' And  
5 the reason is this. Where you have a clear cut postulational  
6 system, like in dice rolling, coin tossing, card drawing,  
7 I believe in the validity of the conclusions that are drawn  
8 by mathematical analysis.

9  
10 With respect to the likelihood of accidents where  
11 there is a large experiential base, as with respect to the  
12 incidents of fires in community, consequences of frequency  
13 of automobile accidents and so forth, again, I think we are  
14 dealing in something that is pretty reliable, even though  
15 it is not a postulational system. You have a lot of  
16 empirical evidence to support it.

17  
18 I totally distrust the conclusions that are  
19 drawn here, and I have already indicated some of the basis  
20 for doing it. That is that the agency and the industry were  
21 unable to call their shots before the event regarding Browns  
22 Ferry, TMI. All you have to do is pick up the file of  
23 investigation and enforcement bulletins, and technical  
24 informations, to see that this is a very imperfect industry  
25 with a whole series of events continually occurring that  
should be disturbing to it and are disturbing to me.

16-8-Wal

1 For that reason, I utterly reject the risk concept  
2 that is used here, and the probabilities that are devised  
3 and I emphasize the word, 'devised' in arriving at these  
4 spuriously low numbers.

5 Q So you don't put much faith in the Sandia Study?

6 A It depends on the part, Mr. Johnson. I just  
7 indicated that I think the consequences section has a great  
8 deal of reliability.

9 I notice that the authors of the Sandia Study  
10 are as reluctant to commit to the NRC's risk concepts as I am,  
11 because going back to the footnote which you referred to a  
12 little bit earlier, it cites in the paragraph before the  
13 one that you read, that if one assumes certain probabilities  
14 which are promulgated by the NRC would show up as the symbols  
15 P-1, P-2, and P-3.

16 Then you would, accepting that definition of  
17 risk, as a product of consequences and probabilities, have  
18 these specific risks. So, I would say that the Sandia  
19 authors have demurred by not using those numerical values,  
20 but by representing as a symbol what they might be.

21 Q I would like to ask you to make one other  
22 observation about that CCDF before we turn to something  
23 else.  
24

25 A All right.

Q I would just like to focus on the first point,

16-9-Wal

1 the furthest to the left in that graph, where you have  
2 the vertical line 0, and the Catawba CCDF which crosses  
3 the vertical axis at just below ten to the minus 1. I  
4 guess it would nine times ten to the minus two. Does that  
5 not mean there is less than a ten percent chance of one early  
6 fatality conditional on the SST-1?

6 A It means that this particular projection is  
7 that there is about a nine percent probability. Now, I  
8 might note that the reactor is a little bit smaller. It  
9 is 1120 megawatt rather than 1150. That is a rather  
10 small demur.

11 A (Witness Sholly) Something very important,  
12 it presumes summary evacuation uniformly for each site,  
13 which is thirty percent, forty percent, thirty percent  
14 waiting of three sets of emergency response. You evacuate  
15 radially away from the site at ten miles per hour, with  
16 delay times of one, three and five hours.

17 So not only are those results conditional on  
18 the release occurring, they are also conditional on the  
19 emergency response.

20 Q But we are talking about evacuation of the ten  
21 mile EPZ.

22 A With the distribution of times and speed that  
23 I mentioned, yes.

24 JUDGE MARGULIES: Mr. Johnson, at an appropriate

16-10-Wal

breaking point in your examination, we will take a twenty minute recess.

1  
2 MR. JOHNSON: Okay.

3 MR. GUILD: I believe Mr. Twery had something  
4 to add, Mr. Johnson?

5 MR. JOHNSON: If Mr. Twery wants to say  
6 something, his counsel can ask him.

7 BY MR. JOHNSON: (Continuing)

8 Q Mr. Riley, if you look at your 19,000 fatalities  
9 that you referred to later on on page 2, that is derived  
10 from the FES, Table 5.11, is it?  
11

12 A (Witness Riley) That is correct.

13 Q What are the associated probabilities of that  
14 number.

15 A The alleged probability is ten to the minus eight  
16 per reactor year. I might just say in passing that if  
17 are looking at the whole forty year per unit life of two  
18 units, even that number can be brought down to ten to the  
19 minus six.  
20

21 MR. JOHNSON: I think this is an appropriate  
22 point to stop.

23 JUDGE MARGULIES: We will take a twenty minute  
24 recess.  
25

(Short recess taken)

#17-1-Sue

1 (Whereupon, the hearing is again in session  
2 at 4:11 p.m., this same day.)

3 JUDGE MARGULIES: Back on the record. You  
4 may continue with the examination.

5 MR. JOHNSON: Thank you, Mr. Chairman. I have  
6 just a couple more questions for Mr. Riley and then I  
7 will switch to Mr. Twery.  
8

9 BY MR. JOHNSON: (Continuing)

10 Q Again, on Page 2, Mr. Riley, you refer to  
11 several values in your testimony. It says you refer to  
12 forty-four thousand persons exposed to 200 rems, two  
13 hundred and seventy thousand persons to be exposed to  
14 over 25 rem. Those are references to Table 5.11 in the  
15 FES.  
16

17 And you also referred, as we noted, to  
18 nineteen thousand early fatalities associated with a  
19 tenth to minus eight probability per reactor year, from  
20 Table 5.12 of the FES.

21 Now, is it your position that emergency planning  
22 ought to be based on these peak values?  
23

24 A (Witness Riley) I will try to give an answer.  
25 It's a qualified yes. Let's take a look at emergency



#17-2-SueT,

1 planning for other situations where there is a certain  
2 risk that can be life threatening. One of these things  
3 has to do with taking a trip in a boat.

4 Now, the probability of a boat hitting an ice-  
5 berg, colliding with another vessel or being capsized in  
6 a hurricane or something like that is pretty low. But  
7 it's a standard practice accepted in society, and not  
8 opposed as far as I know by any ship owners, if you have  
9 enough life jackets for all on the boat and a surplus  
10 usually of life rafts and life boats, they respond to the  
11 ultimate life threatening accident.  
12

13 All right. Let's take a look at airplanes.  
14 There was a time when people went up in the airplanes  
15 and wore parachutes. There is a commercial conflict that  
16 putting parachutes out for each passenger and crewmen,  
17 because that interferes with pay load. You can carry less  
18 people. It also is very bad for image. It says you might  
19 have to use this.  
20

21 And so parachutes disappeared from the scene.  
22 And we do see a certain number of airplane deaths in major  
23 crashes, some of which might have been averted by para-  
24 chutes, others which certainly could not have been.  
25

#17-3-SueT

2                   What we do find, however, is on aircraft that  
3                   make trips over water, even a limited amount, there are  
4                   life rafts present. So if the plane is ditched there  
5                   won't be as much probability of death by drowning.

6                   When we take a look at automobiles, the  
7                   National Transport Board I believe is very much of the  
8                   idea that you should be able to undergo, without killing  
9                   the passenger and the driver, at a thirty-five mile  
10                  impact into an immovable object. Though this is not  
11                  representative of the extreme velocity the car can get  
12                  it is representative of a pretty substantial speed that  
13                  a lot of cars travel at.

14                  So, to give my answer to your question, be-  
15                  cause we do know that the potential is there for the  
16                  consequences, because we do know the inventory of a single  
17                  core exceeds ten million curies before there has been  
18                  much of a decay process -- in fact, it approaches twenty  
19                  million if you include that ten million in your considera-  
20                  tion -- I feel it is quite appropriate that since the  
21                  only thing that is involved is emergency planning for  
22                  Charlotte, which is a relatively small thing, that we  
23                  should have it, particularly in view of how cheap it can  
24                  25

#17-4-SueT

2 come in comparison to the approximate four million dollar  
3 cost of the plant.

4 Q Thank you. Okay, Mr. Twery, the next question  
5 is for you. On Page 2 of your testimony, there was some  
6 discussion with Mr. McGarry about your sector and what  
7 likelihood of the plume blowing in that sector was. And  
8 your original testimony said five percent. And then you  
9 corrected that to say twenty point five percent.

10 And then in questioning by Mr. McGarry, you  
11 pointed out that you had errors in placement of the  
12 sector, the fact that the probability of the plume or --  
13 I guess we are talking about, is it probability of the  
14 plume passing in that sector?

15 A (Witness Twery) Yes. We are talking about  
16 which angle the plume would be moving due to wind.

17 Q Okay. Due to wind. If we, in fact, use  
18 the five percent which your sector is associated with,  
19 is associated with your sector, in the information Mr.  
20 McGarry mentioned, and you multiply the number that you  
21 used for the entire circle which was one point -- I'm  
22 sorry, point one seven six --  
23

24 A Excuse me. I just want to see if we are going  
25

#17-5-SueT

1 to be discussing this. The one problem would be that  
2 I was shown Duke's figures for '75 and '77, and I  
3 don't know if that's exactly where these figures that  
4 were in the Final Environmental Statement --

5 Q Subject to check, I believe that they are.

6 A Okay.

7 Q But if you would multiply point zero five  
8 times point one seven six, what number would you get?  
9

10 A I don't have my calculator with me. I'm  
11 sorry.

12 Q Would you accept that the number would be  
13 point zero zero eight eight, and not point zero three  
14 five?  
15

16 A I'm sorry. We are saying if I multiply  
17 point zero five times --

18 Q Point one seven six.

19 A So, it's about zero zero eight eight, yes,  
20 sir, if that arithmetic is correct.

21 MR. GUILD: Is counsel aware of the correction  
22 to the testimony? Mr. Johnson?

23 MR. JOHNSON: Yes.

24 MR. GUILD: It's not point zero five. It was  
25

#17-6-SueT,

1 corrected to twenty point five. And if you want to take  
2 into account the variation of the sector Mr. McGarry and  
3 the witness discussed, that may be another matter.

4 But the testimony, as corrected, reads twenty  
5 point five, and it's the product of twenty point five  
6 times point one seven six.

7  
8 MR. JOHNSON: Thank you.

9 BY MR. JOHNSON: (Continuing)

10 Q Now, I would like next to move to the Sandia  
11 study. Do you have a copy of NUREG 2239?

12 A Yes.

13 Q Would you look at the reference you make to  
14 Figure 2.7.1-3?

15 A Could you give me a page reference, please?

16 Q 2-71. Now, what it says here in your testimony,  
17 it says that the Sandia study, NUREG CR2239, Figure  
18 2.7.1-3 estimates that for a reactor of the size of  
19 Catawba, the lack of a perfect preparation will increase  
20 early fatalities by a factor of over ten for major  
21 accident.

22 A Yes, sir.

23 Q Now, if you look at the figure that you are  
24  
25

#17-7-Sue

2 referring to, I believe you probably remember that Mr.  
3 Riley referred to the same figure, and noted that a  
4 factor of ten difference between the no evacuation line  
5 and the best evacuation line -- is that correct, Mr.  
6 Riley?

7 A (Witness Riley) That is correct. Slightly  
8 more than ten. But ten will do.

9 (Witness Twery) For eleven twenty, it's a  
10 factor of twenty.

11 Q Would you agree, generally speaking, with  
12 Mr. Riley's conclusion?

13 A I think that in the line of questioning that  
14 we have now that twenty is probably different than ten,  
15 or at least since it's a factor.

16 Q It's a factor of ten still, though.

17 A To the closest order of magnitude, ten is  
18 correct. One order of magnitude would be more correct  
19 than two orders of magnitude.

20 Q Now, the FES, what you are doing here in your  
21 testimony is applying an uncertainty or a factor of ten  
22 to the information that you have been discussing that is  
23 in the FES, so you are applying this lack of perfect  
24  
25

#17-3-SueT

1 evacuation to the FES data. Now, the FES, if you will  
2 look at the Final Environmental Statement --

3 A Yes, sir.

4 Q -- for expected -- excuse me, let me just get  
5 the page. If I represent to you that the information  
6 in the FES Tables 5-11 and 5-13 presume -- or, let's just  
7 stick with 5-11. This is where you started.

8 A Yes.

9 Q Presumes evacuation ten miles, that that is  
10 roughly equivalent to what the Sandia Laboratories study  
11 referred to as summary evacuation?  
12

13 A You are saying that an assumption of the study  
14 was that evacuation would be as good as Sandia says, was  
15 thinking of when they defined summary evacuation? Summary  
16 in Sandia is equivalent to your base case here?  
17

18 Q Yeah, more or less.

19 A Okay.

20 Q Now, if you look at Table 2.7.1-2, on the  
21 previous page, the Sandia Study, Page 2-70 you look  
22 at the line for the megawatt --  
23

24 A I'm sorry. On Page 70, okay.

25 Q 2-70.

#17-9-SueT

A Yes, sir.

2 Q And you look along the line that says for  
3 the reactor size 1122, it gives you a comparison for  
4 being early fatalities, for best evacuation, summary  
5 evacuation, no evacuation. The factor of ten analysis  
6 seems to apply to the distinction between best evacuation  
7 and no evacuation, but between best evacuation and summary  
8 evacuation it's more like a factor of --  
9

10 A Four.

11 Q -- four.

12 A Four or five, something like that. So, if  
13 I change my assumption to the one you have just given me,  
14 it would be instead of a factor of ten it would be a  
15 factor of four or five. Yes.  
16

17 Q Okay. Thank you.

18 A (Witness Riley) Might I observe at this point,  
19 Mr. McGarry's testimony I believe had to do with conditions  
20 of ten miles to twenty-five miles out. You are looking  
21 at fourteen miles, and there is no plan for that and there  
22 is no evacuation.  
23

24 Q And we are assuming with the summary evacuation  
25 that there is an evacuation only to ten miles.



#17-10-SueT

2 A That is right. We are assuming that it's in  
the emergency planning zone as it now exists.

3 Q That's correct. Now, I would also like to  
4 refer Mr. Twery to the CCDFs that I was discussing with  
5 Mr. Riley earlier in the Sandia report, NUREG CR/2239 to  
6 Page C-9. In connection with that statement that you  
7 were just talking about at the bottom of Page 2 of your  
8 testimony, with regard to perfect preparation, is there --

9 A I'm sorry. Before -- in asking me the question  
10 could you please make sure that I understand what an  
11 SST-1 is?  
12

13 Q Okay. Mr. Riley, would you want to explain  
14 what an SST-1 is?  
15

16 A (Witness Riley) This is the most severe  
17 core melt accident considered in making these various  
18 calculations.

19 (Witness Twery) Would that correspond to  
20 the number in Table 5-11, given a probability of ten  
21 to the minus seven or ten to the minus eight?  
22

23 (Witness Riley) Only loosely. It's a  
24 different specific accident. Mr. Sholly, I believe,  
25 could help us on that.

#17-11-Sue

2

Q My understanding of these tables is that all of the sequences of Table 5-10 are factored in to the Table 5-11 data. But with their associated probabilities.

3

4

Is that your understanding, Mr. Sholly?

5

6

A (Witness Sholly) Yeah. The SST-1 was simply to be representative of a very large, very severe release.

7

8

9

(Witness Twery) It would be one of these two probabilities?

10

11

(Witness Sholly) If you look on Page 5-80 of the FES, it approximates -- SST-1 approximates event tree or TMLD prime from the Final Environmental Statement.

12

13

14

end #17

15

Jim flws

16

17

18

19

20

21

22

23

24

25

1           A        I think you were giving us time to make these  
2 SST1?

3           Q        No. The whole point of my going to this page was  
4 to ask you about the note that appears on that page C9,  
5 and that appears on each page of the CCDS.

6           A        Yes.

7           Q        So is it not true thought that in employing the  
8 Sandia study as a source of reference for increasing or  
9 decreasing the probabilities of an accident by factors of 10  
10 you would want to consider the Sandia caveat that recent  
11 evidence suggests that the source term magnitude assumed  
12 for SST1 may be overestimated by a factor if not more?

13          A        I do -- I am not adequately conversant with the  
14 definitions being used at all in order to really be able to  
15 answer your question.

16                    My first reaction is that since we're a little bit  
17 vague on what the probability is as an SST1, Mr. Sholly just  
18 said that it might correspond to something that had a  
19 probability of  $2 \times 10^{-6}$  or 10 to the minus -- or  $3 \times 10^{-6}$ ,  
20 something like that; and in the table in the FES, Table 5.11,  
21 this is dominated by the event that occurs with probably  
22  $10^{-7}$ , and which occurs only .1 as often; maybe even these  
23 orders of magnitude might be offsetting, with the vagueness  
24 with which things are set together in my mind; the definitions  
25 don't match well enough for me to be able to answer your

1 question at this point.

2 Q Thank you.

3 A I understand there may be something on the other  
4 side, though. I understand your point.

5 Q Mr. Sholly, would you say that would be a reasonable  
6 factor to consider?

7 A (Witness Sholly) What factor is that?

8 Q The factor of source term magnitude and the  
9 CCDFs as being more or less directly proportional?

10 A For early fatalities, yes.

11 Q So you would, if you were going to use the Sandia  
12 study as a reference for determining probabilities you would  
13 consider this note as well as other information?

14 A I would consider it. I would have to be a little  
15 bit less -- have to have a little bit less reservations about  
16 it because of the additional work that has been done since  
17 then. We got a can of worms here; you know, it's all draft  
18 work and a peer review so there's a wide range of possible  
19 sources.

20 One can speculate and say a factor of 10 different,  
21 or just change the probability. It's very difficult to say  
22 at this point where it's going to all come out.

23 But it is something to consider.

24 A (Witness Riley) I would like to respond to  
25 that. Several years ago when I was first interested in the

1 area it was suggested that iodine plateout and formation of  
2 cesium iodine reduced the iodine source term, and I believe  
3 that the consideration that you've been discussing would tie  
4 into that.

5 Well, that would be a reasonable consideration in  
6 an accident in which the containment release or containment  
7 rupture occurred considerably after release in the containment  
8 of iodine, cesium, and so forth.

9 On the other hand, in the quick release scenario  
10 I don't see that applies.

11 So I see it being an additional case but I don't  
12 see it here.

13 Q Okay.

14 One other point, this was brought up in  
15 Mr. Potter's testimony; perhaps I'll direct this question to  
16 you, Mr. Riley, since you addressed this a little bit ear-

17 Table 2.7.1-2 on page 2-7 of NUREG CR 2239; do  
18 you have that, please?

19 A I have page 2-71 of --

20 Q 2-70.

21 A 2-70. Okay.

22 Q Now, my understanding is these scenarios are based  
23 on a locale of New York City and an evacuation in that  
24 environment; is that correct?

25 A Well, one says, 120 megawatt electric core,  
radionuclide core inventory scaled to reactor size, SST1

1 release, New York City meteorology, Indian Point population.

2 Q Would you say that the population and demography  
3 around the Indian Point and the problems of evacuation  
4 of the environs of New York City are comaprable to  
5 Catawba?

6 A I might say the population density is probalby  
7 higher.

8 With respect to the prevailing wind direction  
9 vis a vis the higher concentrationsof population I would need  
10 to refer to materials before reaching a conclusion.

11 Q You don't know whether it would be more difficult  
12 to conduct the evacuation there than at Catawba?

13 A On the assumption that the region being  
14 evacuated would be the region in which the instant  
15 meteorology suggested for the plume was going to traverse  
16 I'd say I'd have to know that before I could answer.

17 I can certainly see a case where a plume might  
18 traverse a more densely populated region and cause more  
19 serious problems.

20 Q But you wouldn't be sure that this data would be  
21 applicable to the Charlotte area?

22 A I would be reluctant to say so except in a most  
23 general way.

24 MR. JOHNSON: That's all I have. Thank you  
25 very much.

1 JUDGE MARGULIES: Redirect.

2 MR. GUILD: Yes.

XXINDEX

3 REDIRECT EXAMINATION

4 BY MR. GUILD:

5 Q Mr. Sholly, you were asked a number of questions  
6 about the appropriateness of using baseline data from the  
7 Surrey plant and the Sequoyah plant and perhaps others as a  
8 basis for modeling consequences at Catawba in respect to  
9 probabilities in accident scenarios.

10 What's the difference in design in material respect  
11 to the comparison of Sequoyah -- let's make that first,  
12 Surrey and Catawba?

13 A (Witness Sholly) Well, aside from external  
14 events, we discussed that before; the type of containment is  
15 certainly -- I have not looked recently enough at the  
16 numbers of engineered safeguard features: trains, pumps,  
17 and piping routes and suction valves and such at the plants.  
18 But I am sure those are different in some respects.

19 But the thing that's most important, I think,  
20 is the containment.

21 Q What's the difference between the containment at  
22 Surrey and Catawba?

23 A Surrey has a large dry subatmospheric type of  
24 containment similar to Beaver Valley and a few other plants.

25 Catawba, of course, is an ice condenser plant, the

1 containment.

2 Q What's the difference, significant difference  
3 in an ice condenser type and a large dry subatmospheric?

4 A Well, there are two competing considerations.

5 One is design pressure of ice condenser plant is  
6 lower and the ultimate failure pressure for ice condenser  
7 plants are lower.

8 And at the same time an ice condenser plant  
9 has the capability to some extent to passively cool the  
10 steam release from the primary system and also for some  
11 fission products -- passively.

12 Q Do I understand correctly that it's a thin-shelled  
13 containment with a lower ultimate strength than at Surrey,  
14 in the order of 15 pounds per square inches of gravity design,  
15 say, by comparison to, say, 60 pounds per square inch; is  
16 that proper -- general comparative figures?

17 Maybe I better say: please tell me?

18 A I am not sure what the specific design pressure  
19 of the Surrey containment is; probably in the neighborhood of  
20 40 to 60 pounds, something like that.

21 Q And 15 for an ice condenser?

22 A I believe that's correct. Ultimate failure  
23 pressures differ by perhaps a factor of 2.

24 Q And the ice condenser feature as a layperson  
25 generally refers to a feature -- columns of crushed ice that



1 are designed to condense steam when you have a steam line  
2 break in an accident, and loss of cooling?

3 A Yes.

4 Q And the ice condenser design is to, as I under-  
5 stand it, condense the steam thereby reducing the pressure,  
6 thereby mitigating the likelihood of a pressure transient  
7 that would breach the containment?

8 A That's the general idea.

9 Q And is it a fair understanding that the TMI  
10 experience suggests that with a hydrogen -- the hydrogen  
11 generation from cladding-water reaction and fuel melt -- the  
12 potential was for the first time was presented for containment  
13 breach occurring from a hydrogen detonation; it would threaten  
14 the ice condenser containment -- it would threaten a contain-  
15 ment from an overpressure transient not generated simply by  
16 a steam break.

17 Is that a fair paraphrase of what we learned from  
18 TMI?

19 A I don't think so.

20 Q Help me?

21 A Hydrogen burns had been considered in PRA studies  
22 before; it showed that you can get a significant amount of  
23 hydrogen generated in something less than a full scale core  
24 melt; and that's something that's perhaps a little different.  
25 That's the main feature.

1 Q Well, to bring us home, the threat of a containment  
2 breach in a hydrogen detonation is one of the most material  
3 accident scenarios that would generate an early containment  
4 breach and large consequences relevant for emergency planning;  
5 is that true?

6 A It's generally true, but it depends on the  
7 specific accident scenario and what systems are functional  
8 and what ones are not.

9 Q You understand that Mr. Potter in his analysis  
10 looked at the Sequoyah reactor safety study methodology,  
11 RSSMAP, and, if you will, modified its results to take into  
12 account certain hydrogen mitigation features that in his  
13 view mitigated either probabilities or consequences of  
14 various accident scenarios?

15 A I recall that he did; I don't -- I didn't study  
16 his testimony in detail.

17 Q Mr. Riley, do you have Applicants' prefiled  
18 testimony on Contention 11?

19 A (Witness Riley) I do.

20 Q I am looking at Mr. Potter's work, it's his  
21 attachment, page 7.

22 A I have it.

23 Q All right, the bottom of page 7 reads, No compre-  
24 hensive assessments of core melt release characteristics  
25 or probabilities for Catawba plant are available; and

1 performance of such assessment is beyond the scope of  
2 this limited study. Available studies for plants similar  
3 to Catawba were used to determine the most appropriate  
4 set of release categories. Then there's a parenthetical.  
5 Next page, page 8, references 9, 10, and 11. These studies  
6 indicate that the core melt release spectrum for Catawba  
7 was less severe than that calculated in the RSS, but the  
8 studies are not comprehensive enough to permit complete  
9 quantification.

10 Therefore, RSS PWR releases and probabilities were  
11 used in this study.

12 That seems to indicate that, having looked at the  
13 others, he goes back and settles on Surrey as the appropriate  
14 plant to model for analyzing Catawba accident scenarios?

15 A That's right.

16 Q All right.

17 Now, with reference to Mr. Potter's references that  
18 begin at page 14, look a moment at the notes there reflected  
19 in that passage; those are References 9, 10 and 11; page 15,  
20 Mr. Riley.

21 Do you see noted in there the Sequoyah RSSMAP  
22 as item 9?

23 A Yes, I do.

24 Q A work by -- it looks like a gentleman or lady  
25 G I E S A K E -- Radionuclides for Specific LWR Accident

1 Conditions, Ice Condenser Containment Design; that's 10.

2 And No. 11, Duke Power Company; the title of the  
3 reference is An Analysis of Hydrogen Control Measures at  
4 McGuire Nuclear Station.

5 Are you familiar with item 11 the McGuire hydrogen  
6 control measure analysis?

7 A That is dated October 20, 1983; I was involved in a  
8 proceeding with respect to the operating license for  
9 McGuire, in which I believe there was a very similar title  
10 but it had an earlier date.

11 I am quite familiar with that document.

12 Q Are you familiar with the hydrogen mitigation  
13 measures which Duke has placed or perhaps are in process of  
14 being placed at McGuire?

15 A At that time the system was GM diesel blow-plug  
16 system which was manually operated in the control room and  
17 in which there were a large number of breaks throughout the  
18 containment to reduce hydrogen burn if there were combustible  
19 hydrogen there.

20 Q Now, I understand from Mr. Potter's testimony  
21 that consideration of Duke's McGuire hydrogen mitigation  
22 analysis led him to conclude that the Sequoyah analysis  
23 was perhaps more harsh than one would expect, given hydrogen  
24 mitigation; and that was on the basis of his confidence in  
25 the reliability of a hydrogen mitigation system that Duke has

1 in place at McGuire and to be in place at Catawba.

2 Mr. Riley, do you share his confidence in the  
3 reliability of the hydrogen mitigation system?

4 MR. MC GARRY: Objection.

5 The functioning of the hydrogen system was a  
6 specific contention raised by CESH back in 1981, CESH  
7 Contention 2.

8 I'll read it: A license should not issue until  
9 and unless the hydrogen release consequences from that range  
10 and variety and locus that the Applicant is required by the  
11 NRC to consider have dealt with -- have been dealt with so  
12 as to make impossible damage to public health and safety.  
13 The igniter system cannot perform this function.

14 There was also a Palmetto Alliance Contention  
15 31.

16 Palmetto Alliance also had a similar one,  
17 Contention 9.

18 All three of those contentions specifically  
19 were ruled out by the Board in its December 1st, 1982  
20 decision.

21 And I have held back for a moment, for a while,  
22 it is our view that this line of inquiry goes well beyond the  
23 scope of cross-examination; and, indeed, appears to be  
24 direct.

25 For those reasons we object to the question.

1 MR. GUILD: Mr. Chairman, the matter fairly  
2 addresses a point based on cross-examination, focusing on  
3 Mr. Sholly's testimony which did use the Sequoyah RSSMAP  
4 as the basis for modeling of accident scenarios and  
5 consequences for Catawba.

6 Now, Mr. Potter discounted the severity of the  
7 Sequoyah results on the basis of his confidence in the  
8 reliability of hydrogen mitigation measures employed at  
9 Catawba.

10 Now, it seems to me it's fair game for Applicants'  
11 witness on the subject of accident consequences and  
12 probabilities as they underline emergency planning needs for  
13 Catawba to say that we do not worry about Sequoyah's areas  
14 so much because our hydrogen mitigation is so reliable.

15 And then it should be fair game for us to direct  
16 the question to these gentlemen as to their knowledge and  
17 confidence in those same measures, particularly in light of  
18 the cross-examination of Mr. Sholly, who said he had not  
19 performed an analysis of the reliability of those measures,  
20 and did not know, therefore, what specific impact those  
21 measures would have on his reliance on the Sequoyah  
22 information.

23 Now, I should add that in fact we have another  
24 contention that we now have before Judge Kelley's Board  
25 that raises the question of the effectiveness of Applicants'

1 hydrogen mitigation measures.

2           The contention previously raised in this proceeding  
3 was indeed dismissed. It was dismissed because Judge Kelley  
4 had the assurance that the Commission's final rule on  
5 hydrogen mitigation would be adopted by the time the  
6 licensing of this plant was complete; and, therefore, it made  
7 no sense to litigate hydrogen mitigation in this proceeding  
8 when there would likely be a final rule in place.

9           His objection was however that the final rule  
10 would be in place some months ago, and, of course, the plant  
11 is still under construction; the license has not yet issued;  
12 there is no final rule.

13           But the issue of whether or not the contention itself  
14 on the issue of hydrogen mitigation is in or is out, is not  
15 the point.

16           The point is that there's a specific factual  
17 underpinning for the testimony of witnesses on this conten-  
18 tion that relies on the effectiveness of hydrogen mitigation.

19           MR. Sholly and members of the panel were asked  
20 questions about the effectiveness of the relying on the  
21 Sequoyah RSSMAP, without taking into account hydrogen mitiga-  
22 tion.

23           I think it is appropriate that the door having  
24 been opened to that subject, that Mr. Riley be permitted to  
25 provide the information he has.

1 JUDGE MAGULIES: How does that bring us to  
2 McGuire?

3 MR. GUILD: That's an excellent point, Judge;  
4 the fact of the matter is, though, page 15 of Mr. Potter's  
5 work, his refernce is to a Duke Power Company analysis  
6 made at McGuire. He applied that to Catawba; Catawba and  
7 McGuire are generally speaking asserted by Applicants to be  
8 identical facililties in most material respects.

9 And it is my understanding of his testimony that  
10 the mitigation features at Sequoyah and McGuire, and the  
11 analysis of those features is directly applicable to Catawba  
12 because of the similarity of design. That seems to be Mr.  
13 Potter's input. And that is the connection between McGuire  
14 and Catawba.

15 We know of no analysis with respect to Catawba.

16 ENDT18JRB  
17 JoeFls  
18  
19  
20  
21  
22  
23  
24  
25



1 MR. CARR: Your Honor. Excuse me. A point  
2 of clarification. The study referenced by Mr. Potter  
3 it is true refers to McGuire, but it was amended and in  
4 fact now covers Catawba.

5 JUDGE MARGULIES: The objection is overruled.  
6 You may answer.

7 BY MR. GUILD: (Continuing)

8 Q Do you recall the question, Mr. Riley?

9 A (Witness Riley) Would you please repeat it.

10 Q Do you share Mr. Potter's confidence and  
11 reliability of the hydrogen mitigation features, such that  
12 they can be relied upon to mitigate the accident scenarios  
13 described in the Sequoyah RSSMAP, for example?

14 MR. McGARRY: Objection. In the McGuire  
15 proceeding, Mr. Riley attempted to testify on this subject  
16 matter as well as other subject matter, and his testimony  
17 was not permitted by the Board because he wasn't competent  
18 to testify in this area, and that was upheld by ALAB 669.

19 MR. GUILD: Mr. Chairman, it seems to me that  
20 Mr. McGarry has an obligation to raise his objection --  
21 all of his objections, and not just hack away at the  
22 witness or at our redirect. If he has an objection, he  
23 should state it.  
24

25 He shouldn't wait until one is overruled,  
raise another one. Perhaps he has ten or fifteen more he

19-2-Wal

would like to put on the table for us right now.

1 But the fact of the matter is the witness'  
2 answer should speak for itself. I submit that he has  
3 knowledge on the subject. He has been admitted as an  
4 expert with respect to the subjects of this contention.

5 We are not questioning the hardware issue of  
6 hydrogen mitigation. We are not trying to rebuild the  
7 plant in that respect. We are simply talking about for  
8 purposes of analyzing accident scenarios and probabilities,  
9 the issue of whether he should rely on this mitigation --  
10 these mitigation measures, period.  
11

12 JUDGE MARGULIES: Objection is overruled. You  
13 may answer.

14 WITNESS RILEY: Thank you. There are a spectrum  
15 of hydrogen release scenarios. It depends on how rapidly  
16 the core is getting uncovered. The energy that it has,  
17 and how rapidly it heats up.  
18

19 The amount of coolant that is being added to the  
20 system. To answer your question now, there are some  
21 circumstances in which I believe the mitigation features  
22 that have been discussed would be quite effective, but  
23 there is another set of conditions under which they would  
24 not be effective. I would like to tell you why.  
25

For hydrogen to burn, heat and pressure, there  
has to be a certain amount of oxygen with it, and there is

1 a band of ratios of hydrogen to atmospheric oxygen which  
2 are combustible; not all of them detonate. There is a  
3 relatively narrow range which detonation could occur, but  
4 we are not going into that. Just saying there is a  
5 combustible range.

6 Now, in the Catawba containment, there are  
7 several large air circulation fans. The containment is  
8 roughly divided into three parts; the upper containment  
9 doesn't have much functional gear in it. The middle  
10 containment has the ice condenser arrangement. The lower  
11 containment has the reactor and the steam generator and  
12 that sort of equipment.

13 Now, these fans are located to take care from the  
14 upper containment, and drive it into the lower containment.  
15 If hydrogen is being released during an accident, and the  
16 fans are on, and the ratio of hydrogen to air is appropriate,  
17 mixed with steam this atmosphere will come up through the  
18 ice condensers, the moisture will be condensed, and there  
19 will be a combustible mixture of hydrogen/oxygen, and it  
20 will burn off, and it will be essentially innocuous, and  
21 there will be pressure rises. Duke has worked out a  
22 series of scenarios on this. Yes, there will be pressure  
23 rises.  
24

25 But the case that is not covered here is the  
one where there is an oxygen deficiency. Now, there are

19-4-Wal

several things that can cause an oxygen deficiency.

1           One is a failure of the air return fans. If  
2 the mixture that is present in the lower containment is  
3 hydrogen and steam, the steam will be condensed out when  
4 it moves over the ice condenser, and the thing that will  
5 issue from the top of the ice condenser chamber is  
6 essentially pure hydrogen.

7           Now, essentially pure hydrogen has one-seventh  
8 the density of the atmosphere, and it will rise as it  
9 issues, and it will go up and come to the top of the  
10 containment, at which point it will encounter igniters,  
11 and at the front where there is a mixing of the air that  
12 was up there with the hydrogen, there will indeed be  
13 burning until the amount of oxygen up there has been  
14 exhausted in the burn, after which hydrogen will accumulate  
15 in the upper containment.  
16

17           Now, over a period of time gasses difuse,  
18 and the lower atmospheric oxygen will difuse into the  
19 upper hydrogen layer, progressively generating a combustible  
20 mixture.  
21

22           When that combustible composition reaches the  
23 top igniters, there is going to be one very large hydrogen  
24 burn. Now, in this case the mitigation device, I agree with  
25 Marshall Berban, of Sandia Laboratories, who reported on this  
subject in the reopened McGuire proceeding, under these

19-5-Wal

1 conditions, the mitigation device will work in a counter  
2 productive way, and cause an accident that otherwise might  
3 not have occurred, and a severe one.

4 It would depend upon the amount of zirconium  
5 10 sheath that was consumed in the steam reaction as to  
6 how severe the pressure rise would be.

7 Research Associates, commissioned by the NRC  
8 to make a study, said that for a hundred percent of the  
9 so-called metal water reaction, the peak pressure would be  
10 without mitigation a hundred and ninety-one psi. And  
11 we know how that compares to the various numbers that  
12 have been talked about for the ultimate strength of the  
13 containment.

14 Q Mr. Sholly, in your examination, I believe  
15 you observed that the reactor safety study dismissed  
16 the significance of external events as causal sources  
17 for important accident scenarios, and that you observed  
18 a site specific analysis of the significance of external  
19 events was important, in your judgment, for emergency  
20 planning accident analysis. Could you explain please?

22 A (Witness Sholly) Yes. There are combinations  
23 of failures which might occur through external events  
24 that would not necessarily occur in the same way and under  
25 the same degree of possible recovery for internally  
initiated accidents. A good example would be a relatively

19-6-Wal

1 severe earthquake that would knock out offsite power.  
2 And this occurs at fairly low acceleration, and would  
3 also snap fuel lines leading to the diesel generators.  
4 Such a condition would leave you in a station blackout,  
5 essentially unrecoverable within any reasonable period of  
6 time, and would render your mitigation systems ineffective.

7 That is just an example of the sort of thing  
8 that would need to be examined in an external event  
9 analysis.

10 Q Such an external event then could disable both  
11 the blow plugs and the hydrogen mitigation system, as  
12 well as the recirculation fans that are designed to circulate  
13 the hydrogen and containment atmosphere.

14 A The example that I gave you would effectively  
15 disable any equipment that relies on AC power.

16 Q Mr. Twery, does the specific percentage of  
17 wind prevalence in the sector depicted as covering your  
18 place of residence materially alter the results of your  
19 analysis?  
20

21 A (Witness Twery) If I could enlarge on that.  
22 I would like to thank Mr. McGarry and Mr. Johnson for  
23 making me a little bit smarter about what figures I  
24 perhaps should have used if I wanted to do the analysis  
25 that I had. They leave me with still some questions of  
resolving definitional matches between separate reports,

19-7-Wal

1 and at this point, having been made smarter, if I did use  
2 exactly the same logic that I used then, had used originally  
3 in my testimony, what I probably would have done was to have  
4 calculated the expected number of people with an excess of  
5 200 rem exposure in the proposed extension of the EPZ into  
6 Charlotte, and if I did that and I stated that instead of  
7 refraining myself just to the specific sector that I am in,  
8 then the total probabilities instead of being the twenty  
9 point five percent that I had named, would have been  
10 certainly in excess of twenty-five percent, using the figures  
11 in the Duke report and the answer would have come out even  
12 bigger.

13 Also, while listening to the comments I heard,  
14 went back and actually calculated expected value instead of  
15 just using the one line contribution to expected value.  
16 As uncomfortable as I also feel in using expected value,  
17 I don't see any alternative to do so except that are used  
18 in the concept of utility to get us bigger confrontations  
19 and disagreements.

20  
21 The actual expected value, and considering  
22 eighty reactor years, and considering the wind in general  
23 blows in the direction of southern Charlotte, give me at  
24 least twenty-five percent of the time if we are talking  
25 about all of southeast Charlotte, that the relative  
population density is about ten times what is in Charlotte --

19-8-Wal

1 southeast Charlotte is larger five to ten times as much  
2 as it is in the disc altogether, that if I am talking  
3 about injuries instead of talking about early fatalities,  
4 then I still think the ten to one hundred figure in the  
5 report is, if anything, conservative, and if I said take  
6 preparation, less than perfect preparation into account,  
7 then maybe I will cut my factor of ten down to five, what  
8 I end up with is seventeen to a hundred and seventy-five  
9 is the expected number of people with at least two hundred  
10 rem exposure in Charlotte segment of the EPZ as being  
11 what we would expect in the forty years life for the  
12 reactor, ignoring any interaction to the fact that you have  
13 two reactors sitting one next to each other, which I haven't  
14 heard anybody talk about up to now.

15 So the conclusion I come to is that there is  
16 -- that I am concerned in more than the forty year  
17 anticipated life of the reactor. There is more than just  
18 a fractional person that we expect to have a considerable  
19 dosage of radiation, and whatever way you figure economics,  
20 that has to be a matter of millions. I would guess any  
21 way you figure it, two million on the low side, a couple  
22 of hundred million on the high side, maybe fifty to a  
23 hundred million was where we would agree on a  
24 accident. the most likely range would be if we argued that  
25 one through.



19-9-Wal

1 I have had myself made smarter on each of the  
2 numbers that I put in. I still have some questions, but I  
3 find my conclusion being exactly the same as originally  
4 given in my testimony using the smartiness that I have  
5 gotten to, admitting that I am not perfectly smart in all  
6 the technical pertinence and all the definitions,  
7 conflicting definitions, to the extent that I have heard  
8 today.

9 MR. GUILD: Thank you, gentlemen. Mr. Chairman,  
10 that concludes my redirect.

11 JUDGE MARGULIES: Are there any other questions?

12 MR. McGARRY: Yes, Your Honor.

13 RECROSS EXAMINATION

14 BY MR. McGARRY:

15 Q Mr. Sholly, the plans which you referenced,  
16 which considered external events, was the core melt  
17 frequency significantly different from that set forth  
18 in WASH 1400?

19 A (Witness Sholly) Yes.

20 Q What is the core melt frequency in WASH 1400?

21 A For the PWR, it is roughly one in sixteen or  
22 seventeen thousand.

23 Q One --

24 A One chance in sixteen thousand to seventeen  
25 thousand per reactor year, like five times ten to the

XXXINDEX

19-10-Wal

minus 5th or something.

1 Q Will you accept six times ten minus five?

2 A Sounds good.

3 Q What types of frequencies were you getting for  
4 core melt in these plants you referenced? Sequoyah, Zion,  
5 Seabrook, Indian Point?

6 A Some of those were in the range of a few times  
7 ten to the minus four.

8 Q Would you say the difference between six times  
9 ten to the minus five, and a few times like one point four  
10 times ten to the minus four is significant?

11 A I don't know where you got the one point four  
12 from, but it is something between factor five and ten,  
13 and it is potentially significant. It depends on what  
14 the effect of those particular accidents are on engineer  
15 safeguard features. That is very important.

16 Q Have you performed any analysis of Catawba  
17 external events, and how they would affect either the core  
18 melt frequency or the RSSMAP release frequency?  
19

20 A No, sir.

21 Q Thank you.

22 RE CROSS EXAMINATION

23 BY MR. JOHNSON:

24 Q I have one question, Mr. Sholly. Again, this  
25 is on the subject of external events. The main consideration

19-11-Wal

1 or primary consideration that you talked about with  
2 respect to external events was an earthquake that leads  
3 to the loss of all AC power.

4 A (Witness Sholly) I used that as an example.

5 Q Isn't it true though in accident TMLB prime  
6 which was considered in the reactor safety study does  
7 involve such a total loss of AC power?

8 A Yes.

9 MR. JOHNSON: That is all I have.

10 JUDGE MARGULIES: Are there any other questions  
11 of Mr. Sholly? There being no further questions, the  
12 panel is excused. Thank you.

13 (Panel stands aside.)

14 MR. McGARRY: Are we still on the record?

15 JUDGE MARGULIES: We are still on the record.  
16 We are scheduled for tomorrow Staff's presentation of  
17 their direct testimony on Contention 11. The way we  
18 have schedule that, if my recollection is correct, was  
19 for half a day. We will take up the matters of the  
20 subpoenaed witnesses following the presentation of Staff's  
21 direct testimony.  
22

23 We will recess until tomorrow morning for  
24 the evidentiary hearing. Until 9:00 tomorrow morning.  
25 We will have a limited appearance hearing here in this room  
starting at 7:00 o'clock and we will continue until we run

19-12-Wal

out of witnesses, with a termination time of nine p.m.

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

(Whereupon, at 5:10 p.m., the hearing was  
adjourned, to reconvene at 9:00 a.m., Friday, May 25, 1984.)

\* \* \* \* \*

CERTIFICATE OF PROCEEDINGS

This is to certify that the attached proceedings before the  
NRC COMMISSION

In the matter of: DUKE POWER COMPANY


Date of Proceeding: May 24, 1984

Place of Proceeding: Charlotte, North Carolina

were held as herein appears, and that this is the original  
transcript for the file of the Commission.

James Burns

Official Reporter - Typed

  
Official Reporter - Signature


Myrtle Traylor

Official Reporter - Typed

  
Official Reporter - Signature

Garrett Walsh

Official Reporter - Typed

  
Official Reporter - Signature