

A-133

GPC Exh. II-133

DOCKETED
USNRC

'95 JUL 27¹ P4:43

OFFICE OF SECRETARY
DOCKETING & SERVICE
BRANCH

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Transcript of audiotape No. 69,
transcribed by Kara K. Lucas, Certified Court
Reporter and Notary Public.

 NUCLEAR REGULATORY COMMISSION
 Docket No. 50-424/425-OLA-3 EXHIBIT NO. GPC II-133
 In the matter of Georgia Power Co. et al., Vogtle Units 1 & 2
 Staff Applicant Intervenor Other
 Identified Received Rejected Reporter KHW
 Date 7/19/95 Witness Mosbaugh

BROWN REPORTING, INC.
1100 SPRING STREET, SUITE 750
ATLANTA, GEORGIA 30309
(404) 876-8979

[APPROXIMATELY 60% THROUGH SIDE A]

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

Tape 69

* * * *

ODOM: Chaffee basically said, "That's not a correct statement." And then Brockman said -- and Chaffee said, "I remember a couple of weeks ago we were hearing about this not being correct." And Brockman spoke up and said, "Yeah. You heard it from the Region." And that's all he said. I thought he was going to help us out by what Brockman had been talking to, you know.

MOSBAUGH: Uh-huh.

ODOM: And that's all he said. So they -- whether they say anything more or not, I don't know; but they picked up on that statement, and they were making an issue for two or three (inaudible), you know.

MOSBAUGH: Right, uh-huh.

ODOM: Tell John if you would that (inaudible) where, you know, we struggled with that statement. . . .

MOSBAUGH: Uh-huh.

ODOM: Is that it -- it's getting a little more attention by the IIT (inaudible).

ODOM: I don't know whether they'll do anything more or not.

ODOM: They know they're not right by

2 (cont.)

25 that statement, you know.

1 MOSBAUGH: It's more than not right.

2 ODOM: Yeah, I know.

3 MOSBAUGH: I'm not done, but I'm looking
4 at the -- see, Kenny just got the log.

5 ODOM: Yeah.

6 MOSBAUGH: Okay.

7 ODOM: Yeah.

8 MOSBAUGH: I reviewed a little bit of
9 that with him yesterday. We're going to do some
10 more, but I think we've got a real problem.

11 (Inaudible.)

12 ODOM: Well, the other problem with
13 (inaudible) the LER. I don't have it in front of me
14 now. But it talked about a fuel oil annunciator
15 coming in, a lube oil alarm and a fuel oil.

16 MOSBAUGH: That's correct.

17 ODOM: They're saying --

18 MOSBAUGH: That's in the log somewhere.

19 ODOM: They're saying . . . They don't
20 recall ever hearing that before.

21 MOSBAUGH: Uh-huh. That's in the log.
22 That's written up in the critique log.

23 ODOM: They didn't recall that. . . .

[LINES 24 - 25 DELETED]

1 [LINES 1 - 4 DELETED]

2

3

4

[APPROXIMATELY 70% THROUGH SIDE A]

5 MOSBAUGH: Was this a professional
6 photographer you used?

7 BEACHER: No. This was -- John
8 Churchwell went in and did it.

9 ODOM: I thought they were asking about
10 the 18 starts.

11 BEACHER: Yeah.

12 ODOM: (Inaudible.)

13 BEACHER: They had a lot of problems,
14 interpreting the LER.

15 MOSBAUGH: We're talking about the LER?

16 BEACHER: Well, they reviewed the LER --

17 ODOM: And the letter?

18 ODOM: The LER. We're talking about the
19 LER.

20 (Inaudible.)

21 BEACHER: The LER.

22 ODOM: Not the letter, the LER.

23 BEACHER: LER. In the LER, he talked
24 about whether or not the annunciators (inaudible).
25 He said there's a discrepancy because they had more

1 annunciators than what the LER said, and LER might
2 have something they don't have.

3 ODOM: The fuel oil, the fuel oil.

4 BEACHER: Fuel oil was one of them.

5 ODOM: Right. And the start phrase --

6 BEACHER: "Eighteen starts with no
7 problem" -- he said that he had heard that before,
8 and he thinks that's not true.

9 ODOM: Brockman spoke up and said --

10 BEACHER: Brockman spoke up -- spoke up
11 and made a comment that --

12 ODOM: "You heard it from us."

13 BEACHER: Yeah, "you heard it from us."

14 ODOM: Region II and (inaudible.)

15 BEACHER: He said he was going to check
16 into it.

17 ODOM: Like I say then they said -- then
18 Brockman -- then Chaffee said, "Well, I know
19 something's not right about that." And he said,
20 "We're going to check into that." (Inaudible.)
21 What I'm trying to say is that that was in the LER.

22 MOSBAUGH: Yeah. Well, one of the
23 different ways, whether it's in the response to the
24 confirmation of action letter --

25 ODOM: Right, the April 5th.

1 MOSBAUGH: -- or George's presentation in
2 the Region.

3 BEACHER: Yeah, Lewis Ward. . .

4 MOSBAUGH: I brought it up with them, and
5 I told Shipman; and I said, you know, "This is not
6 true."

7 ODOM: Yeah.

8 MOSBAUGH: "You guys better check your
9 facts." And I gave him specific data on dates and
10 times that -- where I was aware that we had known
11 failures.

12 ODOM: Oh, yeah. This is...I wish that
13 day we had a real sensitive issue with the thing...
14 (Inaudible.)

15 MOSBAUGH: They blew it off.

16 ODOM: I thought they did, too, that's
17 what I heard. I heard the Region was contacted and
18 said, "Okay, we understand."

19 MOSBAUGH: I was on the phone with the
20 whole thing. They blew it off.

21 ODOM: And they might blow it off now,
22 but this IIT team --

23 MOSBAUGH: No. What I mean is they -- I
24 mean SONOPCO blew it off.

25 ODOM: Oh, okay.

1 MOSBAUGH: I'm not saying the NRC blew it
2 off.

3 ODOM: I heard that we contacted Brockman
4 personally --

5 MOSBAUGH: McCoy came back on the
6 conversation on the phone and said, "Yeah, I just
7 talked to Ken Brockman, and he understands that
8 there were failures in the process of coming out of
9 the maintenance on the machine." Okay. Well, that
10 may be, okay. There were failures coming out of
11 the maintenance on the machine, okay, but there were
12 also failures in a period of time that I considered
13 to be beyond the maintenance on the machine.

14 ODOM: Okay.

15 MOSBAUGH: Okay?

16 BEACHER: They want to talk with the guy
17 who actually did the work on those valves, the
18 accumulator installation valve, the charging and
19 pump valve. They want to talk with Mike Kagel again
20 concerning installation of the hatch, pressurizing
21 manway. I guess what they're getting at -- getting
22 at is how the communication related. It appears as
23 though Hopkins told Mike Kagle (inaudible).

24 [LINES 24 - 25 DELETED]

25

[APPROXIMATELY 70% THROUGH SIDE A]

1 MOSBAUGH: [Reading] Lube oil pressure sensor
2 malfunction and fuel oil level high.
3 (Inaudible.)
4 ODOM: They're saying this right here is new
5 to them (inaudible).
6 VOICE: They never heard that piece of
7 information.
8 Although they've got the narrative the
9 same as we do.
10 MOSBAUGH: (Inaudible.) tripped the
11 diesel.
12 ODOM: It's in the narrative though.
13 WEBB: That's where it came from. It
14 came from the Event report.
15 ODOM: The other problem that they had a
16 problem with was the starts.
17 WEBB: Where did we talk about that?
18 VOICE: I don't know. (Inaudible.)
19 WEBB: Oh, it's the number of starts
20 (inaudible).
21 MOSBAUGH: Where it's at, Tom?
22 WEBB: Back towards the end, wasn't it?
23 BEACHER: Was it page 6 or something?
24 (Telephone ringing.)
25 MOSBAUGH: On page 6, halfway.

1 (Inaudible.)

2 VOICE: [Reading] "Have been started
3 at least eighteen times each and no failure or
4 problems have occurred during any of these starts."

5 ODOM: That's true. Any of the eighteen
6 times --

7 VOICE: I know it's true the way it's written.
8 But it's very misleading.

9 ODOM: I told Al they were hitting on
10 that. They were really focused on that.

11 WEBB: I thought Brockman was going to
12 explain it to them.

13 ODOM: I thought he was going to help us
14 out.

15 WEBB: He didn't --

16 ODOM: He said, "What you heard where the
17 problem was is from the Region." And he dropped it,
18 right there. And that's all he said. You know,
19 like, come on, Ken, speak up. Tell us some more --

20 VOICE: Another question --

21 ODOM: -- if you know more, help us out
22 here (chuckling).

23 VOICE: I thought we explained that to them.

24 ODOM: Yeah, McCoy talked to him; that's
25 what I heard.

1 WEBB: And these fellows observed that
2 the jacket water pressure was 12 to 13 pounds. They
3 asked if that was when the diesel was running or
4 after a trip. I said, "Well, the way it reads, I
5 think it's after the trip." (Inaudible.) He said,
6 "Okay."

 ODOM: That's the way he understood it, too.

 VOICE: So

7 he understands.

8 ODOM: Okay. You wanted to be informed
9 of that; obviously two or three ears were on that
10 phone call today?

11 MOSBAUGH: Uh-huh.

12 ODOM: And uh, I wish these guys would
13 just go away, man.

14 MOSBAUGH: Uh-huh.

15 BEACHER: (Inaudible) come back with
16 three sets of data taken, which we told them --

17 ODOM: Yes, it was --

18 BEACHER: -- yes, it was taken. However,
19 now they want to see the dog-gone data.

20 ODOM: But they're the same.

21 BEACHER: I know. They -- they were the
22 same, the actual.

23 ODOM: We can get it to them. It's the same

24 data taken three different times.

25 (inaudible)