

T-1322

ORIGINAL

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

In the Matter of:

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS SUBCOMMITTEE

MEETING ON ADVANCED REACTORS

Location: Washington, D.C.

Pages: 1 - 87

Date: Tuesday, June 12, 1984

B406140096 B40612
PDR ACRS
T-1322 PDR

T-1322 Delity
o/i B. White

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS SUBCOMMITTEE
5 MEETING ON ADVANCED REACTORS
6
7

8 Nuclear Regulatory Commission
9 1717 H Street, N.W.
10 Room 1130
11 Washington, D.C.

12 Tuesday, June 12, 1984

13 The Subcommittee met, pursuant to notice,
14 at 8:00 a.m.

15 SUBCOMMITTEE MEMBERS PRESENT:

16 MR. MAX CARBON
17 MR. JESSE EBERSOLE
18 MR. CARSON MARK

19 PRESENTERS:

20 MR. P. WOOD
21 MR. T. SPEIS
22 MR. C. ALLEN
23
24
25

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on June 12, 1984 in the Commission office at 1717 H. Street, N.W., Washington, D.C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect the final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except at the Commission may authorize.

FREE STATE REPORTING INC.

Court Reporting • Depositions

D.C. Area 261-1902 • Balt. & Annap. 269-6236

PROCEEDINGS

MR. CARBON: The meeting will now come to order. This is a meeting of the Advisory Committee on Reactor Safeguards Subcommittee on Advanced Reactors.

I am Max Carbon, Subcommittee Chairman. The other ACRS Members in attendance are Jesse Ebersole and Carson Mark.

The purpose of this meeting is to review NRR/RES activities related to LMFBR and Advanced Reactor research. This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act and the Government in the Sunshine Act. Paul Boehnert is the Designated Federal Official for the meeting.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the Federal Register on May 22 and May 30, 1984.

A transcript of the meeting is being kept and will be made available as stated in the Federal Register Notice. It is requested that each speaker first identify himself or herself and speak with sufficient clarity and volume so that he or she can be readily heard.

We have received no written comments from

1 members of the public. We have received no requests for
2 time to make oral statements from members of the
3 public.

4 We will proceed with the meeting, and I call
5 upon Mr. Phil Wood, NRC-RES.

6 MR. WOOD: As we all know, things are in
7 a precarious state in the fast reactor business today
8 and, so, I'll restate our objectives that we've probably
9 discussed before, what it is we're trying to
10 accomplish.

11 The first one is during this period of
12 uncertainty when there is real no licensing action
13 for a fast reactor, we're trying to maintain a group of
14 people with the necessary skills to be able to, to
15 provide expertise in answering fast reactor questions
16 to the Commission and be in a position to take --
17 and help the licensing action if one should come up.

18 We've got a fair number of foreign agree-
19 ments and commitments that give us access to foreign
20 technology, trying to maintain those relationships. And
21 I'll discuss those programs in a little more detail
22 later.

23 We've made a fairly large investment in
24 three large computer codes; the SS Cease Super Systems
25 Code, the COMIX Three Dimensional Thermal Hydraulics

1 Code and SIMMER for CDA analysis. We've kept the
2 contained code alive under the Live Water Reactor
3 Program. We intend to keep it probably with Japanese
4 support in a condition so that it can handle liquid
5 metal systems.

6 The activities I anticipate for FY --

7 MR. CARBON: Hold, hold up, just a minute,
8 the codes again? The SS Cease --

9 MR. WOOD: (INAUDIBLE) -- and contained --

10 MR. CARBON: And you say in conjunction
11 with the Japanese?

12 MR. WOOD: The Japanese are offering us
13 80K to keep contain updated for our liquid metal
14 systems. Remember, contain started out to be a liquid
15 metal containment code, and when we ran out of money,
16 we started using it as light water reactor code.

17 MR. CARBON: Okay.

18 MR. WOOD: The activities we anticipate
19 for FY '85, we anticipate the DOE is going to come
20 in with some advanced design concepts and ask NRR to
21 help them evaluate whether they're really ultrasafe or
22 not or how licensable they are. And we anticipate
23 we'll be preparing a fair amount of support to NRR
24 in that area. But that's kind of undefined right now
25 because I don't think DOE has made any firm requests.

1 Carter is going to talk about that later.

2 MR. EBERSOLE: Pardon me. You're outside
3 the scope of just LMFBRs now, aren't you?

4 MR. WOOD: I anticipate for my work it
5 will be liquid metal systems. Whether they're
6 breeders or not, I don't know. They wouldn't even
7 necessarily have to be fast reactors.

8 The concepts we've seen to date are pretty
9 much standard LMFBR concepts, however, the ones that
10 have been in the, you know, the scandal sheets.

11 Okay. We intend to continue to participate
12 in our foreign --

13 MR. CARBON: Excuse me, just a second.
14 Jesse, he is talking in the context of the LMFBR.

15 MR. EBERSOLE: Will that be the entire
16 conversation today?

17 MR. WOOD: No. On your part -- on my part
18 it will be because I think --

19 MR. CARBON: But on NRR, might as well
20 discuss gastoral (Phonetic) reactors.

21 MR. WOOD: Okay. We intend to continue
22 our participation in foreign corporate programs.
23 Probably the largest of those is the Cabre Program in
24 France where we're using the SIMMER Code to cal -- pre-
25 calculate their trest results and analyze those tests.

1 And that's a fairly large program. I think the Cabre
2 Program all together is about \$20 million.

3 MR. CARBON: In later parts here for next --
4 fiscal year '85, will you be indicating the budget for
5 that?

6 MR. WOOD: Our budget or --

7 MR. CARBON: Yes.

8 MR. WOOD: Our participation in the Cabre
9 Program is -- has no real dollar exchange involved.
10 It has -- it's occupying the time of about 2-1/2 people.
11 We have Alex Lumpton stationed over there that's
12 actively working on the houdoscope work, and I'd say
13 we're using an analyst and a half at Lassell (Phonetic)
14 to look at the experimental data.

15 MR. CARBON: So, we're calculating and
16 getting their data in return?

17 MR. WOOD: Yes.

18 MR. CARBON: Is that correct?

19 MR. WOOD: That's right. And providing a
20 full time professional at the reactor.

21 We have agreements both with the -- I
22 should say we almost have an agreement with the HDR
23 Project. That's the High Density Steam Reactor which
24 is being used with Live Water to study certain
25 stratification problems and thermal down shock problems

1 and also some containment related work.

2 That agreement has been signed with the
3 German Government. Let's see what's that -- BMFT, but
4 the agreement with the KFK people has not been signed
5 yet, but we have given them the COMIX Code and have
6 it -- they have it operational.

7 Now, the primary work on that project is,
8 from my standpoint, is the validation of COMIX ability
9 to -- stratification.

10 MR. CARBON: What does this cost, do you
11 know?

12 MR. WOODS: It's costing us the code plus
13 some consulting work. And if we analyze the data
14 ourselves, it will cost us the computer time to
15 analyze it.

16 Both the HDR Project and the Interatom
17 Projects are no money exchanged. The Interatom large
18 lube just out of -- I think it's out of Cologne --
19 is a one meter diameter lube with sodim metal as the
20 fluid. And it has the capability of injecting large
21 quantities of sodium at something like 200 degrees
22 centigrade temperature difference in the main lube
23 and provides an excellent measure of the ability
24 to handle stratification.

25 And we have the data from those experiments.

1 It's just a question of spending the computer money
2 to analyze them.

3 We recently signed an agreement with CA of
4 France to exchange the COMIX Code for operating an
5 experimental data out of the Phoenix reactor, the
6 Rhapsody Reactor and three other facilities, Super
7 Cavan (Phonetic) and -- Facility, which our out of
8 piled small -- not too useful experiments, but that,
9 again, the only cost to us was to send a technician to
10 France for two weeks to get the COMIX Code running
11 for them.

12 MR. CARBON: And, and in this one, you're
13 giving them the use of COMIX and what you're getting
14 back is the information on how the code puts it out.

15 MR. WOOD: Well, we'll get two things.
16 One, we'll get the results of their calculations on
17 these experiments, and we may use some of the Rhapsody
18 to aid ourselves to do calculations. That's a very
19 small reactor, but that's a very interesting experi-
20 ment.

21 MR. SPEIS: Is it being dismantled, the
22 Rhapsody Reactor?

23 MR. WOOD: As far as I -- yes, it is.

24 UNIDENTIFIED SPEAKER: What did we get from
25 Phoenix?

1 MR. WOOD: What they did with Rhapsody,
2 it had been shut down. They put a lot of good
3 instrumentation in it and they started it up and ran
4 some experiments that you wouldn't normally run with
5 the reactor. And I think it's now shut down.

6 The Phoenix Reactor was a disappointment.
7 We have their operating data or can get it. It's
8 very poorly instrumented. And they had planned in
9 '85 to instrument it and do some good experiments,
10 but their budget wouldn't let them do it.

11 MR. SPEIS: Are you talking about flow
12 distribution, detailed flow --

13 MR. WOOD: Flow and temperature.

14 MR. SPEIS: Flow temperature model.

15 MR. WOOD: Yes. Unfortunately, the
16 instrumentation is very poor.

17 MR. SPEIS: Just more design oriented
18 more than safety, then?

19 MR. WOOD: I, I don't distinguish the two,
20 myself.

21 MR. SPEIS: Well, --

22 MR. WOOD: I'm interested in strong
23 thermal gradients and in components from a safety
24 standpoint.

25 MR. EBERSOLE: This French work is using

1 the COMIX Code?

2 MR. WOOD: Yes. They're going to use
3 COMIX to evaluate those experiments.

4 MR. ALLEN: And that's all we're getting is
5 the -- is the COMIX Code plus --

6 MR. WOOD: The COMIX Code plus two weeks
7 of Bob Smith's time.

8 The next item I have on my list is a
9 moderate statement. We want to maintain and improve
10 our safety evaluation codes. The -- I have contain
11 down even though it is a light water code at this
12 point. Have been offered 80K from the Japanese
13 to, to bring it up to date for sodium, and I think
14 we'll probably manage to have that supplemented by
15 enough money to bring it to one man year from some-
16 where else.

17 Okay. In '85, we're going to try to
18 complete the accident energetic experiments and the
19 ACRR at San Dia. There still is a lot of foreign
20 interest in those experiments, and I'm sure if we had
21 the budget to do it, we could probably get additional
22 foreign support, but at this point, I'm giving source
23 term work priority over the ACRR work. And, so, we
24 plan to finish it up in FY '85.

25 The last item I have on my list is to give

1 NR whatever support they need to develop regulatory
2 positions for liquid metal reactors. They have the
3 -- in that as far as I'm concerned.

4 Okay. In Fy '86, we intend to continue the
5 FY '85 program pretty much as is. The exception that
6 we're going to terminate the ACRR experiments at San
7 Dia. And budget allowing, we intend to initiate a
8 program to extend the source term research work to
9 the liquid metal reactors, probably at San Dia with
10 some help in chemistry and literature sources from RNL.

11 MR. ALLEN: Phil, before you go on.

12 MR. WOOD: Yes.

13 MR. ALLEN: Does -- when you terminate the
14 ACRR work, does that mean that we kind of relinquish
15 an option on the ACRR? Will that -- can you ever get
16 that back if you want it?

17 MR. WOOD: The answer is I think we could
18 get it back because we did, indeed, pay for half the
19 fuel. I think that's a standing agreement that we
20 could use it. Our finding increasingly that it's
21 more and more difficult to get experiments into that
22 reactor because of the increase interest in the
23 weapons program right now.

24 I might as well discuss my thoughts on the
25 source term work right now. There's two options we

1 have in doing what I call experimental work that's
2 needed. This will depend to a large extent on what
3 DOE does. Their plans in that area are still kind
4 of nebulous as far as I can tell.

5 There's a lot of interest in the affect
6 of cesium (Phonetic) as a volatile material at high
7 temperatures and both its effects on the HCDA pin
8 ruptch (Phonetic) problem and how it gets carried out
9 of the fuel as a source term. In both KFK in Germany
10 and San Dia propose that it would be interesting to
11 do some experiments in the ACRR to better understand
12 this -- the association of cesium compounds and to
13 cesium gas.

14 Our position in the past has been that
15 source term coming through the top of the reactor
16 vessel from a CDA is probably not the most probable
17 source. The CRBR licensing position was very strongly
18 that that didn't happen.

19 From the standpoint of the outcome of the
20 CRBR licensing discussions, a much more likely
21 source of problems is core falling on the concrete
22 and getting sodium concrete reactions. And last year
23 we started a program but had to ter -- I guess it was
24 this year -- to evaluate the sodium chemistry of
25 fission products coming out of sodium pools as the

1 pool went from a reducing sodium atmosphere to an
2 oxidizing concrete reaction product atmosphere. And I,
3 myself, am inclined to think that's the more
4 interesting problem but I'd say at this point it's
5 still under discussion.

6 The ultimate goal would be to bring the
7 LMFBR source term regulatory position up to what the
8 light water position will be in a couple of years.

9 MR. CARBON: Do you have any idea of what
10 it's going to cost and how long it's going to take to
11 do that?

12 MR. WOOD: I think that once the light water
13 reactor position is really firmly established and
14 becomes part of the regulations or rules or what, what-
15 ever it becomes, it's my judgment it's going to take
16 of the order of three years and roughly \$1 million to
17 get the liquid metal position at the same point.

18 MR. CARBON: No cheaply --

19 MR. WOOD: Now, I -- that -- My, my
20 getting the light water reactor stuff in a good legal
21 position, I think is a big step.

22 MR. SPEIS: I doubt that --

23 MR. WOOD: Pardon?

24 MR. SPEIS: Well, you can't do that for
25 \$1 million.

1 MR. WOOD: I said \$3 --

2 MR. SPEIS: Oh.

3 MR. WOOD: -- million dollars a year for
4 three years. Having the light water position firmly
5 established, I really think the liquid metal source
6 term chemistry is in a lot better shape than most
7 people realize.

8 MR. CARBON: Well, that would be tremen-
9 dous. I would guess that's like --

10 MR. WOOD: That's optimistic.

11 MR. CARBON: Way, way, way far more, but
12 I hope you're right.

13 MR. WOOD: Well, if we get to making a
14 big task force out of it, like the light water
15 reactors Duff has gotten into, I think your \$10
16 million is a more appropriate number. But if it's
17 handled as a, -- as a fairly low pressure scientific
18 program, I think we'd be in pretty good shape in
19 three years.

20 MR. EBERSOLE: I want you to clarify that
21 for me. I guess I don't understand the physical
22 constituents of what you're talking about, a source
23 term in this case. You're talking about severe
24 accident source term, aren't you?

25 MR. WOOD: Yes.

1 MR. EBERSOLE: So, what's the mechanics of
2 the accident that lead you -- lead you to a fix on
3 the source term? They seem to be so intermixed to
4 me that you can't sort them.

5 MR. WOOD: Well, there's two ways you
6 can get a bad source term, I guess. One is to have
7 the head blow off and have plutonium and fission
8 products come squirting out the top of the reactor.
9 And in the CRBR licensing action, we pretty much rule
10 that out as so improbable that you wouldn't worry
11 about it.

12 MR. EBERSOLE: It went down?

13 MR. WOOD: Correct. The other way is to
14 have the core fall on the floor in reacte with the
15 concrete and produce all sorts of aerosols and the
16 fission products get carried along with the aerosols.

17 MR. EBERSOLE: That's the one you're
18 referring to?

19 MR. WOOF: That's the one I think is the
20 most probable large source term. And the unanswered
21 question there is the pool chemistry changes as you
22 use up the sodium and are left with sodium oxides and
23 sodium hydroxides. Not much iodine comes out of a
24 sodium pool.

25 MR. SPEIS: I guess the only problem with

1 that I have, Phil, is that you really have in mind a
2 specific design of source, and a source term is -- has
3 to be looked in a broader context. You have to look
4 at not only a variety of designs but, you know, the
5 accidents, the -- can be associated with that design.
6 Then, then you have to go beyond that. It's the --
7 the whole response of the -- of the primary system, the
8 containment itself. And then you have to factor the
9 unknown. So, the source term is -- it's more --
10 you know.

11 MR. WOOD: Well, no. How can you have
12 a research program, a generic research program come
13 to any conclusion or position when you're going to
14 say you're going to have to do the whole thing over
15 for a different design. That's a design problem.
16 That comes up with, you know, every regulatory
17 action.

18 MR. EBERSOLE: When you talk about source
19 time, you're talking about the source that gets
20 inside the containment.

21 MR. WOOD: Yes. Yes.

22 MR. EBERSOLE: Not the source that gets
23 outside the containment. This always gets to be a
24 funny thing.

25 MR. WOOD: Yeah.

1 MR. SPEIS: I'll let you focus some specific
2 technical aspects, you know, just some chemistry or
3 physical aspects of, of -- from a system that you have
4 some ideas what's all about. Then you can do that.
5 But -- well, I'm involved in the source term FFOR (Phon.)
6 reactors, --

7 MR. WOOD: Yes.

8 MR. SPEIS: -- and it's a very complex
9 undertaking. And we, we realize that the only thing
10 that we can codify and maybe to put to bed would be some,
11 some, some very narrow scientific aspects, you know,
12 some chemistry aspects and some physical aspects.

13 MR. EBERSOLE: Can you bracket the
14 problem? Can you say in the beginning there will be
15 at least this much and in the end, they'll be no more
16 than this, and we're going to be somewhere in between?

17 MR. WOOD: Unfortunately, people can
18 already bracket it by seeing everything gets out,
19 and that's the position people have taken today.
20 -- with that position source terms haven't been all
21 that bad. The CRBR one wasn't.

22 MR. EBERSOLE: Well, if they're not that
23 bad.

24 MR. WOOD: I guess we're having a little
25 bit of semantic problem in just how far a generic

1 program can go in defining a source term.

2 MR. EBERSOLE: And what's it worth --
3 what's it worth when you're done in view of its --
4 and accuracy? If you knew already, what would you do
5 with it?

6 MR. CARBON: Well, it surely will have to
7 be tied fairly closely to designs that come out.

8 MR. WOOD: Yes.

9 MR. CARBON: I can see where if DOE changed
10 the design from a CRBR type reactor to something else,
11 might just totally change the, the source term
12 research and the source term problem and so on, I
13 think.

14 MR. SPEIS: Are you -- is research also
15 doing a similar program on -- a source term?

16 MR. WILLIAMS: I, I can answer that for
17 you.

18 MR. WOOD: Pete Williams can probably
19 answer that.

20 MR. WILLIAMS: Yes.

21 MR. SPEIS: And maybe we'll talk about it
22 later.

23 MR. WILLIAMS: For the -- all right. I'll
24 plan to talk about that later.

25 MR. CARBON: Are you in touch with DOE

1 on what they're doing on source term work?

2 MR. WOOD: I was in touch with DOE on
3 what they were doing on source term work up till about
4 three months ago. And at this point, I'm a little
5 confused about anything DOE is doing. They had set
6 up a group, primarily the PNL people, to write a
7 program plan for what they intended to do in the
8 source term research work. They had a meeting at
9 Argonne last December, and I sent Rick Randy from
10 San Dia to, to the meeting to be involved with what
11 they were doing because he was going to run our program
12 at Dan Dia. And since then, I frankly don't know.
13 And it's not fair to me that they know.

14 MR. CARBON: I can imagine maybe they don't
15 know. It seems to me that it's very much worthwhile
16 for NRC to be working as closely with DOE -- as
17 reasonable, practical and possible -- can we do things
18 -- can I do things that would, would make it easier
19 for you to be able to stay in close touch with DOE?

20 MR. WOOD: I really don't think that's the
21 problem. I've got very good personal relationships
22 with the people at DOE on the working level. The
23 problem is that, that DOE's whole program is completely
24 out of focus today, I believe. And as soon as it gets
25 back in focus, I intend to keep up with it.

1 We've got a year and a half to make up our
2 mind what we want to do, really.

3 MR. SPEIS: One of the things I would like
4 to talk -- you people invite DOE in the near future, you
5 know, invite some high level people to maybe provide
6 an overview where they're going so you can have that
7 input as part of your auditing -- the Office of
8 Resources --

9 MR. WOOD: I think as soon as we get this
10 current and a letter to the Commissioners on --

11 MR. SPEIS: -- show an interest.

12 MR. WOOD: -- the budget, we'll move into
13 the broader aspects.

14 MR. ALLEN: May I ask -- raise the question?
15 Phil, is it appropriate to say something -- what you
16 just talked about was two possible source terms,
17 either --

18 MR. WOOD: Yes.

19 MR. ALLEN: -- through the head or through
20 dropping down in the cavity, on the floor. There's
21 another possibility, not a source term, but there's
22 a possibility then vessel retention?

23 MR. WOOD: Right.

24 MR. ALLEN: Is it appropriate to say
25 something about that? In particular, in view of some

1 of the newer concepts that are being talked about in
2 the smaller reactors, there may be -- that may be a
3 real option. I don't know, a real possibility that
4 nothing gets out.

5 MR. WOOD: Yes, I think that is an option.
6 The source terms I was talking about are those where
7 things really go to pieces and a lot gets out. The
8 two things that would help a lot would be in-vessel
9 retention. The experimental work at San Dia looks
10 good on that.

11 I think we can calculate what happens to,
12 to -- beds and how coolable they are at this point.
13 Our problem is we don't know where the debris would
14 end up and more work needs to be done on that.

15 The others, I think great strides could
16 be made in improving the kind of concrete that's under
17 the reactor vessel. There's no real good reason for
18 using calcite concrete. Effectively, it's -- people
19 don't like core catchers for some philosophical
20 reason, but I don't see anything wrong with them.

21 The next slide I have is of the foreign
22 support we're anticipating in '85, which at this
23 point is getting to be a fair chunk of our budget.
24 The San Dia ACRR experiments, the largest source of
25 money, is the Japanese and Germans both were

1 interested in those experiments. We had \$1 million
2 come up in '84, of which half of it is to be used in
3 '85 from the Japanese. We're negotiating another
4 300K right now with the Japanese, I think -- our
5 draft of the concrete -- of the contract has gone to
6 them and we haven't heard back from them. That's the
7 status of that.

8 The trans (Phonetic) experiments, we have
9 200K from West Germany already, and we're negotiating
10 another 300K. Brookhaven work is primarily almost
11 job shop work, using SSC on -- they've been giving
12 us about 100K a year, and we have another 100K contract
13 that's being written. That contract is not particularly
14 well defined right now. It's -- we haven't really
15 defined the technical scope on it. The '84 technical
16 scope was to make improvements in SSC to handle very
17 low flow conditions where you could go through flow
18 reversals.

19 At San Dia, as I said before, PNC has
20 offered 80K to -- our version up to date, not a major
21 source of income or help from San Dia as they've got
22 roughly six people working at San Dia on the ACR, two
23 from France, two from Germany, one from Japan and
24 one from Ispra (Phonetic), and that's worth about
25 130K or 140K per man year for that program.

1 And Lassell, we are negotiating with the
2 Japanese to provide 190K to improve the nutronics in
3 the SIMMER Code and one professional to work on it.
4 I'll discuss the details of that later if you're --
5 if you're interested.

6 Okay. The next slide, I've just listed
7 the five programs that we intend to support in 1985
8 if we get our \$3-1/2 million budget. And if you read
9 the newspapers, you know that our budget has been
10 under very heavy attack from the, the House Committee.
11 The -- I think it's the -- Committee, isn't it?

12 UNIDENTIFIED SPEAKER: Devil (Phonetic).

13 MR. WOOD: Devil, Devil Committee wants
14 to cut \$30 million out of the NRC budget and take it
15 all out of research. The Senate Subcommittee said,
16 well, we want to reduce the NRC budget by \$10 million
17 and not take it out of research. And, so, what the
18 compromise will be, I don't know.

19 But the advanced reactor is, I think, very
20 vulnerable right now, advanced reactor budget. Okay.
21 That finishes the slides that I prepared. I've
22 brought copies of the program assumptions that were
23 sent out or are being sent out to the laboratory
24 based on a \$3-1/2 million budget. And I'll be happy
25 to answer any questions anybody has on those items.

1 MR. BOEHNERT: How much are you budgeting
2 for FY '86?

3 MR. WOOD: Before this problem with
4 Congress, the agreement with Dirk's office was to
5 keep the budget level at \$3-1/2 million.

6 MR. BOEHNERT: But you don't know right
7 now what's going to happen?

8 MR. WOOD: No.

9 MR. CARBON: Going back to these five
10 items for Fiscal Year '85, the Argonne reactor safety
11 model and assessment, is that the work by Harry
12 Hummell?

13 MR. WOOD: Yes.

14 MR. CARBON: And what's he doing at the
15 present time?

16 MR. WOOD: I have here the program plan for
17 '85.

18 MR. CARBON: He sat in here?

19 MR. WOOD: Yes, the second one, I believe.
20 His part in the CRBR licensing activity was to run
21 all the accident initiation work, SAS 3D and SAS 4A
22 and his program is at about at a man and a half level.
23 We've dropped the work on the by-flow code that
24 proved to be not very productive. Nobody seems to
25 be able to do a very good job of boiling sodium and

1 --

2 MR. BOEHNERT: Of what?

3 MR. WOOD: Boiling sodium. And that
4 computer code never was -- we never really could get
5 it consistently stable. So, we gave up on it. Harry
6 Hummel has continued to participate in the liaison
7 with UK and the -- atom WAC groups. That's -- accident
8 studies.

9 MR. ALLEN: We don't really even know
10 what Argonne or what DOE's expectations are with
11 respect to the SAS 4A program, do we? We don't know
12 what they intend to do with that?

13 MR. WOOD: Not at this point.

14 MR. ALLEN: That's the only code that has
15 the capability of detail looks at early phases of the
16 -- of the accident, if we get into those kinds of
17 accidents.

18 MR. CARBON: This 183K, is this essentially
19 Harry and his support, computer time and --

20 MR. WOOD: It's Harry and about a half
21 of another person plus computer support.

22 MR. EBERSOLE: And he's doing this, what-
23 ever you need doing with --

24 MR. WOOD: Yes. And keeping up to date with
25 the foreign technology.

1 MR. CARBON: And the 3D time dependent code
2 development and application?

3 MR. WOOD: Well, that's the COMIX Code.
4 I've already discussed some of the foreign involvement
5 in verifying that code. I anticipate if these new
6 concepts have what are purported to be very sophisti-
7 cated to K heat removal systems, that we'll spend a
8 lot of our money analyzing the K heat removal systems
9 with the COMIX. It's the only code I know of that's
10 capable of handling the entire internals of a reactor
11 vessel in three dimension.

12 MR. CARBON: This 612 K must be going
13 for a lot of development, is it not?

14 MR. WOOD: I, at this point, don't know.
15 It would depend on the workload from --

16 MR. CARBON: Well, the work that you
17 talked about, the foreign work, didn't seem to amount
18 to much of any money back here.

19 MR. BOEHNERT: (INAUDIBLE).

20 MR. CARBON: Pardon?

21 MR. BOEHNERT: -- (INAUDIBLE). (Several people
22 talking on top of each other).

23 MR. WOOD: Well, the man power on the COMIX
24 program is about four people plus maybe four -- maybe
25 four and a half people. And the Court is a heavy

1 computer time user. And I consider that a -- kind of
2 a minimum critical mass. And I, I think looking at
3 these new designs is going to be very expensive in
4 order to really do a detailed 3D treatment of the
5 decayed -- systems.

6 Until we get a heavy workload in that
7 area, I intend to continue doing verification
8 calculations on the Interatom loop in Germany and
9 we're, we're working on a new numerical technique in
10 COMIX that's I think will be very profitable on
11 vector machines.

12 The new concept is a complete matrix
13 inversion solution at each time -- which, which should
14 be very fast on a vector machine. So, we've got
15 development work going there. We've got a small
16 effort going on trying to get the two phase version
17 to be stable and workable.

18 The present two phase version is -- I call
19 it an equiliberium -- homogenius equiliberium with
20 slip model, but it's not a true two phase flow, a
21 two phase code.

22 MR. CARBON: The 4-1/2 people -- what's it
23 cost per person, 100K or something?

24 MR. WOOD: With computer time, it's
25 running --

1 MR. CARBON: Without computer time?

2 MR. WOOD: Well, the Argonne lab overhead
3 is over a factor of two. So, it's a little more
4 than 100K. If a professional makes between 40,000 and
5 50,000, it's going to cost you with computer time in
6 the neighborhood of \$120,000.

7 MR. CARBON: Well, still without computer
8 time, it sounds like it's costing \$110,000?

9 MR. WOOD: Yes, something like that.

10 MR. CARBON: So, \$500,000 for people. Does
11 \$150,000 go for computers or something?

12 MR. WOOD: Probably close to that.

13 MR. CARBON: And these 4-1/2 people,
14 what part of that is actually aimed at developing
15 the code, improving the code, not the foreign or --
16 as I understood you back here on participation on the
17 foreign cooperative programs, you basically given
18 them the COMIX Code for their use, their calculations,
19 and you're getting the results from it.

20 So, I ask, are, are these four people,
21 primarily, working at Argonne to improve this code, to
22 check to see how well it does, to do some work on
23 the two phase version, to change this, change that
24 and so on?

25 MR. WOOD: With no workload from NRR in

1 looking at DOE concepts, I would say that's a correct
2 statement. I anticipate that in '85 that we will
3 probably have to pull between two and three of those
4 people off to work on application work.

5 MR. CARBON: Requests from NRR for
6 calculations under designs.

7 MR. WOOD: Yes. If they get into, into
8 a heavy workload of looking at DOE concepts, I
9 anticipate I'll have to pull between two and three
10 people off to work with them.

11 MR. CARBON: Can you anticipate anything
12 like that?

13 MR. SPEIS: Well, not in the very
14 immediate future. I guess we're talking about it --
15 how things look.

16 MR. CARBON: But in fiscal '85?

17 MR. SPEIS: I think the most probable
18 thing in fiscal '85 that will happen will be --
19 related efforts. I don't think we see any --

20 MR. ALLEN: We seem to be lagging the
21 ACGR efforts, activities.

22 MR. SPEIS: So, the, the greater effort
23 seems to be focused on ACGR right now, anyhow, you
24 know. Unless, Phil, you know anything different
25 otherwise.

1 MR. WOOD: I don't really know. I try
2 to plan my work so I can respond to a need if there's
3 there. If not, continue to do development work,
4 but if we don't keep an active group, we're going to
5 lose our investment that we've made in these large
6 codes.

7 MR. CARBON: What would happen if you
8 simply sat the COMIX on the shelf or had some summary
9 reports, status reports and satted on your shelf and
10 left there?

11 MR. WOOD: I guess people would go get
12 other jobs and do something else, and when we came
13 back two or three years from now, we wouldn't have
14 that capability anymore.

15 MR. CARBON: Would you have a better use
16 for the money in the meantime? Are there other things
17 that might very well have higher priority?

18 MR. WOOD: Well, that gets into its value
19 judgment area. And it's my personal opinion that
20 that's one of our more productive and useful groups.

21 MR. SPEIS: I guess your question is a
22 little bit broader -- it's in the broader advanced
23 reactor area, you know. Where is the country going?
24 Where is the -- going? Where is Congress going,
25 you know. If we get the, the notion that nothing will

1 happen the next ten years in the area of LMFBRs, you
2 know. I mean Phil's -- will be different than if
3 something will happen in the next two or three years;
4 right, Phil?

5 MR. WOOD: No, if there's not going to be
6 any work for ten years.

7 MR. SPEIS: Then I'm sure you don't want
8 to be spending, you know, \$1 million a year in --

9 MR. CARBON: No, my question really isn't
10 that broad. At the moment, it's assuming that we will
11 have something in the LMFBR area, and is simply
12 saying could we put our money to better uses than, than
13 these 4-1/2 people on COMIX? Could we start source
14 term work sooner? And I expect their answer will be,
15 they don't want to phase it in at this time. But
16 all kinds of possibilities. Are there other LMFBR
17 generic research things that might be more productive
18 than this, is really what I'm asking.

19 MR. WOOD: Well, I don't know how to
20 answer that. My own judgment is that to keep the
21 thermal hydraulic capabilities and the system code
22 capabilities and to be able to look at the consequences
23 of how design changes would affect the serious
24 accident or all important problems and they're the
25 ones that I think will lose capability fastest if we

1 quit doing work in that area. And I could name another
2 -- some other very important areas, but I think they're
3 areas that we can pick up and do useful work on very
4 quickly; things like high temperature material
5 research. DOE should be doing that kind of work, not
6 us. And I think that there will be good mechanical
7 engineers in the world that we can hire to work for
8 us to do that kind of thing in the future, a lot
9 easier than we can to people that can operate very
10 large complex safety codes.

11 MR. EBERSOLE: If we ever build another
12 LMFBR, will it be a pipe or a pot? It seems that what
13 Paul -- all the things you're talking about are so
14 heavily dependent on a conceptual configuration that
15 you're totally awash if you don't have a conceptual
16 configuration to work on. And without it, I find
17 a lot of trouble in --

18 MR. WOOD: I, I don't think that's the
19 case.

20 MR. EBERSOLE: You think you can do
21 that --

22 MR. WOOD: I think that all three of the
23 codes I'm talking about are capable of having either
24 kind.

25 MR. EBERSOLE: Either kind?

1 MR. WOOD: Yes.

2 MR. ALLEN: That was one of the questions
3 we, we -- recommendations, suggestions we made at the
4 mid year review, was to make sure and look at the
5 capabilities of the codes, their applicability to the
6 variety of concepts that are being discussed. There's
7 quite a variety of concepts being -- about, G.E.'s
8 little tiny one, Westinghouse's fairly large pot
9 and others.

10 Now, I don't know if, if a large -- a
11 smaller number of people dedicated to looking at the
12 applicability of the code. For example, COMIX, at
13 the decay heat removal natural circulation type thing
14 which is probably going to be a very fundamental
15 question in any of these concepts.

16 You know, if that could be a more economic
17 or more efficient utilization or not, as a -- as a
18 suggestion.

19 MR. CARBON: To, to --

20 MR. ALLEN: Well, I was thinking of maybe
21 fewer people. I don't know if fewer people could look
22 at the applicability of COMIX to addressing the natural
23 -- decay heat removal questions of the variety of
24 concepts that are being discussed now. And that's going
25 to be a very fundamental question, the decay heat

1 removal question because that may very well determine
2 whether you get into a severe accident, what the
3 likelihood of a severe accident is. It's a possible
4 option. Well, that's the whole problem once you get
5 rid of --

6 UNIDENTIFIED SPEAKER: Yes, right. Once
7 you don't have to worry about that, it's just removing
8 the heat.

9 MR. CARBON: Let's go on, then. The Los
10 Alamos, the 940 on SIMMER.

11 MR. WOOD: That's about 6, 6-1/2 people.
12 The Lassel people cost a lot of money. They were 140K
13 people. The Lassel activity, as I said, I have
14 something like 2-1/2 to 3 people out of that working
15 on the Cabre work. The other three will be primarily
16 doing code improvement work of which the neutronics is
17 in conjunction with the Japanese. It's going to be
18 the major effort in '85.

19 We anticipate that by cleaning up the
20 way we handle the cross section generation in self-
21 shielding, we can cut the running time of SIMMER by
22 a quarter. And that, I think, is going to be a worth-
23 while investment.

24 MR. CARBON: Is SIMMER going to be as useful
25 on some of the concepts being -- about at present as

1 they would be on a large 1300 megawatt CRBR 2?

2 MR. WOOD: I anticipate that by doing some
3 detailed SIMMER calculations, on some of these "very
4 safe reactor concepts", we may find some surprises.
5 And we may find that things we think are safe are not
6 as safe as we thought they were. And that's why I
7 think that SIMMER is going to be very useful in
8 evaluating new concepts.

9 MR. CARBON: Do you have any support from
10 -- other than from the Los Alamos people?

11 MR. WOOD: I think the San Dia people
12 would support that position. My own experience tells
13 me that two negative coefficients are not always good.
14 I think back to the EBR-1.

15 MR. CARBON: I'm not -- I'm not sure I
16 follow that --

17 MR. WOOD: Well, that's the one that melted
18 down.

19 MR. CARBON: But your example, and I'm
20 not sure --

21 MR. WOOD: Well, in small reactors, one
22 can get into troubles other than having positive co-
23 efficients is all I'm saying.

24 MR. CARBON: Oh, sure. No question.

25 MR. WOOD: And this has to be looked at.

1 MR. CARBON: But I wonder if San Dia is --
2 I mean if SIMMER is going to be really the useful
3 tool or -- its overkill or something like that, along
4 those --

5 MR. WOOD: I guess the only way I can react
6 to that is that if I didn't have SIMMER, I'd have to
7 make conservative judgments on what I think the
8 consequences of an accident are. And that would muddy
9 the ability to make distinctions between which reactor
10 concept is really safe and which one isn't.

11 MR. CARBON: But you're going to have to
12 do that anyway?

13 MR. WOOD: Yes, but I think SIMMER is
14 a useful tool in making a judgment.

15 MR. CARBON: It's a tool, but when it
16 came to licensing a CRBR, at least the primary version
17 that was presented to us in the licensing was that
18 you were not really relying very heavily on SIMMER.

19 MR. ALLEN: Not on the -- just the actual
20 numbers that came out of it, but as an intellectual aid
21 as a tool to evaluate the likelihood of the events.
22 It was useful but not as a -- not as just a calcula-
23 tion on the results.

24 MR. WOOD: That's right.

25 MR. EBERSOLE: Let me ask a question. In

1 the -- in the secret metal reactor field, is there a
2 range of safety considerations within that field,
3 considered in several designs, it might come out which
4 is a broad range --

5 MR. WOOD: I think there's a very broad
6 range.

7 MR. EBERSOLE: Yes; I was about to say as
8 broad as we have in the two LBAR systems we got, the
9 PWR and the -- we're still, still spending about ten
10 times as much research money on the PWRs, on thermal
11 hydraulics as we are the old boilers.

12 On the other hand, we've got a lot of
13 metal allergical problems on the boilers. And where
14 these strike some sort of good position, I don't know,
15 but is there that sort of a -- design possibilities
16 in the -- field as we had in the -- waters?

17 MR. WOOD: I think there is that breath of
18 range. I don't anticipate seeing it, though, because
19 I -- all of the designs I've seen come out recently
20 from the various potential vendors are not all that
21 different.

22 MR. EBERSOLE: They tend to standardize?
23 Would there be an effort to force standardization to
24 some degree before we get in this mess we're in in
25 the LWR field? You know, we're in a hell of a mess in

1 the LWRs because of the openness of concepts.

2 MR. CARBON: At this point, that's a
3 philosophical question. I, personally, hope we don't
4 standardize because at this point we don't have a
5 viable design, anyway.

6 MR. EBERSOLE: Well, that was true 30 years
7 ago in the flat waters.

8 MR. ALLEN: There's a pretty wide range, Phil.
9 Westinghouse is -- at least the one -- the only source
10 of information we have is what everybody else sees,
11 energy daily. We don't have any inside information
12 from DOE, but Westinghouse's was a big pot, a 1000
13 megawatt pot, a fairly large pot. G.E.'s is a very
14 small 110 megawatt little tiny module. That's a wide
15 range. And AI came in with a 330 megawatt inter-
16 mediate, and I'm not sure if it's a pot or what it
17 is, a modified pot. So, there's a wide range of
18 concepts.

19 Hopefully, what we're -- well, what we're
20 badly in need of is a decision or a selection. My
21 understanding is they're in the midst of -- and one
22 of the reasons we haven't seen a lot of detail is that
23 DOE is in the midst of a competitive selection on
24 those bids to award the concepts. So, they think it's
25 not appropriate to come forward with any detail at

1 this point, and maybe later this year, they'll, they'll
2 make some selection and we'll know better what we'll
3 have to focus on in the near term, anyway.

4 MR. EBERSOLE: I -- mine impression has
5 always been that NRC clearly just bombed out because
6 it had too many variations to deal with. It came out
7 of a deal. And it's in no way capable of keeping up
8 with it.

9 MR. SPEIS: That's one of the biggest
10 problems we're facing, you know.

11 MR. EBERSOLE: Yes. And here is a chance
12 to avoid it.

13 MR. SPEIS: The examples that we're
14 facing daily, would come up with a solution to an
15 issue and it's only applicable to one or two plants.

16 MR. EBERSOLE: Right.

17 MR. SPEIS: And here you have 100 plants.

18 MR. EBERSOLE: Yes. The search for genera-
19 cicity, I guess that's a good word is a futile search
20 in the LWR field. And you may as well give it up.
21 Everyone of them is unique.

22 MR. SPEIS: That's right.

23 MR. WOOD: I think, clearly, that if you
24 open up the design concept, just liquid metal cooling
25 is the only criteria, you've got a huge range.

1 MR. EBERSOLE: You've got big problems, too,
2 when you get something coming out of the woods.

3 MR. WOOD: I remember the Shunute (Phonetic)
4 Reactor that was studied in 1956, had -- as a moderator
5 and sodium as a coolant.

6 MR. EBERSOLE: There's a good example of
7 how afield you can get.

8 MR. SPEIS: That's the days of the dreams,
9 you know. Those dreams -- carry too far.

10 MR. CARBON: In the interest of time, we've
11 just got to move ahead I guess, will you say something
12 quickly about SSC and the ACRR experiment?

13 MR. WOOD: SSC is, as you know, our systems
14 code that can handle the reactor transients all the
15 way from the fuel rod clear out through the -- and
16 condenser. It runs in better than real time, usually
17 a factor of two better than real time. And I think
18 it's going to be invaluable in evaluating new concepts
19 from the standpoint of whether they really will perform
20 the way they say they will.

21 And I anticipate that most of -- if we
22 have the requirement from NRR that I could use
23 everybody I've got on SSC doing applications work, if
24 that work doesn't come to pass, then we will continue
25 to make improvements and do validation work and that's

1 about all I can say.

2 We're coming from a, a budget level because
3 we had another program called balance of plant that
4 is going to be terminated in '85. So, we're reducing
5 the budget of SSC by 50% -- by 30%, I guess, if you
6 look at the present.

7 MR. EBERSOLE: Did you say that will take
8 it all the way out to the condenser?

9 MR. WOOD: Yes.

10 MR. EBERSOLE: Let me try a shot in the
11 dark. Would it take a secondary blow down with run
12 on the main feedwater?

13 MR. WOOD: Well, what do you mean by
14 secondary blow down?

15 MR. EBERSOLE: You depressurize secondary
16 and then you continue to pump cold water into it.
17 It's a -- transient, and it's possible.

18 MR. WOOD: It will handle it as long as
19 your accident scenario doesn't assume pipes broken.

20 MR. EBERSOLE: Well, this is secondary
21 pipes broken, high pressure pipes.

22 MR. WOOD: You mean the steam system type?

23 MR. EBERSOLE: Yes.

24 MR. WOOD: It will handle that.

25 MR. EBERSOLE: Including killing, killing --

1 MR. WOOD: Well, you'd have to put boundary
2 conditions on what you expect the steam flow to do.

3 MR. EBERSOLE: I was maximizing a chilling
4 effect in the secondary system.

5 MR. WOOD: It will handle the chilling
6 part of it, but you'd have to put boundary conditions
7 on -- blow down.

8 MR. EBERSOLE: Blow -- adversary.

9 MR. WOOD: You've going to have to put
10 some model that tells how pressure --

11 MR. EBERSOLE: Yes, sure.

12 MR. WOOD: But, yes, it will handle that.
13 Okay. The last one is the ACR work. I don't really
14 think there's any flexibility in what we do with the
15 ACR work right now because that's so heavily tied up
16 with foreign agreements. And our present plans are
17 just to finish the series of experiments that are
18 defined and that will be that.

19 So, that, I guess, is all I have to say
20 unless there's some questions.

21 MR. CARBON: Again, in the interest of
22 time, just quick ones of my own and whatever Jesse
23 would like.

24 In 19 -- or for fiscal year '86, you would
25 -- (END OF TAPE).

1 The SSC work goes up and the simmer -- stays about the same
2 I guess. The ACRR drops to zero and you replace that with
3 source -

4 MR. WOOD: That is our present plan, yes.

5 MR. CARBON: So, everything is the same except
6 dropping ACRR-

7 MR. WOOD: Yeah.

8 MR. CARBON: And the source -- will stay out.

9 MR. WOOD: Well, I think that that first --
10 maybe part Sandy and part Oakridge.

11 MR. CARBON: Okay. Do you have more questions?

12 MR. EBERSOLE: No, I don't.

13 MR. CARBON: Maybe then we better switch over
14 to NRR.

15 (Speaker has very strong foreign accent and is
16 difficult for reporter or transcriber to understand.)

17 MR. SPEIS: Well, I am happy to be back talking
18 to you gentlemen again. The last time it happened it was
19 in the late '70's.

20 MR. EBERSOLE: It is good to see you again.

21 MR. SPEIS: As you know, - since your project
22 was canceled we had a -- program office and following
23 the cancelation the program office was kind of phased out
24 and in its place we have put together advanced reactors
25 which covers all advanced reactors, whatever they are,

NRC 19 24
6-2-84
Tape 2 25
LAR 1

1 including far out LWR's, there is such a thing. This
2 Advanced Reactors group has been pushed under the
3 Division of Safety Technology and basically, about 4
4 people or so, so far, -- --Did I give the right names?

5 MR. CARBON: That's right. And also -- and
6 also the -- three reactors.

7 MR. SPEIS: Tom King is the branch chief
8 -- of a very small group for the time being and depending
9 on what goes on in this area, can go up or down, but
10 the objective is to have a -- three or four people and
11 attempt to stay informed of what is going on -- --
12 more importantly the United States.

13 MR. CARBON: Who do you report to?

14 MR. SPEIS: -- I report to them.

15 MR. CARBON: Directly to Denton?

16 MR. SPEIS: Yes.

17 MR. CARBON: Very good.

18 MR. SPEIS: I am -- there so- I am in the
19 Division of Safety Technology.

20 MR. CARBON: Very good. It is fully recognized-

21 MR. SPEIS: It is fully recognized.

22 MR. CARBON: In place.

23 MR. SPEIS: In fact, we -- February 27, 1984.

I guess I can provide you the review --of our briefing
at that time and we informed them of what we are planning

NRC 19 24
Tape 2
6-12-84 25
LAR 2

1 to do. Important activities that have been coordinated
2 between the office of Quality Evaluation and -- --
3 put together a quality for advanced reactors. I don't
4 know if you people have seen it yet.

5 UNIDENTIFIED: Yeah, that is the February 27.

6 MR. SPEIS: I think it is very important, in
7 light of your letter which I read a while back, your
8 February 15 letter. In fact, I read it at that time and
9 I utilized some of the -- because you were providing
10 this letter and providing feedback to the OPE on the
11 -- of advanced reactors. -- --to look at it very
12 carefully.

13 I think the latest -- of the two commissioners.

14 (Multiple conversations)

15 MR. CARBON: Excuse me. Who has approved it?

16 MR. SPEIS: I think Palidino and -- --
17 there is no problem. I understand that ----

18 MR. CARBON: Roberts is not --

19 MR. SPEIS: -- -- in light of the -- and things
20 of that sort -- are really strongly in favor of it.

21 So, once it gets the approval of the -- commissioners
22 we will go out -- -- I guess I have an early draft with
23 me. It provides the legislative background -- --,
24 previous experience. It talks about the current commission
25 policy and then tries to -

NRC 19 24
6-12-84
Tape 2 25
LAR 3

1 MR. EBERSOLE: You are referring specifically
2 to the March 30 version?

3 MR. SPEIS: I have some -- But the outline,
4 the frame work --

5 (Multiple conversations)

6 MR. SPEIS: We have worked very hard -- --

7 MR. EBERSON: Jon, is it possible for you to
8 address yourself to perspective time for paper, with a
9 background of all these 30 odd years -- -- working with
10 and set up some guidelines for potential standardization
11 that might be employed by the industry?

12 There are two committee members. I am on the PWR
13 -- --. -- like all reactors, there are only two. By
14 the way, I think that will be reversed. I will get on
15 the board, but I recently came back from the --
16 reactors and they are on the verge, apparently, - they
17 are in financial trouble. My observation was --
18 interesting concept that produced high quality steam
19 and is efficient but it is a technological monster.
20 They can't keep water out of the gas. They have got the
21 water above the seals and they seem to be down. Their
22 availability is good.

23 MR. SPEIS: Those problems have been recurrent
24 for the last seven or eight years.

25 MR. EBERSOLE: So, I look on it as a, - I first

NRC 19
6-12-84
Tape 2
LAR 4

1 admired the project and then I got back and I will just
2 give you some, whatever it is worth, some thought I had
3 later on.

4 I had earlier attended a meeting on one of the major
5 problem they have got which is the -- 345 -- And I tend
6 to break down our problems into regulatory problems,
7 -- -- the local problem, large and small, then the
8 residual which is about 80 percent was getting rid of
9 -- --

10 And from that point, I got a look at the HGR and
11 the TWR -- and tried to focus in on what would I do if
12 I were emporer. And, I go down to real primitive
13 considerations. It seems like we always got to cut
14 magnetic fields and wires and that takes a steam engine,
15 so I got to make steam no matter what I do, and if I
16 am going to make steam, -- just about the simplist way
17 to do it, and if I could throw pellets into a pot and
18 cap the pot and make steam that way, I would do that.
19 And that is the nearest approach I can see to simplifying
20 the whole process. Of course, that converges on the --
21 right away without all the secondard problems in trying
22 -- 10 to 1 ratio of trying to understand difficulties
23 on this thermalhydraulics.

24 So, I converge -- -- and then I begin to look at
25 problems with the boiler and the boiler has got some

NRC 19
6-12-84
Tape 2
LAR 5

1 problems and most of it focused on the inability to take
2 heat out of the bushing tubes. And so, you begin to
3 think about that and you try to argue that, oh, I made
4 lots more electric power and we found out last week that
5 the rubber band, that third deisel they got is dependent
6 On one of the other two, believe it or not, to provide
7 its cooling water.

8 Talk about lousey design. So, you see, the
9 institution they created believes in the single --
10 criteria. If you have two, you have got enough, don't
11 bother with further diversity and liability. So, they
12 ride the third diesel on one of their other two.

13 And I then come to this thing I've been long looking
14 for which is appearing just on some of the water --
15 which is, - there is a way -- -- a simple way, and that
16 is the process of opening the primary containment,
17 Primary vessel, -- reliable not like the ones we got
18 now, with a reliable valve, and reducing the containment
19 pressure on the primary boiler and using such third
20 capacity as we have, and the -- tool which is limited.

21 You could make more than that. And, at the end of
22 that rope, if you forced -- which you might be by fire,
23 earthquake, loss of AC fire or a host of other things,
you are left then with something I think -- --
simplicity and safety --

NRC 19 24
6-12-84
Tape 2 25
LAR 6

1 If you are reduced to that level of facility, you
2 are reduced to a point where all you need do on a --
3 like that is pump up fresh water into it and maintain the
4 cover on the fuel. Let the steam go through the now
5 boiling -- -- and emit it straight to atmosphere before
6 core damage occurs.

7 I want to prosecute that right into the ground.
8 I noticed that -- they are not going to build a second
9 unit. So, they have got this enormous lake or -- next
10 to one side. And, I said in my own mind, yeah, if you
11 really want it to. If you want to exploit that, you
12 could have secondary -- --.

13 And, in the end, this leads to my model which I
14 am going to stick with. That all you need to cool a
15 boiler is an old man and a shack out in the garden --
16 -- about 300 horse power and to hell with all the rest
17 of the mechanics.

18 MR. SPEIS: I understand that.

19 MR. CARBON: And I think we should focus in
20 on some kind of a national model. That is a simple way
21 of cooling.

22 MR. SPEIS: -- --

23 MR. CARBON: See, we tried this in '68 on
24 -- -- we got thrown out. It showed its head --. Now,
25 this is pre-core damage.

NRC 19 24
June 12, '84
LAR 25
Tape 2 7

1 MR. CARBON: Part of your charge from the
2 commission will be strange LWR's as well.

3 MR. SPEIS: I will say a few more things about
4 that. So, let me say one more word about the policy
5 statement and the -- part which is the important part is
6 the -- and what are the important issues that have to
7 be addressed. So, we have put together a number of
8 policy issue questions.

9 So, again, I urge you to look at it very carefully
10 because I think your -- should be an important
11 contribution to finalizing policy.-- -- I think we
12 will keep in touch with you just in case there is
13 something mismarked. -- -- keep in contact with you
14 when it goes out and make sure you are aware of -

15 MR. CARBON: I understood from Paul that you
16 likely will be coming to us for formal comment.

17 MR. SPEIS: Yes it will, yes.

18 MR. CARBON: I have the advantage that Jesse
19 didn't have. I looked at it -- I would like to ask you
20 some questions.

21 MR. SPEIS: -- I have a few other things to
22 say, but -

23 MR. CARBON: Go ahead. I will wait. You go
ahead.

MR. SPEIS: Well, I was going to summarize

NRC 19 24
6-12-84
Tape 2 25
LAR 8

1 what our plans are basically and maybe we can go to the
2 next view graph. -- -- responsibilities and as I said
3 we plan to interact with DOE, - I have some examples --
4 interactions that can take place early in the process
5 particularly for designs -- and these people who will
6 be involved with design -- -- before we suffer with the
7 same mistakes.

8 Identify unique -- and characteristics of advanced
9 reactor designs compared to current technology -- --
10 -- -- I think we feel very strongly. In fact, we have
11 started the process based on our perception of what is
12 going on out there ACR -- -- As you know, they are
13 looking at a number of ways -- including the modular
14 concept.

15 The are talking about steel vessels, PCRV vessels
16 and they are trying to decide at what point in the size
17 parameter you leave the PCRV or you leave the steel
18 vessel and you go to -- -- So, these are important
19 questions -- -- technicals questions.

20 So, based on our perception -- trying to define
21 what are the most important areas that -- can pursue
22 to provide early knowledge and so our feedback can be
23 more meaningful and more technical. So, we are in the
24 process of re-evaluating the ACR program which has now --
25 I am talking about resource art -- -- large ACTR and we

NRC 19 24
6-12-84
Tape 2 25
LAR 9

1 are working very closely with resorce to define what
2 we think is needed and more important in terms of
3 priorities. So, we are planning to formally transmit
4 our evaluation of our needs to -- --

5 MR. EBERSOLE: You going to rid of the --
6 We are getting rid of a lot of problems -- Why weren't
7 they helium coöled -- pump?

8 MR. WILLIAMS: Okay. Helium bearings have
9 difficulty -

10 MR. EBERSOLE: Not bearings. I didn't say
11 bearings but helium cooled -

12 MR. WILLIAMS: Motor driven pumps?

13 MR. EBERSOLE: -- --

14 MR. CARBON: Well, you could argue steam
15 driven pumps which is what they are, provides apparent
16 little more safety and also economy than some of the
17 designs do have.

18 The new designs still have water bearings. There
19 is a poor technical argument-

20 MR. EBERSOLE: You mean water buffered seals?

21 MR. CARBON: Yes. Because evidently, water
22 is something you can get out of ACTR and if you do use
23 oil it is likely --

24 (Multiple conversation)

25 MR. SPEIS: Speaking of,-- you people and all of

NFC 19 24
6-12-84
Tape 2 25
LAR 10

1 us having been listening to a lot of things about inherent
2 --. Everyone is throwing that -- around. Every time
3 they talk about a cost that is different than -- they
4 call it an inherent -- design. It is a word that isn't
5 used.

6 Of course, we do encourage inherent safe design
7 and all of us, I guess, have some notion of what inherent
8 safe design is. -- -- supplemental systems, you start
9 charging for work the moment something happens.

10 I am afraid that the way our discussions have been
11 going with DOE, they are using words like that without
12 -- -- They had done their homework to say, you know,
13 we don't need containments, let's -- them any place.
14 Let's move the containments, you know, things of that
15 sort. As -- says, it is time we provided this -- --

16 But, we are interested in working with them and
17 Providing -- -- and see if -- -- They would like to
18 utilize the advance reactors to come forward with maybe
19 some different approach -- -- which is great. But, one
20 of the things they will have to do is do their homework
21 and tell us how they will do things differently based on
22 the designs that they are talking about, and not just
23 come and say, I have a reactor which is inherently safe
24 because of some superficial -- and then, I don't need
25 containment, I don't need -- -- I don't need general

NRC 19
6-12-84
Tape 2
LAR 11

1 design criteria, I don't need -- -- People are talking
2 about getting away from -- approach and come forward
3 with performance criteria.

4 My answer to that is, fine, but tell me how different,
5 how would you design a good shut down system using new
6 performance criteria? How would you, how are you going
7 to make sure that you are meeting your objectives? How
8 would the inspectors use the performance criteria to make
9 sure that you have a pump -- --.

10 So, we are pushing them to come up with a good
11 example. Give us, in specific areas, you know, in areas
12 we had problems the last 20 years. How your new framework
13 will improve things? And that's

14 MR. WOOD: Generally, that performance criteria
15 is just a big road you can sweep things under.

16 MR. SPEIS: That's right. I agree with you
17 and that is why we are pushing them very hard to tell us
18 precisely how would you carry them through all the way to
19 the point where inspector can go there and make sure that
20 things are done, have been accomplished, have been
21 implemented the way you say it.

22 MR. WOOD: JDC19 verses appendix R.

23 MR. SPEIS: After all, all of us know that
24 there were times in the early 70's that we weren't paying
25 any attention to specifics and even though we do have

NRC 19
6-12-84
Tape 2
LAR 12

1 criteria for, let's take your favorite area of -- --,
2 the criteria that exists right now, they are already --
3 -- and everybody is one way and they did whatever they
4 wanted. You know, there is a plan out there, or maybe
5 more than one, that has -- --

6 But experience knowledge is showing us that there
7 are -- -- The -- configurations are all over the place.
8 I have been very heavily involved in looking at the issue
9 of A44 which is the -- outside power and the diversity
10 of -- because of outside characteristics, because of
11 -- configurations, because of -- reliability -- --
12 varies by a factor of a 100. I mean that is obserd.

13 Talking about relative basis, it is good information
14 -- -- So, I am telling, - how are you going to take all
15 this and use that information and build the framework
16 using your performance type data. So, we are having
17 these discussions. We are putting pressure on them to
18 tell us, give us a good thing about this and maybe there
19 is a better way of doing it.

20 So, these are the type of initial interactions we
21 are having with -- -- As I say, they would like you
22 to delay in time, you know, to think of some more rational
23 approach to licensing and design.

24 MR. EBERSOLE: The STAP44 is a good example of
25 the utility -- verses --

NRC 19
6-12-84
Tape 2
LAR 13

1 MR. SPEIS: That's right. As you know, our
2 approach has been to utilize the criteria if they are
3 applicable to new design, and use them. If some of them
4 can be adopted in areas where unique differences exist.
5 You know, formulate completely new criteria.

6 So, one of the things we would like to do is work
7 on criteria because I think that is always a good
8 beginning. You have to have good criteria. We don't
9 have any logical idea -- -- if we have something good
10 that we can build on it's fine.

11 MR. EBERSOLE: Tell me when you work out a
12 good criteria and we are going to pay for it. You then
13 go through the analysis of how many ways people interpret
14 this and how many of them are good and maybe only one is
15 good and the rest are no good, and so, therefore, I'll
16 write that one which is --

17 MR. SPEIS: Some of the current activities
18 that our friend here, Phil, said that as far as --
19 FBR's -- -- They don't know where they are going to go
20 right now. -- -- They are having all kinds of symposiums,
21 meetings, and they are inviting experts from the United
22 States and the world and they come up with a program
23 and then they take it up to the high -- -- back to the
24 drawing board.

25 I don't think anything precise or nothing is emerging

NRC 19
6-12-84
Tape 2
LAR 14

1 yet -- -- as far as we know. As I said already, you know,
2 there is much more activity and much more effort on ACTR's
3 and I don't know how real it is -- --

4 -- -- in the next few months we have asked them to
5 tell us, tell us formally, -- -- because if there is no
6 real effort, you know, our activities, as I said earlier,
7 will go up or down depending on what is going on with
8 the problems in the other areas. But, you know -- --

9 MR. CARBON: To put this in context, I'm not
10 sure I followed some of the things you said. DOE does
11 have a budget of 250-300 million for -- -- next year --
12 and the budget for AGER's is 35 or 40 million or
13 some such thing. So, the emphasis is really heavily on
14 LMFBR's.

15 MR. SPEIS: Well, it is mostly base technology
16 -- -- Talking about -- -- program in 15 or 20 years you
17 will build something. That is what I am talking about.

18 MR. CARBON: In the -- area, has DOE gone out
19 with requests for proposals to design new LMFBR's which
20 might be modular or something?

21 MR. SPEIS: That is what they are trying to
22 decide right now. What kind of things to pursue.

23 MR. CARBON: So, they have not gone out with-

24 MR. SPEIS: They haven't gone out. Even though
25 there have been some proposals from --

NRC 19
6-12-84
Tape 2
LAR 15

1 M R. WILLIAMS: -- one that I mentioned earlier,
2 GE, that came in with that small concept. They are still
3 discussing but they haven't selected a contractor.

4 (Multiple conversations)

5 MR. SPEIS: Well, there have been kind of
6 preliminary proposals. You know, you assign GE to do
7 a preliminary study just to get ideas, okay? All that is
8 being done to form ideas to put a lot of things on the
9 table and then make some decisions which directs us to
10 pursue.

11 MR. ALLEN: An additional context is I believe,
12 that the funds associated with that activity is 15 million
13 dollars if I read the -- correctly, for studies of these
14 Concepts.

15 MR. WOOD: What is the primary goal of
16 modularity?

17 MR. SPEIS: I guess it is -- --

18 MR. CARBON: On the STPR modular the main
19 goal is -- -- removed by radiation of the vessel itself -

20 (Multiple Conversations)

21 MR. -- : -- -- If you go larger you can't
22 do that. You then exceed the fuel temperature.

23 MR. -- : So it takes a low pressure, low
24 temperature water cooling --

25 MR. EBERSOLE: Well, they have alternatives.

NRC 19
6-12-34
Tape 2
LAR 16

1 They blow air -- They could have air come through the
2 bottom and go out the top of the chimney but there are
3 objections to that.

4 MR. WILLIAMS: But, it would be reparable
5 which is --

6 MR. EBERSOLE: It would be really entirely
7 different -- -- type of fuel.

8 MR. WILLIAMS: I would like to take the
9 opportunity to say the fuel is really what people are
10 trying to build a reactor around. The fuel performed
11 well in -- it performed well in -- and yet we have yet
12 to have a reactor that correctly -- the fuel.

13 MR. CARBON: Are they talking -- fuel or -

14 MR. WILLIAMS: Yes.

15 MR. SPEIS: Also the reason is the --
16 utility group, right?

17 MR. CARBON: The -- of Reactor Associates is
18 a mixture of -- Philadelphia Electric, Public Service
19 of Colorado who have both had experience with -- --
20 TVA, I think is a member of it. How do you get rid of
21 the notion that if one reactor is unsafe, 10 reactors
22 are 10 times as unsafe?

23 MR. SPEIS: Say it again.

24 MR. CARBON: It is like an airplane engine. The
25 worst kind would be to have the one that had -- engines on

NRC 19
6-12-84
Tape 2
LAR 17

1 it, one of which would take it down. This here, because
2 they are going to put them on the same site. May I
3 answer that in terms of - General Electric is also involved
4 in this effort and they do have some advanced control
5 of this group in San Jose and facilities -- -- and
6 they are planning to build a simulator for this modular
7 type of reactor just to, I think, work on that problem.

8 Can one operator operate more than one reactor,
9 or one controller operate more than one reactor. This
10 is very key, I think, in the economics. -- -- that
11 this module design is anywhere close to being economical.
12 It may have good safety advantages. I happen to think
13 it does. But, I think that the economics can be overwhelming.

14 MR. EBERSOLE: Well, I thought they planned to
15 take as many as they can and a couple - - one receiver.

16 MR. WILLIAMS: Well, the base plan is really
17 two coupled into one steam terminal.

18 MR. EBERSOLE: Oh, is it two to one?

19 MR. WILLIAMS: And there will be about 200
20 mega -- electrical --

21 MR. SPEIS: I think an important thing is
22 included in Baltimore, as you know, and the president
23 of the utilities -- -- working on evolutionary design
24 -- -- and I think they are planning to -- --

25 MR. BOENNERT: I am really not sure. I think

NRC 19
6-12-84
Tape 2
LAR 18

1 there was something on --

2 MR. SPEIS: I also understand that some of
3 the utilities are getting together to form a group to
4 deal with -- reactors to make sure that they ----
5 in addition to the -- -- You people have heard of the
6 -- Concept.

7 MR. EBERSOLE: I hoped you weren't going to
8 mention that.

9 MR. SPEIS: Well, the Sweeds are pushing it
10 very hard. They came in here with kind of a detailed
11 -- last week. And you were there right?

12 MR. ALLEN: No, but we got a briefing. The
13 Sweeds came into the ACR and -- --

14 MR. SPEIS: The same type of group?

15 MR. ALLEN: Yeah. No, it was like a few
16 months ago.

17 MR. SPEIS: But now they are going to step
18 farther and they are trying to decide how their concept
19 meets the general design criteria. They are trying to
20 develop criteria for that concept -- -- I don't,-
21 the only interest,- I asked them, you know, who is
22 interested in this concept -- -- Hugaria-

23 MR. EBERSOLE: You might ask them to qualify
24 their -- interest -- and how sophisticated they are in
25 their engineering. You can get people interested in --

NRC 19
6-12-84
Tape 2
LAR 19

1 of the world in almost anything.

2 MR. SPEIS: But when you look at the combination
3 of the LWR, ACER -- --. In fact now they are going --
4 They are talking about a big vessel that they will put
5 different units depending on the need. -- --

6 As I said, we would like to interact with people.
7 There is an interest. Okay, there is a utility interest
8 or DOE now has coherent plans that they want to get
9 some Place eventually. -- -- crazy ideas. And, again,
10 it is a matter of resources -- --

11 I guess Harkness will say a few things more --
12 -- The other thing I wanted to talk about was, - I think
13 I covered, in my rambling way, most of the things I
14 wanted to cover. One thing, the people that you have in
15 this group are -- -- that have been involved in advanced
16 reactors -- --

17 So, again, we would like to keep a small cadre of
18 people because I think, as I said earlier, it would be
19 important to see if you can make contact with DOE and
20 see what type of story they present to you.

21 MR. CARBON: And when you say this, are you
22 thinking we ought to be asking them about--and --

23 MR. SPEIS: Whatever.

NCR 19 24
6-12-84
Tape 2 25
LAR 20

MR. CARBON: And white water and-

MR. SPEIS: Whatever they would like to pursue.

1 Again, our goals are no different than the ones you and
2 Jesse described in the letter -- --address questions based
3 on our 20 years of experience -- --.

4 MR. CARBON: Let me go on and ask a couple of
5 general questions here. You had two particular ones,
6 both philosophical or something. DOE seems to be
7 encouraging innovative thinking -- -- (Inaudible)
8 I am not that acquainted with what they are doing. I see
9 no effort on the part of DOE to encourage any new thinking
10 in the LWR area.

11 Almost for sure, in my humble view, we are going to
12 start ordering LWR's again. The United States is, - it
13 doesn't matter whether you agree with me or not, but I
14 really think that the utilities are going to begin ordering
15 LWR's again, and it looks to me like what they are going
16 to order essentially is the same reactors that we have
17 got on line at the present time.

18 They are going to be changed a little bit because
19 GE has -- and its standard by now. And Westinghouse
20 has a standard plan in combustion engineering. But,
21 they are going to be generally very similar to the
22 reactors that we currently have.

23 Now, maybe those are good enough. They are safe, I
24 think, but we sure have to baby the hell out of them in
25 everything. Should DOE be doing more to encourage

NRC 19 24
6-12-84
Tape 2 25
LAR 21

1 innovative thinking in the LWR area and should NRC or
2 ACRS, or somebody, be doing more to encourage innovative
3 work in LWR? I want to ask you that.

4 MR. SPEIS: Well, I think both the ACRS and
5 the NRC should -- -- We should be encouraging designs
6 that have -- -- So, you have margins so you don't have
7 to run around like a chicken every time there is a small
8 problem. But, that is not the way things are going.
9 What is going on right now is you have the -- effort
10 which is a kind of a slow evolutionary, - you know, 60
11 problems that have come up. You know, make sure that
12 they have the right materials and boilers.

13 That effort, you know, is not looked, - you know,
14 make sure that you have water there or 24 hours or 48
15 hours to make sure you have a passive way of cooling
16 the system so you don't have to -

17 MR. CARBON: It is not looking at any of the
18 kinds of things that Jesse is -

19 MR. SPEIS: That's right. The Japanese in
20 cooperation with Westinghouse, as you know, have gone
21 a step farther from the present generation.

22 MR. CARBON: The ATWR -

23 MR. SPEIS: Even though you design, - we have
24 seen -- goal is not quite the same as the one that I
25 saw a few weeks ago. You know, they are chipping away at

NRC 19
6-12-84
Tape 2
LAR 22

1 some of the things that -- -- a year ago.

2 MR. CARBON: Yeah, they are just chipping away
3 and they really are not, basically, changing the LWR
4 that they are going to come out with, at all.

5 UNIDENTIFIED SPEAKER: I am anxious to see
6 if the reactors will become more tolerant.

7 MR. SPEIS: More tolerant. I think that is
8 important because you know, you have -- --
9 You don't have to shut down everytime -- -- everytime
10 a reactor sneezes they have to shut down because --

11 So, it is in their interest -- --

12 UNIDENTIFIED: -- -- if you lose the intake
13 -- -- I think they should be tolerant enough to live
14 through it within -- and they can be done that way.
15 But you got to -- which are the real barriers of the
16 problem.

17 MR. SPEIS: But, you know, there is a financial
18 problem right now. I guess, - you know, the activities
19 by Westinghouse and by GE are in association with the
20 Japanese so the Japanese have a big input because they
21 are putting so many dollars into it.

22 MR. CARBON: They certainly are. They are
23 calling the shots.

24 MR. SPEIS: We think we are not going to go
25 with -- or it is going to be a long time -- -- The number

NRC 19
6-12-84
Tape 2
LAR 23

1 that you mentioned earlier is 250 million dollars -- --

2 We are in a -- position because we have to review
3 designs -- -- and you have more freedom and independence
4 to throw -- --

5 MR. CARBON: You should not get into design.

6 MR. SPEIS: Even though Congress has given us
7 the right, if you remember, to look into specific
8 systems -- --

9 MR. EBERSOLE: But you can say, if I have a
10 design with integral characteristics that you will have
11 less trouble with it.

12 MR. SPEIS: That is the thing we are trying to
13 work with in the field of advance reactors, but -- --
14 -- --

15 MR. CARBON: There are going to be LWR's,
16 the early ones. I personally think LMFBR's is very
17 important in the long run and I personally want to see
18 it stay on. So I have no problem with -

19 (Multiple conversations)

20 MR. CARBON: But my question is, the thing
21 I am trying to ask is, are we, DOE, NRC ACRS, somebody,
22 doing enough to get better LWR's out?

23 MR. SPEIS: I guess maybe we are doing enough
24 maybe -- because we are dealing with all all these
25 problems as they come up and if one thinks about them,

NRC 19
6-12-84
Tape 2
LAR 24

1 you know, -- -- shut reactors down or just -

2 MR. CARBON: It is working on today's problems.

3 MR. SPEIS: On today's problems, but all these
4 Problems, - sit down and how they can overcome these and
5 overcome by going to the -- --

6 MR. CARBON: But the vendors apparently have
7 no understanding -- --

8 MR. EBERSOLE: You know, there is a --
9 at work which says, everytime I suggest doing something
10 better, in a way, I personally condemn what I have already
11 built.

12 MR. SPEIS: Well, that is a problem too because,
13 you know, the perception is that the machines are there
14 and are not safe and most of think the machines there
15 are basically safe. -- shut down or the capacity factor
16 is way down compared to the capacity factor in Japan
17 for example. -- -- or something like that. -- --

18 MR. EBERSOLE: Above average, what is it,
19 .31 -- and about 6 to 1 for us?

20 MR. SPEIS: -- --

21 MR. EBERSOLE: They don't ever want to shut
22 down when they are running.

23 MR. CARBON: Let me put my question differently.

NRC 19 24 In the February 27, March 30 policy statements -- put
6-12-84
Tape 2 25 together, says, Section 205 of the -- Reorganization Act,
LAR 25

1 charges NRC with development of "A long term plan for
2 projects for the development of new and improved safety
3 systems -- ". It seems to me that NRC doesn't do that.
4 Are your words the same as mine? Would you interpret
5 it that way? It is on page 3 of the second paragraph of
6 the March 30.

7 MR. SPEIS: Section 205 of the energy,- it is
8 long term plan for what? -- -- This is the system,-
9 I guess this thing was passed when you people were
10 pushing us to get better,-- -- or somethings like that.

11 I think the way we are interpreting -- separate
12 systems but maybe we are not enforcing this. We are
13 not enforcing, the daily problems are so overwhelming
14 that we don't have time to go back and think about these
15 things. But, you know, nobody is building -- any more.

16 MR. CARBON: They aren't but they surely will.
17 And I guess the thing I am still trying to get at is
18 should we be doing more right now along the lines of
19 encouraging safer reactors even though currently they are
20 safe because we are going to have, I think, lots more of
21 them starting in 5 or 10 years?

22 MR. SPEIS: I think we are to some extent but
23 maybe not as explicit as you and others would like it to
24 be, and again, because of the protections,-- you know,
25 of such explicit pronouncements would imply, you know, --

NRC 19
6-12-84
Tape 2
LAR 26

1 MR. EBERSOLE: Well, I see these big 4 billion
2 projects that are standing now, rusting away and not
3 -- -- that they are not tolerant of -- failures as they
4 should be. To accept the kind -- --

5 MR. CARBON: Incidentally, I am not making
6 any criticisms here, I am trying to ask a question that
7 I really seriously have on my mind.

8 MR. EBERSOLE: Somebody is going to have to
9 order the plan.

10 MR. CARBON: (Mumbling)

11 MR. SPEIS: As I say, the Westinghouse --
12 with Japan has -- -- large tests. -- --(mumbling)

13 MR. CARBON: Is it your impression that they
14 are going far enough that if we suddenly started building
15 several of these a year starting in 1990 that people
16 could look back in 2015 and say, boy, we have got a whole
17 bunch of good reactors?

18 MR. SPEIS: I am not so sure they will build
19 that reactor. I think, my impression from what I see,
20 more probably they will build,- it all depends. If
21 they build in four or five years before they build the
22 present ones, they won't even go to the Westinghouse -- --
23 With most of the problems we know today, fixed, but against
24 the margins,- they are not going to be there you know.
25 The margins as we understand them. I think it is pretty

NRC 19 24
6-12-84
Tape 2 25
LAR 27

1 hard to say when, you know -- --

2 MR. CARBOX: Well, let me stop. I just wanted
3 to get your view on that.

4 MR. SPEIS: -- -- we are coming to you people
5 on Friday for the final full committee meeting and, you
6 know, that's a vehicle that we can say, look at more
7 there because there we are addressing both standard
8 designs and what -- -- Roger will be coming to make
9 his final presentation. You know Roger Marx? -- --
10 Friday is his last day. -- --

11 MR. BOENNERT: We don't have to vacate the
12 premises at 10:00 but Jesse is going to have to leave
13 because -

14 (Multiple Conversation)

15 MR. ALLEN: As you see on the next viewgraph,
16 the advanced reactor group activity run -- liquid
17 metal reactors. The topics on that page are ones we
18 have already discussed pretty much. We are,- our current
19 activity is, we are trying to develop a licensing framework
20 for liquid metal reactors and we are basing it largely
21 on the existing, drawing heavily on white water reactors.
22 And the work that was done on the -- River.

23 We are looking at -

MR. SPEIS: Except the -- we have called them
to come forward with the -

NRC 19 24
6-12-84
Tape 2 25
LAR 28

1 MR. ALLEN: Oh yes, we have. I was going to
2 mention that. In addition to using this, we are
3 encouraging them to come forward, the applicant, with
4 their own suggested criteria and we will look at other
5 sources and these will all be part of our review, our
6 activity.

7 In redrafting, one of the first steps we have taken
8 right now, in lieu of having anything in hand, we have
9 taken a look at the existing PDC's for Clint River and
10 we've redrafted them to state the purpose clearly to
11 begin each criteria. That will help us try to focus on
12 the function of that criteria.

13 But, other sources of recommendations are going to
14 be very important for the development of this framework.
15 We will look at the standard review plan and try to
16 identify those applicable to the liquid metal reactors
17 as will on the reg guides. We are giving some thought
18 to trying to write a standard review plan for severe
19 accidents. That is a pretty good size undertaking.

20 Other topics, going down the list, is maintain
21 awareness of changes in the LWR licensing and as we just
22 mentioned we are tracking the severe accident policy
23 and the safety goal activity to try to assess the
24 implications on the licensing framework for advanced
25 reactors.

NRC 19
6-12-84
Tape 2
LAR 29

1 In addition we are trying to,- we are developing
2 ways to maintain cognizance of foreign -- and licensing
3 philosophy. Currently through international programs
4 and technical exchange agreements we have and the documents
5 we get from them, partly through our research exchange
6 agreements and our research colleagues, the foreign
7 and domestic liquid metal reactor operating experience,
8 AAOD has a program where they get event exchange, event
9 information, and we are trying to develop a way to
10 utilize that program.

11 The next two, the research mid-year review and
12 the establishment of research, we talked about that
13 earlier. We worked closely with research and the needs
14 will evolve as we develop the criteria and the licensing
15 structure or licensing approach we are going to use for
16 LMR's, and, as we get more details on the new concepts,
17 these needs will become more clear.

18 MR. SPEIS: I think -- whether something else
19 could be done in lieu of -- If we find out that there
20 is some real effort going on then we will take a look at
21 that effort in DOE and what it is all about and then,
22 in light of that, you know, -- -- What are our priorities?
23 -- -- Right now we are doing this for ATTR because we
24 think it is more accurate in this area. -- --
25 I am sure they will argue hard with us and we will argue

NRC 19 24
6-12-84
Tape 2 25
LAR 30

1 hard back, but, you know, that is the game anyhow. -- --

2 MR. ALLEN: Then, of course, we are trying to
3 track the AC.S activities. -- letter that was referred
4 to earlier, that you and Mr. Ebersole wrote, plus the
5 licensing and safety philosophy work that I understand is
6 still on going. We will take that into consideration.

7 And the last item is trying to establish the ground
8 rules and the interaction structure with DOE. That's
9 in progress. It is slow going. We think they will be
10 coming forward with somethin in the near future but we
11 are not sure how substantial it will be.

12 MR. SPEIS: I think, to have many interactions
13 with you people, if DOE takes an interest in what we
14 have told them, if you come forward and tell us, how
15 would you like the licensing to be done differently than
16 before for advanced reactors, then we will have to discuss
17 it with you. Get your people, your consultants, have
18 a real working type interaction. -- -- Let's see if
19 we can do something real.

20 So, I think we want to make sure that that happens.
21 We consider that an important part of our interaction.

22 MR. CARBON: Fine. And I sure complement you
23 or comend you for, - welcoming their ideas on how to
24 develop the licensing framework. They may not come
25 through with a damn thing but we hope they do.

NRC 19
6-12-84
LAR
Tape 2
31

1 MR. ALLEN: It is worth it even if they don't.

2 MR. SPEIS: Again, we are challenging because
3 they are talking about -- we want to use performance
4 criteria. Fine, tell us how you are going to use them,
5 how you going to implement them, how are you going to
6 apply them? Give us examples of specific systems,
7 specific reactors. -- --

8 MR. ALLEN: The next, the second viewgraph--
9 reiterating comments we made on the interaction research
10 programs. We participated in the mid-year review and
11 we offer those suggestions which complete the foreign
12 committments as Phil discussed earlier. Maintain
13 cognizance of foreign designs which is always written
14 into their program assumptions anyway I believe, and
15 it is pursued.

16 -- -- in house capabilities to come -- --
17 And, as the concepts come forward, the LSPD and the
18 other concepts, to help us evaluate those and provide
19 support to us and we support the source term work
20 initiation.

21 And the last one, I think, is probably in my opinion,
22 one of the more important ones. That is to be sure that
23 the tools we have available are going to be capable of
addressing safety evaluations in the new concepts.

MR. WILLIAMS: Okay. I was wondering if Dr.

NRC 19 24
6-12-84
Tape 3 25
LAR 32

1 Carbon would prefer to just ask these questions or go-

2 MR. SPEIS: — —

3 DR. CARBON: Go ahead.

4 MR. WILLIAMS: Our first activity here is
5 the development of licensing guidelines and general
6 design criteria. We have a goal of October first to come
7 up with some very rough draft -- -- for the socalled
8 inherent safety --

9 In Port -- we never did develop specific criteria
10 for ATER's. We used the existing criteria and found
11 that it was possible, at least at that time, for the
12 applicant to take exceptions and then justify them to
13 the different criteria. And this probably was a poor
14 way to go because we have had difficult experience with
15 Port St. -- and in retrospect I would advocate that we
16 attempt, as best as we can, even though we don't have a
17 hard design, to look at it, to try to develop general
18 design criteria and the other tools of licensing.

19 So, that is high on our priority list and it is
20 also high on DOE's priority list. They are planning
21 to suggest criteria sometime this fall and perhaps this
22 would be a good thing for the ACRS to help us with -- --

23 Items two and three do go together in a way. Unlike
24 the -- our world, we do have an licensing operating
25 reactors and we, from the advanced reactor group, have

NRC 19 24
6-12-84
Tape 3 25
LAR 33

1 consciously -- feel that there are many lessons to be
2 learned in Port and Grain. And Port St -- is in a
3 position of having to walk this middle ground between a
4 different kind of reactor yet having to conform with the
5 general rules of licensing developed for light water
6 reactors.

7 We are very fortunate in this position that we can
8 keep closely abreast of the licensing trends and answer
9 the specific characteristics of an operating -- --.
10 So, most recently, we do have participating in the
11 activities of Human Factors.

12 I said a moment ago that the fuel is par excellence,
13 but there has been a problem with graphite block, the
14 containment fuel, development of cracks. These, so far,
15 have been determined to have resulted from thermal
16 stresses and are judged at this point inconsequential.
17 But, there was an investigation into that.

18 In particular there is a recent ACR subcommittee
19 meeting -- -- review this problem. Also, fire protection
20 is being reviewed at Port St. --.

21 We have had a number of discussions with DOE and
22 most recently we had a discussion with DOE contractors
23 on ACERS and we have mentioned that -- reactor associates,
24 this is essentially the lead contractor. -- --
25 It was funded partly by utilities, approximately a million

NRC 19 24
6-12-84
Tape 3 25
LAR 34

1 or two million dollars total funds. The balance of the
2 funds have come from DOE.

3 The other principals in the DOE stable of contractors
4 are General Atomic Technologies which is a new name for
5 Gener. -- -- It has a long corporate history of name
6 changes.

7 At this briefing, I think some important dates
8 evolved. On October 30 DOE has promised us a licensing
9 plan and we have asked them to write us a letter telling
10 us what kind of response they want from our review of
11 the plan. First of all, confirming that this is a firm
12 delivered product and we are interested in what they
13 want to hear back from us. So, that is another item
14 that developed from that meeting.

15 Other important dates on that schedule are also in
16 the fall of this year. DOE will complete an evaluation
17 of conceptual HTDR designs. There are some 8 to 10
18 modules of different concepts being investigated and
19 there are, perhaps, a few concepts called in the
20 integrated concepts which is a scale-down version of
21 their reference concepts. And the reference concepts
22 is a scaled up version of Port St. --.

23 The reference concept was basically Summit -- --
during the mid 70's. They recently renamed the 220
mega watt thermal -- plant. They integrated concepts

NRC 19 24
6-12-84
Tape 3 25
LAR 35

1 which we expect to hear about in the fall, will be a design
2 of 11 -- or half of the concept, half the power of a
3 reference concept and that would be about 400 megawatts
4 electrical which the General Atomic -- has determined
5 is what utilities would like to buy.

6 They did a survey of the industry and it was decided
7 that the utilities no longer want the risk a multi-
8 billion dollars on a larger plant, but if they could buy
9 plants now they would like to buy -- in the 400 megawatt
10 range.

11 Therefore, in October, or later, there will be
12 a decision on which of the modular plants they will
13 pursue, which of this integrated-

14 MR. SPEIS: -- --

15 MR. WILLIAMS: That's right. There is a horse
16 race going on and in October there will be three entries
17 in the horse race. One of the modular designs, the
18 socalled integrated design which is based on the reference
19 concept but I perceive will be, - will include natural
20 convection cooling, and then, the lead plan itself, the
21 220 thermal megawatt lead plan which is their long
22 standing lead plan design.

23 So, there will then be three HTDR's in the --
24 horse race. This is expected to be concluded about a
25 year from now. I think in September, excuse me. It will

NRC 19
6-12-84
Tape 3
LAR 36

1 be in September of '85. They will then narrow down the
2 concepts to one reactor either the modular, the -- --
3 plants or the integrated plants.

4 A year from then, September '86, they plan to
5 utilize the document called a Preliminary PSID,
6 Preliminary Safety Information Document. This will be
7 sort of a pre-application document. It will have some
8 characteristics of a PSAR. Such a strategy was used
9 many years ago for the-- -- concept -- --

10 It may have been used by other applicants but I
11 am not aware of them. This document, I guess, they
12 would expect eventually receive a fairly large licensing
13 review and I believe eventually -- --

14 MR. SPEIS: Based on all the things you said,
15 what is the nearest date where they might do something,
16 build something or decide to build something?

17 MR. WILLIAMS: -- said,- talk about building
18 something, what is -- and what has been written here and
19 there, is a demonstration modular --. I think that they
20 feel .hat anything that comes soon, it would be trying
21 to prove the inherent safety principal of the modular
22 plan and one of the gentlemen at this meeting said he
23 felt it could be operational in 7 years from now.

24 MR. SPEIS: Is this something that -- expected
25 to participate -- extensively --

NRC 19
6-1284
Tape 3
LAR 37

1 MR. WILLIAMS: Well, I think it is too early
2 to talk of reality of such a plan. I bring it up, I
3 think, almost as a hypothetical question. There is a lot
4 of water to go under the dam, I think, before I think
5 they are ready to go for the demonstration plan.

6 MR. CARBON: What in Richmond are they talking
7 about, or does it vary and -

8 MR. WILLIAMS: They are now talking of long
9 -- fuel. Originally, the HTER's -- fuel, I had thought
10 was an economical advantage to the -- fuel and frankly
11 asked that question. And they say, no, long -- fuel
12 is fine by us and we are going to stick by it and there
13 is only a minor economic penalty.

14 MR. CARBON: By load, do they mean 3 percent
15 or 20 percent or -

16 MR. WILLIAMS: Less than 20 percent.

17 MR. CARBON: Two or three. Why would it be
18 very much different, it would probably be a lower difference-
19 lower than the light wire reactor because it has got no
20 -- in the modirator to speak of.

21 MR. WILLIAMS: Well, they use the term here
22 -- -- less than 20 percent in other conversations I had
23 with them. It could be --

24 MR. WOOD: The EGCR that was built in Milton
25 Hill Lake in something like 1962 had 2.2 percent enriched

NRC 19
6-12-84
Tape 3
LAR 38

1 fuel.

2 DR. CARBON: It would seem, would it not, if it
3 had truly 20 percent they would have so much U235 tied
4 up that wouldn't they almost have to recycle fuel for it
5 to be economical. Could you afford to -

6 MR. WILLIAMS: Well, we haven't talked fuel
7 economics very much with them.

8 MR. SPEIS: Well, that should be a very
9 important consideration.

10 MR. WOOD: There are a number of papers who
11 will -- -- that deal with -- --

12 MR. CARBON: And you are confident -

13 MR. WOOD: My memory is extremely -- --

14 MR. SPEIS: -- -- they were looking at all
15 kinds of variations and enrichment verses economics,
16 verses reprocessing, verses -- --

17 MR. WILLIAMS: And I was surprised at the
18 answer that -- fuel was economic --

19 MR. WOOD: The only reason you go up in
20 enrichment above the 2 percent level is if you want to
21 go to burn-out -- about 20 or 30 thousand, if you are
22 shooting for very high burn-out they would have to put
23 in the fuel to burn-out. With 100,000, with a low
24 breathing rate, you are probably in the 5 percent range.

25 MR. WILLIAMS: Numbers 5 and 6 on the viewgraph

NRC 19 24
6-12-84
Tape 3 25
LAR 39

-- review and -- research needs, more or less went together.

Following the mid-year review, during which discussion of the modular concept did come up, we have begun to redirect the research program towards the modular plan and toward the so-called integrated plan, toward the -- -- safety and away from the reference design.

And, I will go into the research program if we have time and I will point out where the directions are taking place. Again, item 7, is quite important and we do plan at least, for the research program, to initiate gathering of foreign experience and criteria.

I might mention that the Germans have had, go-critical, and expect to start up in 1985. their THTR reactor. It is a larger pebble bed reactor -- -- One was passed around at the DOE table and it was just about that size. A little less than -- --

DR. CARBON: And it has gone critical?

MR. WILLIAMS: It has gone critical and it has had licensing problems over the years and one of our immediate steps will be to try to find the German licensing criteria. We are very anxious to understand the basis for the licensing with the ACR. We will get that as soon as we can.

Alright, I will try to speed up here. The research program has sort of three parts. One is related to

NRC 19
6-12-84
Tape 3
LAR 40

1 Port St. -- needs. These are continuing activities as
2 expressed from Region 4. Region 4 now has the technical
3 responsibilities for Port St. --

4 It will be redirected to, as I said before,
5 into a smaller modular design and in doing that we will
6 cancel some of the existing programs. We will cancel
7 a program at Brookhaven on oxydation and one at Los
8 Alamos on concrete -- We feel these are programs that
9 can just as well be undertaken by DOE and we are with
10 very limited funds. I should point out that the entire
11 RES program for AGER's for this year, next year and
12 the previous year is 1.6 million dollars.

13 So, we are conscious of cost of feeding very small
14 sub programs. We are also canceling the programs that
15 are relating to this large plant, the former lead plant.
16 This is a plant that its basic accident is an uncontrolled
17 core heat up accident. The newer designs would have
18 different accidents, in fact, they are designed to
19 eliminate the uncontrolled core heat up accident, so,
20 with that, we would undertake other work.

21 As I say, we are making maximum use -- --
22 We will initiate what we call an integrative analysis.
23 And this is our major program that would be given in
24 fiscal '85. We need to understand the safety design
25 of the proposed advanced concepts. We really feel we

NRC 19 24
6-12-84
LAR 25
Tape 3 41

1 need to understand it before we can do much development
2 along the line of severe accidents, find out our
3 additional research needs. So, we expect to do something
4 of our own accident delineation assessment of two designs
5 which we will select from the small type chosen by DOE
6 in the fall.

7 Along with this analysis we have small programs
8 in code development in assessing what we have. There
9 have been a lot of ACER codes made available and
10 probably most of these, but not all -- --

11 We also would like to make use of some German
12 work performed in -- analysis. Oakridge some access
13 to that experiment code.

14 We don't plan to do any high temperature materials
15 work ourselves. This, or course, is very important to
16 the safety -- ACER, performance of metals -- graphite.
17 We just can't afford to but we would take what --
18 -- N47 on high temperature metals and then there is
19 -- Section 3, Division 2 on graphite structures and
20 SME, Section 2 on -- inspection.

21 In service inspection is an area where we do want
22 to spend a little bit of effort, mainly for two reasons.
23 If accidents are to be prevented or be precluded by design,
24 we want to know to what extent the design provisions
25 require life time testing and -- inspection.

NFC 19 24
6-12-84
Tape 3 25
LAR 42

1 And the other is, the reactor should be designed
2 realistically to prevent,- to provide for in-service
3 inspection as it is needed. -- --

4 Reactor Vessel study, we need to know the differences
5 between the PCRV and the steel prssure vessel. Steel
6 pressure vessel would be unique for gas -- reactors
7 and would ultimately be a problem -- --

8 I think that practically concludes my talk except
9 to mention the HTGR handbook. We have a program where
10 we assess worldwide data experience and those data board
11 or a group of editors decide -- are useful would eventually
12 find their way into a handbook type format.

13 This would also be useful for Port St.-- people

14 -- --

15 DR. CARBON: What sort of money will be involved
16 in this research program?

17 MR. WILLIAMS: 1.6 million dollars for fiscal
18 '85 and '86.

19 DR. CARBON: Each?

20 MR. WILLIAMS: Yes.

21 MR. SPEIS: This includes the rearrangement,
22 right?

23 MR. WILLIAMS: This includes the redirection.

24 MR. SPEIS: Terminating some and starting some
25 others relevant to the concepts --

NRC 19
6-12-84
Tape 3
LAR 43

1 MR. WILLIAMS: We may eventually go back to
2 our earlier -- program if they, in fact, choose -- --
3 we would then pick up some -- --

4 MR. SPEIS: So that concludes our presentation.

5 DR. CARBON: Well, perhaps in the interest of
6 everyone's schedule, it is 10:00, maybe we better call
7 it quits. I could keep asking questions for quite a
8 while but I think I have gotten most of what I wanted.

9 MR. SPEIS: We have told you everything we know.

10 DR. CARBON: Thank you gentlemen. It was
11 real interesting and real informative.

12 MR. SPEIS: Thank you and I guess we will be
13 seeing you more often.

14

15 (Meeting adjourned at 10:00)

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF PROCEEDINGS

This is to certify that the attached proceedings before
the NRC COMMISSION

In the matter of: ACRS Subcommittee Meeting on
Advanced Reactors

Date of Proceeding: June 12, 1984

Place of Proceeding: Washington, D.C.

were held as herein appears, and that this is the original
transcript for the file of the Commission.

Tom Berry
Official Reporter - Typed

Tom Berry / JTB
Official Reporter - Signature

FREE STATE REPORTING INC.

Court Reporting • Depositions
D.C. Area 261-1902 • Balt. & Annap. 269-6236

MEETING OF ACRS ADVANCED REACTORS SUBCOMMITTEE CHAIRMAN
JUNE 12, 1984

INCLUDE THIS AT
THE
BEGINNING!

The meeting will now come to order. This is a meeting of the Advisory Committee on Reactor Safeguards Subcommittee on Advanced Reactors.

I am M. Carbon, Subcommittee Chairman.

The other ACRS Members in attendance are: J. Ebersole and C. Mark.

The purpose of this meeting is to review NRR/RES activities related to LMFBR and Advanced Reactor research.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act and the Government in the Sunshine Act.

Paul Boehnert is the Designated Federal Official for the meeting.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the Federal Register on May 22 and May 30, 1984.

A transcript of the meeting is being kept and will be made available as stated in the Federal Register Notice. It is requested that each speaker first identify himself or herself and speak with sufficient clarity and volume so that he or she can be readily heard.

We have received no written comments from members of the public.

We have received no requests for time to make oral statements from members of the public.

(CHAIRMAN'S COMMENTS - IF ANY)

We will proceed with the meeting and I call upon Mr. Phil Wood, NRC-RES.

5/30/84

ACRS ADVANCED REACTORS
SUBCOMMITTEE MEETING
JUNE 12, 1984
WASHINGTON, DC

- TENTATIVE SCHEDULE OF PRESENTATIONS -

	<u>PRESENTATION TIME</u>	<u>ACTUAL TIME</u>
I. Introduction M. Carbon - Chairman	5 min	8:00 am
II. RES FY 85-86 Advanced Reactors Research Program P. Wood - RES	30 min	8:10 am
III. NRR Advanced Reactors Group Activities T. Speis C. Allen	30 min	8:50 am
IV. Discussion and Adjourn*		10:00 am

*Please note the meeting must adjourn at 10:00am to allow use of the room for another Subcommittee meeting.