

T-1320

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

In the matter of:

ADVISORY COMMITTEE ON REACTOR
SAFEGUARDS

Docket No.

Subcommittee on River Bend

Location: Baton Rouge, Louisiana Pages: 1 - 217

Date: Thursday, June 7, 1984

*Return original to B. White, H-1016
TR 04 Add LPDR
0/1*

TAYLOR ASSOCIATES

Court Reporters
525 I Street, N.W. Suite 1086
Washington, D.C. 20016
(202) 293-7990

B406140110 B40607
PDR ACRS
T-1320 PDR

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3
4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

5
6 Subcommittee on the River Bend Station
7

8
9 Prince Charles Room
10 Oak Manor Motor Hotel
11 8181 Airline Highway
12 Baton Rouge, Louisiana 70815

13 Thursday, June 7, 1984

14 The meeting of the Subcommittee on the River
15 Bend Station convened at 1:00 p.m., David Okrent, Chairman
16 of the Subcommittee, presiding.

17 ACRS Members Present:

18 D. OKRENT
19 J. EBERSOLE

20 ACRS Consultants Present:

21 M. TRIFUNAC
22 T. THEOFANOUS

23 DESIGNATED FEDERAL EMPLOYEE:

24 G. QUITTSCHREIBER
25

TAYLOE ASSOCIATES
1625 I STREET, N.W. - SUITE 1004
WASHINGTON, D.C. 20006
(202) 293-3950

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MEETING PARTICIPANTS:

- E. WEINKAM
- T. NOVAK
- F. ELTAWILA
- R. KENDALL
- D. ALLISON
- J. JAUDON
- W. CAHILL
- J. KIRKEBO
- P. FREEHILL
- J. DEDDENS
- B. REED
- J. BOOKER
- C. BOGOLIN
- B. McMORELAND
- J. PROPOSON
- P. BOURNE
- J. HAMILTON
- T. McINTYRE
- B. EBERLY
- B. CULP
- C. LAMBERT
- P. PORTER
- D. LORFING
- E. ZOCH
- T. SZABO
- P. GUHA
- B. RAUGHLEY
- J. QUIRK
- M. SHA
- M. FULS
- D. KNECK

P R O C E E D I N G S

1
2 MR. OKRENT: The meeting will now come to
3 order.

4 This is a meeting of the Advisory Committee on
5 Reactor Safeguards Subcommittee on the River Bend Station.

6 I am David Okrent, the Subcommittee Chairman.

7 The other ACRS Member present today is Mr.
8 Jesse Ebersole on my right. Further to my right is an ACRS
9 Consultant, Dr. Trifuinac, and we will have Dr. Theofanous
10 with us shortly, another ACRS Consultant.

11 The purpose of the meeting is to discuss the
12 application of Gulf States Utilities Company for a license
13 to operate River Bend Station Unit 1.

14 The meeting is being conducted in accordance
15 with the provisions of the Federal Advisory Committee Act
16 and the Government in the Sunshine Act.

17 Mr. Gary Quittschreiber, on my left, is the
18 designated federal official for the meeting.

19 The rules for participation in today's meeting
20 have been announced as part of the notice of this meeting
21 previously published in the Federal Register on Monday,
22 May 14, 1984.

23 A transcript of the meeting is being kept and
24 will be made available as stated in the Federal Register
25 notice. It is requested that each speaker first identify

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 himself or herself and speak with sufficient clarity and
2 volume so that he or she can be readily heard.

3 We have received no written statements or
4 requests for time to make statements from members of the
5 public.

6 Let me ask, Mr. Ebersole, do you have any
7 comments on the proposed agenda?

8 MR. EBERSOLE: Not at this time.

9 MR. OKRENT: If not, we will proceed with the
10 proposed agenda and go on to the report by the NRC staff
11 on the status of the review.

12 MR. WEINKAM: Good afternoon, ladies and
13 gentlemen. I am Edwin Weincam, the Licensing Project
14 Manager assigned to the River Bend Station operating
15 license application.

16 From the NRC Office of Nuclear Reactor
17 Regulation today we have Mr. Tom Novak, Assistant Director
18 for Licensing, Mr. Al Schwencer, Chief, Licensing Branch
19 No. 2, Dr. Faruk Eltawila, Containment Systems Branch, Mr.
20 Rick Kendall, Instrumentation and Control Systems Branch,
21 and tomorrow we will be joined by Mr. Jeff Kimball from
22 the Geosciences Branch.

23 From the Office of Inspection and Enforcement,
24 Mr. Dennis Allison and Mr. Ralph Architzel from the
25 Independent Design Inspection Team.

1 From NRC Region IV, Mr. Johns Jaudon, the
2 Chief of the Reactor Project Branch responsible for the
3 River Bend Station operating license application, Mr.
4 Dwight Chamberlain, Senior Resident Inspector
5 for Operations, Mr. Bob Farrell, Senior Resident Inspector
6 for Construction.

7 MR. OKRENT: Before you proceed, I wonder if
8 you could try to get a message, if it is still possible,
9 to your member from the Geosciences Branch. We would be
10 interested in hearing what results are available from the
11 recent study being performed at Livermore National
12 Laboratory on eastern sites. I think there is either a
13 report or a draft report out. The SER says that the SER
14 was written before the report was available, but we would
15 like to have that report.

16 MR. WEINKAM: Dr. Okrent, I believe he is
17 prepared to discuss that.

18 MR. OKRENT: Thank you.

19 (Slide.)

20 MR. WEINKAM: These are the major licensing
21 milestones, past and future, for River Bend Station.

22 Additionally, I would like to highlight that
23 the Board of Directors of Gulf States Utilities Company
24 announced the cancellation of River Bend Station Unit 2 on
25 January 5th, 1984. GSU is scheduled to provide by June

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 30th their plans and schedules to close out the OL
2 application for Unit 2.

3 The staff review was conducted for a single
4 unit license. GUS is updating the FSAR to reflect only a
5 single-unit application. Unit 2 was less than one percent
6 complete at the time of the cancellation.

7 As another item of interest, the prehearing
8 conference for the 12 filed contentions by the joint
9 intervenors on off-site emergency preparedness is
10 scheduled for June 19th, 1984 in Baton Rouge.

11 Two issues have already been admitted by the
12 Hearing Board for litigation in October 1984.

13 MR. OKRENT: What are they?

14 MR. WEINKAM: The two admitted issues are on
15 Asiatic clams, biofouling of condensers, and the second is
16 on a failure of the old river control structure, which is
17 diversionary structure upstream of River Bend Station.

18 MR. WEINKAM: I have two slides which highlight
19 some of the key features of the facility. It is a
20 comparison of the BWR Mark III's which have previously
21 been reviewed by the ACRS and for comparison that River
22 Bend Station most closely resembles Clinton.

23 (Slide.)

24 This is Table 1.2 from the SER.

25 (Slide.)

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 And just a continuation of the table.

2 (Slide.)

3 I would like to now highlight several key
4 features of the facility and some of these items will be
5 discussed in more detail by the applicant during the
6 course of this meeting.

7 The first feature of interest is the presence
8 of safety grade containment unit coolers. These coolers
9 are provided with service water from the normal service
10 water system at all times, except under accident
11 conditions and/or loss of off-site power. Under these
12 conditions the water is provided by the standby service
13 water system from the ultimate heat sink.

14 It should also be noted that River Bend
15 Station does not employ a containment spray mode in the
16 residual heat removal system. These unit coolers are
17 discussed further in the reference sections of the safety
18 evaluation report.

19 (Slide.)

20 The next feature of interest is the drywell
21 reverse pressure design. River Bend Station does not use
22 drywell vacuum breakers. The drywell is designed for a
23 maximum pressure differential of 20 psid, and under the
24 conservatively assumed worst case conditions, the maximum
25 reverse pressure differential achieved is 19.4 pounds

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 differential.

2 (Slide.)

3 Another feature of interest is the fact that
4 River Bend Station does not need the upper containment
5 fuel pool water dump capability to assure long-term ECCS
6 recirculation.

7 As the result of a shorter weir wall inside
8 the drywell and concrete fill in the drywell below the
9 reactor vessel pedestal, the makeup water provided by the
10 fuel pool is not required. Sufficient net positive suction
11 head is still available for the emergency core cooling
12 system pumps.

13 (Slide.)

14 MR. OKRENT: Excuse me. Does the change in
15 design that you just referred to affect other things in
16 some way, for example, loads above the wetwell or so
17 forth?

18 MR. WEINKAM: Dr. Eltawila, could you address
19 that?

20 MR. ELTAWILA: Dr. Eltawila from the
21 Containment Systems Branch. The plan will be designed for
22 reverse loads in the drywell. Any component or structure
23 that is located in the drywell would be designed for a
24 dynamic load due to the reverse flow from the containment
25 to the drywell. So there would be a shift with that

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3956

1 reverse flow.

2 Since you don't have a vacuum breaker between
3 the drywell and the containment, the contents will come
4 through the downcomer.

5 MR. WEINKAM: I think, Dr. Eltawila, the
6 question was on the no upper pool dump.

7 Is that the question?

8 MR. OKRENT: Yes, it was.

9 MR. WEINKAM: And not the vacuum breaker.

10 MR. ELTAWILA: From what we have observed, we
11 have enough water for recitation for the ECCS.

12 MR. OKRENT: There is less total water?

13 MR. ELTAWILA: They have enough water.

14 According to the design criteria, they have enough water
15 because they don't have water entrapped in the drywell.
16 They are not using the containment spray. So they have
17 sufficient water in the pool that they don't need the
18 upper pool dump.

19 MR. OKRENT: So if I can reiterate what I think
20 I heard you say, despite the bad acoustics, the changed
21 wetwell design does not modify significantly loads on
22 components above the wetwell.

23 MR. ELTAWILA: That is correct.

24 MR. OKRENT: And there remains an ample margin
25 of water in the wetwell for essential purposes.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. ELTAWILA: That is correct.

2 MR. EBERSOLE: May I ask a question. You have
3 some modifications to this containment which are
4 significant. I would like to have you state are any of
5 those in the direction of increasing the possibility of
6 suppression pool bypass? I noticed you had some
7 ventilation paths which apparently couple the drywell to
8 the containment proper, and I am always interested in
9 bypassing the suppression pool, the steam flow, because if
10 you do it, you have a problem with rising pressures in the
11 secondary side and here you don't have sprays to knock
12 that down.

13 So can you tell me in comparison say to Grand
14 Gulf that you reduced or increased the possibility of
15 suppression bypass?

16 MR. WEINKAM: Sir, I can't answer that question
17 specifically.

18 Dr. Eltawila, can you.

19 MR. ELTAWILA: Having no vacuum breaker flows
20 reduces the possibility.

21 MR. EBERSOLE: That reduces it.

22 MR. ELTAWILA: That reduces it.

23 MR. EBERSOLE: I am interested in the other
24 side of the coin.

25 MR. ELTAWILA: The other side is that you have

1 the hydrogen mixing system on River Bend is connected
2 between the air space and ---

3 MR. EBERSOLE: And I notice you claim the
4 redundant mechanical features which are quite coincident,
5 but I am struck with the balance here that I have seen too
6 many incidences of simple mechanical redundancy where the
7 dependence on that concept was too heavy.

8 MR. ELTAWILA: But the two valves you have in
9 the ECCS are isolated at all times and they are not used
10 during normal plant operation.

11 MR. EBERSOLE: Will we get some sort of a
12 picture of the critical aspects of that design in respect
13 to avoiding containment bypass, a sketch or a slide or
14 something? I just want to be able to assess the mechanical
15 nature of it against the terrible responsibility it has.

16 MR. ELTAWILA: I don't have any slides. Maybe
17 the applicant has some.

18 MR. WEINKAM: Mr. Ebersole, I believe the
19 applicant is going to address that.

20 MR. ELTAWILA: I would like to add one thing,
21 that the plant is designed to bypass through that valve.

22 MR. EBERSOLE: I have some reluctance in
23 trusting simple mechanical redundancy of certain kinds.

24 (Slide.)

25 MR. WEINKAM: River Bend Station uses a leakage

1 control system for the main steam isolation valves and
2 certain penetration valves. These systems minimize the
3 release of fission products from process lines that
4 penetrate the containment and could bypass the standby gas
5 treatment system and the fuel building charcoal filtration
6 system following a loss-of-coolant accident. The leakage
7 control systems use category one air compressors. These
8 systems are manually actuated by the control room
9 operators.

10 (Slide.)

11 As a final feature of interest, I would like
12 to highlight the standby cooling tower which serves the
13 facility as the ultimate heat sink. This mechanical draft
14 seismic category one tornado missile protected cooling
15 tower incorporates a six-and-a-half million gallon basin
16 of water. This inventory of water provides River Bend
17 Station the capability to safely and reliably reach and
18 maintain cold shutdown even if the normal service water
19 system provided by the four mechanical draft cooling
20 towers is unavailable. These towers and their associated
21 basin are provided makeup water from the Mississippi
22 River.

23 Various sources of makeup water to the
24 ultimate heat sink are available, including shallow and
25 deep wells and the Mississippi River.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. EBERSOLE: Is all of this water used in its
2 normally cooled mode, or do you have to refrigerate any of
3 it for some of your cooled components?

4 MR. WEINKAM: It is in a normally cooled mode,
5 sir, and no refrigeration is required.

6 MR. EBERSOLE: And you have no class one
7 refrigeration systems?

8 MR. WEINKAM: No, sir, I don't believe River
9 Bend has that.

10 MR. WEINKAM: I would like now to discuss some
11 of the open items in the safety evaluation report.

12 Issues are classified as outstanding issues in
13 the safety evaluation report if the issues have not been
14 resolved by the applicant at the time of issuance of the
15 safety evaluation report.

16 Of the 18 open issues in the safety evaluation
17 report, none have been closed out since the SER was
18 published less than a month ago. However, the staff and
19 applicant are now in substantial agreement on the path to
20 resolution of all issues.

21 (Slide.)

22 I have three slides summarizing the issues,
23 and I would just like to go right ahead and highlight some
24 of the issues of interest. There are summary sheets in
25 your package on all 18 issues.

1 The staff is currently reviewing submittals by
2 Gulf States Utilities on three issues:

3 Open Item 1, hydrostatic loading of safety
4 related structures as the result of probable maximum
5 precipitation accumulating in the Unit 2 excavation.

6 (Slide.)

7 Item 14, the availability of adequate
8 communications following the seismic event and/or loss of
9 off-site power.

10 (Slide.)

11 And Item 15, the adequacy of emergency
12 lighting in safety related areas following the seismic
13 event.

14 I believe that these issues will be resolved
15 in the next few weeks.

16 MR. OKRENT: Could I ask a question. Somewhere
17 in the SER there is a discussion of local precipitation
18 and I believe a statement by the staff that they are not
19 satisfied in that regard. Do I remember something
20 incorrectly?

21 MR. WEINKAM: The applicant initially had
22 calculated his probable maximum precipitation based upon
23 Hydrometeorological Report 51. Recently the applicant has
24 updated it to HMR 52, and that is the basis that we are
25 using for PMP.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 393-3950

1 MR. OKRENT: Well, I am just trying to
2 understand the statement on page 2-10 which says "Thus,
3 the staff finds that the applicant has not demonstrated
4 that safety related facilities are adequately protected
5 against the effects of local PMP on the site."

6 MR. WEINKAM: Yes, sir. That open Item No. 1,
7 the hydrostatic loading. Part of that concern arises from
8 the fact that West Creek, I believe it is, which is to the
9 west side of the facility, we are looking now at the plant
10 runoff accumulating in the Unit 2 excavation and the
11 result in hydrostatic loading which occurs as a result of
12 that.

13 Gulf States has provided some information to
14 show that the expected precipitation conservatively, which
15 would accumulate in the Unit 2 excavation, would not
16 exceed the hydrostatic loading predicted for the
17 structures for which they were designed, the safety
18 related structures adjacent to the Unit 2 excavation. So
19 that is essentially what that issue is about, sir.

20 MR. EBERSOLE: Let me mention a few topics so
21 we can set the stage for some answers that might come
22 later.

23 I wondered what model you might be using to
24 analyze the Appendix R problem as you go about the plant,
25 and let me just collect these, I am not looking for

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 answers. And this just comes from walking through your
2 paper here.

3 I notice you have extremely low bypass and it
4 suggests you are going to, without fail, that you are
5 going to have a number of stuck safeties in the first year
6 or two. I understand you are putting additional bypass in
7 later, and I would like to hear about your intended plan
8 to cope with stuck SRV's which you are sure to experience.

9 This plant has unusual features. It has got
10 main feedwater pumps which are electric and there are no
11 booster pumps. I don't see the equivalent of the old
12 standby coolant pumps which get water into the reactor via
13 the main feedwater system by some low pressure pump
14 complex, and you might tell us whether you have any or
15 not.

16 I noticed that you have upgraded RCIC from
17 standard commercial grade to safety grade, and I wondered
18 what you actually did to do that.

19 In view of these changes in design, can you
20 give us sort of a summary of how many ways you can get
21 water into the loop if you can successfully depressurize
22 it with the SRV's. Evidentially you cannot do it in as
23 many ways has as been done in the past.

24 That is all I have momentarily.

25 (Slide.)

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. WEINKAM: The staff and applicant met
2 earlier this week in Bethesda to discuss open issue No. 9,
3 bypassed and inoperable indication. GSU will be submitting
4 to the staff by the end of July proposals for control room
5 benchboard modifications and procedural requirements to
6 close this issue.

7 The proposed resolution of this issue will
8 also be reviewed by the Human Factors Engineering Branch
9 during the control room design review audit tentatively
10 scheduled for late July.

11 The staff has met with Gulf States Utilities
12 to discuss the applicant's program for the qualification
13 for nuclear services of the two Trans-American Delaval
14 R-48 diesel generators used at the River Bend Station as
15 standby diesel generators.

16 This qualification and the implementation of
17 NUREG CR-0660, diesel generator reliability enhancements,
18 are included in Open Item No. 10. Gulf States Utilities is
19 a member of the TDI owners group working toward a generic
20 resolution of the TDI diesel generator qualification
21 questions.

22 I believe GSU will discuss in depth later in
23 this meeting their program for the qualification of the
24 TDI diesels.

25 (Slide.)

1 Mr. Ebersole, I believe you earlier questioned
2 about Appendix R for River Bend. The staff and GSU has
3 discussed Open Item 13, which is ultimate shutdown of the
4 plant following a fire which completely destroys the
5 control room. This issue has remained open as a result of
6 differenes between the staff and the applicant concerning
7 the magnitude and the time it takes for a fire to spread
8 and engulf the entire control room.

9 River Bend does not electrically isolate from
10 the control all systems required for shutdown. Those
11 systems which operate without operator control, such as
12 the ventilation system, are not isolated. Those systems
13 which require operator control are available on the remote
14 shutdown panels and are electrically isolatable.

15 Recent discussions between the staff and the
16 applicant have clarified the criteria of Branch Technical
17 Position 9.51 with regard to the active failures of
18 equipment and the analyses required. Gulf States
19 Utilities will be making a submittal by the end of July
20 addressing how River Bend will meet this position and
21 therefore satisfy the ultimate shutdown capability
22 concern.

23 MR. OKRENT: I am sorry. I missed your last
24 sentence. Would you mind saying it again.

25 MR. WEINKAM: GSU will be making a submittal by

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 the end of July discussing the criteria of Branch
2 Technical Position 9.51 for ultimate shutdown capability
3 and should satisfy the staff's concerns.

4 The question of the electrical isolatability
5 and the single failures in the control room causing a
6 single worst case event of a system will require some
7 procedures and possibly some hardware modification to meet
8 the ultimate shutdown capability from outside the control
9 room.

10 MR. OKRENT: So you still expect to require
11 electrical isolation for all system required for shutdown
12 or not?

13 MR. WEINKAM: No, sir. Procedure modifications
14 may be able to resolve the concern from a worst failure or
15 multiple failures causing, for instance, in the RHR
16 suction line there are two motor operated valves, and a
17 single failure of those could cause a fire induced LOCA,
18 in other words, from a reactor coolant system into the RHR
19 system which is a lower pressure system.

20 There are fixes for that. You could just rack
21 out one of the breakers so that even if you did have a hot
22 short, that valve would not open. Other concerns might be
23 an ADS actuation as a result of a fire and there may be
24 hardware changes or procedural modifications to tech specs
25 or things like that which would fix those concerns.

1 MR. EBERSOLE: Well, in the final analysis do
2 you take issue with any of the current requirements of
3 Appendix R? I guess that is the gist of it?

4 MR. WEINKAM: Does the applicant?

5 MR. EBERSOLE: Yes.

6 MR. WEINKAM: I do not believe the applicant
7 believes our postulated fire which engulfs the control
8 room instantaneously essentially, but I believe that Gulf
9 States will be able to work out to the staff's
10 satisfaction the concern in spite of that disagreement.

11 MR. EBERSOLE: We noticed the auxiliary
12 shutdown systems, and they seem to be comparatively close
13 to the scenes of potential trouble. Is the degree of
14 isolation in the physical context of those emergency
15 shutdown panels and centers adequate? Have you examined
16 that?

17 MR. WEINKAM: I can't answer that question,
18 sir. I will find out.

19 That is all I have on the open issues, if you
20 have any other questions.

21 MR. EBERSOLE: I might comment on why I raise
22 that question. On page 1.4 of the SER the remote shutdown
23 panel is said to compensate for conditions wherein the
24 control room is uninhabitable but not damaged, and that,
25 as you know, is inadequate.

1 MR. WEINKAM: I am sorry, sir?

2 MR. EBERSOLE: The lack of habitability is not

3 the problem. The problem is compounded damage

4 MR. WEINKAM: Yes, sir.

5 MR. THEOFANOUS: Excuse me. Maybe I missed it.

6 Was it not an open issue, the velocity of the pool swell

7 because the present design is a little higher, and there

8 was some thought given to the idea of using a lower

9 velocity than in other designs?

10 MR. WEINKAM: You mean for containment pool

11 swell?

12 MR. THEOFANOUS: Yes.

13 MR. WEINKAM: Yes, sir.

14 MR. THEOFANOUS: Is it closed now?

15 MR. WEINKAM: No, sir, it is not closed now.

16 MR. THEOFANOUS: Okay. So probably I missed it

17 because I came in late.

18 MR. WEINKAM: I didn't highlight that one.

19 MR. THEOFANOUS: Oh, you did not highlight it.

20 MR. WEINKAM: Open Item No. 7, containment

21 loads references three sections of the SER, and that has

22 to do with, Dr. Eltawila correct me, the pool swell

23 concern, SRV actuation and it is in your package.

24 MR. THEOFANOUS: That is okay. But I think just

25 to clarify, I thought that you talked about the open

1 issues here, but you only chose to choose some of them.

2 MR. WEINKAM: Yes, sir. I don't believe we are
3 going to have any difficulty closing these issues. The
4 applicant is due to submit that later this year I believe,
5 in late '84 or early '85.

6 MR. THEOFANOUS: How are you planning to close
7 it, by some analysis?

8 MR. WEINKAM: Dr. Eltawila.

9 MR. ELTAWILA: We are going to have an analysis
10 done by our subcontractor. The acceptance criteria is out
11 now and the applicant is assessing its plan against the
12 acceptance criteria. Once they provide their answer, we
13 will know where they stand on each issue.

14 MR. THEOFANOUS: So your consultant is going to
15 provide the analysis or GSU is also going to provide the
16 analysis?

17 MR. ELTAWILA: GSU has to provide us first with
18 their response to the acceptance criteria, their position
19 to the acceptance criteria.

20 MR. THEOFANOUS: And you are going to have your
21 technical consultant on that issue.

22 MR. ELTAWILA: That is correct.

23 (Slide.)

24 MR. WEINKAM: There are 64 confirmatory issues
25 identified for River Bend Station. Confirmatory items are

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 items that have essentially been resolved to the staff's
2 satisfaction but for which the applicant has not yet
3 provided certain conformatory information.

4 If this confirmatory information does not
5 confirm preliminary conclusions, the item will be treated
6 as open and the staff will put it on its resolution in the
7 supplement to the safety evaluation report. Many of these
8 issues require staff confirmation of procedural
9 implementation, test results and drawing revisions for
10 closure.

11 MR. OKRENT: Before you take that away, I am
12 trying to understand why No. 19 on this list is
13 confirmatory.

14 MR. WEINKAM: The hydrogen control issue has
15 been a generic issue, and a result Gulf States is
16 participating with the hydrogen control owners group. If
17 the owners group has not achieved a satisfactory closure
18 of the issue by the time of licensing, Gulf States will be
19 required to provide some interim facilities for a hydrogen
20 control, and as a result, we are in substantial agreement
21 that they will either provide it or the issue will be
22 closed.

23 MR. OKRENT: I find that a completely
24 unsatisfactory definition of a confirmatory item. Your
25 lawyer may like it or someone on the staff may like it,

1 but to me it just hides an issue.

2 Are there any others on your list that are
3 similar in character? In other words, where in fact it is
4 not clear how the issue will be resolved technically, but
5 you have put it in here under some kind of wording?

6 MR. WEINKAM: Dr. Okrent, let me get back to
7 you on that. I wouldn't want to make that blanket
8 statement right off.

9 MR. OKRENT: All right.

10 MR. WEINKAM: But I am of the opinion right
11 now, if that is your interpretation, that, no, sir, that
12 is the only one that I am aware of right now, but I will
13 verify that and get back to you later during the meeting.

14 MR. OKRENT: In other words, I really want to
15 know whether you mean it when you say by confirmatory the
16 words you used at the beginning of your statement, and I
17 would like to know it for each of the things that you call
18 confirmatory because, in my opinion, it just doesn't apply
19 for hydrogen.

20 MR. WEINKAM: Yes, sir.

21 MR. OKRENT: And it shouldn't have been applied
22 to hydrogen either.

23 MR. EBERSOLE: May I ask a question. What is
24 the status of the matter of hydrostatic uplift and so
25 forth in the structures? That is not yet fully resolved,

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 is it?

2 MR. WEINKAM: Hydrostatic uplift of the
3 structures?

4 MR. EBERSOLE: Yes, the groundwater problem and
5 the effective fill of the local No. 2 unit excavation.

6 MR. WEINKAM: Sir, that is an open issue. That
7 is Open Issue 1.

8 MR. EBERSOLE: Another thing I noticed that
9 seems to be curiously different from Grand Gulf is in your
10 examination of potential floods you looked at few hundred
11 miles upstream at the potential for dam breaks.

12 MR. WEINKAM: Yes, sir.

13 MR. EBERSOLE: And I noticed you never did get
14 to Kentucky, and I thought, as I recall, that a Kentucky
15 dam failure posed a substantial problem in the matter of
16 going over the levers for Grand Gulf.

17 MR. WEINKAM: Well, the River Bend Station is
18 located on a bluff.

19 MR. EBERSOLE: Is that the difference?

20 MR. WEINKAM: The west side of the river I
21 believe is elevations 57 and ---

22 MR. EBERSOLE: Say no more. You are different
23 from Grand Gulf in that aspect.

24 MR. WEINKAM: Yes, sir.

25 (Slide.)

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 Eight licensed conditions have been identified
2 for the River Bend Station. Conditions 4 and 5 will be
3 required to be completed prior to exceeding five percent
4 power.

5 Item 4 is a demonstration that engineered
6 safety features remain in the emergency mode following
7 removal of the actuating signal or reset of the signal.

8 Item 5 requires a post-accident sampling
9 system, procedures and training meeting staff criteria
10 prior to operation in excess of five percent power.

11 MR. OKRENT: I would like to understand
12 something about Item 3. Has the staff decided that it is
13 crucial that rod internal pressure not exceed system
14 pressure and, if so, do the fuel element designers agree
15 that this is crucial or just what is the technical status
16 of the issue as aside from the licensing status?

17 MR. WEINKAM: I believe the issue as originally
18 defined was that the fuel rod internal pressure was not
19 addressed specifically by General Electric as a concern,
20 you know, the difference in the reator coolant system
21 pressure to the eventual pressure due to some conservative
22 analyses. As a result, since that had not been directly
23 assessed, the staff is of the opinion that some
24 conservatism was involved in that.

25 However, recently some information has come in

1 showing that this information may not have been as
2 conservative, and as a result now up to the second cycle
3 of operation the plant will operate satisfactorily, but
4 the analysis will be required for the longer term
5 operation.

6 I am not sure I answered your question.

7 MR. OKRENT: Do you expect GE's technical
8 position to be that it is acceptable for internal pressure
9 to exceed system pressure by some amount, or that over the
10 long term they will agree that it is necessary to keep
11 internal pressure below system pressure?

12 MR. WEINKAM: I don't have an answer for that,
13 sir. I will find out.

14 (Slide.)

15 The final three licensed conditions are as
16 identified.

17 That is all I have, sir. I will turn it over
18 now to Mr. Johns Jaudon, the Chief of the Reactor Section
19 responsible for River Bend who will speak on enforcement
20 and SALP.

21 MR. OKRENT: Let see if there are any further
22 questions at this time.

23 (No response.)

24 MR. OKRENT: By the way, I should ask are there
25 any disagreements within the staff on technical issues

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 concerning River Bend?

2 MR. WEINKAM: No, sir, there are not.

3 MR. JAUDON: Good afternoon, ladies and
4 gentlemen. I am Johns Jaudon, the Chief of the Reactor
5 Projects, Section A, in Region IV.

6 (Slide.)

7 With regard to enforcement history, this slide
8 shows the number of violations by year that have been
9 given to River Bend. A review of these indicates no
10 particular significance, including the year 1980 in which
11 there were obviously more violations.

12 They were primarily, or the greatest single
13 number of them were in the area of failure to follow
14 procedure in concrete placement. However, that was the
15 principal subject being inspected in 1980 at the plant.

16 The severity level of the violations breaks
17 down as such.

18 (Slide.)

19 I have arbitrarily said that infraction and
20 deficiency, which were older definitions, were equivalent
21 to 4's and 5's today, severity levels.

22 The one level three violation had to do with
23 failure to properly report a potential construction
24 deficiency under 10 CFR 50.55(e). No civil penalty was
25 assessed on the basis of prompt licensee action and at the

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 discretion of the region which was permissible at that
2 time.

3 (Slide.)

4 The correlation between violations and the
5 number of inspection hours also is not particularly
6 significant since the number of violations have not gone
7 up as the number of on-site inspection hours at River Bend
8 have gone up over the last few years.

9 In mid-1980 the first resident inspector was
10 assigned, and that accounts for the increasing number of
11 hours. In late 1983 a second resident inspector was
12 assigned and, hence, we expect the number of inspection
13 hours on site between the residents and the regional staff
14 to increase through '84 and '85.

15 Any questions on the enforcement history?

16 MR. OKRENT: Are you giving us your assessment
17 of licensee performance at the moment?

18 MR. JAUDON: No. I am going to get to the SALP
19 in a moment.

20 MR. OKRENT: I just wanted to understand.

21 MR. JAUDON: Yes, sir.

22 (Slide.)

23 This represents the assessment for 1983 and
24 for 1982, and those areas were rated by the Systematic
25 Assessment License Performance Board.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 Category 1 nominally means reduced NRC
2 surveillance will be required, Category 2 means that you
3 stay at the same level and Category 3 means increased
4 licensee performance and NRC assessment or inspection is
5 required.

6 For the last two assessment periods there have
7 been no category three areas identified at River Bend, and
8 there were in fact two areas up there under Category 1 at
9 the last assessment which was conducted last fall or late
10 summer actually when the period closed.

11 Of perhaps most significance is the Region's
12 finding or the Board's finding, which includes NRR of
13 course. The management control was Category 1, because
14 that is, in our judgment, the most significant single
15 category on the assessment.

16 MR. OKRENT: What do you mean when you say 1
17 for design control?

18 MR. JAUDON: What we meant was that we thought
19 the design control process for our inspections, the sum
20 total of them, was working well, the correct documents
21 were getting in the field, that the work was being
22 performed to those documents, that the design process when
23 they found problems and had to get changes made at the
24 craft level was being carried out well, the feedback loops
25 were working and the process was under control and they

1 knew what they were building.

2 This does not mean that we always technically
3 agreed with them, but they had control of their process
4 they were carrying out.

5 MR. OKRENT: Let's see, in view of what I see
6 here, would you be surprised if between now and 12 months
7 from now a reasonably large number of significant
8 deficiencies in quality turned up?

9 MR. JAUDON: No, sir, I would not be very
10 surprised for a couple of reasons.

11 One, the plant is getting to that point in
12 construction where something that has been hidden in the
13 past is going to show up in the test program. We have two
14 very aggressive residents on site now and I hope to have a
15 lot more support for them from the regional staff down
16 here. I think we are going to have a lot more inspection
17 hours and we are at a point when it is, in my experience,
18 easier to find what is wrong.

19 When you are running water in systems and
20 putting power on systems you find out if there is
21 something wrong that got missed before somehow.

22 MR. OKRENT: Well, when I think back over some
23 of the deficiencies that have surfaced on some other plants
24 and have led to at least considerable discussion, if not
25 delay, they were not necessarily things that the NRC

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 inspectors would find. In fact, I think they were things
2 that surfaced for other reasons. So I am not at the moment
3 sure I know why I should be satisfied just because you are
4 going aggressive inspectors.

5 MR. JAUDON: Up to this point I would also say
6 that a lot of that 1 in management control has been that
7 the applicant's organization has appeared to the region to
8 be aggressive in their pursuit of quality problems and
9 getting them resolved. Obviously, all we do is sample and
10 the onus is certainly -- I mean two residents to watch
11 four or five thousand people is ludicrous unless we just
12 sample. They have to have the organization that watches
13 and the systems in place that make it correct.

14 MR. EBERSOLE: May I ask a question. I think as
15 an example what Dave is talking about is with a SALP
16 assessment, but with no other pressures, you probably
17 would never have required that they put backup control
18 centers with the main control room, would you?

19 MR. JAUDON: The SALP by itself, the process by
20 itself, no, sir, I don't think I would.

21 MR. EBERSOLE: It would not, therefore,
22 disclose, and I don't take that as a salient weakness, but
23 it wouldn't disclose a design deficiency.

24 MR. JAUDON: No, sir. The SALP process is not
25 designed to find design deficiencies.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. EBERSOLE: It is really just an examination
2 of the applicant's performance against established
3 standards.

4 MR. EBERSOLE: NRR makes an input, but it is
5 primarily based on the regional experience with the
6 licensee in the inspection mode.

7 MR. EBERSOLE: It wouldn't have criticized the
8 10 percent bypass.

9 MR. JAUDON: Only if that came out of NRR as an
10 issue they had trouble resolving with them, or the
11 licensee was not responsive in resolving problems.

12 MR. EBERSOLE: What we know is that is going to
13 trigger a great number of SAR functions, requirements that
14 they function. That is going to lead to sticking valves
15 because they all stick. That is a safety problem.

16 MR. JAUDON: Yes, sir.

17 MR. EBERSOLE: Now SALP doesn't do critiques
18 like that.

19 MR. JAUDON: SALP does not. SALP looks at the
20 performance of the plant, an operating plant, and many of
21 these things are changed by such things as training and
22 how they prepare LER's, how they handle what problems they
23 do have and review them.

24 MR. EBERSOLE: It is the ritual.

MR. NOVAK: We don't disagree with you. My

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 view of design and control is the applicant's ability to
2 implement his design program, his quality assurance
3 program, that he is following his program. If there is a
4 mistake there, he is going to follow it, if he follows it
5 to the letter.

6 The other programs that the NRC has had, and
7 really I think you could say they been very small in
8 nature are the requirements of an independent design
9 verification program and some independent design
10 inspections, which you will hear something more about by
11 Mr. Allison.

12 It certainly doesn't answer your question. I
13 think good design practice is in the design office, and we
14 have not been able to independently verify it.

15 MR. JAUDON: If there are no more questions,
16 let me call on Mr. Dennis Allison of the Office of
17 Inspection and Enforcement.

18 MR. NOVAK: I think one thing to go back to
19 would be to go back to the Grand Gulf experience where
20 only after they did their hot functional testing did they
21 establish that there were some deficiencies in the design
22 of the containment cooling, and it was there only because
23 she saw the temperatures in the containment rise, and
24 whether it could have been caught by an independent design
25 or some other QA.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 I think the applicant here, that it is a fair
2 question to him as to what he may have learned from
3 earlier BWR 6 MARK III designs.

4 MR. ALLISON: My name is Dennis Allison. I was
5 the Inspection Team Leader for an integrated design
6 inspection that we recently did at the River Bend
7 facility.

8 What I planned to do, but I want to ask you
9 first if this is what you have in mind, is to spend a few
10 minutes describing the inspection, and if you want to
11 spend additional time, I can spend a few more minutes
12 discussing a few of the more interesting findings that we
13 have from that inspection.

14 Does that sound about right?

15 MR. OKRENT: We can try it.

16 MR. ALLISON: Okay. On the inspection process
17 itself, this is a pretty substantial and expensive effort.
18 This team had 13 members. They will be working most of the
19 time for about four months to complete the process. That
20 includes four weeks of direct inspection, and in counting
21 overtime and subtracting travel, that is about 2,000 hours
22 of direct inspection time. So you can compare that with I
23 think it was about 1,800 that the residents put in in the
24 normal construction of the plant in a year.

25 We pick a sample system, and for this

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 inspection it was the RHR system in the LPCI mode in the
2 ADS system. We looked at as many details as we could in
3 the time available to generally see if all of these
4 details that we look at are correct and straight.

5 We looked in five disciplines, mechanical
6 systems design, mechanical components or mechanical
7 engineering, civil engineering, electric power systems and
8 instrumentation and control systems.

9 We kind of like to use the sample system or
10 the vertical slice approach. For our purposes it seems to
11 give the team a focus for the different disciplines and we
12 talk to each other about issues.

13 MR. EBERSOLE: You speak of sampling systems,
14 and let me mention one that you might think about. If this
15 plant ultimate overall safety depends on anything very
16 much, it is on the ADS depressurization valves. These are
17 typically qualified by type testing, one out of "X"
18 hundred. I have yet to hear of an applicant or the NRC
19 doing a few grab samples out of the pile that is in the
20 warehouse and confirming whether the type testing function
21 works, and I am highly suspicious of the viability of
22 these in fact beyond the type testing mode of getting that
23 reliability.

24 Do you do anything like that?

25 MR. ALLISON: No. We seldom come up with an

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 issue like that which is really a basic question about the
2 validity of the type testing process as opposed to
3 something that is related to reliability.

4 MR. EBERSOLE: You recall that these are
5 energized solenoid valves that have to stay operative for
6 months in a hostile environment.

7 MR. ALLISON: Yes, sir, but in this inspection
8 we focused mostly on whether they did what they were
9 supposed to do. So if they did a good type test, that is
10 the requirement and we wouldn't normally raise the
11 question about whether type testing was a good way to
12 qualify something or to prove that it will work.

13 MR. EBERSOLE: Well, do you go back and then
14 confirm that the rigidity and discipline in the production
15 line ensures the type would be reproduced?

16 MR. ALLISON: No, we don't. That would be a
17 good thing for us to look at. We sometimes go into
18 vendors' shops, but we haven't done that in this issue. If
19 we had time to get more detail, that would be a very good
20 thing and it would fit.

21 Okay. Well, as I said, we emphasized looking
22 at details, at calculations, drawings, the design product
23 and seeing if it is adequate. We necessarily do a fair
24 amount of procedure review, program review to understand
25 who is doing what so we know where to test interfaces, but

1 we are really trying to test the design and control
2 process in a different way. The programs have been
3 reviewed before and we are trying to test it by looking at
4 the product of it. The bottom line would be the same of
5 course whether the design process appears to be
6 controlled.

7 The acceptance standard when you look at a
8 calculation or a drawing is kind of broad. It is did the
9 licensee or did the architect engineer do what he was
10 supposed to to meet the regulations, the FSAR commitments
11 and is it consistent with the project specifications with
12 what other design orgnaizations have used and so on for
13 the same numbers.

14 In the end when we issue the report we will
15 make conclusions on whether the design process appeared to
16 be controlled.

17 The River Bend field work started April 9th
18 and it ended May 18th and we had an exit meeting with the
19 licensee on June 1st. The first drafts of the report are
20 in, but I haven't reviewed them.

21 I can talk about some of the more interesting
22 factual findings. I really can't speculate on what the
23 conclusions might be because they haven't been made yet.

24 Launching into then the findings, I should
25 first mention the positive because the rest of the thing

1 will be mistakes taht were made.

2 We did see a lot of high quality work in this
3 inspection and a lot of competent and motivated people
4 working, and I want to mention that before I start talking
5 about mistakes, errors or other things that we found
6 during the inspection.

7 One finding had to do with ball joints in the
8 ADS discharge lines. Those lines have ball joints in them
9 which are basically intended to take some of the loads off
10 of the discharge nozzle of the ADS valves in the main
11 steam piping that they are attached to.

12 The stress analysis for this particular line
13 was not handled well in a lot of different respects. For
14 instance, you know, one of the main purposes of the
15 analysis was to show that those ball joints would get the
16 discharge nozzle loads down below the GE interface
17 requirement. The results exceeded the requirement and the
18 analyst ignored it or overlooked it I should say and
19 didn't notice it, although they were referenced. It wasn't
20 that he wasn't aware of them.

21 There were problems with modeling the ball
22 joints, installation criteria, getting them installed in
23 such a way that when you are operating you want to have
24 enough clearance on either side before you hit the stops,
25 and a number of things like that.

1 I guess in the bottom line this was a unique
2 situation, a pipeline with ball joints in it. It wasn't
3 handled well, and it is kind of an anomaly because it
4 appeared to us that the other stress packages that we
5 looked at were handled well.

6 So that is all I have to say on that one right
7 now.

8 MR. EBERSOLE: These downcomers from these
9 valves, in any case do they traverse the wetwell air
10 space?

11 MR. ALLISON: I don't know.

12 MR. EBERSOLE: I want to really know what the
13 responsibility level of the ball joints is. If they blow
14 inside of the drywell, it is just another intermittent
15 LOCA. Do they traverse a space such that they could affect
16 the containment bypass if they failed, the suppression
17 bypass.

18 MR. ELTAWILA: It must be that the safety
19 relief valves enters at an angle under the water level.

20 MR. EBERSOLE: It never traverses the secondary
21 side, right?

22 MR. ELTAWILA: Right.

23 MR. EBERSOLE: Thank you.

24 MR. ALLISON: In the civil discipline we raised
25 some substantial questions about the design of the sheer

1 reinforcement in the shield building.

2 This reinforcement, according to the ACI code
3 and the tensions under the concrete, should have been
4 hooked around a horizontal scale and it was not. So in our
5 view, it just does not meet the ACI code.

6 In addition, the tail pieces are pretty short.
7 So that again, in our view, it doesn't meet the length
8 requirements of the ACI code to develop the strength of
9 the bar which basically keeps it from pulling out of the
10 concrete.

11 Stone and Webster believes that they can
12 perform some reanalysis and show that it is nevertheless
13 technically adequate. In part that reanalysis will be
14 based on some reduction in the shear loads that has been
15 made possible due to another fix of pouring concrete in
16 the bottom 20 feet or so of the annulus.

17 We looked at several other wells where this
18 shear reinforcement was used on River Bend, and on those
19 walls we also found, in our view, that it doesn't meet the
20 ACI code. It is not wrapped around horizontal steel.
21 However, in those cases it does meet the length
22 requirements or nearly so. So that we don't have questions
23 about the technical adequacy of those other walls.

24 There is one factor I ought to mention here.
25 This particular design, although we have come along now

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 and we don't agree with it. In fact, we think it is a bad
2 design. It was known. It wasn't a case of an analyst
3 making a blunder and the supervisor not knowing about it.
4 It is clearly marked on the calculations, you know, words
5 to the effect that this approach isn't explicitly
6 addressed in the code, but we think it is all right. It
7 was all documented there. It wasn't something that slipped
8 through the process. It was a knowing decision, which is a
9 plus.

10 We have another question about sheer
11 reinforcement in the auxiliary building basemat. There
12 isn't any there, but we have some questions about the
13 calculation that justified the lack of sheer reinforcement
14 there. Basically to make that story very short, I guess in
15 the ACI code there are two ways to check for sheer,
16 depending on whether you treat a slab as a two-way slab or
17 one-way slab.

18 The designers used a third way that wasn't the
19 same as either of the two ways talked about in the code.
20 When you look at the details, there will be spots on the
21 mat, I am pretty sure, where there are problems in meeting
22 the code requirements.

23 Like with the first one, Stone and Webster
24 intends to provide an analysis to show that it is
25 technically adequate, and we will review that when they

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 provide it to us.

2 In the mechanical systems discipline, there
3 were some problems in RHR flow rate calculations. In
4 particular, the designers were working to a GE interface
5 requirement that said put orifices as necessary to limit
6 the runout flow to 6,060 gallons per minute and that will
7 take care of cavitation problems or prevent them.

8 The calculation had some errors in handling
9 the pump curves in it and it came up with a flow of 5,700
10 and something gallons per minute. The correct answer
11 should have been 6,000, which for the width of a pencil
12 is the same as 6,060.

13 When you look at that situation and you go
14 back and consider that the friction factors used were not
15 conservative for this purpose and so on, wher. the whole
16 thing is reanalyzed there is a chance, but not a certainty
17 that in fact orifices will be needed.

18 The next one in that discipline is there were
19 some errors in the calculation of post-LOCA flooding
20 effects. One part of the calculation had to do with the
21 RHR pump room, and it was determining the time that it
22 would take for the operator to be warned of a pump leak or
23 packing leak or what-have-you in that room so he could
24 close the isolation valve and take care of it.

25 The calculation failed to note that there are

1 some pumps in that room that had a capacity greater than
2 the assumed leak rate. So the analyst started off with an
3 80 gallon-a-minute leak rate and said it will take so many
4 minutes until the operator is warned. However, there are
5 two 50 gallon-a-minute sump pumps in that room. So that
6 was an error in analysis an that will have to be done
7 over. Theoretically I suppose the operator would never be
8 warned and he would just keep pumping out of the sump
9 pumps.

10 The second one is that one of the objectives
11 of that calculation was to address packing leakage in the
12 first isolation valve. That objective was just totally not
13 met by the calculation because the valve is outside of the
14 room.

15 Those two problems will require some design
16 changes at least in the area of instrumentation to let the
17 operator know about the leak and possibly more, but I
18 don't know just exactly where that one is going.

19 Finally, the final instance I will mention has
20 to do with the pneumatic air supply to the ADS valves. We
21 have a whole slew of specific findings, none of which
22 seems to mean very much by itself about what a check valve
23 specification said and so on.

24 What it all amounts to on the bottom line
25 though is that the designers bought safety-related air

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 compressors to provide the long-term air supply for the
2 ADS valves. When they did that, they made the assumption,
3 and erroneously, that that took care of everything and
4 there was no need for the accumulator check valves to be
5 leak tight and things like this they didn't specify for
6 leak tight checking.

7 We can't see right now though where any
8 equipment changes will be required. They will have to have
9 tech specs that keep the accumulators at 150 psi and leak
10 testing on the check valves that hold the air in the
11 accumulators.

12 I have to give GUS credit that GSU engineers,
13 they hadn't identified the errors that we found, but they
14 had identified the issue of tech specs and leak testing as
15 something that needed to be dealt with in the start of
16 test program and in the tech specs.

17 MR. EBERSOLE: May I ask you a question. When
18 they bought those safety grade compressors, what did they
19 use for jacket cooling on those compressors?

20 MR. ALLISON: I don't know. The problem that I
21 am aware of is that they don't provide a high enough air
22 supply and they fail to notice that you are going to lose
23 one of them if you lose the diesel and that doesn't give
24 you enough ADS valves.

25 MR. EBERSOLE: So they still have the local,

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 individualized air supply at each SRV, or are they
2 manifolded?

3 MR. ALLISON: Yes. The accumulators are there
4 and there is a non-safety grade air compressor that
5 provides enough pressure. But I would have to ask the
6 licensee what he used for jacket cooling, or you will have
7 to ask him.

8 Okay. I think I will stop there. We have some
9 others that have design implications, but I think that I
10 have covered the most interesting ones first.

11 MR. OKRENT: What implications, if any, does
12 the staff get from a set of results such as you have just
13 reported?

14 MR. ALLISON: Well, do you mean for this plant,
15 Dr. Okrent, or in general.

16 MR. OKRENT: Right now we are talking about
17 this plant.

18 MR. ALLISON: Well, that really sounds like
19 what the conclusions of the report might be which I am not
20 going to speculate on. But what we will in general try to
21 do is we will try to draw threads through different
22 findings and we have a lot more that, you know, weren't on
23 the interesting list, and try to identify whether there is
24 a systematic weakness or a weak group or a weak discipline
25 or whether the stress analyst can't be trusted to handle

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 unusual situations and things like that.

2 Then in the report we will say that and make
3 recommendations. If we should think an area is not good
4 enough or wasn't controlled well enough, we will make a
5 recommendation that is rather clear to the NRC management
6 that something ought to be done about that.

7 MR. OKRENT: Well, I assume behind the basic
8 idea of doing a sampling investigation is that there is
9 some measure that says either the results of this sample
10 are such that further sampling is not needed or it is.

11 I am trying to understand is there such a
12 measure and, if so, what it is. I gather you are not
13 prepared to say where this one falls, but is there such a
14 measure?

15 MR. ALLISON: Yes, there is, but it is really
16 judgmental. It is based on experience that team members
17 have design experience in a wide diversity of
18 organizations. It is really a judgmental standard or it
19 relies on one's judgment.

20 MR. OKRENT: So you are saying there is no
21 measure and it is applied in an ad hoc fashion.

22 MR. ALLISON: Yes, that is right. The system is
23 fairly uniform. You stack up the mistakes you find and ask
24 yourself whether that seems to be too many or not.

25 Okay?

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. OKRENT: Okay for now.

2 Dr. Trifunac: Is it an appropriate time to ask
3 now about this filling between the concrete and steel
4 shell or not?

5 MR. OKRENT: I am going to suggest that we
6 delay this, and I will tell you why in a minute. If I
7 understand Dr. Theofanous' schedule correctly, he has to
8 leave here at a quarter to five today. So I am going to in
9 a minute propose we take a short break and then deviate
10 from the printed agenda to deal with the issues closest to
11 Dr. Theofanous' heart which I will assume, and he can
12 correct me, are MARK III containment issues as one, and
13 possibly hydrogen control issues as a second, but I will
14 let him tell me which issues he would like to hear today.

15 MR. THEOFANOUS: That is fine.

16 MR. OKRENT: So if you will permit me to modify
17 the agenda to accommodate one particular travel schedule,
18 we will not take a 10-minute break and reconvene promptly
19 in 10 minutes and go on to those issues. Then we will come
20 back and pick up where we were and, Dr. Trifunac, you can
21 put in your question then.

22 (Recess.)

23 MR. OKRENT: The meeting will reconvene.

24 We will go to the item called containment
25 systems.

1 MR. REED: First of all, I would like to
2 introduce myself. I am Bill Reed, the Director of
3 Licensing for Gulf States.

4 As you pointed out, we are into Item B(a) on
5 containment systems. Dave Lorring is a nuclear engineer is
6 in our Nuclear Plant Engineering Department. He has been
7 with Gulf States for six years and has been involved in
8 River Bend for the last four years. He has a bachelor of
9 science and nuclear engineering degree from Texas A&M
10 Univeristy and also a master of engineering degree in
11 nuclear engineering from Texas A&M.

12 Dave.

13 MR. LORRING: All right. I am going to discuss
14 today the differences in the River Bend containment and
15 the other MARK III containments, the other MARK III's
16 being Grand Gulf, Clinton, Perry and General Electric
17 standard safety analysis report design.

18 (Slide.)

19 I think this morning on the tour you got an
20 idea of the basic design of the MARK III containment. So I
21 am not going to go through any of the overview here unless
22 you wish.

23 MR. THEOFANOUS: Excuse me. Let me ask a
24 question. The way that this picture is shown over there,
25 maybe I am mistaken, but I saw that after the floor of the

1 drywell, below the floor of the drywell, in looking inside
2 the pedestal area I saw a very bid cavity. Is that to
3 scale there, or is it not paying attention to this detail?

4 MR. LORFING: Is this area?

5 MR. THEOFANOUS: Inside the pedestal. Inside
6 the pedestal I was sitting on the drywell floor and I went
7 back in and I saw a rather deep cavity going down deep. Is
8 that to scale there or this is only schematic and it is
9 not shown.

10 MR. LORFING: I am not sure on the design of
11 that. This is Tom Szabo of Stone and Webster.

12 MR. SZABO: Tom Szabo, Stone and Webster
13 Engineering Corporation. Right in here under the pedestal
14 you are talking about. Yes, there is a cavity under there
15 and that is for removing your control rod drives and
16 servicing your control rod drive mechanism.

17 MR. THEOFANOUS: What I am asking you is that
18 by looking at this picture I am getting a perspective of
19 what is the geometry of that cavity inside the pedestal. I
20 guess what I am saying is, and it is possible that it was
21 my own eyes or my perspective, but what I saw this morning
22 was rather different with that cavity being much deeper
23 than the diameter. When you sit on the on the drywell
24 floor ---

25 MR. SZABO: Well, of course, this drawing is

1 not drawn to scale.

2 MR. THEOFANOUS: So this is only schematic.

3 MR. SZABO: Yes.

4 MR. THEOFANOUS: Okay. So it is a very, very
5 deep space going down.

6 MR. SZABO: Yes, it is relatively deeper than
7 it would look here.

8 MR. THEOFANOUS: Thank you. That is all I
9 wanted to check.

10 MR. EBERSOLE: Well, against that drawing or on
11 a later drawing are you going to show us the mechanisms
12 which couple the drywell to the containment proper. In
13 particular, those piping systems I think you have a
14 mixed ---

15 MR. LORFING: We will discuss steam bypass.

16 MR. EBERSOLE: Okay.

17 MR. LORFING: I don't have a drawing that shows
18 all the penetrations of the drywell, but I will discuss
19 that.

20 MR. THEOFANOUS: What I would like and the
21 reason I bring it up is I would like to suggest, although
22 I don't think it is proper to discuss it here, is for
23 people who are concerned on PRA's and on severe accidents,
24 when they look at sketches like that, they form a totally
25 wrong perspective as far as what will be happening in that

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 cavity there. So I would recommend that you make it more
2 like what it is.

3 MR. LORFING: All right.

4 I am going to be discussing the four design
5 features today.

6 (Slide.)

7 The first design feature is containment heat
8 removal, and more specifically suppression pool bypass or
9 steam bypass drywell leakage.

10 All MARK III containments use suppression pool
11 cooling as the primary means of containment heat removal,
12 that is, any steam would be directed through the drywell
13 and suppression pool. Then we have a suppression pool
14 cooling system for containment heat removal. In addition,
15 we must deal with steam bypass which has the potential for
16 containment pressurization.

17 River Bend is designed with two safety related
18 unit coolers. In addition, the passive heat sinks in
19 containment provide for the mitigation of this containment
20 pressurization or mitigate the effects of steam bypass.
21 The other MARK III's do use containment sprays.

22 You asked about the hydrogen mixing system in
23 particular. The hydrogen mixing system has four
24 penetrations through the drywell, two six-inch inlet lines
25 and two six-inch exit lines.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 The River Bend drywell analysis or bypass
2 analysis, in that analysis we can handle one of those
3 lines being opened and still meet the design requirement
4 of one square foot, A over the square root of K.

5 MR. EBERSOLE: Is this a network of valves
6 really that permits the single failure criteria to be
7 applied?

8 MR. LORFING: Could you repeat that?

9 MR. EBERSOLE: I say is this a set of valves
10 that enable you to postulate failure to open and failure
11 to close?

12 MR. LORFING: All right. Each penetration in
13 the hydrogen mixing system has two motor operated valves
14 on those lines for isolation.

15 MR. EBERSOLE: It is a set of four valves?

16 MR. LORFING: No, it would only be two valves
17 in series on each line.

18 MR. EBERSOLE: I see. So there are four all
19 told.

20 MR. LORFING: There are four penetrations. So
21 there would be eight isolation valves, two on each
22 penetration.

23 (Slide.)

24 MR. EBERSOLE: It sounds like there are eight,
25 but they are reduced to two when you look at system

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 supplies; am I correct?

2 MR. LORFING: When you look at?

3 MR. EBERSOLE: When you look at the system
4 supplies to run the valves.

5 MR. LORFING: That is correct. It is two
6 divisional power supplies. The power supply for the motor
7 operated valves comes from two divisions, two separate
8 redundant divisions.

9 MR. EBERSOLE: The valves are normally opened
10 or normally closed?

11 MR. LORFING: They are normally closed valves.

12 MR. EBERSOLE: And they stay in position when
13 they are de-energized?

14 MR. LORFING: The valves can be used for
15 equalization of pressure between drywell and containment
16 if the drywell is at a lower pressure than containment on
17 a negative pressure type event. So they can be used during
18 operation.

19 MR. EBERSOLE: If the valves are inadvertently
20 left open, you have excessive containment bypass, right?

21 MR. LORFING: According to the analysis, and
22 the analysis has been done with one line open.

23 MR. EBERSOLE: And with more than one, then it
24 is beyond the analysis.

25 MR. LORFING: That would be correct.

1 (Slide.)

2 This next item is the containment external
3 pressure design. That is the containment must be designed
4 for events which cause negative internal pressure. The
5 River Bend event, which causes this negative pressure
6 transient, is the failure of the containment unit coolers
7 to stop operation on low containment temperature. In other
8 words, if they were required to cycle off and they did not
9 cycle off and continued to cool down containment.

10 In the other MARK III's this negative pressure
11 transient is caused by containment spray actuation,
12 inadvertent actuation of containment sprays.

13 The River Bend transient, the inadvertent
14 operation of the unit coolers is a much slower and milder
15 transient and takes a much longer period of time to occur.
16 In addition to that, the cooling water supply is isolated
17 to the unit coolers on low differential pressure between
18 the annulus and containment. So this is an automatic
19 feature that these unit coolers will be isolated on low
20 containment pressure.

21 MR. LORFING: In a case like that can those
22 automatic interlocks be bypassed at the will of the
23 operator, and that is just a generic question I am asking.

24 MR. LORFING: Can the automatic interlocks be
25 bypassed by the operator?

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. EBERSOLE: Yes. Does the operator have the
2 option, should the interlocks stop him from doing
3 something, of going in and bypassing the interlocks as a
4 policy of design?

5 MR. LORFING: I would have to refer that to our
6 controls engineer.

7 MR. GUHA: Once it interlocks you cannot
8 override the system.

9 MR. EBERSOLE: He cannot override bypasses?

10 MR. GUHA: No.

11 MR. EBERSOLE: As a matter of policy, the
12 operator cannot insert himself into interlocks and bypass
13 them?

14 MR. GUHA: No.

15 MR. EBERSOLE: So he is effectively locked out
16 by interlocks.

17 MR. OKRENT: Would you give your name, please.

18 MR. GUHA: Pranab Guha from Stone and Webster.

19 MR. LORFING: All right. The result of all this
20 is that the River Bend containment structure can withstand
21 these transients without the use of vacuum breakers. So we
22 do not have containment vacuum breakers.

23 MR. OKRENT: Could you tell me how it was that
24 River Bend chose fan coolers instead of sprays? Was it
25 that one went through an analysis such as you are showing

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 here and arrived at some kind of risk and cost balance or
2 just what was the decision analysis?

3 MR. LORFING: The River Bend design never
4 included containment sprays. When steam bypass became an
5 issue, River Bend chose to upgrade its unit coolers to
6 safety grade design for an active bypass mitigation
7 system.

8 In addition to that, we do have passive heat
9 sinks which we do rely on, you know, concrete structural
10 steel in containment which acts as a passive heat sink in
11 containment.

12 MR. OKRENT: Let's see, if I heard correctly,
13 you said originally you had sprays ---

14 MR. LORFING: No. We have never had containment
15 sprays.

16 MR. OKRENT: Oh, you have never had.

17 MR. LORFING: No.

18 MR. OKRENT: Why would, and I will have to say
19 most since I don't know if it is all, of the other MARK
20 III's use the sprays and not River Bend?

21 MR. BOOKER: This is Joe Booker with Gulf
22 States. Let me see if I can help Dave to answer Dr.
23 Okrent. When Gulf States was working on the initial design
24 of River Bend, the people in the Gulf States Engineering
25 Department had concerns about vacuum breakers and the

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 leakage of vacuum breakers that the industry was
2 experiencing about that time.

3 We asked Stone and Webster what type of
4 alternate design from the standard GE design could they
5 come up with that will eliminate vacuum breakers. If you
6 have containment sprays as meet the standards, you have
7 got to have vacuum breakers. So the alternative was to
8 look at other means of cooling the containment.

9 We came up with containment coolers. Once we
10 installed the containment coolers then we eliminated the
11 vacuum breakers, and that was the real reason for the
12 change on River Bend.

13 MR. OKRENT: What year was that decision made?

14 MR. BOOKER: In the early 70's, probably '72 or
15 '73.

16 MR. OKRENT: Thank you.

17 MR. EBERSOLE: But I understand that the vacuum
18 breakers were there to avoid excess differential pressure
19 which you have now proven that you are not going to have
20 anyway because you have got a 20 psid differential.

21 MR. LORFING: I was speaking of the
22 containment. The 20 psid you are speaking of is the
23 drywell I believe.

24 MR. LORFING: Oh, you are talking about the
25 external containment.

1 MR. LORFING: I am speaking of the free
2 standing, one-and-a-half inch concrete.

3 MR. EBERSOLE: Oh, the external containment. I
4 was talking about the drywell.

5 MR. LORFING: Right.

6 MR. EBERSOLE: Were you talking about the
7 drywell?

8 MR. OKRENT: I was trying to understand why
9 they didn't have sprays and why they used the unit cooler.
10 So the answer came as it did.

11 MR. EBERSOLE: So this was the vacuum breakers
12 on the main external containment wall and not the vacuum
13 breakers on the drywell.

14 MR. LORFING: Well, that was the reason for
15 containment coolers rather than containment sprays for the
16 external containment wall, that is correct.

17 MR. EBERSOLE: What is the maximum resistive
18 capability of the external pressure in your design? I
19 noticed you have a .43 to achieve differentials now. At
20 what point will it fail considering that it is unstable
21 when it does?

22 MR. LORFING: The negative differential
23 pressure?

24 MR. EBERSOLE: The negative differential
25 pressure.

1 MR. LORFING: For containment it is a negative
2 .6 psi.

3 MR. EBERSOLE: It is negative .6 and then it is
4 unstable ---

5 MR. LORFING: That is the design limit.

6 MR. EBERSOLE: And you are driving it to .43?

7 MR. LORFING: The containment unit coolers are
8 isolated at .4 psi differential.

9 MR. EBERSOLE: So you are two-thirds of the way
10 to its ultimate failure point?

11 MR. LORFING: We have about 40 percent margin
12 between atmospheric. Okay. You have got .4. We isolate it
13 at .4, and we get an alarm at .4. The design limit is .6.
14 So we have approximately 50 percent margin on negative
15 pressure. It is a slow transient.

16 MR. EBERSOLE: Yes, much slower than with the
17 sprays.

18 MR. LORFING: That is true.

19 MR. EBERSOLE: That is the saving grace. Do you
20 ever use refrigerated water in those coolers. It felt
21 mighty pleasant up there today.

22 MR. LORFING: Do we ever?

23 MR. EBERSOLE: Use refrigerated water ---

24 MR. LORFING: Yes.

25 MR. EBERSOLE: That is the normal mode.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. LORFING: Yes. The normal mode of operation
2 uses chilled water, the turbine building chilled water
3 system. On a LOCA signal, those unit coolers would receive
4 water from the standby service water system of the
5 ultimate heat sink.

6 MR. EBERSOLE: Thank you.

7 MR. OKRENT: Would the staff remind me which of
8 the other MARK III's uses the freestanding steel
9 containment?

10 MR. ELTAWILA: We have Perry and GESSAR and
11 River Bend of course using steel.

12 MR. OKRENT: You said Perry, River Bend ---

13 MR. WEINKAM: Perry, GESSAR and River Bend.

14 MR. OKRENT: GESSAR though is a proposal.

15 MR. LORFING: Right. Grand Gulf and Clinton are
16 concrete containments.

17 MR. OKRENT: Yes. Perry has sprays, does it?

18 MR. ELTAWILA: That is correct. River Bend is
19 the only MARK III plant that does not have spray. You are
20 correct about that.

21 MR. OKRENT: Does Perry have a problem on
22 negative pressure for its steel containment?

23 MR. ELTAWILA: No.

24 MR. OKRENT: Do they use vacuum breakers?

25 MR. ELTAWILA: They use vacuum breakers, yes.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. OKRENT: Thank you.

2 MR. THEOFANOUS: Excuse me. Have you looked
3 into or are there any possibilities, any sequences or
4 scenarios. You come up in pressure and you turn on the fan
5 coolers and you come down to .4. Now you turn it off, but
6 you have all the heat sinks on and you keep on condensing
7 on the heat sinks. Can that drive you down to where you
8 don't want to be by passive condensation from that point
9 on?

10 MR. LORFING: I might call on Stone and Webster
11 to address that.

12 MR. EBERLY: My name is Bill Eberly from Stone
13 and Webster. We analyzed the negative pressure in an
14 emergency cooldown and it was a very slow process and
15 automatically the unit coolers are isolated and the fans
16 are turned off.

17 We further analyzed the conditions of a
18 post-LOCA condition whereby we were not using chilled
19 water any more for cooling in the unit coolers, but using
20 standby surface water, and even in that case, and your
21 concern is relative to additional condensation of steam,
22 with the heat sinks model and the additional unit coolers,
23 the transient took something in the order of 1.7 hours to
24 reduce it from minus five inches of water down to a minus
25 12 inches of water where those are normally isolated. So in

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 our mind there is no concern with a rapid condensation of
2 steam driving this pressure down.

3 MR. LORFING: The next item is the drywell
4 design for external pressure or a negative internal
5 pressure event. I think we talked a little bit about this
6 already, the drywell vacuum breakers.

7 (Slide.)

8 River Bend drywell is designed for negative
9 internal pressure and for containment pressure or drywell
10 external pressure without the use of drywell vacuum
11 breakers, while the other MARK III designs do use drywell
12 vacuum breakers.

13 In this event of a negative pressure in
14 drywell, the suppression pool level inside the drywell
15 rises and the suppression pool level in containment drops,
16 the reverse condition of a loss-of coolant accident,
17 until the vent structure in the suppression pool is
18 cleared in the reverse direction and thus relieving the
19 pressure.

20 River Bend is designed for this analysis. The
21 drywell is designed for a 20 psid. I think the analysis
22 showed a negative pressure or a negative differential
23 pressure of 19.4, in that area. So we are designed for
24 these conditions without relying on vacuum breakers.

25 MR. EBERSOLE: You really don't need that air

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 return to the drywell feature, do you? I thought you could
2 take the negative pressure even if it didn't occur. I am
3 thinking about the rate question, the rate of
4 depressurization of the drywell. That is a slow process to
5 get the water down in the external. I thought you designed
6 for a 20 psid, the theoretical differential, is that true?

7 MR. LORFING: Right, differential pressure. The
8 design differential pressure between containment and
9 drywell is 20 psid, and the maximum pressure reached in
10 this event is 19 and a half approximately.

11 (Slide.)

12 MR. EBERSOLE: Could you explain to me when and
13 if you ever have a hydrogen burn which consumes "X"
14 percent of the oxygen of the total environment what then
15 rapid pressure changes take place when that is condensed?

16 MR. LORFING: That will be addressed in the
17 hydrogen control, and I would rather put that off because
18 he is planning to discuss that.

19 MR. EBERSOLE: Okay.

20 The last item is design requirement for
21 suppression pool vent coverage and emergency core cooling
22 system pump net positive suction head during a blowdown
23 event. This requires that adequate cooldown inventory be
24 maintained following a loss of coolant accident while the
25 emergency core cooling system pumps are drawing down the

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 suppression pool level. We have the ECCS pumps pumping
2 water from the suppression pool into the reactor vessel.

3 The minimum suppression pool level is reached
4 when reactor vessel and the drywell holdup volume are
5 filled. This drywell holdup volume is the volume inside of
6 the weir wall. It is the bottom portion of the drywell
7 inside the weir wall.

8 When this drywell holdup volume is filled, the
9 water will flow over the weir wall back into the
10 suppression pool. At this point the path is complete. The
11 ECCS pumps are drawing down the suppression pool, water is
12 going into the reactor vessel, spilling out the break and
13 into the drywell and over the weir wall. So we have the
14 suppression pool at its minimum level at that point.

15 At that point, that minimum level, both of
16 these design requirements must be met, the suppression
17 pool vent coverage and the ECCS pump net positive suction
18 head.

19 The River Bend suppression pool is designed so
20 that no automatic makeup to the pool is required during
21 this event. The other MARK III containments do require
22 upper pool dump. Upper pool dump is an automatic dump of
23 the upper pool into the suppression pool.

24 The primary reason that River Bend does not
25 require upper pool dump is that the drywell holdup volume

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 has been reduced, or it is much smaller than the other
2 MARK III designs. This has been done by using concrete
3 fill in the lower portions of the drywell, in other words,
4 raising up the floor of the drywell.

5 In addition, the height of the weir wall has
6 been reduced, it is not as high as in the other MARK III
7 designs, and also the reactor pedestal area has been
8 sealed from the drywell volume so that the area underneath
9 the reactor vessel is not a portion of the drywell holdup
10 volume, and these three items reduce the effective size of
11 the drywell.

12 MR. THEOFANOUS: That is what I was trying to
13 ask before. You say it has been sealed. I saw a door this
14 morning, a little door that is level with the floor in the
15 drywell. Is that door supposed to be sealed during
16 operation?

17 MR. LORFING: I would expect it is going to be
18 sealed. It is going to be sealed.

19 MR. THEOFANOUS: How?

20 MR. LAND: Fred Land with Gulf States. That is
21 a construction temporary door right now, and we will be
22 installing a permanent pressure-tight, water-tight door in
23 the near future which will close off the area from the
24 suppression pool.

25 MR. THEOFANOUS: In this connection, and maybe

1 this question in inappropriate and, if it is, let me know,
2 but as you try to decide those things, are you also
3 keeping an eye into the future where you may have to do
4 some work for civilian accidents and what the implications
5 might be?

6 MR. LAND: I personally couldn't answer that
7 question.

8 MR. THEOFANOUS: As you try to decide what to
9 do with the door, leave it open or closed, you know these
10 days a number of reactors are going through severe
11 accident analysis, and in fact many of them contemplate
12 doing some changes.

13 MR. LORFING: You are talking about
14 modifications in design?

15 MR. THEOFANOUS: Well, some reactors talk about
16 modifications in the plant itself that is already
17 operating. This has come up again and again, and I think
18 from your point of view now is a good time to anticipate
19 it a little bit so you don't get things done and then
20 maybe have to re-evaluate or make changes.

21 I think specifically in this case if you seal
22 the door, then you have got to worry about what happens to
23 that big cavity that I was trying to indicate before. If
24 you dump the molten core in there, where is the pressure
25 going to go and where are the gases going to go.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 Personally it will not bother me to leave it
2 open from the point of view of the severe accident
3 analysis, although in that case I think at least for some
4 people you have to assess the question of steam explosions
5 under there.

6 But if you have to leave it open, then what
7 does that mean for the need to have automatic makeup? Is
8 it a foregone conclusion that if it was open then you
9 would need to have the makeup?

10 MR. LORFING: We would have to do the analysis.
11 I am not familiar with the volumes. We would have to look
12 at the specific design.

13 MR. THEOFANOUS: It looked like a pretty
14 substantial volume there, but I thought that maybe not
15 enough to cause you trouble ---

16 MR. LORFING: Our drywell holdup volume was
17 reduced in several ways by using the concrete fill in the
18 bottom of the drywell, reducing the weir wall height and
19 also sealing the pedestal, and I am not sure what the
20 contribution of sealing the pedestal was.

21 MR. THEOFANOUS: Well, in any case I think you
22 might like to keep that in mind. At some point you will be
23 asked to consider what the effects of sealing the pedestal
24 is to a PRA treatment of a severe accident.

25 MR. LORFING: I wonder if I could ask you was

1 there a particular reason that you just didn't fill it up
2 with water instead of concrete?

3 MR. LORFING: And operate with water in the
4 drywell?

5 MR. EBERSOLE: Yes, prefilled.

6 MR. LORFING: Can anybody address that? Would
7 that have any effect on drywell equipment?

8 MR. EBERSOLE: The humidity.

9 MR. LORFING: I am not sure.

10 MR. McMORELAND: Bob McMoreland from Stone and
11 Webster. As I understand the question, you are asking why
12 did we not prefill the bottom of the drywell?

13 MR. EBERSOLE: Yes. Where you poured the
14 concrete why didn't you just pour water?

15 MR. McMORELAND: The concrete that he is
16 talking about that we used to reduce the water inventory
17 was basically laid on the floor of the drywell. The
18 drywell does not have a uniform top of concrete elevation.
19 We raised the concrete up as much as we could and still
20 achieve the equipment arrangement that we needed.

21 So we would have been faced with water in the
22 bottom of the drywell, No. 1 and, No. 2, we didn't put it
23 underneath the pedestal because that area has to be
24 vacated for CRD maintenance during refueling and there
25 wasn't any point to having water sitting in the bottom of

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 the pedestal.

2 Also with the BWR-6 design, that is the low
3 point inside the drywell in the containment for locating
4 the sumps. So there is an ultimate low point sump in that
5 area. If we had put water in there, we would have had
6 problems then relative to leak detection, CRD leakage, and
7 that type of thing that would have been masked.

8 MR. EBERSOLE: Right. Thank you.

9 MR. OKRENT: Excuse me. The sump at the bottom
10 of the cavity below the vessel, that is not a general
11 purpose sump I assume, is it?

12 MR. McMORELAND: No, it is only for the cavity.

13 MR. OKRENT: So the leaks might arise in the
14 pedestal ---

15 MR. McMORELAND: Within the pedestal itself.

16 MR. LORFING: All right, this concludes my
17 presentation.

18 MR. REED: The next item on the agenda is the
19 MARK III containment issues. We have Mr. Craig Lambert who
20 introduced himself earlier. Craig's title is Supervisor of
21 Design Engineering. He has been with Gulf States for
22 approximately five years, and prior to that he had ten
23 years experience with Wisconsin Electric Power. He has a
24 bachelor of science degree in civil engineering from
25 Markette University.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. LAMBERT: Good afternoon. The subject of my
2 presentation today is River Bend Station containment
3 evaluation for new loads.

4 (Slide.)

5 New loads is a term that is commonly, as I am
6 sure you are certainly aware, a common term to define
7 those hydrodynamic loads that are associated with safety
8 relief valve discharge events and a loss-of-coolant
9 accident or a LOCA event.

10 The manner in which I intend to go through my
11 presentation this afternoon is I will briefly touch on the
12 various types of new loads or hydrodynamic loads. I will
13 discuss our reactor building configuration and then follow
14 that up with an evaluation that we have conducted to date.

15 (Slide.)

16 New loads can be defined as two basic
17 conditions, a safety relief valve discharge, which would
18 occur during operating conditions and a LOCA type event.

19 For safety relief valve events, we have looked
20 at a number of valve cases, a number of valve discharge
21 cases, one valve, two valve, seven valve, which would be
22 the automatic depressurization system and 16 valve
23 discharge cases. The 16-valve case as defined in Chapter
24 15 of our FSAR, that would occur based on a mainsteam
25 isolation valve closure where all 16 valves would open and

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 within approximately 12 seconds sequentially the valves
2 would begin to close until we would have one valve
3 controlling reactor pressure.

4 MR. EBERSOLE: May I ask again about frequency.
5 How often do you have valves open beginning with a
6 turbine trip?

7 MR. LAMBERT: How often would we have valves
8 open?

9 MR. EBERSOLE: Yes. In a full-load turbine trip
10 do all these valves open?

11 MR. LAMBERT: I can't answer that question.

12 MR. EBERSOLE: Can anyone answer that?

13 MR. EBERLY: On an isolation event we predict a
14 group of eight valves.

15 MR. EBERSOLE: That is on each turbine trip?

16 MR. EBERLY: Yes. We hope initially to
17 terminate the initial pressure spike and then subsequently
18 close on their lower set pressures. Following that the
19 full-load reset logic comes into play and controls one
20 valve.

21 MR. EBERSOLE: Thank you.

22 MR. LAMBERT: Depending upon the number of
23 valves that would open and release steam into the
24 suppression pool, we would see pressures in the 10 to 18
25 psi range on the boundary of the suppression pool. That

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 will last for approximately three-quarters of a second and
2 that would be followed by condensation oscillation loads
3 of approximately three psi.

4 The other type of hydrodynamic or new loads
5 that we have analyzed the containment for are the LOCA
6 loads. The dominant load would be either a recirculation
7 line double ended break or a main steamline double ended
8 break.

9 That would create annulus pressurization loads
10 which would be asymmetric pressure between the primary
11 shield wall and the reactor itself, and also loads upon
12 the steel frame that frames into the primary shield wall.

13 Following the large line break, our drywell
14 would fill with steam and the steam would be dissipated
15 through the vents in the drywell wall into the suppression
16 pool. We would see condensation oscillation loads as well
17 pool swell loads, bulk pool swell, and as the pool rises
18 we would also see froth drag and froth impact loads on
19 structures as much as 30 feet above the suppression pool.
20 Chugging would also occur.

21 (Slide.)

22 Dave Lorfing has touched on a number of the
23 containment features, and I would like to address several
24 during my presentation.

25 River Bend is a standard General Electric 218

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 plant with a 218 inch reactor pressure vessel. We have a
2 freestanding steel containment which is one and a half
3 inches thick with structural steel stiffeners in the lower
4 20 foot of the containment welded to the outside.

5 In addition, we have placed annulus concrete
6 fill to reduce the dynamic acceleration associated with
7 SRV discharge events.

8 I have a cross-section of the containment and
9 I think that would facilitate describing a number of the
10 configurations that we do have.

11 (Slide.)

12 I would like to point out that this is a
13 cross-section through the reactor building. The SRV
14 downcomers are actually on the outside of the primary
15 shield wall, and the configuration really is not as shown
16 here. They are routed in various configurations and then
17 come down along the edge.

18 We have 16 safety relief valve discharge lines
19 heading into the suppression pool and these are connected
20 to the GEX type quenchers. To each of the quenchers we
21 installed two horizontal struts back to the drywell wall
22 to take the high forces that exist during the various
23 actuations.

24 We have also got a slightly higher hydraulic
25 control unit floor as compared to the GE standard plant.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 Our hydraulic control unit floor is located approximately
2 24 feet above the high water line to the suppression pool.

3 As I indicated, we have a free standing steel
4 containment. In the late '70s we added significant
5 structural steel stiffening and several years later as the
6 SRV loads were better understood, we embarked on
7 evaluation to reduce the significant responses that result
8 from SRV actuations and ended up placing 25 feet of
9 concrete fill, which fills the entire space between the
10 steel containment and shield wall. I pointed it out to you
11 this morning during our tour.

12 Dave Lorfing had also touched on drywell
13 maximum pressures. Our maximum negative differential
14 pressure for the drywell is minus 20 psid. Our calculated
15 pressure is minus 19.4, which is slightly less than the GE
16 standard evaluation. A positive pressure following a LOCA
17 is approximately 18.6 psid.

18 MR. OKRENT: Would you remind me again how you
19 got that 19. something negative.

20 MR. LAMBERT: Well, I couldn't address it
21 specifically how we got that. Stone and Webster did the
22 calculation and I would like to have them address how they
23 arrived at that specific calculation.

24 MR. EBERLY: The analysis was an end point
25 calculation in which we purged the air from the drywell

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 and quenched all of the steam in the drywell
2 instantaneously to 140 degrees saturation condition
3 corresponding to the suppression pool temperature that we
4 predict at the end of reactor blowdown.

5 The calculation took no credit for reverse air
6 flow through the vent system such as a bounding end point
7 condition. Similar GESSAR analysis yields something like
8 21.8 psid for a 25 psid negative differential design. We
9 have the 20 psid differential design and calculate 19.4.

10 MR. THEOFANOUS: Are there any situations where
11 you would be condensing the drywell at the lower pool
12 temperature, that is prior to having a full blowdown in
13 the reactor primary system?

14 MR. EBERLY: I can't conceive of any.

15 MR. THEOFANOUS: You could have a small break
16 and you carry all of the air out of the drywell and you
17 turn on the sprays.

18 MR. EBERLY: We don't have sprays, first of
19 all.

20 MR. THEOFANOUS: Don't you have sprays in the
21 drywell?

22 MR. EBERLY: No, we do not have any spray
23 systems.

24 MR. THEOFANOUS: Why I thought I saw them in
25 one of the pictures. Sorry about that.

1 MR. EBERLY: Some of the RHR system diagrams
2 show what look like a spray header, and those are spargers
3 that are actually in this upper refueling pool. The RHR
4 system ---

5 MR. THEOFANOUS: What is the difference between
6 a sparger and a spray?

7 MR. EBERLY: The spray system normally found in
8 a MARK II or MARK I BWR is an atmosphere spray system
9 which incorporates nozzles and sprays water into the air
10 volume.

11 MR. THEOFANOUS: What does the sparger do?

12 MR. EBERLY: The sparger is submerged in this
13 upper pool, refueling pool.

14 MR. THEOFANOUS: Oh, I see. Okay.

15 MR. EBERLY: So we don't have a spray system to
16 rapidly quench the steam in the drywell, and our small
17 break accident analysis shows that a considerable amount
18 of time is required to purge the air for a small break and
19 also the pool temperature rises due to SRV operation and
20 so forth.

21 MR. EBERSOLE: You used an expression I am not
22 familiar with. You said the end point calculation. This is
23 not a working negative pressure. Is this the estimated
24 pressure at which it will collapse?

25 MR. EBERLY: This is not the estimated pressure

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 at which it will collapse, no.

2 MR. EBERSOLE: What is that number?

3 MR. EBERLY: I would have to defer to our
4 structural people. You want to know what the ultimate
5 negative pressure is.

6 MR. EBERSOLE: Just considering the unstable
7 performance of a vessel under negative pressure loads, I
8 just wondering how far away you were from the estimated
9 collapse pressure. You don't intend to test this, I guess.

10 (Laughter.)

11 MR. EBERLY: No.

12 MR. LAMBERT: One other feature of containment,
13 and it really doesn't show very well on this slide, but we
14 have three rows of horizontal vents through a drywell
15 wall. There are 43 vents for each of the horizontal
16 cirferential locations for a total 129 vents and each of
17 the vents 27.5 inches in diameter.

18 It submerges from the high water elevation of
19 the pool, which in our case would be elevation 90, to the
20 top of the top vent at approximately seven and a half
21 feet.

22 (Slide.)

23 I would like to address our evaluation to
24 date. The evaluation for new loads is composed of
25 essentially two programs, a program conducted by General

1 Electric through their NSSS new loads adequacy evaluation
2 program and the work that is done by Stone and Webster for
3 balance of plant structures, piping and equipment.

4 The new loads program being done by General
5 Electric is very close to being complete. Part of the
6 program in the reactor pressure vessel, RVP, internals and
7 associated equipment, mainsteam piping, recirculation
8 piping, hydraulic control units and other associated
9 equipment are evaluated through this program.

10 Based on the evaluation that has been done
11 to date, GE has confirmed that the equipment is in fact
12 adequate for those combinations of seismic and
13 hydrodynamic loads based on River Bend's specific response
14 spectra.

15 The only work that is really remaining in that
16 program is an as-built verification of the mainsteam and
17 recirculation piping. There are several branch connections
18 that have not been installed yet, but the piping has in
19 fact been confirmed adequate based on an as-designed
20 basis.

21 (Slide.)

22 Regarding the Stone and Webster portion of the
23 evaluation, the balance of plant structures, piping and
24 equipment are analyzed by dynamic analysis considering all
25 events from SRV and LOCA type loads.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 As I indicated when I had the cross-section of
2 the containment up, the SRV loads have necessitated a
3 number of modifications to our steel containment.
4 Stiffeners were added in the late '70s and we also added
5 concrete annulus fill to reduce the dynamic responses.
6 This was a needed reduction strictly from a piping and
7 equipment qualification standpoint. The structure itself
8 was acceptable as a freestanding containment.

9 The other loads would be the LOCA loads that
10 are being evaluated. Condensation oscillation and chugging
11 are considered to be not significant from a load
12 evaluation standpoint. Fatigue effects associated with
13 those events are considered in the equipment qualification
14 program.

15 Pool swell and its associated loads and the
16 annulus pressurization loads are considered significant.

17 (Slide.)

18 Regarding the pool swell loads, I would like
19 to talk in a little bit more detail about those loads. I
20 prefer not to address at this time the SRV loads. That
21 definition has been in existence for some time and we
22 comply with the criteria in GESSAR 2, Appendix 3B, as well
23 as the NUREG 802 criteria for safety relief valve loads.

24 Our original design basis for pool swell froth
25 impact loads was based on GESSAR Appendix 3B. At that time

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 the definition was that the bulk pool swell following a
2 LOCA, a large line break, that the velocity of the bulk
3 pool swell is defined as 40 feet per second.

4 The froth impact was defined as 15 psi on our
5 hydraulic control unit floor. The froth drag differential
6 pressure was then defined as 11 psi, and we had applied
7 that over only the solid areas on our hydraulic control
8 unit floor.

9 The work that had gone on since the original
10 GESSAR definition has now shown up in GESSAR 2, Appendix
11 3B as well as the draft NUREG 0978 criteria.

12 The important difference is that the pool
13 swell velocity has been increased by 50 feet per second.
14 The froth drag is essentially the same for our hydraulic
15 control unit floor which the impact at the bottom of the
16 floor would be approximately 15 psi, but the froth drag is
17 now applied over the full surface of the hydraulic control
18 unit floor.

19 With the incorporation of the draft NUREG 0978
20 criteria and the GESSAR 2 Appendix 3B, which we are in
21 fact generally adopting at River Bend, we have had to make
22 a number of modifications due to the higher pool swell
23 velocity as well as the drag loads on our hydraulic
24 control unit floor.

25 We have shielded all of the instrumentation

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 lines, the safety related instrumentation lines that would
2 be in the impact zone of the suppression pool. We have
3 also made a number of structural modifications to the
4 structural steel grading in the impact zone.

5 At elevation 95, which is five feet above our
6 suppression pool, we have done local stiffening as well as
7 at elevation 114, which is our hydraulic control unit, for
8 we have recently confirmed that we will change the grade
9 to a heavier thickness.

10 In addition, we have seen increased piping
11 responses and support reaction due to the pool swell
12 effects.

13 MR. THEOFANOUS: Let me ask you. You said that
14 you are adopting NUREG 978. Does this mean also that you
15 agree with it or you are only adopting it?

16 MR. LAMBERT: Well, that is kind of a hard
17 question. I think GE certainly spent a great deal of time
18 working with the staff in coming up with criteria that is
19 placed in the NUREG.

20 We have gone ahead assuming that those are the
21 requirements and in fact have and are in the process of
22 analyzing our structures, piping and equipment that would
23 be in that zone for the loads defined in the draft NUREG.

24 MR. THEOFANOUS: Does anyone from GSU have a
25 personal involvement in the technical aspects of this

1 matter or more or less you take whatever GE gives you in
2 this area?

3 MR. LAMBERT: I have participated as an
4 observer during a number of the presentations between
5 General Electric and the staff back in the early '80s.

6 MR. EBERSOLE: Could you tell me in respect to
7 the HCU's what sort of chronology do we have here? By the
8 time the impact gets to the them, have they done their
9 thing?

10 MR. LAMBERT: The bulk pool swell and following
11 froth drag and impact loads occur within seconds after a
12 large steamline or recirculation break.

13 MR. EBERSOLE: Well, so does the response to
14 the HCU's. So how do they tie them up together?

15 MR. LAMBERT: I would have to defer that
16 question to someone that is more familiar with the
17 operating conditions of our hydraulic control units.

18 MR. McINTYRE: I am Jerry McIntyre from General
19 Electric. The scram is well underway by the time the water
20 froth reaches the HCU points. It is about three-quarters
21 of the way complete. It is not quite that by the time the
22 froth reaches that point.

23 MR. EBERSOLE: Thank you.

24 MR. THEOFANOUS: I want to clarify that one
25 more time. I was under the impression that you had a

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 difference of opinion on the velocities because your floor
2 is higher. We heard earlier that you submitted a different
3 analysis which is now evaluated by the staff. Now what you
4 are saying is something different. Is that a difference or
5 a change of approach that happened since these documents
6 you are looking at?

7 MR. LAMBERT: We have not revised our FSAR. We
8 are in the process of doing that right now to incorporate
9 Appendix 6A which discusses the hydrodynamic loads.

10 MR. THEOFANOUS: I know, but I still don't know
11 where you stand with respect to accepting what is in the
12 generic MARK III containment walls versus coming up with
13 some new analysis specific to River Bend which argues that
14 the velocities would be less as applied to some higher
15 floor elevations. What is the case?

16 MR. LAMBERT: Well, our hydraulic control unit
17 is in fact higher than the GE standard. From the
18 standpoint of the bulk pool swell loads, the 40 versus 50
19 feet, that occurs up to 18 feet. Above 18 feet we see
20 breakthrough. We really don't see that the 40 versus 50
21 being a significant event. We have to shield whatever is
22 in that pool swell bulk impact zone at 40 feet. So the
23 increment of 50 feet really doesn't make that much
24 difference.

25 MR. THEOFANOUS: So I don't understand still

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 the point of dispute. If it doesn't make any difference,
2 why does the stuff have to go to Brookhaven to do an
3 analysis to confirm what you proposed in the first place?
4 I am trying to figure out what is the point of dispute.

5 MR. ELTAWILA: He indicated to you that the
6 information has not been submitted in the FSAR yet. So
7 this information that he is presenting at this time is not
8 part of the FSAR and the staff has not had the chance to
9 review this information.

10 MR. THEOFANOUS: I thought you told me earlier
11 that you received the information and you have been
12 evaluating it. Did I misunderstand?

13 MR. ELTAWILA: No, I think you misunderstood
14 me.

15 MR. THEOFANOUS: So what was the reference to
16 BNL? After the information is submitted then you are
17 going to submit it.

18 MR. ELTAWILA: That is correct.

19 MR. THEOFANOUS: But if the information is
20 anticipated to be the generic MARK III logs which already
21 the people have gone over and over, why do you anticipate
22 a point of contention here? Still I don't understand
23 whether there is a point of contention or not.

24 MR. ELTAWILA: I think you are misunderstanding
25 the point here. The applicant, at the time we reviewed the

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 FSAR and we wrote the SER, they were proposing a different
2 methodology. Now they are saying that they are going to
3 adopt the generic methodology. The staff has not seen this
4 information yet.

5 MR. THEOFANOUS: Okay. Well, that is what I
6 was trying to ask you before. Apparently you had changed
7 your mind on seeing the FSAR and instead of going ahead
8 with the new methodology, now you find it easier to go
9 with the established and accepted, is that correct?

10 MR. LAMBERT: Well, I am not sure if I would
11 say it is easier, but we feel that it is more productive
12 to adopt the criteria and go ahead with our construction.

13 MR. THEOFANOUS: Okay. Now I understand. Thank
14 you.

15 MR. LAMBERT: I think the only area that we are
16 looking at a River Bend specific criteria is in the area
17 of reverse vent clearing. The definition of the reverse
18 vent clearing is conservative as compared to a specific
19 River Bend evaluation for reverse vent clearing.

20 MR. THEOFANOUS: Okay. So in all other respects
21 you accept the established MARK III and in that area you
22 are submitting a new analysis?

23 MR. LAMBERT: That will be addressed in our
24 submittal of the FSAR. We have completed totally our
25 evaluation of the reverse vent clearing impact within our

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 drywell.

2 MR. THEOFANOUS: But you are going to do that.

3 MR. LAMBERT: That is correct. It is ongoing
4 right now.

5 That concludes my presentation.

6 MR. OKRENT: Any other questions in this area?

7 (No response.)

8 MR. REED: The next topic then will be
9 addressed by Mr. Less England. Less is a Supervisor in our
10 Licensing Group and has been with Gulf States Utilities
11 for approximately 10 years. He has worked on River Bend
12 for seven years and has a bachelor of science and nuclear
13 engineering degree from the Texas A&M University.

14 MR. ENGLAND: Good afternoon.

15 My presentation this afternoon will address
16 briefly the activities that we have underway to address
17 the issues rised by Mr. Humphreys about a year ago.

18 (Slide.)

19 I will assume that you are generally familiar
20 with those issues since you did have a subcommittee
21 meeting with him at about the time the issues were raised.

22 In summary, Mr. Humphreys identified 22 areas
23 of concern and a total of 66 issues. When grouped together
24 they boil down to about 22 different areas of concern.

25 These areas are being addressed in

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 approximately 50 action plans.

2 We were requested to respond to the issues
3 raised by Mr. Humphreys in two letters which we received
4 from the NRC on the dates indicated.

5 We provided four responses and have one to go.

6 Our first response basically indicated our
7 involvement in owners group activities to address the
8 generic issues and also indicated which areas were plant
9 specific.

10 In December we submitted our plant specific
11 and general action plans in some detail, and provided two
12 updates, as indicated, and anticipate how a final report
13 next month. This final report will provide all the
14 information we believe is necessary for the staff to close
15 these issues.

16 The feedback to date is basically contained in
17 the SER. There were two areas identified in there that the
18 staff had some continuing concern on.

19 One of those areas will be addressed in our
20 July submittal with a revised analysis which we believe
21 will resolve their concerns in that area.

22 The area of principal interest right now is in
23 the tenth scale test to resolve local encroachment
24 analysis concerns. Briefly in this area the owners group
25 had done generic studies using a solid VOF computer code

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 to demonstrate that the pool rise around an encroachment
2 was not an area of concern.

3 There were some questions raised by the staff
4 on some of the parameters and assumptions used in that
5 analysis, particularly with regard to bubble equalization
6 time, which are the principal parameter which drives the
7 transient.

8 At the staff's insistence we embarked on a
9 tenth scale testing program which has been completed in
10 the last couple of months. Data analysis is ongoing. The
11 final results have not been published just, but the
12 analysis is ongoing at this moment.

13 MR. THEOFANOUS: Let me ask you this. What is
14 the approach in using this one-tenth scale test? Are you
15 approaching it strictly from a computer code point of view
16 and do you have some computer codes that are going to try
17 to calculate that as a verification tool, or has anybody
18 also looked into the scaling aspects of the process
19 itself?

20 MR. ENGLAND: I think there are two parts to
21 that answer. The principal purpose of the test is a
22 computer verification or validation. And in doing that we
23 use a tenth scale facility. We take high-speed movies of
24 the transient and we look at the velocities and then we
25 use a computer program to predict the velocities and then

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 compare the data, and those model data comparisons are
2 ongoing at this time.

3 MR. THEOFANOUS: Only velocities or also
4 pressures?

5 MR. ENGLAND: We initially attempted to measure
6 pressures, but in the time frames of interest and because
7 of the dynamic nature of the phenomenon we found that that
8 was impossible to do.

9 MR. THEOFANOUS: I don't know what Mr.
10 Humphreys was after, but I had raised that question also
11 before him and I was concerned more about pressures than
12 velocities. It is a shame that you have done a whole
13 experiment and you have not been able to get pressures.
14 What was the problem?

15 MR. ENGLAND: I would like to introduce at this
16 time the GE Test Program Manager who can give a better and
17 more detailed overview of the status of the analysis that
18 is ongoing at this time perhaps and perhaps answer some of
19 those questions.

20 Terry McIntyre.

21 MR. MCINTYRE: I am Terry McIntyre, and I am
22 Manager of Containment Loads Engineering for General
23 Electric.

24 I see a lot of friendly faces over here and we
25 have talked about this a couple of times before.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 (Slide.)

2 Some of this Less has already covered, but I
3 think it might be worthwhile going back over it again
4 because it gives you a brief overview of the test program,
5 of how we did it and what the results are.

6 Less mentioned a year ago, and it was almost
7 two years ago that John brought up this Humphreys issues.
8 We discussed the elements of encroachments on pool swell
9 with you at that time and we all kind of came to the
10 conclusion that it really wasn't the issue and we didn't
11 expect that the presence of encroachments would perturb
12 pool swell to the point where the design modes would be
13 exceeded.

14 What we did is we went back and we developed
15 an analytical model in 1983. This is a model based on the
16 EOF code that was built by Los Alamos Scientific Labs. We
17 modified it slightly by the addition of a vent flow and
18 bubble thermodynamic model. So this is a first principles
19 model of the drywell pressure to predict pool swell.

20 We benchmarked that code against existing
21 clean pool test data and found that it did an excellent
22 job of predicting the data. We then went back and did ---

23 MR. THEOFANOUS: What data?

24 MR. McINTYRE: What data?

25 MR. THEOFANOUS: What data did they predict,

1 that the rise velocities weren't able to predict
2 breakthroughs?

3 MR. McINTYRE: The code will not predict
4 breakthrough. That is really beyond the state of the art
5 today. The code does an excellent job of predicting
6 General Electric pressure suppression test facility data
7 in both the full scale, one-third and one-ninth scale
8 tests. The particular pieces of information that we
9 correlated against were velocity as a function of
10 elevation and the wall pressures at several locations.

11 We then went back and did plant unique
12 calculations for most of the existing MARK III's given the
13 actual encroachment characteristics that those plants
14 have. The one plant where we did not do a unique
15 calculation was River Bend.

16 The reason River Bend did not have its own
17 calculation was because the encroachment configuration is
18 very similar to Grand Gulf and we thought that the Grand
19 Gulf case would apply to it.

20 As Less mentioned, we discussed those results
21 with the NRC and they asked us to run a confirmatory test.

22 MR. THEOFANOUS: Excuse me. The principal
23 aspect of the loads, is it before? Did the loads develop
24 principally before the breakthrough or after the
25 breakthrough?

1 MR. McINTYRE: That is a difficult question to
2 answer. In terms of clean pool pool swell, bulk pool
3 swell, i.e. before breakthrough, the loads are much more
4 significant than post-breakthrough. Solid water gives you
5 higher loads than froth loads.

6 In terms of the encroached calculations, what
7 we expected was that breakthrough would in fact not occur,
8 that you would get breakthrough in the clean pool earlier
9 than you would in the encroached pool, and the encroached
10 pool would rise up and stop as a bulk flow and that there
11 would not be any froth flow in the region around the
12 encroachment.

13 As I mentioned, the NRC did ask us to run a
14 confirmatory test. The test was run at San Jose using
15 Fraud scaling in a one-tenth scale test.

16 MR. THEOFANOUS: I asked this question before
17 and you answered it, but I was asking for a different
18 issue.

19 MR. McINTYRE: Okay.

20 MR. THEOFANOUS: If you cannot claim that the
21 loads developed before breakthrough and if you have a code
22 that cannot calculate breakthrough, then I am wondering
23 what is the implication with respect to using this code to
24 calculate the loads with encroachments present?

25 MR. McINTYRE: Well, what we did is the code

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 results shows that solid water would go up and stop. The
2 pressure above the water ligament was higher than the
3 pressure below the water ligament. So in fact we did not
4 expect breakthrough to occur in the encroached
5 calculations. So although the code could not handle
6 breakthrough, we didn't think breakthrough would occur.

7 MR. THEOFANOUS: But it will occur, will it
8 not? Although the code did not calculate breakthrough, I
9 suspect that breakthrough will occur.

10 MR. McINTYRE: I think you are getting a little
11 bit ahead of me into the test, but I think the answer is
12 yes, it will. Let me hold that off for a second because I
13 am going to show you some test results.

14 We ran the test in the tenth scale with Fraud
15 scale configurations exactly as was done for MARK I, and
16 what we developed was curves of velocity versus elevation
17 based on high-speed movies.

18 When we did that and drive the model to
19 maximum test data, what we found was at high elevations
20 that the model did in fact underpredict the test data by
21 between 20 and 30 percent, and the other prediction varies
22 with the different encroachment geometries we ran on the
23 test program.

24 MR. THEOFANOUS: These were geometric models
25 that were scaled exactly on a geometrical basis?

1 MR. MCINTYRE: No, they were not. The test tank
2 itself was a rectangular tank scaled to the mid-plane
3 dimensions of the pressure suppression test facility. We
4 ran three different encroachment geometries. They were a
5 one cell, 50 percent across the pool encroachment, cell
6 meaning stack and vents. The test tank had six vents and
7 we put an encroachment in one corner using essentially a
8 plane of symmetry scaling. So we had a one cell, 50
9 percent, a three-cell, 25 percent and a three-cell, 50
10 percent encroachment.

11 MR. THEOFANOUS: Are you going to show us
12 anything on this?

13 MR. MCINTYRE: Actually I don't have a picture
14 of it with me. I am sorry.

15 MR. THEOFANOUS: Have you written a document on
16 this?

17 MR. MCINTYRE: Excuse me?

18 MR. THEOFANOUS: Have you written a document on
19 this?

20 MR. MCINTYRE: There is a test report in
21 preparation. It is not out yet. It is pretty close.

22 Less, we do have a picture of the encroachment
23 some place?

24 MR. THEOFANOUS: Would you please send me a
25 copy of this report? I suppose that it also discussed the

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 analysis in it or not?

2 MR. McINTYRE: Yes, it will. We have a
3 commitment to talk with the NRC about those results in the
4 middle of July, and I suspect we could get you a copy of
5 it after it comes out.

6 With respect to the tank itself, it is a
7 rectangular tank. It is roughly two feet wide, four feet
8 deep and six feet long. It has the associated dry well
9 volume and weir and vent system scaled to the pressure
10 suppression test facility. The entire tank was put in the
11 PSGF drywell and the test was started at 1.5 psi absolute.
12 So that pressure was scaled correctly.

13 When we went into this test program, there is
14 a basic difference between MARK III pool swell and the
15 MARK 1-2 pool swell that we don't get pressurization in
16 the air space. The MARK III pool swell velocity is maximum
17 at the point of breakthrough.

18 We know in these tests, being a one-tenth
19 scale test, the effects of surface tension are about a
20 hundred times too big, and we are fairly sure that
21 breakthrough would not be correctly scaled in a test. We
22 have talked with the staff and they have agreed with that.

23 Therefore, I think our test is really pretty
24 conservative. They are run with FSAR pressures and we
25 don't get breakthrough the way we should.

1 The test results, if you compare clean pool
2 pool swell with pool swell in the encroached regions, it
3 gives us results which show that the encroached pool swell
4 is always at a lower velocity at a given elevation of the
5 clean pool swell.

6 (Slide.)

7 We know we have unscaled surface tension and
8 therefore breakthrough is not correctly simulated in the
9 test. We get clean pool elevations at breakthrough which
10 are much higher than full scale. You get very thin water
11 ligaments that essentially you get very tall skinny
12 bubbles instead of breaking up into a froth in the test.

13 MR. THEOFANOUS: Those long, skinny bubbles
14 that you are talking about, those are because you are
15 pressurizing the space at the bottom of the encroachment
16 and instabilities develop because of back pressure into
17 the liquid. That is exactly the reason that you were
18 asking all those questions.

19 MR. McINTYRE: Yes, you are right. That is
20 exactly what is happening. It is happening in the clean
21 pool also.

22 MR. THEOFANOUS: Yes. So it doesn't have so
23 much to do with the normal breakthrough process that ---

24 MR. McINTYRE: The breakthrough process is
25 essentially full scale is what is going on.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. THEOFANOUS: Right.

2 MR. McINTYRE: Consequently, we are getting
3 clean pool velocities higher than one would expect from a
4 full scale test out of this test.

5 MR. THEOFANOUS: But the pressures will be
6 higher in the experiment.

7 MR. McINTYRE: Yes. Again, although this test
8 was run primarily to validate the model, we don't get a
9 hundred percent agreement between the test and the model.
10 We see that over a wide range of encroachment sizes that
11 in fact the clean pool is always worse and therefore
12 the loads should be bounding.

13 MR. THEOFANOUS: Can I understand this point.
14 You said that the velocities are higher, but the rises are
15 higher in the clean pool test. But I would expect that the
16 pressures would be higher, the pressures above the pool
17 will be higher in the encroached pool case.

18 MR. McINTYRE: Yes, that is a true statement.

19 MR. THEOFANOUS: And if we are interested in
20 the pressures, it doesn't follow, at least in my thinking,
21 that the clean pool case is conservative.

22 MR. McINTYRE: The pressures in fact are higher
23 under the encroachment. The bubble pressures remain higher
24 than they do in the clean pool. However, there is
25 sufficient margin in the GESSAR load definition such that

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 the GESSAR load definition is not exceeded in the
2 encroached portion of the pool. The pressures are higher
3 due to encroachments.

4 MR. THEOFANOUS: So that is the main thing that
5 we were after when we were asking these questions quite a
6 few years ago. Now the question is, now that we have found
7 experimentally that that is what happens, how does that
8 alter, if it does, the approach in defining loads, because
9 the velocity by itself is not appropriate it sounds like.

10 MR. McINTYRE: Well, the velocity is
11 appropriate in terms of prediction of impact loads on
12 structures above the pool.

13 MR. THEOFANOUS: Right.

14 MR. McINTYRE: For the loads on the boundaries
15 of the suppression pool itself, the bubble pressure is
16 appropriate and we have investigated that and we have
17 found that there is sufficient margin in the GESSAR load
18 definition to account for those effects.

19 MR. THEOFANOUS: So does that define then a new
20 load now? As a result of these tests you came up with a
21 new load definition for ---

22 MR. McINTYRE: No. What we are saying is we
23 have looked at it and we said that the GESSAR definition
24 is still bounding. In terms of velocity, this is actual
25 test data. I don't have any scales on it because I wanted

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 to keep the presentation not proprietary.

2 (Slide.)

3 This is the GESSAR load definition as modified
4 to meet the NRC acceptance criteria. These are two pieces
5 of test data, velocity versus elevation, for two of our
6 encroachment configurations which may have bound the River
7 Bend case. River Bend has an encroachment which goes out
8 about 40 percent across the pool and covers four cells.
9 This is a 50 percent. The A-1 is six cells covered and the
10 B-1 is two cells covered.

11 MR. THEOFANOUS: That is what percent of the
12 area?

13 MR. McINTYRE: In our test tank they are 25
14 percent total and one-third of that, 8 percent.

15 MR. THEOFANOUS: Do you have any other tests
16 with more of the floor covered, more of the area covered?

17 MR. McINTYRE: No. This A encroachment was the
18 largest one we ran.

19 MR. THEOFANOUS: What is the total area covered
20 in the plant?

21 MR. McINTYRE: It is on the order of three or
22 four percent. It is much smaller than was done in the
23 test. Basically what we see is at this point we have
24 reached our maximum velocity. The actual data actually
25 carries on down. What we feel is going on here is due to

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 the unscaled breakthrough, that this point is about
2 appropriate. If it was a full scale test, you would get
3 instabilities forming in the surface and a great deal of
4 froth. As you can see, we are substantially less than the
5 GESSAR mode definition at that time. So that we really
6 don't think encroached pool swell is an issue for River
7 Bend or for any other MARK III for that matter.

8 I guess that would conclude my presentation
9 unless you have any further questions.

10 (Slide.)

11 MR. ENGLAND: In conclusion, for the remaining
12 Humphreys issues we have acceptable analysis results for
13 all issues. We did make one minor design change to prevent
14 a containment low error mass scenario that was identified
15 during our investigation into these areas and we are
16 continuing to work with the owners group to resolve the
17 encroached pool swell issues.

18 As Terry pointed out, we have a meeting
19 scheduled with the staff in mid-July and there is an
20 owners group meeting scheduled in late June so that we can
21 learn in a little greater detail some of the things that
22 Terry presented here today.

23 The final issue relating to the second concern
24 raised in the SER, we have revised the analysis in
25 accordance with the comments received on our previous

TAYLOR ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 analysis and the revised analysis still shows that the
2 conditions are bounded and we feel that that issue will be
3 no longer of concern to the staff.

4 MR. REED: The next topic on the agenda is
5 hydrogen control. Erwin Zoch, Supervisor of Nuclear
6 Engineering, has been with Gulf States Utilities for 11
7 years and has been involved in River Bend for those 11
8 years. He has a bachelor of science degree in nuclear
9 engineering from Texas A&M University.

10 MR. ZOCH: Good afternoon.

11 (Slide.)

12 My presentation is entitled the River Bend
13 Station Hydrogen Control Program. This slide gives the
14 overview that I want to give you this afternoon in my
15 presentation.

16 I will address two major areas. I will address
17 the hydrogen control systems that we have at River Bend
18 and I will also address our plan for resolution of the
19 hydrogen control issue and then there is a brief summary
20 at the end.

21 (Slide.)

22 Concerning the hydrogen control systems at
23 River Bend, these functions are provided. We monitor the
24 hydrogen concentration and then we control the
25 concentration of hydrogen in the drywell and containment

1 through these four ways. We mix the drywell with the
2 containment atmospheres, we reduce the amount of hydrogen
3 with recombiners, we reduce the amount of hydrogen with
4 igniters through controlled ignition and as a backup we
5 purge the containment atmosphere.

6 The systems that are provided are given here
7 on the next slide.

8 (Slide.)

9 We have the hydrogen monitoring system as part
10 of the containment atmosphere monitoring system. The
11 hydrogen mixing system that you heard about earlier
12 consists of two redundant trains and an inlet line and an
13 outlet line and a fan blower for purging the drywell
14 atmosphere into the containment atmosphere.

15 The next item is the hydrogen recombiner
16 systems. It consists of two separate safety related
17 totally redundant hydrogen recombiners. They are located
18 on the refueling floor and they reprocess at 100 SEFM.

19 As mentioned earlier, the hydrogen igniter
20 system has been added to the combustible gas control
21 system to address the degraded core hydrogen generation
22 event and, finally, as mentioned earlier, the containment
23 hydrogen purge system.

24 (Slide.)

25 This slide gives some additional details about

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 the hydrogen igniter system. There are 104 distributed
2 igniters within the containment and drywell of the River
3 Bend Station. Half of these igniters are on each
4 divisional power supply.

5 Our location criteria that we use in locating
6 these igniters is given here. There is a maximum of 30
7 feet separating between operable igniters when both
8 divisional power supplies are operable and there is a
9 maximum of 60 feet separation between operable igniters
10 when one divisional power supply is operable. There are
11 also a minimum of two igniters, one from each divisional
12 power supply in each subcompartment.

13 (Slide.)

14 Continuing with the second major area of my
15 discussion ---

16 MR. OKRENT: Excuse me. These are all AC, are
17 they not?

18 MR. ZOCH: They are AC powered, yes.

19 MR. OKRENT: Thank you.

20 MR. ZOCH: Continuing with the next major area
21 of my discussion, and that is our program to address the
22 hydrogen control issues for degraded core accidents at
23 River Bend, it consists of these elements.

24 It consists of the hydrogen control owners
25 group, and I will go into further details on each one of

1 these items following this slide.

2 It consists of our River Bend specific
3 containment ultimate capacity analysis. There were some
4 questions that came up earlier concerning design values
5 and ultimate withstand capabilities, and I will address
6 some of those in this.

7 Of course, as mentioned, we have added the
8 hydrogen igniter system to address the additional hydrogen
9 from degraded core accidents.

10 And, finally, our program to ensure
11 survivability of the central equipment.

12 (Slide.)

13 Some of the past programs of the hydrogen
14 control owners group are given here. These items have been
15 completed. GSU joined in and supported the participation
16 of these activities.

17 The first one that was completed early on in
18 our program was the GE study of accident scenarios and
19 source terms. It also identified a basic list of the
20 central equipment.

21 The next major item was the MARK III
22 containment hydrogen burn response analysis and a topical
23 report was prepared by Offshore Power Systems for that
24 code and submitted to the NRC staff for their review.

25 This analysis, this hydrogen burn analysis was

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 conducted to determine the temperature and pressure
2 response for a distributed hydrogen ignition system as the
3 hydrogen was released into the drywell or suppression
4 pool.

5 The next item is the 20th scale model MARK III
6 containment burn tests. This test program was conducted to
7 get a visualization of the characteristics of the hydrogen
8 flame. Later on we instrumented that test facility and
9 recorded temperature information from the hydrogen burns.
10 We also determined that the threshold for diffusion flames
11 was around 4/10ths to 5/10ths of a pound per second.

12 The final item here is the ignition limits
13 testing conducted in conjunction with the AECL and
14 Whiteshell Lab. This was done in Canada and it was
15 supported by the hydrogen control owners group. The
16 purpose of that test program was to confirm the ability of
17 the igniter to ignite hydrogen rich mixtures and also in
18 steam rich environments, and the results of that test
19 confirm that the igniter is indeed effective in igniting
20 hydrogen under rich conditions, both hydrogen rich and
21 steam rich environments.

22 (Slide.)

23 The ongoing programs of the hydrogen control
24 owners group are given here consisting of three major
25 areas.

1 One is the hydrogen source term analysis. This
2 is the work being conducted by the IDCOR and EPRI group to
3 develop the BWR heatup code to determine what the hydrogen
4 source terms are more realistically. That work is getting
5 nearer to be complete and we hope to have some source term
6 information for use.

7 The next item, which is the quarter scale
8 model test program, it models a MARK III containment and
9 the purpose is to characterize the thermal environment
10 inside a MARK III containment resulting from hydrogen
11 releases into the suppression pool through spargers and
12 through simulated LOCA events through the drywell wall.

13 (Slide.)

14 An item that was mentioned earlier was the
15 River Bend Station containment ultimate capacity analysis.
16 This slide gives the design values for the steel
17 containment and drywell for internal pressure conditions.
18 They are 15 psi for the steel containment and 25 psi for
19 the drywell.

20 (Slide.)

21 We have completed an ultimate pressure
22 capacity analysis in response to a request by the staff,
23 and the results of this analysis for internal pressure
24 conditions are given here under the first item.

25 The most limiting pressure here is the 56

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 psig. That is the lowest value that we calculated for any
2 of these items.

3 For the steel containment again it is 56 psig.
4 For the drywell the ultimate pressure would withstand
5 capabilities of 80 psig. For the personnel airlock it is
6 72, for the equipment hatch it is 56 and other
7 penetrations were also analyzed and determined to be 100
8 psig or greater.

9 MR. THEOFANOUS: Sometimes in hydrogen programs
10 of this type the temperature value is more important than
11 pressure value. Have you looked into the temperature?

12 MR. ZOCH: Well, that is the purpose of the
13 quarter scale test program to characterize the thermal
14 environments and get a better idea of what those thermal
15 environments are.

16 MR. THEOFANOUS: What those are, but have you
17 done the equivalent exercise for temperatures that you
18 have done here for pressures?

19 MR. ZOCH: We haven't done that yet. We are in
20 the process of doing that. That will be part of the
21 essential equipment survivability evaluation.

22 MR. THEOFANOUS: Who does that? Do you do that
23 or somebody else?

24 MR. ZOCH: Stone and Webster will do a portion
25 of that work and we will do a portion of that work, and

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1001

WASHINGTON, D.C. 20006

(202) 293-3950

1 there may be others involved.

2 MR. OKRENT: What is the definition of failure,
3 I guess, when you say 56 psig for the steel containment?

4 MR. ZOCH: I am sorry, I didn't understand you.

5 MR. OKRENT: What definition of failure comes
6 in when you say ultimate pressure for a steel containment
7 is 56 psig?

8 MR. ZOCH: That is a point where a generally
9 stated yield develops in the steel containment.

10 Is that correct? Maybe I should refer the
11 question to the Stone and Webster who have conducted the
12 analysis.

13 MR. SHA: My name is Mahindra Sha and I am from
14 Stone and Webster. The failure of the internal pressure is
15 due to buckling in the torus area. It is a general
16 yielding in the torus area.

17 MR. OKRENT: Okay. Thank you.

18 MR. ZOCH: The next item here concerns the
19 River Bend specific Clasix-3 analysis. The purpose of this
20 study is to analyze what the resulting pressures are in
21 the containment as a result of burning the hydrogen off.

22 Those analyses have been completed and we have
23 some preliminary results at this time. Our preliminary
24 results we will be reporting later perhaps right after
25 June, at the end of June. They indicate that there is

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 sufficient margin between these ultimate capacities and
2 what we see due to the hydrogen burn. We see roughly about
3 15 to 18 psig over pressure resulting from hydrogen.

4 MR. THEOFANOUS: How much hydrogen are you
5 burning, or in terms of equivalent oxidation of materials
6 what percent?

7 MR. ZOCH: It is the equivalent of a 75 percent
8 metal water reaction.

9 MR. THEOFANOUS: Everything?

10 MR. ZOCH: No. It is the cladding surrounding
11 the active region of the fuel.

12 MR. THEOFANOUS: Seventy-five percent?

13 MR. ZOCH: Seventy-five percent metal water
14 reaction, yes.

15 MR. THEOFANOUS: How much pressure do you get?

16 MR. ZOCH: Eighteen psi, and that is an
17 approximate value.

18 MR. THEOFANOUS: What about the temperatures?

19 MR. ZOCH: Temperatures, the results of that
20 analysis show an intermittent type burn, that is a
21 temperature and pressure spikes. So I feel that giving you
22 what the peak temperatures are doesn't represent the real
23 case. I think that varies from maybe 400 degrees to an
24 upper peak of, I would have to guess, somewhere around
25 1200 or 1500 degrees.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. THEOFANOUS: Do you observe any local
2 starvation of the reactants? I don't know this Clasix
3 model. Can it account for special effects in the
4 containment and maybe local starvation from oxygen?

5 MR. ZOCH: Okay. Let me refer that question to
6 Dr. Marty Fuls from Offshore Power.

7 Let me back up though and say that the
8 temperatures I gave you there, I was thinking about some
9 of the earlier numbers that were calculated for the
10 hydrogen control owners group. I haven't looked at what
11 the numbers are for River Bend yet.

12 Marty.

13 MR. FULS: Martin Fuls, Offshore Power
14 Systems. The individual compartments are compared
15 continuously throughout the transient to look at the
16 individual components and their concentrations. These are
17 variable inputs that you can specify that the lower limit
18 on oxygen combustion, which is normally around five
19 percent, and ignition of hydrogen around eight percent.
20 Those are the criteria that we are using in this analysis.

21 MR. THEOFANOUS: What I am saying is do you
22 observe any starvation?

23 MR. FULS: Yes. With a drywell break case, by
24 the time you get hydrogen in there you have a steam
25 atmosphere. So when you start to release hydrogen, it is

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 strictly hydrogen and steam.

2 When you are releasing a lot of it through the
3 safety relief valves or the ADS system, you get some
4 initial burns and then you burn out some of the oxygen and
5 it does not meet the criteria. So that you do have
6 starvation in local areas.

7 MR. THEOFANOUS: Okay. So most of the burning
8 then occurs in the top of the pool?

9 MR. FULS: Most of it does, yes.

10 MR. OKRENT: And, excuse me, the Delta P I
11 think I heard mentioned was about 15 psi, is that right?

12 MR. FULS: Delta P is up there around 18 psi.

13 MR. OKRENT: That is not putting all 75 percent
14 of the hydrogen into a single burn I assume.

15 MR. FULS: No, sir.

16 MR. OKRENT: What fraction of the hydrogen is
17 in the burn?

18 MR. FULS: Oh, in a wetwell burn you are
19 probably only burning around 100 to 150 pounds per burn.
20 We have the information in a table, and I can get it for
21 you and give you an average of what accumulates in burns,
22 in an individual puff burn.

23 MR. OKRENT: And then you are allowing for some
24 heat removal before the next burn, is that it?

25 MR. FULS: Yes.

1 MR. OKRENT: What is the staff position
2 concerning an accident where you lose all AC power?

3 MR. NOVAK: Well, your question is just
4 generally what is our position on the likelihood of a
5 total loss of AC power?

6 MR. OKRENT: Yes, and then it comes back on of
7 course, but you now have hydrogen sitting there.

8 MR. NOVAK: I don't know specifically that we
9 have connected the two. I know we have an unresolved
10 safety issue which is specifically looking at the
11 likelihood and the response to a station blackout. I think
12 it ties in very closely to the decay heat removal concept
13 also. I don't have a specific answer to tie into hydrogen.
14 Perhaps somebody on the staff here can help.

15 (Pause.)

16 We will try to address it at the full
17 committee meeting, if you wish.

18 MR. OKRENT: Sure, and you might even tell us
19 how it relates to source term thinking.

20 (Slide.)

21 MR. ZOCH: Continuing on with the next item,
22 with respect to the ultimate capacity analysis, this slide
23 and the next slide address the negative pressure
24 conditions. The design base that was mentioned earlier for
25 the containment, .6 psi, for the drywell, it is 20 psi.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 We have an analysis underway at this time to
2 address a letter that we have received from the staff
3 requesting that we evaluate the ultimate negative pressure
4 capacity of the containment. We expect those results to be
5 available shortly and to be filed with the staff by the
6 end of June.

7 Let me back up and say that we have received
8 preliminary results for these analyses and the indications
9 are that for the steel containment the value is about 4.8
10 psi.

11 The second item here that we were asked to
12 address is for the situation where we have the total
13 hydrogen representing a 75 percent metal water reaction is
14 burned off and then cooled down to ambient conditions. The
15 results of that analysis show that a negative pressure of
16 about 3.3 psi. So we feel that we have margin between
17 these areas, too.

18 MR. OKRENT: Excuse me. I missed something.
19 What was your last 3. something psi?

20 MR. ZOCH: 3.3 psi. That is for this cooldown
21 vent that is on the steel containment. That is not the
22 value of the drywell. That is the value for the steel
23 containment, with a value of about 4.8 as the ultimate
24 negative pressure capacity.

25 MR. OKRENT: In contrast to the design of .6?

1 MR. ZOCH: And in contrast to the design of 6
2 psi.

3 MR. OKRENT: Now you are quoting numbers here
4 and earlier on ultimate capacity, but you haven't give us
5 any feel for the uncertainty, if any, in these numbers.
6 Are you going to supply such information at some time?

7 MR. ZOCH: I perhaps should refer that question
8 to some of the people that were involved in the analysis.
9 Perhaps if they tell you how the analysis was conducted,
10 it might address your question.

11 Can someone from Stone and Webster address
12 that?

13 MR. SHA: The numbers which I gave of the 56
14 psi for the containment internal pressure is actually the
15 lower bound based on the design or the specified end
16 strength of material. There is no post buckling strength
17 considered here. So the actual strength will be even
18 higher than this if you consider the redistribution
19 stresses.

20 MR. OKRENT: Would the existence of flaws
21 matter in such an analysis, weld flaws and welded joints?

22 MR. SHA: That is not considered in this
23 analysis. This is based on the one and a half inch thick
24 material and the proven capacity.

25 MR. OKRENT: As you know, when one looks at

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 pressure vessel reliability, if one assumed there were no
2 flaws and if you can keep the temperature high enough, it
3 is hard to calculate failure. So flaws enter on pressure
4 vessels.

5 MR. SHA: That is the reason we have margins
6 compared to our design capacity to consider those
7 uncertainties.

8 MR. OKRENT: I would suggest that you do in
9 fact think about what the uncertainties are. They will
10 swing around both sides I suspect of your calculation.

11 How about on the capability to withstand a
12 vacuum for the steel containment, are there any kinds of
13 departures from your model of the building that could lead
14 to a lesser capacity to accept a vacuum?

15 MR. SHA: The model is based on a standard
16 shell model.

17 MR. OKRENT: Suppose I gave you a different job
18 and you weren't working for Stone and Webster, but you
19 were working for the NRC, and it was your job to figure
20 out what things might have gone along differently in the
21 fabrication that could lead to a lesser capacity than 4.
22 something.

23 MR. SHA: As you mentioned, some of the
24 possible uncertainties in the weld capacities would be
25 one. The material strength may be lower, but based on the

1 material test report, the strength is usually more than
2 the specified end strength of the material. So I feel that
3 the capacities we have computed are lower bound
4 considering even the uncertainties.

5 MR. OKRENT: You are acting like you are
6 working for Stone and Webster, and I said no.

7 (Laughter.)

8 MR. SHA: No, I am giving my engineering
9 opinion.

10 (Laughter.)

11 VOICE: Are you going to pay him now?

12 (Laughter.)

13 MR. OKRENT: I will pay him the usual rate.

14 (Laughter.)

15 Well, anyway, I think you would do well to
16 think in this area because when we try to get serious
17 about these things, it is going to be relevant.

18 (Slide.)

19 MR. ZOCH: The last item that I had as part of
20 our program to address and resolve the hydrogen control
21 issue for River Bend is the essential equipment
22 survivability evaluation.

23 The major elements of this program are to
24 define criteria for essential equipment and to develop
25 essential equipment listings. The first item has been

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 completed and the second item is in process.

2 We will then evaluate the essential equipment
3 survivability based upon the ClasiX-3 thermal environments
4 that we are receiving. We will compare those thermal
5 environments to the qualification thermal environment.

6 Then we will evaluate the essential equipment
7 survivability based upon the quarter scale test results.
8 The quarter scale test program is scheduled to begin
9 shakedown testing in September and we expect results
10 around October through the December time frame. The final
11 report will be issued later and we will use those
12 parameters then in the evaluation of our essential
13 equipment.

14 Finally, we will provide whatever essential
15 equipment protection measures are required.

16 MR. OKRENT: Now do you have enough analysis in
17 hand that you can say that the environment for River Bend,
18 the postulated accident involving 75 percent clad reaction
19 with steam, that this thermal environment is similar to
20 another MARK III, but one which has sprays, or it could be
21 significantly different? Can you say that?

22 MR. ZOCH: I would not expect them to be
23 significantly different, but I believe that there may be
24 some differences. I think that perhaps our wetwell
25 temperatures may be higher, slightly higher.

1 MR. OKRENT: Will this scale test go into the
2 range that you need definitely?

3 MR. ZOCH: Well, I believe that it will. We
4 haven't identified all of the test matrixes yet to be
5 included in the quarter scale test, but we intend to
6 include several scenarios there.

7 MR. NOVAK: I wonder if I might ask one
8 question on this subject.

9 MR. OKRENT: Why not.

10 MR. NOVAK: Just one. Would you care to comment
11 on how the igniter performance might vary depending on
12 whether or not you have sprays?

13 MR. ZOCH: Pardon me?

14 MR. NOVAK: The hydrogen igniter system, would
15 you care to comment on how it might behave compared to
16 other plants that have sprays?

17 MR. ZOCH: The igniter system is very similar
18 in design to that of Grand Gulf. We have about the same
19 number of igniters, the location criteria is very and we
20 added some additional criteria to the location of igniters
21 that came out of the Sandia report of the Grand Gulf
22 system. They made some suggestions and we incorporated
23 some of those to limit the number of igniters per circuit
24 and those were incorporated.

25 (Slide.)

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 In summary, I feel we have an integrated
2 program to address hydrogen control for River Bend. We are
3 integrating the results of generic efforts and test
4 programs analyses. We have integrated this into the design
5 and other analyses for River Bend.

6 We have provided multiple systems in River
7 Bend to control the hydrogen, as I mentioned earlier. The
8 containment integrity ---

9 MR. OKRENT: Excuse me, can I interrupt you for
10 a moment. In an earlier slide, much earlier in your
11 presentation, you mentioned a backup system to igniters.

12 MR. ZOCH: Yes.

13 MR. OKRENT: But you haven't discussed it. Is
14 it going to be discussed in a future slide?

15 MR. ZOCH: No. The containment purge system is
16 provided to address the Reg. Guide 1.7 requirements that
17 existed at the time of the River Bend design. Those
18 requirements required that monitoring be provided, that
19 a mixing system between the drywell and containment be
20 provided and that recombiners be provided either
21 internally or externally.

22 And, in addition, as a backup it asked us to
23 provide a containment purge system. That system will only
24 be used if necessary perhaps only for pressure control, if
25 at all. There is no intend, I would say now, to use that

1 system for anything.

2 MR. OKRENT: It is not a hydrogen combustion
3 suppression system?

4 MR. ZOCH: Not a suppression system, no. It
5 would be used to remove it from the containment.

6 MR. OKRENT: So you are counting on igniters?

7 MR. ZOCH: Yes, we are counting on our
8 igniters.

9 MR. OKRENT: The reason I ask is there was one
10 MARK III that was reviewed for a constuction permit that
11 proposed to use a suppression of combustion rather than an
12 ignition, and I thought maybe that was what you were
13 talking about.

14 MR. ZOCH: No.

15 MR. OKRENT: It is not.

16 MR. ZOCH: The third item is the containment
17 integrity will be assured for both positive and negative
18 pressure conditions. We expect that to come out of the
19 analysis result. It has been shown for the positive
20 pressure conditions and we expect that to be true for the
21 negative pressure as well.

22 The next item is essential equipment
23 survivability will be assured for deflagration and
24 diffusion hydrogen combustion.

25 Finally, we have, as I had mentioned earlier,

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 additional confirmatory analysis and testing underway to
2 resolve the hydrogen control issues, both on a generic
3 basis and for River Bend specifically.

4 MR. OKRENT: What is the status of your
5 calculations of pressure and temperature for a range of
6 hydrogen generation scenarios? Are they all reported or
7 are they doing them and have to report them, or where does
8 that stand?

9 MR. ZOCH: We have a preliminary copy of that
10 report in our house. It is currently under review and we
11 intend to submit a report to the NRC later perhaps in July
12 or toward the end of July.

13 That concludes my presentation. Are there any
14 other additional questions or comments?

15 MR. OKRENT: Just a minute, please.

16 (Pause.)

17 MR. OKRENT: I don't think there are any
18 further questions.

19 Let's see, it looks like it is about two hours
20 since we took our last break and it is not exactly chilly
21 in here.

22 (Laughter.)

23 So why don't we take another ten minutes.

24 (Recess.)

25 MR. OKRENT: The meeting will reconvene.

1 We will go back to where we were in the agenda
2 before we leaped ahead, as it were. So I think we are at
3 the point where we were going to learn whether the
4 applicant has any comments on what we heard from the staff
5 concerning the various kinds of open issues, et cetera

6 MR. REED: Fine. To address that we have Jim
7 Booker, Manager of Engineering Nuclear Fuels and Licensing
8 for Gulf States to respond to that.

9 Just basically though quickly, Mr. Booker has
10 been with Gulf States Utilities for approximately 28
11 years. He has been involved in the River Bend project
12 since its inception for approximately the last 12 years.
13 He has a bachelor of science degrees in industrial
14 engineering and mechanical engineering from Lamar
15 University.

16 MR. BOOKER: Gulf States feels that the staff
17 has presented a very accurate picture of the status of
18 their review of our license at this time.

19 We are continuing to work with the staff to
20 resolve these open issues, and in fact we had meetings up
21 there in Washington this Monday and Tuesday. We feel very
22 confident that we can resolve these some 18 open items in
23 a timely fashion to support our licensing schedule. We do
24 not think that any of them are that significant that we
25 cannot work out a solution to these open items.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. OKRENT: Well, I guess we will go on to
2 agenda item No. 3, which again is by the applicant.

3 MR. REED: Yes, sir.

4 All right, at this time we would like to pick
5 up 3(a) which was the introduction by Mr. Cahill. Bill
6 Cahill is the Senior Vice President of the River Bend
7 Nuclear Group. He has been with Gulf States Utilities for
8 approximately the last four years. He brings with him 26
9 years of prior nuclear experience to Gulf States where he
10 had held positions in the executive offices for
11 Consolidated Edison in New York and had responsibilities
12 at Indian Point 1, 2 and 3 nuclear units. He has a
13 bachelor of science and mechanical engineering degree from
14 Polytechnical Institute in Brooklyn, New York.

15 MR. CAHILL: Good afternoon.

16 I really intended this to sort of get you into
17 the right ball park and here we are about the fifth
18 inning. So some of this is really inappropriate, but just
19 so you know what Gulf States Utilities' area is served, it
20 is shown on the map here.

21 We cover an area that goes to the north and
22 west of Houston for a strip about 200 miles wide and 100
23 miles deep over to the east of Baton Rouge. We serve the
24 Cities of Beaumont, Port Arthur, Orange, Baton Rouge,
25 Lafayette and Lake Charles.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 (Slide.)

2 This shows the major generating stations of
3 the company. It has a capacity of 6,600,000 kilowatts.

4 (Slide.)

5 This certainly is anticlimax, but there are
6 the basic statistics on River Bend and I think you all
7 heard those before from other presentations.

8 (Slide.)

9 This is an artist's rendering of the plant
10 which you have seen this morning. It shows the tornado
11 approved seismically designed standby cooling tower, the
12 MARK III containment and the turbine building. It is a
13 radial design which I remember was a big issue many years
14 ago. The mechanical cooling towers with natural assist are
15 relatively low silhouette.

16 We are about two miles from the river where
17 makeup water for these cooling towers is provided. As
18 mentioned, these cooling towers also get makeup from
19 wells.

20 (Slide.)

21 The private history, like so many projects, it
22 started in the early '70s, was delayed for developing the
23 design and adjusting to changes in requirements for
24 nuclear plants, and finally got a construction permit in
25 March of '77.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 Because of uncertainties on requirements and
2 other reasons, the construction program really didn't
3 start at a high pace until August of 1979. We originally
4 had a fuel load date that was 50 months from then and we
5 were confident that that was a possible date because so
6 much of the design requirements had been defined and the
7 design was well along and we have enjoyed a very favorable
8 arrangement with the construction trades called a nuclear
9 stabilization agreement.

10 That has been copied now by many of the
11 utilities that are constructing nuclear plants. It
12 basically provides for no strikes and it encourages
13 innovation in construction methods and also work
14 arrangements. We have worked since August of '79 until now
15 on a two-crew arrangement. One crew works four days, ten
16 hours a day and then alternates with the second crew. So
17 we never stop work except for six or seven holidays a year
18 and we have made good progress.

19 However, we did shift to a 68-months schedule
20 in 1981 primarily because that pace drew too heavily on
21 the financing for the project and also tended to pull
22 ahead of design.

23 We have maintained the present schedule and we
24 are still within sight of the target of loading fuel next
25 year and achieving commercial operation by the end of the

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 year. We are about 88 percent complete now.

2 If you have any questions about the
3 presentation or the project, I would be glad to address
4 them.

5 (No response.)

6 MR. REED: At this time then we will proceed
7 back into the technical presentations. We will be on Item
8 B, A Discussion of Selected Plant Systems, which is
9 subitem little "c", Offsite and Onsite AC/DC Power Systems.

10 The first presenter will be Mr. John Proposon.
11 John is a new hire with GSU and he is our Supervisor of
12 Electric Engineering in our Nuclear Plant Engineering
13 Department. He brings with him 11 years prior experience
14 with Brown and Root, Burns and Row and Washington Public
15 Power Supply System. He has worked at Brunswick 1 and 2,
16 the South Texas Project and WNP No. 2. He has a bachelor
17 of science degree in electrical engineering from Milwaukee
18 School of Engineering.

19 MR. PROPOSON: Good afternoon. I am John
20 Proposon, Supervisor of Electrical Engineering with Gulf
21 States Utilities.

22 The topic that we are about to discuss deals
23 with offsite and onsite AC and DC power distribution and
24 its reliability assessment. We will be making this
25 presentation basically in four phases.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 The first phase will be addressed by myself,
2 and I will be discussing the onsite AC and DC
3 distributrion system.

4 The second phase will be discussed by Mr. Pat
5 Bourne who will make a presentration on grid reliability.

6 The third phase will be the discussion or
7 topic of the adequacy of the DC power supplies and station
8 blackout, which will be made by myself.

9 And the fourth phase will be on the
10 Trans-America DeLaval diesel generators which will be
11 presented by Mr. John Hamilton.

12 (Slide.)

13 This first slide depicts and represents the
14 station one line diagram. As you can see, and of note on
15 this particular diagram, you have three lines that tie
16 between the River Bend Station and the switchyard, the 230
17 KV switchyard at Fancy Point.

18 Of those three tielines as are indicated here,
19 here and here, one of them is used as the output supply
20 from our unit to Fancy Point Substation. The other ties,
21 shown here and here, are fed back into the plant and are
22 used for preferred supplies to feed our emergency buses.

23 We go via the 230 KV supplies through our
24 preferred station transverse performers and then down to
25 the bus itself.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. EBERSOLE: Let me ask, in other words, you
2 do not depend on unit output for your preferred AC supply?

3 MR. PROPOSON: That is correct.

4 MR. EBERSOLE: I congratulate you for that.

5 MR. PROPOSON: Thank you.

6 (Slide.)

7 This again shows our AC distribution system.
8 As we saw earlier, our preferred supply would be coming in
9 on this bus. We do have an alternate supply that exists
10 here. So that in the even that we took our our main
11 preferred bus for maintenance work, we could in fact
12 switch over and provide power in this way. We also have
13 our diesel generator tied directly to that bus.

14 Downstream we go through our 480 volt center
15 and we supply power to our battery charger and other loads
16 in the plant.

17 (Slide.)

18 This is our Class IE DC distribution system.
19 As we discussed, we have a 480 volt load center providing
20 power normally through our battery charger to our 125 volt
21 DC bus. The battery charger is sized such that it can
22 carry a full load on that bus and charge our 125 volt
23 battery system.

24 We have also provided a second backup battery
25 charger so that in the event that we want to take out this

1 charger for maintenance purposes, we basically take this
2 breaker out, reinstitute it here and can keep this bus on
3 flow.

4 MR. EBERSOLE: May I ask you a question. In the
5 AC system you just talked about you had the offsite power
6 coming in and then you have two diesels for the station.
7 So you really have a normal source of supply and then when
8 you enter a transient condition you have redundant
9 supplies of AC for the transient recovery.

10 MR. PROPOSON: Let me back up just a second. I
11 think I need to clarify something here.

12 What I showed you was one of three systems
13 that we used. This system is really redundant. We have a
14 division one, which is basically shown here, and this is
15 what is depicted in this region. We also have a division
16 two, which is redundant to this division one. Then we have
17 a third division which is our HPCS division.

18 MR. EBERSOLE: Yes. I am saying you have a
19 flexible AC system.

20 MR. PROPOSON: That is correct.

21 MR. EBERSOLE: Now I want to interpret what you
22 have there against what you have in the DC system.

23 MR. PROPOSON: Okay.

24 MR. EBERSOLE: There you have apparently only
25 two DC sources, and when you enter some transient phase,

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 which you may develop by failing one of these DC sources,
2 apparently you have only one residual DC system with which
3 to come out of the transient condition. Is that correct?

4 MR. PROPOSON: That is correct. You also have a
5 third DC system strictly for the HPCS.

6 MR. EBERSOLE: Oh, you do?

7 MR. PROPOSON: Yes, sir.

8 MR. EBERSOLE: I didn't understand that. Thank
9 you.

10 MR. PROPOSON: In the event that we do lose 480
11 volt power, we also have our 125 volt battery system. That
12 system is maintained and floated at a full charge
13 condition.

14 We have also two 480 volt supplies, and these
15 supplies normally supply power to our interruptable power
16 supply, which is then transferred out onto our 120 volt
17 uninterruptible power supply panels.

18 MR. EBERSOLE: May I ask, when you have to do
19 equalization charging on the battery and you have to
20 increase the voltage above the normal voltage to do it, do
21 you allow the system to stay fully on line when you do
22 that?

23 MR. PROPOSON: I would like to defer that
24 question, if I may, to Stone and Webster.

25 MR. RAUGHLEY: Bill Raughley, Stone and Webster

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 Engineering. Yes, the system is designed to work to 140
2 volts.

3 MR. EBERSOLE: So you can equalize without ---

4 MR. RAUGHLEY: You can equalize that bus to the
5 design of the system.

6 MR. EBERSOLE: Another question. When the
7 battery is fully discharged, now can you hold a normal
8 voltage on the bus with a charger while it is recharging
9 the fully discharged battery?

10 MR. PROPOSON: That is correct.

11 MR. EBERSOLE: Thank you.

12 MR. PROPOSON: During a loss of 480 volt power,
13 or in the event that we have a loss of 480 volt power, we
14 would supply power from this 125 volt DC bus through the
15 uninterruptible power supply via an internal inverter.
16 There is an automatic static transfer switch that makes
17 the transfer automatically.

18 (Slide.)

19 The loads that we have on our DC system are as
20 shown on this slide, and you will note on here that one of
21 those loads is our interruptible power supply, and on our
22 uninterruptible power supply we have the following loads.

23 This concludes this phase of my presentation.

24 MR. REED: The next area then in the agenda
25 following through in the same topic area is grid

1 reliability. Mr. Pat Bourne, Director of our Transmission
2 Planning will address that issue. He has been with Gulf
3 States Utilities for approximately 16 years and has a
4 bachelor of science and electrical engineering degree from
5 the University of Arkansas.

6 MR. BOURNE: I would like to talk about the
7 transmission system of Gulf States and put River Bend in
8 perspective on it.

9 (Slide.)

10 Gulf States is a member of the Southwest Power
11 Pool, and the Southwest Power Pool consists of about
12 60,000 megawatts of capability. Gulf States has an
13 operating capability of about 6500 megawatts presently.
14 Gulf States is the largest operating utility in the
15 Southwest Power Pool.

16 Our service area, as Mr. Cahill illustrated,
17 extends across South Louisiana. This illustration shows
18 how we are connected on an EHV basis to the other
19 companies in the system.

20 (Slide.)

21 We have 19 high voltage interconnections, and
22 this is a little tighter view of the EHV system that
23 constitutes our predominant interconnections. This system
24 has been in development since 1967, and the latest
25 addition to it is our 500 KV line to Plant Daniel out of

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 our McKnight Substation to the Mississippi Power Company
2 near Mobile, Alabama.

3 As you can see, this consists of five major
4 external interconnections and a 500 KV system across our
5 system. Also illustrated are major plants that are in
6 close proximity to Gulf States.

7 Of interest to River Bend, of course, is the
8 500 KV loop around the Baton Rouge area.

9 (Slide.)

10 In the Baton Rouge vicinity we also have a
11 type 230 KV network underlying the 500 KV system and it is
12 supplied at three points, Willow Glen, Coly and at Fancy
13 Point Substation from 500 and 230 KV Substations. So the
14 essence of this network then is four incoming 500 KV
15 lines, one to the Mississippi Power and Light, one to the
16 Southern Companies, one to Louisiana Power and Light and
17 then a line across our system out of our Weber Substation.

18 Fancy Point Substation is the substation into
19 which the River Bend's Unit 1 is tied.

20 (Slide.)

21 Within this system we also have four existing
22 plants, our Willow Glen plant, approximately 1900
23 megawatts, our Louisiana Station plant, 277 megawatts and
24 then Big Cajun 1 and Big Cajun 2 which are on 230 and 500
25 KV systems respectively immediately west of the River Bend

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 site.

2 (Slide.)

3 Talking specifically about the Fancy Point
4 Substation, we have two incoming 500 KV lines serving a
5 500 KV ring bus substation. We have a 500/230 KV 1200 MBA
6 transformer which has a spare pole.

7 The 230 KV substation into which the unit is
8 connected consists of a breaker and a half substation with
9 four incoming 230 KV lines and two independent station
10 service leads. The substation is constructed with
11 a redundant line transformer and bus differential relays.
12 There is also redundant control batteries for the station
13 power.

14 (Slide.)

15 This is a schematic of the substation itself.

16 (Slide.)

17 To assure the reliability of our system, we
18 conduct annual load flow studies and stability studies.
19 Our 500 KV system, which is the backbone of the system, is
20 designed and has performed to a criteria of better than
21 one outage per hundred miles of line per year.

22 The average grid outage to existing plants on
23 the system over their lifetime has consisted of one event
24 per 21.5 plant years.

25 (Slide.)

1 This is an illustration of the history that we
2 have had on our plants, the listing of the plants, the
3 commercial operation date, the number of plant years that
4 we have had and the number of isolation instances that we
5 have experienced.

6 MR. EBERSOLE: How long are these instances in
7 time?

8 MR. BOURNE: All of these instances, barring
9 two, are less than an hour or less. Once instance was
10 approximately six hours and one instance was approximately
11 12 hours.

12 MR. EBERSOLE: Thank you.

13 MR. BOURNE: Two of the stations on the list
14 are on two line connections to the grid which are not
15 typical of River Bend. They are owned by Cajun Electric
16 Power, which I mentioned a minute ago.

17 I will like to illustrate the reliability
18 record on the plants that are operated by Gulf States.

19 (Slide.)

20 This is a record of seven events and 220 plant
21 years, which is equal to one event per 31.4 plant years.

22 MR. EBERSOLE: The problem is over the years
23 you have been adding units which are a heck of a lot
24 bigger than the older units.

25 MR. BOURNE: Could you repeat the question?

1 MR. EBERSOLE: Bigger, much larger. So if you
2 look at this picture against the largest unit now on the
3 grid and try to forecast the possibility of cascade, when
4 it trips and what kind of number do you get then?

5 MR. BOURNE: Okay. These outages are not
6 related typically to the cascading of the units. As I
7 think of it, there are two of these outages that were
8 related to cascading of units.

9 In our stability studies we do analyze the
10 loss of generation and the consequences of it and, you
11 know, we do not know of any problem relating to the loss
12 of generation.

13 MR. EBERSOLE: Do you do that on sort of a PRA
14 basis?

15 MR. BOURNE: No, we do not. Our techniques are
16 primarily deterministic.

17 MR. EBERSOLE: Do they include acknowledging
18 the possibility of one or two additional failures when you
19 lose a big one?

20 MR. BOURNE: Several diesel failures do you
21 say?

22 MR. EBERSOLE: No, no, some relying problems.

23 MR. BOURNE: Some relying problems. Well, a
24 number of these particular outages right here were related
25 to relay malfunctions. Relay malfunctions would be first

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 or second in terms of causes of such plant outages. Well,
2 I have got to say they are really first. If we have proper
3 relay performance, in my opinion, we wouldn't have any.

4 MR. OKRENT: Could you put the first viewgraph
5 in your series back on, please.

6 MR. BOURNE: Okay. The one of the overall
7 Southwest Power Pool system?

8 MR. OKRENT: Yes.

9 (Slide.)

10 If I understand this then correctly, the
11 states that are tied in include Louisiana, Mississippi,
12 Arkansas, Missouri, Kentucky, Oklahoma, Texas, parts of
13 Kansas and so forth, is that correct?

14 MR. BOURNE: Yes. Well, we are essentially tied
15 to the entire eastern United States. We are not tied west
16 into the core of Texas.

17 MR. OKRENT: Now suppose we had a severe
18 earthquake in New Madrid and presumably it would knock out
19 a considerable number of power stations within the
20 vicinity of the epicenter, and I don't know how far it
21 would reach with regard to switchyards and so forth. Does
22 that kind of event threaten the stability of your grid, or
23 can you just disconnect or what? What happens then?

24 MR. BOURNE: Well, I couldn't rule out the
25 possibility of our separating from the rest of the grid or

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 going black in the event of an earthquake. We of course
2 haven't experienced one.

3 MR. OKRENT: I am sorry, separating or?

4 MR. BOURNE: Or going black.

5 MR. BOOKER: Don't we have underfrequency
6 relays on our interconnections so that if they did go
7 down, all their power plants, that we would separate from
8 them?

9 MR. BOURNE: Well, we do not have
10 underfrequency relays, but the characteristics of the
11 impedance relays that do tie us to adjacent utilities are
12 such that in an extremely severe disturbance we would
13 naturally separate at key points within the system and
14 that would typically at the perimeters of the companies,
15 although it is our general practice to all try to hang
16 together.

17 MR. OKRENT: Would you expect your switchyard
18 at River Bend to operate during and after the design
19 basis safe shutdown earthquake even though it is not a
20 design basis. I am just curious what you think your
21 standard equipment can withstand?

22 MR. BOURNE: As a matter of my judgment I would
23 say yes, but I can't say that from an analytic approach. I
24 have not done an analysis of that. There is just such a
25 multitude of equipment in the station, in the first place,

1 that with the various paths I have back into the plant
2 something should survive.

3 MR. EBERSOLE: When you lose the principle load
4 off the main generator do you try to pass over and hold
5 back some of the ---

6 MR. BOURNE: The question is relating to the
7 trip of the unit?

8 MR. EBERSOLE: Yes, the trip of the high
9 voltage side of the transformer.

10 MR. BOURNE: You are talking about the tripping
11 of the 500 KV transformer?

12 MR. EBERSOLE: Yes, right.

13 MR. BOURNE: Okay. Well, the system is designed
14 such that the unit can feed into either the 500 KV system
15 or the 230 KV system and we would have no trouble with the
16 stability of the unit on loss of any such component. Our
17 load flow instability analysis includes loss of major
18 loads as well as loss of major generation.

19 MR. EBERSOLE: But you attempt to cut back just
20 to carry loads from the main generator?

21 MR. BOURNE: No, we would not. We would expect
22 the unit to continue to generate into the grid with
23 relatively little disturbance.

24 MR. OKRENT: Are you the individual who looks
25 within the plant to see whether there are things within

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 the emergency AC power system that might ---

2 MR. BOURNE: I do not go beyond the 230 KV into
3 the plant, no.

4 Are there any other questions?

5 MR. EBERSOLE: I guess I would like to hear how
6 you reached that I think fine decision not to put the
7 loads on the turbine output.

8 MR. REED: If I may interject, Mr. Ebersole, at
9 this point. Pat's major background in this area is grid
10 reliability in the offsite aspects, and in getting back
11 onto the onsite, maybe we should kick this question back
12 to someone who is either going to speak or has currently
13 spoken.

14 MR. RAUGHLEY: Bill Raughley from Stone and
15 Webster Engineering Corporation. Upon loss of the
16 generator we would automatically transfer the loads from
17 the generator to the preferred station power supply which
18 would be fed from the grid.

19 MR. EBERSOLE: I understood that your normal
20 source of supply is from offsite to the critical load.

21 MR. RAUGHLEY: Yes. When the unit is running at
22 full load, you would run off the generator output at
23 approximately ---

24 MR. EBERSOLE: Oh. Well then I am back to step
25 one.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 (Laughter.)

2 Why do you put the critical loads on a system
3 that is guaranteed to fail?

4 MR. RAUGHLEY: The critical loads would also be
5 on the offsite, but the station loads would be on the
6 normal ---

7 MR. EBERSOLE: Now I am back in place again.

8 (Laughter.)

9 MR. RAUGHLEY: Okay. We are talking two
10 different vocabularies.

11 MR. EBERSOLE: See, the normal design leaves
12 the critical loads on the turbine outputs, unfortunately,
13 and there is always a transfer necessary in the typical
14 designs we see today which necessitates a transfer when
15 you lose the turbine. But you don't have to make a
16 transfer of the critical loads if you are already on.

17 MR. RAUGHLEY: That is correct.

18 MR. EBERSOLE: I just asked how did you make
19 that decision since it is not the common decision that we
20 find in examining these?

21 MR. RAUGHLEY: That was done way before my
22 time.

23 MR. EBERSOLE: Thank you.

24 MR. BOURNE: Now John Proposon will continue
25 his discussion on the in station supply.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. REED: That is correct. The next topic on
2 the station blackout is again with John Proposon,
3 Supervisor of Electric Engineering.

4 MR. PROPOSON: The first portion of this that I
5 would like to address will apply to the adequacy of DC
6 power supplies.

7 (Slide.)

8 NUREG 0666 was done to assess and address the
9 adequacy of DC power supplies and their effects on core
10 damage and probability events.

11 As a result of that study, two things came out
12 of it. One was in order to do this study, they assumed a
13 model or created a model battery. This model battery
14 basically encompassed all of the various plants and
15 enveloped all of the systems that were available at that
16 time. Based on that model they made six recommendations.

17 We at River Bend incorporate all six of the
18 recommendations that they made as a result of that
19 particular report. In addition to this, we have some
20 extensive training of our personnel that we feel will
21 improve the system even further. These are the six
22 criteria you see here before you and we do incorporate
23 them in our design.

24 MR. EBERSOLE: Would you put that back up
25 again?

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. PROPOSON: Sure.

2 MR. EBERSOLE: Implicit in that first statement
3 there is a notion that a division is integrally competent
4 to take out decay heat out of the containment and out of
5 the reactor. Is that really true?

6 MR. PROPOSON: I am not sure I really
7 understood your question.

8 MR. EBERSOLE: It says "per safety related
9 decision," and you have got three divisions.

10 MR. PROPOSON: Okay. We have two redundant
11 divisions, and the third one is really our high-pressure
12 core spray system.

13 MR. EBERSOLE: So the third division is not
14 integrally competent to take the heat out of the station,
15 is it? It just pours water into the reactor primary side.

16 MR. PROPOSON: That is correct.

17 MR. EBERSOLE: It does not contain the elements
18 of the heat removal function out of the containment.

19 MR. PROPOSON: That is true.

20 MR. EBERSOLE: It does get the water to the
21 first place, but it doesn't handle it beyond that.

22 MR. PROPOSON: That is correct. The original
23 recommendation that was made by the panel was not to have
24 three independent, but to ensure that you had at least
25 independent battery systems and supplies.

1 (Slide.)

2 In order to do our evaluation and in the
3 process of doing NUREG 0666, they generated what was known
4 as a failure modes and effects analysis of FEMA.

5 When we did the River Bend Station analysis,
6 we took it one stage further than that. We went as far as
7 they did in 0666 and we did address on a system basis
8 FEMA.

9 In addition to that, we also went on the
10 individual component level. All of our FEMA results have
11 been submitted as part of our FSAR.

12 (Slide.)

13 What you are seeing here is the load profile
14 for our batteries. The area that you see that is
15 cross-hatched would be that load that our batteries would
16 be subjected to in the event that we had a LOCA condition,
17 and these batteries are designed to operate for four
18 hours.

19 The other solid profile that you see is in
20 fact the load that our batteries would be subject to in
21 the event we had what is commonly known as station
22 blackout or loss of AC power.

23 We have done an analysis and review and we
24 have come to the conclusion that our batteries will
25 maintain themselves in an operable level for approximately

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 15 hours.

2 (Slide.)

3 MR. OKRENT: Is this because your batteries
4 have more capacity than other people's batteries or you
5 have less load on your batteries or they would get 15
6 hours if they analyzed it the same way you did?

7 MR. PROPOSON: They would get a lot more
8 capacity out of their batteries if they took a look at
9 their actual loads. The capacity of the battery, as you
10 see with this increased load, is significantly less. But
11 what we did in this analysis is we looked at the actual
12 load that would be on the battery at the time of a station
13 blackout situation and that load is less than we would see
14 in a LOCA condition.

15 Therefore, we analyzed and reviewed how long
16 our batteries were capable of handling that load and that
17 is where we got the extended life from.

18 MR. OKRENT: By the way, if there an emergency
19 operator procedure that discusses this?

20 MR. PROPOSON: An emergency operator procedure?
21 I would have to defer that to someone from our staff.

22 MR. BOGOLIN: I am Chuck Bogolin. It is an
23 abnormal operating procedure to address the loss of power.

24 MR. OKRENT: Okay, I will accept that.

25 MR. EBERSOLE: When you lose one of these two

1 batteries, and I will pick the worst one, what is the
2 worst station transient that occurs, anything?

3 MR. PROPOSON: If we lose one of the three?

4 MR. EBERSOLE: One of the three.

5 MR. PROPOSON: If we lose one of our redundant
6 systems, the other redundant system would fully be capable
7 of handling the event.

8 MR. EBERSOLE: I know, but does the turbine
9 trip off or does the plant trip or does the reactor trip?
10 What happens when you lose the DC supply on one of the
11 systems, the worst system?

12 MR. PROPOSON: I think I would have to defer
13 that to one of our staff.

14 MR. RAUGHLEY: Upon a loss of one of the three
15 divisional batteries, the unit would not trip.

16 MR. EBERSOLE: So a given battery is not
17 supporting any vital function which will initiate a
18 turbine trip or some other loss of function to cause you
19 to shut down?

20 MR. RAUGHLEY: That is right, loss one of these
21 batteries will not generate the turbine trip.

22 MR. EBERSOLE: This implies that you have taken
23 a multiple license to single function some place. Have you
24 done that with different DC power supplies?

25 MR. GUHA: I didn't follow your question, sir.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 Would you repeat that?

2 MR. EBERSOLE: The usual answer we get to that
3 question is sure you have a transient when you lose the DC
4 power supply, but you have another battery now which will
5 not be cascaded into overload because there is no transfer
6 switches so that you can come out of a transient. But here
7 you say that if you lose one of these DC power supplies
8 that your station keeps running. I find that a little hard
9 to swallow.

10 MR. GUHA: My name is Pranab Guha from Stone
11 and Webster. For the turbine generator you have a category
12 two batter system which is totally independent of the
13 category one battery systems. Looking at the division one
14 and division two battery systems both, they both fit into
15 the RPS system. If you lose only one division, you would
16 not cause a reactor trip.

17 MR. EBERSOLE: Thank you.

18 MR. PROPOSON: That brings us to the next
19 subject matter, and that is station blackout.

20 (Slide.)

21 Because of the interest that has been
22 generated in this area recently, we approached our
23 architect engineer, Stone and Webster, and asked them to
24 do a study on it. The slides that I am presenting now are
25 basically a synopsis of that study.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 What you are seeing here are the assumptions
2 that were used in this analysis. There was a loss of all
3 AC power, both onsite as well as offsite. If there was a
4 scram at time T equals zero, we would in fact be able to
5 maintain our RCIC system. The SRVs would automatically
6 maintain the reactor pressure and there would be no active
7 heat removal.

8 I would like to point out that on this next
9 slide we assumed that we would have this condition
10 existing for 12 hours. We arbitrarily chose the 12 hours
11 since our past history, as was pointed out by Pat,
12 included no offsite power loss greater than 12 hours.

13 In that event we had the following results.

14 MR. OKRENT: Could you leave it on a minute?

15 MR. PROPOSON: Sure. Again, I would like to
16 point out that this is for a 12 hour situation, which we
17 would not postulate, but based on our operating data, this
18 was what we considered worst case.

19 MR. OKRENT: What is the battery room
20 temperature? Is there any problem there?

21 MR. PROPOSON: On the battery room temperature
22 itself? No, sir, there are not. In the discharge cycle our
23 power consumption in the batteries is relatively small and
24 there is no problem with that.

25 MR. EBERSOLE: At the time all this chaos

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 started you probably had a turbine trip.

2 MR. PROPOSON: That is correct.

3 MR. EBERSOLE: And the SRVs functioned and one
4 of them stuck open and now where are you?

5 MR. PROPOSON: That I would have to defer ---

6 MR. EBERSOLE: I think you have had it because
7 you don't have any steam pressure to the RCIC.

8 MR. PROPOSON: I would have to defer that to
9 our architect engineer.

10 MR. EBERSOLE: It may be the straw that breaks
11 the camel's back.

12 MR. EBERLY: This analysis was performed
13 recently as a preliminary analysis, and I want to qualify
14 these results up front here. It was a study. The
15 assumptions as stated, one of them was that the safety
16 relief valves would control reactor pressure around the
17 relief valve setpoints, the open and close setpoints. So
18 you are up around full reactor pressure and just
19 maintaining that condition, and we did not on top of that
20 add a stuck open relief valve.

21 MR. EBERSOLE: No, because it would have killed
22 the RCIC.

23 MR. EBERLY: Right. You would continue to
24 depressurize the reactor in that case.

25 MR. EBERSOLE: You don't have a little diesel

1 pump some place somewhere that would do what the RCIC
2 ought to do, do you?

3 MR. EBERLY: I can speak to that. We have a
4 high-pressure core spray that has its own diesel
5 generator.

6 MR. EBERSOLE: See, I am kind of worried about
7 the sparcity of means whereby you get water in this
8 primary loop.

9 MR. EBERLY: Well, that is why we have the
10 high-pressure core spray pump with a dedicated diesel
11 generator.

12 MR. EBERSOLE: Oh, by the way, your blackout
13 did include hypothesizing that that diesel went with the
14 others.

15 MR. EBERLY: That is right.

16 MR. EBERSOLE: But normally isn't it not
17 connected to the AC system and is operated as an isolated
18 function?

19 MR. EBERLY: I can't answer that question, sir.

20 MR. PROPOSON: Could you repeat that, please?

21 MR. EBERSOLE: Isn't normally the output of the
22 core spray diesel dedicated just to that pump?

23 MR. PROPOSON: That is correct.

24 MR. EBERSOLE: And it doesn't hook into
25 anything into which it can cascade?

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. PROPOSON: That is correct. It is strictly
2 an independent system.

3 MR. EBERSOLE: Is that system automatically
4 transferred or do you manually transfer it to make it look
5 into the so-called AC system? The question is how
6 independent is it?

7 MR. PROPOSON: I am not sure what you are
8 driving at. You mean in the loss of AC power?

9 MR. EBERSOLE: Isn't there any copper between
10 the output of that diesel and the ordinary AC system and
11 you might have thought it wasn't part of the station
12 electrical system?

13 MR. PROPOSON: I think what your question
14 essentially is is how does it know that there is a loss of
15 offsite AC power?

16 MR. EBERSOLE: That is right.

17 MR. PROPOSON: It has an undervoltage relay
18 that will sense -- it is powered off of one of the --let
19 me backup ---

20 MR. EBERSOLE: Wouldn't you be better off if
21 you just cut off its access in any directional sense so
22 that it could look into the main AC system?

23 MR. PROPOSON: Well, let me back up to a slide
24 here, the original one I put up in my first presentation.

25 (Slide.)

1 Again, we have the 230 feed that feeds our
2 preferred service station transformers. Each of those do
3 in fact have the capability of providing power supply to
4 that division three HPCS bus. On sense of loss of voltage
5 or undervoltage at the HPCS bus, it is an automatic start
6 signal to energize that system.

7 MR. EBERSOLE: But I am asking by what means to
8 you guarantee that that diesel doesn't look into a failing
9 AC system so that it never is a part of a cascade?

10 MR. PROPOSON: Are you suggesting that we
11 modify the design such that it would have no interface
12 with the AC system?

13 MR. EBERSOLE: Well, you can have an interface,
14 but just be sure it is unidirectional.

15 MR. PROPOSON: Okay.

16 MR. EBERSOLE: And what do you do now to be
17 sure it is unidirectional? I am sure you tried to make it
18 that way. It cannot look out into a failing grid, but it
19 can look inward as an alternate source. In other words,
20 you take advantage of the presence of the AC supply, but
21 you never, never let that diesel look upward into the
22 failing grid.

23 MR. PROPOSON: That is correct. What you are
24 saying is that when these breakers trip under a low
25 voltage situation you have isolated that system.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. EBERSOLE: Lock it out and disconnect it.

2 MR. PROPOSON: At that time. Procedurally do
3 you mean?

4 MR. EBERSOLE: Whatever, right. I am trying to
5 get that diesel out of the AC picture.

6 MR. PROPOSON: You are saying once you have
7 that loss of AC power you made the transfer to actually go
8 back and create a procedure to lock those up.

9 MR. EBERSOLE: Let me ask the staff, is it
10 common that this AC supply for the dedicated spray system
11 be considered as part of the AC system, and I didn't know
12 it was a part of the backout, if it were properly
13 non-connected? I don't know what the standard
14 interpretation has been, but I could certainly conceive
15 that you could say this is not part of the AC grid if it
16 is properly isolated.

17 MR. RAUGHLEY: Sir, maybe I could help clarify.
18 The first thing that would happen is you would isolate
19 from the grid so that the HPCS would separate from the
20 normal power supply after which you would start the diesel
21 and then 10 seconds later you would close the diesel
22 breaker. So it would be isolated from anything else.

23 MR. EBERSOLE: I want to eliminate completely
24 the possibility that it would connect back to the grid.

25 MR. RAUGHLEY: That has to be done manually.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. EBERSOLE: Is that part of the operation?

2 MR. RAUGHLEY: Yes. Upon restoration of the
3 grid you would manually parallel.

4 MR. EBERSOLE: Yes, but when you disconnect
5 from the AC grid and the diesel starts, you then manually
6 guarantee that the disconnect will be maintained?

7 MR. RAUGHLEY: Yes, the disconnect is
8 maintained until you manually reclose the breaker.

9 MR. EBERSOLE: It is a philosophical problem.
10 It is the degree of independence that I am looking for.

11 (Slide.)

12 MR. PROPOSON: The conclusions that we have
13 drawn based on the data that we have shown and also again
14 assuming that 12-hour station blackout condition are as
15 follows.

16 The drywell pressure, the containment pressure
17 and the drywell temperature all will result in levels that
18 are less than the design quantities. The containment
19 temperature will be exceeded by eight degrees and we are
20 in the process of performing an evaluation to determine
21 what that eight degrees really means. This is still
22 underneath our ultimate value, but over the design value.

23 The pool temperature will still be 32 degrees
24 below the saturation temperature and we would have
25 maintained adequate quenching and net positive suction

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 head.

2 MR. OKRENT: Are there any places like the
3 control room or some other room that reach temperatures
4 that are so high that you would have concern for the
5 equipment in that room being operational?

6 MR. PROPOSON: We still are in the process of
7 evaluating that portion of our study. There are some areas
8 that will become warm and we will address that as part of
9 our equipment qualification program.

10 MR. OKRENT: Let's assume you restore power and
11 you will be then relying on some other kinds of equipment.

12 MR. PROPOSON: Understood.

13 MR. OKRENT: And I can't tell whether you
14 looked at all that you need under that.

15 MR. EBERSOLE: Well, I will tell you a case in
16 point is the reactor seals on the main coolant pumps.
17 They may be degrading because of high temperatures at your
18 full pressure and their static which makes them leak worse
19 anyway.

20 MR. PROPOSON: Okay.

21 MR. EBERSOLE: But in a BWR or a LOCA is just
22 another place where the steam goes anyway. So I guess it
23 is not a serious consequence if you lose these seals
24 there. It is on a PWR.

25 How about the RCIC pump itself? You do have AC

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 valves on the steamlines, but they are normally open.

2 MR. RAUGHLEY: It is electrically controlled
3 apparently.

4 MR. EBERSOLE: Well, the mainsteam valve I saw
5 on a diagram, is that correct?

6 MR. RAUGHLEY: As far as the RCIC system
7 itself, all the valving being controlled is DC.

8 MR. EBERSOLE: Yes, but I am talking about the
9 mainsteam valve.

10 MR. CULP: Bill Culp, Stone and Webster. Yes,
11 they are AC powered, the containment isolation valves, but
12 they would stay open during the ---

13 MR. EBERSOLE: Is that the reason you keep them
14 open all the time so that you don't have to face the AC
15 failure problem?

16 MR. CULP: Yes.

17 MR. EBERSOLE: What do you do when you do that?
18 Do you buy the presence of a pressurized steam line
19 meandering around in the equipment room?

20 MR. CULP: That is evaluated as part of the
21 high-energy line break evaluation.

22 MR. EBERSOLE: Are you happy with the
23 potentiality that that steamline may break and you don't
24 close it because of the valve malfunctions?

25 MR. CULP: We do take credit for isolation of

1 the lines by one of the two valves, the one which is
2 inside the containment and not really subject to the
3 environmental conditions.

4 MR. EBERSOLE: Would you agree if you don't
5 close the line you are going to have a lot of problems?

6 MR. CULP: Yes, sir.

7 MR. EBERSOLE: So are you looking at valves
8 reliability for those valves operating at a full blown
9 mode at full flow? You know, most valve tests don't
10 accommodate the full flow mode or are never in situ tested
11 to show their competence subsequent to installation, but
12 these valves have a somewhat higher responsibility. I just
13 wondered what the quality of your surveillance and testing
14 of these valves was since you leave them open all the
15 time.

16 MR. CULP: I would like to address that later
17 in the meeting.

18 MR. EBERSOLE: Okay. There are some worse ones
19 than that on the old steam turbine driven HPCIs.

20 MR. PROPOSON: That concludes my presentation.

21 MR. EBERSOLE: Before we entirely drop the DC
22 system, let me ask what the AD logic is? Is that a two
23 trane logic, the ADS? If one DC supply system fails, is
24 that half of the ADS that fails?

25 MR. GUHA: Yes.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. EBERSOLE: Is that certain? Do the ADS
2 valves have two solenoids or one solenoid?

3 MR. GUHA: Two solenoids.

4 MR. EBERSOLE: Will either one of those
5 energize the ADS?

6 MR. GUHA: That is correct.

7 MR. EBERSOLE: And is each of those derived
8 from a alternate DC supply?

9 MR. GUHA: That is correct.

10 MR. EBERSOLE: So you keep all of your ADS.

11 MR. GUHA: Yes.

12 MR. EBERSOLE: Thank you.

13 MR. REED: The next item on the agenda will be
14 the Trans-America DeLaval diesel generator reliability
15 issues. Mr. John Hamilton, Supervisor of Site Engineering,
16 has been with Gulf States Utilities as little over a year
17 and he brings with him 16 years prior experience with
18 Babcock and Wilcox. He has a bachelor of science and
19 mechanical engineering degree from the University of
20 Arkansas and a master of science in nuclear engineering
21 from the University of Tennessee.

22 MR. HAMILTON: The subject of my presentation
23 is the program that we have undertaken to qualify the
24 Trans-America DeLaval standby diesel generators.

25 (Slide.)

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 This is a program that was initiated by Gulf
2 States Utilities last November. The objective of the
3 program is to evaluate the Trans-America DeLaval diesel
4 engines at River Bend and determine what is necessary to
5 assure reliable standby power.

6 The resources that we have brought to the
7 program include both the owners group participation in the
8 DeLaval Owners Group and the program that we have in place
9 at River Bend.

10 We instituted the program as a result of the
11 component failures at other facilities and the audits and
12 evaluations of Trans-America DeLaval which revealed
13 weaknesses in their quality programs.

14 The purpose of the program is to address the
15 known problems of the Trans-America DeLaval engines and to
16 perform work to discover any latent problems that may
17 still exist in those engines.

18 (Slide.)

19 The resources that we have brought to this
20 program include those of Gulf State Utilities, Stone and
21 Webster Engineering Company, Trans-America DeLaval,
22 Failure Analysis Associates and Southwest Research
23 Institute, in addition to our participation in the DeLaval
24 Owners Group.

25 Starting from the left, the testing activity

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 is carried on by Stone and Webster.

2 The engineering review activity is directed by
3 a Gulf States employee but is carried out by a combination
4 of Gulf States and Stone and Webster people.

5 The licensing is done by Gulf States.

6 Failure Analysis Associates is a stress
7 analysis consultant and is responsible for transfer of the
8 owners group technology to River Bend. They are under
9 contract to Gulf States and also works for the owners
10 group and does work for us in that mode as well.

11 Trans-America DeLaval has designated a
12 representative to participate in our program. We use the
13 resources of the Stone and Webster office in Cherry Hill
14 and in Boston.

15 We have also retained Southwest Research
16 because of their engine design expertise and to perform
17 responsibilities that generally parallel those of Failure
18 Analysis Associates.

19 MR. EBERSOLE: May I ask, did these engines
20 have a successful working record before all this flap
21 started?

22 MR. HAMILTON: There are a number of engines in
23 non-nuclear service and in nuclear service. There have
24 been a number of component failures in marine and
25 stationery installations as well as in nuclear service.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. EBERSOLE: So this is not a sudden growth
2 of problems, but it is a long-standing quality problem?

3 MR. HAMILTON: Let me qualify the answer to
4 that by saying that the service and maintenance history of
5 the engines and other service is difficult to establish.
6 So it is difficult to make comparisons. There have been
7 failures of components. Most of the component failures we
8 see in nuclear installations have also occurred in
9 stationery or marine installations, but to what extent
10 that is characteristic of the design or manufacture and to
11 what extent it is characteristic of the operation, I can't
12 say.

13 (Slide.)

14 The program activities include a design review
15 activity which is carried on both within the owners group
16 and as part of the Gulf States and Stone and Webster work
17 at River Bend. This includes the owners group generic
18 evaluations and our own work.

19 The industry experience includes review of the
20 owners group information and the information that we have
21 obtained by visits to other plants and a program of
22 extensive pre-service inspection.

23 Those three activities all lead to a effort
24 which involves modification and rework of the engines
25 which is going on today, and you observed some of it in

1 your tour this morning.

2 Following the completion of our preservice
3 inspection and rework activities we will test the engines
4 and then form a post-test inspection. We currently expect
5 that program to be successful and lead to successful
6 qualification of the engines, after which we will
7 institute a surveillance and monitoring program to
8 continue to keep an eye on them.

9 MR. EBERSOLE: In contrast, the core spray
10 diesel engine is another design.

11 MR. HAMILTON: Yes.

12 MR. EBERSOLE: Now then how about comparing the
13 performance of that engine with the Trans-America DeLaval
14 in past years?

15 MR. HAMILTON: I don't have that data. We can
16 get it for you.

17 MR. EBERSOLE: I just want to know if this is
18 an engine like the DC-10 that has problems?

19 MR. HAMILTON: I find it difficult to make that
20 kind of comparison. To compare the DeLaval engine to the
21 high-pressure core spray engine, I don't know of problems
22 with the high-pressure core spray engine that are as
23 severe or as numerous as the Trans-America DeLaval engine.

24 There has been a history of turbocharger
25 failures in the high-pressure core spray engine and we

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 have addressed that by purchasing a modification from the
2 manufacturer which we believe will correct that particular
3 problem.

4 There have been a number of instances of
5 turbocharger problems with the EMD engines, but I don't
6 recall any other severe problems.

7 (Slide.)

8 To review the activities in a little more
9 detail that were shown on the previous slide, our design
10 review activities includes the owners group work, which
11 includes the review of the 16 generic problems in the
12 Phase I design review that is being conducted by the
13 owners group.

14 There will also be a River Bend specific
15 design review, which is what we call the Phase II design
16 review, and that will be done by the owners group.

17 The River Bend activities include of course
18 assimilation of the results of the owners group work and
19 the special investigation that will be performed by GSU,
20 Stone and Webster and our consultant. This will also
21 include a review and independent verification of the
22 Trans-America DeLaval qualification which we have not yet
23 approved.

24 The industry experience activity involves
25 accumulation of data by the owners group and the

1 observations of post-test inspections at other facilities.
2 We have had teams that visited Comanche Peak, Shoreham,
3 Catawba and have otherwise interchanged information with
4 other users of DeLaval engines.

5 (Slide.)

6 Our preservice inspection program includes
7 inspections by the manufacturers of the major components.
8 This has included Trans-American DeLaval, Electric
9 Products who manufactured the generator, Woodward who
10 manufactured the governor and RTE Delta who is the
11 manufacturer of the switch gear.

12 We performed preliminary testing of the
13 individual components and subsystems and we have performed
14 with the engine assembled, we have performed preservice
15 inspection of over 60 items that there were found to be
16 problems in at other plants. These are predominantly
17 visual inspections.

18 We are now undertaking a program of preservice
19 disassembly and inspection, and these inspections are
20 performed in accordance with the owners group criteria and
21 a number of methods are employed based on the results of
22 the design review. As appropriate to the component, we
23 perform either a visual inspection, a liquid penetrant
24 inspection, a magnetic particle inspection, eddy current
25 or radiography, and those inspections are going on at the

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 present time.

2 MR. EBERSOLE: Isn't the problem that in the
3 typical nuclear plant you simply can't get many hours on
4 these engines?

5 MR. HAMILTON: I am sorry, I couldn't hear your
6 question.

7 MR. EBERSOLE: You can't get many hours on
8 these engines with the present constraints and you just
9 can't put much time on them.

10 MR. HAMILTON: Well, in tests we have the
11 capability to tie the engines to the grid and we can test
12 them.

13 MR. EBERSOLE: Oh, you do?

14 MR. HAMILTON: Our current test plan calls for
15 that mode of operation.

16 MR. EBERSOLE: I see.

17 MR. HAMILTON: It would not be a normal mode of
18 operation, but we can test them on a preservice basis in
19 that way.

20 MR. OKRENT: Is it assured that the root cause
21 of the trouble with these diesels is known?

22 MR. HAMILTON: The root cause of the problems,
23 we are not making any preconceived assumptions of what the
24 root cause is. Our presumption is that there could be a
25 defect in any of the components that we look at. So we are

1 not necessarily closing our minds. In other words, one of
2 the purposes of the program is to look for latent defects
3 not previously identified. We don't want to make the
4 assumption as to what the root cause is because it is
5 difficult to say what went on because of the breakdown in
6 the QA program at DeLaval.

7 MR. OKRENT: Well, what I am trying to
8 understand is if one isn't sure he has a handle on I will
9 say all of the root causes, how can he be sure that just
10 assuring that there are no flaws in components will lead
11 to reliability? I can think of systems which would show
12 failure after some hours of operation, and I am sure you
13 can, too, where no flaws were evident in inspection, and
14 in fact no flaws in design until they understood the
15 failures.

16 MR. HAMILTON: Well, our program does take
17 account of that, and following our rework activities to
18 rectify the known problems, we have a testing program
19 which will reveal other defects. If we haven't found any
20 additional defects in the testing program, it would do
21 that, followed by the post-test inspection. And after that
22 we would institute a program of continued surveillance and
23 monitoring which would perform continuing inspection and
24 use monitoring instrumentation to keep us aware of any
25 developing problems with the engine.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. EBERSOLE: Do you have any way in these
2 engines to detect incipient or progressive failures before
3 you have real trouble like magnetic particle pickup or
4 weld analysis or things typical of the aviation business?

5 MR. HAMILTON: We do use oil analysis that
6 would detect magnetic particles in the oil. We would
7 detect any leakage from the cooling system. We can perform
8 visual inspections to detect abnormal wear. It is easy in
9 these engines to look inside the crank case because there
10 are simply covers on the side of the engines and you can
11 take them off and look inside and see the connecting rods,
12 the pistons and the liners. You can look into the
13 cylinders with a boroscope from both directions to the
14 crank case and through the cylinder heads.

15 And there are additional monitoring
16 instrumentation that we will develop as part of the
17 surveillance and monitoring program that we use.

18 MR. EBERSOLE: Have the failures that have
19 occurred so far advertised themselves amply in advance?

20 MR. HAMILTON: Well, the Shoreham crank case
21 failure certainly did. Most of the other failures, the
22 turbocharger failures, you will know those, but not
23 necessarily in advance. The other failures that have
24 happened have been detected by inspection and have not led
25 to a failure of the engine in general.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 (Slide.)

2 This is a summary of the rework activities
3 that we have undertaken. We have purchased upgrades in a
4 number of areas, including the pistons and piston rings,
5 the valve pushrods and we have performed rework in the
6 cyclinder head sruds and we have performed rework on the
7 cyclinder liners. We will be modifying the turbocharger
8 bearing lubrication system, the jacket water pump, we will
9 be stiffening the turbocharger bracket to prevent
10 vibration, we will obtain an improved fuel injection
11 tubing from DeLaval when that becomes available in an
12 a heavier fuel injection pump return line, new fuel
13 inspection nozzle tips and an idler gear locknut
14 replacement.

15 Our design reviews are continuing and it is
16 possible that other items may be identified.

17 (Slide.)

18 I referred earlier to the testing program and
19 that will include a crankshaft tortional vibration test
20 and a crankshaft bending stress test that will be
21 performed using dynamic strain gauges inside the operating
22 engine on the crankshaft.

23 We will provide instrumentation to monitor
24 general engine vibration. We will take engine performance
25 data and will perform an engine performance testing,

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 including start testing and power runs. We are at the
2 present time defining the scope of that program and we
3 will be submitting that program to the staff in the next
4 week or so in advance of our conduct of that test.

5 We will conduct testing and take data from our
6 instrumentation to assess the turbocharger lubrication and
7 cooling performance and we will take data on the
8 turbocharger bracket vibration.

9 We will perform a post test inspection, and
10 that likewise is a program that we are presently in the
11 process of defining and we will submit that to the staff
12 in advance of testing.

13 We will likewise develop a program of
14 inservice test surveillance and monitoring which will in
15 part depend on the results of the foregoing activities. So
16 we have not as yet done a great deal of work on that
17 particular part of it.

18 MR. EBERSOLE: You know, the whole thesis of
19 having diesels is of course based on a hypothesis years
20 ago that you are going to have a large LOCA and you will
21 instantaneously lose power. So you had to have 10-second
22 startup.

23 Our current thinking says that with some good
24 reasons you needn't postulate AC power loss coincident
25 with a very unlikely event like a LOCA which revived the

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 question of why don't you have a gas turbine out there
2 some place. It takes a little more time to start up before
3 it is on line, but it is independent.

4 Have you all ever considered that sort of
5 thing? Some plants have this.

6 MR. HAMILTON: We have not considered it. Our
7 feeling at the present time is that when we finish this
8 program, we will have reliable diesel engines and, as the
9 previous presentation indicated, we will have a reliable
10 source of off-site power. So we have not at this point
11 considered any additional way.

12 MR. EBERSOLE: I think if you looked at the
13 probabilities, the probabilities of a large LOCA and a
14 coincident power loss, and PRA is popular nowadays and
15 there is a place where it might look pretty good.

16 MR. HAMILTON: Yes. I think the combined
17 probability or the combined likelihood of those two events
18 would be low.

19 (Slide.)

20 The conclusion of the program is that we do
21 consider the qualification of the Trans-America DeLaval
22 engines to be feasible. A resolution of the major failures
23 we believe will be provided by the owners group.

24 We believe our program of inspection, plus
25 testing, plus inspection, plus in-service surveillance and

1 monitoring will identify any additional problems and we
2 will develop that program of in-service surveillance and
3 monitoring.

4 The other step that we have taken is one not
5 mentioned on the slide. We have asked Stone and Webster to
6 review the calculations that established the design load on
7 the engines and they have found some conservatism in
8 those loads and we will be modifying the FSAR to reflect a
9 reduction in the design load on the engine.

10 We currently in the FSAR show a maximum load
11 of 3700 kilowatts which is within the two-hour rate of the
12 engine. We will be reducing that load to the 3500 kilowatt
13 continuous rating of the engine.

14 MR. OKRENT: I can't recall. What is the staff
15 position with regard to a new plant starting operation
16 when it has this kind of diesel? Would you remind me.

17 MR. NOVAK: Well, we have a number of new
18 plants to choose from. Today if I would take the Catawba
19 plant as a specific plant, the power company decided to go
20 ahead and form what we will call an endurance run. They
21 took one of the diesels and run it for approximately 750
22 hours.

23 I think most stress analysts agree that after
24 you have run this long that you have demonstrated that the
25 system is not vulnerable to fatigue type failures. You

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 have gotten the number of cycles established. This engine
2 has been disassembled and an inspection is forthcoming on
3 the diesel itself.

4 The same thing is undergoing right now on the
5 Grand Gulf Station. By order the Grand Gulf unit was
6 ordered to tear down one of the diesels and early this
7 week the staff and its consultants were reviewing
8 inspection results from the Grand Gulf unit.

9 The best indication I can give you now is we
10 would consider acceptable results on either of these
11 engines to be interim until the owners group is complete.
12 As you mentioned earlier, there may be several root causes
13 for problems. There were some design concerns on the
14 Shoreham engine and we believe there is a generic
15 quality control in the manufacture of the engines.

16 To some degree this could vary, depending on
17 the QA program of each of the applicants. They are
18 responsible for auditing the QA program at the vendors'
19 facilities and in certain cases we have seen indications
20 where there may be better than average performance in that
21 case. That may give some indication of the quality, but no
22 assurance that the engines are acceptable and would
23 satisfy general design criterion 17.

24 The short answer is it is evolving. We have
25 decided that, for example, that licensees who currently

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 today have TDI diesels do not satisfy general design
2 criterion 17. So Grand Gulf was requested to file for
3 exemption. This is more of a legal requirement than what I
4 would envision as a safety requirement at that time since
5 they are limited to only five percent power.

6 I have tried to give you just a summary of
7 where we are today in terms of the TDI diesel. We are
8 putting a lot of effort in. There were a number of
9 concerns about how do you know that the engine continues
10 to perform acceptably.

11 For example, one test that wasn't indicated
12 was the roll test, every 24 hours to worry about water
13 leakage into a cylinder. We require, for example, on the
14 Grand Gulf inspection that they would continue to test the
15 water in leakage into the piston cylinders themselves.

16 So I think it is fair to say that the concerns
17 for the TDI diesels will continue for the next several
18 months until the owners group program is resolved and the
19 reliability of the TDI diesels can be re-established. It
20 will include complete design review by the owners group.
21 As was mentioned, there are some 16 critical parts where a
22 complete design review will be done. This came out of the
23 Shoreham experience.

24 There will be specific quality control
25 inspections. Components will have to be inspected again.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 This is part of I think the Grand Gulf teardown right now
2 and the River Bend teardown to establish if the installed
3 components are acceptable for continued operation.

4 So I think it is just an answer that says we
5 are going to be watching it very carefully and only after
6 the owners group program is complete and the
7 implementation suggested from that owners group is put
8 back into each diesel will the reliability of the TDI
9 diesels be re-established.

10 MR. OKRENT: Thank you.

11 I guess we are ready for Item D.

12 MR. REED: Fine. We will move on to D at this
13 time then on decay heat removal systems. Mr. Dave Lorfing,
14 who you have been introduced to earlier, a nuclear
15 engineer in our Nuclear Engineering Department will
16 address that topic.

17 MR. LORFING: I am going to be discussing the
18 River Bend Station decay heat removal systems.

19 (Slide.)

20 I am going to discuss it in two different
21 areas, systems which transfer decay heat to the ultimate
22 heat sink and, secondly, systems which provide makeup
23 water to the reactor vessel.

24 (Slide.)

25 River Bend has two primary means of

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 transferring decay heat from the reactor vessel and from
2 containment. Under normal conditions when all systems are
3 available we use the main condenser to condense steam from
4 the reactor vessel and transfer the the heat to the normal
5 cooling towers.

6 If the condenser is not available, we use the
7 residual heat removal system heat exchangers to transfer
8 heat to either the normal or the standby cooling towers to
9 either the normal or standby service water system.

10 Using the residual heat removal heat
11 exchangers and the standby cooling towers is the safety
12 related method of decay heat removal. This is the system
13 used following the design basis accident.

14 MR. EBERSOLE: May I ask you a question about
15 the normal cooling towers and the condenser circulating
16 water pumps. When you are pumping circ water back to the
17 towers and on up into the normal cooling towers, do you
18 have booster pumps to get the water going up into the
19 towers? The circ water pumps just pump it back to the
20 basement, don't they?

21 MR. LORFING: No. The circulating water pumps
22 take suction on the basin and pump the water through the
23 condenser and back to the cooling tower.

24 MR. EBERSOLE: Back to the cooling tower.

25 MR. LORFING: Back to the cooling tower and up

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 to the top of the cooling tower, right.

2 MR. EBERSOLE: Well, when a trip out occurs
3 with the loss of AC power, does the hot water run back
4 down in your face and cause any problems?

5 MR. LORFING: I believe there are check valves
6 that prevent that water in the line, the head, from coming
7 back through the condenser. I might have to verify that.

8 MR. EBERSOLE: In the long run, I would ask if
9 there is any reverse flow like that, would it do anything
10 to the safety of the cooling systems?

11 MR. LORFING: I don't see that it would have an
12 effect. It would have an effect on the condenser if you
13 had a reverse flow.

14 MR. EBERSOLE: But it would not harm the safety
15 of the standby system?

16 MR. LORFING: No, it is completely independent
17 of the standby cooling tower.

18 (Slide.)

19 Now I am going to discuss some of the
20 functions of the residual heat removal system. We did go
21 through the RHR system this morning and we looked at the
22 loop B cubicle.

23 The RHR system again is a multi-purpose system
24 and includes three low-pressure pumps and two independent
25 heat exchanger loops. This mode of operation shown here is

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 the shutdown cooling function, and in the shutdown cooling
2 function we have only two loops, in other words, two of
3 the RHR pumps have heat exchangers associated with them.

4 The RHR pumps in this mode of operation takes
5 suction on the reactor recirc suction line. They pump
6 through the heat exchangers and then back to the vessel
7 through the feedwater line, through the head vent, shown
8 up on the top of the reactor vessel, and they can also
9 pump back through those spargers located in the upper pool
10 in the event of refueling when the reactor head has been
11 removed.

12 (Slide.)

13 The second mode of operation, and this is the
14 decay heat removal mode of operation of the residual heat
15 removal system, is the steam condensing function. In this
16 function only the RHR heat exchangers are used as far as
17 the RHR system is concerned.

18 The steam is taken off the main steamline,
19 goes through a pressure reducing station, that is item 6,
20 the steam passes through both heat exchangers and the
21 condensate from the heat exchangers is returned to the
22 vessel using the RCIC pump, and the RCIC pump is a
23 high-pressure pump.

24 This system is used primarily if the reactor
25 has been isolated from the condenser and you need some

1 steam condensing function.

2 MR. OKRENT: Does either this mode or one of
3 the modes shown on the previous slide offer a potential
4 for water hammer?

5 MR. LORFING: Water hammer in what respect? I
6 am not sure exactly what your question is.

7 MR. EBERSOLE: I have heard of making a
8 transition in these modes for using the RHR exchangers as
9 a full flow cooler or to a condensing function, and there
10 is a rich opportunity to have water hammer in there.

11 Is that what you are talking about?

12 MR. OKRENT: You are having a change in flow
13 conditions and you are having pipes, but you didn't have
14 steam and then have steam admitted, and I am asking in
15 fact whether you have examined each of these what I will
16 call non-normal operational conditions to see whether they
17 include a potential for water hammer.

18 MR. McMORELAND: Bob McMoreland, Stone and
19 Webster. We do have a program in conjunction with our pipe
20 stress and pipe support people where we go through and we
21 do evaluate all of these modes of operation for water
22 hammer potential and also for steam hammer potential where
23 applicable. So it is evaluated case by case, system by
24 system and mode by mode for the ECCS systems.

25 MR. OKRENT: And your conclusion was what for

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 the things we have just looked at?

2 MR. McMORELAND: I don't have the conclusions
3 with me. We could certainly find out in a specific case or
4 across the board in some cases. We have the standard ECCS
5 subsystem fill pump to avoid that historical potential for
6 water hammer. In other cases we do evaluate injection
7 lines for partially drained conditions.

8 So there is a potential like in the LPCI mode
9 and the HPCS injection. There is a potential for water
10 hammer and that is factored into the pipe stress analysis
11 and pipe support designs.

12 MR. OKRENT: I guess it might be interesting,
13 if it is possible, to hear a short summary of the
14 situations wherein you feel that a potential for water
15 hammer does exist and how then you decide what magnitude
16 of water hammer to factor into design, not today, but we
17 are going to meet again.

18 MR. EBERSOLE: This mode of operation makes me
19 a little bit nervous. You all know the WASH 1400 B event
20 and you know the tremendous precautions we take to
21 interlock the suction valves so that we don't cause a high
22 pressure system to look a low pressure system.

23 The pressure of the low pressure system here I
24 heard earlier on was quite low, isn't it, 150 pounds or
25 thereabouts?

1 MR. LORFING: You are talking about the service
2 water system?

3 MR. EBERSOLE: That as well as the RHR system
4 on both sides.

5 MR. LORFING: The service water system pressure
6 is lower than the RHR side.

7 MR. EBERSOLE: In the RHR system it is very low
8 indeed.

9 MR. LORFING: The RHR pressure is higher than
10 the service water pressure.

11 MR. EBERSOLE: So it leaks outward?

12 MR. LORFING: Right. It does have ---

13 MR. EBERSOLE: Well, I heard the reverse in the
14 shop over there.

15 MR. LORFING: The pressures are very close, but
16 the potential does exist.

17 MR. EBERSOLE: Just give me the static pressure
18 capabilities of the two systems. Can you give me the
19 static pressure, the ratings of the two systems?

20 MR. LORFING: I don't have the numbers with me.

21 MR. SZABO: Offhand, I don't know what the
22 pressures are, but they are in the FSAR and I will pick
23 them up tomorrow.

24 MR. EBERSOLE: Well, I heard over at the plant
25 that it is something like 125 to 160 psi, and I also heard

1 that it has been designed so that the service water would
2 flow into the primary coolant. That is the story I got.

3 MR. OKRENT: I heard that, too.

4 MR. LORFING: In some modes of operation that
5 may be true.

6 MR. EBERSOLE: Well, in any case, it is a
7 low-pressure system. Now with all the precautions you take
8 to prevent it from looking into an 1100 psi system, I now
9 see this what I would call unreliable pressure control
10 valve which I am going to automatically prop wide open,
11 and I am asking you tell me what happens.

12 MR. LORFING: All right. I believe there are
13 relief valves on the RHR heat exchanger inlet lines that
14 would relieve back to the suppression pool.

15 MR. EBERSOLE: Are they consistent with the
16 maximum potential flow through the throat of that pressure
17 control valve?

18 MR. LORFING: I would have to ask the designer.

19 MR. SCABO: Yes, we analyzed assuming that the
20 pressure control valve fails to wide open and relief
21 valves are sized to pass the flow associated with that
22 condition.

23 MR. EBERSOLE: Thank you.

24 MR. LORFING: The third mode of operation in
25 the residual heat removal system is the suppression pool

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 493-3950

1 cooling function. In this function the RHR pumps take
2 suction on the suppression pool, water passes through the
3 heat exchangers and back to the suppression pool. So that
4 this provides cooling of that pool.

5 MR. EBERSOLE: Now in that mode in the meantime
6 what is putting water into the reactor?

7 MR. LORFING: Well, you can use this system.
8 You could break it up. You could use one pump to pump
9 water into the reactor vessel and use one of the loops for
10 suppression pool cooling.

11 In addition, you have high pressure core
12 spray, RCIC, low pressure core spray and there are other
13 systems available to provide makeup water to the reactor
14 vessel.

15 MR. EBERSOLE: Now let me ask you this. In this
16 condition, and this is a post-accident condition, isn't
17 it?

18 MR. LORFING: That is correct.

19 MR. EBERSOLE: I wonder if you could tell me
20 what is the hypothetical activity of the water that you
21 used to design for seal leakage and seal dosage and other
22 components in the system. Considering that you are pumping
23 post-accident water that is highly contaminated, and
24 further considering that in view of the single failure
25 criteria you started doing this and one of them didn't

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 start, or one of them failed later and you only have got
2 two, are you going to hang on to the one remaining, or are
3 you going to go back in and maintain one for the next
4 three months that you are going to have to pump water like
5 in TMI-2?

6 MR. EBERSOLE: We assumed the failure of one of
7 these loops. So there are two hundred percent loops. Your
8 question about the radioactivity concentration, do I have
9 anyone? I do not know the answer to that.

10 MR. EBERSOLE: The water is hypothetically
11 dirty probably through an arbitrary source and it has
12 potential for damage to other parts of the system. I
13 wonder what is your rationale since you only have two
14 tracks to deal with that situation?. The pipe that I am
15 familiar with had four tracks. So you just let it degrade
16 one at a time, but you have got two.

17 So is your philosophy that you will maintain
18 these as they become inoperable over a long span of time,
19 or you will hope that the one that is left will keep on
20 running?

21 MR. LORFING: I would think if we lost one
22 trane that we would try to get that loop back into
23 operation. We wouldn't just maintain it inoperable. We
24 would try to regain that loop.

25 MR. EBERSOLE: Does it have shielding and

1 cleanup facilities to enhance your chance to do that?

2 MR. LORFING: In the RHR cubicles themselves?

3 MR. OKRENT: I think we saw that today.

4 MR. EBERSOLE: I didn't see any such provisions
5 for post-accident restoration function. So these have to
6 be good enough to last the duration even if there is only
7 one the way I saw it.

8 MR. LORFING: If it was a pump failure or motor
9 failure, you are right, that we probably would not be able
10 to get in there to do any maintenance on them. However, if
11 it was a failure of a power supply, we could try to
12 restore it.

13 MR. EBERSOLE: Well, the end of result of this
14 is you have got to be sure they remain fixed.

15 MR. OKRENT: I would like to ask the staff what
16 they think these systems are qualified to take in the form
17 of radiation?

18 (Pause.)

19 MR. WEINKAM: Dr. Okrent, we have just recently
20 received some updates to be in the qualification program
21 for Gulf States. In the long term we will be satisfied
22 with these pumps and all the other equipment would be
23 qualified to the environment that they would see for the
24 extended period.

25 Does that answer your question?

1 MR. OKRENT: No. I would say you haven't told
2 me what are the environments they will see. That is what
3 my question was.

4 MR. WEINKAM: Off the top of my head I don't
5 have that available. I believe it would be a harsh
6 environment. Now that is an undefined term quantitatively.
7 I can answer that later for you.

8 MR. SCABO: We used the standard DBA system out
9 of Reg. Guide 1.3 to calculate the environments that we
10 qualified equipment for. So the RHR pumps and the RHR
11 equipment is qualified for the duration of the accident.

12 Suppression pool cooling, you basically get
13 the pool temperature under control in less than a day, and
14 at that point you may only have to cycle it intermittently
15 to control the pool temperature, if at all. At that time
16 you can keep your other loop of RHR in shutdown cooling.

17 MR. OKRENT: Do you recall what those DBA
18 radiation limits were, or are they some fraction of the
19 core inventory?

20 MR. SCABO: We don't have our radiation people
21 here. We can get that distinction for you. Are you looking
22 for it in terms of microcuries or milliliters or what?

23 MR. OKRENT: It would help me to think in terms
24 of, for example, what fraction of the core iodine and
25 cesium since those are things that people may end up in

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 water or largely in water, et cetera. That is just one
2 example.

3 MR. KNECK: I am Donald Kneck with General
4 Electric. My memory is a little vague on it, but as I
5 remember it, it is about 1 percent of cesium and about 50
6 percent of the iodine.

7 MR. OKRENT: Well, that doesn't sound too bad
8 and it may indeed be what the systems are qualified for. I
9 must confess, I recall some concern back in I guess it was
10 1979 as to whether pumps that have to take some highly
11 radioactive water could be depended on. This is why I am
12 just trying to understand what the real situation.

13 MR. EBERSOLE: Do you have any criteria for
14 seal leakage at this point on these things that you are
15 handling dirty water that acknowledges the presence of
16 radioactive fluids?

17 MR. CULP: Yes, we do. We have allowed leakage
18 that we considered in the analysis of five gallons per
19 hour from the seal leakage of these pumps.

20 MR. EBERSOLE: Of water contaminated to what
21 level?

22 MR. CULP: To the levels indicated in the
23 report, one percent of the solids and 50 percent.

24 MR. EBERSOLE: Can you give me a round number
25 as to what the dosage would be in the vicinity of these

1 pumps?

2 MR. CULP: We can get that information later.

3 MR. EBERSOLE: Okay. Thank you.

4 (Slide.)

5 Now I will discuss the makeup water systems.

6 These are the systems listed here on this slide. They are
7 used to deliver water to the vessel under normal and
8 emergency conditions. Under normal conditions following a
9 turbine trip and decay heat in the reactor vessel, we use
10 the condensate and feedwater systems to provide makeup
11 water to the vessel from the condenser hotwell.

12 MR. EBERSOLE: To do this do you use the main
13 feedwater pumps?

14 MR. LORFING: That is correct, the condensate
15 pumps and the main feedwater pumps.

16 MR. EBERSOLE: And you don't have booster
17 pumps, which are motor driven?

18 MR. LORFING: They are motor driven.

19 MR. EBERSOLE: And you pinch off the flow with
20 valves to control the level, is that what you do?

21 MR. LORFING: I believe we would use the normal
22 feedwater control system to control level in the reactor
23 vessel.

24 MR. EBERSOLE: And will they control down to
25 that low level or low amount of flow?

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. LORFING: It would be a reduced flow from
2 the 100 percent feedwater flow.

3 MR. EBERSOLE: What do you do with the other
4 part of the flow? Do you bypass it or run it around? How
5 do you keep from boiling it?

6 MR. LORFING: You can throttle those pumps back
7 I do believe.

8 MR. EBERSOLE: You can't do that without
9 overheating the pumps, can you?

10 MR. LORFING: You are getting into the
11 feedwater design, and I might have to ---

12 MR. EBERSOLE: What you have now is such a low
13 fraction of normal feedwater flow that I am having trouble
14 finding out whether your main feedwater pumps can supply
15 it. That is my problem.

16 MR. OKRENT: We are talking about a few
17 percent?

18 MR. LORFING: That is correct.
19 Can anyone address that? I can't.

20 MR. McMORELAND: I don't know what the actual
21 percent of feedwater flow is offhand that we could
22 maintain say an automatic flow mode. We do have a
23 substantial feedwater flow bypass capability back to the
24 condenser.

25 We can find out for you both on the manual and

1 on the automatic type mode.

2 MR. EBERSOLE: Do you follow my problem?

3 MR. McMORELAND: Yes, I do.

4 MR. EBERSOLE: Now, let's see, that is the only
5 water that can go into the core via the main feedwater
6 line, which is that which comes from the main feedwater
7 pumps, right? There are no other pumps somewhere back in
8 the system. Well, what about the condensate pumps, will
9 pump through the main feedwater pump and deliver some
10 pressure to the reactor?

11 MR. LORFING: Yes, you can use the condensate
12 pumps without the feedwater pumps.

13 MR. EBERSOLE: Through the pumps.

14 MR. LORFING: I believe there is a feedwater
15 pump bypass line. I am not completely familiar with the
16 feedwater system, but I believe there is a bypass around
17 those pumps.

18 MR. OKRENT: Can I ask for the kinds of modes
19 of decay removal we have been discussing, and in
20 particular the one currently under discussion, do you have
21 abnormal procedures or emergency operating procedures
22 written that cover each of these modes?

23 MR. LORFING: Chuck Bogolin?

24 I was looking for our Operations Supervisor to
25 answer that question. We do have normal operating

1 procedures which would control normal events, and then I
2 believe we enter abnormal -- here he comes. He is much
3 more familiar with the abnormal procedures and emergency
4 operating procedures.

5 MR. BOGOLIN: I am Chuck Bogolin, the
6 Operations Supervisor. Can I hear the question, please?

7 MR. OKRENT: We have been hearing discussion on
8 the decay heat removal, and there have been a few slides
9 before this one, but right now we happen to be talking
10 about condensate feedwater systems as a way of reactor
11 vessel makeup water.

12 What I asked is whether there exists either
13 abnormal procedures or emergency operating procedures that
14 deal with each of the proposed modes of operation that
15 have been presented here or are being presented here?

16 MR. BOGOLIN: Yes, sir. We have developed our
17 emergency operating procedures according to the BWR Owners
18 Group which we are a participant in, and presently our
19 procedures are written. We have ended up with 11 EOPs and
20 of that five of them are main control guidelines.

21 One would address the reactor pressure vessel
22 level. The other would address reactor vessel pressure. We
23 talk about containment control, secondary containment
24 control and that involves the pressure and the
25 temperature, depending on what the parameters tell the

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 operator.

2 In the use of these systems here, they
3 primarily fall within the reactor pressure vessel level
4 guideline, and they function within the emergency operator
5 procedures.

6 When you talk about the condensating feedwater
7 system and where that might fall in that area, in trying
8 to put water in that reactor vessel, you start with your
9 most likely system to be available, which would be your
10 HPCS, and then you go down the line with the others that
11 are supplying the diesels.

12 Now if we haven't lost offsite power, our
13 condensating feedwater systems are available to us to add
14 water to our reactor vessel because the feedwater pumps
15 are motor driven and not steam. So they are available, and
16 we can bypass the feedwater pumps with the condensate
17 pumps providing reactor vessel pressure is dropped to
18 approximately 550 pounds. We can put water in with the
19 condensate pumps.

20 So in using these systems, the HPCS and
21 the RCIC which work together on an isolated vessel, and
22 once we drop the pressure, the low-pressure systems come
23 into play to maintain the reactor water level for us then.

24 MR. OKRENT: Well, if we are for the moment
25 talking about the condensate feedwater system, let me

1 postulate that we are at high pressure for some reason
2 where you need your main feedwater pumps. What does the
3 emergency operating procedure say, what cautions are there
4 and how does the operator control to get the right amount
5 of feedwater and are there limitations on minimum flow or
6 maximum flow?

7 MR. BOGOLIN: Yes, sir, there is. On the
8 feedwater pumps themselves, and we will talk about them,
9 we have a minimum suction pressure, 275 pounds, which has
10 to be available for it to even run which must be supplied
11 by the condensate pump.

12 As far as, you know, in our procedures, we
13 talk about if the feedwater system is available and you
14 have an event, you use the feedwater system. You can't put
15 water in there any faster than you can with the feedwater
16 system.

17 MR. EBERSOLE: But on a turbine trip when the
18 water flow rate has got to drop to one to five percent
19 real quick, is the transient response of this electric
20 system such that it will follow down to that flow rate or
21 will in effect you not lose it?

22 MR. BOGOLIN: No, sir. With our 13-8 bus, we
23 can a fast transfer to the preferred source. This transfer
24 is supposed to be such that we wouldn't drop the feedwater
25 pumps say it was running, and there is no, such as high

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 level, that would force a trip of the feedwater pump.

2 MR. EBERSOLE: Well, what throttles its flow
3 down to the very low percentage which now has?

4 MR. BOGOLIN: The level control system is level
5 predominant. It would force the feedwater control valves
6 closed to maintain the level.

7 MR. EBERSOLE: Is there a bypass then for the
8 surplus water?

9 MR. BOGOLIN: Sir?

10 MR. EBERSOLE: Is there a bypass for the
11 surplus water? That is going to be only a small percent of
12 the total ---

13 MR. BOGOLIN: Yes, sir. As the flow drops on
14 the feed pumps it would recirc back to the condenser. We
15 have an automatic recirc valve that dumps it back to the
16 hotwell.

17 MR. EBERSOLE: Okay. That is what I was looking
18 for.

19 MR. OKRENT: What fraction of full flow does
20 the recirculation line take?

21 MR. BOGOLIN: If I remember correctly, about 25
22 percent.

23 MR. EBERSOLE: Wait a minute. You only need one
24 to five percent of water flow now. That is power level.

25 MR. BOGOLIN: Yes, sir, and you wouldn't need

1 all these feed pumps at this time either.

2 MR. EBERSOLE: No, you don't.

3 MR. BOGOLIN: Within the procedure the operator
4 would be directed to back off on the equipment he has
5 feeding water to the reactor vessel.

6 MR. EBERSOLE: Does that mean he would shut
7 down two of these pumps?

8 MR. LORFING: If he needed to, yes, sir. More
9 than likely he would because he wouldn't have any place
10 for that steam.

11 MR. EBERSOLE: It sounds like you have to
12 prodigious bypasses back to the condenser on these pumps
13 because of this small fraction you really need from the
14 main feed pumps to maintain level.

15 MR. BOGOLIN: I am thinking it is about a
16 10-inch line.

17 MR. EBERSOLE: To go back to the condenser?

18 MR. BOGOLIN: Yes, sir.

19 MR. EBERSOLE: I wouldn't be surprised.

20 MR. BOGOLIN: Yes, sir.

21 MR. EBERSOLE: Anyway, the gist of it is when
22 you have a turbine trip and reactor scram, but you don't
23 lose AC power, that can be a benign event in that it
24 doesn't challenge the safety system.

25 MR. BOGOLIN: Exactly right. Exactly. These

1 safety systems come into play on certain signals from the
2 reactor vessel level or high drywell pressure. They would
3 not even come into play. The feed pumps would handle it
4 and the condensate pumps would be there. So we are in good
5 shape.

6 MR. OKRENT: Is the feedwater pump at fixed
7 speed or variable speed?

8 MR. BOGOLIN: It has got a speed increaser on
9 it. The motor runs at a set speed with a speed increaser
10 for the pump.

11 MR. EBERSOLE: Oh, it has got a hydraulic
12 coupler, is that right?

13 MR. BOGOLIN: Yes, sir.

14 MR. EBERSOLE: That explains lots of things.

15 MR. BOGOLIN: I guess if you want to call it a
16 hydraulic coupler, yes.

17 MR. EBERSOLE: Okay. I didn't know that. I
18 thought it was a straight couple pump.

19 MR. BOGOLIN: No, sir.

20 MR. EBERSOLE: Okay. Thank you.

21 MR. BOGOLIN: Are there any other questions?

22 MR. EBERSOLE: No. I am done with that.

23 MR. BOGOLIN: I will talk more about EOPs
24 tomorrow.

25 (Laughter.)

1 MR. EBERSOLE: I believe you were just up to
2 the RCIC.

3 MR. KIRKEBO: John Kirkebo from Stone and
4 Webster. I think they may have given you the wrong
5 impression on the feed pumps and their couplings and being
6 variable speed. I would like to clarify that in a few
7 moments after we confirm it.

8 MR. EBERSOLE: Okay.

9 MR. LORFING: All right. In the event that we
10 lose feedwater supply and we lose the condenser as a heat
11 sink, we use the RCIC system to provide makeup water to
12 the vessel.

13 This pump is a steam turbine driven pump and
14 can take suction on either the suppression pool or the
15 condensate storage tank. The first source of water would
16 be the condensate storage tank because it is a
17 demineralized water supply.

18 MR. EBERSOLE: Before you throw that picture
19 down, can I look at it just a second?

20 MR. LORFING: All right.

21 MR. EBERSOLE: You take steam out at some
22 pressure which is higher than how many pounds, 150 pounds
23 or thereabouts? It can't get any lower.

24 MR. LORFING: Right. The RCIC system can
25 operate from full reactor pressure down to some lower

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 limit, and I believe it is around 100 pounds. I do not
2 know the limit, but there is some cutoff. It cannot
3 operate all the way down to atmospheric. There is some
4 steam pressure required to drive that steam turbine driven
5 pump.

6 MR. EBERSOLE: And it has really got two
7 isolation valves in the steamline where you just show one?

8 MR. LORFING: On this line?

9 MR. EBERSOLE: Yes.

10 MR. LORFING: I believe that is correct.

11 Is that right, Bill?

12 MR. SZABO: Yes, there are two isolation
13 valves.

14 MR. EBERSOLE: Now it goes down to the first
15 stage and goes via the exhaust, and I understand you have
16 a relief blowout panel on the exhaust stage of that.

17 MR. LORFING: On the exhaust of the turbine?

18 MR. EBERSOLE: Yes, and where does it
19 discharge?

20 MR. LORFING: I am not sure. I am not familiar
21 with that.

22 MR. EBERSOLE: If it blows where does the steam
23 come go?

24 MR. LORFING: A ruptured disk or something?

25 MR. EBERSOLE: Yes.

1 MR. LORFING: I am not familiar with that
2 design.

3 MR. CULP: That would be into RCIC pump room
4 cubicle ---

5 MR. EBERSOLE: Into the pump room.

6 MR. CULP: Into the auxiliar pump room.

7 MR. EBERSOLE: And prolonged flow of that is
8 stopped by what means?

9 MR. CULP: There are temperature elements that
10 sense steam in that cubicle, that sense the rate of rise
11 in the cubicle and isolate the two AC valves that were
12 talked about earlier.

13 MR. EBERSOLE: That valve I see in the
14 discharge, what kind of valve is that?

15 MR. CULP: We will have to find out for you.

16 MR. EBERSOLE: All right. I wouldn't want to
17 see it shut.

18 (Laughter.)

19 MR. EBERSOLE: On this system, may I ask a GE
20 representative, if you reach back into the history, the
21 RCIC system was not categorized as a safety system, and I
22 wonder if you could tell me at what point in time it all
23 at once got this glorified status? It wasn't at Peach
24 Bottom and it wasn't at Browns Ferry, it wasn't in Dresden
25 and somewhere along the line is suddenly got punched up.

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 MR. QUIRK: My name is Joe Quirk from General
2 Electric. The RCIC was upgraded as an engineered safety
3 system on the BWR-6 on the GESSAR design, and some BWR-6
4 plants have adopted that.

5 MR. EBERSOLE: And when that happened, what did
6 you do in a material context to make it all that much
7 better?

8 MR. QUIRK: Actually very, very little. In
9 fact, the system was already designed to ASME Class 2 and
10 was Seismic 1 and was on the division one diesel. There
11 were just some elements out in the turbine area that were
12 not safety grade and they still aren't. They still are not
13 safety grade, because we have shown that the system will
14 still perform its function if that equipment fails.

15 MR. EBERSOLE: So it was really just a paper
16 exercise to raise it up?

17 MR. QUIRK: Mostly it was a paper exercise,
18 but there may be some minor changes.

19 MR. EBERSOLE: But it was put on the tech specs
20 whereas it is not on old plants?

21 MR. QUIRK: I think it is on the tech specs on
22 older plants.

23 MR. EBERSOLE: It is on the Q list, you know all
24 those lists?

25 MR. QUIRK: It is now, I will tell you that. I

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 don't know about the earlier ones.

2 MR. EBERSOLE: Okay. Thank you.

3 MR. LORFING: In addition to the RCIC system,
4 we have the high-pressure core spray system which can also
5 deliver makeup water to the vessel at high pressures at up
6 to full reactor pressure.

7 The high pressure core spray system consists
8 of one electric motor driven pump and it takes suction on
9 either the condensate storage tank, shown in Item 6, or on
10 the suppression pool.

11 High-pressure core spray is a part of the
12 emergency core cooling system, it is safety related and
13 receives its power supply from its own diesel generator,
14 the division three diesel generator.

15 MR. EBERSOLE: That is a pretty big system
16 there there, isn't it, because it is designed for small
17 LOCAs. The flow capacity is pretty large.

18 MR. LORFING: The flow capacity at high
19 pressures is approximately 500 gallons a minute. At full
20 reactor pressure, if the reactor pressure is reduced, it
21 will fall back down on the pump curve, and I think it
22 supplies approximately 5,000 gallons a minute at low
23 reactor pressures.

24 MR. EBERSOLE: Does that follow simultaneously
25 for both this pump as well as RCIC?

1 MR. LORFING: That is correct.

2 MR. EBERSOLE: This one enthusiastically fills
3 the vessel and what turns it off so it doesn't kill RCIC
4 with water?

5 MR. LORFING: High pressure core spray and the
6 RCIC pump, the injection valves are isolated on a level
7 eight signal, which is a high level in the reactor vessel.

8 MR. EBERSOLE: Is that a safety grade redundant
9 signal?

10 MR. LORFING: Yes, I believe it is. So both
11 systems will isolate and control the level between level 8
12 and their normal point that they turn on.

13 So far we have been discussing primarily the
14 systems that can provide water at high reactor pressures
15 or at full reactor pressure.

16 In addition, we have several svstems which can
17 provide water at lower system pressures.

18 (Slide.)

19 This is the residual heat removal system low
20 pressure coolant injection function. In this mode of
21 operation we have three loops, A, B and C. The third loop
22 of RHR does not have a heat exchanger associated with it.
23 In fact, in this mode of operation, the heat exchangers
24 are not used. Flow bypasses the heat exchangers in this
25 mode of operation. This mode is a part of the emergency

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 core cooling function and is used in design basis events.

2 MR. EBERSOLE: But in this case there is no
3 heat going out of the containment.

4 MR. LORFING: That is right. This is a makeup
5 water system to the reactor vessel.

6 MR. EBERSOLE: And the operator has to get into
7 the act pretty quick.

8 MR. LORFING: Right. This system would not come
9 on until level one, a level below high-pressure core spray
10 or RCIC. So they are primarily used in the analysis for a
11 large-break accident to reflood the core.

12 MR. EBERSOLE: Could you tell me why you bypass
13 the heat exchangers down there on the bottom and what did
14 you gain by doing that?

15 MR. LORFING: The suppression pool is
16 approximately 90 degrees at the beginning of the event or
17 it is at a low temperature. So you receive no heat
18 removal.

19 MR. EBERSOLE: Yes, but what was the advantage.
20 You wouldn't have gotten any good out of it, but neither
21 would you have had any harm. So I am asking why did you
22 put the bypass on when you could have run it on through
23 there anyway? I just want to know why that valve is there?
24 It sounds like it is one of these things you don't need
25 and it just makes life tough. What is the function of that

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 bypass?

2 MR. LORFING: I am not sure if it has to do
3 with pressure drop. You know, there may be a pressure drop
4 across the heat exchanger. I am not that familiar with the
5 basis of the design.

6 MR. EBERSOLE: Was it to get a higher flow?

7 MR. LORFING: We can get that answer later.

8 MR. EBERSOLE: Well, I am thinking about later
9 on you are going to have to close it. If it weren't there
10 you wouldn't have to.

11 MR. McMORELAND: In response to that question
12 relative to why we bypass the heat exchanger, it is
13 actually a GE system design and GE would have to justify
14 that answer.

15 (Laughter.)

16 And consistent with what I have seen of their
17 philosophy, it give you, No. 1, the shortest path vessel.
18 In the immediate post-accident mode it gives you the
19 shortest path to the vessel which gives you minimum
20 pressure drop. It also minimizes the number of potential
21 components if you want to postulate all types of single
22 failure type phenomena because you minimize the number of
23 motor operated valves that you have to go through and
24 everything.

25 MR. EBERSOLE: But I have a problem later on

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 which is just as important, and I have got to close the
2 valves to containment. If I took the water through there
3 first, I wouldn't have to do that. So unless you have got
4 a substantial advantage in pressure drop, they are in the
5 way.

6 MR. McMORELAND: Well, I am sure there is a
7 considerable pressure drop advantage.

8 MR. EBERSOLE: Well, why don't we just let that
9 be something you can develop later.

10 MR. McMORELAND: All right.

11 (Slide.)

12 MR. LORFING: This diagram shows the
13 low-pressure core spray system. It functions very similar
14 to the RHR/LPCI mode in that the low-pressure core spray
15 pump takes suction on the suppression pool and pumps water
16 directly to the reactor vessel.

17 In addition, it does pump the water through a
18 spray header located above the core. It functions very
19 similar though to the RHR system and provides a redundant
20 system of providing makeup water.

21 This concludes the basic systems that supply
22 makeup water to the reactor vessel.

23 MR. EBERSOLE: You didn't even mention the ADS
24 system.

25 MR. LORFING: That is right. The ADS system is

1 required to function in some events where the low-pressure
2 systems are required to make up water to the vessel and
3 the reactor is still at a high pressure.

4 MR. EBERSOLE: I believe I read in the FSAR
5 that you can use the ADS system as a sensible heat
6 transport path as well as evaporating or cooling the core.
7 Is that correct?

8 MR. LORFING: In the event that the shutdown
9 cooling mode of the RHR system does not function, our
10 alternate path for shutdown cooling is to provide makeup
11 water to the vessel, fill up the vessel to the main
12 steamline and pass the water out of the relief valve and
13 back to the suppression pool. We put one loop of RHR into
14 the suppression heat removal from the suppression pool.
15 That would be the alternate path for shutdown cooling.

16 MR. KIRKEBO: I would like to clarify on the
17 main feed pumps. The main feed pumps are not variable
18 speed, nor do they have speed reducers. Unfortunately, we
19 don't have anyone here today that can go into detail on
20 level control and bypass, but we will be prepared to go
21 into detail on that with you in the future.

22 MR. OKRENT: I want to note that when we began
23 this subject, we were only a few minutes behind schedule.

24 (Laughter.)

25 I do plan to finish today about at the time

1 stated because it has been a long day. So I think we will
2 take up Item E and indeed we will allot 15 minutes to it.
3 If we don't finish it, we will take it on tomorrow, and I
4 am assuming we will run at least one hour extra tomorrow.

5 Maybe what we will do is take the items at the
6 end of today and put them in at the end of tomorrow or at
7 some convenient spot. We will start off tomorrow morning
8 with the items shown for tomorrow morning.

9 Okay, Item E.

10 MR. REED: The next topic is the
11 instrumentation to follow the course of a severe accident.
12 Mr. Phil Porter, Senior Electrical Engineer in our Nuclear
13 Plant Engineering Department has been with Gulf States for
14 three years. His ten years prior experience includes the
15 Washington Public Power System. He has a bachelor of
16 science and electric engineering degree from the
17 University of Washington and a master of science in
18 nuclear engineering from also the University of
19 Washington.

20 MR. PORTER: Good afternoon, or perhaps I
21 should say good evening.

22 (Laughter.)

23 It is obvious from the TMI event that the
24 industry and the NRC staff developed a heightened
25 awareness to the need for instrumentation to follow the

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 course of an accident as witnessed by the actions which
2 the TMI operators took in trying to mitigate that
3 accident or even recognized that they had an accident.

4 As a consequence, the staff originally issued
5 Revision 2 to Regulatory Guide 197 and subsequently a
6 Revision 3 to Regulatory Guide 197, giving the industry
7 direction in regards to what type of instrumentation the
8 staff would like to see to be able to follow the course of
9 an accident, both the accident developing and to give the
10 operator diagnostic tools to be able to mitigate that
11 accident.

12 The staff direction was in the regards of
13 telling us that for certain categories of instrumentation
14 it should be redundant, it should be on Class IE power
15 supplies, it should be human factor engineers as far as
16 the displays and so forth.

17 The also provided the industry with what they
18 considered to be a minimum list of parameters to monitor
19 to be able to follow the course of an accident both for
20 PWRs and BWRs.

21 River Bend took that minimum list and
22 basically what we tried to do was we tried to come up with
23 what we consider to be a necessary and sufficient list. In
24 other words, the operator needs a certain amount of
25 necessary information to be able to mitigate and follow

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 the course of an accident. And not only that, but he need
2 sufficient information. If he only had one channel and
3 that channel failed, then he would not have sufficient
4 information.

5 (Slide.)

6 So what River Bend did, GSU performed an
7 analysis and what we did was we took Reg. Guide 197 as a
8 source input and that was the staff's list. That was the
9 methodology from which basically they derived their
10 variable list of things to monitor, and that was based
11 upon their own experience as well as industry feedback.
12 And also that was based on the Three Mile Island accident.

13 We also took out of emergency operating
14 procedures, which we have for this unit, and we looked at
15 the information needs which the operator was requesting
16 out of the emergency operator procedures.

17 It turns out the Probabilistic Standards
18 Branch had also requested that EG&G Idaho do two studies
19 based on event trees. And what they did is they did this
20 for a PWR and they were so successful that they also did
21 it for a BWR.

22 What they did was to take five accident
23 sequences which were considered to be significant risk
24 contributors to a degraded core event. From that they went
25 through and developed operator action event trees and then

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 from that they were able to determine instrumentation
2 needs.

3 So we basically took that study which was a
4 NUREG. It was a contractor's report, 2100, and basically
5 fitted that to the River Bend Station.

6 What we did was we came up with three variable
7 lists which were derived from what I would say were
8 totally different methodologies. This one was based on
9 experience, this one was also somewhat based on operators'
10 experience and this was based on the event tree analysis
11 for those five accident sequences.

12 We then came up with a composite variable
13 list, and for those variables which were not identified by
14 the Reg. Guide 197 list, we went through and categorized
15 those in accordance with the Reg. Guide 197 definitions.

16 We took that variable list and we also added
17 range, location data as to what our specific plant had,
18 instrument ID's and we also had SPDS signal ID's.

19 I will show you an excerpt from that report.

20 (Slide.)

21 As you can see, here we have reactor vessel
22 water level. We identified the source of that variable. WE
23 also identified the instrument ID's. By the way, this
24 report has been submitted to the NRC staff for review.
25 Here was the categorization of that and here is our main

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 control room display benchboard. Here are the safety
2 parameter display signal points and these are GE numbers
3 which we used that are unique identifiers. Then here we
4 have some various ranges and we also had some technical
5 notes over here in the back of the report, the reference
6 notes.

7 (Slide.)

8 Now what we did was we came down after we had
9 generated this and we took the licensing and technical
10 requirements like what we found in Reg. Guide 197. Instead
11 of variable, they should be Category 1, and we identified
12 that we were only furnishing a Category 2. So that
13 generated a discrepancy or what we term a finding, and
14 that was subsequently documented within that report and
15 was subsequently channeled to the detailed control design
16 review.

17 We do not want to make arbitrary changes in
18 the control rooms. So we are using our detailed control
19 room design review people to physically add this kind of a
20 clearinghouse for all control room changes. They review
21 those changes, categorize them, and Mr. Don Chase will
22 address our DCRDR program.

23 This is where we basically are having the
24 changes made where we identify the discrepancies.

25 MR. OKRENT: Excuse me.

1 MR. PORTER: Yes.

2 MR. OKRENT: From the first viewgraph that you
3 had up there should I draw the inference that you are
4 including at River Bend the recommendations from all three
5 of those sources, or that some of these are being
6 discarded?

7 MR. PORTER: Yes. We are ---

8 MR. OKRENT: Yes, what?

9 MR. PORTER: We are using the recommendations
10 from all these sources. What you will find is that in a
11 lot of cases, and I have a slide to show you the results
12 of that, in a lot of cases all three sources identified we
13 should monitor that particular parameter.

14 Now the results of the study were interesting
15 in that we identified 68 parameters total that we felt as
16 if the operator should have in the control room for
17 displays.

18 It turns out that a little more than half of
19 those parameters were identified by at least two or three
20 of those particular methodologies. It turns out that Reg.
21 Guide 1.97 identified eight parameters which should be
22 monitored that were not identified by any of the other
23 studies.

24 The event tree identified the most at 15, and
25 the River Bend emergency procedures identified 10.

1 Primarily the emergency operating procedures asked the
2 operator to verify things like scram, and as a consequence
3 he is asked to look for what caused the scram. That wasn't
4 identified in either Reg. Guide 1.97 or the event tree
5 analysis. So we came up with our 68 parameters that we
6 felt should be monitored to give us a necessary and
7 sufficient parameter list.

8 One of the reasons for doing that was we
9 wanted to give input to the detailed control room design
10 review and also to be able to give us a clear picture of
11 how we complied with Reg. Guide 1.97.

12 (Slide.)

13 Once the detailed control room design review
14 has categorized our findings where we did have
15 discrepancies, we will have a resolution of those
16 discrepancies. And when they are incorporated into the
17 control room design, we will comply with the requirements,
18 or should I say the guidance of Regulatory Guide 1.97,
19 Revision 3 as identified in the staff position.

20 That concludes my presentation.

21 MR. EBERSOLE: My I ask a question. In respect
22 to the general nature of what you are looking at, soon or
23 later you come up with whether you need the redundant
24 signals for a given parameter or not. I look on page 712
25 and 713 where the topic happens to be reactor sensing

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 lines.

2 MR. PORTER: Yes.

3 MR. EBERSOLE: I am just going to use it as a
4 model for more or less generic questions.

5 Is your philosophy here in following the
6 course of an accident that subsequent to that accident I
7 have redundant configurations left which admit to a random
8 failure, and the response is it gives me at least one
9 single one that works.

10 MR. PORTER: Let me put this slide back up.

11 (Slide.)

12 MR. EBERSOLE: And then I will apply that to
13 the sensing line logic of when the sensing line fails do I
14 have residual redundancy?

15 MR. PORTER: What we have done is that first of
16 all our primary objection has to first of all identify a
17 parameter list that was necessary and sufficient. We feel
18 like we have made an extremely good approximation of that
19 with our 68 parameters.

20 When we went back through the categorization
21 study here, category one requires that these be redundant,
22 and if for some reason failure of a redundant channel
23 would throw you into an obscure condition, then the
24 regulatory guide request that you either have a third
25 channel to be able to check that against, or you have a

1 diverse means of backup.

2 We went through each one of these and feel as
3 though we have for all of our category one variables, as
4 well as some of our category two, that we do have a
5 diverse backup to be able to, if one channel was to fail,
6 we could look at the on failed channel with other data in
7 the control room and be able to extrapolate with a
8 reasonable amount of assurance as to what was happening
9 during the course of the event.

10 MR. EBERSOLE: So if you have done that, then
11 you would say if a sensing line fails, which loses a bank
12 of instruments, I have residual redundancy or diversity
13 with which to cope with that accident.

14 MR. PORTER: We have diversity, that is
15 correct.

16 MR. EBERSOLE: Or if I have a pipe failure
17 which blows out a bank of instruments, I have residual
18 redundancy to cope with that accident.

19 MR. PORTER: Well, our analysis did not cover
20 that specific sort of event where we actually went in and
21 would lose a line and did we go back and actually look at
22 the effects on this report.

23 MR. EBERSOLE: Well, unless you do that, how do
24 you claim that you have post-accident redundancy unless
25 you go look at the phenomena that takes out the

TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

1 instrumentation?

2 MR. PORTER: Well, the plant tries to maintain
3 independence. There is an assumption made within this
4 report that we build independence, like in our sensing
5 lines. Like on the reactor waterway, these are located 90
6 degrees apart.

7 MR. EBERSOLE: Well, if they are 90 degrees
8 apart and I have an accident that takes out one set ---

9 MR. PORTER: Well, I mean actually they are
10 located 90 degrees, 180, 270 and 360.

11 MR. EBERSOLE: So there are four of them.

12 MR. PORTER: That is correct.

13 MR. EBERSOLE: So if I take out one set, are
14 you telling me I have got three left?

15 MR. PORTER: That is correct. And in most cases
16 if we did lose one channel, we would have the other
17 channels by virtue of physical independence.

18 MR. EBERSOLE: I heard you say you had one
19 channel left.

20 MR. PORTER: That is correct.

21 MR. EBERSOLE: If you say that how do you claim
22 residual redundancy if there is only one left?

23 MR. PORTER: Well, we use diverse indications
24 to be able to extrapolate ---

25 MR. EBERSOLE: You will find an equivalent or

1 another signal somewhere else?

2 MR. PORTER: Yes, we have to. That is correct.

3 MR. EBERSOLE: Okay.

4 MR. PORTER: And that was one of the reasons
5 that we tried to make the set necessary and sufficient.

6 MR. OKRENT: Thank you.

7 I think as I promised, I am going to recess
8 this subcommittee until tomorrow morning at 8:30.

9 Thank you all.

10 (Whereupon, at 6:55 p.m., the subcommittee
11 recessed, to reconvene at 8:30 a.m., Friday, June 8,
12 1984.)

13 - - -

14
15
16
17
18
19
20
21
22
23
24
25
TAYLOE ASSOCIATES

1625 I STREET, N.W. - SUITE 1004

WASHINGTON, D.C. 20006

(202) 293-3950

CERTIFICATE OF PROCEEDINGS

This is to certify that the attached proceedings before the
NRC COMMISSION

In the matter of: ACRS on River Bend

Date of Proceeding: 7 June 1984

Place of Proceeding: Baton Rouge, Louisiana

were held as herein appears, and that this is the original
transcript for the file of the Commission.

Mary C. Simons

Official Reporter - Typed

Mary C. Simons

Official Reporter - Signature

RIVERBEND
ENFORCEMENT HISTORY

<u>YEAR</u>	<u>NUMBER OF VIOLATIONS</u>
1977	1
1978	1 (PLUS 1 DEVIATION)
1979	6
1980	12
1981	7
1982	6
1983	3
1984	4 (THOROUGH APRIL 30, 1984)

RIVERBEND
DISTRIBUTION OF VIOLATIONS BY SEVERITY LEVEL

<u>LEVEL</u>	<u>NUMBER</u>
I	0
II	0
III	1 - NO CP ASSESSED
IV (INFRACTION)	27
V (DEFICIENCY *)	11
VI *	1

*OLDER SYSTEM OF CLASSIFICATION

RIVERBEND

INSPECTION HOURS

<u>YEAR</u>	<u>NUMBER OF HOURS</u>
1977	98
1978	71
1979	335
1980	766
1981	1535
1982	1653
1983	1819
1984	512 (THROUGH APRIL 30)

RIVERBEND

SALP

FUNCTIONAL AREA	1983	1982
. SOILS AND FOUNDATIONS	NA	NA
. CONTAINMENT & SAFETY STRUCTURES	2	2
. PIPING SYSTEM & SUPPORTS	2	2
. SAFETY RELATED COMPONENTS	2	2
. SUPPORT SYSTEM	2	NA
. ELECTRICAL POWER SUPPLY/DIST	2	2
. I&C	2	NA
. LICENSING ACTIVITIES	2	2
. CORRECTIVE ACTION & REPORTING	2	2
. MANAGEMENT CONTROL	1	2
. QUALITY ASSURANCE	2	NA
. DESIGN CONTROL	1	NA

RIVER BEND STATION

MAJOR MILESTONES

CONSTRUCTION PERMIT ISSUED	MARCH 1977
OL APPLICATION/FSAR DOCKETED	AUGUST 1981
SER ISSUED	MAY 1984
DES ISSUANCE	JUNE 1984
FES ISSUANCE	SEPTEMBER 1984
SAFETY HEARINGS	OCTOBER 1984
EMERGENCY PLANNING HEARINGS	JANUARY 1985
ASLB INITIAL DECISION	MARCH 1985
READY FOR FUEL LOAD (APPLICANT)	APRIL 1985

Table 1.2 Comparison of principal design features of River Bend and other BWR/6 facilities

Design feature	River Bend	Perry	Clinton	Grand Gulf
Containment type	Mark III	Mark III	Mark III	Mark III
Rated thermal power, Mwt	2894	3579	2894	3833
Gross electrical output, MWe	991	1252	985	1306
Main steam flowrate, lb/hr	12,453,000	15,400,000	12,453,000	16,491,000
Total core flowrate, lb/hr	84,500,000	104,000,000	84,500,000	112,500,000
System pressure, nominal in steam dome, psia	1040	1040	1040	1040
Fuel lattice	8x8	8x8	8x8	8x8
Number of fuel assemblies	624	748	624	800
Number of fuel rods per fuel assembly	62	62	62	62
Number of movable control rods	145	177	145	193
Reactor vessel inside diameter, in.	218	238	218	251
Reactor vessel inside height, ft-in.	69-4	70-5	69-4	73-0
Reactor vessel design pressure, psig	1250	1250	1250	1250
Reactor vessel basemetal minimum wall thickness, in.	5.40	6.00	5.20	6.14
Reactor vessel minimum cladding thickness, in.	0.125	0.125	0.125	0.125
Number of recirculation loops	2	2	2	2

Table 1.2 (continued)

Design feature	River Bend	Perry	Clinton	Grand Gulf
Recirculation loop pipe inside diameter, in.	20	24	20	24
Recirculation pump flowrate, gpm	32,500	42,000	32,500	44,900
Number of jet pumps	20	20	20	24
Number of high-pressure core spray loops	1	1	1	1
Number of low-pressure core spray loops	1	1	1	1
Number of low-pressure coolant injection loops	3	3	3	3
Maximum heat flux, Btu/ft ² /hr	361,600	361,600	361,600	362,000
Maximum power per fuel rod length, kW/ft	13.4	13.4	13.4	13.4
Maximum centerline fuel temperature, °F	3435	3435	3435	3430
Minimum critical power ratio	1.18	1.20	1.20	1.23
Total peaking factor	2.33	2.21	2.33	2.26

KEY FEATURES OF PLANT

1) SAFETY - GRADE CONTAINMENT UNIT COOLERS

- TWO SAFETY-RELATED CONTAINMENT UNIT COOLERS
- AUTOMATICALLY INITIATED ON HIGH CONTAINMENT PRESSURE;
INTERLOCKED TO DELAY INITIATION 10 MINUTES AFTER HIGH
DRYWELL PRESSURE SIGNAL
- WATER SUPPLIED FROM STANDBY SERVICE WATER SYSTEM (UHS)
- CONTAINMENT UNIT COOLERS AUTOMATICALLY ISOLATED AT -0.43
PSIG IN THE CONTAINMENT
- 6 DIFFERENTIAL PRESSURE TRANSMITTERS, 2 DIVISIONS, 2-
OUT-OF-3 LOGIC FOR ISOLATION OF WATER SUPPLY TO COOLERS

SER SECTION	6.2.1.4
	6.2.1.5
	6.2.2
	6.5.2

2) DRYWELL REVERSE PRESSURE DESIGN

- NO VACUUM BREAKERS
- DRYWELL CONSERVATIVELY DESIGNED TO WITHSTAND -20 PSID

° DRYWELL LOCA BREAK STEAM ASSUMED TO CONDENSE
INSTANTANEOUSLY

° ECCS FLOW FROM REACTOR VESSEL TO DRYWELL ASSUMED
AT SUPRESSION POOL TEMPERATURE

° ALL AIR ASSUMED PURGED FROM DRYWELL

SER SECTION

6.2.1.5

3) DRYWELL/SUPPRESSION POOL DESIGN

- NO UPPER POOL DUMP NEEDED TO ASSURE LONG TERM ECCS RECIRCULATION

°WEIR WALL OVERTOPPED PRIOR TO UNCOVERING ECCS SUCTION LINES IN SUPPRESSION POOL

SER SECTION 6.2.1.4

4) LEAKAGE CONTROL SYSTEMS

- VALVE LEAKAGE CONTROL SYSTEMS (LCS)

°PVLCS - PENETRATION VALVE LCS

*MINIMIZE RELEASE OF FISSION PRODUCTS FROM
PROCESS LINES THAT PENETRATE CONTAINMENT AND
THUS COULD BYPASS STANDBY GAS TREATMENT SYSTEM
AND FUEL BUILDING CHARCOAL FILTRATION SYSTEM
FOLLOWING A LOCA

°MSPLCS - MAIN STEAM POSITIVE LCS

*PREVENTS RELEASE OF FISSION PRODUCTS FROM
MSIVs AND MAIN STEAM DRAIN LINES WHICH
COULD BYPASS SGTS AND FUEL BUILDING
CHARCOAL FILTRATION SYSTEM FOLLOWING A
LOCA.

- FEATURES OF LCS

°USES CATEGORY I AIR COMPRESSORS

°MANUALLY ACTUATED

°8.5 PSI DIFFERENTIAL MAINTAINED BETWEEN PRESSURIZED LINE
AND REACTOR VESSEL

SER SECTION 6.2.3, 6.2.6.3, 6.5.3, 6.7, 7.6.2.1

5) ULTIMATE HEAT SINK

- PROVIDES 30 DAY INVENTORY OF EMERGENCY SOURCE OF SERVICE WATER AS REQUIRED FOR SAFE SHUTDOWN UNDER ACCIDENT CONDITIONS

- SEISMIC CATEGORY I, TORNADO PROTECTED MECHANICAL DRAFT COOLING TOWER (ONLY 2 OF 4 FAN CELLS REQUIRED FOR SAFE SHUTDOWN)

- VARIOUS SOURCES OF MAKEUP WATER AVAILABLE

SER SECTION 9.2.5

OUTSTANDING ISSUES

- 1) HYDROSTATIC LOADING OF SAFETY - RELATED STRUCTURES AS A RESULT OF PROBABLE MAXIMUM PRECIPITATION ACCUMULATING IN THE UNIT 2 EXCAVATION. (7/84)
- 2) ANALYSIS OF EFFECTS OF A MODERATE ENERGY LINE BREAK IN CONTROL BUILDING AND OTHER LINE BREAKS. (1/85)
- 3) ANALYSIS OF EFFECTS OF HIGH ENERGY LINE BREAK. (1/85)
- 4) IN-SERVICE INSPECTION PROGRAM FOR PUMPS AND VALVES AND VALVE LEAK RATE TEST PROGRAM. (10/84)
- 5) ENVIRONMENTAL (ELECTRICAL AND MECHANICAL) AND SEISMIC QUALIFICATION AND PUMP AND VALVE OPERABILITY. (11/84)
- 6) PRE-SERVICE INSPECTION PROGRAM FOR REACTOR COOLANT PRESSURE BOUNDARY AND AUGMENTED ISI PROGRAM. (10/84)
- 7) REVERSE VENT CLEARING, SRV AND HYDRODYNAMIC LOAD ASSESSMENTS. (2/85)

OUTSTANDING ISSUES (CON'T)

- 8) PLANT SPECIFIC ANALYSIS OF ECCS PERFORMANCE UNDER LOCA CONDITIONS (10/84)
- 9) BY-PASSED AND INOPERABLE STATUS INDICATION FOR SAFETY SYSTEM AS A RESULT OF LOSS OF ESSENTIAL AUXILIARY OR SUPPORTING SYSTEM (8/84)
- 10) DIESEL GENERATOR INFORMATION TO SUPPORT QUALIFICATION TESTS AND NUREG/CR-0660 RECOMMENDATIONS (1/85)
- 11) ANALYSIS TO DETERMINE EFFECTS OF LOCA FLOODING ON SAFETY AND NON-SAFETY ELECTRICAL EQUIPMENT. (1/85)
- 12) COMPLIANCE REPORT ON NUREG-0612 "CONTROL OF HEAVY LOADS AT NUCLEAR POWER PLANTS". (10/84)
- 13) SHOW THAT PLANT CAN REACH AND MAINTAIN COLD SHUTDOWN FOLLOWING A FIRE WHICH DESTROYS THE CONTROL ROOM (7/84)
- 14) SHOW THAT ADEQUATE COMMUNICATIONS WILL BE MAINTAINED FOLLOWING SEISMIC EVENT AND/OR LOSS OF OFFSITE POWER (LONGER THAN 4 HOURS) (7/84)

OUTSTANDING ISSUES (CON'T)

- 15) SHOW THAT ADEQUATE LIGHTING WILL BE AVAILABLE IN SAFETY - RELATED AREAS FOLLOWING DESIGN BASIS SEISMIC EVENT (7/84)
- 16) INFORMATION TO SHOW OPERABILITY AND RELIABILITY OF HPCS DIESEL GENERATOR (7/84)
- 17) DEMONSTRATE PREVENTION OF OR PROTECTION AGAINST CORROSION PRODUCTS INSIDE FUEL OIL STORAGE TANK TO PREVENT FOULING OF DIESEL GENERATORS. (7/84)
- 18) INFORMATION TO SHOW ACCEPTANCE OF EMERGENCY PLANNING PROVISIONS. (12/84)

ITEM - 1) HYDROSTATIC LOADING

ISSUE STAFF IS REVIEWING GSU CALCULATIONS INTENDED
TO SHOW THAT SAFETY - RELATED STRUCTURES ARE ADEQUATELY
PROTECTED AGAINST FLOODING EFFECTS OF LOCAL
PMP USING HMR 52

SER SECTION 2.4.2.2
 2.4.12.2

RESOLUTION EXPECTED - JULY, 1984

ITEM - 2) MODERATE ENERGY LINE BREAK

ISSUE

-PROVIDE ANALYSES CONSIDERING EFFECTS OF
MODERATE ENERGY LINE BREAK IN

- ° CONTROL BUILDING
- ° TURBINE PLANT COMPONENT COOLING WATER SYSTEM
- ° VENTILATION CHILLED WATER SYSTEM
- ° COOLING TOWER MAKEUP WATER SYSTEM

SER SECTION 3.4.1
 9.2.8
 9.2.9
 9.2.11

RESOLUTION EXPECTED - JANUARY, 1985

ITEM - 3) HIGH ENERGY LINE BREAK

ISSUE -COMPLETE ANALYSIS OF HELB EFFECTS
o PIPE WHIP
o JET IMPINGEMENT

SER STATION 3.6.1

RESOLUTION EXPECTED - JANUARY, 1985

ITEM - 4)

IN-SERVICE INSPECTION/BOUNDARY VALVE LEAKAGE

ISSUE

-PROVIDE, FOR STAFF REVIEW, PUMP AND VALVE
PRESERVICE AND INSERVICE TESTING PER ASME
CODE SECTION XI

-PROVIDE A DECISION OF HOW LEAK RATE TEST
PROGRAM CONFORMS TO 1 GPM CRITERION AND
PERIODICITY REQUIREMENTS

SER SECTION 3.9.6

RESOLUTION EXPECTED - OCTOBER, 1984

ITEM - 5) EQUIPMENT QUALIFICATION

ISSUE -PROVIDE FOR SEISMIC AND DYNAMIC QUALIFICATION
 OF SAFETY RELATED EQUIPMENT
 -PROVIDE FOR ENVIRONMENTAL QUALIFICATION OF
 SAFETY RELATED ELECTRICAL AND MECHANICAL
 EQUIPMENT
 -PROVIDE A PUMP AND VALVE OPERABILITY PROGRAM

SER SECTION 3.10.1
 3.10.2
 3.11

RESOLUTION EXPECTED - NOVEMBER, 1984

ITEM - 6) PRESERVICE INSPECTION PROGRAM

ISSUE -PROVIDE A PRESERVICE INSPECTION PROGRAM FOR
 SYSTEMS AND COMPONENTS COMPRISING THE REACTOR
 COOLANT PRESSURE BOUNDARY IDENTIFYING AREAS
 WHERE ASME CODE SECTION XI CANNOT BE MET

SER SECTION 5.2.4.3, 6.6

RESOLUTION EXPECTED - OCTOBER, 1984

ITEM - 7) CONTAINMENT LOADS

- ISSUE -
- ASSESS THE RESPONSE OF DRYWELL COMPONENTS AND STRUCTURES TO DYNAMIC LOADS RESULTING FROM REVERSE VENT CLEARING.
 - PROVIDE MODIFIED GESSAR-II LOAD SPECIFICATIONS FOR LOCA-RELATED POOL DYNAMIC AND SRV HYDRO-DYNAMIC LOADS
 - ASSESS SUPPRESSION POOL STRAINERS FOR HYDRODYNAMIC LOADS.

SER SECTION - 6.2.1.5
6.2.1.8.3
6.2.2

RESOLUTION EXPECTED - FEBRUARY, 1985

ITEM - 8)

ECCS LOCA ANALYSIS

ISSUE

- PROVIDE PLANT SPECIFIC LOCA ANALYSIS TO ENSURE ECCS MEETS ACCEPTANCE CRITERIA (10 CFR 50.46).
- ° MAXIMUM FUEL PCT SHALL NOT EXCEED 2200°F
- ° MAXIMUM CLADDING OXIDATION SHALL NOT EXCEED 0.17 TIMES TOTAL CLAD THICKNESS BEFORE OXIDATION
- ° MAXIMUM GENERATED HYDROGEN SHALL NOT EXCEED 0.01 TIMES TOTAL HYPOTHETICAL AMOUNT CAPABLE OF BEING GENERATED BY ALL CLAD METAL
- ° MAINTAIN COOLABLE GEOMETRY
- ° MAINTAIN CORE TEMPERATURE AT AN ACCEPTABLY LOW VALUE FOR AN EXTENDED PERIOD OF TIME

SER SECTION 6.3.3.3, 15.9.4

RESOLUTION EXPECTED - OCTOBER, 1984

ITEM - 9) BYPASSED AND INOPERABLE STATUS

ISSUE -PROVIDE INOPERABLE AND BYPASSED STATUS
INDICATION FOR SAFETY SYSTEMS WHEN ESSENTIAL
AUXILIARY OR SUPPORTING SYSTEMS ARE RENDERED
INOPERABLE

SER SECTION 7.5.2.2

RESOLUTION EXPECTED - AUGUST, 1984

ITEM - 10) EMERGENCY DIESEL GENERATORS

ISSUE

- PERFORM QUALIFICATION TESTS ON EDGs IN ACCORDANCE WITH IEEE 387-1977 (MODIFIED BY REG GUIDE 1.9) AND PROVIDE SYNOPSIS OF RESULTS.
- PROVIDE INFORMATION ON HOW THE EDGs MEET NUREG/CR-0660
- PROVIDE INFORMATION ON MISCELLANEOUS EDG SUPPORT SYSTEMS

SER SECTION

8.3.1, 9.5.4.1, 9.5.5, 9.5.6, 9.5.7, 9.5.8

RESOLUTION EXPECTED - JANUARY, 1985

ITEM - 11) SUBMERGENCE OF ELECTRICAL EQUIPMENT

ISSUE

-FOR ELECTRICAL EQUIPMENT (SAFETY AND NON-SAFETY) THAT MAY BECOME SUBMERGED AS A RESULT OF A LOCA, PROVIDE:

- ° THE SAFETY SIGNIFICANCE OF THE FAILURE OF THE EQUIPMENT FROM FLOODING
- ° THE EFFECTS ON CLASS 1E ELECTRIC POWER SOURCES
- ° PROPOSED DESIGN CHANGES RESULTING FROM THIS ANALYSIS

SER SECTION 8.4.7

RESOLUTION EXPECTED - NOVEMBER, 1984

ITEM - 12) HEAVY LOAD HANDLING SYSTEM

ISSUE -PROVIDE FOR REVIEW THE EVALUATION RESULTS
AND ANY REQUIRED CHANGES OR MODIFICATIONS
FOR NUREG-0512 "CONTROL OF HEAVY LOADS AT
NUCLEAR POWER PLANTS" PHASES I AND II

SER SECTION 9.1.5

RESOLUTION EXPECTED - OCTOBER, 1984

ITEM - 13) SAFE/ALTERNATE SHUTDOWN

ISSUE

-PROVIDE FOR THE CAPABILITY TO REACH AND
MAINTAIN COLD SHUTDOWN FOLLOWING A FIRE
WHICH COMPLETELY DESTROYS THE CONTROL
ROOM. THIS REQUIRES ELECTRICAL ISOLATION
FROM THE CONTROL ROOM FOR ALL SYSTEMS
REQUIRED FOR SHUTDOWN.

SER SECTION

9.5.1.4

RESOLUTION EXPECTED - JULY, 1984

ITEM - 14) COMMUNICATIONS SYSTEMS

ISSUE

-ENSURE THAT ADEQUATE COMMUNICATIONS WILL BE
MAINTAINED FOLLOWING A SEISMIC EVENT AND/OR
LOSS OF OFFSITE POWER (LONGER THAN 4 HOURS)

SER SECTION

9.5.2.1

RESOLUTION EXPECTED - JULY, 1984

ITEM - 15) LIGHTING SYSTEMS

ISSUE -PROVIDE INFORMATION TO SHOW THAT ADEQUATE
LIGHTING WILL BE AVAILABLE IN SAFETY-RELATED
AREAS FOLLOWING A DESIGN BASIS SEISMIC EVENT.

SER SECTION 9.5.3

RESOLUTION EXPECTED - JULY, 1984

ITEM - 16) HPCS DIESEL GENERATOR

ISSUE

- PROVIDE INFORMATION ON HOW THE HPCS DIESEL GENERATOR MEETS NUREG/CR-0660
- PROVIDE INFORMATION ON MISCELLANEOUS HPCS DIESEL GENERATOR SUPPORT SYSTEMS

SER SECTION

9.5.4.1, 9.5.5, 9.5.6.3, 9.5.7

RESOLUTION EXPECTED - JULY, 1984

ITEM - 17) FUEL OIL STORAGE

ISSUE

- PROVIDE INFORMATION CONCERNING FUEL OIL STORAGE TANK INTERNAL CORROSION PROTECTION
- PROVIDE INFORMATION ON HOW HPCS AND EMERGENCY DGs WILL BE PROTECTED FROM CORROSION PRODUCTS FORMED IN THE STORAGE TANK EITHER CLOGGING FILTERS OR DAMAGING THE DIESEL DURING AND FOLLOWING FUEL OIL STORAGE TANK REFILLING.

SER SECTION

9.5.4.2

RESOLUTION EXPECTED - JULY 1984

ITEM - 18) EMERGENCY PREPAREDNESS

ISSUE

-PROVIDE MISCELLANEOUS INFORMATION TO CONFIRM
ACCEPTABILITY OF ONSITE AND OFFSITE EMERGENCY
PREPAREDNESS.

SER. SECTION

13.3

RESOLUTION EXPECTED - DECEMBER, 1984

Table 1.4 Listing of confirmatory items

Issue	SER Section
(1) West Creek sediment removal	2.4.3.3
(2) Ultimate heat sink	2.4.11.2
(3) Slope stability	2.5.5.2
(4) Pipe failure modes and check valve stress analysis	3.6.2
(5) Annulus pressurization	3.9.2.4
(6) Minimum wall thickness	3.9.3.1
(7) Thermal and anchor displacement loads	3.9.3.3
(8) Fuel rod mechanical fracturing	4.2.3.2
(9) Fuel assembly structural damage	4.2.3.3
(10) Post-irradiation surveillance	4.2.4.3
(11) LOCTVS/CONTEMPT-LT 28 computer codes	6.2.1.3, 6.2.1.4
(12) Reactor vessel cooldown rate	6.2.1.7
(13) SRV discharge testing	6.2.1.8.3
(14) Mark III-related issues	6.2.1.9, 3.9.3.1
(15) Containment repressurization	6.2.3, 6.7.3
(16) Inleakage limit	6.2.3
(17) ECCS test return line design	6.2.4.2
(18) Containment purge valves	6.2.4.3
(19) Hydrogen control	6.2.5
(20) PVLCS leakage	6.2.6.3
(21) Electrical and instrumentation and control diagrams	7.1.6
(22) Routing of circuits and sensors	7.2.2.1
(23) Instrumentation setpoints	7.2.2.2
(24) RPS power supply protection	7.2.2.3

Table 1.4 (continued)

Issue	SER Section
(25) RPS and ESF channel separation	7.2.2.4
(26) Isolation devices	7.2.2.6
(27) Reactor mode switch	7.2.2.7
(28) AJS actuation	7.3.2.3
(29) ESF reset controls	7.3.2.4
(30) Initiation of ESF support systems	7.3.2.7
(31) Instrumentation and control power bus loss	7.4.2.1
(32) RCIC system	7.4.2.2
(33) SLCS	7.4.2.3
(34) Post-accident monitoring instrumentation	7.5.2.4
(35) Temperature effects on level measurements	7.5.2.5
(36) High/low pressure interlocks	7.6.2.2
(37) EOC-RPT	7.6.2.4
(38) NMS and RCIS isolation	7.6.2.5
(39) Rod pattern control system microprocessors	7.6.2.6
(40) DRMS	7.6.2.7
(41) High-energy line break control system failures	7.7.2.1
(42) Multiple control system failures	7.7.2.2
(43) ERLS	7.7.2.3
(44) LPCS/RHRA pump procedures	8.3.1
(45) EPA/RPS motor generator set interconnection	8.3.1
(46) Second level undervoltage protection relay setpoint	8.4.1
(47) Verification of test results for station electric distribution system voltages	8.4.1

Table 1.4 (continued)

Issue	SER Section
(48) Safety cable identification	8.4.5.
(49) Lighting overcurrent device coordination	8.4.6
(50) Post-accident sampling system	9.3.2, 10.4.6
(51) Diesel generators	9.5.4.1, 9.5.5, 9.5.7
(52) TMI Item II.F.1 Attachment 2	11.5.4
(53) Spent fuel transfer canal	12.3.2
(54) TMI Item II.B.2	12.3.2
(55) Backup RPM designate	12.5.1
(56) Personnel resumes	13.1.7
(57) Licensed operator review	13.1.7
(58) Offsite fire department training	13.2.1
(59) Emergency planning	13.3.2.1, 13.3.2.2, 13.3.2.5, 13.3.2.6, 13.3.2.8, 13.3.2.9, 13.3.2.10
(60) TMI Item I.C.1	13.5.2.3
(61) Initial test program revisions	14
(62) Proper ESF Function	15.9.3
(63) Safety system operability status	15.9.3
(64) QA organization	17.4

LICENSE CONDITIONS

- 1) OIL AND GAS EXPLORATION - INFORM NRC OF ANY NEW WELLS (OIL OR GAS) OR PIPELINES THAT MAY BE LOCATED NEAR OR WITHIN EXCLUSION AREA BOUNDARY (2.2)
- 2) TURBINE SYSTEM MAINTENANCE - SUBMIT TURBINE MAINTENANCE PROGRAM OR VOLUMETRICALLY INSPECT ALL LP TURBINE ROTORS - CONDUCT TURBINE STEAM VALVE MAINTENANCE IN ACCORDANCE WITH NRC GUIDANCE UNTIL TURBINE SYSTEM MAINTENANCE PROGRAM APPROVED (3.5.1.3.3)
- 3) FUEL ROD INTERNAL PRESSURE - RESOLVE FUEL ROD INTERNAL PRESSURE EXCEEDING SYSTEM PRESSURE ISSUE PRIOR TO SECOND CYCLE (4.2.1.1)
- 4) INADEQUATE CORE COOLING - IMPLEMENT ADDITIONAL INSTRUMENTATION TO DETECT ICC BASED ON STAFF REVIEW AND GSU PLANT-SPECIFIC EVALUATION REPORT (4.4.7)
- 5) ESF RESET CONTROL - DEMONSTRATE THAT ALL EQUIPMENT REMAINS IN ITS EMERGENCY MODE UPON REMOVAL OF THE ACTUATING SIGNAL AND/OR RESET. (7.3.2.4)

- 6) POST ACCIDENT SAMPLING SYSTEM - PROVIDE AN OPERABLE PASS PRIOR TO EXCEEDING 5% POWER (10.4.6)
- 7) SOLID WASTE PROCESS CONTROL PROGRAM - PROVIDE AND HAVE APPROVED A PCP PRIOR TO PROCESSING SOLID WASTE (11.4.2)
- 8) PARTIAL FEEDWATER HEATING-OPERATION WITH PARTIAL FEEDWATER IS PROHIBITED UNLESS ANALYSES ARE PROVIDED AND APPROVED SHOWING THAT A MORE LIMITING MCPR IS NOT OBTAINED (15.1)

HEARING ISSUES

CONTENTION 1 APPLICANTS HAVE FAILED TO PROVIDE ADEQUATE ASSURANCE THAT THE RIVER BEND STATION COMPONENTS AND SYSTEMS RELYING ON MISSISSIPPI RIVER WATER FOR THEIR OPERATION WILL BE ADEQUATELY PROTECTED AGAINST INFESTATION OF THE ASIATIC CLAM (CORBICULA LEANA). SEE I&E BULLETION 81-03, "FLOW BLOCKAGE OF COOLING WATER TO SAFETY SYSTEM COMPONENTS BY CORBICULA SP. (ASIATIC CLAM) AND MYTILUS SP. (MUSSEL).

CONTENTION 2 THE PROBABILITY OF FAILURE OF THE OLD RIVER CONTROL STRUCTURE IS SUFFICIENTLY HIGH THAT THE CONSEQUENCES OF OPERATING THE RIVER BEND STATION FOLLOWING SUCH FAILURE MUST BE CONSIDERED. APPLICANTS HAVE NOT CONSIDERED THE PUBLIC HEALTH, SAFETY, AND ENVIRONMENTAL IMPACTS OF FURTHER FACILITY OPERATION UNDER ALTERED RIVER FLOW AND SALINITY CONDITIONS IN THE EVENT OF FAILURE.