

# ORIGINAL

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

In the matter of:

CAROLINA POWER & LIGHT COMPANY  
and NORTH CAROLINA EASTERN  
MUNICIPAL POWER AGENCY

Docket No. 50-400 OL  
50-401 OL

(Shearon Harris Nuclear Power Plant,  
Units 1 & 2)

Location: Raleigh, North Carolina Pages: 1861-2163

Date: Tuesday, June 19, 1984

*Please return original to Jack Whitstone,  
E/W-439 - Distribution: TR 01*

*0/1*

## TAYLOE ASSOCIATES

Court Reporters  
1624 I Street, N.W. Suite 1004  
Washington, D.C. 20006  
(202) 293-3950

8406250105 840619  
PDR ADDCK 05000400  
T PDR

mgc 1

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

-----x  
 :  
 In the Matter of: :  
 :  
 CAROLINA POWER & LIGHT COMPANY : Docket Nos.  
 and NORTH CAROLINA EASTERN : 50-400 OL  
 MUNICIPAL POWER AGENCY : 50-401 OL  
 :  
 Shearon Harris Nuclear Power Plant, :  
 Units 1 and 2 :  
 :  
 -----x

Old Post Office Building  
Courtroom 205  
300 Fayetteville Street  
Raleigh, North Carolina

Tuesday, June 19, 1984

The hearing in the above-entitled matter  
convened, pursuant to recess, at 8:40 a.m.

BEFORE:

JAMES L. KELLEY, ESQUIRE, Chairman  
Atomic Safety and Licensing Board  
U.S. Nuclear Regulatory Commission  
Washington, D.C. 20555

DR. JAMES H. CARPENTER, Member  
Atomic Safety and Licensing Board  
U.S. Nuclear Regulatory Commission  
Washington, D.C. 20555

DR. GLENN O. BRIGHT, Member  
Atomic Safety and Licensing Board  
U.S. Nuclear Regulatory Commission  
Washington, D.C. 20555

DR. HARRY FOREMAN  
Technical Interrogator

## 1 APPEARANCES:

2 On Behalf of the Applicant Carolina Power and Light  
3 Company:4 SAMANTHA FRANCIS FLYNN, ESQUIRE  
5 HILL CARROW, ESQUIRE  
6 Carolina Power and Light Company  
7 Post Office Box 1551  
8 Raleigh, North Carolina 276029 THOMAS A. BAXTER, ESQUIRE  
10 DEBORAH B. BAUSER, ESQUIRE  
11 Shaw, Pittman, Potts & Trowbridge  
12 1800 M Street, Northwest  
13 Washington, D.C. 2003614 On Behalf of the Nuclear Regulatory Commission Staff:15 CHARLES A. BARTH, ESQUIRE  
16 JANICE E. MOORE, ESQUIRE  
17 Office of the Executive Legal Director  
18 U.S. Nuclear Regulatory Commission  
19 Washington, D.C. 2055520 On Behalf of the Federal Emergency Management Agency:21 SPENCE W. PERRY, ESQUIRE  
22 Federal Emergency Management Agency  
23 Office of the General Counsel  
24 500 C Street, Southwest  
25 Washington, D.C. 2047226 On Behalf of the Intervenor Conservation Council  
27 of North Carolina:28 JOHN D. RUNKLE, ESQUIRE  
29 307 Granville Road  
30 Chapel Hill, North Carolina 2751431 On Behalf of the Intervenor Wells Eddleman:32 WELLS EDDLEMAN, Pro Se  
33 718-A Iredell Street  
34 Durham, North Carolina 27705  
35

mgc

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25I N D E X

<u>Witnesses:</u>	<u>Direct</u>	<u>Cross</u>	<u>Redirect</u>	<u>Recross</u>	<u>Board</u>
EDWARD F. BRANAGAN, JR. (Contention II(e))	1864	1868 1899			1945
JOHN J. MAURO (Specially recalled)	1948		1953	1954	1949
STEPHEN F. MARSCHKE JOHN J. MAURO	1969	1973 2036			2042
EDWARD F. BRANAGAN, JR. (Contention II(c))	2057	2061 2129 2135	2138	2140	2135

EXHIBITS

<u>Description:</u>	<u>Identified</u>	<u>Received</u>	<u>Lay-in</u>
Prepared Testimony of Dr. Edward F. Branagan, Jr. (Contention II(e))			1865
Prepared Testimony of Dr. John J. Mauro and Dr. Stephen F. Marschke			1971
Prepared Testimony of Dr. Edward F. Branagan, Jr. (Contention II(c))			2058

lpbl

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25P R O C E E D I N G S

JUDGE KELLEY: On the record. Good morning. Last evening we finished up with the Applicant's panel on Contention II(e) and that brings up this morning to the Staff's witness. Let me ask first if there's anything to be taken up before we hear from Dr. Branagan?

(No response.)

JUDGE KELLEY: Ms. Moore?

MS. MOORE: Your Honor, the Staff calls Dr. Edward F. Branagan, Jr. and asks that the witness be sworn. Whereupon,

EDWARD F. BRANAGAN, JR.

a witness, called for examination and, having been first duly sworn was examined and testified as follows:

## DIRECT EXAMINATION

BY MS. MOORE:

Q Dr. Branagan, would you please state your name and business address for the record?

A My name is Edward F. Branagan, Jr. I am with the U.S. Nuclear Regulatory Commission in Washington, D.C.

Q Would you please identify your position with the NRC?

A I am a senior radiobiologist in the radiological assessment branch.

Q Do you have before you a document entitled NRC

1 Staff testimony of Edward F. Branagan, Jr. on Joint Contention  
2 II (e)?

3 A Yes, I do.

4 Q Was this testimony prepared by you, or did you  
5 participate in its preparation?

6 A Yes, I did.

7 Q Is this testimony true and correct to the best  
8 of your knowledge, information and belief?

9 A Yes, it is.

10 Q Do you adopt this as your testimony in this  
11 proceeding?

12 A Yes, I do.

13 MS. MOORE: Your Honor, copies of this testimony  
14 have been delivered to the Board, parties and the court  
15 reporter. I ask that the testimony and the attached  
16 professional qualifications be admitted into evidence and  
17 bound into the record as if read.

18 JUDGE KELLEY: Dr. Branagan's testimony will be  
19 admitted and bound as requested.

20 (The prepared testimony of Edward F. Branagan,  
21 Jr. follows:)

22

23

24

25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of	)	
	)	
CAROLINA POWER AND LIGHT COMPANY AND	)	Docket Nos. 50-400-OL
NORTH CAROLINA EASTERN MUNICIPAL	)	50-401-OL
POWER AGENCY	)	
	)	
(Shearon Harris Nuclear Power Station,	)	
Units 1 and 2)	)	

NRC STAFF TESTIMONY OF  
EDWARD F. BRANAGAN, JR. ON JOINT CONTENTION II (c)

Q.1. Dr. Branagan, please state your name and affiliation.

A.1. My name is Edward F. Branagan, Jr. I am a Senior Radiobiologist in the Radiological Assessment Branch, Division of Systems Integration within the Office of Nuclear Reactor Regulation. A copy of my professional qualifications is attached.

Q.2. Dr. Branagan, what is the purpose of this testimony?

A.2. The purpose of this testimony is to address Joint Contention II subpart (c). Joint Contention II (c) as originally admitted states:

Joint Contention II

The long term somatic and genetic health effects of radiation releases from the facility during normal operations even where such releases are within existing guidelines, have been seriously underestimated for the following reasons: (c) the work of Gofman and Caldicott shows that the NRC has erroneously estimated the health effects of low-level radiation by examining effects over an arbitrarily short period of time compared to the length of time the radionuclides actually will be causing health and genetic damage.

The Board modified this contention in its Order of January 27, 1984 (pp 39-41). This modification focused on the following issues:

(1) Whether the environmental impact statement should provide the total risk associated with exposure to radioactive effluents from normal operations for the 40-year life of the plant; and (2) whether the environmental impact statement should take into account the incremental impact on people who live near the plant for many years.

Q.3. Over what time period did the Staff estimate radiological impacts from exposure to effluents released from Shearon Harris during normal operation?

A.3. The time period for evaluating doses is described in the FES, page 5-26, as follows:<sup>1/</sup>

When an individual is exposed through one of these pathways, the dose is determined in part by the amount of time he/she is in the vicinity of the source, or the amount of time the radioactivity inhaled or ingested is retained in his/her body. The actual effect of the radiation or radioactivity is determined by calculating the dose commitment. The annual dose commitment is calculated to be the total dose that would be received over a 50-year period, following the intake of radioactivity for 1 year under the conditions existing 20 years after the station begins operation. (Calculation for the 20th year, or midpoint of station operation, represents an average exposure over the life of the plant.) However, with few exceptions, most of the internal dose commitment for each nuclide is given during the first few years after exposure because of the turnover of the nuclide by physiological processes and radioactive decay.

---

<sup>1/</sup> As utilized in this testimony, "dose" refers to the "dose equivalent" for an individual and the "collective dose-equivalent commitment" for a population.



Q.4. Did the staff present "the total risk represented by the life of the plant" in the FES?

A.4. No. Radiological impacts from exposure to effluents released from Shearon Harris during normal operations were presented on an annual basis in Section 5.9.3 and Appendix D of the FES.

Q.5. Why were radiological impacts presented on an annual basis, rather than summed over the life of the plant?

A.5. There are several reasons. First, applicable regulations (i.e., 10 CFR 20; and 10 CFR 50, Appendix I) contain annual limits or design objectives, rather than cumulative limits or design objectives. Second, the benefits from operating the plant were expressed on an annual basis in the FES. Integrating the impacts over the lifetime of the plant would be counterbalanced by integrating the benefits over the lifetime of the plant.

Q.6. Can the Staff provide an upper bound estimate of the incremental impact on people who live near the plant for many years as a result of exposure to radioactive effluents from normal operations?

A.6. Yes. The Staff has estimated the incremental impact on people who live near the plant for many years (hereinafter referred to as the cumulative impact) in the following manner. First, the Staff conservatively estimated the dose to the total body that a member of the public might receive from exposure to radioactive effluents from one year of normal operations. Second, the Staff multiplied

the dose from one year of operations by 40 years of reactor operations to estimate the cumulative dose for 40 years. Finally, the Staff estimated the risk of potential fatal latent cancers to the exposed individual by multiplying the cumulative dose by health risk estimators.

Q.7. For the purpose of estimating cumulative risk, how did the Staff estimate the dose that a member of the public might receive from exposure to radioactive effluents from normal operations of Shearon Harris Unit 1?

A.7. In Appendix D of the FES, the Staff presented its analysis which showed that the Shearon Harris plant had sufficient waste treatment systems to meet the dose design objectives in Appendix I of 10 CFR Part 50.<sup>2/</sup> Operation of the Shearon Harris facility will be governed by operating license Technical Specifications that will be based on the dose-design objectives of Appendix I to 10 CFR 50. Because these design-objective values were chosen to permit flexibility of operation while still ensuring that doses from plant operations are "as low as reasonably achievable," the actual radiological impact of plant operation may result in doses close to the dose-design objectives. For the purpose of this testimony, the Staff based its dose estimate to a maximally exposed individual on the annual

---

<sup>2/</sup> Some of the estimates in the FES pertain to operation of a two-unit facility. Since Unit 2 has been cancelled, the Staff in this testimony has provided cumulative risk estimates for operation of one unit at the Harris site.

dose-design objectives in Appendix I of 10 CFR Part 50 for exposure to the various types of radioactive effluents.

Q.8. What are the dose design objectives in Appendix I?

A.8. Appendix I of 10 CFR Part 50 provides numerical guidance on dose-design objectives for lightwater reactors to assure that doses to the public are as low as reasonably achievable.

The annual dose-design objectives in Appendix I for all unrestricted areas are as follows: 3 mrem/yr per reactor to the total body or 10 mrem/yr per reactor to any organ from all pathways of exposure from liquid effluents; 10 mrads/yr per reactor gamma air dose, or 20 mrads/yr per reactor beta air dose from noble gaseous effluents or 5 mrems/yr per reactor to the total body or 15 mrems/yr per reactor to the skin from noble gaseous effluents whichever is more limiting; and 15 mrems/yr per reactor to any organ from all pathways of exposure from airborne effluents that include the radioiodines and particulates.

Q.9. What dose did the Staff use in estimating the possible risk to an individual in the public?

A.9. The Staff has assumed that a hypothetical individual will be exposed to 5 mrems/yr to the total body. For 40 years of plant operation, the cumulative dose would be 0.2 rems. This is a conservative estimate of the dose to an individual, because it is unlikely that an individual will be simultaneously exposed at the dose-design

objective levels from gaseous and liquid effluents to the same body organs for 40 years. Actual doses to real individuals in the near vicinity of the site are expected to be a fraction of the dose of 0.2 rems. In order to obtain a dose of 0.2 rems, an individual would have to spend almost all of his or her time at the site boundary, and obtain almost all of his or her food grown at an offsite location where the highest concentrations of radionuclides are expected. The average dose to an individual within 50 miles of the site is expected to be about 500 times less than the preceding value. (FES, Table D-7, p. D-10).

Q.10. How did the Staff calculate the risk to an individual from this dose (i.e., 0.2 rems)?

A.10. The Staff estimated the risk of fatal cancers to the individual by multiplying a conservative estimate of the dose to the total body of an individual exposed to radioactive effluents from 40 years of operations by somatic (i.e., cancer) risk estimators.

Q.11. What risk estimators were used by the Staff in estimating potential health effects?

A.11. The following risk estimators (see FES, Section 5.9.3.1.1) were used to estimate potential health effects: 135 potential deaths from cancer per million person-rems and 258 potential cases of all forms of genetic disorders per million person-rems. The cancer fatality risk estimators used in this testimony are based on the "absolute risk" model described in BEIR I. Higher estimates can be

developed by use of the "relative risk" model along with the assumption that risk prevails for the duration of life. This would produce risk estimates up to about four times greater than those used in this testimony. The Staff regards this as a reasonable upper limit to the range of uncertainty. The lower limit of the range would be zero because health effects have not been detected at doses in this dose-rate range. The number of potential cancers would be approximately 1.5 to 2 times the number of potential fatal cancers. (BEIR III, 1980).

Values for genetic risk estimators range from 60 to 1500 potential cases of all forms of genetic disorders per million person-rem (derived from BEIR I, page 57). The value of 258 potential cases of all forms of genetic disorders is equal to the sum of the geometric means of the risk of specific genetic defects and the risk of defects with complex etiology.

Q.12. What would be the cumulative risk of cancer fatalities to an individual due to 40 years of plant operation?

A.12. Multiplying the preceding somatic risk estimator (i.e., 135 potential fatal cancers per million person-rem) by a conservative dose estimate of 0.2 rem, the Staff estimates that the risk of potential premature death from cancer to an individual exposed to radioactive effluents from 40 years of reactor operation is about 3 chances in one hundred thousand. This risk is a small fraction of the current incidence of actual cancer fatalities (about 20%,

American Cancer Society, 1978). As indicated in response to question 9, an individual would have to spend almost all of his or her time at the site boundary, and obtain almost all of his or her food grown at an offsite location where the highest concentrations of radionuclides are expected in order to obtain a dose of 0.2 rems over the plants lifetime.

Q.13. How does the Staff's estimate of the cumulative dose to an individual exposed to radioactive effluents for the plants lifetime compare with the dose from exposure to natural background radiation?

A.13. Exposure to natural background radiation in the United States varies from about 0.07 rems/yr to about 0.3 rems/yr depending on geographical location (Oakley, 1972). Assuming an average annual exposure of about 0.1 rems to natural background radiation for the State of North Carolina (Oakley, 1972), the dose to an individual exposed to radioactive effluents for the plants lifetime (i.e., 0.2 rems) is conservatively estimated to be about 3 percent of the dose from exposure to natural background radiation (i.e., about 7 rems over a 70-year lifetime).

Q.14. Has the Staff estimated the number of potential genetic disorders that may occur as a result of exposure to radioactive effluents from normal operations?

A.14. Yes. The Staff estimated the number of potential genetic disorders associated with exposure of the general public to radioactive

effluents from normal operations in the following manner. First, the Staff estimated the collective dose-equivalent commitment (hereinafter referred to as the population dose) to the population within 50 miles of the plant from exposure to radioactive effluents from one reactor-year of normal operations to be about 15 person-rem to the total body (FES, Table D-7, p. D-10). The cumulative population dose would be about 620 person-rem for 40 years of operation. Second, the Staff multiplied the cumulative population dose by genetic risk estimators to obtain the number of potential genetic disorders.

Q.15. What are the Staff estimates of the number of potential genetic disorders due to exposure to radioactive effluents?

A.15. Multiplying the cumulative population dose from exposure to radioactivity attributable to the normal operations (that is, 620 person-rem) by the preceding genetic risk estimator, the Staff estimates that about 0.16 of a potential genetic disorder may occur. The value of 0.16 is the sum of the number of potential genetic disorders that may occur over all future generations of the exposed population (within 50 miles) due to exposure to radioactive effluents from 40 reactor-years of operation. This value is small compared with the current incidence of actual genetic ill health in each generation (about 11%, BEIR III (1980)) of the population of about 1,750,000 persons within 50 miles of the plant.

Q.16. What do you conclude with respect to the issue raised in the Board's modification of Joint Contention II(c)?

A.16. I conclude that potential "long term somatic and genetic effects of radiation releases from the facility during normal operation" were estimated over an appropriate period of time. The risk of long term somatic and genetic effects of radiation releases from the facility during normal operation are a small fraction of the current incidence of actual cancer fatalities and actual genetic ill health in each generation. Estimation of cumulative risk instead of annual risk would not change that conclusion.



References

Advisory Committee on the Biological Effects of Ionizing Radiation, BEIR I, "The Effects on Populations of Exposure to Low Levels of Ionizing Radiation," National Academy of Sciences/National Research Council, November 1972.

Advisory Committee on the Biological Effects of Ionizing Radiations, BEIR III, "The Effects on Populations of Exposure to Low Levels of Ionizing Radiation," National Academy of Sciences/National Research Council, July 1980.

American Cancer Society, "Cancer Facts and Figures - 1979," 1978.

Oakley, D. T., "Natural Radiation Exposure in the United States," EPA Report ORP/SID 72-1, U.S. Environmental Protection Agency, Washington, D.C., 1972.

EDWARD F. BRANAGAN, JR.  
OFFICE OF NUCLEAR REACTOR REGULATION

PROFESSIONAL QUALIFICATIONS

From April 1979 to the present, I have been employed in the Radiological Assessment Branch in the Office of Nuclear Reactor Regulation of the U.S. Nuclear Regulatory Commission (NRC). As a Senior Radiobiologist with the Radiological Assessment Branch, I am responsible for evaluating the environmental radiological impacts resulting from the operation of nuclear power reactors. In particular, I am responsible for evaluating radioecological models and health effect models for use in reactor licensing.

In addition to my duties involving the evaluation of radiological impacts from nuclear reactors, my duties in the Radiological Assessment Branch have included the following: (1) I managed and was the principal author of a report entitled "Staff Review of 'Radioecological Assessment of the Wyhl Nuclear Power Plant'" (NUREG-0668); (2) I served as a technical contact on an NRC contract with Argonne National Laboratory involving development of a computer program to calculate health effects from radiation; (3) I served as the project manager on an NRC contract with Idaho National Engineering Laboratory involving estimated and measured concentrations of radionuclides in the environment; (4) I served as the project manager on an NRC contract with Lawrence Livermore Laboratory concerning a literature review of values for parameters in terrestrial radionuclide transport models; and (5) I served as the project manager on an NRC contract with Oak Ridge National Laboratory concerning a statistical analysis of dose estimates via food pathways.

From 1976 to April 1979, I was employed by the NRC's Office of Nuclear Materials Safety and Safeguards, where I was involved in project management and technical work. I served as the project manager for the NRC in connection with the NRC's estimation of radiation doses from radon-222 and radium-226 releases from uranium mills, in coordination with Oak Ridge National Laboratory which served as the NRC contractor. As part of my work on NRC's Generic Environmental Impact Statement on Uranium Milling (GEIS), I estimated health effects from uranium mill tailings. Upon publication of the GEIS, I presented a paper entitled "Health Effects of Uranium Mining and Milling for Commercial Nuclear Power" at a Conference on Health Implications of New Energy Technologies.

I received a B.A. in Physics from Catholic University in 1969, a M.A. in Science Teaching from Catholic University in 1970, and a Ph.D. in Radiation Biophysics from Kansas University in 1976. While completing my course work for my Ph.D., I was an instructor of Radiation Technology at Haskell Junior College in Lawrence, Kansas. My doctoral research work was in the area of DNA base damage, and was supported by a U.S. Public Health Service traineeship; my doctoral dissertation was entitled "Nuclear Magnetic Resonance Spectroscopy of Gamma-Irradiated DNA Bases."

I am a member of the Health Physics Society.

1 BY MS. MOORE:

2 Q Dr. Branagan, would you please provide a brief  
3 summary of your analysis and conclusions contained in your  
4 testimony?

5 A Yes. My testimony addresses Joint Intervenor's  
6 Contention II(e) which is concerned with the attachment of  
7 radioactive effluents from the Harris plant to ambient  
8 levels of coal fly ash. In addressing this contention, I  
9 have reevaluated the annual dose to a maximally exposed  
10 individual.

11 Inhalation of radioactive iodines and particulates  
12 constitutes the most direct means by which an individual  
13 could be exposed to radionuclides attached to coal fly ash.  
14 The annual dose to any order of the maximally exposed  
15 individual for the inhalation pathway was estimated in  
16 Appendix D of the FES, to be less than 2 percent of the  
17 annual dose design objectives in 10 CFR Part 50 Appendix  
18 I for all pathways of exposure to radioiodines and particulates.

19 In reevaluating the annual dose to a maximally  
20 exposed individual, I have conservatively assumed that  
21 100 percent of the radioiodines and particulates were  
22 deposited in the respiratory tract, rather than a value of  
23 75 percent that was used in the FES. The annual dose to  
24 any organ of the maximally exposed individual for the  
25 inhalation pathway is still less than 2 percent of the dose

4  
1 design objective.

2 The annual dose to the maximally exposed organ  
3 from all pathways of exposure to radioiodines and particulates  
4 is still less than a third of the applicable dose design  
5 objective.

6 My testimony contrasts with Dr. Mauro's and  
7 Dr. Schaffer's in that they estimated annual doses to the  
8 various organs of the maximally exposed individual, whereas,  
9 I reevaluated the annual dose to that body organ that was  
10 most limiting in the relation to the Appendix I dose design  
11 objectives.

12 JUDGE KELLEY: Is that the thyroid? Which organ  
13 is that?

14 THE WITNESS: I'm going to get to that. A large  
15 part of their testimony was concerned with the dose to the  
16 total body, whereas, I concentrated on the dose to the  
17 thyroid.

18 In contrast to Dr. Mauro and Dr. Schaffer's  
19 testimony, I have compared my estimated doses to the annual  
20 dose design objectives in 10 CFR 50, Appendix I.

21 MS. MOORE: Your Honor, the witness is now  
22 available for cross-examination.

23 JUDGE KELLEY: Thank you. Mr. Eddleman?  
24  
25

## CROSS-EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. EDDLEMAN:

Q Mr. Runkle is also going to have some questions but I will start in.

Dr. Branagan, in your resume and statement of professional qualifications attached to the back of your testimony -- do you have that before you?

A Yes, I do.

Q Okay. You received your Ph.D. in 1976, correct?

A That's correct.

Q And your doctoral research work was in the area of DNA-based damage by gamma radiation; is that correct?

A That's correct.

Q After that you went to work for the NRC, did you not?

A That's in my professional qualifications. That's correct.

Q And you have been continuously employed by the NRC in one position or another from that date?

A That's correct.

Q Doctor, on page of your testimony, you state in answer 3 that in your opinion the primary pathway of potential concern would be exposure via inhalation of radioactive iodines and particulates, do you not?

A That is what's in the testimony. That's correct.

1 Q I gather from your summary and from reading over  
2 your testimony that your analysis really doesn't take  
3 much account of tritium and noble gases, does it?

4 A The analysis I have here in this testimony is  
5 concentrated on the dose to the thyroid, rather than dose  
6 to the whole body from tritium and noble gases. And the  
7 reasons for that are stated in the testimony.

8 Q Okay. And do those reasons begin down in the  
9 middle of answer 3 with the sentence that says, "It is  
10 unlikely that radioactive noble gases would attach to coal  
11 fly ash to such an extent that they would present pathways  
12 of concern other than those already evaluated in the FES  
13 for several reasons."

14 A Yes. In regard to the doses from noble gases,  
15 that is where the reasons are.

16 Q And have you put all your reasons there, Doctor?

17 A Those are the principal reasons. There might  
18 be a few others, I guess.

19 Q All right, sir. Well, let's go over those  
20 reasons. You say first, "Noble gases are very stable  
21 chemically." Isn't it true that these noble gases decay  
22 radioactively into other chemical forms?

23 A That's correct.

24 Q Now what exactly do you mean by chemical stability  
25 there, Doctor?

7  
1           A       As I explain in the testimony, they exhibit  
2 very low reaction rates under ambient conditions.

3           Q       So when you say they are very stable chemically,  
4 what you mean is, that they do exhibit very low reaction  
5 rates under ambient conditions; correct?

6           MS. MOORE:  Objection, Your Honor.  Asked and  
7 answered.  He just answered that question.

8           JUDGE KELLEY:  Well, I think there's an ambiguity  
9 in the sentence in the record.  Could began be because in  
10 this sentence?

11          THE WITNESS:  Yes, that would be a valid way  
12 to read the sentence.

13          JUDGE KELLEY:  I think he was exploring what I  
14 thought was an ambiguity, but go ahead.

15          MR. EDDLEMAN:  Well, the judge has taken care of  
16 it.

17          BY MR. EDDLEMAN:

18          Q       The low reaction rates that you're talking about,  
19 are they rates of chemical reaction?

20          A       That's correct.

21          Q       All right.  You're not talking about adsorption  
22 or ionization or absorption or anything like this in this  
23 reason, are you, Doctor?

24          A       That particular sentence is concerned with  
25 chemical reaction.

8  
1 Q Now, your second reason is that although activity  
2 concentrations of radionuclides in coal fly ash have been  
3 measured, noble gases from nuclear power plants have not been  
4 detected in coal fly ash. And you give a reference there  
5 to UNSCEAR 1982, Annex C, do you not, if you turn over to  
6 page 3?

7 A That's correct. That's what the testimony says.

8 JUDGE KELLEY: Let me just make a seemingly small  
9 point, but it might expedite things a bit. I think it  
10 fair enough for you to quote a sentence and then ask a  
11 question. But you don't have to ask him whether he said it.  
12 If he said it, then we'll just go with that.

13 MR. EDDLEMAN: All right.

14 BY MR. EDDLEMAN:

15 Q Doctor, do you have a copy of that Annex C with  
16 you?

17 A Not on the witness stand, but I do have it in  
18 the courtroom.

19 Q All right, maybe we'd better come back to that  
20 after the break. But you say you do have a copy in the  
21 courtroom?

22 A That's correct.

23 Q Doctor, let me ask you if you know where was that  
24 fly ash measured that was dealt with in this U.N. report?

25 A Some of the locations within the United States.



9  
1 Some of them were in Australia and Germany.

2 Q How many nuclear power plants are in Australia,  
3 Doctor?

4 A I couldn't answer that. I don't know.

5 Q Do you know how many there are in Germany?

6 A I know there's more than one. The exact number,  
7 I don't know.

8 Q And you are familiar with nuclear power plants in  
9 the United States.

10 A Yes, I am.

11 Q Do you know what relation the locations of  
12 measurement of coal fly ash bear in the United States to  
13 the locations of nuclear power plants in the United States  
14 as they are dealt with in this report.

15

16

17

18

19

20

21

22

23

24

25

Page 2-1

1           A     There are a number of locations in the United  
2 States. There are some in the Eastern United States and  
3 some in the Western United States.

4           Q     Okay. Perhaps I had better wait and let you  
5 look at the report, but let me ask you one other question,  
6 if you know, now.

7                     Do you know how much time may have passed between  
8 the collection of the fly ash that was referred to in  
9 this UN report and the analysis for chemical content,  
10 including radionuclides?

11          A     No.

12          Q     Okay. I think it would be best to come back  
13 to this after the break, if we can.

14                     Doctor, may we turn to page 4 of your testimony?  
15 At the end of your Answer 5, which is up at the top of the  
16 page, you say, "The ICRP Committee II," -- Roman II --  
17 "assumed that 75 percent of the particles that were  
18 inhaled would be deposited in the respiratory tract."

19                     Isn't it true that that ICRP committee assumed  
20 that only 25 percent would be deposited into the deep lung?

21          A     That's correct.

22          Q     Okay. Isn't it likewise true that even of that  
23 25 percent deposited in the deep lung, ICRP Committee II  
24 assumed that half would be cleared from the lung within  
25 24 hours, while the other half would be cleared within

mgc 2-2

1 120 days?

2 (Pause.)

3 A The answer is yes and no, or maybe no and yes.  
4 You'd better wait a second.

5 The answer is no in regards to how it affects  
6 this testimony. The radionuclides that were the largest-dose  
7 contributors to the thyroid in my analysis were soluble  
8 radionuclides, and those were assumed to be taken up into  
9 the circulation system instantaneously.

10 In regards to insoluble radionuclides, what you  
11 did say would be correct. However, they are not important  
12 in my analysis.

13 Q I understand that you didn't treat the insoluble  
14 nuclides directly in your analysis, but, Doctor, do you  
15 have any knowledge as to the solubility of coal  
16 particulates?

17 A Very little knowledge in that regard.

18 Q Sir, would you please state what knowledge you do  
19 have?

20 A Well, I assume they are insoluble.

21 Q Okay. As far as you know, they are insoluble?

22 A That's correct.

23 Q In Answer 6 on the same page, you begin by  
24 saying, "The Staff has not determined the particle size  
25 distribution of fly ash from coal-fired power plants."

mgc 2-3

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Doctor, did you try to make such a determination?

A No, I did not. I did not think it was necessary for the analysis.

Q Do you know, Doctor, whether the size of particulates has any impact on the percentage deposited in the deep lung for coal particulates?

A Would you repeat the question?

Q Do you know whether the size of coal fly ash particulates has any impact on the percentage of those particulates which are deposited in the deep lung?

A Yes, there would be a relationship between them?

Q What would that relationship be, Doctor?

A My understanding is, that as the particle size increases, the deposition in the deep lung would decrease.

Q Let me ask you if this is a fair restatement of that, that as the particle size decreases, the deposition in deep lung would tend to increase?

A Over a certain range, that would be true, a certain range of particle sizes.

Q Do you know what the bottom of that range where this phenomenon takes place would be?

A I do not know the exact value.

Q Do you know an approximate value?

A I would say approximately one tenth of a micron AMAD.

mgc 2-4

1 Q That is median aerodynamic diameter?

2 A Activity median aerodynamic diameter.

3 Q Thank you, Doctor. Now you then state, "Assuming  
4 that the fly ash and the iodines and particulates formed  
5 particles of an optimal size such that all of the inhaled  
6 particles were deposited in the respiratory tract, then  
7 the preceding dose estimates would increase by a factor of  
8 one-third."

9 Now I would like to ask you a few questions about  
10 those assumptions.

11 When you say "deposited in the respiratory tract,"  
12 does that refer to anyplace in the respiratory tract, or  
13 does it refer to particular places in the respiratory tract?

14 A In regard to the analysis I have done for the  
15 thyroid, it doesn't make any difference which part of the  
16 respiratory tract they are deposited in.

17 Q Well, as to the impact of the dose on the lung,  
18 for example, or to other body organs or the whole body,  
19 couldn't it make a difference?

20 A Would you repeat the question.

21 Q As regards the impact of those radionuclides on  
22 the lung or other organs of the body besides the thyroid,  
23 couldn't it make a difference where they are deposited in  
24 the lung?

25 A Yes. But I did not specifically look at the doses

mgc 2-5

1 to the other body organs other than the thyroid. I chose  
2 the thyroid because that was the most limiting body organ  
3 to be exposed in relation to the annual dose design objectives  
4 in 10 CFR 50, Appendix I.

5 Q And your analysis of the thyroid was with respect  
6 to radioiodines and particulates, was it not?

7 A That's correct.

8 Q Isn't it true that in simply increasing the dose  
9 estimates by a factor of one-third, as you state in  
10 Answer 6, you have made no distinction between particulates  
11 deposited in the upper respiratory tract and particulates  
12 deposited in the deep lung?

13 MS. MOORE: Objection. Asked and answered.  
14 Dr. Branagan has already stated, Your Honor, that in his  
15 analysis, for the purposes of his analysis, it didn't matter  
16 in which portion of the respiratory tract the particles  
17 were deposited.

18 JUDGE KELLEY: Isn't that right?

19 MR. EDDLEMAN: Well, if she says so, I will  
20 accept it.

21 JUDGE KELLEY: Okay. Sustained.

22 BY MR. EDDLEMAN:

23 Q Doctor, in the calculating part of your answer  
24 where you talk about how the dose to the thyroid of the  
25 maximally exposed individual would be increased, is it fair

mgc 2-6

1 to say that you simply added a third to the value that  
2 you had already established for the FES to get your 0.3?  
3 Is that how you did it?

4 A That's correct.

5 Q Okay. Now, Doctor, in analyzing this maximally  
6 exposed individual, did you make any analysis of the  
7 concentrations of fly ash near the Harris plant or in the  
8 direction from the plant toward the maximally exposed  
9 individual?

10 A No. I did not think it was necessary to go into  
11 that detail.

12 Q What you, in effect, assumed, isn't it, was that  
13 if these particulates picked up all the iodines and  
14 radionuclide particulates that the ICRP model assumed were  
15 held in the lung, held them in the lung, then the dose  
16 would come out the way you calculated it? Isn't that  
17 your assumption, Doctor?

18 A Would you repeat that, please?

19 Q Sure. What you effectively assumed was that  
20 if the coal particulates moving past the Harris plant  
21 toward the maximally exposed individual picked up all of  
22 the radioiodines and particulates which the ICRP model  
23 assumes would be exhaled, rather than deposited in that  
24 individual, and deposited those in their lungs somewhere,  
25 then the dose would be as you calculated it?

mgc 2-7

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A I think that's a fair characterization, yes.

Q On page 5, Doctor, in Answer 8, you state your conclusions. Did you make any conclusions about deposition of radionuclides attached to coal particles on crops?

A I considered that pathway; however, I did not think it was a very significant pathway.

Q Doctor, where in your contention is this consideration -- I mean in your testimony -- where is the consideration of that pathway made?

End 2



mgc 3-1

1           A     It's not explicitly stated in the testimony.  
2 I didn't think it was necessary to state that.

3           Q     Did you even state that you had determined that  
4 this pathway, in your opinion, was not significant?

5           A     Yes. It's stated on page 2, Answer 3, the  
6 second line: "In my opinion, the primary pathway of  
7 potential concern would be exposure via inhalation of  
8 radioactive iodines and particulates, hereinafter referred  
9 to as iodines and particulates. This pathway constitutes  
10 the most direct means by which an individual could be  
11 exposed to radionuclides attached to coal fly ash."

12                     Now in the pathways that I have analyzed, the  
13 dose from inhalation was less than two percent of the  
14 dose design objectives in 10 CFR 50, Appendix I, for  
15 radioiodines and particulates. And those are three orders  
16 of magnitude below the public health and safety limits  
17 in 10 CFR Part 50.

18           Q     Doctor, if I understand you correctly, you are  
19 saying you identified the primary pathway of potential  
20 concern here, in your opinion, but you did not explicitly  
21 discuss other pathways; is that correct?

22           A     My testimony speaks for itself. I do not  
23 explicitly discuss the other pathways.

24           Q     Now, Doctor, I may have already asked you this,  
25 but did you make any study of the adsorption or absorption

Mgc 3-2

1 of noble gases or tritium on coal particulates in preparing  
2 this testimony?

3 A Adsorption of noble gases and tritium on coal  
4 particulates?

5 Q And/or tritium, let's say.

6 A Insofar as the second reason I have on the bottom  
7 of page 2, "Although the activity of concentrations of  
8 radionuclides in coal fly ash have been measured, noble  
9 gases from nuclear power plants have not been detected in  
10 coal fly ash." That was the study.

11 Q But you said that you didn't know how long it  
12 was between the collection of that fly ash and when it  
13 was analyzed.

14 A That's correct.

15 Q Doctor, did you make any study of the effect of  
16 ionization, either in tritiated water droplets or in  
17 noble gas atoms or in radionuclides which could decay from  
18 a noble gas state into a particulate state by changing into  
19 an atom -- in changing into an element, a chemical element --  
20 it's not a noble gas -- did you make any analysis of these  
21 matters as regards the attraction of those radionuclides  
22 for fly ash?

23 A No, I have not, in relation to the attraction for  
24 coal fly ash.

25 Q All right. So basically, you are just relying on

1 this UN report and its statement that these noble gases  
2 have not been detected in coal fly ash?

3 A That is one of the reasons that I gave in my  
4 testimony.

5 Q Well, --

6 A That's not the only reason.

7 Q It's the main reason, isn't it, Doctor, for your  
8 conclusion that it is unlikely that radioactive noble  
9 gases would attach to coal fly ash to such an extent, as  
10 you state in the upper part of your Answer 3, isn't it?

11 A Well, I also give the reason that noble gases  
12 are very stable chemically and exhibit very low reaction  
13 rates under ambient conditions.

14 Q Well, that's talking about a chemical reaction  
15 with the coal particulate, isn't it?

16 A That's referring to a chemical reaction.

17 Q And we've established that in using the term  
18 "low reaction rates" there, you are not talking about  
19 adsorption or absorption or ionization, haven't we?

20 A Yes. It refers to chemical reactions.

21 Q Well, now, isn't true, Doctor, that for an inert  
22 gas, the main means of attachment would be these physical  
23 means -- that is, ionization, adsorption, absorption,  
24 rather than chemical reaction?

25 A I don't consider myself an expert in the area

mgc 3-4

1 of adsorption. I didn't think it was necessary for this,  
2 because as I stated earlier, the doses are very small compared  
3 to the Appendix I dose design objectives, which, in turn,  
4 are three orders of magnitude below the public health and  
5 safety limits.

6 Q Doctor, just for clarity, could you state what  
7 that public health and safety limit you're referring to is  
8 in millirems per year, or whatever units it's in?

9 A 10 CFR Part 50, the dose to the total body is  
10 500 millirems per year.

11 Q Is there a limit in that Part for thyroid dose?

12 A It's not explicitly stated there; however, my  
13 understanding is, it's based on ICRP-2 which is based on  
14 a value of 30 rem to the thyroid for occupational exposure  
15 and would be one-tenth that for exposure to the general  
16 public.

17 Q So 3 rem per year?

18 A That's correct.

19 End 4  
20  
21  
22  
23  
24  
25

4-11  
1 JUDGE CARPENTER: Mr. Eddleman, since you  
2 interrupted, and I don't want to interrupt a lot, but it  
3 seems to me that the record would benefit at this point  
4 from the following question. It would sort of help me.

5 Dr. Branagan, you mentioned a series of questions  
6 about noble gases, and I'm not as familiar as you are with  
7 the details. I would like to ask the following question.  
8 Which noble gases may be emitted from a nuclear power plant  
9 that decay to ionized chemical forms that may become  
10 associated with particulates that may undergo further  
11 radioactive decay?

12 THE WITNESS: I'm sorry, Judge, I'm having  
13 difficulty following your question.

14 JUDGE CARPENTER: We're talking about noble gases,  
15 and I'm asking of the several -- I'm trying to get my  
16 thinking focused a little bit -- which of the noble gases  
17 that may be emitted from a plant would decay to form  
18 ionized chemical forms that might become associated with  
19 particles. And I am particularly interested in those which  
20 have decay chains so that subsequently they may undergo  
21 further radioactive decay.

22 THE WITNESS: I don't know that answer to the  
23 question.

24 JUDGE CARPENTER: Okay, thank you. Go ahead.

25 MR. EDDLEMAN: Judge, are you finished?

1 JUDGE CARPENTER: Yes, thank you.

2 BY MR. EDDLEMAN:

3 Q Let me try to follow up on that. Doctor, in your  
4 work do you deal with the decay chains of radionuclides?

5 A Occasionally I do, yes.

6 Q When you need to know the decay chain of a  
7 radionuclide, do you have that in your memory or do you  
8 look to references?

9 A I look to references.

10 Q What references would you look for decay chains  
11 of, say, noble gas radionuclides?

12 A The reference I usually refer to is the Radiological  
13 Health Handbook.

14 Q It's a standard reference work?

15 A Standard reference.

16 Q Who publishes that handbook?

17 A The Bureau of Radiological Health.

18 Q U.S. government?

19 A That's correct.

20 Q Is the Bureau of Radiological Health part of the  
21 Public Health Service, do you know?

22 MS. BAUSER: Could you speak up, Mr. Eddleman?  
23 I cannot hear you.

24 BY MR. EDDLEMAN:

25 Q Is the Bureau of Radiological Health part of the

1 Public Health Service?

2 A Part of the Food and Drug Administration which is  
3 part of the Public Health Service. That's my understanding.

4 Q Okay. So it is not an NRC publication?

5 A It's not an NRC publication.

6 Q Doctor, does this publication give the complete  
7 decay chain for various nuclides?

8 A Yes.

9 Q Okay. So you could look in that reference, say  
10 for krypton 85 or xenon 133 and find the decay chains that  
11 go from that particular noble gas nuclide, all the various  
12 modes of decay and what it decays into down to stable forms,  
13 could you not?

14 A That's correct.

15 Q Doctor, do you have any idea how many different  
16 forms are in a typical decay chain from a noble gas radionuclide  
17 I mean, does it go through, you know, one change and then  
18 become stable? Or does it particularly go through five or  
19 ten?

20 A It depends upon the radionuclide.

21 Q Okay. But again, you could find out how many  
22 forms it would decay into subsequently after decaying from  
23 a noble gas to its next form by consulting the standard  
24 reference work.

25 A That's correct.

1 Q And you would rely on the reference work statements  
2 is you had to use this information in your own work.

3 A That's correct.

4 Q Let me ask you this, do you have a copy of that  
5 handbook with you?

6 A No, I do not.

7 MR. EDDLEMAN: At this point, I am to the point  
8 where I can't ask any more of the questions I want to until  
9 Dr. Branagan has had a chance to look at his U.N. report.  
10 But I believe Mr. Runkle has a few questions that he can  
11 ask before we get to that point also.

12 JUDGE KELLEY: All right.

13 MS. MOORE: Your Honor, I would just like to ask  
14 a question. I thought it was supposed to be the rule that  
15 on Joint Contentions, one Joint Intervenor does the  
16 cross-examination. Is that a misunderstanding of the  
17 procedure?

18 JUDGE KELLEY: I think you're going to have to  
19 refresh my recollection. The only time we have talked about  
20 ground rules in this case that I know of, is that early May  
21 prehearing where various things were gone over. I think  
22 I have a copy of the transcript someplace. Did we establish  
23 that?

24 MS. MOORE: I thought we had.

25 JUDGE KELLEY: We may well have. I'm not sure.



1 Can you point me --

2 MS. MOORE: Unfortunately, I cannot. That's why  
3 I was asking the question. I thought when these contentions  
4 were originally consolidated that that was the purpose, to  
5 limit the amount of people who would be conducting  
6 cross-examination.

7 JUDGE KELLEY: So you are -- and again, I'm not  
8 disagreeing with you, I'm just trying to get it resolved.  
9 You are saying now that it wasn't something we talked about  
10 specifically last month, but rather something that is  
11 inherent in the notion of a consolidated contention?

12 MS. MOORE: That was my understanding.

13 MR. BARTH: Your Honor, Mr. Baxter and I are  
14 the only people here who were at the prehearing conference  
15 where this was discussed.

16 JUDGE KELLEY: Does anybody think we talked about  
17 it? I don't remember.

18 MR. BARTH: It's my recollection that the Board  
19 took the tact that we consolidated these for the purpose  
20 of simplifying the procedure, which would put on one person  
21 the burden of assuming responsibility for one of the Joint  
22 Intervenor contentions.

23 JUDGE KELLEY: Let me ask a narrower question.  
24 When we had a prehearing on the first of May in this case,  
25 did we talk about this point?

1 MR. BARTH: My recollection is yes, but I would  
2 have to check the transcript.

3 JUDGE KELLEY: Do you think we did?

4 MR. BAXTER: I don't recall that. I recall  
5 discussing consolidation in a general way back in July of  
6 '82 with the very first prehearing conference.

7 JUDGE KELLEY: There may be something there.

8 MR. BAXTER: We described how consolidation works,  
9 generally speaking. And I certainly thought, while we did  
10 not discuss it explicitly, the whole purpose was more that  
11 of -- of joint contentions was to have consolidated  
12 representation and an effort by the Intervenors for discovery,  
13 presentation of the evidence, cross-examination and proposed  
14 findings.

15 MR. BARTH: My recollection concurs with Mr.  
16 Baxter's, Your Honor.

17 JUDGE KELLEY: Fair enough, as far as it goes.  
18 It seems to me though, that that doesn't necessarily resolve  
19 the question that we are looking at right now. Namely,  
20 can you get questioning from different members of the Joint  
21 Intervenors during the course of the evidentiary hearing,  
22 provided of course that they don't go over the same grounds  
23 twice.

24 It's one thing to have four different Intervenors  
25 come up here and take different cracks at the witness and

1 keep going over the same ground. And certainly we're not  
2 going to do that. On the other hand, if Mr. Runkle's lines  
3 of questioning are distinct from those of Mr. Eddleman, is  
4 there a separate problem with that? Apart from the difficulty  
5 sometimes in distinguishing between lines of questions.

6 MR. BAXTER: I don't have one if both parties  
7 are here during the entire examination. I am concerned about  
8 really more down the road, for instance, on Joint Contention  
9 I, which will be very lengthy. We have different representative  
10 coming in and out and not hearing each other's examination  
11 even. And thereby, overlapping to a great extent.

12 JUDGE KELLEY: I'm not necessarily with the point  
13 that anybody is making. I mean, I have tried cases where  
14 counsel agreed that they wouldn't double-team. There would  
15 be one lawyer on one witness, and that is that.

16 And part of the reason was to avoid duplication.  
17 But if we've got, as we have this morning, two people in  
18 the same room and Mr. Runkle knows what Mr. Eddleman has  
19 been through, the hazard of somebody who just walked in out  
20 of the hall to go over the same ground is much, much lower,  
21 it seems to me.

22 MR. BARTH: Your Honor, with or without the  
23 jointness, the practice that I have incurred in the last  
24 12 years has been the practice that you have in federal  
25 district court, one attorney per witness. Rather than

1 teams of attorneys on the same side working over one  
2 witness.

3 JUDGE KELLEY: Is there a federal rule of civil  
4 procedure to that effect?

5 MR. BARTH: No, there is not, Your Honor.

6 JUDGE KELLEY: But you said it's a practice in  
7 the federal courts. I thought it varied from court to court.

8 MR. BARTH: I've tried 172 cases in federal court  
9 and I've never run into a team of lawyers on one party  
10 working over one witness.

11 JUDGE KELLEY: Well, why don't we take a short  
12 break? I'd like to see what my colleagues think of this,  
13 and Mr. Branagan can look at his -- I forget what it was,  
14 but you were going to look at something, right?

15 MR. EDDLEMAN: Judge, if you will, I don't think  
16 we've ever responded.

17 JUDGE KELLEY: I'm sorry. I agree. Just a minute,  
18 I'm sorry.

19 Let's go to you then, Mr. Eddleman.

20 MR. EDDLEMAN: Well, this is not meant to nitpick,  
21 but I am not an attorney. So, you know, you're talking about  
22 one person cross-examining. The Joint Intervenors, my lack  
23 of memory is about equal to Mr. Baxter's about how these  
24 things were discussed in the past. But the Joint Intervenors  
25 have always thought it would be more efficient for us to

9  
1 divide up cross-examination into different areas. And that's  
2 what we have done here. And we'd anticipate that we'd be  
3 doing the same thing on Joint I.

4 That rather than one person having to be there  
5 for say, seven days, cross-examining away, that one person  
6 could take one area and one person could take another. We  
7 don't know. For all we know, CP&L may put on a panel of  
8 37 witnesses all at the same time. We don't know how they're  
9 testimony is going to be divided up.

10 JUDGE KELLEY: There won't be 37 witnesses on any  
11 panel.

12 MR. EDDLEMAN: Well, I'm being a little facetious.  
13 But very large panels have been seen in some cases, and to  
14 tell you the truth, Judge, I'm sort of amazed that I can  
15 keep on asking questions for as many hours as I've been doing  
16 it. And I think at some point there's a kind of exhaust of  
17 intervenors that takes over.

18 And if we're not able to share these responsibilities  
19 then there is no meaning to the term Joint Intervenors at all.  
20 As long as we divide up the areas, even if counsel is not  
21 present, if we know that say, Mr. Runkle is going to cover  
22 some item and Mr. Payne is going to cover another, and I'm  
23 going to cover another; as long as we've got that pretty  
24 clearly divided up, I think if we make a mistake of a minor  
25 nature in getting over to something then counsel can object.

10

1           But it's much less efficient for us to try to get  
2 all this stuff into one person's head, than it is to use  
3 three of four people to cross-examine a complex situation.  
4 In this case, Mr. Runkle worked up with Dr. Johnson some  
5 questions. It turned out we had a couple of foul-ups with  
6 Dr. Johnson that made it very difficult if not impossible  
7 for me to talk with him about these things because I was  
8 already here asking questions of other witnesses.

9           So that's why we have this at this point. And  
10 I guess that's all the response I want to make right now.

11           JUDGE KELLEY: Mr. Runkle, any comment?

12           MR. RUNKLE: No.

13           JUDGE KELLEY: I think we should talk about this  
14 before making the ruling on the point for the morning. Let  
15 me just suggest to you that obviously we have a lot in  
16 front of us beyond just this morning in this case, but I  
17 don't see any reason why we can't adopt a somewhat flexible  
18 attitude, at least at this early stage. We may go one way  
19 today and find out it doesn't work very well. If not today,  
20 some other time, and then change it.

21           I don't think it's written in stone, in short.  
22 We're not going to decide some landmark procedural matter  
23 this morning. We're going to decide it for this morning's  
24 purposes, I would think and keep our eyes on the result and  
25 considering changing if it seems to be a wise thing to do.

11

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Why don't we take ten minutes and then we'll  
tell you. We'll give you a ruling on this. And Dr. Branagan  
can look at the document.

end 4

(Recess.)

mgc 5-1

1 JUDGE KELLEY: We are back on the record.

2 Dr. Branagan has a correction.

3 WITNESS BRANAGAN: Your Honor, I would like to  
4 make a correction to the response to a question that I gave  
5 Mr. Eddleman. I told him that the dose design objectives  
6 in Appendix I were approximately three orders of magnitude  
7 below the public health and safety limits. I should have  
8 said two orders of magnitude below the public health and  
9 safety limits.

10 JUDGE KELLEY: Okay. Let's just get back to the  
11 procedural question that we were talking about at the  
12 break, and we will make a ruling for this morning, and then  
13 say a word or two about the future.

14 For this morning, we are going to allow  
15 Mr. Runkle to do some cross-examining of Dr. Branagan.  
16 We are concerned, as a general matter, about duplicated  
17 questioning, but we don't see that it's much of a problem  
18 here. Mr. Runkle has been here all along with Mr. Eddleman.  
19 He knows where the questioning has been.

20 We are also concerned about unduly burdening  
21 one member of a group. I don't think that would happen  
22 here. But if we don't have some understandings about having  
23 different people put questions on a contention, I think  
24 that could become burdensome.

25 So for this morning, Mr. Runkle can go ahead.



mgc 5-2

1 Let me just say a couple of words, though, about the future,  
2 and particularly the management contention coming up in  
3 the fall. We haven't talked about this.

4 I suppose we will probably have a prehearing  
5 conference on that. If we don't, we'll at least have to do  
6 some work on the phone about how that particular hearing  
7 is going to be structured and the applicable groundrules.

8 It seems to me, when we get around to doing that  
9 sometime in August, one of the things we should look at is  
10 this very point, and there ought to be a clear understanding  
11 of how cross-examining could be done.

12 Now this morning, we were talking about having  
13 two counsel or more, two people crossing one witness. That  
14 is the only context in which I have seen that question arise.  
15 I don't know if any -- I'd be happy to stand corrected, but  
16 I haven't seen this applied contention by contention.

17 You weren't suggesting that, were you, Mr. Baxter,  
18 or were you?

19 MR. BAXTER: I'm sorry, Judge Kelley. That is  
20 applies on a contention basis?

21 JUDGE KELLEY: No. I'm saying that I don't think  
22 it does. Do you?

23 Take Joint Contention I, Management. Now you  
24 would be coming -- there might be a fairly long hearing on  
25 it; we don't know that, but there might be -- you would

mgc 5-3

1 envision in the course of that, that as to different  
2 witnesses, you might use two or three different lawyers to  
3 cross or question, correct?

4 MR. BAXTER: That's possible.

5 JUDGE KELLEY: Okay. So, too, would the Staff;  
6 so would the Intervenors. What we are talking about is  
7 doubling up on one witness; is that right?

8 MR. BAXTER: Or a panel.

9 JUDGE KELLEY: But then a panel is sort of a  
10 different case. They may be on longer. That's the kind  
11 of thing I think you ought to talk about and attempt to  
12 work out some understanding.

13 It might include, for example, if you intend  
14 to have -- if the Intervenors intend to have more than  
15 one person putting questions to a particular panel, for  
16 example and only as an example, you might want to say in  
17 advance, "I will deal with this; the other fellow will  
18 deal with that" and so on, so the other parties are at  
19 least on notice that they intend to do that. And the other  
20 parties may be opposed to that, and then we can argue about  
21 it. But that's the kind of thing that I'm suggesting ought  
22 to be discussed in advance of that hearing, so that we can  
23 at least have a clear ground when we go into it.

24 MR. BARTH: Your Honor, I would suggest that in  
25 my view, this would apply equally to a panel. We would

mgc 5-4

1 treat a panel as one witness. It's been my experience for  
2 twelve years of Federal experience that you have one lawyer,  
3 whoever is on the stand, whether it's one or more.

4 JUDGE KELLEY: We don't want to argue it this  
5 morning. That is a seprate issue, and there may be  
6 various issues bound up in this whole area. But that is  
7 the kind of thing I would like to see the parties work  
8 out, and to the extent they cannot work it out and disagree,  
9 bring it to the Board, and the Board will rule, and then  
10 we will know where we are.

11 For today, I think that's enough said on that  
12 subject.

13 You might think about, before we leave here,  
14 whether we should have a face-to-face prehearing in advance  
15 of the September 5 hearing, and if so, when. Maybe we  
16 should set at least a tentative date, or whether you think  
17 we don't need one. But before we break up, let us revisit  
18 that question.

19 So could we go now to Mr. Runkle? Do you want  
20 to go back to the question you had pending on the document  
21 that Dr. Branagan was going to look at?

22 MR. EDDLEMAN: I think it would be best to let  
23 Mr. Runkle go first, and then maybe I can come back to  
24 that.  
25

p. 5-5

## CROSS-EXAMINATION (CONTINUED)

BY MR. RUNKLE:

Q Dr. Branagan, in your testimony, you state that the primary pathway of potential concern of exposure would be the inhalation of particulates that have radioactive iodine somehow connected with it; is that correct?

MS. MOORE: Objection, Your Honor. Mr. Eddleman has already asked questions on the primary pathway, as far as I understand what he asked.

JUDGE KELLEY: Well, are you saying that this is "the" same question or the same general area?

MS. MOORE: He seemed to ask questions on Question and Answer 3, which discusses the most likely pathway that Dr. Branagan addressed.

JUDGE KELLEY: Well, you know, if that's the approach, then there's not much left. I think Mr. Eddleman asked questions on just about every question and answer in there, didn't he?

MS. MOORE: I believe he may well have, and that's the problem with allowing two attorneys in the same party to cross-examine.

JUDGE KELLEY: Well, let's see how serious a problem it is by overruling the objection, and you can go ahead for now. We'll see where it takes us.

If it's obvious that the question you are asking

mgc 5-6

1 has been asked before, I will sustain the objection. But  
2 go ahead.

3 THE WITNESS: Would you repeat the question?

4 BY MR. RUNKLE:

5 Q In your testimony, you state that the primary  
6 pathway of concern was exposure via the inhalation of  
7 radioactive iodines on the particulates; is that correct?

8 A No, that is not correct. I said the primary  
9 pathway of potential concern would be exposure via  
10 inhalation of radioactive iodines and particulates.

11 Q Are there iodines on the particulates?

12 A The particulates I refer to there are radioactive  
13 particulates.

14 Q As opposed to fly ash?

15 A That's correct.

16 Q What are some of these radioactive particulates?

17 A They are listed in the Final Environmental Impact  
18 Statement, Table D-1 on page D-4. The particulates include  
19 manganese-54, iron-59, cobalt-58, cobalt-60, strontium-89,  
20 strontium-90, cesium-134 and cesium-137.

21 Q Are there any transuranic radionuclides in the  
22 Environmental Statement there?

23 MS. MOORE: Objection, Your Honor. Transuranics  
24 are a source term consideration which are not relevant to  
25 this contention, and the Environmental Statement speaks for

mgc 5-7

1       itself.

2               JUDGE KELLEY: Excuse me a moment.

3               (The Board confers.)

4               JUDGE KELLEY: Can you give me a link, Mr. Runkle,  
5 between your question about transuranics and the focus of  
6 the contention, which is about the mechanics of things  
7 going through the air and into the lungs?

8               MR. RUNKLE: I'm just trying to establish which  
9 radionuclides do attach themselves to fly ash.

10              JUDGE KELLEY: Which particular ones?

11              MR. RUNKLE: Yes, which particular ones. I would  
12 imagine there are some that would have other effects  
13 other than on the thyroid.

14              JUDGE KELLEY: Excuse me.

15              (The Board confers.)

16              JUDGE FOREMAN: I guess the situation comes down  
17 to trying to see where you are going. Could you tell us  
18 what you intend to find out in asking what other nuclides  
19 Dr. Branagan thinks might attach to fly ash, and then what  
20 will you do with that information?

21              MR. RUNKLE: Okay. We have fly ash, and there  
22 would be different radionuclides that would be attached to  
23 it, either in the Final Impact Statement or someplace else  
24 in this source, and some of those would have different  
25 effects on different bodily organs. His study is based on

mgc 5-8

1 the assumption that they thyroid is by far the most  
2 sensitive organ, and there are several other organs, and  
3 cobalt and strontium may have an effect on different organs  
4 besides the thyroid.

5 JUDGE FOREMAN: My thought is that if you are  
6 questioning, then you should have some idea of the isotopes  
7 in which you're interested, and you should ask him, then,  
8 "Does this particular isotope attach to fly ash? If it  
9 does, why haven't you considered it?", if that's what  
10 you are trying to find out.

11 MR. RUNKLE: Well, he states that the only one  
12 he considered was the iodines, and also the noble gases  
13 were not considered, but all the other ones he has not  
14 considered. I can go down the whole list of radionuclides.

15 JUDGE FOREMAN: Ask him why he didn't consider  
16 them.

17 MR. RUNKLE: I certainly can do that.

18 JUDGE KELLEY: Go ahead.

19 JUDGE FOREMAN: If you want to shortcut it,  
20 why didn't he consider other radionuclides other than  
21 iodine?

22 BY MR. RUNKLE:

23 Q Dr. Branagan, why did you not consider any other  
24 radionuclides that might attach themselves to fly ash?

25 A We did consider other radionuclides that might

mgc 5-9

1 attach themselves to fly ash; however, the dose to the  
2 thyroid was the most limiting dose, and the doses from  
3 the other radionuclides, the dose to the thyroid, was  
4 essentially zero or very close to zero.

5 Q Are there other radionuclides that would have --

6 A Excuse me. From the inhalation pathway, anyway.

7 Q Would there be other radionuclides that can come  
8 through the inhalation pathway which may affect different  
9 organs?

10 A Yes.

11 Q And what are some of those radionuclides?

12 A They are the nuclides that are listed in Table D-1  
13 on page D-4.

14 Q And for some of those radionuclides, would there  
15 be other organs that are more sensitive to them?

16 A I have difficulty in answering your question  
17 "more sensitive."

18 Q Well, would there -- would, say, another organ,  
19 say a bone, be more sensitive to other radionuclides other  
20 than iodine which might attach themselves to fly ash --  
21 or the brain or the lungs?

22 A I have difficulty in answering your question,  
23 because it seems to have some basic misunderstandings in  
24 the question itself about how to calculate doses and how  
25 to calculate health effects, things of that sort.



mgc 5-10

1 JUDGE KELLEY: Your picking up thyroid as sort  
2 of the worst case?

3 THE WITNESS: That's right.

4 JUDGE KELLEY: Could you sort of explain in  
5 general terms why that is so?

6 THE WITNESS: Yes. In the Final Environmental  
7 Impact Statement, we evaluated doses to the thyroid and  
8 to various body organs from all pathways of exposure to  
9 radioiodines and particulates, and the dose estimates are  
10 provided in Appendix D. However, the thyroid was the most  
11 limiting body organ in relation to the dose design objective  
12 for radioiodines and particulates from all pathways of  
13 exposure. It was the most limiting.

14 JUDGE KELLEY: Is that because -- I'm sure this  
15 is a very simple question, but I'll go ahead anyway -- is  
16 that because the thyroid or the nature of the organ is  
17 more vulnerable to radiation, or is that because radiation  
18 naturally gravitates to the thyroid in larger amounts, or  
19 both?

20 THE WITNESS: It is not because the thyroid is  
21 more vulnerable to radiation. I would say it is because  
22 of a combination of factors. It is because of the quantities  
23 of radioiodines that are released from the plant, as  
24 compared to the other radionuclides that are released from  
25 the plant.

mgc 5-11 1

JUDGE FOREMAN: Maybe I could help a little.

2 I think what you have to say, you have said very clearly.  
3 The question that I think is arising or coming out is,  
4 aside from radioiodines, what other radioisotopes you  
5 might have considered that could have attached to fly ash,  
6 and why didn't you consider them, or why didn't you make  
7 a calculation for them?

8 If you did make a calculation for them, why  
9 aren't you presenting that information in the testimony?

10 THE WITNESS: I think I understand the question.

11 We calculated the dose to the thyroid from all  
12 radioiodines and particulates.

13 JUDGE FOREMAN: But why did you pick only on  
14 the thyroid? That's the question being asked, I believe.  
15 Why didn't you pick on any of the body tissues?

16 THE WITNESS: We did look at the dose to all body  
17 organs, and the dose to the thyroid was the highest dose  
18 from all pathways of exposure to radioiodines and  
19 particulates.

20 The dose to the other body organs was less.

21 JUDGE FOREMAN: You have said that quite  
22 clearly. But what I don't hear you saying is, what about  
23 the other radioisotopes, not just radioiodines, and the  
24 other radioisotopes in relationship to tissues and organs  
25 other than the thyroid?

mgc 5-12 1

THE WITNESS: Well, when we did the dose analysis for the FES, we included in our source term all radioactive iodines and particulates that were released from the plant.

JUDGE FOREMAN: We're not talking about iodines. We're saying other isotopes, not just iodines.

THE WITNESS: We included all other isotopes in particulate form that are released from the plant that are quantified in Table D-1, as well as the radioiodines.

JUDGE FOREMAN: Which include radionuclides that were not iodine, that were other elements?

THE WITNESS: That's correct.

End 5

13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

6pbl  
1 JUDGE FOREMAN: You included them and what did  
2 you find out?

3 THE WITNESS: Well, in our analysis, the dose  
4 to the thyroid from the inhalation of all radioiodines and  
5 particulates was dominated by the radioiodines in the tritium.  
6 The other radioactive particulates essentially contributed  
7 zero --

8 JUDGE FOREMAN: What about doses to other organs  
9 and tissues than the thyroid?

10 THE WITNESS: Doses to the other organs and the  
11 thyroid were less than the thyroid. And all radionuclides  
12 were included in the dose estimates to the other body organs.

13 JUDGE FOREMAN: Is it a fair conception of what  
14 you're saying that of all of the radionuclides that could  
15 be -- that can be taken in by inhalation, particularly  
16 particulates or radionuclides that could be attached to  
17 fly ash, the greatest dose to any of the tissues was to the  
18 thyroid? And that that comes about because the most abundant  
19 of the radioactive radioisotopes are the isotopes of  
20 iodine. Is that the concept you are trying to --

21 THE WITNESS: That's the concept. And I would  
22 also add that the dose conversion factors were the dose  
23 per unit of radioactive particulate inhaled. That's also  
24 an important factor that was included in the analysis.

25 JUDGE FOREMAN: Does that answer your question?

1 MR. RUNKLE: It does. It answers the question  
2 and it leaves some other questions open.

3 BY MR. RUNKLE:

4 Q Did you look at the effects of any of the  
5 radioactive iodines on any of the other organs besides the  
6 thyroid?

7 A If by effects, do you mean did I look at the  
8 doses, I would say yes we looked at the doses to the other  
9 body organs from radioiodines as well as all the particulates.

10 Q And what were some of the doses to the lung?

11 MS. MOORE: Objection. I don't understand the  
12 scope of the question. Doses to the lung and from what?

13 MR. RUNKLE: From inhalation of radioactive iodine.

14 JUDGE KELLEY: Just iodine?

15 MR. RUNKLE: Yes.

16 JUDGE KELLEY: All right.

17 THE WITNESS: You're asking what was the dose  
18 to the lung from the inhalation of only radioactive iodines.

19 BY MR. RUNKLE:

20 Q Yes.

21 A It would be less than .22 millirem.

22 Q What is the dose to the lung of the radioactive  
23 particulates?

24 A For the maximally exposed individual it would be  
25 less than .22 millirem.

3  
1 Q Let's change the tack a little bit. Dr. Branagan,  
2 in 1981 you published along with W. Passiak and F.J. Congle  
3 and J.E. Farroban, a study in the Health Physics, April 1981,  
4 a study on doses to the population from xenon 133 from the  
5 Three Mile Island accident, did you not?

6 A Yes, I was, I think the secondary or third author  
7 on that publication.

8 Q What were some of the pathways for radioactive  
9 xenon, xenon 133 to -- what were some of the pathways to  
10 the population --

11 MS. MOORE: Objection, Your Honor. Perhaps it's  
12 not an objection, but I think the witness should be provided  
13 with a copy of the document which is the subject of  
14 cross-examination. It was written in 1981.

15 JUDGE KELLEY: That's reasonable. Do you have  
16 a copy?

17 MR. RUNKLE: I do not have a copy of it.

18 MS. MOORE: Then, Your Honor, I don't believe  
19 that he should be permitted to cross-examine on a document  
20 that the witness cannot review. He cannot establish the  
21 context or anything in which the question is addressed.

22 JUDGE KELLEY: What's the scope and extent of  
23 this, Mr. Runkle?

24 MR. RUNKLE: Well, xenon 133 is a noble gas, and  
25 I'm just trying to find out what percentage of exposure

4  
1 to xenon 133 would come through inhalation of fly ash. There's  
2 probably a lot of pathways. What percentage of that is  
3 through inhalation.

4 JUDGE KELLEY: Let me ask Dr. Branagan, do you  
5 think that you could, with an acceptable level of confidence  
6 address questions about that article, not having looked at  
7 it again, or not?

8 THE WITNESS: It would depend upon what the  
9 particular question was. It has been three years since the  
10 article was published. And the article was written, at  
11 least the copies I saw were a few years before that.

12 JUDGE KELLEY: Well, let's try a question. You  
13 may have a point, Ms. Moore. Normally you should bring a  
14 copy, and we may sustain objections if the witness cannot  
15 respond. If you don't feel confident about a response, you  
16 should say so, and we will terminate the question.

17 BY MR. RUNKLE:

18 Q The question, Dr. Branagan, is what are the  
19 pathways of exposure for xenon 133?

20 A Direct radiation from the plume. The pathways  
21 that we looked at in the article you referenced.

22 Q Okay. What percentage of the exposure would  
23 come through inhalation of xenon 133? Either on fly ash or --  
24 let me rephrase that question.

25 What percentage of exposure would come through

5  
1 inhalation of xenon 133 in relation to fly ash?

2 A I would refer back to my testimony in answer 3.  
3 It is unlikely that radioactive noble gases would attach to  
4 coal fly ash to such an extent that they would present  
5 pathways of concern other than those already evaluated in  
6 the FES. And the reasons are given in the testimony.

7 MR. RUNKLE: I have no other questions, Your  
8 Honor.

9 JUDGE KELLEY: All right.

10 MR. EDDLEMAN: Judge, this brings us to the point --

11 BY MR. EDDLEMAN:

12 Q Dr. Branagan, did you get a chance over the break  
13 to get out your copy of the U.N. document that you referenced  
14 in that answer about noble gases?

15 A Yes, I have a copy of the report.

16 Q Have you had a chance to look at the Annex C  
17 that you referenced in your testimony?

18 A My understanding is there wasn't a specific  
19 question in relation to Annex C. The direction was to get  
20 a copy of it and I have it here.

21 Q All right. Well, the reference is in Annex C,  
22 is it not?

23 A That's correct.

24 Q Can you show me what page or pages of Annex C  
25 you reference?



6  
1           A     Annex C covers a number of topics. I've looked  
2 at a number of pages in Annex C. Page 108, 109 contains  
3 relevant information. Page 112 and page 125.

4           Q     Those are the principal pages that appear to you  
5 to contain the information that you relied on?

6           A     That's correct.

7           Q     May I take a look over your shoulder at those  
8 pages?

9           JUDGE KELLEY: Can we have the source or can you  
10 say where that came from?

11          THE WITNESS: This is a report by the United  
12 Nations Scientific Committee on the Effects of Atomic  
13 Radiation 1982 report to the General Assembly with annexes.  
14 The title of the report is ionizing radiation sources and  
15 biological effects.

16          JUDGE KELLEY: Thank you.

17          BY MR. EDDLEMAN:

18          Q     All right. If we may start, Annex C starts on  
19 page 107, doesn't it?

20          A     That's correct.

21          Q     On page 108 the title of the main section that  
22 begins on this page is radiation exposures due to coal-fired  
23 power plants, correct?

24          A     That's correct.

25          Q     Can you point out to me on this page where the

7  
1 information that you're relying on mainly is?

2 A Section 2 of that particular page, 108, activity  
3 concentration in ash, and the following page, page 109.

4 Q All right. Now, the activity concentrations in  
5 ash -- it says here that, "The fly ash is carried through the  
6 boiler along with hot flue gases and any volatilized mineral  
7 compounds to the stack. We are depending on the efficiency of  
8 emission control devices. Some fraction is collected while  
9 the rest escaping fly ash is released to the atmosphere."

10 So far so good?

11 A I think you just read from page 108.

12 Q All right. Now, it then says that, "Table 2  
13 presents a list of reported activity concentrations of  
14 natural radionuclides in bottom ash, collected fly ash,  
15 and escaping fly ash."

16 What do you understand the term natural radionuclides  
17 to mean there, Doctor?

18 A That would be radionuclides that are naturally  
19 occurring in fly ash.

20 Q That are naturally occurring in the coal?

21 A In fly ash.

22 Q Well, where do the natural radionuclides in  
23 fly ash come from, Doctor?

24 A They come from the coal.

25 Q The coal that's burned to make the fly ash?

1 A That's right.

2 Q Now, in this section, I still can't see a reference  
3 to noble gases from nuclear plants. Let me ask you this,  
4 is there anything in this section or anywhere else in this  
5 report that you know of that discusses the concentration, if  
6 any, of radioactive noble gases in coal?

7 A No. I didn't see noble gases activity for the  
8 coal or the fly ash in the UNSCEAR report.

9 Q And UNSCEAR is the short name of the United  
10 Nations Scientific Committee on the Effects of Atomic Radiation,  
11 the agency that put together this report, is it not, Doctor?

12 A That's correct.

13 Q Doctor, would you expect, based on your knowledge  
14 of the half-lives of noble gases, their decay products that  
15 there would be any measurable amount of radioactive noble  
16 gases in coal?

17 A No. As I indicated in my testimony, I did not  
18 think that it would be very likely that radioactive noble  
19 gases would attach to coal fly ash. And I guess you could  
20 also probably say for coal, although I haven't specifically  
21 evaluated that.

22 Q Let me ask you this, are you familiar with the  
23 origin of coal deposits, how many million years ago they  
24 may have been laid down.

25 A I'm not really familiar with that.

9  
1 Q All right. So you couldn't say one way or another  
2 whether the age of the coal would, when compared to the  
3 half-lives of these noble gases indicate anything about how  
4 much noble gas may be in coal, even if there were some there  
5 when you started? Radioactive noble gases.

6 A I think you made a statement.

7 Q I said, you couldn't say anything about that  
8 one way or another, could you, based on your knowledge?  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

end 6

mgc 7-1

1 A Would you repeat the question?

2 Q All right. You could not, from your own knowledge,  
3 compare the geological age of the coal with the halflives  
4 of noble gas radionuclides and draw any conclusion from  
5 that as to the likely concentrations of radioactive noble  
6 gases that might remain in naturally-occurring coal, could  
7 you?

8 JUDGE FOREMAN: Mr. Eddleman or Dr. Branagan,  
9 if you will excuse me, I would like to interrupt, because  
10 I am concerned about what you are saying.

11 In the testimony, the statement that was of concern  
12 and that led to looking at the UNSCEAR report says,  
13 "Although radioactive concentrations of radionuclides in  
14 coal fly ash have been measured, noble gases from nuclear  
15 power plants have not been detected in fly ash."

16 He didn't say anything about noble gases that might  
17 be present in fly ash, quote, "naturally." That isn't at  
18 issue at all.

19 MR. EDDLEMAN: Judge, what I'm trying to do,  
20 I think if you measure your concentration of radioactive  
21 noble gas on the fly ash, okay, if it is possible that  
22 some of that radioactive noble gas was in the coal to start  
23 off with and stayed on the fly ash, then you would have  
24 a problem distinguishing, because a radionuclide itself  
25 doesn't come with a little tag that says, "I came from" --

ngc 7-2

1 JUDGE FOREMAN: Are you saying that there wasn't  
2 any detected at all?

3 BY MR. EDDLEMAN:

4 Q Is that what you said, Doctor?

5 A Yes.

6 Q Okay. Let's go to that point, then. Where in  
7 this document does it tell us about the checking for noble  
8 gases on -- for nuclear plants on coal fly ash particles?  
9 Where is that discussed, Doctor?

10 A There is a basic misunderstanding here. The  
11 document is not primarily concerned with the detecting of  
12 radionuclides from nuclear power plants on fly ash. But  
13 they have measured the activity of various radionuclides  
14 in fly ash and nuclides from power plants that have not been  
15 detected were not listed.

16 Q Well, then, let me ask you this. Do you know  
17 whether analysis was made of this coal fly ash to detect  
18 radioactive noble gases? Were those specifically examined  
19 for?

20 A I cannot say specifically. I would assume that  
21 if they had detected radioactive noble gases from nuclear  
22 power plants, that they would report these values.

23 Q Well, Doctor, where in this document does it  
24 describe the sort of analysis or examination of this fly  
25 ash for radioactive materials that was conducted? Can you

ngc 7-3

1 point that out to me?

2 A There is a range of values that is given in  
3 Table 2 of the document, and the reference for each of the  
4 values is included.

5 Q All right. Now this Table 2 appears on page 125  
6 of this document, does it not?

7 A That's correct.

8 Q And the nuclides that are listed in this table  
9 are potassium-40 and the uranium-238 decay series and  
10 the thorium-232 decay series, are they not, Doctor?

11 A That's correct.

12 Q Okay. No values for noble gases appear in this  
13 table, do they?

14 A That's correct.

15 Q Okay. Just for clarity's sake, in Table 1 on  
16 page 124, this gives activity concentrations of radionuclides  
17 in coal samples for those same sets of nuclides that are  
18 listed in Table 2, with one possible exception. That is  
19 228-thorium, is it not, Doctor?

20 A That's correct.

21 Q Okay. Now is there any note to Table 2 that  
22 discusses noble gases?

23 A No, I'm not aware of where they have detected  
24 any noble gases in the fly ash.

25 Q You are not even aware of whether this reference

mgc 7-4

1 in this table looked for noble gases in the fly ash, are  
2 you?

3 A I can't say that for a fact.

4 Q All right.

5 A However, I would not that there were many studies  
6 done, as they are listed on page 125. And it would seem  
7 likely, if they detected significant quantities of noble  
8 gases in fly ash, that these would be reported.

9 Q Well, but you don't even know if this -- wait  
10 a second -- the title of Table 2, if I read it correctly,  
11 says "Activitiy Concentrations of Natural Radionuclides  
12 in Ash Samples."

13 Are these radioactive nuclides released from  
14 nuclear power plants considered to be natural radionuclides?

15 A No, they would not be natural radionuclides.

16 Q So this table, then, would not report those,  
17 would it, by its title?

18 A I think the text would indicate that. If  
19 radioactive noble gases were detected in this, I think that  
20 would be mentioned in the text.

21 Q All right, but it's not in the table, is it?

22 A It's not in the table.

23 Q In fact, of these many studies, not any study  
24 reports on every radionuclide, does it, Doctor?

25 A Not every study reports on every radionuclide.



mgc 7-5

1 Q In other words, some of these studies report  
2 one or two radionuclides; some report four or five; some  
3 report three and so on, rather than all eight that are  
4 listed across the top; isn't that correct?

5 A That's correct.

6 Q And that is just as true of fly ash, as it is  
7 for bottom ash, isn't it?

8 A That's correct.

9 Q Isn't it also true that even as far as fly ash  
10 goes here, the sources listed for the United States are  
11 West Wyoming-1 and Wyoming-2?

12 A For the escaping fly ash, those are listed. There  
13 are other values listed for collective fly ash and bottom  
14 ash -- other locations in the United States.

15 Q Okay. This contention is concerned with the fly  
16 ash which has escaped, is it not?

17 A Yes, it is.

18 Q Ambient fly ash loose in the environment which  
19 would have escaped?

20 A That's correct.

21 Q Okay. Doctor, I'm going to go back to the text  
22 that you mentioned that might have some reference to noble  
23 gases in it in a moment.

24 But what I'm trying to do is see if in any of  
25 these other tables, of which there are quite a number here,

mgc 7-6

S2BU1

1 any noble gases, radioactive noble gases, are listed at  
2 the top of the tables. The only radioactive noble gas that  
3 I am finding in these tables is 222-radon.

4 Would you agree that appears in Tables 5 and 6?

5 A Radon-222 is included there, as well as radon-220.

6 Q All right. That is correct.

7 Radon-222 occurs both naturally and as an emission  
8 from nuclear power plants, doesn't it?

9 A It occurs naturally. I'm not aware that it's an  
10 emission from nuclear power plants.

11 Q The uranium in a nuclear power plant contains a  
12 good bit of uranium-238, does it not?

13 A Yes, it does.

14 Q And doesn't that eventually decay into radon-222?

15 A Yes, it does.

16 Q So are you saying that the amount of 222-radon  
17 that is produced by this decay in a nuclear plant is not  
18 significant, in your view? It is not measurable perhaps?

19 A I'm getting into an area where I am not the  
20 person directly responsible. In our analysis, we had a  
21 person who specializes in the source term of what comes out  
22 of the reactor and another person who specializes in  
23 meteorology and then myself. I specialize in the tail end  
24 of the dose calculations.

25 My understanding is that radon-222 does not come

mgc 7-7

1 out of the reactor.

2 Q So then this would all be natural radon that's  
3 referred to here, coming from sources in the coal?

4 JUDGE CARPENTER: Excuse me. I've lost track.  
5 Are you looking at a table that relates to nuclear power  
6 plants or the combustion of coal?

7 MR. EDDLEMAN: All of these tables, so far as I  
8 know, relate to coal. We are looking at Tables 5 and 6.  
9 The title of Table 5 is "Committed Doses Per Unit Activity  
10 Inhaled," and it gives units of the most important natural  
11 radionuclides released from coal-fired power plants. And  
12 Table 6 is "Estimates of Collective Dose Commitments Per  
13 Unit Energy Generated Resulting from Atmospheric Releases  
14 from Coal-fired Power Plants."

15 BY MR. EDDLEMAN:

16 Q Doctor, this Table 6 lists basically the same  
17 radionuclides as are listed in Table 5, does it not?  
18 I think possibly with the exception of the 222-radon and  
19 daughters.

20 A Mr. Eddleman, could you relate this to my testimony?  
21 I'm having difficulty. This Appendix C deals with a lot  
22 of material, not all of which is related to my testimony,  
23 in my opinion.

24 Q All right. Well, Doctor, you are saying that  
25 if they had found a concentration of noble gas, that it

mgc 7-8

1 would be reported. Are there any tables in this Annex C  
2 which show a concentration of noble gas that is a  
3 radionuclide that is emitted from a nuclear power plant?

4 A There are a lot of things in Appendix C.

5 Q Annex C, you mean, don't you?

6 A Annex C, that are not related to my testimony.  
7 Some of it is; some of it isn't. There's a table in here  
8 on the breakdown of adsorbed dose and dose --

9 JUDGE FOREMAN: Why don't you look only at those  
10 that are related to your testimony that you used for  
11 reference?

12 THE WITNESS: Okay. Mr. Eddleman has been asking  
13 me questions about some of the other tables.

14 JUDGE FOREMAN: I know. But I think he is really  
15 asking you with respect to your reference to that  
16 particular section. So why don't you concentrate on that?

17 THE WITNESS: Okay.

18 (The witness reviews the document.)

19 JUDGE KELLEY: Do you need a break to do that?

20 THE WITNESS: No.

21 JUDGE FOREMAN: You should have been able to go  
22 right to it. You make a reference in your testimony. Go  
23 to that place that you referenced.

24 THE WITNESS: Yes. The table that I referenced  
25 was Table 2, and there are no radioactive noble gases --

mgc 7-9

1 JUDGE FOREMAN: It doesn't even say they looked  
2 for it.

3 THE WITNESS: It doesn't specifically say they  
4 looked for it. That's correct.

5 JUDGE FOREMAN: So that reference doesn't have  
6 any meaning at all for what you are saying. You aren't  
7 sure that your statement has meaning, are you?

8 THE WITNESS: I would have to say, I would think  
9 if they had detected radioactive noble gases, they would  
10 have reported it in this appendix.

11 JUDGE FOREMAN: But, I mean that is sort of a  
12 negative approach. If they had detected anything that  
13 you want to name, you could make that statement. But is  
14 that really why you make a reference there?

15 THE WITNESS: It is indirect, in my opinion, a  
16 sort of conclusion to base my statement that it is unlikely  
17 that radioactive noble gases would attach to coal fly ash  
18 to such an extent that they would present pathways of  
19 concern, other than those already evaluated in the FES.

20 JUDGE FOREMAN: But they are only looking for  
21 the natural. That's what the table says. Is that true?

22 THE WITNESS: The table heading is for the  
23 natural radionuclides. That is correct.

24 JUDGE FOREMAN: I'm sorry to interrupt.

25 MR. EDDLEMAN: That's quite all right, Judge.

mgc 7-10 1

I thank you.

2

BY MR. EDDLEMAN:

3

Q Doctor, let me ask you this. As to the sources referenced in this Table 2 for the studies of escaping fly ash, have you personally examined any of these studies to see whether they report specifically on noble gas radionuclides from nuclear power plants?

4

5

6

7

8

A No, I have not.

9

10

11

12

Q I believe you also mentioned that perhaps the text could shed some light on this table. Can you point me to where in this Annex C the text discusses this table, Doctor?

13

(Pause.)

14

15

A Table 2 is specifically discussed in the first paragraph on page 109.

16

17

18

Q Okay. Do you find anything in that paragraph concerning examination of this coal fly ash for radionuclides released from nuclear power plants?

19

20

21

22

23

24

25

26

A No, I don't.

Q This paragraph is relatively short. I think I would like to read it. It says, if I can begin where the paragraph begins over on 108, "The radionuclides included in the noncombustible mineral matter are thus partitioned between the bottom ash and fly ash, except for the gases and volatilized minerals which will be incorporated directly into the flue gases."

1 "Table 2 presents a list of reported activity concentra-  
2 tions of natural radionuclides in bottom ash, collected fly  
3 ash and escaping fly ash. Owing mainly to the elimination of  
4 the organic component of the coal, there is very approximately  
5 an order of magnitude enhancement of the activity concentra-  
6 tions from coal to ash.

7 "Consequently, the natural radionuclide concentrations  
8 in ashes and slags from coal-fired power stations are  
9 significantly higher than the corresponding concentrations in  
10 the earth's crust, Reference L-4." And then it gives the  
11 arithmetic averages of the concentration in escaping fly ash  
12 from Table 2 in becquerels per kilogram." Is that right?

13 A That's correct.

14 Q And then it gives numbers --

15 THE REPORTER: Could you spell that, please?

16 BY MR. EDDLEMAN:

17 Q B E C Q U E R E L S. Is that correct?

18 A BQ is the abbreviation.

19 Q Okay. BQ per kilogram, and it gives them for  
20 potassium-40, uranium-238, radium-226, lead-210, polonium-210,  
21 thorium-232, throrium-228 and radium-228; does it not, Doctor?

22 A That's correct. You read the paragraph.

23 Q And I read it correctly as far as you follow?

24 A Yes.

25 Q Okay. And that's the end of the paragraph there,

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

isn't it, Doctor?

A Yes.

Q Doctor, I believe you already testified that you  
didn't know how long it took between the collection of the



1 coal ash and the analysis that was made and reflected in  
2 this annex. Do you know anything about how the analysis  
3 was made of this coal fly ash?

4 A As I stated earlier, I haven't read the individual  
5 studies that are referenced in this report.

6 Q So you don't even know if these analyses looked  
7 for radionuclides from nuclear power plants in this coal  
8 fly ash, do you?

9 A I do not know that for a fact.

10 Q Do you know, Doctor, in any of these studies,  
11 whether the ash was trapped right as it came out of the  
12 stack, or whether it was trapped from the environment after  
13 it might have been exposed to a direction with radionuclides

14 MS. MOORE: Objection, Your Honor. The witness  
15 has already testified that he has not read the individual  
16 studies which comprise the report.

17 MR. EDDLEMAN: Judge, may I comment?

18 JUDGE KELLEY: Yes, do.

19 MR. EDDLEMAN: Whether he has read these studies  
20 or not, he might know whether this fly ash that is analyzed  
21 in these studies has even been exposed to ambient air outside  
22 of the coal-fired power plant. And that's what I want to  
23 get at.

24 MS. MOORE: Your Honor, he is specifically  
25 referring to the studies. And the witness has testified to

1 his knowledge of those studies.

2 JUDGE KELLEY: I think the question is different.  
3 Overruled.

4 BY MR. EDDLEMAN:

5 Q Doctor?

6 A No, I don't know just where the fly ash was  
7 collected, other than it was escaping fly ash as reported  
8 in the table.

9 Q Right, okay. So wouldn't it be fair to summarize  
10 what we have gone through here to say that there is no  
11 definite information in this annex, or in what your personal  
12 knowledge is of the studies reported in this annex that  
13 tells whether or not these studies really looked for  
14 radionuclides from nuclear power plants on coal fly ash.

15 A Yes, I think I stated before that I do not  
16 definitely know that they did look for radionuclides on coal  
17 fly ash. However, it seems quite possible that they did.

18 And those values would be reported if significant  
19 concentrations were found on coal fly ash they would be  
20 reported here, either in the tables or the text.

21 Q Doctor, is there any other place in the text that  
22 we have not looked at already where you know that this  
23 Annex C discusses radionuclides of noble gases released from  
24 nuclear power plants? Can you find me any reference to it  
25 in this annex?

1 A No, I guess I couldn't.

2 Q Okay. So then your opinion in your second reason  
3 on pages 2 and 3 of your testimony is based on your opinion  
4 that if this report had found -- if the studies that are  
5 reflected in this Annex C of this U.N. report had found  
6 noble gases from nuclear plants on the coal fly ash that  
7 it would have reported it. That's the basis for your opinion  
8 there, isn't it?

9 A Yes. If the individual studies found radioactive  
10 noble gases from nuclear power plants, if they found those  
11 being concentrated in radioactive coal fly ash, I would  
12 think they would report it there.

13 Q All right. Doctor, is there anything in Annex  
14 C that even discusses any nuclides emitted from nuclear  
15 power plants, as far as you know?

16 JUDGE KELLEY: I think you have worked that one  
17 rather thoroughly, Mr. Eddleman.

18 MR. EDDLEMAN: Well, if you think the record is  
19 sufficient, Judge, I'm not going to pursue it.

20 JUDGE KELLEY: I think it's more than sufficient.  
21 Why don't you move on?

22 BY MR. EDDLEMAN:

23 Q All right. Doctor, I believe you may have already  
24 said this, Doctor, but let me ask to be clear in my own  
25 mind. Is there any other information other than that Annex

5

end 8

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C which rely on to support your second conclusion on pages  
2 and 3 of your testimony regarding noble gas radionuclides  
attached to coal fly ash?

mgc 9-1

1           A     The only other reference, I would say, is I have  
2 spoken with individuals from the Effluent Treatment  
3 Systems Branch that are concerned with the source term,  
4 what comes out of the plant, and they have also indicated  
5 that they did not think that, based upon their knowledge,  
6 radioactive noble gases would contribute significantly or  
7 would attach significantly to coal fly ash to such an  
8 extent that they would change the basic dose estimates  
9 that we provided.

drop

10           Q     Doctor, is the Effluent Treatment Systems Branch'  
11 part of the NRC?

12           A     They are.

13           Q     These are not people, then, who routinely  
14 analyze coal fly ash or deal with pollution control and  
15 coal fly ash, are they?

16           A     No, they are not; however, they are familiar  
17 with filtration systems for nuclear power plants.

18           Q     But that wouldn't have anything to do with coal  
19 fly ash itself, would it?

20           A     I think there are some similarities between the  
21 two. That's my understanding.

22           Q     Are electrostatic precipitators commonly used  
23 to control noble gases coming out of nuclear power plants?

24           A     No.

25           Q     Are cyclones commonly used to control either

mgc 9-2

1 radioactive noble gases or radioactive particulates coming  
2 out of nuclear power plants?

3 MS. MOORE: Objection, Your Honor. This is  
4 irrelevant to the subject of the witness' testimony.

5 MR. EDDLEMAN: He said he thought there were  
6 similarities between the pollution control methods between  
7 coal plants and nuclear plants.

8 MS. MOORE: I don't believe he stated pollution  
9 control methods. I think that is Mr. Eddleman's statement.

10 MR. EDDLEMAN: He said filtration systems, and  
11 he said he thought they were different.

12 JUDGE KELLEY: Would you restate your question,  
13 Mr. Eddleman?

14 MR. EDDLEMAN: Perhaps, Judge, I can save all of  
15 this by backing up to a more fundamental question.

16 BY MR. EDDLEMAN:

17 Q Doctor, when you say filtration systems for  
18 nuclear plants are similar to those dealing with coal fly  
19 ash, what does that statement mean as regards coal fly  
20 ash pollution control systems?

21 A In discussions with other people who are more  
22 knowledgeable in this area on the source term, what comes  
23 out of the reactor, than I am, they have indicated that  
24 you might be able to do an analysis by comparing the coal  
25 fly ash with the charcoal filters that are used in a nuclear

mgc 9-3

1 power plant. There would be some similarities, and you can  
2 make some approximations in the area.

3 Q All right. So what you are saying, then, was,  
4 there are similarities between the absorption characteristics  
5 of the activated charcoal used in nuclear plants and the  
6 likely absorption characteristics of coal particulates for  
7 the same radionuclides; is that correct?

8 A That is my understanding, but I would have to say  
9 that I am not an expert in the area of waste treatment  
10 systems for nuclear power plants.

11 Q I understand, Doctor. Have you looked at  
12 Attachment 2 of the testimony of the Applicants' witnesses  
13 on this contention?

14 A Yes, I have.

15 Q I believe in the footnotes to their table in  
16 that attachment, there is reference made -- and I think it  
17 is Footnote 3 -- to activated charcoal and a reduction  
18 factor accounting for differences in specific surface area  
19 of activated charcoal and coal fly ash particulates.

20 Can you locate that, Doctor?

21 A Yes, I can.

22 JUDGE KELLEY: Can you help the rest of us?  
23 Where is it? What page is it?

24 MS. BAUSER: It is page 2-3.

25 MR. EDDLEMAN: It's on page 2-3.

mgc 9-4

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

JUDGE KELLEY: Footnote 3?

BY MR. EDDLEMAN:

Q It is Footnote 3, isn't it, Doctor?

A Footnote 2.

Q Okay. That's my mistake.

Doctor, based on your knowledge and your discussions with these people in the Effluent Treatment Systems Branch at the NRC, is the kind of relationship that they are talking about here similar to the relationship that you discussed with your people at the NRC? That is, it's a comparison between the absorption of radionuclides on activate charcoal filters for nuclear plants and the absorption of those nuclides on coal fly ash?

A I am not familiar with the specific methods, how they, I guess, came to their conclusion. This is an area I do not have much expertise in, so that's all I can say.

Q Okay.

A In regard to the attachment of coal fly ash and radioactive particulates to coal fly ash, that absorption, because I don't claim expertise in that.

MR. EDDLEMAN: No more questions.

JUDGE KELLEY: Okay.

We might take a break pretty soon. Are the Applicants going to have questions?

MS. BAUSER: I think I have a few.



mgc 9-5

1

JUDGE KELLEY: Do you want to take a break now?

2

MS. BAUSER: I would like to take a break,

3

because I'd like to take a look at that international

4

study.

5

JUDGE KELLEY: Let's take a ten-minute coffee

6

break.

7

(Brief recess.)

End 9

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

10pbl

1 JUDGE KELLEY: We are back on the record. Let's  
2 just take a minute to comment and maybe get comments from  
3 counsel on the question of exhibits in the case. Not exhibits,  
4 contrasted to exhibits.

5 What I'm thinking about now is that we are having  
6 some questioning on a document, or a book rather which I  
7 gather there is only one copy in the courtroom. And it  
8 is very hard for the Board and other counsel to follow where  
9 the discussion is going. We let it go this morning.

10 If you have a formal exhibit, the rule spells  
11 out how many copies you have to come up with. It is quite  
12 a few. You have to give the reporter three or four, and  
13 all parties and it's a lot of xeroxing. That is one thing.

14 It's another thing when you are using a monograph  
15 or a book or something as the basis for cross-examination.  
16 You're not necessarily going to put it in as an exhibit,  
17 but you're going to ask questions on the basis of it. The  
18 practice that I'm familiar with, and I suppose it can be  
19 varied, is that counsel who wants to cross-examine on a  
20 document like that brings in enough copies so they can  
21 distribute them informally among the Board and counsel, but  
22 not the total number that you need for formal exhibits.  
23 This holds down copying costs a bit. But at the same time,  
24 it allows participating to follow what is being done.

25 In this case, as I recall it, we had a document

2  
1 that the witness referred to, and you then asked about that.  
2 And then that surfaced, and off we went. Maybe I could just  
3 get some reactions.

4 Mr. Baxter, how do you favor handling this kind  
5 of thing?

6 MR. BAXTER: Well, we have not objected but I  
7 share your concern, Mr. Chairman. It's typical in my  
8 experience that if someone is going to cross-examine from  
9 a large document, they will at least reproduce those sections  
10 or pages from which they are going to ask questions, provide  
11 copies, and sometimes have it marked for identification as  
12 an exhibit, even though it's not going to be offered as  
13 subsequent evidence, just so the record is clear as to what  
14 the questioning was.

15 And it has been very difficult for us to follow  
16 along, although we have many of the documents in anticipation.  
17 But I'm sure the Board doesn't. One of the problems is that  
18 Mr. Eddleman from my perception doesn't know in advance  
19 what pages he's going to ask about, because he is asking the  
20 witness where in the reference is the basis for his testimony,  
21 what he relied on. And then we go from there and sort of  
22 feel your way along approach.

23 But I think it's been time consuming to do it  
24 that way, and also unfair to the parties who don't have  
25 copies, as well as confusing for the record.

3  
1 JUDGE KELLEY: Mr. Eddleman? Let's just get comments  
2 from all around and maybe we can get to a consensus, or  
3 at least adopt some kind of procedure.

4 MR. EDDLEMAN: All I wanted to point out here is  
5 that without a page reference in Dr. Branagan's testimony,  
6 I about had to ask him where it came from.

7 MR. BAXTER: I don't agree with that. These pieces  
8 of testimony all come with very complete references.  
9 Yesterday we had some confusion about an EPA document as to  
10 whether it was January or March. But if you look at the  
11 reference list in the back the title is clear, and there's  
12 no reason to be confused about what reference it was, that  
13 he was referring to.

14 And there's no reason why the interrogating party  
15 can't bring the document in.

16 MR. BARTH: For the Staff, I would stay that our  
17 views comport with those of Mr. Baxter. I'd like to also  
18 point out, this matter came up before the appeal board in  
19 Clinton in which the licensing board chairman was Dr. Lazo.  
20 And that came up in regard to underlying computer runs for  
21 the cost of nuclear fuel prepared by Stoler for the Applicant.

22 And Dr. Lazo took the point of view there that  
23 the references were in the prefiled testimony, which is  
24 the reason we have prefiled testimony, to prevent surprise.  
25 And this is adequate warning. And if a party wanted to

4  
1 further they could do so.

2 This comports with Mr. Baxter's statement that  
3 there was ample notice in this case to obtain these documents  
4 or to write a letter to the Staff or to the Applicant saying  
5 bring these along, I intend to question from this document  
6 and I'd like to see this document. Rather than end up as  
7 we do here with surprise.

8 It is inconvenient. Ms. Moore does not have the  
9 articles in front of her to which Dr. Branagan is referring,  
10 nor does the power company. It creates a mess of the  
11 situation, which is preventable.

12 JUDGE KELLEY: Let me ask you, let's take this  
13 case and just look at the sheer mechanics of the thing.  
14 Mr. Eddleman gets the prefiled testimony and he reads it  
15 and he sees a citation to the U.N. publication. And he  
16 doesn't have the publication and doesn't find it in the  
17 Wake County Library. Now can he call you up and say he's  
18 interested in looking at this? Would you send him a copy  
19 or loan him a copy? Would you mail him one?

20 MR. BARTH: Yes, Your Honor. And this was the  
21 suggestion by Dr. Lazo before the licensing board in Clinton,  
22 and the suggestion was adopted by Chairman Rosenthal on  
23 the appeal board when it went up for appeal.

24 I don't like to drag in other cases, but in  
25 Zimmer we had a number of calculations by intervenors

5  
1 regarding costs. And I simply called up the intervenor and  
2 said, I would like to see your calculations so I know how  
3 you came to it. There's no problem. They xeroxed them and  
4 sent them.

5 I think that any party who would refuse to is  
6 really being obdurate over nothing. We want to prevent surprise  
7 and make the thing move meaningfully and slowly.

8 JUDGE KELLEY: I think the more informally you  
9 can do it, so long as it gets done. You shouldn't have to  
10 write a letter and serve all the parties. A phone call ought  
11 to do. If you want a copy of some piece of paper, or if  
12 it's a book, you could loan the book maybe.

13 But the questioner, the cross-examiner either  
14 knows -- or at least he ought to know -- that he or she  
15 wants to ask questions based on some certain document. And  
16 then I believe we would expect them to come to the courtroom  
17 equipped with enough copies to serve around the circle  
18 here so that everybody can follow it.

19 I would suggest, just like the prior question  
20 about cross and lawyers and panels that we may finalize and  
21 refine this a little bit later. We don't want to take a  
22 lot more time this morning. But the concept of having copies,  
23 and their being provided by the cross-examiner, and the  
24 cross-examiner being responsible for getting ahold of the  
25 appropriate document if something's been cited in someone

6  
1 else's testimony is one that we plan to adopt and to follow  
2 as the case progresses.

3 MR. BARTH: It sounds like a very acceptable  
4 solution, Your Honor.

5 MR. EDDLEMAN: I don't have any problem with that  
6 either, Judge. I just would point out that as big a thing  
7 as that document is it would be a great strain on my  
8 resources to make even half a dozen copies of the whole  
9 thing to hand out.

10 JUDGE KELLEY: No, no. Let me say again. Relevant  
11 portions, whatever is needed for context, that kind of thing.  
12 Not the whole book.

13 MR. EDDLEMAN: Yeah. But you see when he says  
14 he references Annex C, I don't know if Annex C then references  
15 Annexes D and F and so on without looking into the thing in  
16 some detail, because I don't know where in Annex C he's  
17 talking about. He didn't give a page.

18 JUDGE KELLEY: Well, I think in that case you  
19 have to get ahold of the U.N. publication, look it over,  
20 and make a judgment.

21 MR. EDDLEMAN: I can discuss this with his counsel  
22 is what you're saying.

23 JUDGE KELLEY: I think so, that part of it, yes.

24 MR. EDDLEMAN: I understand.

25 JUDGE KELLEY: And by the same token, those who

7  
1 are preparing testimony and citing scholarly articles of  
2 one kind or another, I think generally you do, but don't you  
3 cite the article, give the page and table, or whatever that  
4 you are relying on, and the accompanying text.

5 So, it's a sign post for what you are really  
6 looking to to support your statement. Okay. Let's resume.  
7 We were over to the Applicant's questioning of Dr. Branagan.

8 MS. BAUSER: Chairman Kelley, we wanted to respond  
9 to the question posed by Judge Carpenter, and it would be  
10 our preference that we put Dr. Mauro back on the stand in  
11 order to do so. If that is not acceptable to the Board, I  
12 would go ahead and ask Dr. Branagan a few questions. But  
13 it would be our preference to ask Dr. Mauro directly the  
14 question posed by Judge Carpenter.

15 JUDGE KELLEY: Any objection from the parties?

16 MR. EDDLEMAN: I don't really understand what  
17 they're trying to do. They want to re-examine their witness  
18 on redirect about what he said?

19 JUDGE KELLEY: Let her clarify.

20 MS. BAUSER: As I understand it, Dr. Carpenter  
21 earlier this morning asked Dr. Branagan which noble gases  
22 emitted from the nuclear power plant would decay to form  
23 iodized chemical forms that might associate with particles,  
24 which might undergo further radioactive decay. That is  
25 paraphrasing of the question.



8  
1 I don't believe Dr. Branagan answered the question  
2 at the time that it was asked. And we are in a position to  
3 answer the question. We didn't want there to be any  
4 confusion on the record about that point, which was not asked  
5 of the panel yesterday.

6 JUDGE KELLEY: Let me ask you this, too. If  
7 you were allowed to do that, do you also have questions for  
8 Dr. Branagan or not?

9 MS. BAUSER: No.

10 JUDGE KELLEY: So if you could do that, that's  
11 all you want to do right now?

12 MS. BAUSER: Right.

13 JUDGE KELLEY: Mr. Eddleman?

14 MR. EDDLEMAN: Judge, I think I asked their witness  
15 or their panel a number of questions along this line  
16 yesterday and they said they would refer to a certain standard  
17 reference book if they wanted to answer that question. So  
18 unless he has looked at the book and wants to tell us what  
19 it says, I don't see any reason to do this.

20 MS. MOORE: Your Honor, might I respond?

21 MR. EDDLEMAN: I'm not really objecting.

22 JUDGE KELLEY: Just a minute, I have a question  
23 of Mr. Eddleman. Apart from the point you just made, do  
24 you have an objection? Is this unfair to you? Is it going  
25 to disadvantage you in some way?

9  
1 MR. EDDLEMAN: Not as far as I know. I'd rather  
2 have it on the record even if it did disadvantage me. I'd  
3 rather have the facts. But I don't see any point in it  
4 unless he really has analyzed the question or something.

5 JUDGE FOREMAN: The point is that Dr. Carpenter  
6 wants to know the answer.

7 MR. EDDLEMAN: Okay, well, I'm perfectly willing  
8 to give Dr. Carpenter all the answers he wants.

9 JUDGE KELLEY: Let me finish the procedural part  
10 of this. If you do that, put your witness on, then I  
11 assume, if Mr. Eddleman has recross he could put that, correct?

12 MS. BAUSER: Yes. It's our intention to limit  
13 Dr. Mauro's rebuttal or whatever you call it --

14 JUDGE KELLEY: He's coming on for a limited  
15 purpose, understand that. And the Staff also may have further  
16 questions of your witness on the same topic.

17 MS. BAUSER: Yes, of course.

18 JUDGE KELLEY: Ms. Moore?

19 MS. MOORE: I have no objection to that procedure.  
20 I just wanted to make a point. Mr. Eddleman referred to  
21 the fact that the witnesses relied on the standard reference.  
22 One of the problems with just focusing on that reliance is  
23 that that standard reference is not in evidence. But this  
24 testimony would in fact provide a record answer to Dr.  
25 Carpenter's question.

1 JUDGE KELLEY: Okay. The Board doesn't hear any  
2 objections to this. Subject to the ground rules we indicated --  
3 hold on just a moment.

4 (Board conferring.)

5 JUDGE KELLEY: Should we finish with Dr. Branagan  
6 or insert Dr. Mauro?

7 MS. BAUSER: We would recommend finishing with  
8 Dr. Branagan.

9 JUDGE KELLEY: It seems a little neater. Let's  
10 do that, okay. You are waiving your rights on Dr. Branagan,  
11 but you instead will call your own witness when he is  
12 through, correct?

13 MS. BAUSER: Yes, sir.

14 JUDGE KELLEY: Okay.

15 BOARD EXAMINATION

16 BY JUDGE KELLEY:

17 Q I asked a question, Dr. Branagan, in layman's  
18 terms and I think you got off on something else. I think  
19 you answered it later, but just so I understand, my question  
20 was about the thyroid and why the thyroid was the limiting  
21 dose that you looked at. And if I understood you correctly,  
22 that is because, through the inhalation pathway, that is  
23 the organ to which the largest dose goes, as compared to  
24 other organs. And it is not because the thyroid is more  
25 sensitive to radiation or more vulnerable to radiation than

1 some other organ; is that right?

2 A Yes. The thyroid is not more vulnerable to  
3 radiation than some other organ. It is certainly not more  
4 vulnerable than whole body exposure.

5 Q So if you have so many rems to the thyroid, the  
6 same number of rems to a hand or a foot would be equally  
7 a matter of concern, or lack of concern depending on the  
8 size?

9 A The International Commission on Radiological  
10 Protection has published a report, ICRP-26, and they propose  
11 risk weighting factors for the various body organs. And  
12 the value that they use for the thyroid is .03, as compared  
13 with the whole body radiation which would be 1.0.

14 Q So the body as a whole, according to that is  
15 more vulnerable?

16 A Whole body radiation would present more potential  
17 fatal cancers than exposure of just the thyroid.

18 Q I see. One other question, I assume you are  
19 familiar with the testimony we heard yesterday from Dr.  
20 Mauro and Dr. Schaffer. I know you were here during the  
21 testimony. Do you have any significant disagreement with  
22 their analysis?

23 A No, the basic conclusions I agree with. I don't  
24 have any problem with them.

25 JUDGE KELLEY: Thank you.

12

1 JUDGE CARPENTER: I would just say for the record,  
2 I am more familiar with the term critical organ as sort  
3 of summarizing the results of all the analyses.

4 BY JUDGE CARPENTER:

5 Q So am I correct in believing, or having the  
6 impression that that's really what you meant to say about the  
7 thyroid is, as a result of analysis, it was a critical  
8 organ considering all the factors you're talking about?

9 A Considering all the factors, it was the organ  
10 with the highest dose.

11 Q Yes, so therefore, it becomes the critical organ.  
12 Not the most sensitive or what have you, but the organ to  
13 be considered. I think the common scientific jargon is  
14 that it is the critical organ; is that right?

15 A Yes, you could speak to it as the critical organ  
16 or the most limiting organ, in terms of the dose design  
17 objectives.

18 Q Thank you.

19 JUDGE KELLEY: Redirect?

20 MS. MOORE: Staff has no questions, Your Honor.

21 JUDGE KELLEY: Any recross, Mr. Eddleman, that  
22 we generated?

23 MR. EDDLEMAN: No, no questions.

24 JUDGE KELLEY: Okay. Mr. Branagan, thank you  
25 very much. You're going to rejoin us, are you not?

1 THE WITNESS: Yes, I will.

2 JUDGE KELLEY: All right. Thank you. You are  
3 excused for now.

4 (Witness Branagan excused.)

5 MS. BAUSER: Applicants recall Dr. Mauro. I  
6 believe he's already been sworn.

7 Whereupon,

8 JOHN J. MAURO

9 a witness, called for examination and, having been previously  
10 duly sworn, was examined and testified further as follows:

11 DIRECT EXAMINATION

12 BY MS. BAUSER:

13 Q Dr. Mauro --

14 WITNESS MAURO: Shall I proceed to answer the  
15 question?

16 JUDGE KELLEY: Yes, you are on for the limited purpose  
17 previously described and subject to possibility of further questions.

18 JUDGE CARPENTER: Please restate the question  
19 exactly as you expect to answer it.

20 WITNESS MAURO: As I understand the question,  
21 the concern is that noble gases which have been estimated  
22 to be released routinely from the Harris facility are  
23 presented in the FES. And dose calculations were performed  
24 related to that. Those calculations primarily address  
25 whole body and skin doses.



1 radioactive isotopes. Krypton 85 decays to rubidium 85,  
2 which is stable. And the xenon 133 decays to cesium 133,  
3 which is also stable. So the first part of my answer is  
4 basically that over 93 of the noble gases that are estimated  
5 to be released decay to stable radionuclides and therefore,  
6 are not at issue.

7 JUDGE FOREMAN: 93 percent in terms of what?  
8 Weight, volume?

9 WITNESS MAURO: Curies. 93 percent of the curies.  
10 Now there remains in the remaining 13 radionuclides, four  
11 of them have daughters which are radioactive. Now as it  
12 turns out -- I would just like to preface this with in the  
13 development of all dose conversion factors, consideration is  
14 given to the daughters.

15 However, in cases where the daughters cannot  
16 contribute significantly, it is a miniscule contribution to  
17 the dose, they are just ignored. And I will give you an  
18 example.

19 One of the radionuclides of the 13 that has a  
20 daughter which is radioactive is krypton 87. It decays to  
21 rubidium 87. Now it turns out the source term for krypton  
22 87 is six curies per year. Assuming that -- taking into  
23 consideration decay, the additional source term due to the  
24 rubidium 87 would be 18 picocuries per year.

25 That is, that would be, in effect, what is not



1 accounted for, that 18 picocuries. It is general practice  
2 to not even consider radionuclides as a source term if they  
3 are less than  $10^{-4}$  curies. We are talking about 1.8 times  
4  $10^{-11}$  curies per year.

5 So it's just that totally miniscule, insignificant  
6 contribution to the source term, and it is typically not  
7 included because it is below any level that could possibly,  
8 by any pathway, contribute significantly to the dose to  
9 any organ.

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
end 10

mgc 11-1 1

BY JUDGE CARPENTER:

2 Q One last question. I did say, based on  
3 Mr. Eddleman's cross-examination. I did specify that some  
4 intermediate, either rubidium-87, for example -- would  
5 you expect it to be ionized, or would you expect it to be  
6 a neutral atom?

7 A Upon decay, you would expect the daughter for  
8 a short period of time to be carrying a charge. That is,  
9 you would expect it to be ionized because it is part of  
10 the decay process.

11 Q When you say "short," can you give me some order  
12 of magnitude -- minutes, seconds?

13 A I would say less than seconds.

14 Q Thank you.

15 JUDGE KELLEY: Does that complete your answer?

16 THE WITNESS: Yes, it does.

17 JUDGE KELLEY: Mr. Eddleman, any questions?

18 MR. EDDLEMAN: I have a few.

19 JUDGE KELLEY: Maybe I should have checked back  
20 here. Did you want to elicit anything further?

21 MS. BAUSER: Yes.

22 JUDGE KELLEY: Why don't you go ahead, and then  
23 we will go to Mr. Eddleman?

24

25

mgc 11-2 1

## REDIRECT EXAMINATION

2

BY MS. BAUSER:

3

4

5

Q Dr. Mauro, you addressed one, I believe, of four noble gases that would decay into a radioactive -- did you want to address the other three?

6

A Yes, I can. But that was indicated as an example.

7

Q Are the other three comparable?

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

A That's a comparable situation except, I guess, one of them that may be in a little different context, xenon-138, which the source term contributes less -- well, it is one curie per year as compared to the total curies of all noble gases, which are on the order of thousands or perhaps 3000. So one curie per year of xenon-138 is released. It decays to cesium-138, which is radioactive.

Now if you were to calculate the additional dose due to the cesium-138, it is three percent of the dose from xenon-138. So in effect, when we calculate our dose from xenon-138, we are ignoring this additional three percent that comes from cesium-138. It's a very small fraction, and when you consider that in light of the fact that the xenon-138 itself is only one curie per year source term compared to 3000 curies total noble gases, you can see how not explicitly addressing this daughter of xenon-138 in the calculation does not change your results by any means which could be considered significant.

mgc 11-3

1 Q That three percent is three percent of the one  
2 curie?

3 A Three percent of the dose from xenon-138.

4 Q That's three percent of the one?

5 A Of the one. That is correct.

6 MS. BAUSER: Thank you. I have no further  
7 questions.

8 JUDGE KELLEY: Mr. Eddleman?

9 RE CROSS EXAMINATION

10 BY MR. EDDLEMAN:

11 Q Doctor, is it your testimony that all atoms of  
12 xenon-133 decay into the stable isotope cesium-133?

13 A That's correct.

14 Q And likewise all atoms of krypton-85 decay into  
15 rubidium-85, which is stable?

16 A That's correct.

17 Q You have mentioned two of these four nuclides  
18 which have radioactive daughters. Among those 13 listed  
19 from the plants, you have listed krypton-87 and xenon-138.

20 What are the other two?

21 A Krypton-88 and xenon-135.

22 Q Can you tell me what the decay chain is from  
23 xenon-135?

24 A Xenon-135 goes to cesium-135, and this isotope  
25 is similar in situation to the krypton-87; namely, the

mgc 11-4

1 quantity -- that is, when it decays, the quantity of  
2 radionuclide that we are talking about would be equivalent  
3 to cesium-135 source term along the order of 452 picocuries  
4 per year, which is well below the  $10^{-4}$  cutoff point that  
5 we typically use, because below that level, it's just so  
6 miniscule as to have very little meaning.

7 Q Doctor, cesium-135 is also radioactive.

8 A That's correct.

9 Q What does it decay into?

10 A I don't have that in front of me. I would have  
11 to go check back with my source, Lederer and Hollander.  
12 Hold on a minute.

13 The question was cesium-135?

14 Q Yes.

15 A I don't have it. It would take only a moment to  
16 check it.

17 Q Do you have a copy of the source here now?

18 A I could find it. It's probably here in the  
19 courtroom somewhere.

20 JUDGE CARPENTER: I think it would be useful.  
21 Otherwise, I will simply have to do it subsequently.

22 THE WITNESS: Would you mind if I walk over and  
23 get it?

24 JUDGE CARPENTER: No.

25 THE WITNESS: The particular source I am looking

mgc 11-5 1

at right now apparently does not address specifically that isotope, so I would have to check different sources.

2

BY MR. EDDLEMAN:

3

Q Can you check under xenon-135 in that source and see if there is a decay chain given?

4

A That's what I'm looking for, and I can't find it.

5

Q Okay.

6

MS. BAUSER: Could you give us one minute, please?

7

MR. EDDLEMAN: Sure.

8

(Pause.)

9

JUDGE KELLEY: Off the record a second.

10

(Discussion off the record.)

11

BY MR. EDDLEMAN:

12

Q Doctor, that book you have in your hand there is the reference we discussed yesterday, isn't it?

13

A No. It turns out to be a different one.

14

Q So you still don't have the one that you would rely on?

15

A Yes. This is also a well-used reference for decay chains, but the one I typically use is the Lederer and Holander table of the isotopes. This is called "The Radiological Health Handbook."

16

17

18

19

Q Now, Doctor, let me just ask you one thing about Lederer and Hollander. In Lederer and Hollander, each isotope is shown with the decay chains, isn't it?

20

21

22

23

24

25

mgc 11-6

1 A That's correct.

2 Q So if we wanted to know about these decay chains,  
3 either from these noble gas phases or passing through a  
4 noble gas phase as something else decays into a noble gas  
5 out of the environment and then decays further into other  
6 radioisotopes, we could find that in Lederer and Hollander,  
7 couldn't we?

8 A Yes, that's correct.

9 Q Let me also ask you, we discussed three of the  
10 four isotopes. Your counsel discussed two with you, and  
11 the other one is krypton-88.

12 What does krypton-88 decay into?

13 A Rubidium-88.

14 Q And rubidium-88 is radioactive?

15 A That's correct.

16 Q All right. And what does rubidium-88 decay into,  
17 if you know?

18 A I don't have that information. I could check  
19 that also.

20 Q And you would be able to find that kind of  
21 information in Lederer and Hollander?

22 A I presume so. I expect so.

23 Q Doctor, you mentioned that of the thirteen types  
24 of radioactive noble gases to be released from the Harris  
25 plant, we have now mentioned six isotopes explicitly,

mgc 11-7

1 the four which you say have radioactive daughters and two  
2 which you say do not. That leaves us with seven other  
3 isotopes, doesn't it?

4 A Yes. They are all stable, the others.

5 Q You mean their decay products are stable.

6 A Yes, that's correct.

7 Q Do you have a list of those, the isotope and its  
8 decay product?

9 A Yes. We can go down the list.

10 Q If you could just read it out.

11 A Okay. Argon-41 decays to potassium-41 stable.  
12 Krypton-83m decays to krypton-83 stable. Krypton-85 decays --  
13 excuse me -- krypton-85m decays to krypton-85, a noble gas  
14 which is radioactive, which decays to rubidium-85 which is  
15 stable.

16 Q So what you are saying there is, for both  
17 krypton-83 metastable and krypton-85 metastable, both of  
18 those when they decay, decay into a krypton of the same mass,  
19 and then krypton-83 is stable, but krypton-85 is  
20 radioactive and decays into rubidium-85.

21 A That's correct.

22 Q Okay. Please go on.

23 A Then the next isotope in the list -- I'm basically  
24 going down the list of isotopes that are addressed in the  
25 FES.



mgc 11-8

1 Krypton-85 decays to rubidium-85 which is  
2 stable. Then we get to krypton-87, which is one of the  
3 isotopes that has a radioactive daughter. It decays to  
4 rubidium-87, and that daughter, as I pointed out before,  
5 that effectively means a source term for rubidium-87, which  
6 is on the order of 18 picocuries per year. That's what  
7 I testified to previously.

8 Q Excuse me, Doctor. I just want to tie this in  
9 here. I think this might be the most convenient place.

10 What does rubidium-87 decay into?

11 A I don't have that information here.

12 Q Okay.

13 A Do I understand your concern now is that you  
14 would like to look at the daughters of each of the  
15 radioactive isotopes that I am describing, the daughters  
16 and the daughters of the radioactive daughters that we  
17 are discussing right now?

18 Q That's right. I think that was explained on  
19 discovery. But what I am asking you is just to state the  
20 information you have. In other words, whenever you get  
21 one of these decays, if you can take it down to a stable  
22 isotope, please just give the chain to the stable isotope.  
23 And if you don't know, just state at what point you know  
24 and at what point you don't know the further decays.

25 A Fine. Yes, sir.

mgc 11-9

1 MS. BAUSER: Excuse me. I don't want to be  
2 unreasonable here, since we have all this testimony, but  
3 I'm not sure what relevance this further chain would have,  
4 since those we have already analyzed, the impact of the  
5 radioactive daughter, and you are only going to get a lesser  
6 version of the same thing. At best, I just don't see --  
7 this just doesn't address the concern that was originally  
8 voiced.

9 We will be happy to get it, but --

10 MR. EDDLEMAN: It may not address Judge Carpenter's  
11 concern, but it does address what I was asking about  
12 yesterday, and I think if he has his table of isotopes in  
13 front of him, I'm at least entitled to ask how far he knows  
14 these decay chains.

15 MS. BAUSER: Could you identify, Mr. Eddleman,  
16 what it was yesterday that this relates to?

17 MR. EDDLEMAN: I asked him about decay yesterday,  
18 as to what these things decay into, and he said that he  
19 didn't have the information, but he would use this  
20 reference, Lederer and Hollander. And at some point I think  
21 I said, "Well, since you don't have the reference, I can't  
22 ask you anymore about that."

23 MS. BAUSER: But, Mr. Eddleman, assuming that he  
24 had had the reference, what relevance does his answer have  
25 to either the contention or the question posed by

mgc 11-10 1

Judge Carpenter?

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. EDDLEMAN: If, as in Judge Carpenter's question, a noble gas atom, whether it's released from the plant as a noble gas or released as something else that decays into a noble gas, is near a coal particle and it decays, the noble gas atom decays and ionizes itself and may attach to that coal particle, okay?

Now if, in fact, that coal particle carries that daughter atom into someone's lung and it keeps on decaying through a change, then you get all those daughter atoms' activities in the lung, which is not a place where you generally assume in these analyses that it's going to be.

JUDGE KELLEY: I thought that the witness had already told us about the unstable, when they do decay, and the only ones left were the stable ones.

JUDGE CARPENTER: Mr. Eddleman, if I may interrupt, I would like to go back to the witness for a second.

JUDGE KELLEY: Could I get the answer to my question first? Is that right or not?

MR. EDDLEMAN: I think so, Judge. I'm just trying to get it all clearly laid out as to which ones he says are stable and which are not. I can't check his reference again, because he cannot find some of them. I just want to get it on the record which ones he says decay into stable ones and which ones don't.

mgc 11-11 1

JUDGE KELLEY: I couldn't repeat it, but I thought he said that clearly enough.

2

Did you state that?

3

4

THE WITNESS: Yes. I indicated that there were four that were radioactive, and I gave you those, and the remainder are all stable. So therefore, four of the thirteen have radioactive daughters, and the remainder are stable.

5

6

7

Now Mr. Eddleman wanted to go down each of the thirteen.

8

9

JUDGE KELLEY: That's what I thought. And what is the point, if they are stable?

10

11

MR. EDDLEMAN: Well, if he is correct in saying they are stable, there is no point.

12

13

If I may, I'll just back off from that.

14

BY MR. EDDLEMAN:

15

Q Cesium-138 is one of those daughter products of these noble gases. Do you know what that decays into?

16

A Cesium-138? No. I would have to check that.

17

All of the daughters of the daughters, I don't have the information here.

18

19

Q Okay. Doctor, where are those thirteen types of radioactive gases released from Harris listed? What is your source on that?

20

21

22

A It's contained in -- I believe it is Appendix D

23

24

25

mgc 11-12 1

of the FES.

2 Q Did you note in preparing your notes at what  
3 table or page of Appendix D this information comes from?

4 A I don't recall the exact table number.

5 MS. BAUSER: Excuse me. I would like to give the  
6 witness a copy of the FES (handing document to witness).

7 THE WITNESS: Table D-1 on page D-4.

8 BY MR. EDDLEMAN:

9 Q And what is the title of that table, Doctor?

10 A "Calculated Release of Radioactive Materials  
11 From Gaseous Effluents from Harris (Curies per Year per  
12 Reactor)."

13 Q Do you use the number of curies per year from  
14 one reactor in your computation?

15 A That's correct.

S2BU

16 Q And you just took all of the noble gases that  
17 are listed in that table and analyzed whether they decayed  
18 into a stable or radioactive nuclide?

19 A That's correct.

20 Q Now these, Doctor, are the nuclides that when  
21 they come out of Harris are noble gases; is that correct?

22 A That's correct.

23 Q So your analysis would not address other  
24 nuclides which might be in particulate form or some atom  
25 or some chemical element which is not a gas when released

mgc 11-13 1

2 from Harris but which might or do decay into a noble gas  
3 outside the plant.

4 A Oh, I see. That's a different question. You  
5 are asking now, are there any particulate emissions from  
6 the plant which decay to noble gases, the converse.

7 Q Yes.

8 JUDGE KELLEY: Wasn't Judge Carpenter's question  
9 about noble gases that came out of Harris?

10 THE WITNESS: Yes, sir. That's how I understood  
11 it.

12 JUDGE KELLEY: I object to the question.

13 MR. EDDLEMAN: I'm sorry, Judge. I'm trying to  
14 follow what I was going after yesterday.

15 JUDGE KELLEY: You don't have permission to do  
16 that. We put this witness on to answer a specific  
17 question, and we opened up cross for the narrow purposes  
18 of that question and that question only, and that is it.

19 MR. EDDLEMAN: So even if he has the information  
20 that he didn't have yesterday, that I couldn't ask him  
21 about then, I can't ask him anymore; is that right?

22 JUDGE KELLEY: Right.

23 MR. EDDLEMAN: Well, your the Judge.

24 JUDGE KELLEY: That's right.

25 End

mgc 12-1

1 JUDGE CARPENTER: I would like to ask the  
2 witness to help me recall the testimony in response to  
3 my question, the initial response, and the question  
4 specifically focused on the formation of ionized particles,  
5 charged particles, and I believe you told me, as an example,  
6 for krypton-87, you might go to rubidium-87, which might  
7 exist as a charged particle for seconds. I'd like your  
8 opinion, if that charge led to its being able to compete  
9 or site on a particle such as a fly ash coal particle  
10 because of its charge, in your professional opinion, once  
11 that charge is dissipated, would it then have to compete  
12 with all the uncharged substances for that site?

13 THE WITNESS: In my opinion, yes.

14 JUDGE CARPENTER: So the fact that it went on  
15 because it was charged might lead to its coming off once  
16 it was uncharged. Have you ever looked at that sequence?

17 THE WITNESS: You are asking me a question that  
18 really relates to aerosol physics. In other words --

19 JUDGE CARPENTER: I am talking about the  
20 chemical affinity because of charge and disappearance of  
21 charge and then competing with many things. like oxygen  
22 and nitrogen, aromatic carbons, all manner of things.

23 THE WITNESS: No, I haven't specifically looked  
24 into that.

25 JUDGE CARPENTER: Thank you very much. That's

mgc 12-2

1 the limits of my question.

2 JUDGE KELLEY: I think that covers this point  
3 with this witness; is that correct, as far as you are  
4 concerned?

5 MS: BAUSER: Yes, sir.

6 JUDGE KELLEY: Does Staff have questions on this  
7 point, Ms. Moore?

8 MS. MOORE: May I have a moment?

9 (Pause.)

10 MS. MOORE: Staff has no questions, Your Honor.

11 JUDGE KELLEY: Okay. Thanks very much.

12 THE WITNESS: Excuse me.

13 JUDGE KELLEY: Yes.

14 THE WITNESS: Am I to be prepared to answer  
15 the daughters of the daughter question when I come back  
16 for II(c)?

17 JUDGE KELLEY: This was something that you  
18 indicated to Mr. Eddleman that you could look up but  
19 didn't have before you then?

20 THE WITNESS: That's right.

21 JUDGE KELLEY: Why don't you see if you can do that,  
22 and you can just recite them and move on when you get on  
23 this afternoon.

24 THE WITNESS: Yes, sir.  
25



mgc 12-3

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

JUDGE KELLEY: Thank you.

Excuse me just a moment.

(The Board confers.)

JUDGE KELLEY: To beat the crowds to the lunch spots today, why don't we adjourn until quarter of one?

(Whereupon, at 11:35 a.m., the hearing was recessed to reconvene at 12:45 p.m. this same day.)

AFTERNOON SESSION

(12:50 p.m.)

1  
2  
3 JUDGE KELLEY: We are back on the record, and  
4 we are moving now to Contention II(e), the Contention II(c).  
5 Anything before we launch into that?

6 MS. BAUSER: There was one brief remaining thing  
7 that Dr. Mauro had to respond to. He wasn't able to --

8 JUDGE KELLEY: He was going to look at that  
9 over lunch, was that the idea? Would you say to him just  
10 what that is?

11 MR. MAURO: The question was raised that certain  
12 radionuclides, noble gas radionuclides that had daughters  
13 which were themselves radioactive -- and I addressed which  
14 ones they were earlier.

15 The next question that was raised by Mr. Eddleman  
16 pertained to, well, what about those? The daughters of those  
17 radionuclides. Basically the daughters of the daughters.

18 JUDGE KELLEY: The granddaughters.

19 MR. MAURO: Yes. Were they also radioactive, and  
20 the answer is no, they are all stable.

21 MS. BAUSER: Your Honor, I'd like to call to the  
22 witness stand Dr. Mauro and Stephen Marschke. I believe  
23 Dr. Mauro has already been sworn, but Mr. Marschke has not.

24  
25

2  
1 Whereupon,

2 JOHN J. MAURO

3 a witness, called for examination and, having been previously  
4 duly sworn, was examined and testified further as follows:

5 Whereupon,

6 STEPHEN F. MARSCHKE

7 a witness, called for examination and, having been first  
8 duly sworn, was examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MS. BAUSER:

11 Q Gentlemen, could you please state your names,  
12 position and places of employment?

13 A (Witness Mauro) My name is John Mauro. I am  
14 director of radiological assessment and health physics at  
15 Ebasco Services in New York City.

16 A (Witness Marschke) My name is Stephen Marschke.  
17 I'm a principal radiological assessment engineer at Ebasco  
18 Services, Incorporated, New York City.

19 Q I draw your attention to a document dated May  
20 31, 1984 entitled Applicant's testimony of John J. Mauro  
21 and Stephen F. Marschke on Joint Contention II(c)  
22 (Radiological Dose Calculations). This document consists  
23 of 14 pages, eight attachments and a list of references.

24 Dr. Mauro, does this document represent testimony  
25 by you and Mr. Marschke, or under your direct supervision?

3

1 A (Witness Mauro) Yes, it does.

2 Q Dr. Mauro, do you have any changes or corrections  
3 to make to the testimony?

4 A Yes, there are a few. There are two. One on  
5 page 10, at the bottom of page 10, the footnote. Delete  
6 the following words. There is a typographical error in  
7 Table D-6. As noted, that should all be deleted.

8 The next word, in, should become the beginning  
9 of the sentence with a capital "i." Then, at the end of  
10 the footnote after the period, insert the sentence, "Table  
11 D-6, identifies this location as 2.3 kilometers north-northwest.

12 And there is one other correction. That is in  
13 my resume, in Attachment 1-A, very close to the top where  
14 it indicates my receiving a B.S. in 1963. That should be  
15 corrected to 1967.

16 Q With those changes, Dr. Mauro, is this testimony  
17 true and correct to the best of your knowledge?

18 A Yes, it is.

19 Q Mr. Marschke, with these changes is the testimony  
20 true and correct to the best of your knowledge?

21 A (Witness Marschke) Yes, it is.

22 MS. BAUSER: Mr. Chairman, I move that the  
23 testimony of Dr. Mauro and Mr. Marschke be admitted into  
24 evidence and physically incorporated into the record as if  
25 read.

4  
1 MR. EDDLEMAN: With the attachments and everything,  
2 no objection.

3 JUDGE KELLEY: So ordered.

4 (The prepared testimony of John J. Mauro and  
5 Stephen F. Marschke follows:)

6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

May 31, 1984

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of	)	
	)	
CAROLINA POWER & LIGHT COMPANY	)	Docket Nos. 50-400 OL
and NORTH CAROLINA EASTERN	)	50-401 OL
MUNICIPAL POWER AGENCY	)	
	)	
(Shearon Harris Nuclear Power	)	
Plant, Units 1 and 2)	)	

APPLICANTS' TESTIMONY OF JOHN J. MAURO  
AND STEPHEN F. MARSCHKE  
ON JOINT CONTENTION II(c)  
(RADIOLOGICAL DOSF CALCULATIONS)

TABLE OF CONTENTS

	<u>Page</u>
I. Introduction.....	1
II. Population Doses and Risks.....	4
A. Current Values in the FES.....	4
B. Population Doses and Risk for the Life of the Plant.....	6
C. Comparison of Population Doses and Risks for the Operating Life of the Plant to Doses and Risks from Natural Background Radiation.....	7
III. Exposure of the Maximum Individual.....	9
A. Current Values in the FES.....	9
B. Maximum Individual Doses for the Life of the Plant.....	12
C. Comparison of Doses and Risks for the Operating Life of the Plant to the Maximally Exposed Individual Relative to Background Radiation.....	13
IV. Conclusions.....	14
Attachment 1A - Resume of John J. Mauro	
Attachment 1B - Resume of Stephen F. Marschke	
Attachment 2A - Table D-7 of the Harris Plant FES	
Attachment 2B - Table D-9 of the Harris Plant FES	
Attachment 3 - Exposures for Residual Radioactivity Following Plant Shutdown	
Attachment 4 - Conservatism in the Dose Calculations	
Attachment 5 - Table D-6 of the Harris Plant FES	
Attachment 6 - Estimate of Individual Doses and Risks	

References

## I. Introduction

My name is John J. Mauro. I am the Director of the Radiological Assessment and Health Physics Department of Enviro-sphere Company, a division of Ebasco Services, Inc. Ebasco is the architect-engineer for the Shearon Harris Nuclear Power Plant. As indicated in Attachment 1A to this testimony, I have a doctorate in biology and radiological health and am a cer-tified health physicist. I have worked for the last twelve years in the field of radiological assessment, and have written a number of publications in this field.

My name is Stephen F. Marschke. I am Principal Radiologi-cal Assessment Engineer at Enviro-sphere Company. As indicated in Attachment 1B, I have a bachelors degree in nuclear engi-neering. I have worked for ten years in the field of radiological assessment.

We have assisted Carolina Power & Light Company (CP&L) in the preparation of the radiological assessments contained in the Harris Plant Environmental Report (ER). We also have re-viewed the Draft and Final Environmental Statements (DES and FES) prepared by the NRC Staff which assess the environmental impacts of operation of the Harris Plant. The radiological dose calculations that are included in the ER, the DES and the FES rely on the methodology specified in Reg. Guide 1.109.

The purpose of this testimony is to respond to the issues raised by the Joint Intervenors' Contention II(c) which remain in controversy.



Contention II(c) states:

The long term somatic and genetic health effects of radiation releases from the facility during normal operations, even where such releases are within existing guidelines, have been seriously underestimated for the following reasons . . . c) the work of Gofman and Caldicott shows that the NRC has erroneously estimated the health effects of low-level radiation by examining effects over an arbitrarily short period of time compared to the length of time the radionuclides will be causing health and genetic damage.

In its Memorandum and Order dated January 27, 1984, as supplemented by its Memorandum and Order dated March 15, 1984, the Licensing Board partially denied Applicants' motion for summary disposition on Joint Contention II(c). In doing so, the Board limited the issues to be litigated to "whether the NRC staff should confine itself, as it has done in this case, to computations of annual doses and effects," and "whether it would be more appropriate to disclose the total risk represented by the life of the plant." The Board also ruled that the time period over which doses should be calculated should not include geologic time periods.

This testimony, prepared in response to the Board's January 27 and March 15 Orders, is designed to accomplish three objectives:

- 1) to briefly describe the method used in the FES and the ER for calculating radiological doses and risks, and to explain the reasons for characterizing the offsite impacts of these doses on an annual basis;

2) to quantify the impacts in terms of the life of the plant; and

3) to demonstrate that the impact of radiation released from the Harris Plant on the population and the maximally exposed individual over the life of the plant are vanishingly small relative to background radiation.

In evaluating doses from Harris Plant radiological releases, consideration must be given both to the population dose, i.e., the sum of the individual doses, and to the dose to the hypothetical maximally exposed individual. These two different ways of assessing dose are used in order to insure that (1) regulatory limits, which are designed to protect the individual, are met; and (2) the risk to the population as a whole is understood. In response to the Board's Order, this testimony is based on the calculation of doses to the population from 40 years of plant operation. The calculation includes consideration of any residual exposures from releases during the life of the plant (40 years) for a period of 100 years after plant operation ceases. The highly speculative doses accrued over geologic time periods are excluded. Doses to the maximally exposed individual are expressed in terms of lifetime dose from the 40-year operating life of the plant. As with population doses, the maximum individual doses are calculated on the basis of exposure to radionuclides released over a 40-year plant life, and the individual's exposure to residual radioactivity in the environment after the plant ceases operation.

This testimony is divided into two sections. The first section addresses the doses and risks to the 50-mile and U.S. populations; the second section addresses the doses and risks to the maximally exposed individual.

## II. Population Doses and Risks

### A. Current Values in the FES

Table D-7 of the FES, which is included as Attachment 2A to this testimony, presents the whole body and thyroid population doses within 50 miles (80 km) of the Harris Plant on an annualized basis. Separate values are provided for doses from liquid effluents, and from noble gases, radioiodines and particulates in the gaseous effluents. Table D-9 of the FES, which is included as Attachment 2B, summarizes annual U.S. population doses from the Harris Plant and from natural background radiation.

The doses from the liquid effluents are from the ingestion of sport and commercial fish harvested from the main reservoir and from the Cape Fear River. The values are calculated by assuming the annual source term, presented in Table ~~D-1~~<sup>D-4</sup> of the FES, is diluted in the reservoir. The calculation also assumes that the reservoir water overflows to the Cape Fear River, where it is mixed in the river flow. Fish in the reservoir and the Cape Fear River are assumed to reconcentrate the radionuclides to varying degrees, depending on the element; the fish then are harvested and consumed.

The doses from the gaseous effluent include external exposure from air submersion and deposited radioactivity, and internal exposure from inhalation and the ingestion of contaminated vegetables, milk and beef. These exposures are presented in Table D-7 for an 80 km radius from the plant, and in Table D-9 for the U.S. population.

The annual population doses from operation of the Harris Plant are compared to the annual doses from background radiation in Tables D-7 and D-9. This comparison also could have been presented on the basis of plant life. Since the annual doses represent the average annual dose over the life of the plant, the annual dose may be multiplied by 40 to estimate the cumulative dose from the operating life of the plant. There are no regulatory or other limits established for population doses; consequently, in order to evaluate their significance, population doses from nuclear power plants are compared with annual natural background population doses. It is also convenient to annualize doses from the Harris Plant because, for the purpose of NEPA assessment, the impacts from the nuclear fuel cycle are generically expressed on an annual basis (see Tables S-3 and S-4 of 10 CFR 51), and are compared to the benefits of the facility, which also are annualized. In sum, annualizing doses from the Harris Plant facilitates the assessment of the significance of those doses and provides a reasonable representation of the radiological impacts of plant operation.

B. Population Doses and Risk for the Life of the Plant

Life-of-the-plant population doses can be obtained by multiplying the values in Tables D-7 and D-9 by the assumed 40-year plant life and adding in the residual dose to the population due to radionuclides which reside in the environment after plant operation terminates. The annual doses contained in the FES would change to reflect the population doses for the life of the plant as follows:

Table 1 \*/

Pathway	Annual Whole Body Person-rem		40-Year Whole Body Person-rem	
	80 km	U.S.	80 km	U.S.
Liquid	1.7	1.7	68	68
Gaseous	13.7	24	556	1670
Total	15.4	25.7	624	1738
Natural Bkgd	180,000	26,000,000	7,200,000	1,040,000,000

---

\*/ The number of significant digits is not intended to indicate the degree of calculational accuracy, but is provided to facilitate independent verification of the tabulated values.

Attachment 3 to this testimony demonstrates that the total additional dose to the population within 50 miles of the plant and to the U.S. population due to residual radioactivity in the environment is about 8 person-rem and 706 person-rem, respectively, over a 100-year period following plant shutdown. Considering that this residual dose is relatively small and in light of the numerous conservatisms inherent in the calculation

of annual dose during operation (see Attachment 4), the residual doses following plant operation are not significant. Accordingly, the 50-mile and U.S. population doses due to the operating life of the plant may be estimated by multiplying the annual doses presented in the FES by 40.

Similarly, the U.S. population health risk of 0.008 cancer deaths per year, referred to on page 5-35 of the FES, is multiplied by a factor of 40 to yield the risks due to the operating life of the facility. The result is 0.32 cancer deaths associated with the operating life of a two-unit plant, which means 0.16 cancer deaths for the single unit Harris Plant.

C. Comparison of Population Doses and Risks for the Operating Life of the Plant to Doses and Risks from Natural Background Radiation

As indicated in Table 2, the risk to the population as a whole due to the cumulative exposures associated with 40 years of operation is many thousands of times smaller than the risks due to natural background radiation over the same period of time.

Table 2 - Doses & Risks (Fatalities)

Source of Exposure	Population Dose		Average Individual	
	(Person-Rems)	Risk	Dose (Rems)	Risk
40 yr operation				
50-mile*	624	0.10	$3.5 \times 10^{-4}$	$5.0 \times 10^{-8}$
U.S.**	1738	0.25	$7.0 \times 10^{-6}$	$1.0 \times 10^{-9}$
Natural Bkgd over 40 year				
50-mile	7,200,000	1,000	4	$6.0 \times 10^{-4}$
U.S.	1,040,000,000	150,000	4	$6.0 \times 10^{-4}$

\* For 50-mile radius, the exposed population is assumed to be 1.8 million people.

\*\* For U.S., the exposed population is assumed to be 260 million people.

Table 2 also reveals that the cumulative risk to the 50-mile population (0.10) and the U.S. population (0.25) due to 40-years of plant operation is less than one cancer fatality. In fact, the above results reveal that the best estimate of the number of cancer fatalities due to plant operation for 40 years is zero. This number can be compared to both the expected number of cancer fatalities over 40 years in the U.S., which is over 10 million,<sup>1/</sup> and the expected number of cancer fatalities

<sup>1/</sup> There are approximately 190 cancer fatalities per year per 100,000 people in the United States (Cancer Facts and Figures, 1984), and there are approximately 260 million people in the U.S.

within a 50-mile radius of the facility over 40 years, which is over 100,000.<sup>2/</sup>

### III. Exposure of the Maximum Individual

#### A. Current Values in the FES

Table D-6 of the FES (provided in Attachment 5 of this testimony) presents the annual dose commitment to the hypothetical maximally exposed individual. Prior to the performance of the dose calculations, a land use survey was performed to identify the locations of residents and food ingestion pathways near the Harris Plant site. The result of this survey is the identification of the limiting exposure pathways and their locations, i.e., the locations with the potential for the highest exposure. As for most sites, the important radiation exposure pathways are inhalation, direct exposure, and the ingestion of vegetables, milk and beef. The limiting locations typically are farms or gardens closest to the plant. The limiting locations for each pathway are those presented in Table D-6.

Table D-6 presents doses for 4 locations.

(1) The first location is the nearest site boundary (2.1 km north of the plant). This is the offsite location with the greatest potential for exposure from routine gaseous effluent, and although no one resides there, doses are provided for two

---

<sup>2/</sup> There will be approximately 1.8 million people in the 50-mile plant vicinity at the year 2000.



reasons. First, Appendix I to 10 CFR Part 50 sets a limit on the annual air dose offsite. Second, should a person reside at that location some time in the future, it is desirable to determine annual exposures which may be expected. Thus, this location establishes the limiting benchmark for calculated annual offsite doses.

(2) The second location is the residence that is actually nearest to the plant site (2.7 km NNE).<sup>3/</sup> At this location, individuals may be expected to receive exposure from inhalation and ground deposition. In addition, it is likely that the resident will have a backyard garden. Accordingly, the exposure from vegetable consumption is considered.

(3) The third location (2.9 km N) is the closest farm on which milk cows and beef cattle are exposed by consuming grass contaminated by deposited radionuclides.

(4) At the fourth location (7.4 km NNW), the closest milk goat pathway is considered.

At each location, and for each pathway at that location, doses are calculated for four age groups (adult, teen, child and infant) and for eight organs (bone, liver, total body, thyroid, kidney, lung, GI tract, and skin). The doses are presented in this way because the dose limits in Appendix I to 10 CFR 50 are expressed in terms of total body and organ doses.

---

<sup>3/</sup> ~~There is a typographical error in Table D-6. As noted in Table D-2 of the FES and Table 5.2.2-1 of the ER, the nearest residence and garden is located 2.7 km NNE. Table D-6 identifies this location as 2.3 km NNW.~~ <sup>F</sup>

In Table D-6, the highest doses from these calculations are tabulated.

Table D-6 is useful in determining the maximum dose to the critical organs via each pathway for the critical age groups. In order to determine the maximum dose to an individual, the doses in Table D-6 must be summed. Thus, for example, the highest dose to any organ for any age group is to the infant thyroid gland due to the consumption of milk at the nearest cow milk location. In order to determine the infant's total thyroid dose, which is the maximum and, hence, limiting organ dose, the exposure to the thyroid from inhalation (0.22 mrem/yr), ground deposition (0.20 mrem/yr) and milk consumption (4.19 mrem/yr), must be combined, yielding 4.6 mrem/yr. This is the value reported in Table D-7 of the FES as the limiting "dose to any organ from all pathways." Table D-7 compares the calculated annual commitments for the maximally exposed individual to the Appendix I design objectives.

The doses from the liquid effluent pathways are determined in very much the same manner as those for the gaseous pathway. However, the analysis is simpler because all exposures, except for drinking water, are conservatively assumed to occur at the plant liquid effluent discharge area. This location is selected because it is possible that people will fish there. Since drinking water is not taken from the reservoir, the closest source of drinking water, which is at Lillington, is assumed in the dose calculations.

## B. Maximum Individual Doses for the Life of the Plant

The previous discussion reveals that the annual doses in the FES are for selected organs and age groups at selected locations. Accordingly, the maximum dose to an individual over the operating life of the plant cannot be obtained by directly multiplying the values in Table D-6 by 40. Doing so would be unrealistically conservative because it would mean, for example, that an infant remains an infant for 40 years. Instead, a calculation was performed to determine the doses to an individual who receives the maximum lifetime exposure because he is initially exposed at birth and lives his entire life in the vicinity of the plant. The calculation takes into consideration changes in internal dosimetry and feeding habits as the individual grows to an adult. In order to simplify this calculation, it is conservatively assumed that a family resides at the nearest site boundary and obtains its beef, milk and vegetables at that location, drinks water from Lillington and fishes near the discharge area. It is also assumed that the individual remains at this location for a period of 70 years, which is taken as his life expectancy. The results of the analysis, presented in Attachment 6, are stated in terms of the annual dose to each organ and age group for each pathway.

As indicated in Attachment 6, the maximum lifetime whole body radiation dose to an individual from the 40-year operation of the Harris Plant is 130 mrem. This figure was obtained by

multiplying the annual doses for each age group by the number of years the individual is in that age group while the plant is operating,<sup>4/</sup> and then summing these values. To this number is added the residual dose after plant shutdown (from 41 to 70 years). The calculated risk of cancer mortality from this exposure is estimated to be about  $2 \times 10^{-5}$  (0.00002). This risk was calculated using the age specific cancer risk coefficients and the methodology presented in BEIR I. Attachment 6 briefly describes this calculational method.

C. Comparison of Doses and Risks for the Operating Life of the Plant to the Maximally Exposed Individual Relative to Background Radiation

The above section indicates that the lifetime dose to the maximally exposed individual due to a 40-year operating life of the facility is 130 mrem. This dose appropriately is compared to that individual's 40-year and lifetime doses from natural background radiation, which is 4,000 and 7,000 mrem, respectively.

The maximum individual's calculated lifetime risk of dying of cancer from radiation released from the plant and from natural background radiation is about  $2 \times 10^{-5}$  (0.00002) and  $1 \times 10^{-3}$  (0.001), respectively. The risk posed by operation of the Harris Plant also can be compared to the average risk of dying of cancer from other causes of about  $2 \times 10^{-1}$  (0.2).

---

<sup>4/</sup> Infant 0-1 year  
Child 1-11 years  
Teen 11-17 years  
Adult 17-40 years

#### IV. Conclusions

The calculated cumulative radiation exposures to the 50-mile population and U.S. population due to operation of the Harris Plant is demonstrated to be less than one ten-thousandth of the doses to these populations due to background radiation over the plant lifetime. The calculated lifetime whole body dose to the individual maximally exposed to the Harris Plant's operation, assuming a 40-year plant operating life, is 130 mrem, which is about two one-hundredths of the lifetime dose from natural background radiation.

Based on these calculations, it is reasonable to conclude that even using extremely conservative calculation assumptions, the offsite radiation doses and associated health risks to individuals and the population from normal operation of Shearon Harris are vanishingly small and are, in our opinion, totally insignificant.

ATTACHMENT 1A

Resume

JOHN J MAURO

Education:

BS - Long Island University 1963<sup>7</sup>  
MS - New York University 1970  
PhD - New York University Medical Center - Institute of  
Environmental Medicine 1973

Awards:

- Alvin Gruder Memorial Award for Excellence in Biological Sciences
- Member of the Optimates Society for Academic Achievement
- Founder's Day Award for Doctoral Dissertation

Societies:

- Health Physics Society
- American National Standards Committee on Emergency Planning

Certifications:

Certified by the American Board of Health Physics

Consultancies:

- Radiological Health Bureau of the California Office of Emergency Services
- Battelle Memorial Institute
- Louisiana Power and Light Company
- Shaw Pittman, Potts and Trowbridge
- EG&G Idaho
- Union Carbide Corporation - Nuclear Division

Current Position:

Director of the Radiological Assessment and Health Physics Department of EnviroSphere Company in New York City.

Summary of Professional Experience:

While a graduate student at the Institute of Environmental Medicine of New York University, I was also a full-time Research Assistant from 1970 to 1973. In this position I assisted Principal Investigators on numerous research projects on the ecology and radioecology of the lower Hudson River Estuary. These activities included the collection of aquatic organisms from the estuary to determine species abundance and diversity, the life history of white perch and the concentration of radionuclides in aquatic organisms, water and sediment. These activities also included experimentation into the ability of microorganisms collected from the Hudson River sediment to organify inorganic mercury.

In addition to my responsibilities as Research Assistant, I was a full-time graduate student, studying environmental health, health physics and radioecology. My doctoral research was on the radioecological behavior of Cs-137 in the lower Hudson River Estuary. Research for my thesis covered a three-year period which included extensive field studies and laboratory experimentation to identify and mathematically model the uptake and elimination of Cs-137 by aquatic organisms.

After receiving my doctoral degree in 1973, I joined Ebasco Services as a Radiological Assessment Engineer. Ebasco Services is a major architect-engineer-constructor for power generating facilities. My initial responsibilities at Ebasco were to evaluate the radionuclide release rates from proposed and operating nuclear power facilities under normal plant operation and following postulated accidents, and to determine the radiation exposures and health risks to workers and members of the nearby general population. In this capacity I developed several models for performing radiological impact assessment, and have prepared the radiological impact assessment sections of license applications.

Since joining Ebasco I have held positions of increasing responsibility, and am currently Director of the Radiological Assessment and Health Physics Department in EnviroSphere Company, the Nuclear Licensing and Environmental Health Division of Ebasco Services. In this position, I report directly to the Vice President of Nuclear Operations and, I am responsible for all radiological health and emergency planning services provided by EnviroSphere Company. I manage a technical staff of 10 senior level consultants with advanced degrees in nuclear and biological sciences, with a combined 150 years of professional experience in technological risk management.

My responsibilities as Director of the department are divided into radiological health consulting (40%), project management (30%), marketing and business development (20%), and department administration (10%). A brief description of each of these areas of responsibilities follows.

Though my management responsibilities have increased considerably since joining Ebasco, I continue to personally provide consulting services to our clients. These services include the analysis of radiological source terms, environmental transport, radioecology, internal and external dosimetry, health risk assessment, radiological surveillance, emergency planning, regulatory analysis and the preparation and defense of expert testimony on these subjects. Recently I have also become involved in the evaluation of toxic chemical hazards at industrial sites and low-level radioactive waste management. These services have been provided for a large number of clients representing the nuclear power industry and federal and state agencies and their subcontractors.

I have also managed several consulting contracts in the areas of radiological and chemical toxicology, health physics, and emergency planning. A detailed description of these projects will be provided upon request. Most of these projects have been of a multidisciplinary nature and included participation of specialists in the areas of toxicology, nuclear engineering, mathematical modelling, meteorology, hydrology and computer sciences. On these projects I had overall responsibility for budget, schedule and technical quality of deliverables.

As director of the Radiological Assessment and Health Physics Department, I am also responsible for developing and meeting an annual budget. The budget includes staff and non-staff salaries and out-of-pocket expenses for client billable work, department overhead and business development. My effectiveness as Director is judged by my ability to achieve or exceed the budget for billable work and to effectively control non-billable expenses. Non-billable expenses include business development, training and publications, presentations, participation on standards committees and other professional practices. I have responsibility for hiring new staff and for staff performance review, promotions and merit increases. In this capacity I am assisted by 2 department managers who report directly to me.

Publications and Presentations:

Mauro, J J and M E Wrenn 1972. A Review of Radiocesium in Aquatic Biota. Presented at the Health Physics Society Annual Meeting, Las Vegas, Nevada, June 12-16, 1972.

Mauro, J J and M E Wrenn 1973. Reasons for the Absence of a Trophic Level Effect for Radiocesium in the Hudson River Estuary. Presented at the IRPA meeting held in Washington, D C in October. Published in the proceedings of that meeting.

Mauro, J J and J Porrovecchio 1976. Numerical Criteria for In-plant As Low as is Reasonably Achievable. In "Operational Health Physics". Proceedings of the 9th Mid-Year Topical Symposium of the Health Physics Society.

Mauro, J J, D Michlewicz and A Letizia 1977. Evaluation of Environmental Dosimetry Models for Applicability to Possible Radioactive Waste Repository Discharges, Y/OWI/SUB-77/45705.

Mauro, J J 1978. Comparison of Gaseous Effluent Standards for Nuclear and Fossil Fuel Power Production Facilities. Proceedings of the December 1979 Annual Meeting of the American Nuclear Society.

J Thomas, J J Mauro, J Ryniker and R Fellman 1979. Airborne Uranium, Its Concentration and Toxicity in Uranium Enrichment Facilities, K/PO/SUB -79/31057/1, February.



Lind K E, Mauro, J J, J D Levine, L Yemin, H J Howe, Jr and C W Pierce 1979. Safety Related Research Required to Support Future Fusion Research Reactors. Presented at the Annual Meeting of the American Nuclear Society-San Francisco, November, 1979.

O'Donnell E P, and Mauro J J 1979. A Cost-Benefit Comparison of Nuclear and Nonnuclear Health and Safety Protective Measures and Regulations. Nuclear Safety, Vol 20 No. 5, September-October, 1979.

Mauro, J J 1980. A Real Time Computer Program for Offsite Radiological Impact Assessment. Presented at the 1980 Annual Meeting of the American Nuclear Society. TANSO 34 1-899.

Bhatia R, Mauro, J J and G Martin 1980. Effects of Containment Purge on the Consequences of a Loss of Coolant Accident. Presented at the 1980 Annual Meeting of the American Nuclear Society. TANSO 34 1-899.

Marschke S, and Mauro, J J 1980. Radiocesium Transport Into Reservoir Bottom Sediments - A Licensing Approach. Presented at the 1980 Annual Meeting of the ANS. TANSO 34 1-899.

Mauro, J J and D Michlewicz 1981. Deployment Concepts for Real Time Environmental Dosimetry Systems. Presented at the 1981 Annual Meeting of the Health Physics Society.

Mauro, J J and E P O'Donnell 1982. The Role of the Architect/Engineer in the Emergency Planning Process. Presented at the Annual Meeting of the American Nuclear Society. June 6-10, 1982.

Mauro, J J and W R Rish 1982. Dealing with Uncertainties in Examining Safety Goals for Nuclear Power Plants. In NUREG-CP-0027. Proceedings of the International Meeting on Thermal Reactor Safety.

Mauro, J J, S Schaffer, J Ryniker, and J Roetzer. Survey of Chemical and Radiological Indices Evaluating Toxicity. National Low-Level Radioactive Waste Management Program. DOE/LLW-17T. March, 1983.

Vold E, J J Mauro and D Michlewicz 1984. Dose Projection for Nuclear Emergency Response on a Microcomputer. Published in "Computer Applications in Health Physics." Proceedings of the Health Physics Midyear Topical Meeting, Pasco, Washington. February 5-9, 1984.

Mauro, J J, S Schaffer, W Rish and J Parry. Application of Probabilistic Techniques to Dose and Risk Assessment Performed by EPA in Support of 40 CFR 191. Submitted for Publication.

ATTACHMENT 1B

STEPHEN F. MARSCHKE  
Principal Engineer

SUMMARY OF EXPERIENCE (Since 1973)

Total experience - Ten years in the area of radiological impact assessment and nuclear engineering.

Professional Affiliations - American Nuclear Society  
Health Physics Society  
Ecological Society of America

Education - B.S., State University of New York at Buffalo,  
1973 - Nuclear Engineering  
Harvard School of Public Health, 1980 -  
Planning for Nuclear Emergencies

REPRESENTATIVE ENVIROSPHERE PROJECT EXPERIENCE (1977-1978,  
Since 1979)

Radiological Assessment Engineer

Lead radiological assessment engineer on the development team for Envirosphere's real time dose assessment computer program, CEPADAS. As such, responsibilities include:

- development of specifications,
- review of input from other disciplines,
- performing quality assurance,
- writing user's manuals, and
- training utility operators.

One of the principal authors of the report "Decommissioning Requirements for Nuclear Waste Repository Licensing" for the Office of Nuclear Waste Isolation. Prepared the alternative waste disposal concepts, radiological impact sections of the Environmental Impact Statement - DOE/EIS-0046F.

Other responsibilities include performing the analyses and preparation of the radiological impact sections of Safety Analysis Report Chapters 11 and 15 and Environmental Impact Report Chapters 5 and 7. Performs cost-benefit analyses to determine the most advantageous mode of radwaste system design, calculating both the in-plant and offsite radiological impacts.

Responds to questions from the various regulatory agencies concerning the radiological safety of LWR's, both domestic and foreign. Performs studies to determine the environmental and radiological consequences of decommissioning nuclear facilities. Developed Emergency Plans and Implementing Procedures for nuclear plants. Determine the effect on reservoir radionuclide concentration of the transfer of radionuclides to sediment.

#### PRIOR EXPERIENCE

Ralph M. Parsons Company  
Nuclear Engineer (1 year)

Assigned to the design of a nuclear fuels reprocessing facility. Duties included the determination of individual component and area gamma shielding requirements. Performed analyses to determine the proper design for shield wall piping, instrumentation and HVAC penetrations. Was responsible for developing acceptable designs for access labyrinths. Determined the dose rate above a spent fuel storage pool from the spent fuel, the contaminated water and "skyshine".

United Engineers and Constructors, Inc.  
Nuclear Engineer (4 years)

Responsible for performing the radiological analyses of various postulated accidents in both PWR and HTGR systems. These analyses included the determination of the radiological impact at the site boundary and to control room personnel. Determined inplant shielding requirements. Performed site radiological evaluation studies to determine which of a number of alternative sites was the preferred site and for a given site which of the NSSS would be the preferred system. Performed studies for the HTGR to determine the offsite effects of various modes of operation of the containment ventilation system and the waste gas management system. Responsible for the determination of fuel cycle costs for a number of nuclear fuel bid evaluations. From June 1975 to the termination of the project, was the Coordinating Engineer between the Nuclear Staff and HTGR project. As such, directed the flow of all work between the project and the staff.

#### Publications

Kang, C.S., R.L. Simard, S.F. Marschke and J.W. Trost 1976.  
Fuel bid evaluation, UEC-NSR-003-0, Proprietary report, August.

Marschke, S.F., J.J. Mauro 1980. Radiocesium transport into reservoir bottom sediments - a licensing approach. Presented at the 1980 Annual Meeting of the American Nuclear Society, June.

Table D-7 Calculated Appendix I dose commitments to a maximally exposed individual and to the population from operation of the Harris nuclear plant

	Annual Dose per Reactor Unit	
	Individual	
	Appendix I Design Objectives*	Calculated Doses**
<b>Liquid effluents</b>		
Dose to total body from all pathways	3 mrems	1.6 mrems
Dose to any organ from all pathways	10 mrems	2.1 mrems (liver)
<b>Noble gas effluents (at site boundary)</b>		
Gamma dose in air	10 mrad	0.3 mrad
Beta dose in air	20 mrad	0.8 mrad
Dose to total body of an individual	5 mrems	0.2 mrems
Dose to skin of an individual	15 mrems	0.6 mrems
<b>Radioiodines and particulates***</b>		
Dose to any organ from all pathways	15 mrems	4.6 mrems (thyroid)
<b>Population Within 80 km</b>		
	Total Body (person-rems)	Thyroid (person-rems)
Natural background radiation†	180,000	
Liquid effluents	1.7	0.04
Noble gas effluents	1.7	1.7
Radioiodine and particulates	12	22

\*Design Objectives from Sections II.A, II.B, II.C, and II.D of Appendix I, 10 CFR 50 consider doses to maximally exposed individual and to population per reactor unit.

\*\*Numerical values in this column were obtained by summing appropriate values in Table D-6. Locations resulting in maximum doses are represented here.

\*\*\*Carbon-14 and tritium have been added to this category.

†"Natural Radiation Exposure in the United States," U.S. Environmental Protection Agency, ORP-SID-72-1, June 1972; using the average background dose for North Carolina of 100 mrems/yr, and year 2000 projected population of 1,750,000.

Table D-9 Annual total-body population dose commitments, year 2000 (both units)

Category	U.S. population dose commitment, person-rems/yr
Natural background radiation*	26,000,000*
Radiation from Harris Units 1 and 2 (combined) operation	
Plant workers	1000
General public:	
Liquid effluents**	3.5***
Gaseous effluents	48
Transportation of fuel and waste	6

\*Using the average U.S. background dose (100 mrem/yr) and year 2000 projected U.S. population from "Population Estimates and Projections," Series II, U.S. Department of Commerce, Bureau of the Census, Series P-25, No. 704, July 1977.

\*\*80-km (50-mile) population dose

\*\*\*See Errata to FES dated January 12, 1984

### Attachment 3

#### Exposures from Residual Radioactivity

##### Following Plant Shutdown

In the main text of this testimony, the population dose from 40 years of plant operation is presented. The dose was obtained by multiplying the annual dose in the FES by 40 and adding in the residual dose due to radionuclides which remain in the environment after the plant terminates operation. In this attachment, an estimate is made of the integrated population dose due to these radionuclides over a 100-year period following plant shutdown (after 40 years of operation).

##### Liquid Effluents

The population doses in the FES for the liquid pathway are presented in Appendix D and discussed in Appendix B of the FES. The methods and assumptions used by the NRC Staff to calculate population doses are as follows. The annual radionuclide releases in the liquid effluent listed in Table D-4 of the FES are assumed to be mixed in the circulating water discharge. The discharge water is assumed to mix in the reservoir and flow into the Cape Fear River where it mixes and is transported downstream. Commercial fishing, as estimated in Appendix I of the FES, is assumed to be taking place. The total commercial and sports fishing harvest in the reservoir and Cape Fear River

is conservatively estimated by the NRC Staff to be about 46,000 kg/yr.

The harvested fish are assumed to reconcentrate the radionuclides in the water in accordance with the reconcentration factors listed in Table A-1 of Regulatory Guide 1.109, and are assumed to be ingested and the population doses calculated using the dose conversion factors listed in Tables E-11 to E-14 of Regulatory Guide 1.109. As indicated in Table D-7 of the FES, the results of this calculation yields a 50-mile population dose of 1.7 person-rems/year to the whole body and 0.04 person-rems/year to the thyroid gland.

Assuming a 40-year plant operating life, the population dose integrated over the life of the plant may be simply estimated by multiplying the annual dose by 40. This approach, however, neglects the population dose which may be delivered by radionuclides which remain in the environment after the plant terminates operation. The radionuclides which could contribute to this residual dose are those with a half life that is relatively long, i.e., comparable to the operating life of the plant. There are several radionuclides that fall into this category, including Cs-137 ( $T_{1/2} = 30$  yr), Cs-134 ( $T_{1/2} = 3.4$  yrs), Co-60 ( $T_{1/2} = 5$  yrs); H-3 ( $T_{1/2} = 12.6$  yrs), and Sr-90 ( $T_{1/2} = 27.7$  yrs). However, except for tritium (H-3), these radionuclides will be bound to the sediments in the reservoir and Cape Fear River, after termination of operation, where they will decay away. Thus, it is only tritium that remains in

solution and delivers a dose to the population. This tritium will mix uniformly in the world oceans and become part of the water cycle. The global dose commitment from tritium is  $10^{-3}$  person-rem/Ci released (Benison; NUREG-0597). The dose to the population in the 50-mile vicinity of the plant is obtained by calculating the individual dose and then multiplying that figure by the 50-mile population size. Assuming a 40-year operating life and 370 Ci/yr released (see Table D-4 of the FES), the additional dose is less than 0.01 person-rem to the population within 50 miles of the plant. Similarly, the residual dose is less than 1 person-rem to the U.S. population.

#### Gaseous Effluents

The 50-mile population doses from the gaseous effluents are estimated in Table D-7 of the FES to be 13.7 person-rem/year. In these calculations, the gaseous effluents in Table D-1 of the FES are assumed to disperse in the atmosphere. As the radionuclides are transported they decay, deposit onto the ground and are further diluted in the atmosphere. Individuals located in the vicinity of the plant can receive external exposure from the passing airborne activity or from deposited activity on the ground. The population also can receive internal exposure from inhalation and the ingestion of foods contaminated from deposited radionuclides.



Assuming a 40-year plant operating life, the population dose integrated over the life of the plant may be estimated by multiplying the annual dose by 40. This approach, however, neglects the population dose which may be delivered by long-lived radionuclides which will remain in the environment after plant operation ceases, which includes Kr-85 (10 yr T1/2), H-3 (12.6 yr T1/2), C-14 (T1/2 = 5730 yrs) and several particulate radionuclides.

Krypton 85 is a noble gas which may be assumed to mix uniformly in the global atmosphere and deliver an external dose until it decays away within about 100 years. The 50-mile and U.S. population doses due to this residual activity are about  $2 \times 10^{-4}$  (0.0002) person-rems and  $3 \times 10^{-2}$  (0.03) person-rems, respectively (Benison, NUREG-0597).

The residual population dose from tritium in the gaseous effluent may be calculated in the same manner as that in the liquid effluent since it will also become part of the global water cycle. The 50-mile and U.S. population doses from this source of tritium are about 0.01 and 1 person-rems, respectively.

Particulate radionuclides include Cesium-137, Cesium-134 Strontium-90 and Cobalt-60. Within 50 miles of the plant, these radionuclides will all deposit onto the land and decay away within 100 years following plant shutdown. During this time, these radionuclides will reside in the soil and contribute to external exposure from direct radiation, and internal

exposure due to ingestion of foods contaminated via root uptake. Table A presents the residual population doses for these radionuclides via these pathways. In summary, from plant shutdown to 100 years after plant shutdown, there is a residual particulate dose of 4.2 person-rem.

TABLE A

Population Dose (person-rem)

	<u>External Exposure</u>	<u>Internal Exposure</u>			
		<u>Vegetables</u>	<u>Milk</u>	<u>Beef</u>	<u>Total</u>
Cs-137	3	$1.5 \times 10^{-2}$	$3.3 \times 10^{-2}$	$7.0 \times 10^{-3}$	3.1
Cs-134	$1.0 \times 10^{-1}$	$2.9 \times 10^{-4}$	$6.5 \times 10^{-4}$	$1.3 \times 10^{-4}$	$1.0 \times 10^{-1}$
Co-60	1	$1.2 \times 10^{-4}$	$2.6 \times 10^{-5}$	$1.5 \times 10^{-4}$	1.0
Sr-90	-	$6.2 \times 10^{-3}$	$1.0 \times 10^{-3}$	$3.7 \times 10^{-4}$	$7.6 \times 10^{-3}$
Total	4.1	$2.2 \times 10^{-2}$	$3.5 \times 10^{-2}$	$7.7 \times 10^{-3}$	4.2

Carbon 14 has a 5,820 year half life and, thus, will reside in the environment for a long period of time after plant operation ceases. In order to calculate the residual dose from Carbon-14, it may be assumed that the Carbon-14 uniformly mixes in the troposphere and slightly changes the specific activity of the carbon cycle. The 100-year dose to the population within 50 miles of the plant and to the U.S. population from Carbon-14 is estimated to be about 4 person-rem and 700 person-rem, respectively. (Killough, NUREG-0597).

Summary

As indicated in Table B, the total residual radiation doses accumulated for 100 years after the Harris Plant has ceased operating both by the populace living within 50 miles of the plant and by the entire U.S. population are 8 person-rems and 706 person-rems, respectively.

Table B

Residual (100 year post-operation) dose  
(person-rems)

<u>Isotope</u>	<u>50 Mile</u>	<u>U.S. Population</u>
H-3	0.2	2
Kr-85	0.0002	0.03
Particulates	4.2	4.2
C-14	4	700
<hr/>		
Total	8	706

## Attachment 4

### Conservatism in the Dose Calculations

In the main text of this testimony, it is stated that the population dose due to residual radioactivity in the environment following plant shutdown is relatively small compared to the dose during operation, and that this residual dose may be ignored because it is more than accounted for by the conservatism in the calculation of dose during operation. This attachment describes some of the more important conservatisms.

The calculation of the doses in the FES and the ER consist of a three-step process, each with varying degrees of inherent conservatism. The following presents a brief description of some of the more important conservative assumptions in each step.

#### Source Terms

The first step in the calculation of individual and population doses is to estimate the liquid and gaseous radionuclide release rate (i.e., source term). The source term, as estimated using the standard methods described in Regulatory Guide 1.112, is based on 0.12% failed fuel. However, operating experience over the four-year period 1978-1981 reveals a percentage of failed fuel of about 0.01% (NUPEG-0633, NUREG/CR-1818, NUREG/CR-2410, NUREG/CR-3001). As a result, the radionuclide

concentrations in primary coolant are much lower than assumed, resulting in much lower radionuclide release rates. Tables 4-1 and 4-2 compare the measured radioiodine release rates in gaseous and liquid effluents at operating PWRs with the estimated values. Actual measured releases are many times smaller than those predicted using standard methods.

### Dispersion

The second step in the calculation of individual and population doses is to determine the concentration of the released radionuclides in the environment. For gaseous releases, dispersion is calculated using the methods described in Regulatory Guide 1.111 which have been demonstrated to be conservative (Gogolak, et al; Miller and Hoffman). For aquatic releases, dispersion is calculated using the methods described in Regulatory Guide 1.113. Those methods take no credit for removal of radionuclides by sedimentation, resulting in an overestimate of the concentration of many radionuclides in water (Marschke and Mauro).

### Dose Calculation

In calculating the dose to the individual and population, numerous assumptions are made which tend to overestimate the dose. Some of these assumptions are: (1) no reduction in dose is taken for removal of radionuclides from foods during preparation; (2) no reduction of dose is taken for removal of

radionuclides from drinking water due to treatment; and (3) no reduction of dose is taken for the weathering of radionuclides from the soil.

Table 4-1

AIRBORNE RADIOIODINE SOURCE TERMS

<u>UNIT</u>	<u>PREDICTED</u> <sup>1,3</sup>	<u>MEASURED (Ci/Yr)</u> <sup>2</sup>	
	(Ci/Yr - unit)	Average	Range
Arkansas 1	.048	.14	.003-.74
Arkansas 2	.17	.0047	.0047
Beaver Valley	.014	.021	.0001-.072
Calvert Cliffs (2 units)	.25	.27	.035-1.0
Crystal River	.12	.0071	.0025-.019
Davis-Besse	.12	.0021	.00026-.0057
D.C. Cook (2 units)	.10	.028	.005-.055
Ft. Calhoun	.065	.011	.0016-.02
Haddam Neck	.04	.019	.0017-.05
H.B. Robinson	-	.063	.0004-.3
Indian Point 1 & 2	.36	.22	.005-.81
Indian Point 3	-	.0084	.0039-.013
J.M. Farley	.049	.032	.022-.041
Kewaunee	.081	.12	.00062-.66
Maine Yankee	-	.14	.0021-.94
Millstone 2	.105	.0059	.0-.013
North Anna 1	.095	.045	.032-.057
Oconee (3 units)	.10	.062	.0033-.18
Palisades	.79	.1	.01-.38
Point Beach (2 units)	-	.049	.0025-.28
Prairie Island	.137	.0093	.0009-.021
Rancho Seco	-	.013	.005-.032
R.F. Ginna	.11	.039	.01-.17
Salem	.21	.016	.0-.04
San Onofre	-	.17	.00014-1.6
St. Lucie 1	1.0	.22	.01-.52
Surry	2.1	.097	.0076-.35
TMI 1	-	.035	.01-.14
Trojan	.24	.028	.01-.051
Turkey Point (2 units)	.80	.44	.03-1.8
Yankee Rowe	-	.077	.0-.53
Zion (2 units)	.20	.033	.005-.07
Average (Ci/Yr-unit)	.34 ci/yr-unit	.065 ci/yr-unit	

FOOTNOTES

(1) The predicted values were obtained from the FES for each plant and are based on calculations performed by the NRC using industry wide standard methods. The values are for I-131 except where indicated.

(2) The average and range are inclusive over the years of operation from 1970 to 1979. The values are a slight overestimate because they include I-131 and particulates with half lives greater than 8 days.

(3) Value not available is denoted by "-".

Table 4-2

I-131 RELEASES IN LIQUID EFFLUENTS IN 1979

PLANT	PREDICTED(1,3) (Ci/Yr-Unit)	MEASURED(2) (Ci/Yr)
Arkansas 1	9.2	.28
Arkansas 2	.26	.24
Beaver Valley 1	.34	.0008
Calvert Cliffs 1 & 2 (2 units)	.27	.65
D.C. Cook 1 & 2 (2 units)	.47	.012
Crystal River 3	2.0	.06
Davis-Besse 1	2.37	.0035
J.M. Farley 1	.48	.0013
Ft. Calhoun 1	1.8	.019
R.E. Ginna 1	.27	.0093
Haddam Neck 1	.36	.067
Indian Point 1 & 2 (2 units)	2.06	.079
Indian Point 3	-	.059
Kewaunee	.51	.00059
Maine Yankee 1	-	.41
Millstone 2	.9	.12
North Anna 1	1.2	.16
Oconee 1, 2 & 3 (2 units)(?)	.2	.14
Palisades 1	-	.00038
Point Beach 1 & 2 (2 units)	-	.088
Prarie Is. 1 & 2 (2 units)	3.8	.00076
Rancho Seco 1	0	.0
H.B. Robinson 2	-	.0037
Salem 1	1.43	.019
San Onofre 1	-	.025
St. Lucie 1	.17	.048
Surry 1 & 2 (2 units)	12.15	.064
TMI 1	-	.14
Trojan 1	.21	.012
Turkey Pt. 3 & 4 (2 units)	10.2	.020
Yankee Rowe 1	-	.0041
Zion 1 & 2 (2 units)	.81	.011
Average (Ci/Yr-unit)	2.1	.065

(1) From the Final Environmental Statement

(2) From NUREG/CR-2227

(3) Value not available is denoted by "-".



Table D-6 Annual dose commitments to a maximally exposed individual near the Harris plant

Location	Pathway	Doses (mrems/yr per unit, except as noted)			
		Noble Gases in Gaseous Effluents			
		Total Body	Skin	Gamma Air Dose (mrad/yr/unit)	Beta Air Dose (mrad/yr/unit)
Nearest site boundary* (2.1 km, N)	Direct radiation from plume	0.20	0.57	0.33	0.81
Iodine and Particulates in Gaseous Effluents**					
		Total Body	Organ		
Nearest*** site boundary (2.1 km, N)	Ground deposition	0.44 (T)	0.44 (C) (thyroid)		
	Inhalation	0.24 (T)	0.56 (C) (thyroid)		
Nearest residence and garden (2.3 km, NNW)	Ground deposition	0.26 (C)	0.26 (C) (bone)		
	Inhalation	0.13 (C)	0.003 (C) (bone)		
	Vegetable consumption	0.49 (C)	1.13 (C) (bone)		
Nearest milk cow and meat animal (2.9 km, N)	Ground deposition	0.20 (C)	0.20 (I) (thyroid)		
	Inhalation	0.11 (C)	0.22 (I) (thyroid)		
	Vegetable consumption	0.41 (C)	N/A		
	Cow milk consumption	0.18 (C)	4.19 (I) (thyroid)		
	Meat consumption	0.04 (C)	N/A		
Nearest milk goat (7.4 km, NNW)	Ground deposition	0.016 (C)	0.016 (I) (thyroid)		
	Inhalation	0.014 (C)	0.027 (I) (thyroid)		
	Vegetable consumption	0.052 (C)	- (I) (thyroid)		
	Goat milk consumption	0.035 (C)	0.43 (I) (thyroid)		
Liquid Effluents**					
		Total Body	Organ		
Nearest drinking water at Lillington	Water ingestion	0.007 (A)	0.01 (C) (liver)		
Nearest fish at plant discharge area	Fish consumption	1.7 (A)	2.3 (A) (liver)		
Nearest shore access near plant discharge area	Shoreline recreation	0.002 (A)	0.002 (A) (liver)		

\*"Nearest" refers to that site boundary location where the highest radiation doses as a result of gaseous effluents have been estimated to occur.

\*\*Doses are for age group and organ that result in the highest cumulative dose for the location: A=adult, T=teen, C=child, I=infant. Calculations were made for these age groups and for the following organs: gastrointestinal tract, bone, liver, kidney, thyroid, lung, and skin.

\*\*\*"Nearest" refers to the location where the highest radiation dose to an individual from all applicable pathways has been estimated.

## Attachment 6

### Estimate of Individual Doses and Risks

In the main text of this testimony, the lifetime doses and risks to the maximally exposed individual are presented. The values include doses due to the releases from the plant during the 40-year life of the plant and doses due to residual radioactivity in the environment following plant shutdown. This Attachment presents the bases for these values.

In order to derive the maximum lifetime doses to an individual, it is assumed that at the time of plant start-up, a family with a newborn infant resides at the site boundary at the location of the highest average annual atmospheric dispersion factor. It is also assumed that the family has a backyard garden and milk and beef cows grazing on their property.

Table 6-1 presents the annual doses during plant operation for the maximum individual during infancy, childhood, teens and adulthood. The doses are presented for each organ. The lifetime dose due to annual plant operation is obtained by multiplying the dose by the number of years the individual is in each age category and then summing the doses. This covers the 40-year period of plant operations. To this is added the additional dose from residual radioactivity in the environment following shutdown. This residual exposure is assumed to continue until the individual is 70 years old. Using this calculation method, the maximum lifetime whole body dose is estimated to be

about 130 mrem. The lifetime risk of death to the individual due to this lifetime exposure is calculated to be about  $2 \times 10^{-5}$  (0.00002). This value is obtained by summing the lifetime risk associated with each year of exposure. These, in turn, were obtained by multiplying the age specific annual dose (described above) by the age specific risk coefficients. The age specific risk coefficients, presented in Table 6-2, were derived using the methods described in BEIR I for a linear dose response model.

Table 6-1

## ANNUAL ADULT DOSES (MKEM/YEAR)

GASFOUS PATHWAY	T. BODY	GI-TRACT	BONE	LIVER	KIDNEY	THYROID	LUNG	SKIN
PLUME	2.58E-01	2.59E-01	2.58E-01	2.58E-01	2.58E-01	2.58E-01	2.66E-01	6.64E-01
GROUND	7.07E-02	7.07E-02	7.07E-02	7.07E-02	7.07E-02	7.07E-02	7.07E-02	8.28E-02
VEGET	7.40E-01	7.23E-01	1.63E+00	7.46E-01	7.25E-01	9.13E-01	7.17E-01	7.13E-01
MEAT	1.89E-01	1.89E-01	6.33E-01	1.89E-01	1.87E-01	2.14E-01	1.86E-01	1.86E-01
MILK	2.99E-01	2.80E-01	7.05E-01	3.07E-01	2.91E-01	1.11E+00	2.81E-01	2.79E-01
INHAL	2.34E-01	2.33E-01	3.76E-03	2.35E-01	2.34E-01	4.94E-01	2.48E-01	2.31E-01
TOTAL	1.79E+00	1.75E+00	3.30E+00	1.81E+00	1.77E+00	3.06E+00	1.77E+00	2.16E+00
LIQUID PATHWAY	T. BODY	GI-TRACT	BONE	LIVER	KIDNEY	THYROID	LUNG	SKIN
DRINK	6.40E-03	6.21E-03	2.23E-04	6.59E-03	6.33E-03	6.87E-03	6.24E-03	0.
FISH	1.61E+00	5.74E-02	1.22E+00	2.17E+00	7.28E-01	4.45E-02	2.52E-01	0.
SHORE	1.16E-03	1.16E-03	1.16E-03	1.16E-03	1.16E-03	1.16E-03	1.16E-03	1.35E-03
TOTAL	1.62E+00	6.48E-02	1.22E+00	2.18E+00	7.35E-01	5.25E-02	2.59E-01	1.35E-03
TOTAL PATHWAY	T. BODY	GI-TRACT	BONE	LIVER	KIDNEY	THYROID	LUNG	SKIN
TOTAL	3.41E+00	1.82E+00	4.52E+00	3.98E+00	2.50E+00	3.11E+00	2.03E+00	2.16E+00

ANNUAL TETRAHAGEN DOSES (MREM/YEAR)

GASEOUS PATHWAY	T. BODY	GI-TRACT	BONE	LIVER	KIDNEY	THYROID	LUNG	SKIN
PLUME	2.58E-01	2.58E-01	2.58E-01	2.58E-01	2.58E-01	2.58E-01	2.66E-01	6.64E-01
GROUND	7.07E-02	7.07E-02	7.07E-02	7.07E-02	7.07E-02	7.07E-02	7.07E-02	8.28E-02
VEGET	1.02E+00	1.00E+00	2.71E+00	1.05E+00	1.01E+00	1.16E+00	1.00E+00	9.94E-01
MEAT	1.44E-01	1.44E-01	5.34E-01	1.45E-01	1.41E-01	1.64E-01	1.43E-01	1.42E-01
MILK	4.58E-01	4.40E-01	1.30E+00	4.86E-01	4.60E-01	1.76E+00	4.43E-01	4.37E-01
INHAL	2.35E-01	2.34E-01	4.77E-03	2.38E-01	2.36E-01	5.61E-01	2.57E-01	2.33E-01
TOTAL	2.19E+00	2.15E+00	4.88E+00	2.25E+00	2.18E+00	3.97E+00	2.18E+00	2.55E+00

LIQUID PATHWAY	T. BODY	GI-TRACT	BONE	LIVER	KIDNEY	THYROID	LUNG	SKIN
DRINK	4.52E-03	4.38E-03	2.15E-04	4.74E-03	4.49E-03	4.95E-03	4.42E-03	0.
FISH	9.14E-01	4.29E-02	1.29E+00	2.22E+00	7.30E-01	3.90E-02	2.91E-01	0.
SHORE	6.47E-03	6.47E-03	6.47E-03	6.47E-03	6.47E-03	6.47E-03	6.47E-03	7.55E-03
TOTAL	9.25E-01	5.38E-02	1.30E+00	2.23E+00	7.49E-01	5.04E-02	3.02E-01	7.55E-03

TOTAL PATHWAY	T. BODY	GI-TRACT	BONE	LIVER	KIDNEY	THYROID	LUNG	SKIN
TOTAL	9.25E-01	2.20E+00	6.17E+00	4.48E+00	2.93E+00	4.02E+00	2.48E+00	2.56E+00

ANNUAL CHILD DOSES (MRH/YEAR)

GASEOUS PATHWAY	T. BODY	GI-TRACT	BONE	LIVER	KIDNEY	THYROID	LUNG	SKIN
PLUME	2.58E-01	2.58E-01	2.58E-01	2.58E-01	2.58E-01	2.58E-01	2.66E-01	6.64E-01
GROUND	7.07E-02	7.07E-02	7.07E-02	7.07E-02	7.07E-02	7.07E-02	7.07E-02	8.28E-02
VEGET	2.04E+00	2.02E+00	6.56E+00	2.10E+00	2.04E+00	2.27E+00	2.02E+00	2.01E+00
MEAT	2.45E-01	2.44E-01	1.00E+00	2.47E-01	2.45E-01	2.76E-01	2.44E-01	2.44E-01
MILK	9.32E-01	9.16E-01	3.19E+00	9.96E-01	9.51E-01	3.53E+00	9.23E-01	9.14E-01
INHAL	2.07E-01	2.06E-01	5.73E-03	2.10E-01	2.09E-01	5.83E-01	2.26E-01	2.06E-01
TOTAL	3.75E+00	3.71E+00	1.11E+01	3.88E+00	3.77E+00	6.99E+00	3.75E+00	4.12E+00

LIQUID PATHWAY	T. BODY	GI-TRACT	BONE	LIVER	KIDNEY	THYROID	LUNG	SKIN
DRINK	8.50E-03	8.38E-03	6.18E-04	9.11E-03	8.61E-03	9.75E-03	8.45E-03	0.
FISH	3.55E-01	2.16E-02	1.59E+00	1.93E+00	6.22E-01	3.7 E-02	2.30E-01	0.
SHORE	1.35E-03	1.35E-03	1.35E-03	1.35E-03	1.35E-03	1.35E-03	1.35E-03	1.58E-03
TOTAL	3.65E-01	3.13E-02	1.59E+00	1.94E+00	6.32E-01	4.90E-02	2.40E-01	1.58E-03

TOTAL PATHWAY	T. BODY	GI-TRACT	BONE	LIVER	KIDNEY	THYROID	LUNG	SKIN
TOTAL	4.12E+00	3.75E+00	1.27E+01	5.83E+00	4.41E+00	7.04E+00	3.99E+00	4.12E+00

ANNUAL INFANT DOSES (MREM/YEAR)

GASEOUS PATHWAY	T. BODY	GI-TRACT	BONE	LIVER	KIDNEY	THYROID	LUNG	SKIN
PLUME	2.58E-01	2.58E-01	2.58E-01	2.58E-01	2.58E-01	2.58E-01	2.66E-01	6.64E-01
GROUND	7.07E-02	7.07E-02	7.07E-02	7.07E-02	7.07E-02	7.07E-02	7.07E-02	8.28E-02
MILK	1.77E+00	1.75E+00	6.23E+00	1.91E+00	1.80E+00	8.09E+00	1.76E+00	1.74E+00
INHAL	1.19E-01	1.19E-01	3.40E-03	1.22E-01	1.20E-01	4.64E-01	1.31E-01	1.18E-01
TOTAL	2.22E+00	2.20E+00	6.56E+00	2.36E+00	2.25E+00	8.88E+00	2.23E+00	2.60E+00

LIQUID PATHWAY	T. BODY	GI-TRACT	BONE	LIVER	KIDNEY	THYROID	LUNG	SKIN
DRINK	1.28E-02	1.27E-02	9.92E-04	1.42E-02	1.31E-02	1.60E-02	1.28E-02	0.
TOTAL	1.28E-02	1.27E-02	9.92E-04	1.42E-02	1.31E-02	1.60E-02	1.28E-02	0.

TOTAL PATHWAY	T. BODY	GI-TRACT	BONE	LIVER	KIDNEY	THYROID	LUNG	SKIN
TOTAL	2.23E+00	2.21E+00	6.56E+00	2.37E+00	2.26E+00	8.90E+00	2.24E+00	2.60E+00

Table 6-2

Age Specific Fatal Cancer Risk Coefficients

<u>Age</u>	<u>Risk of Fatal Cancer/Person-Rem*</u>
0	0.5 x 10 <sup>-3</sup>
0-4	1.0 x 10 <sup>-4</sup>
5-9	1.0 x 10 <sup>-4</sup>
10-14	2.4 x 10 <sup>-4</sup>
15-19	2.4 x 10 <sup>-4</sup>
20-24	1.9 x 10 <sup>-4</sup>
25-29	1.6 x 10 <sup>-4</sup>
30-34	1.4 x 10 <sup>-4</sup>
35-39	1.1 x 10 <sup>-4</sup>
40-44	0.9 x 10 <sup>-4</sup>
45-49	0.6 x 10 <sup>-4</sup>
50-54	2.8 x 10 <sup>-5</sup>
55-59	1.0 x 10 <sup>-5</sup>
60	0.5 x 10 <sup>-5</sup>

\* Values derived from Table 3-2 of the BEIR I Report. The time of risk, or plateau, was assumed to last the duration of life following the specified latent period which was assumed to begin at the midpoint of each age interval. Lifetime was assumed to be 70 years. For those age groups in Table 3-2 which were given a specific plateau duration, the specified value was used or that portion of it which did not exceed the 70 year age cutoff point.



## References

Beninson, D. 1974. Population Doses Resulting From Radionuclides of Worldwide Distribution. In "Population Dose Evaluation and Standards for Man and His Environment." IAEA/SM-184/8.

Cancer Facts and Figures, 1984. American Cancer Society.

Gogolak, C.V. et al, 1981. Calculated and Observed Kr-85 Concentrations within 10 km of the Savannah River Chemical Separation Facilities, Atmospheric Environment: 15, 497-507.

Killough, G.G. 1980. A Dynamic Model for Estimating Radiation Dose to the World Population from Releases of C-14 to the Atmosphere. Health Physics 38: 269-300.

Marschke, S. and J. Mauro, 1980. Radiocesium Transport into Reservoir Bottom Sediment - A Licensing Approach. Transactions of the American Nuclear Society, 34: 126.

Miller, C.W. and F.O. Hoffman 1978. Transactions of the American Nuclear Society; 30: 122.

- NUREG-0597, User's Guide to GASPAR Code, 1980.

NUREG-0633, Fuel Performance Annual Report for the Period Through December, 1978.

NUREG/CR-1818, Fuel Performance Annual Report, 1979.

NUREG/CR-2410, Fuel Performance Annual Report, 1980.

NUREG/CR-3001, Fuel Performance Annual Report, 1981.

5  
1 BY MS. BAUSER:

2 Q Dr. Mauro, could you please explain which part  
3 of the testimony on Contention II(c) is yours and which is  
4 the work product of Mr. Marschke?

5 A (Witness Mauro) Well, this was very much a  
6 collaborative effort where we both worked on the drafts  
7 together, edited together, checked each other's numbers,  
8 and performed calculations. So it is very difficult to  
9 make a clear distinction between the different sections which  
10 I prepared and those which Mr. Marschke prepared.

11 Q Mr. Marschke, could you summarize the testimony  
12 please?

13 A (Witness Marschke) Yes. What we did is we  
14 looked at the doses that are presented in the FES on an  
15 annual basis and we tried to calculate what the doses from  
16 operation of the Harris plant would be in total, over the  
17 total operating lifetime of the plant. And we started with  
18 the annual doses, and we multiplied those by 40 to account  
19 for the 40-year operating license of the plant and came up  
20 with a dose at that point in time.

21 To that dose we added what activity would be  
22 remaining in the environment when the plant ceases operation,  
23 to come up with a total dose to the population. Then we  
24 looked at that dose to determine what the risk would be  
25 and compared these doses and risks to the background doses

6  
1 and risks which would be received by the population in the  
2 area.

3 And we found them to be negligible or very small  
4 compared to the background doses.

5 MS. BAUSER: I have no further questions.

6 JUDGE KELLEY: Are you ready for cross, Mr.  
7 Eddleman?

8 CROSS-EXAMINATION

9 BY MR. EDDLEMAN:

10 Q Dr. Mauro, I believe I asked you some questions  
11 about your resume under Contention II(e). If I ask you  
12 the same questions now, would your answer be any different?

13 A (Witness Mauro) No, they wouldn't, I assume.

14 Q Mr. Marschke, you are an employee of Envirosphere,  
15 are you not?

16 A (Witness Marschke) That is correct.

17 Q And Envirosphere is a wholly-owned subsidiary  
18 of Ebasco.

19 A That's correct.

20 Q It says in the middle of the first page of  
21 your resume, which is Attachment 1-B that you were the lead  
22 radiological assessment engineer on the development team  
23 for Envirosphere's real-time dose assessment computer program.  
24 And it gives a seven-letter acronym, C-E-P-A-D-A-S. How  
25 do you pronounce that acronym, Doctor?

7

1 A You pronounce it CEPADAS.

2 Q Doctor, did you use that program in any of the  
3 calculations prepared for this testimony?

4 A We did not. I'm not a doctor.

5 Q I'm sorry. I'm used to calling everybody doctor.  
6 Forgive me, it's my mistake. If I make the mistake again,  
7 you could just let it pass, if you will.

8 Gentlemen, however I may address you, let's turn  
9 to page 3 of your jointly prepared testimony. Before I  
10 start in here, let me ask you something about your statement  
11 that this was prepared by you and under your direct  
12 supervision.

13 Did other people assist you in preparing this  
14 testimony?

15 A No.

16 A (Witness Mauro) All of the work, all of the  
17 writing was prepared by us. It was, of course, reviewed  
18 by our legal counsel, but the technical content of it, the  
19 analyses presented in it were prepared by myself and Mr.  
20 Marschke.

21 Q Okay. And by your legal counsel, do you mean  
22 the counsel for the power company over here?

23 A That's correct.

24 Q Not Ebasco's counsel.

25 A No, sir.

8  
1 Q Down toward the bottom on page 3 you have a  
2 sentence that reads, "The highly speculative doses accrued  
3 over geologic time periods are excluded." Now, how long --  
4 I take it back, scratch the how long.

5 Above that you say that your calculation includes  
6 consideration of residual exposures for a period of 100  
7 years after plant operation ceases. Taken together with  
8 this other sentence about doses over geologic time periods  
9 being excluded, does that mean, if I had a nuclide, say,  
10 with a half-life of 24,000 years, that you would look at the  
11 effects from that nuclide over 100 years after the plant  
12 operation ceased, and then exclude its further effects from  
13 your calculations here?

14 A That's correct.

15 Q Then you say the maximum individual doses are  
16 calculated on the basis of exposure to radionuclides released  
17 over a 40-year plant life. Now those radionuclides released,  
18 is that the source term for Harris?

19 A That's correct.

20 Q So you take the source term and you just multiply  
21 those dose numbers by 40. Now do I take it correctly that  
22 you drew your dose numbers from the FES for annual exposures?

23 A (Witness Marschke) No.

24 Q You calculated them yourself?

25 A That's correct. Because calculating the dose

9  
1 to an individual over a 40-year life of the plant, what we  
2 did was we assumed that the individual was born when the  
3 plant first started up. And he was an infant and then a  
4 child, and then a teenager, and then an adult for the  
5 remaining period of the plant operation.

6 So the doses, depending on the age group, or  
7 what age the individual was, the annual doses would be  
8 different. And we took that into account.

9 Q All right. Dr. Mauro, if you have something to  
10 add, please add it at any point. But Mr. Marschke, are you  
11 saying that you effectively assumed that this maximally  
12 exposed individual was born on or about the date that the  
13 plant starts operation?

14 A That's correct. And he lived his entire life at  
15 the nearest site location, site boundary.

16 Q You say, he. What if the maximally exposed  
17 individual were a woman? Would that make any difference  
18 to your calculations?

19 A (Witness Mauro) No.

20 Q Do you concur?

21 A (Witness Marschke) I concur.

22 Q Are either of you gentlemen aware of any different  
23 risk estimators for cancer induction for women and for men  
24 in the BEIR reports?

25 A (Witness Mauro) Yes, I'm aware that there are

10

1 some differences for certain types of health effects.

2 Q Do you know if the effects of a given amount of  
3 radiation on a woman are greater or less than those on a  
4 man from the same radiation?

5 A I believe it depends on the exposure. For example,  
6 I believe that the risk per rem of exposure for cancer  
7 induction in breasts is greater for a woman. However, the  
8 exposure of the ovary compared to testicles, the risk for  
9 adverse effect is lower in a woman. So there are these  
10 types of differences, and they are described, as you indicated  
11 in the BEIR reports.

12 Q Now we have been discussing some differences in  
13 risk per rad or rem delivered to various organs. Are you  
14 aware of any information in these reports as to the overall  
15 risk per rem to a man or a woman of the same exposure?

16 A I believe the differences are not great, and  
17 the risk co-efficients that we used are reasonably applied  
18 to either sex.

19 Q Are the risk co-efficients that you used derived  
20 from a weighted average of the risk co-efficients for each  
21 sex, by their percentage or proportion of the population?

22 A That's correct. It represents the average -- the  
23 risk co-efficients that we used represents the data -- a  
24 calculation of risk co-efficients based on data from  
25 exposure of large populations to radiation which includes  
both men and women.

mgc 14-1

1 Q Suppose a maximally exposed individual were, in  
2 fact, conceived shortly after the Harris plant began  
3 operation and was born within the first year of operation  
4 and then lived around the plant for the rest of their  
5 natural life; would that have any effect on your estimates  
6 here?

7 A The values that we have calculated include the  
8 risk from birth through life. If you were to add in the  
9 incremental increase in risk to -- due to exposure from  
10 conception to birth, it would have very little effect on  
11 our results. But the numbers that we provide here in terms  
12 of dose and risk start from birth, and I have considered  
13 your question subsequent to the preparation of this, and  
14 it would not have a significant effect on the results.

15 Q You say that after you prepared this testimony,  
16 you then considered this question?

17 A That's correct.

18 Q Do you have any quantitative information as  
19 to what the risk to the fetus is from the emission at the  
20 Harris plant?

21 A I wouldn't want to indicate what the risk to  
22 the fetus is from the exposures from the Harris plant, but  
23 I would say that risk coefficients have been developed  
24 per unit exposure to the fetus. These are estimates based  
25 on very high exposures, primarily from the Hiroshima and



mgc 14-2

1 Nagasaki data, and based on that data, the BEIR Committee  
2 has estimated that the risk per rad to the developing fetus --  
3 and that data plus other data from other studies independent  
4 of the Hiroshima and Nagasaki data, that the best estimate  
5 is that the risk per rad to the developing fetus is somewhat  
6 higher than it is to the child or adult.

7 Q I believe, if we look back to your attachments,  
8 there is a risk per rad by age shown in Table 6-2 on page  
9 6-3, which is the second from the back in this testimony  
10 packet; is that correct, gentlemen?

11 A That's correct.

12 Q Would you please turn to that table? At the  
13 top of this table is a listing -- well, this is a table  
14 of age-specific fatal cancer risk coefficients, right?

15 A That's correct.

16 Q And it gives for various ages and age ranges a  
17 risk of fatal cancer per person-rem as explained in the  
18 footnote, correct?

19 A That's correct.

20 Q Okay. Now for Age 0, that is at birth, you have  
21 a  $0.5 \times 10^{-3}$  risk, correct?

22 A That's correct.

23 Q So what you are saying is, that the risk to the  
24 fetus would be something higher than this.

25 A No, sir. That is the risk to the fetus.

mgc 14-3 1

Q That is the risk to the fetus? That is approximately  
2 twice the Birth-to-Age-4 risk, is it not -- pardon me --  
3 about five times?

4 A Five times.

5 Q Okay. Now further, at the bottom of this  
6 listing, at Age 60, there is a number of  $0.5 \times 10^{-5}$  for  
7 risk of fatal cancer per person-rem, correct?

8 A That's correct.

9 Q And you assume, as you explain in the footnote,  
10 do you not, that that risk is the same throughout the rest  
11 of the person's life?

12 A Except for leukemia. We treated all cancers as  
13 having a lifetime, a plateau, except for leukemia which  
14 we treated with having a plateau of a limited duration.

15 Q It doesn't mention leukemia in this footnote,  
16 does it, Doctor?

17 A No. But it does indicate that distinction has  
18 been made between types of cancers, and if you refer back  
19 to the original table from which this calculation was  
20 prepared -- namely, Table 3-2 of the BEIR-I report, you  
21 will see that the table indicates that the recommended  
22 approach for calculating these risk coefficients for  
23 leukemia is to use a limited-duration plateau for the  
24 risk period, based on their epidemiological data.

25 Q What is the duration of that plateau?

mgc 14-4 1

A I don't recall.

2

Q But you could find it in the BEIR report?

3

A That's correct.

4

5

Q Let me ask you this. Suppose for nine months of our maximally-exposed individual's lifetime, we substitute that fetus risk for Age 0 that's in the top of this for nine months from Age 70 back to Age 69½. Would we not, in fact, by making that substitution be increasing the overall risk of fatal cancer to which that individual was exposed?

10

11

12

A I'm not following you. Could you ask the question again, please?

13

Q Well, let me try to ask it in two parts.

14

15

16

The risk to the fetus of  $0.5 \times 10^{-3}$  is approximately 100 times the risk given for Age 60, of  $0.5 \times 10^{-5}$  fatal cancers per person-rem, is it not, Doctor?

17

18

19

20

21

22

23

24

25

A That's correct.

Q Okay. So if I were to substitute nine months of fetal life in the 70-year lifetime, for nine months of life after age 60, so that I am starting their lifetime with the conception, after the plant starts operating, soon after the plant starts operating, then wouldn't I, by making that exchange of nine months of fetal life at fetal risk for nine months of later life at this much lower risk after Age 60, wouldn't I be increasing the

mgc 14-5

1 total risk to that maximally-exposed individual of getting  
2 cancer?

3 A I guess I'm just not quite sure of what you  
4 are asking. Are you asking if we included the fetal risk,  
5 how would our risk change?

6 Q Basically, yes.

7 A And the answer is, it would have a very small  
8 effect, simply because we looked into this matter, and the  
9 dose to the fetus is comparable to the dose to an adult  
10 that you would calculate. There is very little difference.  
11 So therefore, the dose is about the same on annual basis,  
12 and the risk coefficient is about five times higher.  
13 However, it is only delivered for a nine-month period.

14 As a consequence, if you add in that increment,  
15 you really don't change very much, because we are talking  
16 about a 70-year period here. So what happens is, though  
17 you do have a five-times-higher risk coefficient, it does  
18 not have a significant effect on the total sum of risk  
19 over all age groups. And we went through that.

20 So I am trying to answer your question and show  
21 you what significance it has in our results, and it is  
22 very small.

23 Q Let me ask you this. Did you explicitly  
24 calculate an overall lifetime risk of fatal cancer per  
25 person-rem?

mgc 14-6 1

A Yes, sir.

2

Q And that appears back in your testimony, doesn't it?

3

4

A Yes, sir.

5

Q I'm having a little difficulty. Perhaps you could assist me. Could you point out where that jumps from?

6

7

I can refer forward from the testimony to the tables. I have a little trouble referring backwards.

8

9

A Okay. It's on page 13. It's on the sixth line down,  $2 \times 10^{-5}$  probability of cancer due to the lifetime dose of 130 millirems.

10

11

12

Q Now is that  $2 \times 10^{-5}$  derived by basically summing the products of the numbered years in each age range times the risk for that age range over the persons lifetime out of Table 6?

13

14

15

16

A That's correct.

17

18

19

Q Isn't it so, then, if I want to quantify this, that if I subtract from that overall risk three-quarters of a year times the  $0.5 \times 10^{-5}$  risk for after Age 60, that is the equivalent of moving the person's lifetime forward nine months, moving their date of birth forward nine months. So now in your 70-year period, you start with conception, and your age is at Age 69½?

20

21

22

23

24

25

A I much prefer starting -- assuming the person is exposed for 70 years and 9 months as opposed to the approach

mgc 14-7

1 you just used. I would just add in.

2 Q Okay. Suppose we do that, and we add in, do we  
3 not, three-quarters of the year times this  $.5 \times 10^{-3}$   
4 cancers per person-rem?

5 A Times the dose per year.

6 Q Right. But I thought your number on page 13  
7 was the risk number.

8 A That's correct.

9 Q Okay.  $2 \times 10^{-5}$ . And in fact, the actual risk,  
10 if we look in Table 6-2, it doesn't drop below  $2 \times 10^{-5}$   
11 until the person is about 55 years old, does it?

12 A No, I think you misunderstand Table 6-2. Table  
13 6-2 gives the risk per person-rem or per rem exposure.  
14 No individual receives a rem. The individuals we looked at  
15 receive on the order of millirems. For example, over the  
16 entire life of the person, he receives a small fraction of  
17 one rem.

18 Of course, in any one age grouping -- for example,  
19 the infant, the 9-month period, it will be a much smaller  
20 fraction of that, so you have to bear that in mind.

21 Q Well, then, Doctor, it appears you may have  
22 misunderstood one of my earlier questions. Let me try  
23 to ask it again.

24 Did you calculate an overall risk per rem of --  
25 for a person's lifetime, based on Table 6-2?

End 14

mgc 15-1

drop

1           A     We tried to do a more refined estimate here by  
2 doing it age-specific. The overall risk per rem for an  
3 average individual is on the order of 1-to-2 x 10<sup>-4</sup>  
4 fatalities per person-rem. That's an overall number. And  
5 you can see that sort of like lies in the middle of  
6 this distribution. But I did it age-specific to try to be  
7 a little bit more rigorous in my treatment of the problem.  
8 You can note that for the earlier age groups, the risks  
9 are a little higher than that number, and for the older  
10 age groups, they are a little bit lower.

11                     The overall effect is for population in general,  
12 which reflects all of these ages. The risk coefficient  
13 is between 1-to-2 x 10<sup>-4</sup> fatal cancers per person-rem  
14 based on the epidemiological data from Hiroshima, Nagasaki  
15 and other locations.

16           Q     That's the absolute risk from the BEIR report,  
17 is it not?

18           A     That's correct.

19           Q     The relative risk is higher, as you state in  
20 your testimony, isn't it?

21           A     I don't believe I mentioned relative risk  
22 coefficient here, do I?

23           Q     Not in that table, but I think you mentioned  
24 in your testimony that there are other measures of risk  
25 that give numbers about four times higher.

mgc 15-2

1 MS. BAUSER: Objection. I would like him to  
2 point that out, because I am not familiar with that in  
3 his testimony.

4 JUDGE KELLEY: Could we find the reference?

5 WITNESS MAURO: I don't believe you will find  
6 it in my testimony.

7 JUDGE KELLEY: I thought somewhere there was  
8 a reference to 4 times something.

9 WITNESS MAURO: Perhaps it might be Staff  
10 testimony.

11 MR. EDDLEMAN: He is right. It's not in his  
12 testimony.

13 BY MR. EDDLEMAN:

14 Q Let me ask you this. You say that absolute risk  
15 is 1-to-2 x 10<sup>-4</sup>. Now the risk to the fetus, then, is  
16 25 to 50 times higher, isn't it, .5 x 10<sup>-3</sup>.

17 A (Witness Mauro) 5 x 10<sup>-4</sup>, about five times  
18 higher.

19 Q So if you took a five times higher risk for 1/70th  
20 of the time -- well, I could be a little more precise.  
21 I could say that nine months is about a 1/100th of a  
22 70-year lifetime. If you took a five times higher risk  
23 times a 1/100th of the 70 years, that is the 9-month  
24 gestation period at that fetal risk, then you add about  
25 five percent to the overall number, wouldn't you?



mgc 15-3 1

A That's correct.

2

Q Okay. That's the quantitative thing I was trying to get.

3

4

Now let me step back here, Doctor and Mr. Marschke, on page 5 of your joint testimony in the middle -- well, it's kind of in the middle of that long paragraph -- there is a statement that there are no regulatory or other limits established for population doses. This is based, I take it, on your review of the applicable NRC and other regulations; is that right?

5

6

7

8

9

10

11

A That's correct.

12

13

Q So the only limitations are on doses to particular individuals.

14

A Yes.

15

16

Q Does the NRC or anybody else, to your knowledge, measure the doses to particular individuals?

17

A During plant operation?

18

Q Do they measure the dose to the individuals?

19

20

A They measure the radiation doses in the environment and the radioactivity content of food, and they perform calculations to determine what the dose is to individuals who are exposed to that. If that's your question, the answer is yes.

21

22

23

24

Q Well, the answer is that they measure the content of this radioactive material in the environment. They

25

mgc 15-4 1

2 measure the radioactive content of various foods, and from  
3 that, they calculate an exposure to the individual.

4 A That's correct.

5 Q They don't actually survey the individual and  
6 see how much radioactive material is in them, do they?

7 A No, sir.

8 Q Let's turn to page 6. You have Table 1 here with  
9 the little starred note that says, "The number of  
10 significant digits is not intended to indicate the degree  
11 of calculational accuracy, but is provided to facilitate  
12 independent verification of the tabulated values."

13 Now that means, does it not, that you really  
14 worked these things out to the number of digits that came  
15 out of the numbers that you put into them, regardless of  
16 whether those last few digits are significant?

17 A Including round-off. So that is correct.

18 Q Okay. The 40-year doses are computed by  
19 multiplying the annual doses by 40, are they not?

20 A No, sir. Multiplying the annual doses by 40,  
21 and then adding in any residual dose from 40 years on to  
22 100 years, the termination of plant operation.

23 Q Well, from the liquid pathway, 40 times the  
24 annual dose would be 68 person-rems, wouldn't it?

25 A That's correct.

Q So you are saying there is no residual dose

mgc 15-5

1 from the liquid pathway?

2 A That's correct.

3 Q I am trying to locate the point where you are  
4 talking about the radionuclides that have gotten out through  
5 the liquid pathway being bound in sediment.

6 A You want to look at page 3-1.

7 Q That's in one of your at'achments, isn't it,  
8 Doctor?

9 A Yes, sir.

10 Q And that is kind of in the middle of the  
11 attachments. The first page of Attachment 3, correct?

12 A That's correct.

13 Q All right. Now --

14 MS. BAUSER: Mr. Eddleman, it's the bottom of  
15 page 3-2, are the phrases that you just referred to about  
16 sediment.

17 MR. EDDLEMAN: Right, okay.

18 BY MR. EDDLEMAN:

19 Q You list some nuclides, including cesium-137  
20 with a halflife of 30 years, and strontium-90 with a  
21 halflife of 27.7 years and cobalt-60 with a halflife of  
22 5 years and some others. And then you say, "lexcept for  
23 tritium, these radionuclides will be bound to the  
24 sediments in the reservoir and Cape Fear River after  
25 termination of operation, where they will decay away."

mgc 15-6

1 Are there any organisms which live in lakes or  
2 rivers which might have occasion to swallow some of these  
3 sediments and remove the radionuclides from them?

4 A (Witness Mauro) There is an extensive body of  
5 literature on the mobility or lack of mobility of these  
6 radionuclides, once bound to sediment, and for all intents  
7 and purposes, they are gone from the biosphere.

8 Now there are organisms that possibly could  
9 acquire some of this activity, but it's extremely small  
10 amounts. And based on our review of this material, we  
11 decided the treatment of the problem the way we've done  
12 it here was a fair characterization of the environmental  
13 behavior of these radionuclides. So we ignored this very  
14 small portion that possibly may be accessible through  
15 bottom organisms. But in general, even those organisms are  
16 not able to strip the cesium and other radionuclides from  
17 the sediment because of the tenacious binding of the  
18 radionuclides to the sediment.

19 Q Are there any organisms that might stir up  
20 sediment on the bottom and therefore spread it around in  
21 the water?

22 A But it will remain bound. Certainly there is  
23 turbulence, and some sediment could resuspend and then  
24 deposit again, but during the process, the radionuclides  
25 remain bound to the sediment.

mgc 15-7 1

2 Q And there are no organisms which might swallow  
3 them or filter them out, say, like clams or oysters or  
4 something like that, shrimp?

5 A They would be swallowed and passed through and  
6 excreted in the fecal plug for organisms which were  
7 ingested in general. That's what has been found. They  
8 just are not efficiently stripped.

9 Q And all these things are your judgment, but are  
10 not explicitly set forth on this page of Attachment 3?

11 A That's correct.

12 Q Okay. Let me turn back here, then, to the gaseous  
13 pathway on page 6 and Table 1 of your testimony.

14 (Pause.)

15 If we took the United States annual whole-body  
16 dose of 24 person-rem from the gaseous pathway and  
17 multiplied by 40, we get about 960 person-rem, wouldn't  
18 we, Doctor?

19 A That's correct.

20 Q Okay. So you are adding approximately 710  
21 person-rem by computing the residual dose to people  
22 throughout the country.

23 A Precisely.

24 Q And that would be approximately, in very rough  
25 terms, a 70 percent increase in the U.S. person-rem to  
whole body from gaseous emissions from the Harris plant,

mgc 15-8 1

wouldn't it?

2

A That's correct.

3

Q And likewise, that same increase from the gaseous pathway is the major component of the increase in the total dose, since there is no residual component of dose in the 40-year doses for the liquid pathway that you calculated; isn't that correct?

8

A That's correct.

9

Q Now I believe the Staff says in their testimony that they calculated for one unit. Are these calculations made for one unit or two units, Doctor?

12

A Per unit.

13

Q Okay. So this is on a comparable basis, a one-unit basis?

15

A That's correct.

16

Q Why did you use 100 years following plant shutdown as the outer limit of your analysis?

18

A For all radionuclides, just about all the radionuclides, their halflife is such that within 100 years, they would decay away to very small fractions of their original quantity. In addition, to go beyond 100 years, you would start to speculate on land use and behavior of radionuclides, which would be speculative. In addition, it would presume no advances in treatment for the cure of cancer to go ahead and calculate the

25

mgc 15-9

1 risks beyond that time, and there is some precedent for  
2 it also, that others have looked at this question in the  
3 past, such as the NRC and EPA, and for similar reasons have  
4 made the cutoff at 100 years.

5 In addition, it turns out that the dose delivered  
6 from -- over that first 100-year period is much, much  
7 higher than the dose delivered over any subsequent 100-year  
8 period. As a result, no individual would receive a dose --  
9 the highest dose that would be delivered to any individual  
10 will occur over that first 100-year period, and after that,  
11 the individual doses drop off to essentially zero.

12 So based on our judgment, we thought that 100  
13 years was an appropriate cutoff point to limit the extent  
14 of our analysis.

15 Q Well, for population doses, -- that is, the  
16 U.S. population as a whole or the population around the  
17 Harris plant within 50 miles -- isn't it true that certain  
18 nuclides like cesium-137 and strontium-90 have halflives  
19 such that -- oh, in rough terms, about 1/10th or an eight  
20 of the original amount would still be around 100 years  
21 following plant shutdown?

22 A That's correct. Approximately 90 percent would  
23 have decayed away, leaving a residual of about 10 percent,  
24 and that is not accounted for in our calculation.

25 Q You have said that the residual dose is relatively

S2BU4

mgc 15-10 1

2 small, here at the bottom of page 6, and that the residual  
3 doses are not significant. And accordingly, you can take  
4 the dose to the U.S. population due to the operating life  
5 of a plant by multiplying the annual doses presented in the  
6 FES by 40. That's how it continues on to page 7.

7 Now what I want to ask you is, in the actual dose  
8 that you calculated for the U.S. population, isn't it more  
9 like multiplying the annual dose by about 70, if you look  
10 at Table 1?

11 A I'm sorry. I lost your train. Could you  
12 repeat it?

13 Q Let me just ask a question about the numbers first.  
14 If we look at Table 1, it is total dose to the whole body  
15 for the United States population. That's 25.7 person-rems,  
16 and the whole-body dose to the U.S. population is 1738  
17 person-rems.

18 Isn't the latter number approximately 68 or 70  
19 times the former number?

20 A (Witness Marschke) We calculate 67.

21 Q Okay. Whatever you get by dividing 1738 by  
22 25.7. That is the number I'm talking about, right?

23 A Right.

24 Q Okay, so let's say 67. Then you go on to say  
25 on page 7, "Because of all these conservatisms, you may  
estimate by multiplying the annual doses presented in the FES



mgc 15-12 1

by 40."

2                   Wouldn't it be just as possible, by your own  
3 calculation on the previous page, to take the U.S.  
4 population dose by multiplying the annual dose by 67?

5           A       That would also give you an approximation.

6           Q       Now if you -- let me ask you this. The U.S.  
7 population health risk from the FES that you reference  
8 in your second paragraph on page 7, do you know if that  
9 number is calculated with the absolute risk model from BEIR?

10          A       (Witness Mauro) Yes.

11          Q       It is. Then if we wanted to apply a relative  
12 risk model to this, we could just take the ratio of relative  
13 risk to absolute risk and multiply this population health  
14 risk by that ratio to get the number that would result from  
15 using relative risk, could we not?

16                   MS. BAUSER: Objection. We are starting to get  
17 into a challenge to the BEIR report, which I think has  
18 been ruled in summary disposition to be outside the scope  
19 of this contention.

20                   MR. EDDLEMAN: I'm not challenging the BEIR  
21 report, Judges. I am using the BEIR report.

22                   JUDGE KELLEY: Let's take it slow. Give me the  
23 question again.

24                   MR. EDDLEMAN: Okay. The question is, if we  
25 wanted to use the relative risk numbers from the BEIR

mgc 15-13 1

2 report instead of absolute numbers and see what effect  
3 that would have on this U.S. population health risk from  
4 the FES, could we not simply take the ratio of the relative  
5 risk in the BEIR report to the absolute risk in the BEIR  
6 report and multiply this population health risk by that  
7 ratio to get a number that would be the cancer risk  
8 calculated with BEIR's relative risk model?

9 JUDGE KELLEY: Let me get the objection here.

10 MS. BAUSER: I may be wrong, I may need some  
11 clarification from the witness, but it is my understanding  
12 that the model adopted by the BEIR report and the one,  
13 for example, referred to by Dr. Fabergant in his  
14 original affidavit was the absolute one and not the  
15 relative one. So while the relative one may be referred to,  
16 it is my understanding that that is not the position of  
17 the BEIR report. So by raising this issue, Mr. Eddleman is,  
18 in fact, challenging the model that the BEIR report, that  
19 the BEIR committee has endorsed.

20 MR. EDDLEMAN: There are two modesl in the BEIR  
21 report, the absolute and relative risk, and I am not  
22 aware of the BEIR report specifically endorsing one or  
23 the other.

24 JUDGE KELLEY: Does the absolute and relative  
25 risk -- which produce the higher risk?

MR. EDDLEMAN: Relative risk.

mgc 15-14 1

JUDGE KELLEY: Relative risk produces the  
2 higher risk.

3 Where does this take you in terms of what we  
4 are looking at, name the time periods that ought to  
5 be looked at in the FES?

6 MR. EDDLEMAN: Well, if you use the relative  
7 risk model, you come out with a higher risk. And if you  
8 look at the Staff testimony, they actually discuss these  
9 higher risk estimators, what you could get with them.

10 What I want to know is, if you ask them about  
11 these higher risk estimators, did you use them on the  
12 same number, because as I understand the Board's question,  
13 it says, shouldn't the total risk over the plant's life  
14 be disclosed? And that total risk is higher or lower,  
15 depening on which risk estimator you use.

16 JUDGE KELLEY: So that using one risk estimator,  
17 at least hypothetically, you might decide that even over  
18 40 years, it doesn't really matter. It is still pretty  
19 small.

20 But you want to say, let's use the other  
21 risk estimator, or another one, get a higher risk, and  
22 therefore require its disclosure, if you will, in the FES,  
23 right?

24 MR. EDDLEMAN: That's right.

25 JUDGE FOREMAN: Before you go on, would it be

mgc 15-15 1

2 too difficult for you to repeat your reasoning as to why  
3 you thought --

4 MS. BAUSER: I'm just trying to check. Perhaps  
5 we could ask Dr. Mauro if I am technically correct. It  
6 was my understanding that the BEIR committee endorsed the  
7 absolute risk model, and that is what they recommend, and  
8 not the relative risk model.

9 JUDGE FOREMAN: It may not be pertinent to the  
10 challenge to his question, but I am just curious about  
11 that concept.

12 JUDGE KELLEY: Well, let's get an answer to the  
13 argument question.

14 Do you know?

15 WITNESS MAURO: Yes. The BEIR committee  
16 recommends the absolute as opposed to the relative risk  
17 approach. However, they do present risk coefficients  
18 using the relative risk approach also, in the BEIR report.

19 MR. EDDLEMAN: Was your answer with respect to  
20 BEIR-1 or BEIR-3 or both?

21 WITNESS MAURO: Both.

22 JUDGE KELLEY: Why don't you let us huddle on  
23 this.

24 (The Board confers.)

25 End 15

16pbl

1 JUDGE KELLEY: Now having heard the comment on  
2 the -- having heard the objection and some comment on it,  
3 our feeling is that it's one of those things where you can  
4 go a little way down the road and perhaps should, and we  
5 intend to, but not as far as it might potentially -- we are  
6 here to litigate the comparative merits of absolute versus  
7 relative risk. That's not in the contention.

8 On the other hand, if you want to get some  
9 perspective on where these numbers go, if you use the other  
10 risk formulation, since we are looking at what ought to be  
11 in an FES, if an FES is a disclosure document, then within  
12 reason we think it is a fair question. It's a fair line  
13 of questions, within reason.

14 The particular question will --

15 MR. EDDLEMAN: Okay.

16 BY MR. EDDLEMAN:

17 Q Do you recall the question?

18 A (Witness Mauro) I do the recall the question.

19 As I recall reading the BEIR reports, the risk co-efficient  
20 was obtained using the relative risk approach is about  
21 four times higher than the risk co-efficient obtained using  
22 the absolute risk approach.

23 Q So you could just multiply these numbers by  
24 four if you wanted to use the relative risk approach?

25 A That's correct.

2  
1 Q And all your numbers in your testimony are  
2 calculated by absolute risk, are they not?

3 A That's correct.

4 Q So again, if we wanted to look at relative risk  
5 for any of those numbers we could just multiply by four.

6 A That would probably be a reasonable first cut  
7 at it. However, there may be some fine structure in that  
8 that I'd have to look more closely at. But as far as a first  
9 cut, I think four-fold is reasonable.

10 Q All right. I may ask you specifically about  
11 certain other numbers then since you mentioned this fine  
12 structure. But that's all I wanted to go into on this right  
13 now.

14 Let me ask you this, if you took your 1738 person  
15 rem, whole body dose to the U.S. population that's given in  
16 Table 1, page 6 of your testimony and multiplied it by  
17 the BEIR absolute risk estimator, which I think is something  
18 like  $1.6 \times 10^{-4}$ , is that close to the estimator?

19 A Closer to 1.4, if I recall. You are in the  
20 right area.

21 Q All right, let's say 1.4. If you multiply that  
22 1738 person rem times  $1.4 \times 10^{-4}$ , wouldn't you come  
23 out with about, roughly speaking .25?

24 A Yes, sir. That's on page 8 in Table 2. .25 is  
25 the value presented there.

3  
1 Q Now that .25 number is for one unit of the  
2 Harris plant, isn't it?

3 A That's correct.

4 Q And if we look back at your calculation on page  
5 7, the first full paragraph on that page, the number derived  
6 from the FES is .16 for a single unit at Harris plant, isn't  
7 it?

8 A That's correct.

9 Q That number is -- the number in Table 2 is higher,  
10 isn't it?

11 A That is correct.

12 Q All right. Now in a number of these tables,  
13 you've got a natural background population dose. Is either  
14 of you gentlemen aware of any measurements of natural  
15 background dose in the area the Shearon Harris plant, within  
16 50 miles of it?

17 A Yes, sir.

18 Q What estimates?

19 A There was a one-year study of the background  
20 radiation performed recently. And there are numbers in  
21 there for air doses in the vicinity of the plant. And if  
22 I recall, the doses are what would be expected to be observed  
23 in the area.

24 A (Witness Marschke) Also, in the FES on Table 9.1,  
25 there is a table which presents background doses, and they

4  
1 have Durham and Raleigh, North Carolina. And they present  
2 the background doses for those two cities.

3 Q What are the background doses given in that  
4 table for Durham?

5 A For Durham, it's 87.8 millirems per year.

6 Q And what is it for Raleigh?

7 A For Raleigh, it's 87.6 millirems per year.

8 Q Okay. Less than 100 in both cases.

9 A Slightly.

10 A (Witness Mauro) Would you hold on for a second,  
11 please? Let me just take a look at this also.

12 Q Yes.

13 (Pause.)

14 A These doses would be external doses and would  
15 not include, I believe, from looking at this table, would  
16 not include the internal dose due to naturally occurring  
17 potassium 40, which would add another, about 20 millirems,  
18 bringing your dose to approximately 100 millirem per year.

19 Q Could you read the title of that table?

20 A Calculated average background doses.

21 Q Does it say anything about excluding internal  
22 dose?

23 A Yes, I'm looking at the table and I see where they  
24 addressed external terrestrial, and I believe cosmic ray,  
25 but I don't see anyplace where they have accounted for



5  
1 internal dose from potassium 40. This table, I believe,  
2 came from a study by Oakley performed for the EPA. I think  
3 if you look at the reference, and if I recall correctly, the  
4 potassium 40 is not included in these numbers.

5 This is just external.

6 (Pause.)

7 MS. BAUSER: Could you identify the document?

8 WITNESS MAURO: We're looking at 9 -- page 9-12  
9 in the FES.

10 BY MR. EDDLEMAN:

11 Q And are you looking over page 9-13 for the  
12 reference?

13 A (Witness Mauro) Yes, I'm looking. 9-14, I guess.  
14 This report is the one I recall. This report is the one  
15 I recall, the EPA report. And the author is Oakley.

16 Q Does it say the identity of the report in that  
17 note?

18 A Yes. Right in the title of the table. This  
19 is 9.1, and in a footnote it says, or right below the title,  
20 U.S. EPA ORP/SID 72-1. That again, that reference is  
21 repeated in the reference list on page 9-14, the fourth  
22 reference up from the bottom.

23 And just from looking at the table and the  
24 structure, I recall reading this report. And I believe it's  
25 the report performed by Oakley, and it does not include

6  
1 potassium 40.

2 Q Does the note on page 9-14 mention the name of  
3 Oakley?

4 A No, it does not.

5 MS. BAUSER: Objection. The FES is in the record.  
6 It speaks for itself. Dr. Mauro stated his recollection  
7 several times now.

8 MR. EDDLEMAN: He said he recalled the name was  
9 Oakley, and I wanted to know if it's in the reference or  
10 just his recollection.

11 MS. BAUSER: The reference is in the record.

12 JUDGE KELLEY: Do you have an FES? You must have.

13 MR. EDDLEMAN: I don't have one in front of me.

14 JUDGE KELLEY: Well, then you're going to have  
15 to get one if you're going to ask questions about the FES.

16 MR. EDDLEMAN: Well, they, I think, brought the  
17 FES into this themselves.

18 MS. BAUSER: This is the subject of the contention,  
19 the FES -- the contention has challenged the FES. Mr. Eddleman has a copy

20 BY MR. EDDLEMAN:

21 Q Dr. Mauro, you mentioned another study that was  
22 a one-year survey of background around the Harris plant. Is  
23 that a different study from the ones you were just recalling,  
24 that you referenced in the FES?

25 A (Witness Mauro) Yes, that's correct.

7

1 Q When was that study completed, Doctor?

2 A Very recently. I don't have the exact date.

3 Q Have you seen the results of that study?

4 A Yes, I have.

5 Q What does it say for the background around the  
6 Harris plant?

7 A I recall when I read through the report, it  
8 was quite large, maybe on the order of 50 pages, they had  
9 information on sampling of food items, airborne sampling,  
10 and they also had some TLD readings, thermal luminescent  
11 dosimeter readings which give the external dose. And I  
12 recall in looking at it, nothing unusual.

13 That is, the dose rates and doses that they have  
14 measured are very consistent with what would be expected,  
15 and the type of information that's in this report also.

16 Q Do you recall what the total background dose  
17 around the Harris plant was as given in that report, Doctor?

18 A Well, it was given -- you see, as it turns out,  
19 there were many, many locations where they took these, let's  
20 say external TLD readings. And I found there was some  
21 variability. That is, natural background varied considerably  
22 depending on where your reading was taken, as would be  
23 expected. So there's not really one number. There's a lot  
24 of numbers characterizing dose rate in the vicinity of the  
25 site.

8  
1 Q Well, do the airborne sampling locations and the  
2 sampling of food items correspond to the locations of those  
3 TLDs, Doctor?

4 A I recall in some cases they did, but in some they  
5 did not.

6 JUDGE KELLEY: Excuse me, are we clear in this  
7 context exactly which report you're referring to?

8 WITNESS MAURO: Yes, I am. I'm referring to a  
9 very specific report.

10 JUDGE KELLEY: Tell me, will you?

11 WITNESS MAURO: Yes, there's a report -- over the  
12 past year, CP&L has had an ongoing environmental radiological  
13 surveillance program around the plant site in order to  
14 characterize and get baseline information prior to plant  
15 operation. I believe the first of those reports summarizing  
16 the results has just been completed.

17 And I received a copy approximately two weeks ago  
18 of this --

19 JUDGE KELLEY: Done by CP&L?

20 WITNESS MAURO: From CP&L directly.

21 JUDGE KELLEY: Not done by Ebasco?

22 WITNESS MAURO: Not done by Ebasco. And I read  
23 through it. In fact, we have some of the numbers here if  
24 you're interested, some of the results. The range of the  
25 dose rates that were observed using thermal luminescent

9  
1 dosimetry was ranged from .6 millirem per week to 2.2  
2 millirem per week as being the range of doses, dose rates  
3 that were observed in the vicinity of the site.

4 BY MR. EDDLEMAN:

5 Q Do you know what the possible range of error  
6 on those TLDs is, Doctor?

7 A (Witness Mauro) I don't have that number offhand,  
8 no.

9 Q Do you have some comparable numbers about the  
10 airborne sampling dose ranges and the food item dose ranges?

11 A Not at my fingertips.

12 MS. BAUSER: Objection. He has answered the  
13 question. I don't see where we're going here at all. Dr.  
14 Mauro has testified that that data is consistent with the  
15 data in the FES, and I don't know where Mr. Eddleman is  
16 going.

17 MR. EDDLEMAN: Well, I'm trying to get some  
18 numbers. If he has numbers, that will tell me whether it's  
19 consistent. He says it's consistent and that's his opinion.  
20 I can't enter into the nerve cells of his brain to figure  
21 out if it's really consistent or not. But if he gives me  
22 a number, I can see if it's consistent.

23 JUDGE KELLEY: One at a time, please. These  
24 are all natural background numbers that we're talking about?

25 WITNESS MAURO: That's correct.

10

1 JUDGE KELLEY: Is this report going to end up in  
2 the record, or are we going to content ourselves with  
3 references?

4 MR. EDDLEMAN: I don't have a copy of the report.  
5 I presume if they completed it, they're probably going to  
6 serve it on me at some point, but I can't try to put it in  
7 the record until I get it.

8 JUDGE KELLEY: They will only serve you if they  
9 have served the NRC, right?

10 MR. EDDLEMAN: I think that's correct.

11 JUDGE KELLEY: That's how you get papers like that.  
12 It just seems to me we're having another extended discussion  
13 of some recent report, and it might be nice to have the  
14 report.

15 MS. BAUSER: It would not be our intent to put  
16 this into the record. We don't think that it's particularly  
17 enlightening with respect to the contention. I think the  
18 extent to which it is useful, Dr. Mauro has already stated.

19 Mr. Eddleman asked Dr. Mauro whether he knew  
20 of anything else and he told him that he did. But that  
21 doesn't mean that we think it has any particular value or  
22 additional value beyond the information that we already  
23 have here.

24 I think it's just really a complete sidetrack.  
25 It is not useful.

11

1 JUDGE KELLEY: So you don't intend to offer it  
2 in your case anyway.

3 MS. BAUSER: No, sir.

4 JUDGE KELLEY: And you don't have it, right?

5 MR. EDDLEMAN: That's right.

6 JUDGE KELLEY: So we have all these numbers in  
7 the record and we don't know -- well, we know where they  
8 came from.

9 MR. EDDLEMAN: And if your previous statement is  
10 correct, then CP&L is probably going to serve it on the NRC  
11 at some point. I don't know what the record can do with  
12 something that's in the files of the NRC. I don't know what  
13 your powers are to look at those things.

14 JUDGE KELLEY: I guess the only thing that comes  
15 to mind, as far as I'm concerned, so far I believe these  
16 numbers are consistent with all the other numbers you say?

17 WITNESS MAURO: Yes, they're consistent with  
18 what I would have expected to see at the site.

19 JUDGE KELLEY: All right. They're consistent with  
20 the numbers we've already got in the FES?

21 WITNESS MAURO: That's correct.

22 JUDGE FOREMAN: Could you repeat those numbers?  
23 After all that, I'd like to have them.

24 WITNESS MAURO: The range was .6 to 2.2 millirem  
25 per week.

1 JUDGE KELLEY: Where else do you want to go with  
2 this, Mr. Eddleman?

3 MR. EDDLEMAN: Well, all I want to do is see if  
4 he's got some numbers for airborne sampling and food items,  
5 and that will be the end of it because that will be the  
6 ranges of those numbers, and I can look at them and see if  
7 they're comparable.

8 If it looks ridiculously off, that would be  
9 different. But I'm already multiplying these ranges by  
10 52 weeks and trying to figure out how much that is per  
11 year and so on. So I can add it up pretty fast and tell  
12 you if I'm going to go anywhere else at all.

13 JUDGE KELLEY: I'll allow you a couple more  
14 questions along that line. Go ahead.

15 BY MR. EDDLEMAN:

16 Q Doctor, do you have any information from this  
17 report concerning the range of doses from airborne sampling  
18 or food items that are based thereone?

19 A (Witness Mauro) I don't remember them. I know  
20 that analyses of that type are done. I recall that from  
21 reading the report. But I do not recall any of the values  
22 presented.

23 Q Does the report give at all, any range of total  
24 background doses for locations around the Harris site?

25 A As I indicated before, the report presents the



13

1 results for individual sampling locations, but does not,  
2 as I recall, does not make an effort to try to come up with  
3 some average overall value of the external dose around the  
4 site.

5 Q Well, I understand that, but I asked you a very  
6 slightly different question, which I'll ask again. For  
7 any particular location or locations within 50 miles of  
8 Harris, does this report give an estimate or number for  
9 overall background radiation dose, to your knowledge?

10 MS. BAUSER: I don't understand the question.

11 WITNESS MAURO: The values we just gave on a  
12 per week basis.

13 BY MR. EDDLEMAN:

14 Q But that's just from the external dose measured  
15 by TLDs. It's not --

16 JUDGE KELLEY: Excuse me, I have an objection here.

17 MS. BAUSER: Oh, I'll withdraw it.

18 JUDGE KELLEY: Go ahead.

19 BY MR. EDDLEMAN:

20 Q That's just in the TLDs, it's not from food,  
21 airborne radioactivity and so on?

22 A (Witness Mauro) No, sir, it is not.

23 Q So to make sure I'm not confused, you're saying  
24 that to your knowledge there are no total background radiation  
25 doses taking into account food, airborne radioactivity,

14  
1 external dose, ground dose I guess is part of external dose,  
2 all those sources of natural background and adding them  
3 up for any site or sites within the 50-mile radius of Harris.  
4 That information, as far as you know, is not in this report?

5 A That's correct.

6 MR. EDDLEMAN: That's all I have along that line.

7 JUDGE KELLEY: Let's take 10 minutes.

8 (Recess.)  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

end 16

mgc 17-1 1

JUDGE KELLEY: We are back on the record.

2

MS. BAUSER: Judge Kelley, we have one further correction to make to this testimony that we missed the first time around.

3

4

5

Mr. Marschke, would you identify the correction, please?

6

7

WITNESS MARSCHKE: Yes. On page 4, the bottom paragraph, second sentence makes reference to Table D-1 of the FES. That should be changed to Table D-4 of the FES.

8

9

10

JUDGE KELLEY: All right.

11

MS. BAUSER: That's all. Thank you.

12

JUDGE KELLEY: Sure.

13

Okay, Mr. Eddleman, shall we resume?

14

BY MR. EDDLEMAN:

15

Q You actually use the values from D-4, the source term, in your calculations?

16

17

A (Witness Marschke) Yes. D-4 is the liquid releases; D-1 is the gaseous releases.

18

19

Q Okay. So when you were looking at gaseous releases, you did use D-1.

20

21

A That is correct.

22

Q Okay. Your population dose estimates in Table 2 on page 8 of your testimony, gentlemen, the 50-mile person-rem is just 100 millirems for 40 years times the number of people within 50 miles of the plant; is that

23

24

25

mgc 17-2 1

correct?

2

A (Witness Mauro) That's correct.

3

Q And you calculate the dose similarly at 100

4

millirems per person times 40 years times the 260 million

5

people?

6

A That's correct.

7

Q And there is actually less than about 240 million

8

people in the United States now, aren't there?

9

A (Witness Marschke) That's correct.

10

Q So your using 260 is sort of an implied average

11

over 40 years or something like that?

12

A Yes.

13

JUDGE KELLEY: Did we look at Canadians and

14

Mexicans, too?

15

WITNESS MARSCHKE: We did not. We assumed the

16

260 was the population in the United States.

17

JUDGE KELLEY: But radionuclides don't stop at

18

the border, do they?

19

WITNESS MARSCHKE: No, they do not.

20

JUDGE KELLEY: Go ahead.

21

JUDGE FOREMAN: They probably go around the

22

world.

23

JUDGE KELLEY: But just in terms of if you had

24

a reactor in New England, you really could get more things

25

into Montreal than in California.

mgc 17-3 1

Oh, go ahead.

2

MR. EDDLEMAN: Judge, do you want to ask something?

3

JUDGE KELLEY: No. Go ahead.

4

BY MR. EDDLEMAN:

5

Q The paragraph numbered 2 on page 10, in its  
6 first sentence, has a number of residence that is actually  
7 nearest to the plant site, 2.7 kilometers north-northeast.  
8 Then it goes down in Footnote 3 and says that that number  
9 comes from Table D-2 of the FES and a table of the ER, but  
10 then Table D-6 identifies this location as 2.3 kilometers  
11 north-northwest.

drop

12

Do you gentlemen know which of those two  
13 directions and distances is correct?

14

A (Witness Marschke) I believe the 2.3 kilometers  
15 is closer than the 2.7 kilometers, but the term "nearest  
16 residence" is actually not quite the way we should use it.  
17 It should be the critical residence, which is a combination  
18 of closeness and the frequency at which the wind blows in  
19 that particular direction. When we did our analysis in  
20 the ER, we came up with the nearest critical. The critical  
21 residence was the same as that given in Table D-2 of the  
22 FES.

23

Q That's the one at 2.7 kilometers to the  
24 north-northeast?

25

A Yes, even though the 2.3 kilometers is closer

mgc 17-4 1

in, in our calculation the people at 2.7 kilometers would  
2 receive a higher exposure because the wind was more frequent  
3 in that direction.

4 Q Okay. So that's why you used the one, that  
5 2.7 kilometers, because of that higher exposure to them?

6 A That's correct.

7 Q Okay. It then says, "At each location and for  
8 each pathway at that location," -- I'm reading below  
9 paragraph numbered 4, the next paragraph after that --  
10 "doses are calculated for for age groups: adult, teen,  
11 child, and infant."

12 Were doses calculated for the fetus at any of  
13 those locations, gentlemen?

14 MS. BAUSER: Objection. Asked and answered.

15 JUDGE KELLEY: Sustained. I thought he pretty  
16 clearly said at the outset that he didn't count fetal dose.

17 MR. EDDLEMAN: He's talking about what is in the  
18 FES here. I am asking him, is that stuff available in the  
19 FES.

20 JUDGE KELLEY: All right.

21 WITNESS MAURO: No.

22 MR. EDDLEMAN: Okay.

23 BY MR. EDDLEMAN:

24 Q On page 13 in the last paragraph on that page,  
25 you give a number of  $1 \times 10^{-3}$  lifetime risk from natural

mgc 17-5

1 background radiation for cancer death to a maximally-  
2 exposed individual.

3 Do you obtain that by taking 100 millirems a  
4 year background radiation times 70 years times an  
5 estimator of about  $1.4 \times 10^{-4}$  deaths per person-rem?

6 A (Witness Mauro ) Yes.

7 Q And that is still an absolute risk estimate?

8 A Yes.

9 Q Okay. If you were to apply a relative risk  
10 model to that number, would you have any qualms about  
11 increasing it by a factor of four?

12 A I guess at this time I would say, if I was to do  
13 it right now, that is what I would do?

14 Q You would increase it by a factor of four to  
15 get relative risk?

16 A Four, yes.

17 Q Four, okay. So the  $2 \times 10^{-5}$  lifetime risk for  
18 cancer from the plant that's referred to in that last  
19 paragraph, that number actually comes from a paragraph  
20 up above at the top of this page, does it not?

21 A That's correct.

22 Q And in this one, you have taken a maximum lifetime  
23 wole-body dose to an individual of 100 millirems over 40  
24 years plant operation, and then you added the residual  
25 dose. That is where you used -- wait a sec -- I take that

mgc 17-6 1

back.

2

In obtaining this number of 130 millirems, you used doses from your Attachment 6, did you not?

3

4

A (Witness Marschke) Yes, that is correct.

5

Q That is stated on page 12, isn't it?

6

A Yes.

7

Q And as shown in your Footnote 4 on page 13, you started with an infant. You didn't start with the fetus, correct.

8

9

A (Witness Mauro) That's correct.

10

Q Okay. The number  $2 \times 10^{-5}$  is obtained by

11

absolute risk calculation, is it not?

12

A That's correct.

13

Q Now if you wanted to use a relative risk model

14

on that number, would you need to go back into the relative risk per rem numbers in your Attachment 6, or could you just multiply by 4 to get the relative risk?

15

16

17

A At this time, I would say that just multiplying by 4 would be a reasonable approximation.

18

19

JUDGE FOREMAN: I think he is saying at this time.

20

WITNESS MAURO: Well, relative risk is a completely different method of assessing dose, especially if you start to look at any age-specific risk coefficients.

21

22

23

Overall, based on my recollection of the BEIR reports, that is overall for general population exposed,

24

25



mgc 17-7 1

2 the risk coefficient is about a factor of four higher. But  
3 that is just based on my recollection.

4 If I was asked now and I was given the time to go  
5 back and say, "Okay, go back and redo your whole analysis  
6 using the relative risk approach," I would go back and redo  
7 it from scratch. But right now at this time, just based  
8 on my recollection, I believe the results of that detailed  
9 would show about a fourfold difference.

10 JUDGE FOREMAN: I thought maybe you were thinking  
11 that that number might change with time. But this is  
12 with respect to your thinking.

13 WITNESS MAURO: With respect to my knowledge,  
14 that's correct.

15 JUDGE KELLEY: And if we were to take out the  
16 BEIR report, we could find out exactly what relative risk  
17 means in terms of that report.

18 WITNESS MAURO: That's correct.

19 BY MR. EDDLEMAN:

20 Q May I refer you to your Attachment 2-A, which  
21 is back about a third of the way in to your attachments,  
22 which is Table D-7 of the FES?

23 JUDGE CARPENTER: Do you have the page?

24 MR. EDDLEMAN: The page number at the bottom is  
25 D-10. It actually follows page -- it follows Attachments  
1-A and 1-B, which follow the testimony. You go through

mgc 17-8

1 the two resumes, it's the next item. There is Attachment  
2 2-A at the top and page D-10 at the bottom.

3 BY MR. EDDLEMAN:

4 Q Do you have that before you?

5 A (Witness Mauro) Yes, I do.

6 Q Okay. The total body doses given in this  
7 attachment to the population within 80 kilometers of the  
8 plant shows a dose of 12 person-rem from radioiodines and  
9 particulates, doesn't it?

10 A That is correct.

11 Q And for the thyroid, from radioiodines and  
12 particulates, it shows 22 person-rem, does it not?

13 A That's correct.

14 Q And in both cases, that is for the total body  
15 and the thyroid, the radioiodines and particulates form  
16 the majority of the person-rem, do they not?

17 A That's correct.

18 Q In Attachment 2-B, which follows that by a couple  
19 of pages, on page D-12, you again take from the FES  
20 Table D-9, some estimates of person-rem.

21 The natural background radiation of 26 million  
22 person-rem corresponds to 260 million persons, does it  
23 not?

24 A That's correct.

25 Q And the starred footnote shows that that 260

mgc 17-9 1 million persons therefore comes from a reference of the  
2 Bureau of the Census, correct?

3 A Yes.

4 Q That is where you got your 260 million number  
5 that you used elsewhere in this testimony, isn't it?

6 A That's correct.

7 Q And it shows a dose commitment to plant workers  
8 of 1000 person rems per year, doesn't it?

9 A Yes, sir.

10 Q That exposure would cease when the plant shuts  
11 down, except for decommissioning, would it not?

12 A That's correct.

13 Q And the triple-starred number, that 3.5 under  
14 "Liquid Effluents," is the correction of the number given  
15 in the FES, according to the errata dated January 12th,  
16 is it not?

17 A That's correct.

18 Q On page 3-4 of your Attachment 3, gentlemen,  
19 the second paragraph begins with the statement, "Krypton-85  
20 is a noble gas which may be assumed to mix uniformly in  
21 the global atmosphere and deliver an external dose until  
22 it decays away within about 100 years."

23 That 100 years is roughly eight or ten halflives  
24 of that isotope, is it not?

25 A Yes.

mgc 17-10 1

2 Q So you've only got about a few thousandths to  
one-thousandth of it left after 100 years, correct?

3 A Yes.

4 Q Now when you assume that it is mixed uniformly in  
5 a global atmosphere -- well, let me ask you first, why  
6 do you assume that?

7 A As a noble gas, it would not be expected to  
8 attach to anything, and it would deposit, and you expect  
9 it to disperse and stay airborne and uniformly mix in the  
10 atmosphere.

11 Q Do you know if krypton is lighter or heavier  
12 than air?

13 A I don't know offhand.

14 Q Well, assuming that you are correct about it  
15 being uniformly dispersed, that would be the minimum  
16 concentration of tritium (sic) released in the atmosphere  
17 you could get, if you uniformly dispersed it through the  
18 whole atmosphere, then you minimize the concentration  
19 around the plant, don't you?

20 JUDGE KELLEY: I have an objection here.

21 MS. BAUSER: I think he said tritium.

22 MR. EDDLEMAN: Krypton, I meant to say.

23 BY MR. EDDLEMAN:

24 Q If the krypton is uniformly dispersed throughout  
25 the atmosphere of the whole earth, that would be the

mgc 17-111

1 greatest reduction of the amount of krypton-85 in the  
2 atmosphere to the plant that you could get, since you are  
3 mixing it with the whole atmosphere, isn't that correct?

4 A (Witness Mauro) I believe you misunderstand the  
5 way we did our calculations. We looked at both. That is,  
6 we looked at local concentrations within 50 miles and what  
7 the doses would be. And we also, then, after it passed  
8 50 miles, we assumed that it is diluted in the atmosphere.  
9 So it is after -- we already looked at the more localized  
10 higher concentrations in order to give a complete  
11 assessment. Then we assumed dilution in the atmosphere.

12 So the answer to your question is yes. For the  
13 second half of the calculation, we did make that assumption.

14 Q All right. Now when you disperse it uniformly  
15 throughout the atmosphere of the whole world, wouldn't  
16 it be correct to use the population of the whole world to  
17 assess the dose that results from that?

18 A If I was interested in calculating the global  
19 dose, that's correct.

20 Q Well, that is the dose that does result from  
21 mixing the stuff uniformly throughout the whole world's  
22 atmosphere, isn't it?

23 A That's correct.

24 Q And you said it's reasonable to assume that that's  
25 what's actually going to happen to this krypton-85 once

mgc 17-12 1

it's released from the Harris plant?

2

A That's correct.

End 17 3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

18pbl

1 Q Do you know what the population of the world is?

2 A Not exactly. About two billion.

3 Q You think it's about two billion?

4 A I don't know.

5 JUDGE FOREMAN: I don't see what that has to  
6 do with the contention.

7 MR. EDDLEMAN: Well, let me see if I can read  
8 this contention.

9 (Pause.)

10 MR. EDDLEMAN: It says, "Long term somatic and  
11 genetic health effects of radiation releases from the  
12 facility during normal operation, even where such releases  
13 are within existing guidelines, but seriously underestimated  
14 for the following reasons." And it talks about arbitrarily  
15 short lengths of time and so one.

16 But if we're talking about disclosure of the  
17 effects, you would have to include the effect of spreading  
18 the stuff out over the globe on everybody in the world. I  
19 would think that's the overall effect.

20 It doesn't directly relate to time if that's  
21 your question.

22 JUDGE FOREMAN: It is four billion approximately.  
23 I happen to know that number; four billion people.

24 MR. EDDLEMAN: I don't know if there's an  
25 objection pending or not.

2  
1 JUDGE KELLEY: Not yet.

2 (Laughter.)

3 JUDGE KELLEY: I think you have a leading question,  
4 I suppose under NEPA you'd have to do global analyses. Do you know?

5 MR. EDDLEMAN: No, I don't, Judge. I think I  
6 already said in one of my pleadings that I didn't know the  
7 answer, but let me ask and see if I get an objection.

8 BY MR. EDDLEMAN:

9 Q To be consistent with your calculations for other  
10 aspects of the Harris plant where you used about a year 2000  
11 U.S. population, and a median of plant life population  
12 around here, you would have to apply that global dose or  
13 global -- pardon me, dose resulting from the global average  
14 concentration of krypton 85, as you've assumed it here on  
15 this page of your Attachment 3 to the population of the  
16 globe as it is estimated for the year 2000, wouldn't you?

17 A (Witness Mauro) We did not calculate a global  
18 dose. We limited our calculation to a 50-mile and U.S.  
19 population dose commitments from these effluents.

20 Q But if you were to calculate a global dose for  
21 this globally dispersed krypton 85 consistent with your  
22 methodology for these other calculations, you would in fact  
23 use the world population in the year 2000.

24 A Depending on which isotope we were looking at.

25 Q For krypton 85, as you assumed here.



3  
1 A I didn't do the calculation, but yes, I probably  
2 would do it that way.

3 Q May we turn to your Table 4-1 on page 4-5 of  
4 Attachment 4. Excuse me, page 4-4 of Attachment 4.

5 This is a table, in footnote 1 it says, "The  
6 predicted values of airborne radioiodine releases for the  
7 predicted phase were obtained from the FES for each plant."  
8 And then the measured numbers of the average range for 1970  
9 to '79 for these various nuclear plants.

10 Let me ask you first, gentlemen, did all of these  
11 plants operate in every year from 1970 through 1979?

12 A Every plant had an emission. What power level it  
13 was operating at and the extent to which the time it was  
14 down, I don't know. But these are the releases for that  
15 year for those plants.

16 Q It doesn't actually give year by year releases,  
17 it just gives a range in the right-hand column, does it not?

18 A That's correct.

19 Q Okay. So you don't know whether each of these  
20 plants was always operating in each of these 10 years or  
21 not, do you?

22 A I don't know if each of the plants were operating  
23 the entire year during each of those years.

24 Q Do you know, for example, whether Oconee, any  
25 unit of Oconee was operating in the years 1970 or '71?

4 1 MS. BAUSER: Objection. He has already answered  
2 the question about what he knew with respect to all the  
3 plants --

4 MR. EDDLEMAN: He said for any part of each of  
5 those years. And now I'm asking about whole years. It's  
6 a very fine distinction but --

7 JUDGE KELLEY: Where are we going?

8 MR. EDDLEMAN: Well, first the table says that  
9 the average range is inclusive over the years of operation  
10 from 1970 to '79. Let me ask you this, this might be  
11 easier.

12 BY MR. EDDLEMAN:

13 Q Footnote 2 on the same page, it says, "The  
14 average in range are inclusive over the years of operation  
15 for 1970 to 1979." Do you gentlemen interpret that to mean  
16 those years between 1970 and 1979 when each of these plants  
17 was operating?

18 A (Witness Mauro) It's not only interpreted, that's  
19 what it is.

20 Q Okay. Now if we can look at the first line of  
21 that table for the unit Arkansas 1, you have a predicted  
22 curies per year of .048 and a measured average of .14, do  
23 you not?

24 A That's correct.

25 Q And in the range, the upper end of the range for

5  
1 that is for that same plant is .74, is it not?

2 A That's correct.

3 Q If we look down to the fourth line of Calvert  
4 Cliffs, it has two units, we have a predicted value of  
5 .25 curies per year and a measured average of .27, do we  
6 not?

7 MS. BAUSER: Your Honor, I don't understand the  
8 relevance. The table is attached to the testimony of these  
9 witnesses. Mr. Eddleman can use this table in his findings  
10 as much as he sees fit. There's no need to have the witnesses  
11 repeat every number that is included. If he has questions  
12 about something, that's fine. But I think we're wasting time.

13 MR. EDDLEMAN: I certainly don't intend to repeat  
14 every number. In fact, I have about four more.

15 MS. BAUSER: There's no need to repeat any  
16 number.

17 JUDGE KELLEY: I think it's the same ballpark  
18 with the testimony. If they're looking at all of it, just  
19 ask the question about the numbers. He's a smart man, he  
20 can see the numbers, and he'll answer the question.

21 MR. EDDLEMAN: All right.

22 BY MR. EDDLEMAN:

23 Q Let me refer you then to a couple of other numbers  
24 besides the ones we've covered. If you look at the upper  
25 end of the range for Calvert Cliffs, do you see that?

6

1 A (Witness Mauro) Yes.

2 Q The upper end of the range for Indian Point. I  
3 mean, pardon me. Oh, it is Indian Point 1 and 2. The  
4 upper end of the range for that.

5 A Yes.

6 Q And for Turkey Point, the two units, if you look  
7 at the upper end of the range for that. Each of those  
8 upper ends of ranges considerably exceeds the predicted number,  
9 does it not?

10 A Turkey Point, yes, by a factor of two or three.  
11 A factor of two for Indian Point. A factor of four for  
12 Calvert Cliffs, that's correct

13 Q And for Arkansas 1, what would you say the factor  
14 is there, 15? A factor of 15 or 20, gentlemen?

15 A Yes.

16 Q Okay. And in fact, for Arkansas 1 and Calvert  
17 Cliffs and Kewaunee, if you could look at that one, too,  
18 the measured average exceeds in each of those cases the  
19 predicted curies per year per unit of radioiodine released.

20 MS. BAUSER: Could you repeat that?

21 MR. EDDLEMAN: Arkansas 1, Calvert Cliffs (two  
22 units), and Kewaunee, K-e-w-a-u-n-e-e.

23 WITNESS MAURO: Yes.

24 WITNESS MARSCHKE: Yes.  
25

1 BY MR. EDDLEMAN:

2 Q So that even though these averages are what you  
3 used in your testimony, there is no guarantee that a  
4 particular plant is going to, either in any particular year  
5 or as measured on average, stay within the predicted limits  
6 for release of radioiodine, is there?

7 A (Witness Mauro) On the average you would expect  
8 it would be below. However, at any point in time for any  
9 particular plant, the release could be somewhat above or  
10 below the average.

11 Q Okay. And this table demonstrates that in some  
12 cases the release is substantially above the average,  
13 doesn't it?

14 A I think the intent of the table is to show that  
15 the average, which is what is being attempted to be predicted  
16 in the FES is typically -- the predicted value is typically  
17 considerably higher than the actual average for or observed.  
18 So comparing averages is really appropriate.

19 Each of these predicted values, you could probably  
20 go back and say, well, that's what you predicted to be  
21 the average release. You could ask the question, what would  
22 you predict to be the top end of the release, making other  
23 assumptions for any particular year. And that could have  
24 been done, too.

25 And perhaps under those circumstances it would be

8  
1 appropriate to compare it to the top end of the range. My  
2 intent here was to compare the predicted average versus the  
3 measured average, and to demonstrate that in general we  
4 tend to overestimate what we release when we try to predict.

side 2 bu 5  
5 Q Okay. But in fact, for at least the four units,  
6 Arkansas 1, two at Calvert Cliffs, and one at Kewaunee the  
7 measured average was higher than that predicted, was it not?

8 A That's correct.

9 Q Okay, let me ask you this. In averaging the  
10 curies per year per unit, how were these plants like H.B.  
11 Robinson, Indian Point 3, Maine Yankee and so on, which have  
12 a blank for the prediction column, how were they entered  
13 into that average, do you gentlemen know?

14 A Where there is no value presented?

15 Q Yes.

16 A That means there's no value presented in the  
17 reports that we looked at.

18 Q Okay. But did you make an average of all the  
19 ones for which values were presented?

20 A For the values presented, certainly.

21 Q All right. For the actual release values for  
22 those plants where no prediction was made, did you average  
23 the actual values into your actual release average?

24 A Say that again please.

25 Q All right, let me try to rephrase it.

9  
1           Where there was no prediction made for radioiodine  
2 airborne release from a plant, did you use the measured  
3 release of radioiodine from that plant in computing your  
4 average measured release?

5           A     No. What column are you looking at right now?

6           Q     The second column where you have an average of  
7 .065. Does that average exclude the measured releases from  
8 plants for which there is no predicted release?

9           A     No, that average -- you see those numbers, that  
10 long list, the second column. The .065 is the average of  
11 those numbers.

12          Q     All right. So in fact, the predicted average  
13 excludes eight units as I count them. There are eight for  
14 which no predicted number is given; is that correct?

15          A     That's correct.

16          Q     So from the predicted column, when you take  
17 that average it excludes those eight plants. But in the  
18 measured average column you include those eight plants in  
19 the measured average.

20          A     That's correct.

21          Q     Okay. Even though there's no way to make a  
22 comparison between the predicted and measured performance  
23 of a plant for which there was no prediction.

24          A     That's correct.

25          Q     Okay. Why did you choose to include the measured

10

1 performance for plants for which no predicted performance  
2 was given?

3 JUDGE KELLEY: Mr. Eddleman, is this going to  
4 get tied in with appropriate durations at some point? I  
5 think you're going at this in very detailed. And frankly,  
6 it seems to me to be marginal from the standpoint of this contention.

7 MR. EDDLEMAN: What he's saying is, when he talks  
8 about conservative and he says, look there's a conservatism  
9 here and we can show this by comparing the predicted to  
10 the measured averages. I contend that in this respect of  
11 including numbers for which there was no prediction in  
12 this measured average, he's comparing apples and oranges.  
13 Or at least he's comparing one box of apples to that box  
14 and another box. And that may introduce some error in these  
15 numbers, which affects his degree of conservatism.

16 JUDGE KELLEY: Do you really think it would turn  
17 the numbers around? I mean, looking at these two columns.

18 MR. EDDLEMAN: It's not going to turn them  
19 upside down, Judge, but it is, I think, going to change them --

20 JUDGE KELLEY: It might even make his case stronger.  
21 We don't know what those numbers are, right?

22 MR. EDDLEMAN: I haven't calculated it out, you're  
23 right. Okay. I think that's a good invitation to drop it,  
24 so I'll just withdraw further questions.

25 (Laughter.)

JUDGE KELLEY: All right.

end 18



mgc 19-1 1

MR. EDDLEMAN: I just have one other matter.

drop 2

BY MR. EDDLEMAN:

3

Q On page 2 of Attachment 1-B of Mr. Marschke's resume under "Prior Experience," you list the Ralph M. Parsons Company. Is that Ralph M. Parsons any relation to the R.M. Parsons who is Project Manager at Shearon Harris?

7

8

A (Witness Marschke) No, not that I know of.

9

MR. BAXTER: That is Roland.

10

11

MR. EDDLEMAN: Well, I was allowing two possibilities, relative and same.

12

I have no further questions of these witnesses.

13

JUDGE KELLEY: Okay.

14

15

MR. RUNKLE: Your Honor, I do have a couple of question, just to clean up some matters.

16

JUDGE KELLEY: Go ahead.

17

18

MR. RUNKLE: They are fairly layman's questions. I would just like to pull some of the specific figures out of here.

19

20

## FURTHER CROSS-EXAMINATION

21

BY MR. RUNKLE:

22

23

Q Based on your study, your knowledge, your opinion, everything, how many people will receive fatal cancers from the operation of Shearon Harris?

24

25

A (Witness Mauro) Are you asking my best estimate?

mgc 19-2 1

Q Yes.

2

A None.

3

4

5

Q In the results of your study, what percentage do you come up with? What is the possibility of fatal cancers?

6

7

8

A Take a look at page 8. Read the full paragraph that begins at the bottom of the page or the middle of the page. That basically answers your question.

9

10

11

12

Q Okay. The same question relating to genetic defects. Based on your study, your opinion, and your knowledge, how many genetic defects will crop up over the life of Shearon Harris?

13

14

A We did not address genetic effects in this testimony.

15

16

Q Did you study any of the effects of radiation released on miscarriages, spontaneous abortions?

17

18

19

20

21

MS. BAUSER: Objection. I believe we have already had a ruling from the Board that other diseases besides cancer and genetics are not within the scope of this contention. That is the Board's January 27th order, and I think it is at 41 to 43.

22

JUDGE KELLEY: Let me look at that.

23

(Pause.)

24

25

JUDGE KELLEY: There was a portion of the -- well, it wasn't a portion -- of Eddleman 37(b), which

mgc 19-3

1 referenced the works of Grauss and Bertell and referred to  
2 a host of other diseases, allergies, causes of death,  
3 et cetera, et cetera.

4 Excuse me a moment while I look at this.

5 (Pause.)

BU6

6 JUDGE KELLEY: I think Ms. Bauser is essentially  
7 correct, citing page 43 of our ruling of last January.  
8 We had a contention that referenced other diseases, and  
9 we said there that there was a lack of specificity in those  
10 references, and therefore we were going to restrict this  
11 to cancer and genetic defects.

12 MR. EDDLEMAN: Is that for Contention II(c) or  
13 37(b)?

14 JUDGE KELLEY: It came in the context of 37(b).  
15 It's a fair enough point. Would you like to comment?

16 MS. BAUSER: I think it's even more remote with  
17 respect to the contention that is now pending before the  
18 Board. I mean, this was never the subject of Contention II(c).  
19 It is certainly not the subject of the Board's -- of the  
20 issues identified by the Board after the rulings on summary  
21 disposition.

22 MR. EDDLEMAN: Counselor, do you mean Joint II(c).  
23 I think you said Eddleman II(c).

24 MS. BAUSER: Yes, Joint II(c).

25 JUDGE KELLEY: Well, excuse me a moment.

mgc 19-4 1

(Pause.)

2 JUDGE KELLEY: All of II(c) is preceded by the  
3 following words: "The long-term somatic and genetic  
4 health effects of radiation releases from the facility,"  
5 et cetera. I don't think that has anything to do with  
6 miscarriages. It seems to me that means cancer and genetic  
7 defects.

8 MR. RUNKLE: Okay. There are -- we use  
9 miscarriages as a more common word. There are miscarriages  
10 that are caused by genetic defects, and if you look at only  
11 from birth on, rather than fetal development, you would  
12 have miscarriages and spontaneous abortions directly caused  
13 by birth defects.

14 I don't have the --

15 JUDGE KELLEY: Are you now talking -- maybe I'm  
16 not with you. What is your scenario?

17 MR. RUNKLE: If the fetus would have genetic  
18 defects, it wouldn't become a death like you would have  
19 a death from a cancer or some other things. It would show  
20 up as a miscarriage or a spontaneous abortion.

21 JUDGE KELLEY: Sure. But I just want to get  
22 real clear now what we're talking about. This is a fetus  
23 that receives a radiation dose from the plant; is that  
24 right?

25 MR. RUNKLE: Yes.

mgc 19-4 1

JUDGE KELLEY: And you are suggesting what's going to happen? The defect will cause the miscarriage?

MR. RUNKLE: Yes, or a spontaneous abortion or whatever.

JUDGE FOREMAN: This is a scenario in which I have special interest, and indeed, a large number of individuals believe that spontaneous fetal losses are related to genetic effects. But this is due to the dose to the parents, and not necessarily a dose to the embryo.

So to my mind, your question is proper and fits within the contention.

JUDGE KELLEY: Go ahead, then.

BY MR. RUNKLE:

Q My question was just whether in studying the effects of radiation releases from Shearon Harris, you studied miscarriages or spontaneous abortions?

A (Witness Mauro) No, sir. Not in the piece of testimony, we did not.

Q Did you look at any other cancers that were not fatal?

A Yes, sir. We have addressed fatal cancers. But it is generally held that if you wanted to express all these numbers in terms of total cancers, it is reasonable to multiply all of our risks by a factor of two. That is a generally approved approach.

mgc 19-5

1 Q Is that also in your testimony?

2 A No, sir. We just address fatal cancers in our  
3 testimony.

4 Q Do you address not-fatal genetic defects?

5 A No, sir, we do not address genetic effects in  
6 this testimony.

7 Q Would any of your figures change, of fatal cancers  
8 in the 50-mile radius around Shearon Harris, if the  
9 population of that area increased or doubled perhaps?

10 A If you double the population -- difficult to  
11 answer. It probably would not double. It would increase  
12 but not double.

13 Q Can you explain that a little more? What would be  
14 the effects if the population doubled? Can you just run  
15 those figures through just briefly.

16 A Okay. The dose to the population within 50  
17 miles can be looked at as due to two methods of exposure,  
18 external exposure from the airborne activity and deposited  
19 activity, and that would be directly proportional to the  
20 population, more people, because the dose rate would be  
21 the same. You put more people there. The person-remms would  
22 increase.

23 So from that regard, there would be proportionality.  
24 However, from the food pathway point of view, there's only  
25 a certain amount of food grown there and consumed. So you

mgc 19-6

1 could increase the population, but that doesn't matter,  
2 because we assume all the food that is grown there is  
3 consumed, so it would not increase with population.

4 Q But concomitantly with that, if there is more  
5 food grown in that area, you would have an increase in the  
6 amount of -- in that one pathway through food. Then you  
7 might expect that fatal cancers also do grow somehow in  
8 relation to that.

9 A If you increase the food production within 50  
10 miles, you correspondingly increase the calculated  
11 person-rem from that pathway in direct proportion to the  
12 food production.

13 MR. RUNKLE: No other questions.

14 JUDGE KELLEY: Staff?

15 MS. MOORE: Staff has no questions.

16 BOARD EXAMINATION

17 BY JUDGE FOREMAN:

18 Q I am looking at page 3-4, and I think the answer  
19 is in the text here, but at the moment it's not clear to me,  
20 if you'll bear with me, and I am looking at the second  
21 paragraph beginning, "Krypton-85."

22 And what is puzzling me is the sentence that says,  
23 "The 50-mile and the U.S. population doses due to this  
24 residual activity are about  $2 \times 10^{-4}$  person-rem and  
25  $3 \times 10^{-2}$  person-rem respectively.

mgc 19-7

1 I am a little confused as to why the number  
2 of person-remS for the U.S. population is lower than the  
3 number of person-remS to the 50-mile population?

4 A (Witness Mauro) No, sir. Just the reverse.

5 Q Well, somehow I am reading it wrong. I will have  
6 to read it through. Thank you.

7 A The 50-mile goes with the  $2 \times 10^{-4}$ , and the  
8 U.S. population goes with the  $3 \times 10^{-2}$ .

9 Q All right.

10 JUDGE FOREMAN: I guess that's all I have.

11 JUDGE CARPENTER: No questions.

12 JUDGE KELLEY: I have a couple of questions.

13 BY JUDGE KELLEY:

14 Q Mr. Runkle awhile ago, I think, put a question  
15 something like this: How many people would get cancer,  
16 how many people would die because of the operation of the  
17 Shearon Harris plant. And I tend to think of it that way,  
18 too, when I look at a risk. I am a layman; I am not a risk  
19 analyst, and I tend to translate risks, whether it's  
20 from a jet flight or whatever, into so many people will die.

21 I understand, though, that from the Staff point  
22 of your analysis, that is not really an accurate way to  
23 express it. It is rather in terms of the risk and what  
24 the risk will be to the whole population.

25 I'm not asking this very well. But would you



19-8

1 put the risk in terms of 2.3 people will die because of  
2 doing such-and-such a thing, or would you put it in a  
3 different context?

4 A (Witness Mauro) Well, the number that we estimated  
5 was .25, which means our best estimate of the number of  
6 fatal cancers that will be produced over the life of the  
7 operating plant in the United States is .25.

8 Now to put that into a common sense sort of  
9 approach, it means that less than one is your best  
10 estimate, which is your best estimate really becomes zero.

11 If you look at it from a probablistic point of  
12 view, that would be like a more discrete approach. It's  
13 less than one, so therefore really your best estimate is not.  
14 However, if you look at it from a probablistic point of  
15 view, it means that there is a small probability that there  
16 may be one or greater cancers. There may be, but it's a  
17 very small probability. Your best estimate is less than one.

18 So that's the way you would look at it from a  
19 probablistic point of view.

20 Q And your probability that there would be 50 would  
21 be pretty small?

22 A Yes, it would approach infinitessimally small  
23 numbers.

24 Q Judge Carpenter has tried to explain this to me  
25 in the past, and I don't know if I quite grasp it, but

mgc 19-9 1

thank you.

2 Q On page 5, the second paragraph where you talk  
3 about annual dose, and you say that the comparison could  
4 have been presented on the basis of plant life -- okay --  
5 no regulatory or other limits established for population  
6 dose; that is true.

7 But then you go on to say, "Consequently in order  
8 to evaluate the significance, population doses from nuclear  
9 power plants are compared with annual natural background  
10 populaton doses."

11 Well, why? Why not 40 years' worth? It just seems  
12 to me from a common sense standpoint, if what I'm doing is  
13 licensing a plant for 40 years, that's what I'm interested  
14 in, and I would like to know what the downside of doing  
15 that is in terms of the life of a plant.

16 A (Witness Mauro) I guess I don't see any  
17 difference. You could present it on a per-year basis --  
18 that is, compare the dose per year of operation with the  
19 dose per year from background. Or I could see someone's  
20 preference being, "Well, let's present it, present the dose  
21 for the life of the plant which, let's say, is 40 years,  
22 and compare that to background for 40 years." The  
23 proportion will be comparable. That is, you haven't really  
24 changed your comparison any. They will both go up or down  
25 by the number of years that you are assuming.

mgc 19-10 1

2 Q Well, but an FES is supposed to lay things on the  
3 table, right, and if you work with the section of an FES  
4 that is addressed to this particular point and you fully  
5 understand everything that's going on in the calculation,  
6 I suppose it wouldn't matter to you. You know it's a  
7 40-year plant and you do that almost automatically.

8 But it seems to me to be a little more revealing  
9 to put it in terms of plant lifetime risk. I just frankly  
10 don't see why not. I read over the reasons for not doing  
11 it and I don't find them very persuasive.

12 You say Table S-3 is in annual increments by  
13 40, too, I suppose. Is there any good reason why you  
14 cannot?

15 A Not that I know of, no.

16 Q A question about the natural background concept  
17 in this context. I know it is used all the time, but is  
18 it possible, is it any source of concern that human beings  
19 over the millenia some how have acclimated themselves to  
20 a certain natural background dose, so that they do just  
21 fine at that level, but if you raise it one degree, who  
22 knows what would happen? Is that a concern at all?

23 A I would like to respond to that. Natural  
24 background, when we use it, when we talk about 100 millirems  
25 a year, it is really not an appropriate, complete  
characterization. In fact, natural background in the

mgc 19-11 1

2 United States varies considerably from location to location,  
3 and that is the background in which our species has  
4 evolved and the background that has been changing and  
5 varying from anywhere perhaps 67, 60 , to perhaps over  
6 200 millirems per year, depending upon your location.

7 So when you are saying, "Let's compare it to  
8 background," that is the background we are talking about.  
9 And I think it's revealing to point out that the incremental  
10 radiation doses to the maximally-exposed individual that  
11 we calculated here are small within that variation, not  
12 only small within the absolute value of 100 or 60, but  
13 small within the variation between living in one location,  
14 even in the vicinity of the Harris plant, and another  
15 location.

16 Q It can vary a lot in that close a difference?

17 A Yes. In fact, that is one -- you would expect  
18 that and you see it. That is, depending on whether you  
19 are over sandy soil or clay soil or a granite outcropping,  
20 it will have several millirems a year effect. If you  
21 live in a brick house versus a wooden house, it will have  
22 several millirem effect, much more than our calculated  
23 dose to the maximally exposed individual.

24 Q What about just atmospheric? Is not your  
25 background higher in the Rocky Mountains as opposed to the  
seashore?

mgc 19-12 1

2 A Yes, for two reasons. You are higher up, and  
3 therefore you get more cosmic rays, and also being the  
4 mountains, it is of a granitic nature, and it has higher  
5 levels of natural occurring radionuclides. So both the  
6 terrestrial component and the cosmic component is higher  
7 in the Rocky Mountains than it is at the shoreline.

8 Q What about people who live in an environment  
9 with a very high natural background, whatever that may be?  
10 Can you give an answer?

11 If you put nuclear power plants in an area  
12 which has a very high natural background level, would there  
13 be any concern about people around there? What is the  
14 incremental increase in relation to that?

15 A Any additions would still be small, compared to  
16 the variability of that location, the natural variability,  
17 so it still would be inside that. So if you had a location  
18 near Colorado, where you are talking about background  
19 radiation that may be twice as high as here, still the  
20 variability of that site will also be on the order of  
21 many millirems per year, which is greater than the increment  
22 due to the plant. So you cannot lose sight of that.

23 Q This may be self-evident from your numbers, too,  
24 but I just want to confirm it in my own mind.

25 When you do this arithmetic computation and  
26 multiply all the risks by 40, one of your points, I take it,

mgc 19-13 1

2 would be that even when you do that, the resulting number  
3 is not significant?

4 A That's correct. We came up with a value of less  
5 than one for the U.S. and well below one for the 50-mile  
6 radius.

7 Q And the only thing we talked about here that might  
8 significantly raise that would be this other risk approach  
9 in the BEIR report, right?

10 A Yes. We're talking about the possibility of  
11 using relative risk coefficients which would have perhaps  
12 a factor of four effect on this number.

13 Q What would a factor of four do to your high-side  
14 numbers?

15 A It would bring the .25 up to 1.

16 Q What's that again?

17 A In the testimony, if we go to Table -- the best  
18 way to do it is to go to Table 2 on page 3.

19 Q Right.

20 A The numbers that would be affected, the .1 and  
21 the .25, that would go up by about a factor of four.

22 Q And could you put that risk number, then, in  
23 sort of simple English? What does that mean?

24 A Well, as we are looking at it right here, the  
25 best estimate of the number of cancer fatalities within  
50 miles is .1. It would then become .4, and the other

mgc 19-14 1

value would go from .25 to 1.

2

Q So it is still inconsequential.

End 19 3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

20pbl

1 A That's correct.

2 Q When you compare it to background and these  
3 thousand of cancers you get otherwise.

4 A If you increase the risk from background  
5 accordingly, you would -- you see, when we developed the  
6 risks here for background, the 1,000 and 150,000, that was  
7 also based on the absolute. So to be consistent you would  
8 have to multiply those by four -- multiply them by four, also

9 JUDGE KELLEY: Do the Applicants have redirect?

10 MS. BAUSER: Yes.

11 REDIRECT EXAMINATION

12 BY MS. BAUSER:

13 Q Dr. Mauro, do you know why the BEIR committee  
14 chose to recommend the use of the absolute rather than the  
15 relative risk co-efficient?

16 A (Witness Mauro) Yes. From reading it, they  
17 point out that the data on incidence of cancer is more  
18 consistent with an absolute risk co-efficient than a relative  
19 risk co-efficient.

20 Q On page 6 of your testimony, you say at the bottom  
21 of the page that you consider the residual dose that you  
22 calculated to be relatively small. And I believe Mr.  
23 Eddleman asked you a number of questions about that. Could  
24 you explain why it is that you reach that conclusion?

25 A I think the most compelling argument, if you look



2  
1 down at the natural background radiation dose, we are talking  
2 about a billion person rems. That 700 person rems when  
3 looked relative to that number is of very little significance  
4 to me.

5 In addition, bear in mind that that 700 person rems  
6 is delivered over a 100-year period, over 260 million people.  
7 So the individual dose becomes miniscule. So in my judgment,  
8 it's insignificant.

9 MS. BAUSER: I have no more questions.

10 RECROSS EXAMINATION

11 BY MR. EDDLEMAN:

12 Q Let me also follow on that something Judge Kelley  
13 asked about. The environment in which human beings evolved  
14 didn't contain significant amounts of fission products until  
15 humans developed nuclear fission, did it?

16 A (Witness Mauro) That's correct. I would add to  
17 that that our environment still doesn't contain sufficient  
18 amounts of fission products.

19 Q Well, it contained virtually none, even compared  
20 to the levels today, during the period before human beings  
21 developed nuclear fission, did it not?

22 A That's correct.

23 MR. EDDLEMAN: May I have a moment?

24 (Pause.)  
25

3

1 BY MR. EDDLEMAN:

2 Q Is the reason that you say that additional 700  
3 person rem that was added in in your Table 1 on page 6 is  
4 insignificant, is that basically the same reason why you  
5 would also say that the effects of the 1,000 or so person  
6 rem that are obtained by just multiplying the FES dose levels  
7 by 40 are insignificant?

8 A (Witness Mauro) Well, I would say they are both  
9 insignificant. That is, the 50-mile number, whether we're  
10 talking 1,000 or 1700 are insignificant. Bear in mind though,  
11 that the 1,000 that's delivered to the U.S. over a 40-year  
12 period while the 1738, of the additional 700 is over a  
13 140-year period.

14 Q Does the BEIR report make any distinction in the  
15 health effect of a dose of radiation regardless of how it's  
16 delivered?

17 MS. BAUSER: Excuse me, I couldn't hear the  
18 question.

19 BY MR. EDDLEMAN:

20 Q Does the BEIR report make any distinction in the  
21 health effects of a dose of radiation regardless of how  
22 it's delivered? Those risk per rem estimates.

23 MS. BAUSER: Could you clarify what you mean?

24 MR. EDDLEMAN: Well, the period of time over  
25 which it's delivered and the number of people to which it's

4  
1 delivered. Does it make any distinction in the risk per rem  
2 absolute estimates that you used?

3 WITNESS MAURO: Yes, it most definitely does.  
4 It indicates that this approach, namely using a risk co-efficient  
5 which is unrelated to dose rate is extremely conservative  
6 approach. In fact, BEIR-III recommends against it and uses  
7 what is called the quadratic linear model, whereby the risks  
8 drop per unit exposure as the dose rate goes down.

9 So I would say that the approach that we used  
10 here is a conservative representative. The risk co-efficients  
11 we're using is quite conservative, especially when you are  
12 applying it to dose rates, which are miniscule.

13 BEIR-III in fact went as far as to say when they  
14 come up with their risk co-efficients they do it at one  
15 rem per year and ten rem. Now what we've done here is assume  
16 that risk co-efficient holds all the way down. In some of  
17 these cases we're talking about very small fractions of  
18 one millirem per year. I would say by far, we are pushing  
19 this concept of risk co-efficient to the point where -- I  
20 don't think -- I think these numbers are more than just an  
21 upper estimate of risk. They are pushing the boundary of  
22 conservatism.

23 BY MR. EDDLEMAN:

24 Q That assumption that those risk estimators hold  
25 as you go down ten or one rem a year on down in dose, that's

5  
1 known as the linear hypothesis, isn't it?

2 A (Witness Mauro) That's correct.

3 Q And don't the ICRP and BEIR recommend that for  
4 conservative purposes you should use the linear hypothesis?

5 A No, sir. They feel that the linear quadratic is  
6 the best way to model the effects of low doses of radiation.

7 Q BEIR does. What about the ICRP?

8 A The ICRP I believe recommends that for the  
9 purposes of placing an upper bound on risk the linear model  
10 will do that for you.

11 Q That's the International Commission on Radiation  
12 Protection?

13 A That's correct.

14 Q As to the quadratic linear model in BEIR-III, does  
15 it give higher risks per rem than just a straight linear  
16 model would at any points?

17 A I didn't use the BEIR. I used BEIR-I, which is --

18 Q I understand that. But when you were saying that  
19 this wasn't conservative, I thought you said one of the  
20 reasons for that was that BEIR-III recommended this quadratic  
21 linear model instead of the linear model.

22 MS. BAUSER: Objection. The witness did not say  
23 this was not conservative. He said it was extremely  
24 conservative, I think.

25 JUDGE KELLEY: I'm having a little trouble in

6  
1 hearing, which is unfortunate. But I guess we have to live  
2 with it.

3 MR. EDDLEMAN: I will withdraw the question and  
4 end here. I don't want to keep us going in this environment.

5 JUDGE KELLEY: Okay. They are doing some  
6 renovating and I frankly don't think there's anything we  
7 can do about it except raise our voices a bit when we get  
8 back. Let's take ten minutes.

9 Is there something left here? Let's finish this  
10 if we're not finished.

11 MS. BAUSER: I just wanted to see if these witnesses  
12 were through.

13 JUDGE KELLEY: I guess we have made the rounds;  
14 isn't that right? Okay. Gentlemen, thank you very much,  
15 we appreciate your attention. You are excused.

16 (Witnesses Mauro and Marschke excused.)

17 JUDGE KELLEY: We will take a 10-minute break.

18 (Recess.)  
19  
20  
21  
22  
23  
24  
25

21pbl

1 JUDGE KELLEY: We are back on the record now.  
2 That brings us to Ms. Moore and Dr. Branagan, correct?

3 MS. MOORE: Yes, sir. Your Honor, the Staff  
4 calls Dr. Edward F. Branagan, Jr. to the stand. Dr. Branagan  
5 has previously been sworn.

6 Whereupon,

7 EDWARD F. BRANAGAN, JR.

8 a witness called for examination and, having been previously  
9 duly sworn, was examined and testified further as follows:

10 DIRECT EXAMINATION

11 BY MS. MOORE:

12 Q Dr. Branagan, would you please state your name  
13 and business address for the record?

14 A My name is Edward F. Branagan, Jr. and I am  
15 with the U.S. Nuclear Regulatory Commission in Washington,  
16 D.C.

17 Q Would you please state your position with the  
18 Commission?

19 A I am a senior radiobiologist, radiology assessment  
20 branch.

21 Q Do you have before you a document entitled NRC  
22 Staff testimony of Edward F. Branagan, Jr. on Joint Contention  
23 II(c)?

24 A Yes, I do.

25 Q Did you prepare this testimony?

2

1 A Yes, I did.

2 Q Do you adopt this as your testimony in this  
3 proceeding?

4 A Yes, I do.

5 Q Is it true and correct to the best of your  
6 knowledge, information and belief?

7 A Yes, it is.

8 MS. MOORE: Your Honor, copies of the testimony  
9 have been delivered to the Board, the parties and the court  
10 reporter. I ask that the testimony and the attached  
11 professional qualifications be bound into the record as  
12 if read.

13 MR. EDDLEMAN: No objection.

14 JUDGE KELLEY: The testimony is admitted and will  
15 be bound into the record.

16 (The prepared testimony of Edward F. Branagan,  
17 Jr. follows:)

18

19

20

21

22

23

24

25

UNITED STATES OF AMERICA  
 NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of	)	
	)	
CAROLINA POWER AND LIGHT COMPANY AND	)	Docket Nos. 50-400-OL
NORTH CAROLINA EASTERN MUNICIPAL	)	50-401-OL
POWER AGENCY	)	
	)	
(Shearon Harris Nuclear Power Station,	)	
Units 1 and 2)	)	

NRC STAFF TESTIMONY OF  
EDWARD F. BRANAGAN, JR. ON JOINT CONTENTION II (e)

Q.1. Dr. Branagan, please state your name and affiliation.

A.1. My name is Edward F. Branagan, Jr. I am a Senior Radiobiologist in the Radiological Assessment Branch, Division of Systems Integration within the Office of Nuclear Reactor Regulation. A copy of my professional qualifications is attached.

Q.2. Dr. Branagan, what is the purpose of this testimony?

A.2. The purpose of this testimony is to address the remaining portion of Joint Contention II (e) which states:

Joint Contention II

The long term somatic and genetic health effects of radiation releases from the facility during normal operations, even where such releases are within existing guidelines, have been seriously underestimated for the following reasons:



- o
- o
- o

(e) The radionuclide concentration models used by Applicants and the NRC are inadequate because they underestimate or exclude the following means of concentrating radionuclides in the environment. . . radionuclides absorbed in or attached to fly ash from coal plants which are in the air around the SHNPP site. . .

Q.3. In regard to the remaining portion of Joint Contention II(e), what pathways are most likely to be of concern if radioactive particulates combined with coal fly ash to increase the size of the radioactive particulates?

A.3. The intervenor does not specify the particular pathways or body organs of concern. In my opinion, the primary pathway of potential concern would be exposure via inhalation of radioactive iodines and particulates (hereinafter referred to as iodines and particulates). This pathway constitutes the most direct means by which an individual could be exposed to radionuclides attached to coal fly ash. It is unlikely that radioactive noble gases would attach to coal fly ash to such an extent that they would present pathways of concern other than those already evaluated in the FES for several reasons. First, noble gases are very stable chemically and exhibit very low reaction rates under ambient conditions. Second, although the activity concentrations of radionuclides in coal fly ash have been measured, noble gases from nuclear power plants have not been detected in the coal fly ash (UNSCEAR, 1982,

Annex C). In the FES (pp. D-9 and 10), the dose to the critical organ (i.e., the thyroid) of the maximally exposed individual was estimated to be about 0.2 mrem/year from inhalation of iodines and particulates in gaseous effluents. Doses to all other organs of the maximally exposed individual were estimated to be less than 0.2 mrem/year from inhalation of iodines and particulates.

Q.4. Briefly describe the models used to estimate doses for the FES.

A.4. In licensing commercial nuclear power reactors, the NRC Staff uses mathematical models that characterize radionuclide movement in the environment to determine the radiological impact from nuclear power plant operations. These models are described in several NRC Regulatory Guides. Regulatory Guide 1.109 (USNRC 1977), entitled "Calculation of Annual Doses to Man from Routine Releases of Reactor Effluents for the Purpose of Evaluating Compliance with 10 CFR Part 50, Appendix I," provides models for calculating doses to the maximum hypothetical individual from exposure to radioactive airborne releases.

Q.5. Briefly describe the dose conversion factors that were used to estimate doses in the FES.

A.5. The dose conversion factors used to estimate doses in the FES from inhalation of iodines and particulates were taken from Appendix E of Regulatory Guide 1.109. The bases for the dose conversion factors in Regulatory Guide 1.109 are described in a document entitled "Age-Specific Radiation Dose Commitment Factors For a

One-Year Chronic Intake," NUREG-0172. (Hoenes, 1977). The equations for calculating internal dose conversion factors in NUREG-0172 were derived from those given in ICRP Publication 2, "Report of ICRP Committee II on Permissible Dose for Internal Radiation." (ICRP, 1959). The ICRP Committee II assumed that 75% of the particles that were inhaled would be deposited in the respiratory tract. (ICRP, 1959).

Q.6. How would dose estimates change if radionuclides became associated with fly ash?

A.6. The Staff has not determined the particle size distribution of fly ash from coal fired power plants. However, assuming that the fly ash and the iodines and particulates formed particles of an optimal size such that all of the inhaled particles were deposited in the respiratory tract (rather than the value of 75% assumed in ICRP, 1959), then the preceding dose estimates would increase by a factor of one-third. That is, the dose to the thyroid of the maximally exposed individual from inhalation of iodines and particulates would be increased from 0.2 mrem/year to about 0.3 mrem/year. These dose estimates are based on inhalation of iodines and particulates from the reactor and do not include exposure to naturally occurring radionuclides in coal fly ash.

Q.7. How would the revised dose estimates for the maximally exposed individual compare with the applicable dose design objectives in 10 CFR 50, Appendix I?

A.7. Assuming that the fly ash and the radioactive particles formed particles of an optimal size and increased the dose from the inhalation pathway, the dose to the maximally exposed organ from all pathways of exposure to radioiodines and particulates would increase from 4.6 mrem/year (FES, Table D-7 on p. D-10) to 4.7 mrem/year. The revised dose estimate would be less than one-third of the applicable dose design objective of 15 mrem/year per reactor to any organ from all pathways of exposure to radioiodines and particulates.

Q.8. What do you conclude with respect to the issue raised in the remaining part of Joint Contention II(e)?

A.8. I conclude that it is unlikely that the attachment of radioactive iodines and particulates to coal fly ash would increase the dose to the thyroid or any other organ to such an extent that the estimated doses would exceed the applicable dose design objectives in Appendix I of 10 CFR Part 50. Therefore, I conclude the risks of "long term somatic and genetic health effects of radiation releases from the facility during normal operations" have not been "seriously underestimated" by the Staff.

References

Hoenes, G. R., and J. K. Soldat, "Age-Specific Radiation Dose Commitment Factors for a One-Year Chronic Intake," Prepared by Battelle Pacific Northwest Laboratories for the U.S. NRC, NUREG-0172, November 1977.

International Commission on Radiological Protection, "Report of ICRP Committee II on Permissible Dose for Internal Radiation," ICRP Publication 2, Pergamon Press, New York, 1959.

United Nations Scientific Committee on the Effects of Atomic Radiation, UNSCEAR, "Sources and Effects of Ionizing Radiation," 1982.

USNRC, Regulatory Guide 1.109, "Calculation of Annual Doses to Man From Routine Releases of Reactor Effluents for the purpose of Evaluating Compliance with 10 CFR Part 50, Appendix I," Revision 1, October 1977.

EDWARD F. ERANABAN, JR.  
OFFICE OF NUCLEAR REACTOR REGULATION

PROFESSIONAL QUALIFICATIONS

From April 1979 to the present, I have been employed in the Radiological Assessment Branch in the Office of Nuclear Reactor Regulation of the U.S. Nuclear Regulatory Commission (NRC). As a Senior Radiobiologist with the Radiological Assessment Branch, I am responsible for evaluating the environmental radiological impacts resulting from the operation of nuclear power reactors. In particular, I am responsible for evaluating radioecological models and health effect models for use in reactor licensing.

In addition to my duties involving the evaluation of radiological impacts from nuclear reactors, my duties in the Radiological Assessment Branch have included the following: (1) I managed and was the principal author of a report entitled "Staff Review of 'Radioecological Assessment of the Wyhl Nuclear Power Plant'" (NUREG-0668); (2) I served as a technical contact on an NRC contract with Argonne National Laboratory involving development of a computer program to calculate health effects from radiation; (3) I served as the project manager on an NRC contract with Idaho National Engineering Laboratory involving estimated and measured concentrations of radionuclides in the environment; (4) I served as the project manager on an NRC contract with Lawrence Livermore Laboratory concerning a literature review of values for parameters in terrestrial radionuclide transport models; and (5) I served as the project manager on an NRC contract with Oak Ridge National Laboratory concerning a statistical analysis of dose estimates via food pathways.

From 1976 to April 1979, I was employed by the NRC's Office of Nuclear Materials Safety and Safeguards, where I was involved in project management and technical work. I served as the project manager for the NRC in connection with the NRC's estimation of radiation doses from radon-222 and radium-226 releases from uranium mills, in coordination with Oak Ridge National Laboratory which served as the NRC contractor. As part of my work on NRC's Generic Environmental Impact Statement on Uranium Milling (GEIS), I estimated health effects from uranium mill tailings. Upon publication of the GEIS, I presented a paper entitled "Health Effects of Uranium Mining and Milling for Commercial Nuclear Power" at a Conference on Health Implications of New Energy Technologies.

I received a B.A. in Physics from Catholic University in 1969, a M.A. in Science Teaching from Catholic University in 1970, and a Ph.D. in Radiation Biophysics from Kansas University in 1976. While completing my course work for my Ph.D., I was an instructor of Radiation Technology at Haskell Junior College in Lawrence, Kansas. My doctoral research work was in the area of DNA base damage, and was supported by a U.S. Public Health Service traineeship; my doctoral dissertation was entitled "Nuclear Magnetic Resonance Spectroscopy of Gamma-Irradiated DNA Bases."

I am a member of the Health Physics Society.

3  
1 MS. MOORE: Your Honor, at this time, in preparing  
2 his testimony, Dr. Branagan came across some typographical  
3 errors in the Staff Exhibit 1, which is the Final  
4 Environmental Statement, and he would like to present those  
5 corrections. Read them into the record as this point.

6 JUDGE KELLEY: Fine.

7 THE WITNESS: In Table D-2 on page D-5, that is  
8 Table D-2, page D-5, under the location column nearest  
9 residents and garden change 2.7 kilometers to 2.3 kilometers.  
10 Change north-northeast to north-northwest. So that should  
11 read 2.3 kilometers north-northwest.

12 Under the corresponding Chi over Q column, change  
13 4.0 times  $10^{-6}$  to 4.5 times  $10^{-6}$ .

14 JUDGE KELLEY: This just raises a question. Maybe  
15 there's a short simple answer. The references to Units  
16 1 and 2, Unit 2 has been canceled. Are your numbers keyed  
17 to two units, or to one?

18 THE WITNESS: The numbers in my testimony are  
19 based on one unit. The numbers in Appendix D are primarily  
20 concerned with one unit, although there is at least one  
21 table that's concerned with two units.

22 JUDGE KELLEY: Is that flagged when that is true?

23 THE WITNESS: Yes.

24 JUDGE KELLEY: Thank you.

25 THE WITNESS: Under the Chi over Q column in

4  
1 Table D-2 change 1.9 times  $10^{-5}$  to 3.4 times  $10^{-5}$ . And  
2 under the relative deposition column, change 4.8 times  $10^{-9}$   
3 to 4.1 times  $10^{-9}$ . And change 2.3 times  $10^{-8}$  to 3.1 times  
4  $10^{-8}$ . And there's an additional correction on Table D-3,  
5 page D-6.

6 For the entry, residence and garden change  
7 north-northeast to north-northwest. And 2.7 to 2.3.

8 JUDGE KELLEY: Why do you have separate entries  
9 for goat's milk?

10 THE WITNESS: Well, the transfer of radionuclides  
11 from goat's milk or -- the transfer to goat milk is higher  
12 than for cow milk, so we do identify goat milk locations.

13 JUDGE KELLEY: And there are goats 50 miles from  
14 the Shearon Harris?

15 THE WITNESS: That's my understanding, yes.

16 JUDGE KELLEY: Mr. Eddleman lives there.

17 MR. EDDLEMAN: I have a friend who is a professional  
18 goat watcher at Duke University.

19 JUDGE KELLEY: Goat watcher?

20 MR. EDDLEMAN: Yes, he's a behaviorist and he  
21 studies the behavior of these goats, and he has a flock of  
22 goats that they maintain for lodging. They do milk them  
23 and they drink the milk.

24 JUDGE KELLEY: Okay, thank you.  
25



5

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MS. MOORE:

Q Dr. Branagan, does that complete your corrections?

A Yes, it does.

MS. MOORE: Your Honor, the witness is now available for cross-examination.

JUDGE KELLEY: Mr. Eddleman?

CROSS-EXAMINATION

BY MR. EDDLEMAN:

Q Dr. Branagan, if we turn first to your professional qualifications. It is true, that if I asked you -- these are the same professional qualifications that are attached to your testimony for Contention II(e), aren't they?

A Yes, they are.

Q And if I asked you the same questions about your employment history that I asked in connection with that contention, your answers would be the same, would they not?

A That's correct.

Q All right. In your answer 3 on page 2 of your testimony you have a fairly long quote from the FES. It is stated that your calculation is made for the 20th year, or midpoint of station operation. That implies a 40-year operating life, does it not?

A Yes, it does.

Q Did you hear the Staff's witness Ballard concerning

6  
1 Contention 8(f)(1) state an operating life of 30 years?

2 A I wasn't here in the room when he made that  
3 statement. I have heard people say that he made that  
4 statement.

5 Q All right. In your answer to question 5 on page  
6 3 of your testimony, you give two reasons, do you not, for  
7 presenting radiological impacts on health and genetic  
8 diseases on an annual basis, rather than summing them over  
9 the life of the plant.

10 The first of these is that applicable regulations  
11 contain annual limits. It is true, isn't it, that there  
12 are no plant life release limits in the NRC's regulations?  
13 No limits on releases over the life of the plant, rather  
14 than per year.

15 A For radiological effluents, that is correct.

16 Q Okay. And your second reason is that since the  
17 benefits were expressed on an annual basis in the FES the  
18 cause for adverse effects would be shown on the same basis.

19 Now, wouldn't it be just as easy to show the  
20 overall benefits over the operating life of a plant, and the  
21 overall costs?

22 A You could make that approach. That is a reasonable  
23 approach.

24 Q Okay. In choosing this annual approach, you  
25 are not saying then that you should not use an overall cost

7  
1 and benefit analysis for the plant, are you?

2 A No, I'm saying I don't think it makes much  
side 2 bu 6 3 difference to your basic conclusions whether you look at  
4 it on an annual basis or on a cumulative basis. We have  
5 expressed it on an annual basis.

6 Q Well, have you read the testimony of the  
7 Applicants' witnesses on this contention?

8 A Yes, I did.

9 Q They identify some effects of radionuclides  
10 remaining after the plant shuts down, do they not?

11 A Yes, they do.

12 Q Do you have any basic disagreement with the  
13 way they calculate those radionuclides present and dose  
14 therefrom?

15 A It's seems like an appropriate method.

16 Q Would you say it is reasonable to include those  
17 impacts in the final environmental statement for the Harris  
18 plant?

19 A That would be a reasonable approach. It wouldn't  
20 be the only approach, but it would be a reasonable approach.

21 Q So then one reasonable approach would be to  
22 include the costs, or add costs, or adverse impacts of all  
23 40 years of operation plus any residual adverse impacts that  
24 stay around after the plant shuts down as the cost side of  
25 the cost/benefit balance. And on the benefit side to enter

8  
1 all the benefits that could be expected during or after  
2 operation of the plant.

3 A I think you made a statement. Is there a question?

4 Q I said, so that would be a reasonable approach.  
5 The approach that I just --

6 A That would be an alternative approach to what  
7 we did in the FES.

8 Q You say in your answer 7 on page 4 about midway  
9 down answer 7 toward the bottom of the page -- well, let  
10 me first refer you to your footnote on that page. You say  
11 that since Unit 2 has been canceled, the Staff in this  
12 testimony has provided cumulative risk estimates for operation  
13 of one unit at the Harris site.

14 Are all of your estimates in this testimony  
15 regarding one unit?

16 A Yes.

17 Q Okay. Now a little further down in that answer,  
18 you say that because the design objective values which are  
19 in Appendix I of 10 CFR 50 of the Nuclear Regulatory  
20 Commission regulations were chosen to permit flexibility  
21 of operation while still ensuring that doses for plant  
22 operation are as low as reasonably achievable, the actual  
23 radiological impact of plant operation may result in doses  
24 close to the dose design objectives.

25 Now you're saying there that -- well, let me ask

9  
1 you this. If the Harris plant were to actually exceed one  
2 of those dose design objectives, the Staff would have to take  
3 some action to bring it back within those objectives, would  
4 it not?

5 A Yes. However, the radiological effluent technical  
6 specifications contain administrative limits for identifying  
7 doses that might exceed the dose design objectives prior to  
8 actually exceeding them.

9 Q Do you know if the actual limits on plant operation  
10 really restrain the plant to the dose design objectives?

11 MS. MOORE: Your Honor, I would ask for a  
12 clarification of the question. The actual limits on plant  
13 operation as expressed where?

14 MR. EDDLEMAN: In the technical specifications  
15 for the plant.

16 JUDGE KELLEY: Okay?

17 MS. MOORE: Okay.

18 THE WITNESS: We have not written, to the best  
19 of my knowledge, actual radiological effluent technical  
20 specifications for this particular plant.

21 BY MR. EDDLEMAN:

22 Q Does that complete your answer?

23 A Would you repeat the question again?

24 Q Okay. I think you did answer it. You just looked  
25 like you were going to say something else.

10  
1 A I was trying to recall just specifically what  
2 the question was and make sure.

3 Q Well, let me ask the question again. You say  
4 you haven't written technical specifications for radiological  
5 effluents from the Harris plant yet. Does the Staff plan  
6 to write such specifications for Harris?

7 A Yes.

8 Q The specifications that you write for the Harris  
9 plant, those technical specifications, do you anticipate  
10 that they will actually restrain the radiation dose delivered  
11 by the Harris plant to these dose design objectives?

12 A That is the expectation. Yes, that's correct,  
13 to lessen the dose design objectives.

14 Q And you state at the bottom on page 4, "For  
15 the purpose of this testimony, the Staff based its dose  
16 estimate to a maximally exposed individual on the annual  
17 dose design objectives for exposure to various types of  
18 effluents."

19 That is because actual doses could come quite  
20 close to that, as you say on page 4, is it not?

end 21

21  
22  
23  
24  
25

22pb1

1           A     It is possible, depending on how the plant is  
2 actually operated that it could come to the dose design  
3 objectives. However, the values that we estimated in  
4 Appendix D of the FES were less than the dose design  
5 objectives.

6           Q     The Appendix D values are the ones that you  
7 project the plant would actually release in normal operation,  
8 correct?

9           A     This would -- I have to pause for a second. It  
10 depends on the quantities that are released from the plant.  
11 Myself, I am not an expert in the area of what quantities  
12 are actually released from the plant, so I hesitate to respond  
13 to your question.

14          Q     Well, let me ask another question which may be  
15 a little bit different. You say on page 4, "The design  
16 objective values were chosen to permit flexibility of  
17 operation, while still assuring that doses are as low as  
18 reasonably achievable.

19                    "So the actual radiological impact of plant operation  
20 may result in doses close to those dose design objectives."  
21 Now doesn't that mean that realistically the dose might  
22 actually come up close to those dose design objectives at  
23 the Harris plant?

24          A     It is possible that an annual dose would come  
25 close to that dose design objective.

22pb2

1 Q And are you aware of any limitation which would  
2 hold the Harris plant's radiological releases to those on  
3 which the dose estimates in the FES are based?

4 A The radiological effluent technical specifications  
5 are based upon the Appendix I, dose design objectives, not  
6 upon the dose estimates in the FES.

7 Q Do you happen to have a copy of the testimony of  
8 Applicant's witnesses Mauro and Marschke in this contention  
9 with you?

10 A Yes, I do.

11 Q Could you please turn in Attachment 4 to Table 4-1.  
12 Let me ask you first, on page 4-1 at the very front of that  
13 I believe it identifies the sources of these tables. Would  
14 you turn back to page 4-1, or do you already have it?

15 A I have that page in front of me.

16 Q Okay. Are you yourself familiar with Table 4-1  
17 that is reproduced here in the Applicant's testimony?

18 A No, I am not.

19 Q Then let's turn back to page 4-1. The last  
20 sentence beginning on that page says, "As a result the  
21 radionuclide concentrations in primary coolant are much  
22 lower than assumed, resulting in much lower nuclide release  
23 rates."

24 And then it goes on to say Tables 4-1 and 4-2  
25 compared the measured radioiodine release rates and gaseous



22pb3

1 and liquid effluents at operating PWRs, which I take it  
2 means pressurized water reactors, with the estimated values,  
3 okay?

4 Those tables then are taken from some NRC  
5 documentation. Isn't that what that says?

6 MS. MOORE: Objection, Your Honor. This is  
7 irrelevant to the analysis that Dr. Branagan performed.

8 MR. EDDLEMAN: It is relevant in this sense. He  
9 says they can come right up to the dose design objectives.  
10 Here in this table we have some measured versus predicted  
11 numbers.

12 If these predicted values were anywhere close  
13 to the dose design objectives, than these measured numbers  
14 in some cases are a great deal higher, could be outside that  
15 range. And I want to ask him about these things.

16 MS. MOORE: Your Honor, I object until Mr.  
17 Eddleman lays the foundation that the numbers contained in  
18 portions of Table 4-1 are the dose design objectives in  
19 Appendix I.

20 MR. EDDLEMAN: I didn't say they were. Let me  
21 ask you this, Dr. Branagan --

22 BY MR. EDDLEMAN:

23 Q Dr. Branagan, did you have anything to do with the  
24 FES's for any of the plants listed in this Table 4-1?

25 (Pause.)

22pb4

1 A Excuse me, it is taking me a second to scan the  
2 table.

3 Q Certainly. Take all the time you need.

4 A The only plant that I was involved with the FES  
5 according to my memory would be the FES for Turkey Point  
6 steam generator repair. Not for the Turkey Point FES for  
7 the operating license.

8 Q Okay. Doctor, footnote 1 of this table says that  
9 these predicted values were obtained from the FES based on  
10 calculations performed by the NRC and the industrywide  
11 standard methods. The values in the Harris FES for radioiodine  
12 source term were prepared in the same way, were they not?

13 MS. MOORE: Objection, Your Honor. Mr. Eddleman  
14 has yet to establish the relevance of this to Dr. Branagan's  
15 analysis.

16 JUDGE KELLEY: Can you tie it in with the analysis?

17 MR. EDDLEMAN: Well, he said that the FES numbers  
18 for Harris are lower than the design objectives.

19 JUDGE KELLEY: Is that in the testimony or in  
20 response to questions?

21 MR. EDDLEMAN: In response to questions. But he  
22 said they could come quite close to. Now these numbers are  
23 the FES predictions for other units.

24 JUDGE KELLEY: Right.

25 MR. EDDLEMAN: It doesn't give in this table what

22pb5

1 numbers you have to have to meet the design objectives. In  
2 fact, I don't know if that's in the FES at all for Harris.

3 But what I am trying to do is connect the numbers  
4 here and the much larger measured numbers back to --

5 JUDGE KELLEY: Some larger measured numbers?  
6 Larger than what?

7 MR. EDDLEMAN: Larger than the predicted in some  
8 cases in this table. The stuff I went over with Applicant's  
9 witnesses.

10 JUDGE KELLEY: The overall average is very much  
11 the other way, right?

12 MR. EDDLEMAN: That's right. But he testified that  
13 it would be the Appendix I guideline numbers that would be  
14 written into the technical specifications.

15 I don't know, maybe I should come at it directly.  
16 Let me try this. I will withdraw that question.

17 BY MR. EDDLEMAN:

18 Q Doctor, for these higher range numbers, if you  
19 just want to take a moment to scan down the right-hand  
20 column here, I believe the higher numbers include .94 for  
21 Maine Yankee, one unit, and 1.8 for Turkey Point, two units,  
22 curies per year of radioiodine is a measure of release.  
23 .74 for Arkansas 1.

24 Doctor, are you familiar in any way with whether  
25 those higher measured releases would or would not exceed

22pb6

1 the Appendix I guidelines for any of these plants?

2 MS. MOORE: Objection. My objection still stands,  
3 Your Honor. What is the relevance of this question to  
4 Dr. Branagan's analysis as set forth in his testimony?

5 MR. EDDLEMAN: If in fact you have got measured  
6 releases exceeding the guideline then his statement here  
7 is not conservative.

8 MS. MOORE: Objection again. Mr. Eddleman  
9 characterizes a word that Dr. Branagan did not say; it's  
10 not conservative. And I believe Dr. Branagan's statement  
11 was that the estimates in the Harris FES are lower than the  
12 design objectives.

13 JUDGE KELLEY: The estimates in the Harris FES  
14 are lower than the design objectives.

15 MS. MOORE: I believe that was Dr. Branagan's  
16 statement. If that was incorrect --

17 JUDGE KELLEY: Why isn't it then fair to ask about  
18 FES's generally for other plants, and whether what they in  
19 fact produced are within the Appendix I numbers? Are you  
20 implying that staying within Appendix I is customary for  
21 NRC plants? I would assume that you would. I would assume  
22 he would say that. I'd be surprised if he didn't.

23 MS. MOORE: But there has been no foundation laid  
24 by Mr. Eddleman that even these measures exceed the design  
25 objectives or the doses from these would exceed it.

22pb7

1 MR. EDDLEMAN: How can I lay the foundation when  
2 you objected to me asking that question?

3 MS. MOORE: It's irrelevant really to Dr. Branagan's  
4 analysis in his testimony.

5 MR. EDDLEMAN: I'm willing to back up and ask  
6 him about whether he considers this method of estimating that  
7 he's used here a conservatism or not, and go from there.

8 JUDGE KELLEY: Well, I don't think -- true enough  
9 it says analysis, it's his analysis that's being put forward  
10 subject to cross. But I think it is fair enough and within  
11 reason to ask about other approaches.

12 If your question is whether these higher range  
13 numbers are within Appendix I values I guess that's one of  
14 the questions that you asked; is that right?

15 MR. EDDLEMAN: That's the one that was objected  
16 to.

17 JUDGE KELLEY: Okay, I will overrule the objection  
18 to that.

19 THE WITNESS: By the higher range numbers, I  
20 take it you are referring to the right-hand column in Table  
21 4-1 of the Applicant's testimony, and those are in units of  
22 curies per year. The dose-design objectives are expressed in terms  
23 of millirems per year, and you need to run a computer program  
24 to calculate what the doses would be from those.

25

22pb8

1 BY MR. EDDLEMAN:

2 Q Okay. So what you're saying then is that you  
3 don't directly know whether these higher numbers, for example,  
4 the .94 curies that is the high end of the range for the  
5 Maine Yankee plant, do or do not exceed Appendix I guidelines.

6 A Based upon this table I don't know that.

7 Q All right. Let me ask you this.

8 JUDGE KELLEY: Is it a complicated matter to  
9 translate from curies to millirems and back and forth?

10 THE WITNESS: Yes. You run a computer program  
11 to do that. And that's what we did for the final environmental  
12 impact statement.

13 JUDGE KELLEY: I guess I don't understand. You  
14 mean there is really no relationship between curies and rems?

15 THE WITNESS: There is a relationship. It depends  
16 upon many factors. It depends upon the specific radionuclides  
17 that are released. It depends upon the pathways of exposure,  
18 where your nearest goat is.

19 JUDGE KELLEY: You can't just multiply by three  
20 is what you're telling me?

21 THE WITNESS: That's correct.

22 JUDGE KELLEY: All right. Thank you.

23 BY MR. EDDLEMAN:

24 Q Do you know if there's any limit in the Commission's  
25 regulations as to the total curies of radio iodines released  
by nuclear reactor for any year?

bu 7

22pb9

1 MS. MOORE: Objection, Your Honor. Relevance  
2 once more to Dr. Branagan's analysis. The analysis concerned  
3 in his testimony is whether risk ought to be accumulated, and  
4 Dr. Branagan has set forth how he did that.

5 MR. EDDLEMAN: I am exploring how consistent his  
6 assumptions are. Again, I am willing to back up and ask  
7 him about whether he considered these assumptions conservative.

8 JUDGE KELLEY: Well, maybe you could just spell  
9 it out for us, Mr. Eddleman. What is the relationship between  
10 your pending question and annualizing versus life of the  
11 plant? I'm not implying I don't think there is one, I would  
12 just like to hear it from you.

13 MR. EDDLEMAN: If the actual releases from a  
14 plant exceeded -- if the actual measured release from any  
15 plant had exceeded an applicable NRC guideline then one could  
16 not say it's conservative to use the NRC guideline here as  
17 the maximum dose that an individual might receive.

18 JUDGE KELLEY: Does your analysis, Doctor, depend  
19 upon the Appendix I guidelines directly?

20 THE WITNESS: Yes, my analysis depends upon the  
21 Appendix I --

22 JUDGE KELLEY: And you're assuming -- I take it  
23 your position is that Appendix I will be complied with I  
24 assume.

25 THE WITNESS: That's correct.

22pb10

1 JUDGE KELLEY: And hereafter, whether in some  
2 cases it might not be, correct?

3 MR. EDDLEMAN: Correct.

4 JUDGE KELLEY: You can pursue it within reason,  
5 Mr. Eddleman. Go ahead.

6 MR. EDDLEMAN: May I have a moment to confer?

7 (Pause.)

8 BY MR. EDDLEMAN:

9 Q Doctor, I believe the last question I asked you  
10 was whether you knew if there were any limits in the NRC  
11 regulations as to the number of curies of radioiodines which  
12 could be released from an operating nuclear power plant in  
13 a year.

14 A There is one such value in the rulemaking 50-2.  
15 It has a curie limit of one curie per year per reactor of  
16 iodine 131. The utility -- my understanding is if the plant  
17 is built in certain years the utility has the option of  
18 deciding whether they want to do a cost/benefit balance,  
19 which is \$1,000 per man rem or come in under the RM-50-2  
20 where it does have a curie limit.

21 Q That curie limit was one per reactor per year.  
22 Some of the values in Table 4-1, for example the .94 upper  
23 value for Maine Yankee is pretty close to one, the 1.0, are  
24 they not, Doctor?

25 A There is a value for Maine Yankee of .94 in Table



22pb11

1 4-1, the uppermost value.

2 Q Okay. And there's also a value, is there not,  
3 of two units at Turkey Point, an uppermost value of 1.8?

4 A Yes.

5 Q Now if we assume that that value were equally  
6 distributed between those two units, each would be 0.9,  
7 would they not?

8 A If you made that assumption, yes.

9 Q And if in fact the distribution was not 50/50,  
10 but say 60/40, one of those might have exceeded 1.0; one  
11 unit might have.

12 A Yes, but there is a fundamental misconception I  
13 think that you have here. The iodine limits are applied  
14 prior to licensing the plant. And this is an alternative  
15 to the cost/benefit analysis of \$1,000 per person rem.

16 My understanding is that there are no iodine  
17 limits actually in the technical specifications after the  
18 plant is licensed, such as this.

19 Q None?

20 A There is no value. The 1.0 would not apply to  
21 an operating plant. Instead, they would have to be below the  
22 dose design objectives, not below a curie limit.

23 Q Do you know how that one curie per year in RM-52  
24 of the regulation relates, if it does, to the dose design  
25 objective for radioiodine in Part 50 of the Commission's

23pbl

1 regulation?

2 A There is a relation between the two, however, it  
3 depends upon a number of site-specific parameters for the  
4 particular reactor being licensed. So it is not a straight-  
5 forward relationship.

6 Q Okay. Is it a relationship that you could explain,  
7 say, for Shearon Harris?

8 MS. MOORE: Your Honor, I believe that question  
9 has been asked and answered. I believe Dr. Branagan has  
10 previously stated that to convert curies to dose he has to  
11 run a computer program.

12 BY MR. EDDLEMAN:

13 Q Would you use the same computer program -- I guess  
14 what I was trying to ask. I asked him this time about the  
15 rules and how that number in the rules of 1.0 curies per  
16 reactor per year related to the dose design objectives.  
17 And as I recall the answer was, well, it's a fairly  
18 complicated thing. It depends on a number of factors. And  
19 I then asked him, could you explain how those factors are  
20 done for Harris.

21 If it's done by the same computer program, then  
22 I think he can tell me that.

23 JUDGE KELLEY: I think the question is a little  
24 different. Is it the same computer program?

25 THE WITNESS: Well, we used the GASPAR computer

23pb2

1 program for evaluating the doses for Shearon Harris.

2 BY MR. EDDLEMAN:

3 Q Doctor, is that the same computer program you  
4 would use to convert the measured radioiodine releases from  
5 these reactors listed in Table 4-1 into population doses  
6 around those plants?

7 A You could run the GASPARG program with the  
8 site-specific information for those particular plants and  
9 you could estimate the dose.

10 Q All right. So what you would do for any plant,  
11 including Harris is if you knew the radioiodine curies  
12 released, that would be one of the inputs into this GASPARG  
13 program. Another input would be site-specific data. That's  
14 kind of the characteristics of the land and buildings and  
15 population around the site.

16 Are those the two major inputs or are they the  
17 only two inputs?

18 A The purpose of your estimating these doses, in  
19 my understanding. I mean, I'm not real clear on this. Is  
20 it, you are estimating the doses just from radioiodines, the  
21 ones that are listed in this table? You aren't interested  
22 in the noble gases or the particulates or anything else?

23 Q Not in this line of questioning, that is right.

24 A You would need the GASPARG computer program, you  
25 would need the site-specific information which would include

23pb3

1 the nearest locations, the nearest residence, garden, milk,  
2 cow, goats if there are any. You would need the meteorological  
3 dispersion factors for those locations. And you would need  
4 the source term for those.

5 Q And the source term would be the curies of  
6 radioiodine released from the plant?

7 A That's correct.

8 JUDGE KELLEY: Is GASPAR a person or acronym?

9 THE WITNESS: It's an acronym. It's the GASPAR  
10 computer code.

11 BY MR. EDDLEMAN:

12 Q Is that code one of the NRC standard codes?

13 A Yes, it is.

14 Q Is there a NUREG that describes it?

15 A Yes, there is.

16 Q Do you happen to know what the number of that  
17 NUREG is?

18 A NUREG-0597.

19 Q On pages 4 and 5 in your testimony, you say that  
20 for the purposes of this testimony the Staff based its dose  
21 estimate to the maximally exposed individual in the annual  
22 dose design objectives in Appendix I. Do you consider that  
23 that is a conservative assumption?

24 A I'm not sure I follow just what the assumption is.  
25 What is the assumption?

23pb4

1 Q Oh --

2 A I based my dose estimate on the Appendix I dose  
3 design objectives and I quantify in response to question 9  
4 what that dose is. And I say the Staff has assumed that  
5 a hypothetical individual who would be exposed to five  
6 millirems per year to their total body --

7 Q Okay.

8 A And in the next line, this is a conservative  
9 estimate of the dose to an individual because it is unlikely  
10 that an individual would be simultaneously exposed at the  
11 dose design objective levels from gaseous and liquid effluents  
12 to the same body organs for 40 years.

13 Q So the use of the dose design limits is in your  
14 view a conservative assumption?

15 A The dose estimate of five millirem per year is  
16 a conservative assumption and that is based upon the dose  
17 design objective levels.

18 Q All right. In your answer 9 on page 5 you say  
19 your estimated dose is five millirems per year to the total  
20 body. Now, if I tried to compare that to the statement of  
21 the annual dose design objectives in Appendix I that's in  
22 your answer 8 immediately above that, that answer 8 says  
23 that you have these various limits to the total body or  
24 to any organ.

25 Is there a dose design objective in Appendix I

23pb5

1 for radioiodine exposure?

2 A There is a dose design objective for exposure to  
3 radioiodines and particulates of 15 millirems per year per  
4 reactor from all pathways of exposure.

5 Q Now that one is not included in the group for  
6 which you say, and summarize in Appendix I, whichever is  
7 more limiting, in the third from the bottom line of answer  
8 8, is it?

9 A No, the previous passage, whichever is more  
10 limiting, refers to doses from noble gases.

11 Q All right. Why do you say that five millirems  
12 per year total body is more limiting for the Harris plant  
13 than any of these other objectives?

14 A Well, as I explained in response to answer 9,  
15 and I can read that passage to you. My response is really  
16 in answer 9.

17 Q Could you show me where it is? It's not quite  
18 obvious to me.

19 A The Staff has assumed that a hypothetical individual  
20 would be exposed to five millirems per year to the total  
21 body. For 40 years of plant operation, the cumulative dose  
22 would be 0.2 rems.

23 This is a conservative estimate of the dose to an  
24 individual because it is unlikely that an individual will be  
25 simultaneously exposed at the dose design objective levels

23pb6

1 from gaseous and liquid effluents to the same body organs  
2 for 40 years. Actual doses to real individuals in the near  
3 vicinity of the site are expected to be a fraction of those --  
4 excuse me -- of the dose of 0.2 rems.

5 In order to obtain a dose of 0.2 rems, an  
6 individual would have to spend almost all of his or her time  
7 at the site boundary, and obtain almost all of his or her  
8 food grown at an off-site location where the highest  
9 concentrations of radionuclides are expected.

10 Q I still don't understand why that total body  
11 number is the most limiting number that you could use, rather  
12 than say, the 20 millirads, or 10 millirads per year gamma  
13 air dose, for example.

14 More limiting in what respect, Doctor, did you  
15 mean in answer 8?

16 A You said more limiting in respect -- I didn't  
17 use -- would you repeat the question?

18 Q All right. Let me re-ask, and perhaps change  
19 the question a little bit. Answer 8 of -- lists four annual  
20 dose design -- pardon me -- six annual dose design limits as  
21 I read it ending with the words on the third to the last  
22 line of that answer, whichever is more limiting.

23 Now do I correctly understand that to mean that  
24 whichever of these objectives is more limiting on the reactor  
25 is the one that should be selected?

23pb7

1 A I don't think you understand the passage.

2 Q Do you want to --

3 A Yes, the three millirem per year per reactor to  
4 the total body or 10 millirem per year per reactor to any  
5 organ from all pathways of exposure from liquid effluents.  
6 The first passage is concerned with liquid effluents. The  
7 second passage is concerned with noble gases, and the  
8 third passage is concerned with radioiodines and particulates.  
9 I am referring to answer 8 on page 5 of my testimony.

10 Q So the second passage is the one to which the  
11 words, whichever is more limiting applies.

12 A That's correct.

13 Q And you would have five millirems per year per  
14 reactor to the total body from that source, from airborne  
15 effluents of noble gases. And three millirems per year per  
16 reactor to the total body from liquid effluents to have the  
17 case that you are describing.

18 That is, an individual staying close to the site  
19 boundary and obtaining almost all of his or her food at  
20 the site boundary. I mean at the site where the highest  
21 concentration of radionuclides is expected, that you give in  
22 answer 9, would you not?

23 Wouldn't you have to add the three and the five?

24 A Not necessarily. There might be different persons  
25 exposed to the radioactive effluents. There are different



23pb8

1 pathways of exposure.

2 Q But don't you say in answer 9, that in order to  
3 obtain a dose of 0.2 rems -- well, the dose of 0.2 rems in  
4 answer 9 as you stated a couple times on page 6, is the same  
5 number that comes from the third line of answer 9 on page  
6 5, is it not?

7 You calculate that number on page 5 and then you  
8 use it some more on page 6.

9 A That's correct, yes.

10 Q And that number is calculated by taking five  
11 millirems a year and multiplying it by 40, isn't it?

12 A That's correct.

13 Q All right. So that hypothetical individual is  
14 exposed to five millirems per year to get that 0.2 rem dose,  
15 correct?

16 A That is correct.

17 Q Now over on page 6 you say in the second complete  
18 sentence beginning on that page, "In order to obtain a dose  
19 of 0.2 rems," which I may remark we have already established  
20 is based on five millirems a year, "an individual would have  
21 to spend almost all of his or her time at the site boundary.  
22 And obtain almost all of his or her food grown at an off-site  
23 location where the highest concentrations of radionuclides  
24 are expected."

25 Now if you do both of those things, don't you

23pb9

1 get the five millirem per year dose from gaseous by being  
2 near the site boundary. And also the three millirem dose  
3 to the total body from all pathways of exposure to liquid  
4 effluents from the food?

5 A I guess the point I'm trying to make, and I  
6 want to make sure I answer your question, is that I think  
7 this is a hypothetical dose. I think real individuals would  
8 receive a dose less than this.

9 Q I understand that, Doctor. But isn't it so that  
10 the way you describe this dose on page 6, which results from  
11 five millirems per year actually describes, if you go back  
12 to answer 8 a dose that would be obtained of eight millirems  
13 or even more per year? Because you have not only got the  
14 three millirem component for liquid effluents to total body,  
15 and the five millirems per year per total body from noble  
16 gases at the location next to the site boundary, but you've  
17 also got some component from airborne effluents that include  
18 radioiodines and particulates.

19 So wouldn't you have eight or more millirems a  
20 year instead of five, to have a degree of conservatism that  
21 you describe there on page 6, when you say, in order to  
22 obtain a dose of 0.2 rems an individual would have to spend  
23 and on from there?

24 A No, I don't think you would have to. If you look  
25 in Appendix D of the FES, the doses that we estimated were

23pb10

1 less than the Appendix I dose design objectives. As I stated  
2 in my testimony, it is possible that the utility may operate  
3 the plant close to the dose design objectives. However, they  
4 may operate it at much lower.

5 I don't think it's fair to assume that for 40  
6 years of operation they would operate the plant close to the  
7 dose design objectives of all those radioactive effluents.

8 Q But Doctor, doesn't that contradict your statement  
9 on pages 4 and 5 in the last sentence beginning on page 4,  
10 "For the purpose of this testimony the Staff based its dose  
11 estimate to a maximally exposed individual on the annual  
12 dose design objectives in Appendix I."

13 A Yes, that's what they are based upon.

14 Q But aren't those two statements contradictory,  
15 Doctor?

16 A I don't see where they are.

17 Q Well, let me ask you this. You say on page 4  
18 that the actual radiological impact of plant operation may  
19 result in doses close to the dose design objectives.

20 A Yes, it may result in that and it may result in  
21 much less than the numbers we estimated in the FES.

22 Q Okay. So then, as I understood you, you said  
23 okay, since it might get close to those dose design objectives,  
24 I'm going to base my analysis here on the dose estimate to  
25 a maximally exposed individual per those dose design objectives

23pb11

1 of Appendix I.

2 Am I misreading you so far?

3 A No, I don't think so.

4 Q Well, then what I would do if I said that is I  
5 would go down to Appendix I and I would assume that the  
6 maximally exposed individual gets the maximum dose under  
7 these guidelines.

8 A I wouldn't do that.

9 Q And you're not only saying you wouldn't do it.  
10 you're saying you have not done it. Is that correct?

end 23.

11 A That's correct. I have not done it.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

24pbl

1 Q So in fact the assumption in answer 9 that a  
2 hypothetical individual would be exposed to five millirems  
3 per year to the total body is the same as the assumption  
4 in the dose design objectives just for noble gas effluents;  
5 isn't that true? Five millirems per year total body.

6 JUDGE FOREMAN: Excuse me a minute. Why did you  
7 assume that the hypothetical individual would be exposed to  
8 five millirem per year? What is the basis for that?

9 THE WITNESS: The basis -- it's based upon my  
10 judgment of looking at the dose design objectives and looking  
11 at the dose estimates in the FES. I feel that five millirem  
12 per year to the total body would yield a conservative risk  
13 estimate of the risk to the maximally exposed individual.

14 JUDGE FOREMAN: Based on the numbers in the FES.

15 BY MR. EDDLEMAN:

16 Q Dr. Branagan, do you believe that your judgment  
17 in answer 9 is based on the FES in setting that five millirems  
18 per year dose?

19 A It is based upon the Appendix I dose design  
20 objectives and the analysis that we did in the FES.

21 Q All right. So it is not just based on the dose  
22 design objectives in Appendix I as you state in your answer  
23 7. It is also based on the FES, which is lower dose; isn't  
24 that correct?

25 A Yes, it includes the analysis in the FES.

24pb2

1 Q All right. And if you really wanted to base on  
2 the dose design objectives in Appendix I as you state in  
3 your answer 7, wouldn't you have to include dose from  
4 liquid effluents and noble gases and radioiodines and  
5 particulates?

6 A Only if the maximally exposed individual were  
7 being exposed to all those at the same location. It's not  
8 necessarily that the same person would be exposed to all  
9 those pathways.

10 Q I understand that too, Doctor. But don't you  
11 actually say on page 6 in answer 9 that in order to obtain  
12 this dose of 0.2 rems an individual would have to spend  
13 almost of his or her time at the site boundary, and obtain  
14 almost all of his or her food grown at an off-site location  
15 where the highest concentrations of radionuclides are  
16 expected? That's what you say, isn't it?

17 A I think in order for a person to receive that  
18 dose they would have to spend a substantial part of their  
19 time at the site boundary and obtain their food from the  
20 concentrations -- from the off-site locations where the  
21 highest concentrations of radionuclides are expected.

22 Q But that statement there, that must be based on  
23 the FES, is it not?

24 A It takes into account the analysis that we did  
25 for the FES.

24pb3

1 Q All right. Doctor, in your FES analysis, what  
2 is the maximum dose that you calculate that an individual --  
3 if an individual did spend all of his or her time at the  
4 site boundary would receive from noble gases? What total  
5 body dose would they receive?

6 A If you refer to Table D-7, page D-10 of the FES,  
7 dose to the total body of an individual from noble gas  
8 effluents is listed as 0.2 millirems, which is less than  
9 10 percent of the Appendix I dose design objectives. Which  
10 is also listed in that table.

11 Q Okay. Now if a person were in the same spot,  
12 what sort of dose would they receive from radioiodines and  
13 other particulates in airborne effluents?

14 A If you refer to Table D-6, the dose at the nearest  
15 site boundary from ground deposition and inhalation of  
16 radioiodines and particulates adds up to 0. -- approximately  
17 0.7 millirem to the total body.

18 Q Okay. So we've got 0.2 and 0.7 so far, correct?

19 A That's assuming that somebody is at the site  
20 boundary.

21 Q Which is the assumption that you make in your  
22 answer 9, isn't it? It's correct that you state that  
23 assumption in your answer 9 on page 6 where you say an  
24 individual would have to spend almost all of his or her time  
25 at the site boundard, isn't it?

24pb4

1           A     And obtain almost all of his or food grown at an  
2 off-site location where the highest concentration of  
3 radionuclides are expected.

4           Q     Which is what I want to ask you next. I take it  
5 the answer to my previous question could be stated yes.  
6 Is that correct?

7           A     I'm having difficulty, I guess, understanding  
8 your question and understanding your difficulty with the  
9 statement.

10          Q     I'm trying to figure out what the millirems are  
11 at that point, because at first I thought you were saying  
12 this stuff was all based on Appendix I. But you tell me I  
13 misread you on that. I think it's a fair reading of what  
14 is said. But if you say it's different, then that's what you  
15 say.

16                    But now, over here you're talking about the  
17 five millirems and its conservatism and you talk about what  
18 you would have to actually do to obtain this dose. Now I'm  
19 trying to go through the things that you said here because  
20 you say it's based on both Appendix I and the FES. I'm  
21 trying to figure out what dose it comes out to if you base  
22 it on the FES, okay?

23                    We have covered the noble gas dose and the  
24 particulate radioiodine dose from being at the site boundary  
25 virtually all of the time. Now are there any other doses



24pb5

1 besides those two that would be incurred by an individual  
2 just spending all of his or her time at the site boundary,  
3 if they obtained their food from other source that had  
4 nothing to do with the plant?

5 A If they obtained their food --

6 Q From some other outside source that has nothing  
7 to do with the plant. It's not contaminated at all with  
8 Harris radionuclides or any other radionuclides. Just  
9 hypothetically.

10 You see what I'm saying? I just want you to  
11 isolate whether there is any other source of radiation dose  
12 to the person spending their time at the site boundary that  
13 has nothing to do with the food that they eat, besides the  
14 ones we already identified. Namely, noble gases and iodines  
15 and particulates, airborne.

16 A No. The direct radiation from the plume, ground  
17 deposition and inhalation. There wouldn't be any other  
18 really important pathways other than food, and you have  
19 excluded that.

20 Q All right. Now by direct radiation from a plume,  
21 do you include the shine dose and the breathing dose?

22 A Direct radiation from the plume is essentially  
23 direct radiation from the noble gases in the plume. As  
24 far as inhalation, that would be from the iodines and  
25 particulates. We are speaking of dose to the total body.

24pb6

1 Q All right. So now, noble gases aren't radioiodines,  
2 are they?

3 A No.

4 Q So in effect, in the language here you are  
5 classing them as particulates, aren't you?

6 A In the language where?

7 Q You say that the noble gas inhalation dose is  
8 included in radioiodines and particulates, right?

9 A The noble gas inhalation dose is included in  
10 radioiodines and particulates. That's what you said.

11 Q I thought that's what you said.

12 A I don't think I said that.

13 Q Well, the record will speak for itself, Doctor,  
14 but let me ask you. I thought you said that the shine dose,  
15 the direct radiation from the plume that comes from noble  
16 gases was what is in that noble gas dose, and the inhalation  
17 dose was included somewhere else. Is that wrong, Doctor?

18 A You referred to Table D-6, page D-9. There are  
19 several categories for effluent releases. From noble gases  
20 there is a value of 0.2 millirem per year from direct  
21 radiation exposure from the plume. This is for noble gases.

22 For the same location that also happens to be  
23 listed in the next part of the table for iodines and  
24 particulates, there is a value. If you add the values from  
25 ground deposition and inhalation you get an estimate of

24pb7

1 0.7 millirem.

2 Q Now inhalation includes inhalation of noble gases  
3 as well as radioiodines and particulates. Is that what you're  
4 saying?

5 A No, it includes inhalation of radioiodines and  
6 particulates.

7 Q Okay. So what is the dose to a person at that  
8 point of inhalation of noble gases, due to inhalation of the  
9 noble gases?

10 A I think it would be minor compared with the  
11 direct radiation from the plume.

12 Q Have you calculated it? Does it appear in the  
13 FES at all?

14 A I have not specifically calculated that, but  
15 my understanding is it would be quite minor compared with  
16 the direct radiation from the plume.

17 JUDGE FOREMAN: My impression is that Dr. Branagan  
18 did answer your question. And he said that the total  
19 exposure, other than exposure from the plume would be .2  
20 plus .7 millirems; is that right?

21 THE WITNESS: That's correct.

22 JUDGE FOREMAN: And then the rest of the dose  
23 attributable to that individual would come from the food.

24 THE WITNESS: There would be a subsequent dose  
25 from the food.

24pb8

1 BY MR. EDDLEMAN:

2 Q The doses that we've already described, would  
3 they include the dose from tritium, Doctor? I just want to  
4 make sure I got it covered.

5 A Yes, tritium would be included in the category  
6 of iodines and particulates.

7 Q Now tritium is not a radioiodine, is it?

8 A No, it is not.

9 Q So it's effectively classified as a particulate  
10 here.

11 A Well, we include that in the category of an -- in  
12 that category. They are more similar to tritium. It's more  
13 similar to iodines and particulates than it is to noble  
14 gases.

15 Q All right, sir. Now we then come to the question  
16 of the dose from food. If an individual obtains almost all  
17 of his or her food grown at the off-site location where the  
18 highest concentration of radionuclides are expected, as you  
19 state on page 6, what sort of millirem per year dose do they  
20 get from that?

21 A Now, they're out a different location.

22 Q Well, the food comes from that different location,  
23 but that's what you said on page 6. I'm just asking you  
24 what dose do you get from what you said?

25

end 24.

25pbl

1           A     I would have to add the values up in the table.  
2     And once again, it is from a different location. In other  
3     words, someone would have to be shuffling the food over  
4     from one location to another.

5           JUDGE KELLEY: Mr. Eddleman, we are approaching  
6     break time I think.

7           MR. EDDLEMAN: I think we are approaching a break  
8     point in the questions, too.

9           JUDGE KELLEY: Good.

10          THE WITNESS: Still focusing on the dose to the  
11     total body, the dose from -- excuse me --

12                     (Pause.)

13          THE WITNESS: -- from ingestion of food would be  
14     about .6 millirem.

15          BY MR. EDDLEMAN:

16          Q     0.6 millirems?

17          A     To the total body. This is for the maximally  
18     exposed individual that we evaluated in the FES.

19          Q     All right, so if I add .6, .7 and .2 without  
20     allowance for these minor effects of noble gases and so on  
21     that you mentioned, I would come up with what the FES says  
22     that that individual you described on page 6 would get. And  
23     the FES says one and half millirems a year to that individual;  
24     is that correct? One and a half being .2, plus .7, plus .6.

25          A     It would be about one and a half. But it is

25pb2

1 important to note that at least according to the analysis  
2 here in Appendix D of the FES that there is no actual house  
3 located at the site boundary.

4 Q Doctor, I didn't ask you what the FES said. I  
5 was asking you all this time about what you said yourself on  
6 page 6 of your testimony in answer 9.

7 So in assuming five millirems per year to the  
8 total body, you have assumed a dose of about three and a  
9 third times higher than what the FES says. That's  
10 quantification of the conservatism in your answer 9; is  
11 it not?

12 A I have difficulties when you start adding these  
13 things up like this myself. I have some difficulties with  
14 that. If I could explain.

15 The dose from inhalation at the nearest site  
16 boundary, that is to a teenaged person. The dose from food  
17 ingestion to a child -- well, from food ingestion, that's  
18 to a child. So we're beginning to add up a number of things --

19 JUDGE FOREMAN: How did you arrive at that number  
20 of five millirems then if you didn't add these things up?

21 THE WITNESS: It is based upon my judgment of  
22 looking at the Appendix I dose design objectives as well as  
23 the analysis that we have done in the FES. It's a judgmental  
24 value.

25 JUDGE FOREMAN: It sounds like you picked it out

25pb3

1 of the air.

2 THE WITNESS: It's a judgmental value. I think  
3 that would be a conservative estimate of what the dose  
4 would be.

5 JUDGE FOREMAN: So it's an arbitrary number you  
6 got from somewhere, but it doesn't come from the addition  
7 of those doses.

8 THE WITNESS: No, I did not specifically add  
9 those doses, but I have noted that the doses in Appendix D  
10 are less than the Appendix I dose design objectives.

11 JUDGE FOREMAN: So you could have picked six,  
12 you could have picked four, but you just chose to pick five.

13 THE WITNESS: That's correct.

14 JUDGE FOREMAN: And you're calling that conservative.

15 THE WITNESS: I think that's a conservative  
16 estimate.

17 JUDGE FOREMAN: Does that answer your question?

18 MR. EDDLEMAN: Yes, Judge. My analysis indicates  
19 this is a good time to break.

20 JUDGE KELLEY: Let's do that. Ten minutes.

21 (Recess.)

22

23

24

25

end 25

mgc 26-1

1 JUDGE KELLEY: We are back on the record.

2 Mr. Eddleman can resume his cross-examination.

3 BY MR. EDDLEMAN:

4 Q Doctor, where in your testimony does it say  
5 that your five millirems per year number is, in fact, based  
6 both on Appendix I and your analysis for the FES? Does it  
7 say that anywhere in this testimony?

8 A I don't believe it explicitly says that, no.

9 Q Does it implicitly say it someplace?

10 A Well, I refer to Appendix D of the FES in  
11 response to Answer 7. I think the knowledge of the dose  
12 estimates goes to that. I don't explicitly say that, to  
13 answer your direct question.14 Q And in fact at the end of Answer 7, you say,  
15 "For the purpose of this testimony, the Staff based its  
16 dose estimate on" and then you go over their dose design  
17 objectives in Appendix I, do you not?

18 A I do state that in my testimony.

19 Q So the statement there is not, in fact, what  
20 you have done in adopting this five millirems per year  
21 assumption in Answer 9, is it?22 JUDGE FOREMAN: I think you have an answer to  
23 that already.24 MR. EDDLEMAN: I will withdraw the question.  
25 Thank you.



mgc 26-2

1 BY MR. EDDLEMAN:

2 Q I believe you've already stated this, Doctor,  
3 but let me make sure I heard you right.

4 The technical specifications for the plant will,  
5 in fact, limit the plant's output or are intended to limit  
6 the Harris plant's output to the design objectives, the  
7 dose design objectives that are listed in your Answer 8;  
8 is that correct?

9 A Yes, that's correct.

10 Q All right. So consistent with the plant's  
11 license, it could actually deliver three millirems a year  
12 to the total body and -- I mean from liquid effluents --  
13 five millirems per year to the total body from noble gases  
14 and fifteen millirems per year to any organ from  
15 radioiodines and particulates, could it not?

16 A It is possible.

17 Q Okay. And would it be possible for that dose  
18 delivered to exceed five millirems a year to an individual?

19 A It is possible, but unlikely, in my opinion.

20 Q All right, sir. You cite at the end of your  
21 Answer 9 the FES Table D-7 on page D-10. This gives down  
22 at the bottom or down toward the bottom of the table some  
23 population doses, specifically about 15.4 person-rem  
24 from the Harris plant to the population within 30  
25 kilometers, doesn't it?

mqc 26-3 1

A That's the value in the table.

2

Q Okay. Did you participate in preparing this  
table?

3

4

A Yes, I did.

5

Q Okay. Do you agree with that value of 15.4  
basically?

6

7

A Yes, I do.

8

Q Would you refer to your copy of the Applicants'  
testimony at page 3. There is a statement here in the  
first unnumbered paragraph, and I want to ask you if you  
agree or disagree with it.

9

10

It says, "In evaluating dose" --

11

A Excuse me. Where are you?

12

Q Page 3 of the Applicants' testimony on this  
contention. There is a -- there are a couple of numbered  
paragraphs at the top of that page, and the next paragraph  
is unnumbered. What I want to ask you is if you agree or  
disagree with the statement in that sentence, "In evaluating  
the dose from the Harris plant radiological releases,  
consideration must be given both to the population dose  
and to the dose to the hypothetical maximally-exposed  
individual."

13

14

15

16

17

18

19

20

21

A Yes?

22

Q Do you agree?

23

A Yes.

mgc 26-4 1

Q Okay.

2

A Let me back up just a second. The "must,"

3

I find that a rather strong term. I am not sure I would

4

use the same word as "must," but in general, I think it's

5

reasonable.

6

Q You wouldn't find it unreasonable to do such an

7

analysis, taking both of those types of doses into account,

8

would you, Doctor?

9

A No, I wouldn't find it unreasonable.

10

Q In your Answer 11, you describe the risk

11

estimators that you use in making your calculations in your

12

testimony, do you not?

13

A Yes, I do.

14

Q Now these are stated as absolute risk models in

15

BIER-1, and if we go over to page 7, you say that by the

16

relative risk model, you could produce risk estimates up

17

to about four times greater than those used in this

18

testimony, and you then say that you regard this as a

19

reasonable limit, upper limit, to the range of uncertainty.

20

The uncertainty there refers to the uncertainty of the

21

amount of risk per person-rem, does it not?

22

A That's correct.

23

Q Have you ever examined the risk estimates by

24

Dr. John Goffman for risk per person rem?

25

MS. MOORE: Objection, Your Honor. That is beyond

mgc 26-5

1 the scope of this contention.

2 JUDGE KELLEY: Why?

3 MS. MOORE: The Staff has used a certain risk  
4 estimator, and they have set forth the bounds of uncertainty,  
5 what they consider to be a bound of uncertainty, and  
6 Dr. Goffman's risk estimates are not at issue here. We  
7 are not to challenge the estimates in BIER-1, as I understand  
8 it.

9 JUDGE KELLEY: Excuse me?

10 MS. MOORE: As I understand it, there are not to  
11 be challenges to risk estimators extracted from BIER-1, which  
12 is where Dr. Branagan chose his riks estimators.

13 JUDGE KELLEY: Where is it written that we cannot  
14 do that?

15 MS. MOORE: It is my understanding of this  
16 contention, as the Board limited it in its January 27th  
17 order and its later order in which it stated that Dr. Goffman  
18 would not appear, that BIER-1 is to be taken, since the  
19 Intervenors could not meet their burden Black Fox, that  
20 BIER-1 is an adequate model to be used to estimate risk.

21 JUDGE KELLEY: Well, I just want to ask you a  
22 question or two, and I think we ought to confer on your  
23 objection.

24 But just to put it in front of us, I think I  
25 would suggest to you that we are not here to litigate

mgc 26-6

1 the merits of different risk estimators in the sense of  
2 Goffman versus -- I'm reaching for the word; we have already  
3 had two today -- BIER-1 and the one that is four times  
4 as big.

5 JUDGE FOREMAN: Relative versus absolute.

6 JUDGE KELLEY: Right. We cannot litigate the  
7 merits of those. But on the other hand, we are looking at  
8 what difference does it make whether you talk annual risk  
9 or plant life risk, and conceivably it might be different,  
10 depending on what you thought the right risk estimator  
11 ought to be. don't you think?

12 Suppose you had a risk estimator that multiplied  
13 the impacts by ten?

14 MS. MOORE: It's my understanding -- I understand  
15 your point, Judge Kelley, the Staff's understanding, that  
16 the risk estimators to be used here were the BIER risk  
17 estimators, and you just used the word "the right risk  
18 estimator," and that would get into the merits of risk  
19 estimation, it seems to me.

20 JUDGE KELLEY: Well, let me put it to you a  
21 little bit differently. I haven't read this case in  
22 years, but there is a case called the Sippy Case in the  
23 D.C. Circuit, right, and it involved the obligation of  
24 an agency to set forth differing opposing views, just like  
25 we do in the NRC, you know, different opposing scientific

mgc 26-7 1

views, if you will.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Now you may take one risk estimator because you think it's the best one. Might it not be argued that somebody else's risk estimator which had at least some aura of responsibility ought not to be included, too, at least in the footnote?

MS. MOORE: I would agree with you, except in this particular case, I think that the question of the reasonableness of a given risk estimator was argued on summary disposition, and the Intervenors were asked to put forth their reasons why Dr. Goffman's risk estimator was better than BIER-1, and they were unable to do that, and the Board ruled out the consideration of, as I understood it, the consideration of the appropriateness of the risk estimators contained in the BIER report.

JUDGE KELLEY: Any comment?

MS. BAUSER: Yes. I would concur with the Staff. I think there was some question about whether this issue was still at issue right after, you know, when there were several orders issued in a row by the Board, and the last order issued in response to summary disposition, the March 15 order, clarified it.

Since Dr. Goffman was not going to testify, the issues raised by Mr. Eddleman in connection with Dr. Goffman were no longer in this proceeding. And as I

mgc 26-8

1 understood and as our testimonies are written, the Staff's  
2 and Applicants', the address the issues raised by the  
3 Board in response to motions for summary deposition which  
4 do not include the Goffman, in fact, to the BIER reports.

5 So while in theory I would agree with the  
6 principle that you are talking about, I think in the context  
7 of this particular contention, it is outside the scope.

8 JUDGE KELLEY: But even in the case of your  
9 witnesses, they took certain variables, and they applied  
10 them in various ways and came down to the bottomline, right?

11 MS. BAUSER: Right.

12 JUDGE KELLEY: Wasn't one of them risk estimator?

13 MS. BAUSER. Yes, but I don't think that was an  
14 issue with respect to this contention. It was necessary  
15 that they do that, just like they accept the source term,  
16 in order to do some of the calculations, but the source  
17 term wasn't at issue either.

18 JUDGE KELLEY: Mr. Eddleman, am I even raising  
19 a question that you are interested in?

20 MR. EDDLEMAN: Judge, you certainly are. I think  
21 Mr. Runkle wants to argue this one, though.

22 JUDGE KELLEY: Okay.

23 MR. RUNKLE: I didn't think that the question  
24 was going to go to say that Goffman's risk estimators should  
25 be the only ones used. It's just an alternative. We have

mgc 26-9 1

absolute, we have relative, and now we have another one.

2

In the Board's order on this contention, I think the ruling that this was an issue in dispute, and it was unfortunate that Dr. Goffman refused to appear today.

3

4

5

I think there's a whole raft of risk estimators, and we are not saying that one is better and one should replace the other one; it's just that Goffman is one more that should be considered.

6

7

8

9

MR. EDDLEMAN: In fact, if I may just add a little to that, Judge, where I came from in asking this is from his statement, the witness' statement, that this is the relative risk number, which is four times higher than the absolute risk, is a reasonable upper limit to the range of uncertainty. He said it's an upper limit. I think I ought to be able to challenge that.

10

11

12

13

14

15

16

17

18

19

20

JUDGE KELLEY: If that's the direction you're going, you would then say well, you know about Goffman; he would say yes, and then you would want to know, what is his risk estimator, and we would get some number for that, and then you would ask what he thought of that.

21

Is that where you're going roughly?

22

MR. EDDLEMAN: Well, more or less, yes.

23

24

25

MS. BAUSER: One of the troubles with this is, our testimony could have, but does not, address this kind of train of thought -- namely, the validity of the



mgc 26-10 1

2 risk estimator in question. It assumes that the risk  
3 estimator in the BIER report, as the Staff said, is a  
4 reasonable risk estimator to use for purposes of going ahead  
5 and doing the time analysis that is called for in the  
6 Board's questions.

7 I think for Mr. Eddleman to create a record on  
8 this at this point poses a problem for us, because it's  
9 not something that we addressed in responding to the  
10 statement of the issues.

11 MR. EDDLEMAN: Judge, may I comment? I would  
12 never disclaim responsibility for creating some problems  
13 for the Applicants, but I think that their witnesses very  
14 clearly defended their use of the absolute risk estimator  
15 on cross-examination, and I just can't imagine anything  
16 they need to add to that, because they describe exactly  
17 why they used it and why they wouldn't use any other.

18 MS. MOORE: Your Honor, I would also bring up  
19 another procedural point, in that it was my understanding  
20 that if there were going to be documents and things used  
21 in cross-examination, that they were to be provided or at  
22 least pointed out to us, and there was no indication that  
23 we were going to involve cross-examination on Dr. Goffman  
24 and his risk estimators.

25 JUDGE KELLEY: I do not recall, but I would be  
happy to be corrected, that we had an outstanding order --

mgc 26-11 1

2 maybe we should have, but I don't recall if we did -- have  
3 an order to the effect that all cross-examination papers  
4 had to be produced and exchanged.

5 MS. MOORE: I don't believe it was an order.  
6 I understood it as --

7 JUDGE KELLEY: Let me take it one at a time.

8 Ms. Moore?

9 MS. MOORE: I understood it as an agreement.  
10 The Board has not, to my knowledge, issued an order on  
11 that subject.

12 JUDGE KELLEY: Nor was I even aware of any  
13 discussion on it. Maybe we should have. I will say it  
14 again, but I don't know that we did.

15 MR. BARTH: Your Honor, I specifically raised this  
16 question at the prehearing conference in order to avoid  
17 surprise, and Dr. Carpenter, at the conclusion of my  
18 remarks, said, "Yes, I do not think that surprise should  
19 come about. We want to avoid it and have a more meaningful  
20 conference."

21 I raised the point intentionally that documents  
22 which were going to be either introduced or used  
23 fundamentally for cross-examination should be brought to  
24 the attention of all parties to avoid surprise. And  
25 certainly Dr. Goffman's book and the introduction of his  
risk estimators comes as a surprise to us. We had no

mgc 26-12 1

2 knowledge or forewarning that this would be part of the  
3 discussion, either in our affirmative case or on cross-  
4 examination, sir. It was not in the written order by you.  
5 There is no question of that.

6 JUDGE KELLEY: It was raised in the prehearing?  
7 Can you give me a citation?

8 MR. BARTH: I do not have the transcript with me,  
9 Your Honor.

10 (Pause.)

11 MR. EDDLEMAN: Judge, may I elaborate on that  
12 a little bit?

13 JUDGE KELLEY: Yes.

14 MR. EDDLEMAN: I think the Staff is correct.  
15 They have us under an interrogatory to identify documents.  
16 But I thought it was fairly clear that anything that had  
17 been mentioned in discovery was included, and heaven knows,  
18 we've mentioned Dr. Goffman's book a whole lot in  
19 discovery.

20 And also I would like to point out that I  
21 haven't used the document at all. It is sitting here, but  
22 I haven't touched it, and I'm not going to. I'm not going  
23 to ask him anything in it.

24 JUDGE KELLEY: Where were you headed, then, on  
25 the Goffman question?

MR. EDDLEMAN: I wanted to ask him if he is

mgc 26-13 1 familiar with those risk estimators, and if he is, are they  
2 higher than the relative risk estimators. That's about as  
3 far. There might be a little bit more in that line. But  
4 he says it's an upper limit, and I want to challenge that.

5 JUDGE KELLEY: All right. I think the Board  
6 should discuss this briefly, give a ruling.

7 (The Board confers.)

8 End 26  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

mgc 27-1

1 JUDGE KELLEY: Back on the record.

2 It seems to us that there is some competing  
3 considerations and something to be said for both the  
4 objection and the response.

5 We do feel that in granting summary disposition  
6 on the part of the contention that went to the merits of  
7 the Goffman estimates, we did exclude getting into the  
8 merits in this case.

9 On the other hand, a risk estimate is one part  
10 of one's calculations when you decide what you're looking  
11 at in this particular contention here. And you have talked  
12 about a couple of risk estimates.

13 If the question merely is something like, "Did  
14 you consider Goffman? If not, why not?", okay. We are  
15 not going to go much beyond that, though, into the merits.

16 MR. EDDLEMAN: That's all I want to do, Judge.

17 JUDGE KELLEY: Okay, go ahead.

18 BY MR. EDDLEMAN:

19 Q Doctor Branagan, are you aware of any cancer  
20 risk models or estimates which give a higher risk per  
21 person-rem than the relative risk model of BEIR.

22 A I am aware of estimates by some individuals that  
23 give higher risk estimates than the relative risk model  
24 in BIER.

25 Q Could you name some of those individuals?

mgc 27-2 1

2 A Dr. Goffman, Dr. Carl Morgan. Those are the  
two individuals that come to mind right now.

3 Q Do you know what Dr. Morgan's estimator is?

4 A I've read some papers of his and have seen  
5 different values that he has used.

6 Q Do you recall any of those values?

7 A One value I recall would be approximately risk  
8 of radiation of  $10^{-3}$  potential fatal cancers per person-rem.  
9 However, the paper that I read -- the paper was unclear  
10 really. It wasn't real clear whether he was talking about  
11 potential fatal cancers or cancer incidence, from my  
12 recollection.

13 Q All right. But that would be 1000 fatal cancers  
14 per million person-rem in the terms you are using in your  
15 Answer 11, would it not, Doctor?

16 A That's correct.

17 Q What about Dr. Goffman's estimators? Do you  
18 know what those are in numbers?

19 A I know they are higher than that value. I forget  
20 exactly how much higher.

21 Q Dr. Morgan is a rather famous healthy physicist,  
22 isn't he?

23 A He is.

24 Q Okay. And you have stated that his estimators,  
25 at least in some cases, are higher than the relative risk

mgc 27-3 1

of BEIR.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Now given that, do you think it is really true to say the BEIR relative risk model is, in fact, an upper limit to the range of uncertainty of these estimators?

MS. MOORE: Objection, Your Honor. That is a challenge to BEIR.

MR. EDDLEMAN: It's a challenge to his statement.

JUDGE KELLEY: Give it once more, Mr. Eddleman.

BY MR. EDDLEMAN:

Q In light of the fact that at least some of Dr. Morgan's estimators of this cancer risk per million person-rem are higher than those of the BEIR relative risk model, is it correct to say that the relative risk model is a reasonable upper limit to the range of uncertainty of these estimators?

JUDGE KELLEY: I will allow it. It's moving up to the edge, but I will allow the question.

THE WITNESS: I believe, as I stated in my testimony, that the Staff regards this as a reasonable upper limit to the range of uncertainty.

BY MR. EDDLEMAN:

Q Are you saying that you are personally sure that the range of uncertainty doesn't extend beyond that?

A I think, as I stated in my testimony, I feel that is a reasonable upper limit to the range of uncertainty.

mgc 27-4 1

Q I'm not sure you quite answered my question.

2

MS. MOORE: Your Honor, I believe he did answer the question.

3

JUDGE KELLEY: I think he did, too.

4

MR. EDDLEMAN: Well, all right.

5

BY MR. EDDLEMAN:

6

Q In stating that that is -- that the BEIR relative risk model is a reasonable upper limit, as you have, you are not meaning to imply that there could not be a higher upper limit, are you?

7

8

MS. MOORE: Objection, Your Honor. Asked and answered. The witness' testimony speaks for itself.

9

10

JUDGE KELLEY: Aren't you saying, in effect, that the estimator you used is the one you think is the best estimator on the whole, right?

11

12

THE WITNESS: I think that's correct.

13

JUDGE KELLEY: All right. You are at least generally familiar with Dr. Morgan's work?

14

15

THE WITNESS: Yes, I am.

16

JUDGE KELLEY: I gather you don't agree with it.

17

THE WITNESS: No. Generally. I prefer to use risk estimators from the range of the radiation protection organizations which include scientists from many disciplines rather than--

18

19

JUDGE KELLEY: Do you think it is sounder?

20

21

THE WITNESS: Yes. I think it's a sounder basis.

22

23

24

25



mgc 27-5

1 BY MR. EDDLEMAN:

2 Q Well, accepting that answer, Doctor, for the  
3 purposes of argument here, still the reasonable upper limit,  
4 in your view, would be to multiply the absolute risk  
5 numbers that you get for numbers of fatal cancers by four,  
6 wouldn't it?

7 A That's correct.

8 Q Okay. Now in the next paragraph down on page 7  
9 of your testimony, you start talking about values for  
10 genetic risk estimators, do you not?

11 A That's correct.

12 Q And you use a value of 258 cases of all forms  
13 of genetic disorders per million person-rem. And that  
14 is about four times the lowest risk estimator that you cite  
15 in that paragraph, isn't it?

16 A It is lower than the value of 1500; that's correct.

17 Q No, no. I may have misled you here. The 258  
18 is approximately four times higher than the lowest risk  
19 estimator cited in the first line of that paragraph, isn't  
20 it, Doctor?

21 A That's correct.

22 Q All right. And it is likewise approximately  
23 one-sixth as much as the highest number, the 1500, in the  
24 first line of that paragraph, which is also derived from  
25 BEIR-1; isn't that correct?

mgc 27-6 1

A That's correct.

2

Q Would you then say that a reasonable upper limit to the range of uncertainty for genetic defects would be to take your estimates using the 258 number and multiply them by six?

3

4

5

6

A I would regard that as an upper limit value, yes.

7

Q All right, sir. Now in Answer 12 --

8

9

10

11

A However, I would not just a point. In the BEIR-3 report, they didn't have a lower/upper limit value in the BEIR-1 report, but in this testimony, we included an upper limit value of 1500.

12

13

14

Q Okay. In your Answer 13, Doctor, on page 8, you used that 100 millirem value for natural background radiation from Oakley, do you not?

15

16

17

A That's correct.

18

Q Do you know if that is the same Oakley report that the Applicants' witnesses were talking about?

19

20

21

22

23

A Yes. It's my understanding it is the same report.

Q And you say that this 0.2 rem addition to an individual's exposure due to the Harris plant's radiological effluents, radioactive waste released into the air and water, would by conservative estimate raise the dose for an individual about three percent above background?

24

25

A That's correct. Over the lifetime of the individual.

mgc 27-7

1 Q Okay. Did you, in fact, Doctor, estimate the  
2 increased risk for operating the Harris plant over its  
3 operating life and then through residual radiation left over  
4 from that operation for the population around the Harris  
5 plant in your testimony?

6 A For the estimated dose to a maximally-exposed  
7 individual. And I also estimated the dose and provided a  
8 rough range on the average dose to an individual within  
9 50 miles of the site.

10 Q Now that is back on page 6 in your Answer 9,  
11 is it not?

12 A That's correct.

13 Q And that number is drawn from the FES Table D-7  
14 on page D-10, is it not?

15 A Yes. That is stated in my testimony.

16 Q Okay. Now let me ask you first, you take a dose  
17 of 0.2 rems, you divide it by 500, and you've got .4  
18 millirems, do you not, Doctor? Did I do that division  
19 correctly?

20 A 0.2 divided by 500 -- 0.4 millirem.

21 Q All right. So if you take the 0.2 figure in that  
22 answer and divide it by the 500, you state that would  
23 be reduced for the average individual around the site,  
24 you get 0.4 millirems, correct?

25 A Yes.

mgc 27-8

1 Q Where does the number, 0.4 millirems, appear  
2 in the FES table that you cite at the end of that answer,  
3 Doctor?

4 A That number is not in the FES table, but it is  
5 derived -- the number I derived from the table.

6 Q All right. How do you derive that number from  
7 the table, Doctor.

8 A Okay, Table D-7, the dose to the total body of  
9 population within 80 kilometers --

10 Q Yes?

11 A -- consists of three entries: 1.7 and 1.7 and  
12 12 for the various types of effluents. That gives you a  
13 value of 15.4 person-rems.

14 You divide that by the population, the projected  
15 population for the year 2000 within 50 miles of the plant.  
16 That's the population of 1.75 million persons. And that  
17 gives you a dose estimate of approximately 0.009 millirems  
18 per year.

19 Q And then you multiply that by 40, and you come  
20 out around .4, is that right?

21 A If you want to make that comparison, you can  
22 do it that way. Or the way I did it is, you compare that  
23 .009 millirems with the 5 millirems that I used as the  
24 dose to the maximally-exposed individual. And when you  
25 divide the numbers, you get a value of 568 as the exact

mgc 27-9 1

value, and I said about 500 just to show that it's much  
less than the dose to the maximally-exposed individual.

3

Q Now if we were to adopt the Applicants' witnesses'

4

calculation of the residual radiation doses around the

5

plant, that would increase the .009 by about 70 percent,

6

would it not?

End 27 7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

mgc 28-1 1

A I don't think so.

2

Q Let me refer you to their person-rem estimates.

3

I believe it is their Table 1 on page 6 of their testimony.

4

(Pause.)

5

A Is there a question?

6

Q Let me ask a question based on this table.

7

My premise is, you guess that it is not applied to the

8

50-mile dose, okay.

9

Doctor, did you make any calculation of the risk

10

to the total U.S. population from the operation of the

11

Harris plant and residual radioactive material released

12

therefrom in preparing your testimony?

13

A No, I did not. I indicated the risk to the

14

average individual within 50 miles of the site would be

15

much less than the risk to the maximally-exposed individual.

16

In turn, the risk to the average or the average dose

17

to an individual within the whole United States would be

18

much less than that.

19

Q All right. But in terms of the total effect,

20

if the radiation reaches a certain number of individuals

21

within 50 miles of Harris, once it goes beyond 50 miles

22

from Harris, if it interacts with people, it still has an

23

effect on them, doesn't it?

24

A Yes, there would be some very, very small effect.

25

Q But over a large number of people, that could

mgc 8-2 1

2 be significant compared to the effects within 50 miles of  
3 Harris, could it not?

4 MS. MOORE: Objection, Your Honor. That is not  
5 relevant to this contention. Dr. Branagan stated the  
6 assumptions he used in his analysis to state why -- what  
7 the effect of 40 years of operation is on the maximally-  
8 exposed individual within 50 miles of the plant. He stated  
9 that he did not estimate the dose to the U.S. population.

10 MR. EDDLEMAN: But, Judge, he also agreed with  
11 me that it would be reasonable to do it.

12 MS. MOORE: However, he did not do it, Your  
13 Honor, and the fact that he agreed or disagreed is not  
14 relevant.

15 JUDGE KELLEY: We had a population dose, did we  
16 not, from the Applicants' witnesses, but your calculation  
17 was only to the maximally-exposed?

18 THE WITNESS: My calculation was to the  
19 maximally-exposed individual, and indirectly I have also  
20 done the dose estimate to the population within 50 miles  
21 of the plant. I have not estimated the dose to the  
22 population -- to the whole U.S. population for this analysis.

23 JUDGE KELLEY: Would you repeat your question?

24 BY MR. EDDLEMAN:

25 Q Doctor, radioactive materials released by the  
Harris plant and passing beyond the 50-mile radius around

mgc 28-3

1 that plant, when their effects on people in the United  
2 States who live more than 50 miles from the Harris plant  
3 are summed over all those people, that could add up to a  
4 significant effect of damage to their lives or health,  
5 compared to the damage which is resulting from the nuclides  
6 released from the Harris plant to people within 50 miles  
7 of the Harris plant, couldn't it?

8 JUDGE KELLEY: Is the thrust -- did I misunderstand?  
9 Are you suggesting that the hazard is greater, more than  
10 50 miles away than inside the 50-mile circle?

11 MR. EDDLEMAN: No, Judge. What I am asking him  
12 is the sum of the damage done to the individuals outside  
13 the 50 miles, notwithstanding the fact that it is less to  
14 each individual out there on the average.

15 Is that sum of damage significant compared to the  
16 sum of damage done by those same radionuclides within  
17 50 miles of Harris? Does it make a significant difference?

18 JUDGE KELLEY: I'm going to sustain the  
19 objection on the ground that the thrust of this is towards  
20 the real hazards associated with this plant. And if you  
21 can focus on the maximally-exposed as well as the 50-mile  
22 sector, I think that is plenty to get the answer to this  
23 question.

24 BY MR. EDDLEMAN:

25 Q Let me turn, then, to your genetic defect



mgc 28-4 1

estimates, Doctor.

2

Now what you did in your Answer 14, you took the 620 person-rems from your Answer 14 on page 9 of your testimony, and you applied this BEIR-1 risk estimator to that to get the genetic risk from that radiation dose, did you not?

3

4

5

6

7

A You are referring to Answer 15?

8

Q Yes.

9

A Yes, that's correct. That is based upon the BEIR-1 risk estimator.

10

11

12

13

Q And if we wanted to get an upper limit, we would take that value that you give there and multiply it by six, would we not?

14

A You could do that.

15

16

Q Did you estimate genetic risk beyond 50 miles of the plant?

17

A No, I did not do that in my testimony.

18

19

Q Does the FES calculate exposure to radiation for people beyond 50 miles of the plant?

20

A Yes, the FES does have some estimates of exposure beyond 50 miles from the plant.

21

22

Q Where are those located, Doctor?

23

A Table D-9, page D-12.

24

25

Q Now if we wanted to apply risk estimators to those, we could just take the FES and apply the risk estimators to

mgc 28-5

1       them, couldn't we?

2               A     Yes, you could.

3               Q     Okay. Doctor, concerning the conclusion in your  
4       Answer 16, you state, "Estimation of cumulative risk instead  
5       of annual risk would not change your conclusion that the  
6       risk of long-term somatic and genetic effects of  
7       radiation releases from the facility during normal operation  
8       are a small fraction of the current incidence of actual  
9       cancer fatalities and actual genetic ill health for each  
10       generation."

11               I want to ask you a couple of things about that.

12               First, any effect that the Harris plant has is  
13       added to the actual incidences that are already there, is  
14       it not?

15               A     We have conservatively assumed that these effects  
16       would be added to the natural incidences that are already  
17       there.

18               Q     If the Harris plant doesn't exist, then there  
19       is no effect from it. If it doesn't exist or doesn't  
20       operate, there is no effect from it that would add to the  
21       existing levels of somatic and genetic -- or somatic  
22       cancers and genetic defects and other measures of ill health,  
23       would there?

24               MS. MOORE: Objection, Your Honor. That's not  
25       relevant to the subject of the contention.

mgc 28-6 1

JUDGE KELLEY: Repeat it, please. The hour  
2 is late.

3 MR. EDDLEMAN: I'm sorry.

4 BY MR. EDDLEMAN:

5 Q If the Harris plant didn't operate, then it  
6 would not add any risk of cancers or genetic defects from  
7 radiation releases from it to the population, would it?

8 MS. MOORE: Objection. There is an objection  
9 pending, Your Honor.

10 JUDGE KELLEY: There is an objection to that  
11 question?

12 MS. MOORE: Yes. He repeated the question that  
13 he asked, which I objected to as being not relevant to the  
14 question of whether you use annual risk of 40-year plant  
15 life risk.

16 JUDGE KELLEY: Your question is, if they never  
17 turn the plant on, it won't add to the risk?

18 MR. EDDLEMAN: That's right.

19 JUDGE KELLEY: Isn't that innocuous? What  
20 argue about that?

21 JUDGE FOREMAN: Are you leading to something  
22 else from that?

23 MR. EDDLEMAN: Yes, I am.

24 JUDGE KELLEY: Okay. We will allow that, and  
25 the answer is, it would not affect anything, right?

mgc 28-7

1 THE WITNESS: If they don't turn the plant on,  
2 there wouldn't be any change.

3 BY MR. EDDLEMAN:

4 Q Right. And to the extent that the plant's  
5 released radiation has an effect, then, it would be added  
6 to that preexisting background of deaths and genetic  
7 defects, wouldn't it?

8 A If there is an effect, it would be added to that.

9 Q Now you conclude that estimates of cumulative  
10 risk instead of annual risk would not change your  
11 conclusion on that. But wouldn't it be okay to state the  
12 cumulative risk in the final environmental statement for  
13 the Harris plant, Doctor?

14 A I wouldn't have a problem with that, to state  
15 that in the FES.

16 MR. EDDLEMAN: I have no further questions.

17 JUDGE KELLEY: Mr. Runkle has a few questions.

18 FURTHER CROSS-EXAMINATION

19 BY MR. RUNKLE:

20 Q Dr. Branagan, in your look at the effects of  
21 radiation released from Harris, did you look at any  
22 not-fatal cancers?

23 A Yes. At page 7 of my testimony, the first  
24 paragraph, last sentence, I say, "The number of potential  
25 cancers would be approximately 1.5 to 2 times the number

S2BU

mgc 28-8

1 of potential fatal cancers.

2 Q And where did you come up with that figure?

3 A That figure is from the BEIR-3 report, as it is  
4 stated in the testimony. It is referenced in the testimony.

5 Q And do you feel that is a reasonable estimate of  
6 non-fatal cancers to cancers, relative to fatal cancers?

7 A Yes. Potential cancers to potential fatal cancers.

8 Q Okay. Did you in your study look at fetal  
9 losses?

10 MS. BAUSER: Could you repeat it? I didn't hear  
11 you.

12 BY MR. RUNKLE:

13 Q In your study, did you look at fetal losses,  
14 including miscarriages, spontaneous abortions and the like?

15 A No, I did not.

16 Q Did you look at any effects of radiation on the  
17 fetus, maybe including birth defects, learning disabilities,  
18 cognitive damage?

19 MS. MOORE: Objection.

20 MS. BAUSER: Objection.

21 I have no objection to the genetic effect element  
22 in that question, but I think he has also gone into a  
23 number of other -- it sounded like somatic effects.

24 JUDGE KELLEY: What is in the question other  
25 than genetics? It seems to me we went around on this before

mgc 28-9

1 with the last two witnesses, and the upshot, I believe, was  
2 that we considered questions about cancer and genetics  
3 legitimate, but they were sort of bounding tests of damage,  
4 and that we didn't see the relevance of heart attacks or  
5 whatever all else one wanted to postulate.

6 If you have a question about genetics, go ahead.

7 BY MR. RUNKLE:

8 Q To the extent that birth defects, learning  
9 disabilities and cognitive damage are caused by genetic  
10 defects caused by radiation, did you make any study of  
11 that?

12 MS. MOORE: Your Honor, I would like to interpose  
13 an objection concerning the cognitive disabilities and the --  
14 the learning disabilities and cognitive damage. He has  
15 not indicated -- Mr. Runkle has not indicated or laid a  
16 foundation that these are, in fact, genetic defects as  
17 encompassed in the term as defined in the BEIR report.

18 JUDGE KELLEY: I may have missed it. I thought  
19 the question was phrased that those items were caused  
20 by genetic defects. I thought you were saying somebody  
21 had a learning disability and the reason was genetic in  
22 nature.

23 MR. RUNKLE: Yes. I'm just trying to find the  
24 extent of the study, whether they studied this area of  
25 genetic defects.

mgc 28-10 1

JUDGE KELLEY: I think it is sufficiently tied  
2 to the genetic aspect. We will allow it.

3 Did you make such a study, Doctor?

4 THE WITNESS: I'm not sure exactly what you are  
5 referring to -- cognitive disabilities. We have included  
6 in our genetic effects the effects of Mongolism. That would  
7 be one of the diseases in there.

8 Now whether you would classify that as a cognitive  
9 disability , I don't know.

10 MR. RUNKLE: I think that adequately answers it.

11 JUDGE FOREMAN: The answer to the question is,  
12 you don't know, then?

13 THE WITNESS: Well, Mongolism was included as one  
14 of the genetic defects. Cognitive disabilities, I don't  
15 know whether that includes Mongolism or not. If it does,  
16 to the extent it does, we did consider it.

17 JUDGE FOREMAN: Do you have --

18 MR. RUNKLE: That adequately answers my question.  
19 If they considered Mongolism, if that's the only one they  
20 looked at, that answers the question.

21 JUDGE KELLEY: Okay.

22 MR. RUNKLE: I have one other question. It is  
23 more, you know -- I would just like to know this. I don't  
24 know --

25 JUDGE KELLEY: Uh-oh. Questions that begin with

mgc 28-11 1

"I was just curious whether" -- well, go ahead. Take a shot.

2

3

BY MR. RUNKLE:

4

Q In your experience and knowledge, is 100 millirems per year reasonable for background level around the plant? Does that seem to be a reasonable estimate?

5

6

7

A That would be a reasonable estimate for this area. That includes internal exposure as well as external exposure.

8

9

10

Q And so the maximally-exposed person hypothetically at the fence line for the 40 years of life is getting 5 millirems per year.

11

12

13

A That's what I have assumed in my testimony as a conservative estimate.

14

15

Q All other things being equal, is that person five percent more susceptible to cancer? Is he five percent more likely to get cancer than the normal person?

16

17

18

A No.

19

Q Because he's getting five percent more radiation?

20

A No.

21

Q Can you explain that? Do we have time?

22

A The cancer is not necessarily due to radiation. It can be caused by many things. When you estimate what the risk from that 5 millirems per year is, it is very small compared with the natural incidence of cancer. And

23

24

25



mgc 28-12 1

I did provide an estimate in my testimony.

2

MR. RUNKLE: I can look it up.

3

JUDGE KELLEY: Anything else?

4

MR. RUNKLE: No, no other questions.

5

JUDGE KELLEY: Okay.

6

Ms. Bauser, do you have questions?

7

MS. BAUSER: Would you give me one minute,

8

please?

9

(Pause.)

End 28

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

mgc 29-1

## CROSS-EXAMINATION (CONTINUED)

1  
2 BY MS. BAUSER:

3 Q Dr. Branagan, in response to the question just  
4 posed by Mr. Runkle, I believe the impression may have been  
5 left that Mongolism was the only genetic effect encompassed  
6 by your genetic risk estimator. Is that true?

7 A No. Other genetic effects were included in the  
8 genetic risk estimator.

9 Q Could you give me some feel for how many?

10 A The genetic risk estimators are based upon,  
11 according to the BEIR-3 report, all genetic defects that  
12 would cause some serious handicap during an individual's  
13 lifetime.

14 MS. BAUSER: Thank you. That is all.

15 JUDGE KELLEY: I have one question.

## BOARD EXAMINATION

16  
17 BY JUDGE KELLEY:

18 Q The proposition about whether the effects of  
19 radiation should be stated in annual terms, per-reactor-  
20 year terms or life-of-the-plant terms, who would you say  
21 you write for when writing an FES? And by that I mean,  
22 are you aiming at exclusively or primarily a pretty  
23 sophisticated audience, your counterpart at the EPA?

24 I assume that whether you put it in annual  
25 terms or life-of-the-plant terms, the fellow over at EPA

mgc 29-2 1

knows what that means and doesn't need to be told.

2

Or are you also speaking to an audience for whom it would be helpful to put it in simpler English and perhaps both life of the plant and annual terms?

3

4

A I think ideally you want to express it in a way that more people can understand the impacts from the Environmental Impact Statement.

5

6

7

Q Yes. But what kind of people? I guess that's my question.

8

9

A The larger spectrum of the population that you could write it for. Ideally, you would like to have it so everyone could understand it, if they read it.

10

11

12

Unfortunately, many of the previous regulations that we have and various pathway analyses make things fairly complicated.

13

14

Q What if you gave an FES to a junior high school civics class interested in nuclear power? Wouldn't it help them, wouldn't you think, to have this written in life-of-the-plant terms as well as annual?

15

16

17

18

A That would probably be a parameter that someone could zero in on as a few numbers rather than a lot of numbers. It might be more helpful.

19

20

21

Q I think it is a serious question, because it may be all very well to say we should write these documents so everybody could read them. But if in the real world

22

23

24

25

mgc 29-3 1

2 nobody reads it anyway, then why take the time to try to  
3 put it into elementary terms when the specialists who  
4 actually do read these things don't need it?

5 And I'm not saying that I know the answer, either,  
6 but it does seem to me that if you think a lot of people  
7 could be able not just to read it, but to comprehend it,  
8 the more you put in in the way of translating things,  
9 perhaps as alternative measurements, then the better off  
10 you are, whereas if you are really just writing for the  
11 guy over at EPA, it doesn't really matter, I don't suppose,  
12 and I am just proposing -- if you want to comment, go ahead.

13 A It strikes me that there is a balance between  
14 the two. You like to write it in simple language, and if  
15 you do write it in simple language, then the technical  
16 experts tend to pick away at some of the points, some of  
17 the simplifications. And there is a balance.

18 Q So you could get in trouble, so to speak, if  
19 you try to simplify it.

20 A Yes.

21 Q That was really more a comment than a question,  
22 I guess. I appreciate your comments.

23 JUDGE KELLEY: Am I correct that we don't have  
24 further questions? Does the Staff have any redirect?

25 MS. MOORE: Yes, I do.

mgc 29-4

## REDIRECT EXAMINATION

BY MS. MOORE:

1  
2  
3 Q Dr. Branagan, under questioning by the Board,  
4 Dr. Foreman referred to your number of five millirem as  
5 arbitrary.

6 Why is your selection -- was it arbitrary?

7 A No.

8 Q Why did you not select the dose design objective  
9 in Appendix I instead of your five millirem figure?

10 A I think it is unlikely that the plant would be  
11 operated at the dose design objective levels for 40 years.  
12 So I thought that would be too high a value.

13 Q Is it reasonable to assume that the plant would  
14 operate at the levels set forth in Table D-6 and D-9  
15 of the FES without variation over the life of the plant?

16 A I think it is somewhat unreasonable to assume  
17 that for the 40 years operation of the plant. There are  
18 many things that could change. The dose estimates are  
19 based upon the locations of the nearest residence, a cow,  
20 and things of this sort, and those could change over the  
21 operating life of the plant.

22 Q Is it correct that you chose the figure of five  
23 millirems which is between these two estimates, between  
24 the dose design objectives and the estimate in the FES;  
25 is that correct?

mgc 29-5

1           A     Yes, that's correct. I thought it was more  
2 appropriate professionally to select what I consider a  
3 conservative estimate of the dose.

4           Q     Could you explain why you believe it was  
5 professionally more correct to do that, based on your  
6 professional experience and background?

7           A     Well, I evaluated the impacts for a number of  
8 reactors, and I am aware that the actual dose estimates  
9 will, from plants really operating, may be different from  
10 the values we estimate in the FES.

11           However, I think that the values will not be at  
12 the dose design objective levels for many years of operation.  
13 So I think it is more appropriate to choose a value -- what  
14 I believe to be a conservative value for the analysis.

15           Q     Dr. Branagan, could you have selected, say,  
16 four, as Dr. Foreman suggested?

17           A     Yes. I don't think there's a great deal of  
18 difference between four millirem versus five or six millirem,  
19 but I chose to pick what I considered a rounded-off number  
20 of five milli-rem.

21

22

23

24

25

mgc 29-6 1

(6:00 p.m.)

2

BY MS. MOORE:

3

4

5

Q You believe, then, don't you, that the number you chose encompasses your view of the 40-year operation of a nuclear power plant?

6

A Yes.

7

8

MS. MOORE: Staff has no further questions, Your Honor.

9

JUDGE KELLEY: Okay.

10

Mr. Eddleman?

11

RE CROSS EXAMINATION

12

BY MR. EDDLEMAN:

13

14

15

16

Q Dr. Branagan, the rather extensive explanation that you have just give for how you chose the five millirem value, does any of that appear in your testimony as prefilled?

17

18

19

A Not in the exact words that I said that. However, I thought that was in the testimony in my reading of it, but the exact words that I just stated are not in there.

20

21

22

Q Well, Judge Kelley raised the question about writing for an ordinary person or something like that. Let me ask you this.

23

24

25

On pages 4 and 5 where you say, "For purposes of this testimony, the Staff based its dose estimate to a maximally-exposed individual on annual dose design

mgc 29-7

1 objectives in Appendix I," do you think that an average  
2 person would understand that that means you based it on  
3 that and a lot of other considerations like you just  
4 explained to your counsel?

5 MS. MOORE: Objection, Your Honor. That's beyond  
6 the scope of the redirect. And also, another ground for  
7 this objection is that Mr. Eddleman has raised that same  
8 point numerous times on cross-examination, and Dr. Branagan  
9 answered that question.

10 JUDGE KELLEY: I think it has been plowed pretty  
11 thoroughly. I will sustain the objection.

12 BY MR. EDDLEMAN:

13 Q Dr. Branagan, is Down's Syndrome the only genetic  
14 defect impacting mental function that's included in the  
15 BEIR --

16 MS. MOORE: Objection. That's beyond the scope  
17 of my redirect.

18 MR. EDDLEMAN: I'm not going on just theirs.  
19 I'm going on everybody's.

20 JUDGE KELLEY: It was opened up by Ms. Bauser.  
21 Go ahead.

22 MR. EDDLEMAN: This is the only one I have.

23 BY MR. EDDLEMAN:

24 Q Doctor, is Down's Syndrome the only genetic  
25 defect impacting mental function that's included in that



mgc 29-8

1 BEIR analysis?

2 A I don't know.

3 Q One more question. How do you think an ordinary  
4 member of the public would learn your judgment of the  
5 overall cost and benefits of licensing for the Shearon  
6 Harris plant from the FES, given the way that the benefits  
7 and also the costs, like the deaths resulting from radiation  
8 and genetic effects and so on, are stated in it?

9 MS. MOORE: Objection, Your Honor. Beyond the  
10 scope of redirect and any cross that I'm aware of that was  
11 asked.

12 MR. EDDLEMAN: Judge Kelley asked him about this  
13 very point.

14 MS. MOORE: I believe that was a comment, as the  
15 Judge phrased it, rather than a question.

16 JUDGE KELLEY: You said this was your last  
17 question, right?

18 MR. EDDLEMAN: Yes, Judge.

19 JUDGE KELLEY: I will allow it. Go ahead.

20 BY MR. EDDLEMAN:

21 Q Dr. Branagan, how would an ordinary member of  
22 the public learn your judgment of the overall costs and  
23 benefits of licensing the Shearon Harris plant from the FES,  
24 given the way that not only the benefits but also such  
25 costs as total deaths from cancer caused by radiation and

mgc 29-9

1 genetic defects caused by radiation are stated in the FES?

2 A I think they would have to read the FES, and once  
3 again, I think the FES takes a fairly sophisticated reader  
4 to understand this complex subject. It is a complex  
5 subject.

6 MR. EDDLEMAN: I think that probably answers the  
7 question. At any rate, I said it was my last question, so  
8 I won't ask any more.

9 JUDGE KELLEY: Okay. I believe that brings us  
10 to the point where we can let Dr. Branagan step down.

11 Dr. Branagan, you have had a rather long collective  
12 stint yesterday and today. We appreciate your coming and  
13 your responses to the questions.

14 Thank you very much.

15 (Witness Branagan excused.)

16 JUDGE KELLEY: There are two or things to take up  
17 with Intervenors and other counsel.

18 Do we have anything else on this particular  
19 contention that could be said, that needs to be said?  
20 Nothing that I can think of.

21 We will be through here shortly. Let me just  
22 tick off a couple of things.

23 Mr. Barth indicated that there was some discussion  
24 about findings and filing dates and related matters, the  
25 general subject of findings.

mgc 29-10 1

2 I asked earlier whether we should plan on a  
3 prehearing before the next hearing. If you have thought  
4 about that, maybe you could say what you think, and whether  
5 we ought to set a tentative date, at least, if we decide  
6 that we ought to do it.

7 Do you want to take a five-minute stretch break,  
8 and then we can sit down and address that and anything  
9 else you want to raise, and then we'll quite?

10 MR. BARTH: We're ready now, Your Honor.

11 MR. EDDLEMAN: We're ready right now.

12 JUDGE KELLEY: You are ready right now? All  
13 right. I guess that's okay.

14 Mr. Barth, where did you come out on findings?

15 MR. BARTH: Your Honor, Mr. Eddleman, Mr. Runkle,  
16 Mr. Baxter, Mrs. Moore and I had a discussion regarding  
17 the proposed findings. 10 CFR Section 2.754 is the  
18 agency's regulations regarding proposed findings.

19 Mr. Eddleman, Mr. Runkle, Mr. Baxter, Mrs. Moore  
20 and I have agreed simultaneously for all parties to submit  
21 findings to the Board on July 20th, Wednesday, on the  
22 contentions which have been heard here in Raleigh during  
23 this hearing session -- that is, July 20th, Wednesday.

24 JUDGE KELLEY: Simultaneously?

25 MR. BARTH: Yes, sir. This has been done in  
Zimmer and most of the other cases I've been in.

mgc 29-11 1

2 In so doing, we are well aware that Mr. Eddleman,  
3 by the scheme and the regulations, has a right to comment  
4 upon the Applicants' findings, and we have a right to comment  
5 upon his. Working an arrangement between all of us, we  
6 have agreed to simultaneously file replies to any and all  
7 other parties' findings on August 1, which is a Monday.

8 Then the regulations, if you recall, Your Honor,  
9 give an absolute right to the Applicant whose license is  
10 at stake and who has a burden of proof under 5 USC 566(d),  
11 has an absolute right to reply and have the last word.

12 Mr. Eddleman and myself and Mr. Runkle and  
13 Mr. Baxter and Mrs. Moore have agreed that the Applicants  
14 may make a final further reply to all proposed findings  
15 that have been filed on Saturday, August 6th, as a final  
16 last word for anybody to say anything about these contentions  
17 at all.

18 JUDGE KELLEY: Can I have your assurance?

19 MR. BAXTER: Except the Board.

20 (Laughter.)

21  
22  
23  
24  
25  
End 29

1 JUDGE KELLEY: Does everyone all concur on these  
2 proposed dates and filings? Let me just ask you a couple  
3 things in that regard. That would mean that the bulk of the  
4 work gets done in the next month or so, and that applies to  
5 in early August, and that gets this material before the Board  
6 prior to your testimony writing, or most of it, for the fall.  
7 I suppose that makes some kind of sense.

8 I think we had assumed earlier -- let me just  
9 raise this with you. I think we even said it in the first  
10 prehearing or post-prehearing conference order that this case  
11 would be split up in environmental, safety and emergency  
12 planning, and that we would have hearings and findings and  
13 opinions based on those three segments.

14 And my question to you is this: We have had, as  
15 it turns out, a fairly small, if you will, environmental  
16 hearing. We didn't have a lot of issues; it took just four  
17 days to try it. Do you think it important that this Board  
18 write a separate partial initial decision on these contentions  
19 as opposed to putting that out along with the safety  
20 materials, say?

21 MR. BARTH: Your Honor, from the Staff's point of  
22 view, we don't think it's of critical importance. We think  
23 what is more important is that the parties submit their  
24 proposed findings so the Board may consider them.

25 But the bottom line is nothing can operate until

1 you issue a final, final decision on everything. So from  
2 our point of view, we don't care that you write these in  
3 dribbles or parts, if I may say so.

4 JUDGE KELLEY: One of the reasons I ask, I think  
5 there was an appeal board decision last year --

6 MR. BARTH: In Point Beach, Your Honor.

7 JUDGE KELLEY: Some case where the Board kept  
8 dribbling out decisions and the appeal board said cut it out.  
9 They kept cutting it up into little pieces.

10 MR. BARTH: They were smaller dribbles than we  
11 contemplate here.

12 JUDGE KELLEY: That could be, okay.

13 Mr. Baxter, what's your view?

14 MR. BAXTER: Certainly, the cases I've been  
15 involved in recently we have had partial initial decisions on  
16 major sections. And here we're talking about one of the two  
17 statutes under which the NRC governs and regulates, which is  
18 NEPA. And I think there are very separate kinds of considera-  
19 tions that go into the Board's decision.

20 And while we have ended up with only three  
21 contentions that are actually being tried in an evidentiary  
22 basis, there are potentially appeals that go to many other  
23 decisions that have led up to this point; whether it be  
24 summary disposition or --

25 JUDGE KELLEY: Let me get that. Yes. If we

1 issued a partial initial on this hearing of the last few  
2 days, that would take up all the summary disposition stuff,  
3 too, wouldn't it?

4 MR. BAXTER: On environmental issues. As far as  
5 I'm concerned, a partial initial decision on NEPA, that means  
6 everything in the case under NEPA is ripe at that point for  
7 appeal. And I would rather find out this fall than next  
8 summer if the appeal board is unhappy with something.

9 JUDGE KELLEY: Mr. Eddleman, any thoughts?

10 MR. EDDLEMAN: It would be a little easier, I  
11 think, on the Intervenors to have it as a separate document,  
12 the partial initial decision on environmental matters. But  
13 we'll do whatever the Board wants. You are the ones who have  
14 to write the decision; you can write it whenever you want to  
15 in our opinion.

16 JUDGE KELLEY: And I'm not suggesting that we  
17 wouldn't; I'm just asking a question.

18 MR. EDDLEMAN: What I'm saying is we will  
19 accomodate you in any way you want. It would help us a little  
20 bit to have it earlier, and you know, if it will help Mr.  
21 Baxter more, we'll go along with that and try to get all our  
22 exceptions and appeals filed whenever you come out with it.

23 But it doesn't make a very large difference to  
24 us at this point.

25 Let me ask one other question, though. I don't

1 know if the Board has come to a ruling on the 2.758 petition.

2 JUDGE KELLEY: It will be sometime this summer,  
3 but we haven't. yet.

4 MR. EDDLEMAN: Technically, I believe that that  
5 might be considered an environmental issue. I don't know  
6 this relates to all this, but I just wanted to mention that  
7 as kind of a wild card sitting here. We haven't had a  
8 decision --

9 JUDGE KELLEY: We need to act on that and we  
10 intend to. I would say we will do that in any event. Okay.

11 Well, there are some reasons at least for our  
12 going ahead and doing it, and I just wanted to sound you out  
13 on it.

14 MR. BAXTER: We only contemplate that there will  
15 be two more partial initial decisions.

16 JUDGE KELLEY: Yes. If we did this one separately,  
17 it would be this one plus the safety, and that would merge  
18 management and the others, I assume. And then the emergency  
19 planning down the road.

20 Well, we hear you, and we will take it under  
21 consideration.

22 On the findings, let me just for the record say  
23 one thing. 2.754 has some permissive language in it. Yes.  
24 2.754(a), any parties to a proceeding may -- or if directed  
25 by the presiding officer shall -- file proposed findings of



1 fact, so the Board is directing all parties to file. It's  
2 not optional; it's required. And I think that's pretty  
3 customary, too. But there is that other language in here  
4 that could cause problems if we don't make such a directive.  
5 So we have done that.

6 Do those dates sound okay?

7 (Board conferring.)

8 JUDGE KELLEY: Normally, it's the parties that  
9 are more interested in that. As long as it gets in reasonably  
10 soon. If you all agree on it.

11 The Board will hereby adopt the dates and filings  
12 as described by Mr. Barth, and that are concurred in by the  
13 other parties.

14 The other thing I mentioned was whether we should  
15 have a prehearing conference prior to -- and an actual  
16 coming together prior to the now-scheduled for September 5  
17 hearing on the management capability question.

18 MR. BARTH: Your Honor, on behalf of the Staff, we  
19 really feel that no useful purpose would be served by a  
20 prehearing conference prior, with the small caveat that should  
21 the Board decide otherwise, we would suggest that such pre-  
22 hearing be held after August 9 when the testimony has been  
23 filed, and that the Board at that time hold a prehearing  
24 conference for the purpose of setting the course of the  
25 hearing on management.

1                   And that is, what will cross consist of. I  
2 think it's proper to ask for a profer of what is intended to  
3 be proved by a lot of cross examinations, what documents will  
4 be crossed from so we avoid surprise.

5                   But I think prior to the filing of testimony on  
6 August 9, no useful purpose will be served. Afterwards, as  
7 is often done in the federal district courts, and I think  
8 it's proper for the judge in this case, or the bench, to ask  
9 what do you intend to prove and how are you going to go about  
10 proving it.

11                   In these NRC hearings, credibility, insofar as  
12 talking about a criminal, is not at stake. We're talking  
13 about scientific facts, scientific calculations.

14                   JUDGE KELLEY: In the management part? You  
15 think that's true in the management part?

16                   MR. BARTH: Well, I think that that is judgment.  
17 I think the credibility goes to, are you telling the truth.  
18 And I think there's no question that people tell the truth  
19 and they may see it differently, and you may perceive  
20 different judgments from certain series of facts, and people  
21 may perceive things differently, but I don't think the  
22 credibility of the witnesses is involved.

23                   And therefore, I think it's perfectly legitimate  
24 for the Board, after the filing of testimony, to inquire as  
25 to what lines of cross examination will be followed, and to

1 ask for a proper of proof as to where they will lead, so  
2 we will have a more meaningful and better constructed hearing,  
3 rather than just loosely asking questions page by page as we  
4 go along.

5 A purpose should be served by cross examination,  
6 is our view. When Intervenors have witnesses, I think you  
7 should inquire of us, what do you intend to prove by your  
8 cross examination, rather than just let us wander, too,  
9 Your Honor.

10 JUDGE KELLEY: It does kind of concern me about  
11 management. The contention itself is kind of amorphous;  
12 what are we going to talk about, where is it all going to go.  
13 But maybe you're right about having the testimony filed  
14 before we try to talk about that.

15 Do you still think -- I don't remember when we  
16 set that date of August 9. If we have a hearing that starts  
17 on the 5th, do you have enough time? I would just as soon  
18 not have to get on the phone on August 8th and move it to  
19 the 16th. Is the 9th all right?

20 MR. BARTH: The 9th is the date you set, and  
21 that's the date I'm sweating under, Your Honor.

22 MR. BAXTER: Yes, we set that date in March of  
23 1983. It was a long time ago. And I think the reason we  
24 set it so far in advance of the hearing was because we were  
25 going to be filing testimony for both of those phases, and

1 the parties need, I think, some period of time after  
2 August 9 to review and start to make plans. Not just for  
3 the first phase, but for the second phase as well.

4 JUDGE KELLEY: Oh, the 9th is not just management,  
5 but the whole thing.

6 MR. BAXTER: That's right.

7 On the prehearing conference question, I would  
8 agree with Mr. Barth that I don't think there's a need for  
9 it. And any consideration should await filing of the  
10 testimony.

11 I think we have identified today the most  
12 significant question as to how many people can cross examine  
13 on what issues. And I think we should at least take a stab  
14 at the parties talking about it and perhaps have a telephone  
15 conference at some point in August.

16 But otherwise, I think -- you know, it's one  
17 contention. The basic order of the hearing is obviously going  
18 to be Applicants putting on their case, followed by Intervenors,  
19 followed by the Staff, and we understand that.

20 JUDGE KELLEY: Well, you've got the advantage of  
21 having been through discovery. We've been served with copies,  
22 and I'll be honest with you, I haven't read it. But you've  
23 been working on it, so you know more about this contention  
24 than we do.

25 What about the proposition of at least waiting

1 until the testimony is filed before we decide for sure  
2 whether to have a prehearing or not?

3 MR. EDDLEMAN: Well, I think that would probably  
4 be very proper, Judge. We, at least as far as I know, Joint  
5 Intervenors, would do it any way you want. If you want to  
6 do some talking by phone, we'll do that. If you want to come  
7 down here and bring us all together, we'll do that. It's  
8 up to you-all.

9 We would say that knowing our resources and  
10 coordination, it's going to be very difficult for us to get  
11 together sort of a unified and clarified plan within even  
12 about two weeks of receiving the testimony, so we don't want  
13 that date moved forward from August 9 if it can at all be  
14 avoided.

15 Because I just had a horrible time with all the  
16 other stuff I was having to do, trying to get this testimony  
17 read and cross examination prepare . And the management  
18 issue, if I may say, is much more complicated than these  
19 issues. I mean, if you've seen the record from 1979 on that  
20 remand, it's a pretty thick record.

21 Here, I think we're going to be dealing with more  
22 stuff than was dealt with there. And based on discovery, a  
23 lot of different areas were gone into. I think it would be  
24 very difficult for us to focus it down without having had  
25 at least a week or two to study the testimony and try to

1 divide up responsibilities among us.

2 I think in principle what you're talking about  
3 is saying well, where are you going, is a reasonable idea.  
4 Now I have to say I don't think Mr. Barth can get out of us  
5 every question that we're going to ask and so on. I think  
6 he's asking for too much detail, and I think I'm entitled  
7 to surprise his witnesses at least with something. If not  
8 a document, at least with a question.

9 But I would just point out to you respectfully  
10 that we are here, you know, not full time on this issue,  
11 having to deal with other things. My school meetings start  
12 on August 20, so I would urge you to please try to get your  
13 conferencing done before that time, because I'm going to be  
14 tied up more in the period after August 20th than I am before  
15 that.

16 MR. BAXTER: Well, that's less than two weeks  
17 after the 9th.

18 MR. EDDLEMAN: All right, so I'm stuck. So as  
19 usual, I will sacrifice school for this hearing. School is  
20 remarkably tolerant of that stuff.

21 But anyway, I do have a difficulty, and the  
22 difficulty grows much greater, Judge, after the 30th of  
23 August when school actually starts. And that, I think, is  
24 what I have to say about it.

25 JUDGE KELLEY: Once school starts, are you going

1 to be participating in the hearing? Will you be here for  
2 the hearing?

3 MR. EDDLEMAN: Yes, I will, but that is leave  
4 time, Judge. I am there when school starts, and then when  
5 the hearing come up I take off on leave to do the hearing,  
6 and then I come back to school. And that's the way I'm  
7 going to do the whole year.

8 JUDGE KELLEY: Okay. Mr. Runkle?

9 MR. RUNKLE: In my opinion, the phone conferences  
10 are not working. I have been involved in maybe less than  
11 half of them, and I am available during the day. I'm just  
12 not getting called. I will find out at 11:30 that one was  
13 held at 11:00. Or given 10 minutes' notice that somebody  
14 is calling.

15 JUDGE KELLEY: I think what has happened -- and  
16 we will take responsibility for this, it's my secretary who  
17 usually sets these up, and I think what I'm accustomed to,  
18 there are X number of people and then there seem to be more  
19 active players than the numbers, depending on the issue.  
20 And you have been the security person, for example.

21 I know you are one of the Joint Intervenors, but  
22 I tended to look to Mr. Eddleman on the joint intervention  
23 questions. Maybe I made a mistake, but that's the fact.

24 I think that henceforth, if you want us to be  
25 sure to make an effort --

1 MR. RUNKLE: We would urge that you get all the  
2 Joint Intervenors, especially on the management capability.  
3 We're going to have to split that up. It's a very long,  
4 involved issue. I think we should all be involved in any  
5 discussion on that.

6 JUDGE KELLEY: I do have an electronic limitation  
7 on our calls. I forget whether it's 9 or 11 people, but  
8 sometimes we have problems there in just sheer capacity.

9 MR. EDDLEMAN: Do you mean 9 or 11 lines, or  
10 9 or 11 people?

11 JUDGE KELLEY: Numbers of separate people on  
12 the phone. That's probably not clear, but that's my guess  
13 at this point.

14 In any event, I understand what you're saying and  
15 we will try to improve our record in that regard.

16 MR. EDDLEMAN: One of the things we could do if  
17 we had sufficient notice is all perhaps get together at  
18 Mr. Payne's office or Mr. Runkle's office and get all of us  
19 on one number.

20 JUDGE KELLEY: That sounds good. I think we have  
21 a consensus that we may not need a prehearing conference  
22 face to face at all, that we certainly ought not to schedule  
23 one until after the testimony is in, so why don't we leave it  
24 that way. So things like cross examination rules and how  
25 many people get to cross examine I would hope you could



1 stipulate to those, as you speak to each other in the course  
2 of the summer. And I don't think we have to convene just to  
3 talk about that.

4 Is there anything else that ought to be brought up?

5 MR. BAXTER: I would just make a request that  
6 obviously, the Board has quite a few summary disposition  
7 motions before it that are important to our filing testimony  
8 on August 9. If it works out for you that you are able to  
9 decide some of the motions before you actually have time to  
10 write the memorandum and order, we, for the Applicants at least,  
11 would still appreciate oral notification of the bottom line,  
12 if that is acceptable for you to do, before you've had a  
13 chance to write the memorandum and order, just to get it  
14 sooner.

15 JUDGE KELLEY: If that's satisfactory to all  
16 parties, I think what we ought to do -- if we go over the  
17 papers and decide on a result, and if it would help you, we  
18 can make a phone conference and give you the bottom line.

19 MR. BARTH: That's agreeable to us, Your Honor.

20 JUDGE KELLEY: Is that okay with you, gentlemen?

21 MR. EDDLEMAN: It's fine with me. In fact, I  
22 don't think you'd have to get on the phone in a conference.  
23 You could just, if you will, issue something like a notice  
24 of decision saying you lose, or something like that.

25 (Laughter.)

1 JUDGE KELLEY: With your permission -- well,  
2 okay. I understand.

3 MR. EDDLEMAN: I have no objection to an informal  
4 procedure like that. Anything you want to do. If you want  
5 to have someone call us up individually -- I think I actually  
6 got notice from your law clerk at one point in that way,  
7 that the thing was going to be filed, you know. So it doesn't  
8 matter to me. You can do it any way you want.

9 JUDGE KELLEY: Generally, we're kind of  
10 uncomfortable calling people one at a time on something like  
11 that. I think it's better to do it in a conference call.  
12 But okay. The idea is to put the word out earlier, just  
13 so you know what you have to do. And the rationale may  
14 come later.

15 MR. BARTH: We'd like to bring up one other  
16 matter, Your Honor.

17 MR. EDDLEMAN: Just to be real clear about this,  
18 I'm saying I have no objection to your separately notifying  
19 any other parties besides me, as long as I get notified  
20 at some point. If you want to do a conference call or  
21 whatever, you can. But I have no objection to your issuing  
22 separate notifications as long as I get one in the same  
23 timeframe.

24 JUDGE KELLEY: That may be helpful.

25 MR. BARTH: The Staff would appreciate that if

1 the Board has any particular format in which it wishes the  
2 proposed findings to be filed or written, that you advise us.  
3 In the absence of any such recommendation or request by the  
4 Board, we will file these as we have in the past 12 years,  
5 starting out and recapitulating history, and then a summary  
6 of what has happened and what the contention is and evaluating  
7 the evidence and conclusions.

8 JUDGE KELLEY: I'm glad you mentioned that.  
9 Let me just confirm my own impression.

10 (Board conferring.)

11 JUDGE KELLEY: Let us underline that on your  
12 proposed findings, cite to the record, exhibits, transcript.  
13 Get it tied in with the record. That's stated in the rule  
14 itself, but I would just restate it for the Board.

15 What your question reminded me of, though, is  
16 one of these rules speaks of filing proposed findings in the  
17 form of initial decisions, and this is taken very literally  
18 in the NRC. It comes in and says "Opinion" at the top, and  
19 then it starts, "We, the Board, met such and such a place..."  
20 and on it goes. And it's all written in "Our" voice, which  
21 I find kind of artificial, and I would prefer not to have it.

22 Just file findings on the issues that are in  
23 the case, and it doesn't have to be "We" doing this, that  
24 and the other thing; it's just whatever your position is on  
25 the merits. I find I have never used those "We" paragraphs

1 anyway, and I'd rather not have them.

2 MR. BARTH: Your Honor, I'm advised by my  
3 co-counsel that not only is it good, but it's marvelous  
4 that the agency is finally waking up to this. We appreciate  
5 it, Your Honor.

6 MS. MOORE: Your Honor, might I interpose  
7 something? Do you mean you would want just numbered findings  
8 of fact?

9 JUDGE KELLEY: Yes, it would just be  
10 Contention 8(f)(1), the contention is as follows, --  
11 the Staff's position was, bump, bump, bump, and on down the  
12 line. The conclusion ought to be such and such.

13 Contention II(c), II(e), just a straight layout  
14 as opposed to attempting to put words in the Board's mouth;  
15 what we very often see.

16 There's a reason for that, because that's what  
17 the rule talks about. But I don't think it's required.

18 MR. BAXTER: Are we required to follow the  
19 format that somebody in the licensing board panel once  
20 raised -- opinions and findings of fact separate from each  
21 other?

22 JUDGE KELLEY: No. Findings of fact, period.

23 I don't think we need the history of the case,  
24 but if you want to put in a couple of paragraphs -- everybody  
25 knows that. We get a lot of that, anyway. I would just go

1 right to the findings.

2 MR. BARTH: I join my co-counsel in saying this  
3 is marvelous.

4 MR. EDDLEMAN: May I make an inquiry of a non-  
5 lawyerly type? When you say you propose findings and  
6 conclusions, as I understand it, --

7 JUDGE KELLEY: Yes?

8 MR. EDDLEMAN: So instead of saying, you know,  
9 "We, the Board, don't find this credible," you just say,  
10 "This should or should not be found credible because..." --  
11 and make that a finding. And at the last say, "From the  
12 above the conclusions should be so-and-so," and state  
13 whatever conclusion we want?

14 JUDGE KELLEY: You can say that it is. It's a  
15 proposed finding. But you're writing it and saying, "I, the  
16 Joint Intervenor, think... and you ought to find this way."  
17 So that we ought to conclude that there's no reasonable  
18 assurance or whatever.

19 MR. EDDLEMAN: Right. So in other words, I will  
20 save a lot of words by never saying "We" or "The Board  
21 findgs" or anything like that.

22 JUDGE KELLEY: You can skip all that. Just say  
23 what it is that you want found and concluded or that Joint  
24 Intervenors want, and list it off in numbered findings and  
25 conclusions. And it will say right on the package that

1 it's coming from you.

2 I don't mean to be too flip or quick on this.  
3 I know what we want, and I don't know if it's clear or not.

4 MR. EDDLEMAN: It's just my lack of legal  
5 background. I want to be clear on what you're asking me for  
6 and in what form it's supposed to be in. I think I under-  
7 stand it.

8 I think I will certainly have an opportunity to  
9 look at the transcript and figure it out a little more.

10 JUDGE KELLEY: Anything else?

11 Just one thing. Can we make an effort -- it will  
12 only take a few minutes to pick up and clean up this place,  
13 move the tables back where they were and whatnot, and put  
14 it more or less in the status quo ante.

15 Thank you very much, we are adjourned.

16 (Whereupon, at 6:30 p.m., the hearing in the  
17 above-entitled matter was adjourned.)

18

19

20

21

22

23

24

25

CERTIFICATE OF PROCEEDINGS

1  
2  
3 This is to certify that the attached proceedings before the  
4 NRC COMMISSION

5 In the matter of: DP&L & No. Carolina Eastern Municipal  
6 Power Agency (Shearon Harris 1 & 2)


7 Date of Proceeding: Tuesday, June 19, 1984

8 Place of Proceeding: Raleigh, North Carolina

9 were held as herein appears, and that this is the original  
10 transcript for the file of the Commission.

11 Suzanne Young

12 Official Reporter - Typed

13   
14 Official Reporter - Signature