

1 ORIGINAL

2 UNITED STATES OF AMERICA

3 NUCLEAR REGULATORY COMMISSION

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS SUBCOMMITTEE

5 MEETING ON DIABLO CANYON

6 NUCLEAR POWER PLANT, UNITS 1&2

7 Nuclear Regulatory Commission
8 1717 H Street, N. W.
9 Washington, D. C.

10 Wednesday, July 11, 1984

11 The Subcommittee met, pursuant to notice, at

12 8:30 a.m.

13 SUBCOMMITTEE PRESENT:

14 C. P. SIESS - CHAIRMAN
15 C. MICHELSON
16 H. ETHERINGTON
17 J. C. EBERSOLE
18 H. W. LEWIS

19 SUBCOMMITTEE CONSULTANTS:

20 M. BENDER
21 D. MYSINGER

22 ACRS STAFF:

23 J. C. McKINLEY (DESIGNATED FEDERAL EMPLOYEE)
24 C. A. McCLAIN

25 ACRS FELLOWS:

R. A. CUSHMAN
J. H. ELAD
S. SETH

FREE STATE REPORTING INC.

Court Reporting • Depositions
D.C. Area 261-1902 • Balt. & Annap. 269-6236

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NRC STAFF AND PARTICIPANTS:

- M. HARTZMAN
- K. MANOLY
- E. J. SULLIVAN
- E. C. RODABAUGH
- H. POLK
- G. W. VOLLMER
- J. P. KNIGHT
- R. J. BOSNAK

P R O C E E D I N G S

1
2
3 MR. SEISS: The meeting will now come to
4 order. This is a meeting of the ACRS Subcommittee on
5 Diablo Canyon. I am Chester Seiss, chairman of the
6 subcommittee. The other members of the ACRS present
7 starting on my left, Mr. Michelson, Mr. Ebersole, we
8 have two consultants with us, Mr. Bender and Mr.
9 Mysinger.

10 The purpose of the meeting today is to
11 discuss matters relating to the issue of an operating
12 license amendment to permit operation at power level
13 above 5% of the full power at Diablo Canyon Unit 1.

14 This meeting is being conducted in accordance
15 with the provisions of the Federal Advisory Committee
16 Act, and the Government and Sunshine Act.

17 Mr. John McKinley, seated on my right, is the
18 designated federal employee for the meeting.

19 The rules of participation in the meeting
20 have been announced as part of the notice of the
21 meeting previously published in the register. We have
22 received no written statements from the public, and no
23 requests to make oral statements.

24 A transcript for the meeting is being kept,
25 so I request that you please use the microphones. If
you are at the table, get to a microphone. If you are

BH
NRC-72
T-1

1 not at a table, please identify yourself when you first
2 speak.

3 We have been provided, some of us with
4 various documents. The basic ones are the several
5 submittals by Pacific Gas and Electric in response to
6 the licensing conditions on the pipe and piping support
7 design, and then we had a draft of the staff's SER. I
8 assume that that is a supplemental SER, right?

9 MR. VOLLMER: Yes. Ther will be a number of
10 such supplementa! SER's

11 MR. SEISS: Mr. McKinley says that it is not
12 yet an SER, is that right?

13 MR. VOLLMER: That's right it's a draft.

14 MR. SEISS: It's a draft, but it's a draft of
15 an SER. Okay. Did the members of the subcommittee get
16 both of those? You didn't get a draft of the SER did
17 you?

18 MR. MCKINLEY: The draft that Chet is
19 reffering to is a draft report of a peer review group.
20 I believe that it will be incorporated?

21 MR. SEISS: No. They didn't get it. Did you
22 send it to us?

23 MR. MCKINLEY: Yes sir.

24 MR. MICHELSON: That should have gotten to you
25

1 by express mail Saturday.

2 MR. MCKINLEY: Okay. I didn't read that as a
3 draft of the SER.

4 MR. MICHELSON: That's right. It does not say
5 that anyplace in the text. It will be incorporated in a
6 supplement to the NCR, probably as an appendix.

7 MR. SEISS: How many of the members of the
8 subcommittee got the notice from PG & E. They have come
9 over a period of time, but I don't think everybody got
10 them. I have got a stack of stuff, I couldn't itemize
11 it. That is not as important as having the draft of
12 SER. First, it summarizes what was in the others.
13 There is a lot more detail in the PG & E stuff, and if
14 you feel the need to address that, John has a copy of
15 it here.

16 Are there any questions or comments from the
17 members of the subcommittee or their consultants before
18 we hear from the staff? Mr. Lewis has just arrived.
19 is a member of the subcommittee. Okay. I'm going to
20 call on Dick Vollmer to summarize either the peer group
21 report, or the draft SER.

22 MR. VOLLMER: Okay. Thank you Dr. Seiss. My
23 remarks will be very brief. We had in the introduction
24 and conclusion, a little bit of the historical back-
25 ground. As you know, the review that was formed in

BH
NRC-72
T-1

1 to consider issues formed by Mr. Yin prior to the
2 Commission's decision to seek a low power licence.
3 The following review group report of the ACRS meeting
4 and other activities, supplement to the licensee, our
5 license was issued with certain license conditions which
6 arose on recommendations of the review group. These
7 recommendations were along the lines of the technical
8 concerns raised by Mr. Yin. Since the low-power li-
9 cense, and now effectively were to include three things.
10 First of all, be sure that the licensee has met the
11 low power license conditions, and look at the document-
12 tation activities that he has performed to meet those
13 conditions.

14 In addition to that, we have taken additional
15 task or two dealing with concern raised by Mr. Yin on
16 the inadequacy of the design verification program, and
17 also programatic issues which he had with respect to
18 activities of the on-site project engineering group.
19 OPEG did a lot of the on-site piping work. So, we con-
20 sidered both of those issues and met with the licensee
21 on several occassions. We met on the site, the ACRS and
22 subcommittee at the site, looking over the concerns,
23 physical concerns raised by Mr. Yin. We had ^{an audit at} the office
24 of CULP / ^(Phonetic) Associates who were prime contributors to
25 the IDP. The scope of the work of the group indicated

BH
NRC-72
T-1

1 that the group has indicated in the first light in a
2 hand of their own. The people that were involved in the
3 second slide,

4 MR. SEISS: Dick.

5 MR. VOLLMER: Yes.

6 MR. SEISS: Since the members of the review
7 group, among other things reviewed and evaluated what
8 I call engineering judgements, and I guess on the pro-
9 cess of exercising their engineering judgement. I won-
10 der if you would run down that list and give us at least
11 an indication of the disciplines represented by the
12 various people, where they are from, etc. Can you do
13 that?

14 MR. VOLLMER: Okay. Let me do it this way.
15 Mr. Allison, Mr. Heishman who are not here are dealing
16 with QA issues. When I get item C I'll indicate what
17 further activities they will have.

18 MR. SEISS: Was Allison dealing with QA issues
19 only?

20 MR. VOLLMER: That's right.

21 MR. SEISS: And Also Heishman were dealing with
22 QA issues. Bob Bosnak, as we know, is chief of engi-
23 neering, mechanical engineering branch, a division of
24 engineering. It is on the main committee of ASME. He
25 will be talking about item number 6, license condition

BH
NRC-72
T-1

1 six, and the independent design verification program.
2 We will be covering those two topics. Tom Burr, who is
3 from EG&G is senior engineering specialist out there
4 at the Applied Mechanics branch. He and Mr. Keith
5 Morton, who has the same title at EG&G work primarily
6 on license conditions 2 & 3. They do the calculations
7 for us.

8 MR. SEISS: They are at the Mechanics branch
9 of EG&G?

10 MR. VOLLMER: That's right.

11 MR. SEISS: And they specialize in engineering
12 stress analysis?

13 MR. SAFFEL: Primarily piping. This is Ber-
14 nie Saffel. I am from Battelle Columbus Laboratories.
15 Tom Burr and Keith Morton's expertise is in the area of
16 Piping dynamic stress analysis.

17 MR. VOLLMER: While you are there, Bernie
18 since you will be covering items two and three as the
19 prime speaker here, why don't you give your title and
20 background.

21 MR. SAFFELL: I am a program manager for
22 Battelle Columbus Laboratories, and I have experience
23 in piping support and stress analysis.

24 MR. VOLLMER: Okay. Then we have Mr. Chen and
25 Mr. Fleck from Engineering Analyses Associates,

BH 25
NRC-72
T-1

1 which is a DOE facility which used to be the LMEC part
2 of National back in the old days. I'm not sure what
3 the company is right now. Part of North American Rock-
4 well is a DOE facility. Mr. Chen and Fleck have been
5 consultants for the staff in the beginning branch for
6 a number of years.

7 Their specialties, Mr. Bosnak can tell what
8 specifically they are. The title of Mr. Chen is the
9 manager of Materials Unit and Mr. Fleck is a member of
10 his staff.

11 MR. BOSNAK: I'm Bob Bosnak. Both of these
12 gentlemen mentioned by Dick Vollmer are engineering
13 mechanic special dynamic specialist. They have had
14 hands on experience in several plants for us over the
15 last three or four years.

16 MR. VOLLMER: Why don't you continue on with
17 your own ground. Art Hartzman is a senior mechanical
18 engineer in the mechanical engineering branch. He work
19 with Mr. Bosnak. Mr. Hartzman will be covering item
20 number seven.

21 MR. BOSNAK: Dr. Hartzman. Dr. Hartzman is
22 our special dynamic specialist, with particular emphasis
23 on computer code applications.

24 MR. VOLLMER: Okay. Next on the list, I
25 haven't covered yet Jim Knight, assistant director in

BH
NRC-72
T-1

1 engineering, and it would be my guess it would be
2 basically mechanical engineering. He is engineer with
3 a very broad expertise in a number of areas, piping
4 analysis, pipes and structures. Mr. Manoly will cover
5 item 1, as a reactor engineering support program for
6 region one and Mr. Manoly has been the NRC for less
7 than a year. He came out of an architectural engineer-
8 ing. His specialty is in pipe and stress analysis.

9 Ed Rodabaugh, I think you all know him pretty
10 well. He is also here with us today to help with the
11 staff. Ed Sullivan is my technical assistant. His
12 specialty is in the piping and stress analysis.

13 Jim Taylor is a deputy director. He has been
14 involved primarily in QA and worked for me / on the IBP issue.
15 He is not here today.

16 Burr and Morton we covered with EG&G as Bernie
17 Saffell indicated their speciality. And, Mr. Yin as
18 I indicated here, has been involved in the group
19 activities to the extent possible. We have invited him
20 to these group activities. Some of them he was able to
21 participate in, some of them he was not.

22 MR. SEISS: If I may interrupt you for just
23 a minute. How many of the subcommittee members have
24 any questions on makeup of the peer review group?

25
BH
NRC-72
T-1

1 MR. VOLLMER: Okay. I would just like to
2 finally say, that as you all know. The plant seismic
3 criteria changed during the licensing process. It has
4 been a different exercise than a number of plants that
5 such criterias were somewhat stable and the peer review
6 group had to recognize that getting the final design
7 of the plant was not always particularly elegant. QA
8 inefficiencies and deficiencies were the reason for the
9 large IDP effort, staff effort in the last couple of
10 years.

11 The peer review group looked as hard as it
12 could at the final results and underlined basis for get
13 ting the results and looked particular at QA per se,
14 because we found that from the start that QA deficien-
15 cies were there. When we look at the process of getting
16 to the final product in the process of checking the
17 final engineering drawings, the appropriate things for
18 review, and generally check to see that sound engineer-
19 ing decisions were made in the process. So, I think
20 the focus on our group has been, as you said, the one of
21 using judgement reflected by a group of experts we had
22 assembled here to come to the conclusions of the report
23 we have indicated that these areas we felt the licensing
24 criteria were met.

25 Without me going into any more detail in that

BH
NRC-72
T-1

1 framework, I would like to call Ken Manoly who inspector
2 of region one to brief you on the next topic.

3 MR. SEISS: You mention that the seismic
4 criteria changed. I would just like to remind people
5 that we are thinking of the criteria in terms of G-
6 forces and we know that DE at 2/10's and DEE at 4/10's
7 and the ^{INAUDIBLE} at something else. BUT, they have
8 also changed in terms, I believe of damping factors,
9 allowable stresses, etc. Not just the input of this.

10 MR. VOLLMER: That's right.

11 MR. SEISS: More complex changes are just
12 piping then?

13 MR. VOLLMER: Yes. It's been a number of
14 very complex changes. I might also add that the basis
15 for the IDP and the basis for the computer group was
16 to meet licensing criteria on that. The license cri-
17 teria reflected in the documents for decision. We did
18 not necessarily at the same licensing criteria that we
19 used right now, that the plant was given its instruction
20 permit in 1968 or something like that. So, it is a
21 little different than the usual.

22 MR. EBERSOLE: Would a design criteria postu-
23 late a crack like the ASME kind of thing?

24 MR. VOLLMER: I'm sorry

25 MR. EBERSOLE: Would a design criteria pos-
tulate a crack like the ASME?

BH
NRC-72
T-1

1 MR. VOLLMER: In the piping?

2 MR. EBERSOLE: In the piping, yes.

3 MR. BOSNAK: Some of the piping, of course is
4 designed to be fairly volatile. We have a mixture of
5 codes that are explicable.

6 MR. EBERSOLE: The B31 wouldn't postulate a
7 crack at all with stress.

8 MR. BOSNAK: That's correct. But others,
9 speaking of the lay loop. We did have those kind of
10 things applicable.

11 MR. EBERSOLE: That is applicable in your
12 criteria then?

13 MR. BOSNAK: Yes. The appendix G was applica-
14 ble, but not across the board certainly in all of the
15 systems applied.

16 MR. EBERSOLE: Was it applicable to the big
17 piping let's say?

18 MR. BOSNAK: I'd have to, you've got to main-
19 stream the feedwater. By way of application, there was
20 a plant, as every plant around here where the B31-1 was
21 a design code and it was supplemented by additional
22 Westinghouse requirements which were pretty much the
23 fatigue analysis of this type of thing that were making
24 its way at this time. Again, speaking of the main loop.

25
BH
NRC-72
T-1

1 MR. KNIGHT: Mr. Vollmer, I have had a lot
2 of difficulty with all of this detail on scale and con-
3 tact. I am having trouble getting in position on
4 space. A number of years ago, Monmont Point (Phonetic).
5 almost broke attendance for mal-design for certain dif-
6 ferent INAUDIBLE It was fixed, and there was that
7 much more to it than just that more extrapolation of
8 the matters before the other deficiencies of that sort
9 existed in that plant, much less than the basic. So,
10 what I would like to hear is a view from the staff as
11 to looking at the vast amount of detail here, we are
12 addressing a matter of to you with performance of the
13 applicant at Diablo Canyon. The peculiarity of the
14 problem there. The degree of earthquake. And I guess,
15 in the final analysis, whether we are looking at the
16 potential that might exist there by having an earthquake,
17 I think we all have to recognize that for a variety of
18 reasons, which we can hardly list, we must expect pipe
19 failures one way or another. I have seen nothing in
20 these analyses that says the main thrust of the effort
21 is to avoid multiple failures and thus / ^{invalidate} the design
22 basis of the plant that we are covering. Although, I
23 suspect there is a central theme like most of these
24 analyses. There must be some thrust to common failure
25 functions. In short, I'm having, I say that we turn

BH
NRC-72
T-1

1 around and look at the plant that has the most potential
2 for public damage in the same context that we are look-
3 ing here. What would we find in the same period of in-
4 vestigations that we are looking at here? I'm trying to
5 get this into some perspective, and keep it from being
6 distorted.

7 MR. SEISS: Jesse, if I may point out, it was
8 not due to an earthquake, but it was due to an earth-
9 quake design.

10 MR. EBERSOLE: Whatever.

11 MR. SEISS: Seismic restraints then appeared,
12 and due to thermal movements on the first break line.

13 MR. EBERSOLE: I'm trying to get a focus view,
14 a focus view in the larger perspective, not just in the
15 detail of Diablo Canyon. What can you say? What do you
16 know about the Diablo? in terms of Indian Point?

17 MR. VOLLMER: I think in terms of Indian Point
18 which includes seismic analysis at Indian Point. It is
19 selective. Any review of this would be predicted in
20 terms of the point. We have raised a couple of issues
21 which were very, /bumping and ceilings falling in and
22 localized / Gary pointed out, might happen if an
23 earthquake much larger than it's design earthquake.
24 But, certainly, I don't think any plan has been agreed
25 with the rigor that this plan has with terms of the

BH
NRC-72
T-1

1 analysis effort or in terms of having those who are
2 familiar with Plan Type A and the plant problems come
3 in and given an engineering judgement to see if this
4 thing really looks alright. We would characterize this
5 find as more of that than any other. At least, from the
6 staff point of view as licensees of another plant. I
7 guess what the overall questions that you asked, I would
8 say that the staff relies on the assurance of the design
9 and license conditions, feeling that there would not be
10 comparable failures from the seismic event. Certainly, I don't
11 think the analyzed in detail this would have a seis-
12 mic analysis is a great vehicle behind the IDP work.
13 The IDP for this is something like ten times as much
14 effort as the staff did. The staff put in double
15 effort in this plant. These efforts you might consider
16 third party reviews of the overall design process.

17 I think it did focus on meeting license con-
18 ditions.

19 MR. EBERSOLE: Well, my problem is I think
20 that have spent a lot of time here, on about which we
21 know virtually nothing. On something like this is my
22 point. I find that material / ^{statement there} I have a little dif-
23 ficulty getting fixed on that.

24 MR. VOLLMER: I guess I couldn't disagree. We
25 ^{matters} asked for a long time on / here that we have not
looked at.

BH
NRC-72
T-1

1 MR. EBERSOLE: And then, if we are
2 at a corner stone -- we must orient to the main focus
3 which is supporting common load failure. I have seen
4 the load effort to say that is what we are going to do.

5 MR. VOLLMER: I think we are going to the
6 following way. The thrust of what the staff's review
7 and ADPE looking to uncover the generic deficiencies in
8 the design effort, I would have to turn to Jim, for
9 example and ask the question, how much margin do we have
10 of common load failure if you find if he follows our
11 design criteria. I'd like to ask him about the second.

12 MR. SEISS: But, don't limit your common
13 load failure to earthquakes.

14 MR. VOLLMER: I'm sorry.

15 MR. SEISS: Please don't limit your common
16 load failure to seismic.

17 MR. VOLLMER: Well, the seismic effort has
18 been a predominant one.

19 MR. SEISS: Yes, but also the seismic effort
20 affects the ability of the plant to reduce thermal move-
21 ments. I think a lot more certain an earthquake.

22 MR. VOLLMER: Yes. No question about that, and
23 I think that the staff had not been involved particularly
24 in looking into any loads issues, and certainly generic
25 I think the recognition of the staff was you were looking

BH 25
NRC-72
T-1

1 at a well designed system from the point of view which
2 was from the seismic point of view.

3 MR. SEISS: Suppose at Indian Point there had
4 been half a dozen seismic pipe supports that had been
5 incorrectly designed. They were designed that
6 80% of the load that somebody's calculations showed that
7 they would get. Not 80% of the strength, but 80% of the
8 load. Would the BRA have indicated that as a significant
9 particular risk?

10 MR. VOLLMER: No. I think the BRA would have
11 taken a look at a seismic hazard / ^{curve} and a fragility
12 curve and assumed from a given seismic hazard that a
13 certain futility, or a certain amount of these would
14 break. I think that the assumption would be that the
15 design would be at the appropriate level, but the fur-
16 tilities would extend below that level, so that there
17 wouldn't be failure at some of these supports at some
18 limited design levels.

19 MR. SEISS: But no more than one pipe.

20 MR. VOLLMER: I don't think that's true.

21 MR. SEISS: But it only takes two pipes to put
22 the plant out. Because of the single failure factor.

23 MR. VOLLMER: If it is the right two pipes.

24 MR. SEISS: If it is the right two pipes. I
25 think it would be a different case in different consult

BH
NRC-72
T-1

1 areas.

2 MR. SEISS: So you say that by five supports
3 that have mistakes, that those probably would be rep-
4 resented within the ^{range of the} fragility curves. Would the converse
5 be true that if I had five instances of interferences
6 due to the seismic restraints that the ^{interferences} / would
7 be covered by some sort of a defect include some-
8 how of the PRA. Not seismic PRA now. I'm talking about
9 low-cycle.

10 MR. VOLLMER: As I recall on the non-
11 PRA's it was not considered external events. It was
12 not considered more than one pipe failure at a time,
13 unless that pipe failure were to make an existing cause
14 of failure. The seismic PRA's were the ones that would
15 use fragility curves, and wouldn't discriminate whether
16 or not it was a failure of a hangar or a thermal movement.
17 It wouldn't indicate what the reason of the failure was.

18 MR. SEISS: In a non-seismic PRA you'd have
19 a non-mechanistic assumption as to the probability of
20 a pipe failure.

21 MR. VOLLMER: Right

22 MR. SEISS: That's strange to say the least.

23 MR. BENDER: I'd like to try a slightly
24 different tactic to develop an understanding of these
25 problems. My impression is that if there are

BH
NRC-72
T-J

1 failures that might occur as a result of thermal
2 movement that the probability of those failures
3 occurring in groups is somewhere near to zero. A
4 failure due to thermal movement , will one at a
5 time, so really if there's anything we want to
6 know is whether failures of that sort are big
7 enough to introduce a big change in the public
8 risk. There is a second element to this thing
9 which is a little fuzzy to me right now but I
10 think it goes along the lines of saying, if the
11 pipe restraints are not installed properly there
12 would be some detrimental effects on critical
13 equipment and there's enough of that

14
15
16
17
18
19
20
21
22
23
24
25

FREE STATE REPORTING INC.

Court Reporting • Depositions

D.C. Area 261-1902 • Balt. & Annap. 269-6236

1 equipment involved, so that we might induce a very high
2 probability of failure in the equipment itself, some-
3 thing other than the piping. That may not be a problem.
4 I would like to know whether it is or not.

5 The third point is the one which seems to come
6 up repeatedly in these discussions. Mainly, the question
7 of whether the seismic event can result in multiple
8 effects. I'm not clear that that has been addressed at
9 all in the piece of paper I've^{seen}/ But, it probably has not
10 in the thinking somewhat. It would be helpful, I think
11 that the staff would in some way convey to us, me at
12 least, the viewpoint concerns the multiple failures
13 arising from mistakes or installation errors, whatever
14 they are called, in the piping systems. It seems to me
15 if we get those three points out on the table, we might
16 understand this a little better.

17 MR. SEISS: The trouble with this is Mike,
18 that the staff has not approached this from a risk stand-
19 point of view. They have approached it from the licen-
20 sing criteria point of view. It is going to be very
21 difficult to turn 90° or 180°.

22 MR. BENDER: I wouldn't argue with that point
23 one bit, Mr. Chairman. I think that that is basic
24 safety.

25 MR. SEISS: That's right. This is a generic

BH
NRC-72
T-1

1 problem that this committee is having once or more. We
2 have been looking at risks, looking at severe accidents,
3 we have been looking at PRA's and plants are still being
4 licensed on the basis of the standard review plan
5 general design criteria, reg. guides, etc., for the
6 various criteria of part 100 and part 50.

7 And, our thinking, in terms of risks. Their
8 terms in the licensing criteria. They have the same
9 objective, but if they do, it is somewhere down the
10 line.

11 MR. BENDER: From the public safety, it is
12 certainly there. I could...

13 MR. SEISS: And, I do think that it is impor-
14 tant that the ACRS will be looking at this issue, as it
15 does at most issues in terms of the risks to the public.
16 I don't think in our letters that we ever had made a
17 finding that the license of the plant had been designed
18 in accordance with the criteria. We make a finding
19 that there is no undue risk to the health and safety
20 of the public, which is a little bit different than the
21 kind that you have to make as a preliminary map.

22 So, to the extent that you can address our
23 criteria, it will help. We will try to understand your
24 criteria and hope that they both lead to the same re-
25 sult.

BH
NRC-72
T-1

1 MR. VOLLMER: The conclusions of what we do
2 is certainly of risk to public safety. Based on meet-
3 ing licensing criteria regulations regulatory guides,
4 and so on and so forth. We have been trying to get bet-
5 ter insights as to how good these criteria are to the
6 risk process, and so on. As you know, that is a long
7 process.

8 The only other comment that I would like to
9 make, with respect to Mr. Bender's comments were, I
10 think the ACRS has been briefed by the Squelter (ph.)
11 group the seismic/utility group who used as a basis for
12 helping the staff resolve safety issue 846 with exper-
13 ience data on a large number of facilities that had com-
14 mon design and hardware nuclear plants. That is pri-
15 marily refineries and conventional park plants. And,
16 looking over a broad spectrum of earthquakes and they
17 did reach ACRS there are probably their views
18 based on the data that they have captured in the piping
19 systems and much of the equipment in Nuclear plants.
20 The equipment, more particularly the piping is not very
21 sensitive to seismic events. On that basis, 846 is
22 directing toward using experience data selected compo-
23 nents in lieu of a specific qualification testing for
24 plants that are already operating, already licensed.
25 Their findings on piping systems are similar to the very

BH
NRC-72
T-1

1 MR. BENDER: I really was, in a sense, trying
2 to help address Mr. Ebersole's question which has to
3 do with the question that, why can't we put Diablo
4 Canyon in a context of Indian Point. Can you or can't
5 you? If you can, it may be easier to address. If you
6 can't then we have to look at it as an individual case.

7 MR. KNIGHT: I would like to approach I think
8 in a reasonable way. To my view, I believe I speak for
9 a large part of the professional staff. All of the
10 things that are so-called deterministic approach go
11 toward all of these questions. Whether or not we
12 protected against common / ^{INAUDIBLE} failure. Whether, or
13 not we are adequately sure that we have the balance
14 between the restraint that we would like for seismic
15 design and flexibility that we would like for federal
16 motion. It is a trade off. It is a place where you
17 have to walk the line between the two goals.

18 The great purpose, from my point of view, for
19 a level of detail that we are getting into here. As
20 we go through the presentations today, I would ask that
21 you look at them from the standpoint of the amount of
22 time and effort that started asking base-line questions
23 that are necessary to get to the determination of that.
24 We have a plant here in a high seismic area that is
adequately designed. The very first analyses that are

BH 25
NRC-72
T-1

1 done in terms of normal stress analysis of piping,
2 carry it all the way through to design of supports in
3 making sure that all of the loadings are necessary and
4 are in fact considered structures of the supports, char-
5 acterization of the piping is sufficiently accurate to
6 give you a good handle on this response. The, in this
7 case of this stage of this plan, the marking of the plan
8 under hard conditions, determined to me, at least as
9 a first cut, that's got to be a very sufficient, and
10 very significant point as far as concern of thermal
11 restraint goes. We had the plant up to its operating,
12 very close to its capacity . There are exceptions in
13 some systems where we get very close to full operating
14 temperature and pressure. And then, we have found, as
15 one always does, that those have been fixed. Continu-
16 ation of that program goes onto power. Particularly,
17 when you look at Dr. Hartzman's speech on liscencing
18 Condition 7. Gone to, I think, unusual levels here in
19 seeing that problems, in my view may well be protruded
20 at Diablo Canyon because of high seismic design. And,
21 the number of changes that have taken place over the
22 years, which gives you, I think significantly a more
23 complicated support system in some areas to see that
24 what one might be called the more usual loading con-
25 ditions on various structural members.

BH 25
NRC-72
T-1

1 The other fact is that not considered rigor-
2 ously. So, all of the, all of the things that an en-
3 gineer can do that he has an accurate system, I believe
4 have been done here.

5 MR. SEISS: Jim. I don't quite get your point
6 as to why the item seven issues, which seem to be rela-
7 ted to details of stress analysis are more important
8 issues at Diablo than at another plant. If I am design-
9 ing a support for 20,000 pounds at Diablo, and 5,000
10 pounds somewhere else, it seems to me that designing
11 for the same allowable stresses is just, whether I
12 neglect walking stresses, about the same effect as one
13 in another.

14 MR. EBERSOLE: Yes. I want to endorse that.
15 That happens all the time, Chet.

16 MR. KNIGHT: Yes. My other point was that
17 the opportunity, the likelihood of somewhat having com-
18 plicated loading cases is higher at the end.

19 MR. SEISS: Yes. But that doesn't mean the
20 importance of ordinary stresses?

21 MR. KNIGHT: No.

22 MR. SEISS: And then, I look at Indian Point
23 where it takes something like the SSE to start getting
24 things in a serious condition. I have difficulty
25 visualizing three times the SSE at Diablo, you know,

BH 25
NRC-72
T-1

1 without floating California out in the ocean somewhere.
2 And support, pipe supports, seismic supports are almost
3 the only thing in the plant that is 100% seismic.

4 MR. KNIGHT: True.

5 MR. SEISS: The pipe stresses aren't 100%
6 seismic. I just don't really think that Item No. 7 is
7 of special concern at Diablo any more than it is at any
8 other plant.

9 MR. KNIGHT: No. I was only trying to point
10 out that, I think special attention.

11 MR. SEISS: Sometimes I think the more complex
12 these supports are, the more redundance there is and

13 MR. KNIGHT: That's certainly true.

14 MR. KNIGHT: Along with redundancy, it just
15 makes it difficult to analyze. But, it works a lot
16 better.

17 MR. LEWIS: Chet, could I perhaps get a little
18 clarification about why we are sitting here today. This
19 whole conversation has been very interesting, and it
20 has to do with the relationship between the ultimate
21 safety of the plant and the criteria for licensing. I
22 must say that in the period that I have been on ACRS,
23 I have searched throughout this building and other
24 buldings throughout that connection and assert like
25 the holy grail. I know it must exist, but I take it

BH
NRC-72
T-1

1 but, to be specific in the call to this meeting, my
2 understanding is that we are supposed to review the
3 review group, review the peer review group. I don't
4 know if we appear as super peers or sub-peers to review
5 the review group. Their report has nothing to do, if
6 I read this call correctly, has nothing to do with the
7 safety of the plant. I just simply says that the seven
8 licence conditions have been satisfactorily addressed.
9 Is that what we are supposed to determine, or are we
10 supposed to decide whether there are reasonable license
11 conditions.

12 MR. SEISS: That's a very good question, Hal.
13 The meeting here today, which Mr. Denton asked us to
14 review the review group report, and because that I be-
15 lieve Mr. Yin still has some reservations about it here.
16 As far as what we are supposed to decide, it is a little
17 difficult. I have been trying to visualize it in my
18 mind what kind of a letter we might write off of this,
19 and whether that letter, if we do agree with the staff
20 we agree with the findings of the review group that
21 Pacific Gas and Electric had satisfied the licensing
22 conditions and whether that letter would go on to say
23 that we find no risk to the health and safety of the
24 public, or as we have said in about two or three letters
25 we find no reason to change the conclusion of our letter

BH 25
NRC-72
T-1

9/12
1 of July 14, 1978 which said that. So, I'm not quite
2 sure. I think the basic reason for our meeting is that
3 Mr. Denton asked us, and Mr. Yin has some concerns and
4 that they thing that we might help resolve them. I sus-
5 pect that one reason Mr. Denton asked us is because
6 when we wrote our last letter about these licensing
7 conditions there were additional remarks about whether
8 the ACRS ought to review it again.

9 MR. LEWIS: Thank you for the elusive clari-
10 fication chairman.

11 MR. SEISS: I know slightly more than you do,
12 but not much.

13 MR. EBERSOLE: Mr. Vollmer, if I were to elim-
14 inate the seismic question, and eliminate the lousy
15 pipes and the boilers used with the cracking problem,
16 and then arbitrarily eliminate piping. Look at the
17 LER's. I wouldn't find as many cases of trouble with
18 pipes or wells or hangars, or whatever had been hanging
19 these plants in the water. Not nearly this one. I ask
20 you to look into perspective at that sort of thing.
21 I don't know if we have had a record of that types of
22 things that we are looking at here.

23 MR. VOLLMER: That's true. But, I don't
24 think that we have had much in the way of earthquake
25 testing.

BH 25
NRC-72'
T-1

1 MR. EBERSOLE: In the focus on common mode.
2 I'm trying to get a point of view to look at.

3 MR. VOLLMER: Right. Yes.

4 MR. EBERSOLE: And so, I guess this is the
5 thrust. Now,

6 MR. VOLLMER: We have had a number of plants
7 where something had malfunctioned, they hung up in
8 mechanical failures, operators, things like that. So,
9 additional problems on things like that would deal with
10 seismic .

11 MR. EBERSOLE: It was supposed to be able to
12 take a pipe back in and run it. But, maybe not two.
13 In the peculiarity of our business in an earthquake that
14 it would have that potential. If we can, more fortively
15 look at whether we have a common failure, then we have
16 a handle on safety rather than just licensing conditions.

17 MR. SEISS: We can take JESSE just as
18 long as your probability isn't too high.

19 MR. EBERSOLE: Yeah.

20 MR. SEISS: After all, that's how we get to
21 the core melts probability that we do by having multiple
22 rate.

23 MR. EBERSOLE: I have never heard yet whether
24 I have got two critical types on the same hangars here.

25 MR. BENDER: Yes. You may have made the point

BH
NRC-72
T-1

1 clear is only whether two pipe benders performing the
2 same type of function.

3 MR. EBERSOLE: But not necessarily a specific
4 function. putting them one place in the service order,
5 and another in

6 MR. BENDER: Well, they would have to be
7 prepared. / ~~in~~ such a way that they lose their
8 function. We could have a lot of pipe failures and it
9 would not make a damn bit of difference.

10 MR. EBERSOLE: You are quite right.

11 MR. MICHELSON: I need a clarification on the
12 previous reply. It is my understanding that from time
13 to time the staff has granted a certain amount of relief
14 on type break, so that now you only break at certain
15 locations, and they are rather minimal, in some cases
16 particularly on the primary system, so that you didn't
17 have so many jet infringements to worry about, and so
18 forth. So, I don't think that the statement that Jesse
19 made that you replied to is quite correct. You can't
20 take a break anywhere. You can only take it at certain
21 periods of the primary system.

22 I am wondering the relationship of those
23 primary locations to the additional stress problems that
24 we might be having at Diablo. So, clarify for me the fact
25 that if you are taking breaks anywhere, and you are

BH
NRC-72
T-1

1 limiting
rather / the break locations.

2 MR. BOSNAK: You may be thinking about the
3 leak before break situation, and then again you may be
4 thinking about there are finite breaks in the primary
5 loop. In fact, there are eleven. The eleven breaks
6 do cover a spectrum of positions along the loop. Not,
7 necessarily ever point. But, you do get a recovery.
8 Thinking of where the staff is heading, heading to
9 leak before break, which would, in fact say that in these
10 systems, and we have looked at it based on seis mechanic
11 techniques, we are not going to get breaks. Here in
12 Diablo Canyon, they haven't gone to the use of that kind
13 of criteria. They have stayed with the eleven postu-
14 lated breaks with the high foot restraints that are
15 located to take care of the effects of those breaks.

16 So, those are included in the analysis of the
17 system. In other words, that loca and SSE are combined.

18 MR. MICHELSON: Does that mean that you are
19 technically intermediate point breaks, as well as the
20 anchor point breaks?

21 MR. BOSNAK: That's correct.

22 MR. MICHELSON: , for pipe break analysis
23 program purposes, you always include the anchor point
24 for at least one intermediate point on that stretch?

25 MR. BOSNAK: That's correct. They have at

BH
NRC-72
T-1

1 least one, in most cases there are two.

2 MR. MICHELSON: You brought up a INAUDIBLE.
3 We need to clarify the question on leak before
4 break, the idea being that you have got express rise
5 that somewhere started to crack and started to leak.
6 If you start adding to this through a seismic distur-
7 bance, are you going to see a leak before a break on
8 the case of the seismic conditions.

9 MR. BOSNAK: Well, again/with the largest ^{the fracture mechanics} tell us
10 supplied bending moment we are talking about a seismic
11 moment, we are not going to get a complete rupture.
12 BUT, there is going to be leakage, and if that occurred
13 during a seismic event, you would of course have the
14 plant shut down and you would be able to determine one
15 way or another that you do have cracks in those lines
16 and you do have a certain amount of leakage. I don't
17 know if that answered your question.

18 MR. MICHELSON: I'm quite sure that it does.

19 MR. SEISS: Do these criteria apply to Diablo
20 at all.

21 MR. BOSNAK: No. They do not. Because Mr.
22 Michaelson was getting towards....

23 MR. SEISS: They haven't applied to anybody
24 so far, have they?

25 BH
NRC-72
T-1

1 MR. MICHELSON: The problem is that it is a kind
2 of further extension of how leak before break theory is
3 and now we are saying that it may still be good even
4 though the break is being introduced by a seismic event
5 rather than just by a normal ^{corosion} / phonomenum, or
6 whatever.

7 MR. SEISS: Break is induced by stress, and
8 the stues that were made included seismic.

9 MR. BOSNAK: That's correct. Those are the
10 limiting betting moments that produce the cracks. Even
11 those, with that amount of stress could not run. In
12 other words, they do not become unstable. The first
13 plant to ask for that extension, I believe, was Comanche
14 Peak.

15 MR. SEISS: Okay. Dick. I gather that you
16 are going to want to go through the seven, eight, nine
17 items on that first viewgraph of yours.

18 MR. VOLLMER: Yes.

19 MR. SEISS: One by one in relation to licen-
20 sing criteria, etc. and that nothing that we have said
21 is likely to change the nature of those presentations.

22 MR. VOLLMER: It may have changed the duration
23 we could speed them up a little bit.

24 MR. SEISS: I think it would be wise to speed
25 them up and allow more time for questions. How long do

BH
NRC-72
T-1

1 you expect that to take?

2 MR. VOLLMER: I think the presentations with-
3 out questions would generally average about five minutes
4 a piece.

5 MR. SEISS: Okay. I think we ought to go
6 ahead on that basis for a while. But, first lets think
7 about getting a break.

8 (Brief recess.)

9 MR. SEISS: Mr. Etherington has another
10 question that he wanted to ask before we get started.

11 MR. ETHERINGTON: I thought that
12 I understood the grade criteria, but I wanted to be
13 quite sure. I understood the full break criteria re-
14 mains at least the same not under normal loads that
15 before it would ^{break} on the FSE loads. Is that correct?

16 MR. BOSNAK: Yes. That is correct.

17 MR. VOLLMER: Okay. I would like to call
18 upon K. Manoly, inspector for Region one for a brief
19 presentation of license condition one.

20 MR. MANOLY: My name is K. Manoly from
21 Region one. Originally here, in the technical programs
22 and with the peer group on presentations to get some
23 kind of perspective kind of result, but on this review
24 My central was the recent draft with
work./ production / the review of/ respect to findings
25 which would have resulted on allegations and

BH
NRC-72
T-1&2

1 inspection findings related to our QA problems, staff
2 training, control problems, designing problems and NRC
3 had / extended the a view which looked at some of the rod work
4 that we have done offside and a hardened percentage
5 of errors in the calculation process, more than you had
6 expected. And, I had inspection on all sites when the
7 slag steps went through the / ^{struedel board} supports for evalu-
8 ation and that was the first charge. He started going
9 through the process of the small board. At that time,
10 we were going to do a small sample of the preview order.
11 The findings are, it was in the calculation of the upper
12 modeling and the technical problems and the seismic
13 decisions were not as expected / ^{to be} and with that, the review
14 group was / ^{formed to} to the meeting in San Francisco, and
15 then with a site tour and we looked at the supports
16 there and that was the, that led to the licensing con-
17 ditions that we were about to address. I think every-
18 body has seen the party of operating license. The first
19 response we have is from PG&E under activities and sum-
20 maries on the license conditions one, we have got on ^{7/1}
21 April 27 and followed up with a meeting with
22 PG&E to notify their response and make it the same way
23 that we meant it to be. And, the major issue is that
24 for license condition one for the GOD (ph)
25 /all the small board supports for license conditions stand
up to the major differences in understanding the license
conditions. We have perceived that as only 50% and

BH
NRC-72

T-2

FREE STATE REPORTING INC.

Court Reporting • Depositions

D.C. Area 261-1902 • Balt. & Annap. 269-6236

1 application was made and they decided that they are
2 going to go with the rest of the percent.

3 Going back, we have two audits at PG&E office,
4 Bechtel office in San Francisco. First audit ^{was} / myself and
5 Dr. Hartzman and following that had another audit with
6 Dr. Hartzman and myself and BETAC consultants. We
7 looked at a sample of the small-book agnations with a
8 twenty one in both audits. Twenty one small calcula-
9 tions. That was a simple one hundred and ninety one ^{supports.}/
10 that were ^{reviewed} / ^{Bechtel} at the / office. I would like to review
11 I have a slide here that reviews the design criteria for
12 small and large bore supports. And it gives three in-
13 structions to give the specifics of this licensing
14 condition, like structure I55 -- and I68
15 for addressing certain number of efficient properties
16 in the store analysis which we felt there was the lack
17 of by our standards. That is the instruction of my
18 request, and we also include evaluation request of
19 condition seven and we have instructions for that.

20 MR. BENDER: If you will excuse me a moment,
21 I'd like to have some clarification. ^{These instructions,} / If they had not
22 been put out, would the things that are required in
23 those instructions have been dropped.

24 MR. MANOLY: Well, the instructions made the
25 designers do it in a more uniform way. A more system-

BH
NRC-72
T-2

1 matic way. A lot of times I don't have as many in-
2 structions as how we do a review of pipe support
3 calculations. There is criteria, and that is really
4 the binding document.

5 MR. BENDER: So now there is uniformity in
6 the analysis of the methods. That uniformity has been
7 universally applied to all the piping systems that are
8 involved.

9 MR. MANOLY: They are the small bore supports.
10 This is with the review^{process} of the small bore supports.

11 MR. BENDER: Is it true / ^{that with} the small bore
12 supports. Now, they have been uniformly analyzed in
13 this way.

14 MR. MANOLY: THAT's correct. Well in the / ^{former}
15 review, what happened was the design checked out on the
16 review at our own sites. The test at San Francisco was
17 another round of doing the reviewing and checking and
18 reviewing.

19 MR. BENDER: It is 100% review.

20 MR. MANOLY: Around 100% review from my
21 understanding, yes. You have a 57 support.

22 MR. BENDER: Thank you.

23 MR. EBERSOLE: Let me ask you a question about
24 the Okinawa/ ^{steel beam} supports. In the seismic event, do you
25 examine lets say, take two critical factors. Did you

BH 25
NRC-72
T-2

1 examine the degree of failure that is acceptable. For
2 instance, can one han^{ger} out of X-hanger fail.

3 MR. MANOLY: No. We don't review/ ^{it} in that
4 direction.

5 MR. EBERSOLE: Is that to say that if one
6 hanger fails that both of those pipe^s will come down?

7 MR. MANOLY: First all of the materials with
8 regard to supports, the fail criteria is not really not
9 by piping. Suppose a design to lower levels piping

10 Piping is designed sometimes on a/point to see
concentration

11 (inaudible) So, of course, you
12 limit yourself in the A/C allowable 1.63 exit v.
13 So, that can sometimes only to yield stress.

14 MR. EBERSOLE: I'm with the idea of systematic
15 context.

16 MR. MANOLY: Even single support failure for
17 seismic is not very likely. Because, you limit your
18 stress to a much lower limit than for (inaudible)

19 MR. EBERSOLE: SO, your thrust is to handle
20 no failures?

21 MR. MANOLY: With supports, yes.

22 MR. EBERSOLE: And then, when you have margin
23 for failure which are quite high.

24 MR. MANOLY: I think our margin for supports
25 is much higher than the margins ⁱⁿ /piping.

BH
NRC-72
T-2

1 MR. EBERSOLE: This includes the anchors into
2 the concrete.

3 MR. MANOLY: That's correct. They are all
4 designed to the same criteria.

5 MR. EBERSOLE: But, you do permit concurrent
6 or going to the hanging of critical pipes. Critical
7 to a single function on a single hanger.

8 MR. KNIGHT: If I may. I think that it is a
9 little unfair to ask that of Mr. Manoly. I think, I
10 may be underestimating him as to his length of knowlege
11 but all of the people here today, there expertise lies
12 in design or explicit design requirements for piping
13 and hang rs and questions like should we go for great-
14 er separation of redundant systems and this type of
15 thing.

16 MR. EBERSOLE: We can't deal with expersuion
17 of functions. We have got to...

18 MR. KNIGHT: Not to any great length.

19 MR. BENDER: You might try this line of
20 thought for a minute. Can we say with reasonable con-
21 fidence that pipe hangars have been looked at and de-
22 signed in such a way that the likelihood of failure
23 to the piping is a result of pipe hanger behavior. is in
24 / greater in this plant than in others where the seismic
design/ MR. KNIGHT: Yes. I think that is our goal.
requirements are lower.

25 MR. BENDER: I think that might be a better

BH 25
NRC-72
T-2

1 way of addressing the point.

2 MR. MICHELSON: You said that the hanger ex-
3 amination included the anchor bolting. How far back do
4 you go? Do you go all the way back to the concrete and
5 start with that, since that is obviously that's the
6 thing that is anchoring the bolts.

7 MR. MANOLY: Well, the boundary of the supports
8 is the / ^{base point} in the bolts.

9 MR. MICHELSON: Who checks the concrete, and
10 the concrete anchoring.

11 MR. MANOLY: Normally, the loads from pipe
12 supports as building in the supports has given to the
13 several instruction role. Part of your total audit, did
14 you ever go back and look at the integrity of the quality
15 dampering. Has anybody looked at the integrity of the
16 concrete anchoring.

17 MR. KNIGHT: If I may. First of all, its a
18 part of nominal review. BUt, as it occurred, here at
19 Diablo Canyon there are additional allegations that had
20 to do with anchor bolts and concrete, and just last week
21 as a matter of fact we had a following on an allegation
22 We had yet another task group in the field looking at
23 that very question, the criteria used for the anchor
24 bolt and the installation procedures. There were some
25 questions about since there are such a large number of

BH 25
NRC-72
T-2

1 supports at a proximity of bolts on any given wall, one
2 coming from one side, one coming from another, and we
3 audited a manner of which was being sure that the load-
4 ing was being fed back to the civil structure so we
5 could look at it from that standpoint. /^{We are}In the process
6 of writing that up I can refer characterization now,
7 that we are satisfied that is done through this process.

8 MR. KNIGHT: If I might add, if some questions
9 about what we did during the course of this last weeks
10 audit, we have Harold / (inaudible) from the structural en-
11 gineering branch here who led that. / There were some
12 specific questions about the content of that matter and
13 the extent of it we can ask others.

14 MR. MICHELSON: Well, it might be a very
15 general question, did you find anything unusual or of
16 concern?

17 MR. KNIGHT: No. After looking at their in-
18 stallation procedures and their repair procedure/^swe
19 found nothing that concerned us very much.

20 MR. MANOLY: I jump on the slide that deals
21 with the twenty one supports that we have done and the two
22 audits we have done in the PG&E office.
23 We also looked at the / ^{technical actions (ph)} that we felt that were
24 not really part of the licensing condtion seven. The
25 sample of which is (inaudible)

BH
NRC-72
T-2

1 computation of the pipemost would be -- special/
 2 analysis to show the frequency of the supports, and u-bolt
 3 analysis of high temperatures and the/ (inaudible) in
 4 terms of the / analysis because it was not an under-
 5 standing on how does it work/ and we got that part
 6 All that stuff was not part of lisenca/ but we felt
 7 that we had to cover them here as you responded to our
 8 question. Our findings, are basically built on some
 9 sample of judgements sometimes are not well supplied.
 10 That issue is really very tricky because judgement is/ usually
 11 dependant on the experience of the, person who did the calculation.
 12 People have done it many years/ usually still things are clear
 13 and that is where it starts. If someone is not constant-
 14 ly involved with a problem we must feel that everything
 15 should be specified so that it is a very gray area.
 16 What is judgement and what is not judgement. I believe
 17 that reference should be made to extracting numbers from
 18 other documents. Reference to textbooks and other
 19 documents used and
 20 Some people want every step of the way explained in a
 21 sentence. I believe that when -- makes his judgement
 22 he should document that. So, it is but if anything that
 23 had impact on the calculation. A lot of things were
 24 made to some calculation errors and still that was all
 25 the error was -. It was a big word depending on how you

BH 25
 NRC-72
 T-2

1 when you are doing pipe supports and you look at the
 2 motions and sometimes there is a lot of mixed changes
 3 two here is not going to make a difference.
 4 and dimensions because an inch or/ Now, we have to
 5 realize that some of these have done this for many years
 6 so they have a feel for it, what kind of answer are they
 7 going to get so. If a (inaudible) knows a fraction of
 8 an inch or two and then you look at the final results in
 9 a calculation package.

10 The one that we have seen in the central test
 11 audit that were this, the calculation errors were there
 12 didn't seem to make much difference in the numbers.

13 Re
 14 /Doing this thing is (inaudible)

15 There was, PG&E reported that they had done
 16 the last complex screens in the last two or three weeks,
 17 where the angle sections
 18 and they have found that three cases/ the supports have
 19 exceeded the criteria limits. The left L/T ratio
 20 exceeds the inertia limits and they were asked to,
 21 I tend to think but they were requested
 22 meet support
 23 to / the criteria and the modify the / to cut down
 24 trace glen/^(ph) That was done. Coefficient of angles
 25 (inaudible)
 26 and/ had to do with the papers --

27 MR. EBERSOLE: Let me ask this. Does this
 28 suggest that the degree of definition required by the
 29 typical code is just simply too sharp, that there are
 30 not enough listeners in it to prevent a good sense of

BH
 NRC-72
 T-2

1 reason. That the code will send out errors, print out
2 errors when, in fact, they have no significance.

3 MR. MANOLY: Well. Which code are you refer-
4 ring to?

5 MR. EBERSOLE: The / ^{stress} analysis code.

6 MR. MANOLY: Right.

7 MR. EBERSOLE: They don't prevent the degrees
8 of difference which are entirely reasonable.

9 MR. MANOLY: Well when you are modeling / ^{something --}

10 MR. EBERSOLE: I'm saying, is that one of the
11 weaknesses in the modeling process?

12 MR. MALOLY: That's probably true. I mean
13 things, you will find the people who look at supports
14 they can look at the drawing and think it is going to
15 make it.

16 MR. EBERSOLE: So then, they throw out the
17 whole rules of errors? They are not errors?

18 MR. SEISS: If you are talking about AISC
19 code as it is supplied to other steel structures that
20 that ^{nuclear} are/. It intends a great deal on the experience of
21 judgement of the engineering.

22 The NRC doesn't interpret codes the same way
23 that building officials do.

24 MR. EBERSOLE: And this causes some confusion
25 here. Are we talking about computational / ^{modeling} I think
that's what I wanted. you have suggested that the

BH
NRC-72
T-2

1 models are too tight.

2 MR. MANOLY: The models are / ^{mathematically} not on the
3 program.

4 MR. EBERSOLE: You can pick mathematical
5 models and have it gear to listen. You know, ask him
6 if we are dealing with paper problems or real problems.

7 MR. MANOLY: No. Well. It is still very
8 much of an experience. Sometimes, you don't need to
9 make a computer analysis to judge a support to be
10 adequate. But, if you are not doing it every day, you
11 want to see a document that shows that this support is
12 something adequate. That is what we are looking for.
13 We don't, without expecting that everyone reviewing this
14 had one years experience with price supports, that
15 someone can follow through it and make some sense out
16 of it. So those three cases were the annual licensing,
17 excuse me, criteria limit. -- modified the support, I
18 think that even if this thing had gone on undiscovered
19 would not have gone on undetected.

20 MR. EBERSOLE: Those three were three out of
21 all the cases that I think you said that it was 100%.
22 Only three were found.

23 MR. MANOLY: Yes that is correct. We did
24 not audit that particular, because that was done in the
25 labratory through the review process.

MR. BENDER: Can I interpret from what was

1 MR. SEISS: Did anybody analyze it with the..

2 MR. MANOLY: I think that was PG & E
3 argument but they went ahead of the change anyway
4 because the proctillium is limited to a...

5 MR. SEISS: You are gonna change it to --
6 OK. That concludes your....

7 MR. MANOLY: One.. I guess we'll make a
8 finding when we ask P&G to address was the constriction
9 of the seizmic support -- citation on supports them-
10 selves. We are concerned with some supports and ignore
11 the others. And we asked them to address that and it
12 becomes significant when you have heavy supports
13 expecially if the large frame supports when you have
14 multiple pipes hanging from the same supports.

15 MR. SEISS: You sure they have become
16 significant. Have analysis been made to show a
17 significant or..

18 MR. MANOLY: I think that's judgment too.
19 We felt that they should address it and they....

20 MR. SEISS: I understand that but that's
21 not the same thing as saying it's significant.

22 MR. MANOLY: Well, if you have a large
23 frame and the support is up to the limits then you
24 have a large exertation load on the support itself
25 then your going to overstress the support.

1 MR. SEISS: As I recall, I saw some plots of
2 stresses verses frequency and there were very very few
3 where the stresses were up to the limit.

4 MR. MANOLY: That's probably true.

5 MR. SEISS: OK, this requires both that it be
6 a heavy support that could generate large inertia
7 forces and that the stresses be close to the limit.

8 MR. MANOLY: Well, you have to realize that
9 to appeal to the large supports usually you are talking
10 about large frame type structures. If you have a hangar
11 or a spring can that's not done by computer. As far
12 as I know that is done by hand calculation.

13 MR. SEISS: I couldn't care less whether it
14 is done by computer or by hand calculation and I don't
15 think it is going to know the difference when the
16 earthquake hits.

17 MR. MANOLY: That's true but there's not
18 much of a structure there, not much of a mass.

19 MR. SEISS: OK

20 MR. MANOLY: And I guess in conclusion that
21 the --samples reviewed the supports would be able to
22 stand the undisputed loads as we see them in the pact
23 stress analysis.

24 MR. SEISS: Thank you.

25 MR. BENDER: We are trying to show by --

1 Carl go ahead.

2 MR. SEISS: Yes, just a question. I am
3 still puzzling over the question of the anchorage.
4 What are the margins of safety for anchorage verses
5 the margins that go with the steel portions?

6 MR. MANOLY: OK, I can answer the question.
7 For which type anchorage, you have a number 64 for
8 shell type you have a number 65. That's further load
9 to the Diablo load.

10 MR. BENDER: Would you repeat that. I don't..

11 MR. MANOLY: Which type anchorage?

12 MR. SEISS: Which type anchorage? Wedge
13 type anchorage. Wedge is about 4.

14 MR. MANOLY: Shell type is about 5.

15 MR. SEISS: 5. That's a nominal and they
16 are very variable, that's one reason we prize them.

17 MR. BENDER: So someone hired them back in
18 70?

19 MR. MANOLY: That's correct.

20 MR. SEISS: We have a copy now of the two
21 letters from Mr. Yin. One is a draft form, neither
22 is dated so I don't know exactly the status. Addressing
23 certain questions in the Diablo review group basically.
24 I assume you have those.

25 MR. BENDER: We have the first of those

1 that included license conditions except for license
2 conditions two and three. We got the second draft
3 which include license condition two and three this
4 morning.

5 MR. SEISS: The committee members have these
6 now and I would suggest that we begin with any of the
7 concerns, item by item as they come up, now some of
8 these are addressed to the pay review group. Now are
9 you prepared to respond to those that are addressed to
10 you? At least...

11 UNIDENTIFIED SPEAKER: Yes, at least the
12 ones we can.

13 MR. SEISS: Ok. Mr. Yin you want to come
14 up? How do you want to do it?

15 MR. YIN: Mr. Chairman and members of the
16 H.R.S.. My specific question is related to the --
17 condition, Item I. Following. First subsequent to
18 the DCB, Diablo Canyon Board of Review of/or computer
19 -- small piping supports. How many among the 358
20 total population will require hardware adjustment
21 modification or rework? I think the question is
22 important. This question as I recall, has been asked
23 by the H.R.S. previously and has not been addressed
24 by the Staff and this will give us a little bit
25 perspective on whether or not we are talking about

1 hardware problems or talking about paper problems.
2 A second question I have address is the conduction
3 with concern about with hardware change. How many
4 were unable to meet the code and especially our
5 requirements after the first rerun of the computer
6 or perhaps hand calculations. This supports require
7 alternative or additional computation effort in order
8 to meet the design criteria. The reason for me to
9 address the question is I would like to know is the
10 licensee's attitude trying to make themselves look
11 good by sharpening up the pencil rather than include
12 the safety of supports. So this is basically my
13 motive in asking the second question.

14 MR. MANOLY: Could I ask which one, before
15 we run out of time, which one is dead weight.

16 UNIDENTIFIED SPEAKER: Surely.

17 UNIDENTIFIED SPEAKER: Let me interject here
18 first of all, I've could Mr. Manoly just answer the
19 question whether or not the design criteria were met.
20 I don't think it's a point of trying to get into any-
21 thing doing with licensee's motives or anything like
22 that, please...

23 MR. MANOLY: Answering the first question,
24 I believe there were three cases where the information
25 was slight where the support structural needed

1 modification and those are the ones that we just
2 talked about.

3 MR. SEISS: Those are the only three that
4 required hardware.

5 MR. MANOLY: That's correct.

6 MR. SEISS: Thank you.

7 MR. MANOLY: Answering to the second
8 question, it's unknown to me how many supports had to
9 be rerun more than once to be qualified and the number
10 of computer runs that were required to qualify
11 supports in modular situations to the support meeting
12 the criteria, the criteria limits and against the --
13 analysis ...

14 MR. SEISS: Mr. Bender.

15 MR. BENDER: Why would you want to rerun
16 a computer analysis? What happens to make this
17 necessary. I heard you say earlier that in the analysis
18 when once you had applied the uniform design criteria
19 or whatever you want to call those things that all of
20 the analysis came within the acceptable limits. Now,
21 you could probably do that by finagling the model
22 somewhat, but I'm sort of interested in the finagling
23 that goes on. What kind of adjustments are made in the
24 model?

25 MR. MANOLY: I don't know the specifics in

1 this case. I really don't know what kind of...

2 MR. SEISS: I don't mean to interrupt. In
3 previous discussions we were given examples, I believe
4 whether they are completely applicable here, I don't
5 know. I believe one example was that that was soon to
6 be intended the first run through. Of course, that was
7 a conservative assumption and if that did not meet
8 the criteria then they made a more realistic assumptions
9 regarding the degree of fixity at the end of a rerun.

10 MR. BENDER: Is that the procedure that is
11 being used? It seems to me that you should be able to
12 tell us whether these kinds of changes in the modeling
13 approach, which are reasonable, I mean that's not a
14 bad price to start with a rigid model and see what
15 happens and then adjust it if that turns out to be too
16 conservative and you know it's unrealistic, but I think
17 from the standpoint of understanding what is being done
18 it would be good to know what the modeling procedure is.

19 MR. MANOLY: My knowledge of the last group of
20 supports reviewed by P&G is from the transmittal of
21 NRC. When we audited the P&G office twice they had
22 completed 191 supports out of the 370 of the total
23 population. My guess is true that up to 191 there was
24 no modification made to those supports. The modification
25 was done in the last batch. Which one of those that

1 require a rerun, I don't know the total number. All
2 I am saying is the rerun is sometimes... I give you
3 example of case where...

4 MR. BENDER: Let me try this. The licensee
5 has a number.

6 MR. SEISS: You may ask your question from
7 the people from TT&E if you wish.

8 MR. BENDER: Well, that was what I was going
9 to try to do. If the licensee has a number of people
10 here that have been involved in the modeling approach.
11 Could they clarify the question for me?

12 MR. SEISS: Yes, certainly. Larry Shipley

13 MR. SHIPLEY: I understand the question is
14 that, why would we need to redo a computer analysis
15 that had previously been done?

16 MR. SEISS: No it is not quite that. It is
17 if you do it, well, alright it is. If you're doing it,
18 why are you doing it, and what's the logic to it.

19 MR. SHIPLEY: If you were, in many cases
20 as Mr. Manoly stated, Mr. Manoly stated that there were
21 assumptions made by the designer that he felt were
22 perfectly justified and therefore did not feel that
23 documentation of that judgment was necessary. When it
24 was reviewed in San Francisco, it was felt that complete
25 justification for each and every modeling attribute
was necessary for this final review and in many cases

1 where for example, we felt that we're being insignifi-
2 cant, we ~~did~~^{none}-the-less went through the calcualtions
3 to show that it was insignificant. Where we felt that
4 memberexentricities had differences in shear sides of
5 connected angles.

6 MR. SEISS: That's not the issue. The issue
7 was that analysis that did not meet the criteria and
8 had to be rerun in order to meet the criteria, meet
9 the total allowables, not analysis of the rerun to
10 take into account the additional factors. It is
11 something where the analysis showed it did not meet
12 the code allowables and is rerun. The first question
13 is how many of the small bore piping analysees were
14 unable to meet the code in FSAAR requirements and the
15 first rerun in the computer and required some alternative
16 or additional computation effort in order to meet the
17 design criteria.

18 MR. SHIPLEY: I am afraid that we didn't
19 deep any statistics and I guess I couldn't even hazard
20 a guess on that number. We reran, recomputer analized
21 the support to incorporate the licensing conditions
22 where it was necessary we reran the screwal calculations
23 where it was not necessary, we justified with previously
24 existed. I am afraid I don't have the statistic on how
25 many.

1 MR. BENDER: I think you are quite. We
2 have two sets of questions here and I think that is the
3 problem. The question was not numerical having to do
4 with how many, it had to do with how you changed the
5 modeling assumptions. If the initial analysis shows
6 that the stresses were too high and sometimes that is
7 done by the cost of... The cost is arbitrarily fixed
8 and that is a very conservative condition but you know
9 that it is maybe not as rigid as you originally assumed
10 and you want to adjust the model to allow for more
11 realistic condition, what is the procedure? Can you
12 describe it in a way that we can understand?

13 MR. SHIPLEY: Yes, I believe so. We would
14 when we got a computer output that indicated an over-
15 stress or overloading condition we would look at the
16 model to see if there was any excessive conservatism
17 in the model. An example of that might be that, might
18 be a case where we had taken the excentricities of
19 connected angles at the centroids where in actuality
20 it is really the / ^{sheer} center difference which were angles
21 that are connected plant to plant is very small and we
22 would use rigid links rather than in in order to get it
23 to a sheer center difference such as the torregan that
24 was put into an angle when it is in reality what exists
25 not a conservative computer model. In some cases we

1 would use when we were evaluating the public capability
2 of members we would use a very conservative K value
3 and if it showed that the buckling load was exceeded
4 we would go back and realistically look at the end
5 connection to determine what a proper value would be.
6 Many things were done along those lines in order to
7 develop a more realistic model and a more realistic
8 representation of the actual support.

9 MR. BENDER: I think that clarifies most
10 of the question. Let me pursue one just one step further.
11 The structure is described on paper and it also exists
12 out in the field. The last time we discussed the
13 subject there was some discussion as to whether the
14 paper analysis, paper description and the physical
15 being in the field matched. Can you tell us anything
16 about how that issue was treated and analytical problem.

17 MR. SHIPLEY: Yes sir. The file has no
18 drawing was obtained and used in the evaluation for
19 correctness in the computer model and the file evaluation
20 was a comparison of the computer analysis to the
21 Astoral (ph) drawing.

22 MR. SEISS: The Astoral (ph) drawing?

23 MR. SHIPLEY: Yes sir.

24 MR. SEISS: Thank you.

25 MR. SEISS: Are there any other questions
on this particular item?

1 MR. YIN: My first -- just mentioned, when
2 he reviewed 191 supports and there was three modifications
3 so in fact...

4 MR. MANOLY: No, there were three modificat-
5 ions after 191.

6 MR. YIN: Alright, so my question maybe I
7 didn't make it clear here so 358 you only reviewed
8 a certain stage, you have not really reviewed when the
9 job is finished. So, you don't really know how many
10 it is going to take.

11 MR. MANOLY: No, they... I am basing what
12 P & G has told us that there is 357 supports that could
13 be computerized and 3 or 4 modifications. That is
14 they're letter up on the screen.

15 MR. YIN: But my question is do we want to
16 know how many changes were required after the completion
17 of the...

18 MR. SEISS: You were just told three. He
19 answered your question. The answer to your question
20 is three.

21 MR. YIN: OK that is assuming he is telling
22 the truth.

23 MR. SEISS: Three out of 358.

24 MR. YIN: My question sir, is how many
25 among the 358 of the population will require hardware

1 adjustment modification or rework.

2 MR. SEISS: As I understand it it is 3.

3 MR. YIN: Maybe I don't understand the
4 question.

5 MR. SEISS: The answer is 3. Go on to the
6 third question.

7 MR. YIN: OK, Thank you.

8 MR. YIN: The third question is the P.R.
9 Review panel. PRP, identified open on-sight --
10 enterin design judgment presumably we are talking
11 about design basis and criteria. It was not documented
12 in some of the confirmations. What PRP action if any
13 was initiated to determine that there were just a few
14 isolated cases. If the situation was determined to
15 be generic, was there any license program upgrade and
16 dated by the PRP.

17 MR. MANOLY: The P. R. Review panel --
18 that this is our judgments were few were based on the
19 following: (1) is that the percentage is low. And
20 number 2 is that these, the judgments were made.
21 Supports have had ample design margin so really it
22 wasn't much of an issue. Number 3 which I mentioned
23 earlier, the significance of the design judgment
24 depends in many cases on the background of the indepen-
25 dant reviewer. Some of the obvious conclusions to

1 experienced support engineers are not so obvious to
2 someone outside or... You know that doesn't really get
3 into the nitty gritty of doing them and thats where
4 why sometimes depending upon the explosion of the
5 -- supports and you will call it if it needs to be
6 documented or not. But there are obvious things that
7 need to be documented, things like where did the load
8 come from, the references, some calculation is not made
9 the design should state by judgment is not acceptable.
10 Checker has to review that and the reviewer has to deal
11 with that. There will always be a question really
12 what is a design judgment and it is a gray area. It is
13 a gray area and based on the sample that we looked at,
14 the judgments were a problem...

15 MR. YIN: Well, when you say -- is low, how
16 many among the total number that you have determined
17 there's a problem?

18 MR. MANOLY: I don't recall the exact number,
19 all I am really saying that even among our group we
20 had five individuals, myself and Dr. Huntsman and three
21 others people from each section and someone thought
22 that they should have been written up, someone thought
23 that it has to be written up so... -- I don't think
24 that it was anything of any significance that we felt
25 that had to be redone. Naturally, the thrust of my

1 statement.

2 MR. SEISS: I don't think that the
3 percentage is important and if you had found that these
4 things are a large number of issues but in each case
5 in your judgment the design judgment was adequate, like
6 the more cases you found where you agreed with the
7 designer judgment, the stronger your case would be with
8 it.

9 MR. MANOLY: That's very true.

10 MR. SEISS: So I don't think though that
11 three or three hundred really, in fact, I think if it
12 had been three hundred instances and you agreed with
13 all of them that would be an even stronger case that
14 the designer is doing a pretty good job. So I don't
15 know that the percentage is an issue. Mike.

16 MR. BENDER: I wanted to ask Isa a question.
17 I gather you have done some of these analyses yourself
18 in the past. What's your normal procedure? What would
19 the normal procedure of a designer be in trying to make
20 assumptions like this?

21 MR. YIN: If you read the specific question
22 the design judgment presumably talking about the design
23 basis and criteria, I am not talking, if my question is
24 not quite right, please tell me so.

25 MR. SEISS: Your telling us what your talking

FREE STATE REPORTING INC.

Court Reporting • Depositions
D.C. Area 261-1902 • Balt. & Annap. 269-6236

1 about.

2 MR. YIN: That's right. I I

3 MR. SEISS: You know me, everything is fine.
4 Your are the one who wanted to ask the questions. You
5 can ask the question but we have gotten an answer.
6 The review group looked at it and they didn't find
7 any cases where they disagreed and once they discussed
8 it with the designer, is that right?

9 MR. MANOLY: We interviewed some designers
10 as we were doing the audit and a quite number of them
11 and we wanted to see how many of them understand what
12 they are doing.

13 MR. BENDER: Well, the point I am trying to
14 raise I would again, it is not really a point so much
15 as a clarification. All of the discussion like
16 suggested, maybe the review process is such that and
17 I think it is, I think we need to know why and I am not
18 sure right now that I have a feeling that it is suspect
19 or that you necessarily think so, but the tone suggests
20 and I would like to know whether that....

21 MR. YIN: Well, the statement in the PR
22 Review Panel's conclusion is so weak and so general that
23 how can any judgment will be concluded saying that the
24 design judgment is acceptable where we don't have any
25 specifics to view it.

1 MR. BENDER: You don't trust this review
2 group. You would like to see the specifics of each
3 of the instances.

4 MR. YIN: Yes. I don't trust it.

5 MR. SEISS: I think that's clear. Chet.

6 UNIDENTIFIED SPEAKER: I think that there
7 is a missing link here. Certainly for the distant
8 record and time is that the judgmental inputs are
9 not on record and there will always be a void. You
10 have to go back to somebody who is alive and breathing
11 to get a decision.

12 UNIDENTIFIED SPEAKER: Why aren't these
13 judgments, in fact, themselves a documented input as
14 to what occurs after the judgment is made.

15 MR. SEISS: Maybe these are pin connected
16 maybe they are not pin con.. whatever the hell they are.

17 MR. SEISS: Why are these not put on the
18 record so we can all see them?

19 UNIDENTIFIED SPEAKER: They were in most
20 cases, I think, but there were some instances where they
21 were not. Remember, this was a very...

22 UNIDENTIFIED SPEAKER: Are they now?

23 MR. MANOLY: What is the question?

24 MR. SEISS: Are the undocumented judgments
25 now documented?

FREE STATE REPORTING INC.

Court Reporting • Depositions
D.C. Area 261-1902 • Balt. & Annap. 269-6236

1 MR. MANOLY: When we requested that I
2 believe they are included, if we didn't request it
3 based on our agreements that the judgment was correct.
4 I don't imagine it...

5 MR. EBERSOLE: Well, I think if it is not
6 on the record. We don't have in fact a record of this
7 calculation.

8 MR. KNIGHT: I hear a great deal of mis-
9 communication going on, I think. I would like to take
10 a shot at it and then whoever correct me.

11 MR. SEISS: Give us a for instance Jim.

12 MR. KNIGHT: Well, maybe even before the
13 for instance, my understanding from the reading of the
14 review of the task force report and discussion with it's
15 members that in the vast majority of instances and I
16 do mean the vast a very big percentage. All of the
17 necessary information to understand what was done in
18 that amount in the package.

19 MR. MANOLY: That's correct.

20 MR. KNIGHT: The model shows whether it was
21 assumed it was pinned or fixed or whatever. The
22 relationships that were used were all there. We are
23 down and please correct me if I misspeak. I believe we
24 are down in the very, in the noise level of judgments
25 that were made and questions as to whether each and

1 every explicit thing that went through the mind of
2 the designer was shown there. Now clearly there are
3 things that are germaine to the doing of problems.
4 Some decisions are made that were germaine to doing
5 the problem but I think it is improvident to characterize
6 it as the kind of lack of information that would require
7 you to go back to square one if you looked at this
8 package 10 years from now. Now, correct me where I
9 have mis-spoken.

10 MR. MANOLY: No, I think you presented it
11 the way it is. Let me make an example here. The
12 dimensional support is 6 foot and 13/16 and the model
13 is 6 foot and 1/8 and the designer ignores the 3/16
14 and the stresses are low. He did say you know, I did
15 ignore the 3/16 because it was insignificant, my
16 judgment that he don't have to write that out and that
17 is just one example you know. Many things are done
18 and I don't expect that they are going to write all of
19 this kind of stuff. It would just be wasteing time.

20 MR. YIN: Are they all in that same category?

21 MR. MANOLY: Well, that is just one example
22 of what we saw. Let me give another example. That's
23 -- you brought up the question. The beta annual is
24 a big question.

25 MR. EBERSOLE: Well, is there some statement

FREE STATE REPORTING INC.

Court Reporting • Depositions
D.C. Area 261-1902 • Balt. & Annap. 269-6236

1 of the fact that a nominal rounding of numbers will be
2 accepted.

3 MR. MANOLY: I guess it is. I would buy that
4 myself and some might not accept that. I think my
5 bottom line is support can make it or not. Is it an
6 adequate design or not and there is a degree of details
7 I think is necessary as far as the criteria says and
8 the documents say. It is easy to the documents and
9 that is as far as I can ah...

10 MR. BFNDER: How much rounding off you do is
11 approximately how sensitive the analysees is to the
12 rounding off. So there is a lot of judgment that the
13 analyst has to put into this, the work and it is
14 hard to quible about that point. The issue is really
15 whether the rounding off has been to -- or not.

16 MR. YIN: Are we concerned about those. My
17 concern is design basis and criteria. We are worrying
18 about the off a couple of inches here and there and
19 rounding off decimal points. Are we trying to avoid the
20 issue or are we trying to fix it.

21 MR. ^{BENDER} SEISS: I think what I would like to know
22 from you, I asked earlier and I am going to try again.
23 What are the things that you say need to be defined by
24 the designers in order to do the analysis? Can you tell
25 us what they are so we can have a basis for judging

1 the validity of your criticism. I think that this is
2 a direct attack on what the review team has done.

3 MR. YIN: No sir, it is just a simple
4 question. If you are so determined and you are so
5 determined that the percentages are so low and so on,
6 we would like to know what they are and how low is low.

7 MR. SEISS: I think what Mr. Yin is concerned
8 about is that some of these judgments and they have
9 been very important judgments are not documented, not
10 minor judgments but let me ask the staff again. All of
11 these analyses were reviewed by the licensee and
12 whatever the judgments were made, documented or not,
13 the bottom line was that they were adequate, is that
14 correct?

15 MR. MANOLY: Based on the sample, I believe
16 they are right.

17 MR. SEISS: Now, did you find any undocumented
18 judgments that if they had been based differently,
19 would have affected the bottom line?

20 MR. MANOLY: No. Based on the sample that
21 we looked at.

22 MR. SEISS: And is there a choice of loads.

23 MR. MANOLY: The loads are, ok, let me give
24 you another example. When you go through the calculation
25 of central pipe supports you go through several revisions

1 of the same support and I think that is where the old
2 load happen to be higher than the new stress loads and
3 therefore, the designer did not change because they
4 were higher. That's a judgment and if you look and
5 compare the numbers are higher then you know that the
6 support stress is really lower than what they are but
7 they didn't want to make a rerun with the new....

8 MR. SEISS: Did you find any places where
9 the source of magnitude of the load was not documented.

10 MR. MANOLY: No, it is always in the
11 calculations brackett.

12 MR. SEISS: Were the criteria, the allowable
13 stresses, the element of P (ph), etc. was not documented.

14 MR. MANOLY: They have a specific item for...
15 They have a check list for the -- process consisting of
16 I don't know, 30 some questions, 30 some categories
17 and they have, and the review process has to go through
18 this process one by one. That's instruction I can
19 define.

20 MR. EBERSOLE: Is it fair to say that there
21 are no important undocumented judgments?

22 MR. MANOLY: That is correct.

23 MR. EBERSOLE: I want to add on what you said
24 you asked Mr. Manoly if the licensee had reviewed these
25 and I would like to remind the subcommittee that there

1 has also been a -- of extensive review done by the
2 due process sponsored by Teledyne plus additional
3 staff activities over the last couple years in addition
4 to what the peer review looked at. And all of these
5 you could say were in audit form done by the competent
6 capable angle of integrity and with the implication
7 that there is only one individual here has those
8 credentials and I think I look upon with favor. There
9 have been a lot of people look at this and taking
10 generically the whole problems, looking for problems,
11 looking for generic problems and the peer review group
12 only focused only on very specific conditions as you
13 pointed out at the beginning of the meeting and were
14 part of the -- license.

15
16 (End of tape)
17
18
19
20
21
22
23
24
25

1 MR. YIN: I have considered this issue. The reason
2 for us to ask the licensee to review 100 percent of all the
3 computer analyzed small bore calculation for the supports is
4 the fact they are a large percentage of design judgment has
5 not been prescribed in the design calculation and when we
6 first reviewed those packages this comes as a surprise to me
7 that this same situation still persists even after the program
8 effort.

9 MR. MANOLY: Isa, let me answer this question. I
10 think you had a fair statement that the check list in R-65
11 covers these kinds of important concerns that you are refer-
12 ring to because a lot of these things were not addressed
13 before as in R-65 now and now the systematics of the engineer
14 and the checker and the reviewer would go systematically
15 through this list and hit all the significant, so anything
16 that -- falls out of that we felt was insignificant.

17 And some of the stuff that you talked to me about
18 was not there and I think that's covered and that's why we
19 had a lot of discussions with the P and G to address all this
20 concerns in the instruction sheet so it would cover all
21 bases. An example, the self -- excitations might affect the
22 supports, but we insisted in having done just to, to have the
23 uniformity there.

24 So everything I see a judgment I think was addressed
25 in that instruction of significance.

PCC
NRC-72
T-3
1

1 MR. YIN: Number 4, PRP identified calculation of
2 efficiencies consisting of erroneous strudel input assump-
3 tions of structural member properties and geometry. Was
4 there a license, was there a licensee procedure that in-
5 cluded quantitative or qualitative acceptance criteria for
6 accepting this kind of deficiencies? If not, what are the
7 GRP's criteria in determining that no further action is
8 required?

9 MR. MANOLY: I guess, I don't know of any such
10 documents. First of all, we didn't I think use the word
11 erroneous. We said there was errors and I prescribed what
12 these kind of errors are. I don't know of any procedure
13 that addresses erroneous runs.

14 I think when a run is found to be wrong, it should
15 be rerun. That's the checker's responsibility to detect that
16 and the reviewer to detect the error. And if there is a
17 certain judgment made, the reviewer should agree or disagree
18 with the judgment.

19 If he disagrees, it should be rerun. And that's
20 the way I think the process works. I don't know criterias
21 that just apply to erroneous or what's wrong and what's not
22 wrong.

23 MR. KNIGHT: Jim Knight, again. I'm wondering if
24 we're not about to get off on the same kind of discussion
25 that we just had unless we clarify the -- as I think you did

1 earlier and I think it's worth discussing for a moment,
2 calculate what is characterized here as calculation defi-
3 ciencies.

4 My impression, again, from reading the report was
5 that is was of the same order of magnitude if you will of the
6 judgment. You found some things that you might class as a
7 calculation deficiency but it was a very minor thing.

8 MR. MANOLY: That's correct.

9 MR. KNIGHT: I think for the sake of completeness
10 you've put it in here.

11 MR. MANOLY: I think if those erroneous ones, mis-
12 takes that we have discovered, we never would have labeled
13 this effort, based on our sampling, as adequate.

14 MR. SEISS: In how many instances did an error in
15 the strudel input get by the checker and the reviewer and
16 lead to a deficiency of the as-built support?

17 MR. MANOLY: How many instances?

18 MR. SEISS: Yeah.

19 MR. MANOLY: It's a tough question to answer.
20 Sometimes -

21 MR. KNIGHT: No, I don't think you heard the
22 question. In how many instances did an error in the strudel
23 input that got by the checker and the reviewer lead to a
24 deficiency in the as-built support?

25 MR. MANOLY: I don't believe -

1 MR. SIESS: I'm sorry, would you -

2 MR. MANOLY: I don't believe that, I mean, when you
3 remember the package that was done by -

4 MR. KNIGHT: There was a specific question. And I
5 think just for the sake of the record here, I want to make
6 sure we're clear, if we build on your previous presentation,
7 there were no instances in which the support is unacceptable?

8 MR. MANOLY: That's correct if that's what the
9 question is. I thought he was talking more towards or more
10 hypothetical.

11 MR. KNIGHT: Maybe I misconstrued the question.

12 MR. SIESS: I'm interested in how good those sup-
13 ports are out in that plant. I'm interested in what happens
14 when the earthquake occurs and what effect it has on the
15 health and safety of the public. Now, that's my interest.

16 MR. MANOLY: I think Jim answered that and -

17 MR. SIESS: And I've done enough analysis, enough
18 design to know that mistakes are made and I've written codes
19 that are written assuming that mistakes are going to be made
20 and I mean not computer codes, building codes. I was just
21 wondering how many of these errors an every analysis has
22 been rechecked, right?

23 MR. MANOLY: Um hum.

24 MR. SIESS: This is not a sample, right?

25 MR. MANOLY: But our review's a sample.

PCC
NRC-72
T-3
4

1 MR. SIESS: No, you're review is a sample.

2 MR. MANOLY: PG&E's review is a complete review.

3 MR. SIESS: Okay. I have my answer. Thank you.

4 MR. YIN: The issue related to items 3 and 4 is the
5 fact why the checker and the guys who approved the calcula-
6 tions still missing, still missed those items. I think the
7 deficiency in monitoring strudel input was considered to be
8 a significant problem at the beginning and we have meetings
9 with PG&E numerous times and we have raised the issue and it
10 just seemed to me the problem has not been resolved, the
11 deficient is still being identified.

12 Now, the question that Dr. Siess raised, how many
13 has been missed and still all right is a legitimate question.
14 I also have a concerned how many that are missed with the
15 wrong input will cause problems? I think that is also a
16 legitimate question to ask, too.

17 MR. MANOLY: I want to give you, I guess I want you
18 at least an example of some of the things we pulled. We
19 pulled it because someone had raised a question of why put
20 everything into the records. Maybe it's left to some indi-
21 vidual opinion, I might have not included them, but I wanted
22 to include everything that the peer review and our license
23 division had come up with.

24 For example I give you how insignificant this
25 thing is. The definition of beta annual structure on --, if

PCC
NRC-72
T-3
5

1 it ignores altogether the -- is zero, the member orientation
 2 is, the press upon the axes coincide with the -- axes, zero
 3 is going to give you the same result as 90 as 180 or 270,
 4 sometimes the guys ignored it and that was a judgment, whe-
 5 ther you put 180 or 270 it wouldn't make a difference
 6 because no matter how we turned the member it's going to
 7 give you the same answer now anyway.

8 So, theoretically, you should, based on the
 9 assumption I-57, the guys should give the exact orientation.
 10 And whether that's going to give you any different answer,
 11 that's what we're looking at, does it give you any different,
 12 any significant change. In that case it doesn't give you a
 13 different number.

14 I think we documented this think just for the sake
 15 of documentation and including every little concern that
 16 anybody had brought up.

17 MR. SIESS: Any questions, any other questions by
 18 the Committee or consultants? Okay. Let's go on to item 2.

19 MR. MANOLY: I just want to add one more thing. I
 20 think the discussion about the background of the people who
 21 did the work and I worked nuclear since 1971. I have a back-
 22 ground in, for civil structure and my graduate work is in
 23 civil structure and post-graduate work in applied mechanics.

24 I worked with structure mechanics -- for six years
 25 and we managed the structural department as a consultant

PCC
 NRC-72
 T-3
 6

1 before the -- Denver scene for four and a half years.

2 MR. SIESS: Can you -- (two people talking at
3 once) both of these things without struding?

4 MR. MANOLY: Yes. I went to -- at school for ten
5 years.

6 MR. SIESS: Thank you. Who's going to do item 2?

7 MR. KNIGHT: Bernie Saffell of Battelle Columbus
8 Laboratories will do items 2 and 3.

9 MR. SAFFELL: I'm from Battelle Columbus Labora-
10 tories and I was responsible for addressing issues related
11 to closely spaced pipe supports. The members of the team
12 are identified here. In addition, Bob Bosnick and Mark
13 Hartzman from the NRC staff participated in most of the
14 meetings and audits of this team as did Mr. Yin.

15 The visiting relationship between these two, this
16 license or two items were coupled into one and the items
17 addressed, load sharing by closely spaced pipe supports,
18 these are rigid restraints close to anchors or rigid re-
19 straints close to other rigid restraints as well as address-
20 ing snubbers located in close proximity to a rigid support or
21 an anchor.

22 MR. EBERSOLE: May I ask a question. By and large,
23 are these closely spaced supports, do they represent cases
24 there the first support that was put in was not thought to
25 be adequate and the second was added?

PCC
NRC-72
T-3
7

1 MR. SAFFELL: My understanding of this is that it's
2 part of the evolutionary process. There were supports which
3 were located based on the DE and rather than pulling out
4 supports and beefing them up, as you went to the DEE and the
5 hoscre -

6 MR. EBERSOLE: They added support?

7 MR. SAFFELL: They added support.

8 MR. EBERSOLE: Then your problem is to show us that
9 they don't peel, right?

10 MR. SAFFELL: They don't what?

11 MR. EBERSOLE: Peel, P-double e -l, that is be-
12 cause of limited amplitude of movement in one which would
13 destroy it before the second takes the load.

14 MR. SAFFELL: Oh, okay.

15 MR. EBERSOLE: That's peel, to me, anyway.

16 MR. SAFFELL: Okay. Yes, yes. The licensee pro-
17 gram for addressing this issue consisted first of proposing
18 and establishing and soliciting agreement stats on the proxi-
19 mity criteria. In other words, exactly what is close proxi-
20 mity?

21 This was followed then by identificature stream of
22 those supports which fell within this proximity criteria.
23 For those cases where we were looking at rigid restraints
24 close to other rigid restraints or anchors, they were then
25 inspected in the field to see if ah they required shimming to

1 bring the clearance on either side, we're talking bottom to
2 pengos situation, down to a sixteenth of an inch.

3 I should point out that the tolerance for the
4 installation of these supports calls for a sixteenth of an
5 inch plus or minus a sixteenth and if you get that on either
6 side, if it was all taken on one side you could get up to
7 conceivably three sixteenths of an inch. In the case of
8 snubbers, the licensee reviewed the analyses to determine
9 the displacement without the snubber in there.

10 If that displacement was greater than a sixteenth
11 of an inch, the snubber was assumed to lock, function as
12 intended. In cases where it was less than a sixteenth, the
13 licensee then made the determination as to whether the
14 snubber was needed.

15 There were a number of cases where they weren't.
16 And if the displacement was less than a sixteenth and also
17 if , and the snubber was required, then we went to the, the
18 licensee went to the snubber test data for that specific
19 snubber or for that class of snubbers, I should say, to look
20 at what the lock up distance was and provided that as the
21 basis for qualification.

22 Even that procedure, the licensee made the state-
23 ment that all of his snubbers were either qualified or
24 determined not to be necessary.

25 MR. EBERSOLE: May I ask this? In the case of the

PCC
NRC-72
T-3
9

1 fixed supports without snubbers, I guess implicit in this is
2 that you can take a 360 movement without any assistance from
3 the adjacent support and you will not have accrued at that
4 time excessive stresses in the member just taking load. Is
5 that correct?

6 MR. SAFFELL: Okay. Let me, I evidently didn't
7 say something quite correctly. I said the licensee's cri-
8 teria was plus or minus a sixteenth or a sixteenth of an inch
9 on each side with a sixteenth tolerance -

10 MR. EBERSOLE: But I want to go below that.

11 MR. SAFFELL: Okay. And that's what the licensee
12 did. Part of the shimming effort was to tighten that down
13 such that you would have no more than a sixteenth on either
14 side.

15 MR. EBERSOLE: But that still leaves you with a
16 potential three sixteenths clear movement before the second
17 support takes a load?

18 MR. SAFFELL: No, a sixteenth.

19 MR. EBERSOLE: Just one sixteenth?

20 MR. SAFFELL: Just the one sixteenth, yeah.

21 MR. EBERSOLE: And at that one sixteenth clear
22 movement before the second support takes the load, you are
23 saying there are no excessive stresses in that support which
24 are carrying the load up to that point?

25 MR. SAFFELL: Well, yes, that's what we're saying

1 that in fact between rotation and displacement that that's an
2 adequate criteria for demonstrating load shift.

3 MR. EBERSOLE: And that would include the anchor
4 bolts.

5 MR. SIESS: In the analysis, do you assume that --
6 moves a sixteenth of an inch before the support gets any load?

7 MR. SAFFELL: No, sir, no, sir. In the analysis,
8 the supports are assumed to be active.

9 MR. SIESS: It's presumed to be zero in the -

10 MR. SAFFELL: In the analysis, that's correct.
11 That is correct. And from that you get loads and then you
12 look to see if -

13 MR. EBERSOLE: Yeah, I assume that. But then
14 beyond that point, you assume that a sixteenth of an inch
15 unassisted movement from the second support is not an over-
16 load.

17 MR. SAFFELL: That's right.

18 MR. EBERSOLE: And that includes the anchor bolts
19 which are extremely tight because they have strength in
20 excess of the hangers?

21 MR. SAFFELL: Yes, yes, sir. What we're saying is,
22 what you're saying really is that the pipe if it deflects
23 that amount, cannot put greater than design load on the
24 single support which is carrying the load at that point in
25 time.

PCC
NRC-72
T-3
11

1 MR. EBERSOLE: Right.

2 MR. SIESS: Let me get this straight. You've got
3 two supports, both designed for a sixteenth of an inch.

4 MR. SAFFELL: Right.

5 MR. SIESS: And the first support has zero clear-
6 ance I'm assuming.

7 MR. SAFFELL: Okay. In loaded case.

8 MR. SIESS: Yeah. For some reason this got zeroed.

9 MR. SAFFELL: Okay.

10 MR. SIESS: And the pipe then has to move a six-
11 teenth of an inch of the second support?

12 MR. SAFFELL: Right.

13 MR. SIESS: And that won't overstress the first
14 support? That either the pipe can move the additional six-
15 teenth of an inch or the first support can. This is the
16 nexus of the whole thing, isn't it? If the two supports
17 are supposed to carry the load, if they're both ductile they
18 will.

19 MR. SAFFELL: They will, that's right. That's
20 right.

21 MR. SIESS: If the first one is brittle, I mean
22 rigid and brittle -

23 MR. SAFFELL: Well, I think we're talking about
24 ductile, ductile structures.

25 MR. SIESS: I hope so. They are fairly rigid,

1 though, aren't they?

2 MR. SAFFELL: Fairly.

3 MR. SIESS: If you put the full load on the first
4 support, how much will it move?

5 MR. SAFFELL: I don't know the answer to that
6 question.

7 MR. EBERSOLE: Did you finish that?

8 MR. SIESS: I think so.

9 MR. BENDER: You're not going to be able to
10 generalize on something like this except to say that there's
11 some limited stress associated with the deformation of the
12 parts. You're not allowing in the analysis for inelastic
13 movement of the support, are you?

14 MR. SAFFELL: No, sir. That is correct. The
15 analyses are linear elastic analysis, no gaps, no material,
16 non-linearity.

17 MR. BENDER: So what you're determining is that
18 there's some deformation of the pipes.

19 MR. SIESS: Or the support.

20 MR. SAFFELL: Of the support.

21 MR. BENDER: Well, I don't think, well, maybe they
22 do put the -

23 MR. SAFFELL: It's really, I think it's really the
24 pipe. I mean, the pipe is going to move and close it up and
25 the pipe is going to move by, by actually displacing which is

1 which predominantly is going to come from rotation.

2 MR. EBERSOLE: Wait a minute. I can't understand
3 that. If you're talking about pipe movement, these are
4 closely spaced supports.

5 MR. SAFFELL: Right.

6 MR. EBERSOLE: And you're not going to move the
7 pipe and in a relevant sense between the supports primarily.

8 MR. BENDER: Why not? If you've got an earthquake,
9 Jesse - These supports are virtually butted up against
10 each other. You're not talking -

11 MR. SIESS: They might be twenty feet apart.

12 MR. EBERSOLE: Oh. I didn't know there was that
13 degree of span.

14 MR. SAFFELL: 10D, yes.

15 MR. EBERSOLE: Oh, I didn't, then you are counting,
16 you're talking about -

17 MR. SAFFELL: I'm not talking about two supports
18 that are right next to each other like this.

19 MR. SIESS: How close were the closest supports
20 you looked at?

21 MR. SAFFELL: We had not asked the licensee to
22 provide that. The licensee may know. We did not ask for
23 that.

24 MR. SIESS: There was some discussion about how
25 far away they could be and be called close-

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. SAFFELL: That's right.

MR. SIESS: But I'm not sure how close they will be.

MR. EBERSOLE: Well, implicit in your, in your basis of doing this then is the thesis that the pipe is bending -

MR. SAFFELL: Right.

MR. EBERSOLE: To get the load, not the support stretching.

MR. SAFFELL: That's exactly right, yes.

MR. EBERSOLE: And so there would be, it would be critical that you not get too close.

MR. SAFFELL: That's right.

MR. EBERSOLE: And so when you looked at the minimum separation, you did look at the finding stress amounts and confirm you could get an S bend in it or something.

MR. SAFFELL: We did not look at minimum separation. We looked -

MR. EBERSOLE: Well, how do I know you don't have any that are just two feet apart?

MR. SIESS: Can the licensee comment on that? Only a couple of dozen of these came within the the 10 D as I recall.

MR. SAFFELL: Came within the 5 D.

MR. SIESS: I thought you changed it to 10 D?

PCC
NRC-72
T-3
14

1 MR. SAFFELL: We did change it to 10 D and we're
2 looking now at ones that are too close.

3 MR. SIESS: We're looking at close. What's the
4 closest you have two supports, two rigid supports?

5 MR. SHIPLEY: I think in the large bore we're
6 down in the, in the several feet, foot range, one to two
7 feet, but I might point out that of course as you get these
8 pipe supports closer and closer together, in the typing
9 analysis, the linear analysis of the piping, you find that
10 because of the couple effect that the two supports reduce,
11 the loads on the supports are unrealistically high as opposed
12 to when you factor in the gaps and only one support acts if
13 you understand what I mean. The supports, being very close
14 together, produce a -- couple which causes the loads on the
15 two adjacent supports to be much higher than it would be if
16 you had done a non-linear analysis and considered the gap of
17 each support. So I think the closer they get it becomes
18 somewhat self-compensating.

19 MR. SIESS: But you apparently needed the second
20 support.

21 MR. SHIPLEY: Not in all cases. In fact, we've
22 done several runs that indicated that we did not need the
23 second support. However, the most expedient method of
24 resolving this problem, you know, consistent with providing
25 clearance for thermal expansion, was to shim to a sixteenth

PCC
NRC-72
T-3
15

1 rather than in many, many cases run interactive pipe analyses
2 to determine whether or not the support was really required.

3 MR. SIESS: Do you always cause the second support
4 to take the load by pipe deformation only or do you let the
5 first support stretch?

6 MR. SHIPLEY: The assumption in the analysis that
7 generates the support load is that both of them are acting
8 simultaneously.

9 MR. SIESS: Yes, but I'm assuming now that one has
10 zero gap and the other has a sixteenth of an inch.

11 MR. SHIPLEY: Yes, sir.

12 MR. SIESS: And the first one acts first, carries
13 all the load.

14 MR. SHIPLEY: Yes, sir.

15 MR. SIESS: Now, what happens to get the load to
16 the second one? If they're far enough apart the pipe bending
17 will do it.

18 MR. SHIPLEY: Rotation of the pipe.

19 MR. SIESS: And if they're a couple of feet apart
20 over a two foot pipe -

21 MR. SHIPLEY: No, no, no. No, sir. I was speaking
22 of some of the smaller pipes like the four inch size. If
23 you get into a two foot pipe I wouldn't expect it to be
24 closer than eight to ten feet, five feet perhaps.

25 MR. SIESS: So we haven't got anything closer than

1 a few D's?

2 MR. SHIPLEY: Yes, sir.

3 MR. EBERSOLE: In the subsequent shared load of the
4 supports, does the one that takes the first fraction of the
5 load continue to be assumed to be the highest stress level
6 all through the entire load carrying regime? In other words,
7 it has a load substantially greater than the secondary sup-
8 port, doesn't it? And you continue to load it.

9 MR. SHIPLEY: If you were to consider in a very
10 machanistic sense, that's correct. I think, though, the
11 method of the piping analysis for very closely spaced sup-
12 ports, the type that we tend to think about that really
13 doesn't exist, but we talk about these very closely spaced
14 supports, the piping analysis as I say, the closer they
15 get the higher the loads go because of the -- couple that's
16 produced and as a result each support is designed for those
17 very high loads that do not exist.

18 Those loads do not exist when a gap is in an
19 adjacent restraint. So, and I might add that the reason that
20 we could not develop that as a criteria is that we couldn't
21 develop a hypothesis that was true in 100 percent of the
22 cases. It becomes very subjective as you get into three
23 dimensional piping systems.

24 For simple spans it's easy to do. You can show
25 that closely spaced supports you develop a higher load the

PCC
NRC-72
T-3
17

1 closer you get than if you were to consider one and assume
2 the other's not acting.

3 MR. SIESS: Okay. Keep going.

4 MR. SAFFELL: Okay. Our review consisted of re-
5 viewing the licensee program, discussions among the group and
6 Mr. Bosnak, Parson and Yin led for a revision of the ini-
7 tial screening criteria.

8 We then reviewed the licensee's initial submittal,
9 subsequent submittal and also some of the analyses performed
10 related to both the snubbers and the closely spaced supports
11 and inspected installations with our conclusion being that
12 adequate assurance was provided to insure load sharing of
13 closely spaced supports and snubber operation.

14 MR. SIESS: Are you finished?

15 MR. SAFFELL: Yes, sir.

16 MR. SIESS: Mr. Yin has some questions on this.
17 Would you like to pose them, please?

18 MR. YIN: Thank you. My first question related
19 to the staff review of the license condition item 2 is this
20 the 5 D and 10 D criteria was established by peer review
21 panels PRP on June twentieth, 1984 at Cloud's office with
22 my concurrence. Actually, it's based on my presentation of
23 the -- criteria.

24 As a result the 5D and 10D was upgraded. Pre-
25 viously is was 3D and 5D. One week later the NRR staff

1 called me up stating that the licensee had requested some
2 exemption on the 10D proximity criteria for the snubber
3 anchor pier.

4 The couple transconnections designed by the Spannou
5 were request to be excluded from the review because they
6 would require excessive effort and that may delay licensing
7 --.

8 MR. SIESS: Excluded completely or different than
9 10D?

10 MR. YIN: It's excluded completely.

11 MR. SIESS: Okay. Go ahead.

12 MR. YIN: Well, the 5D actually was not really
13 applied in the first place. Only 10D applied to that parti-
14 cular consideration. The NRR staff honored the request
15 based on the reason that the decoupling branch connections
16 are less important to safety. I would like the NRR technical
17 staff for the technical justification on exempting the PRP
18 criteria.

19 One of the reasons, it's kind of interesting to
20 point out is, we had various meetings and hearings where
21 Dr. Cloud participated and during those hearings and
22 meetings the only small, he mentioned that the only small
23 bore piping that will be overstressed during seiemic --
24 would be those located at connections to a large bore
25 piping.

1 MR. EBERSOLE: I've got a question on that. I
2 can't find any valid reason in my own mind to say that these
3 are thus unimportant pipe connections.

4 MR. YIN: That's the point. That's the reason I
5 would like to have a technical justification on them.

6 MR. SIESS: Response, please?

7 MR. SAFFELL: Okay. Our basis for honoring the
8 request was one, we're talking small piping, two inch and
9 under. Two, we're talking -

10 MR. EBERSOLE: Well -

11 MR. SIESS: Let him finish, Jesse.

12 MR. EBERSOLE: All right.

13 MR. SAFFELL: Two, we're talking piping that is
14 relatively low temperature, 200 degrees and under for stain-
15 less, 160 degrees and under for carbon steel. We're talking
16 piping that have small seismic anchor movements, small
17 thermal anchor movements, very small. So we're talking cold
18 piping.

19 We are concerned about branch connections, but we,
20 our basis was that your, one, we didn't expect if any to see,
21 we expected few if any snubbers or rigid restrants to be lo-
22 cated within, we're talking now twenty inches or less or the
23 branch connection and -

24 MR. SIESS: Excuse me. I hate to interrupt you,
25 but I don't understand the term decoupling branch connections.

PCC
NRC-72
T-3
20

1 MR. SAFFELL: Okay. Decoupling branch connections.
2 That's where our branch connection that goes into a pipe
3 that is very large so that when you perform the analysis
4 you could decouple the branch from the run.

5 MR. SIESS: Okay. Now, on both branch connections,
6 the requirement to look at closely spaced snubbers and/or
7 supports was waived?

8 MR. SAFFELL: For just the cold pipe, for just
9 span rule piping, piping that had been qualified by span -

10 MR. SIESS: Span rule piping -

11 MR. SAFFELL: Only.

12 MR. SIESS: That's small, connected to a larger
13 pipe-

14 MR. SAFFELL: Right.

15 MR. SIESS: And if there were any closely spaced
16 snubbers or rigid connectors they did not have to be investi-
17 gated?

18 MR. SAFFELL: That's right.

19 MR. SIESS: Now, does anybody know whether there
20 were any closely spaced rigid or snubber connections on
21 there?

22 MR. SAFFELL: I don't think, well -

23 MR. SIESS: This is piping that had been analysed
24 seismically?

25 MR. SAFFELL: Yes, by span rule.

PCC
NRC-72
T-3
21

1 MR. SIESS: Both by span rules DE, DEE and in the
2 hoscree?

3 MR. SAFFELL: Right.

4 MR. SIESS: And conceivably could have had sup-
5 ports added with the hoscree.

6 MR. SAFFELL: This piping is span rule qualified
7 piping, qualified under regional standards.

8 MR. SIESS: Well, if it's span rule qualified it
9 is not likely that it would need more supports under the
10 hoscree?

11 MR. SAFFELL: That's right.

12 MR. SIESS: The forces could be greater.

13 MR. SAFFELL: The licensee has told us that they
14 went back and, and updated the span criteria and determined
15 as I understand it, that there is no need to go back and
16 requalify this piping, that the original qualifications
17 stood.

18 MR. SIESS: Yeah, but the question now is the
19 closely spaced. Now, if there are no closely spaced sup-
20 ports, that would be twenty inches or less since this is
21 small bore piping, twenty inches or under-

22 MR. SAFFELL: That's right.

23 MR. SIESS: Then the question is moot?

24 MR. SAFFELL: Yes, sir.

25 MR. SIESS: But the way the law is that they didn't

1 even have to look?

2 MR. SAFFELL: Yes, sir.

3 MR. SIESS: Now go ahead with the explanation of
4 why.

5 MR. SAFFELL: Okay. And the basis was one, it
6 was cold; two, they were small. The anchor movement of the
7 run for the bridge tension, where the bridge tension was
8 small so you weren't going to have a large force even if
9 there were one, small siesmic anchor movement which is pro-
10 bably, well, I'm not going to speak for Dr. Cloud.

11 There were small siesmic anchor movements, small
12 thermal anchor movements. It was cold piping and it's small
13 piping which is relatively flexible, it was felt that even
14 if it happened to be a few, the snubber and/or support, there
15 was a high probability that the snubber or support would in
16 fact function.

17 MR. YIN: I have a great objection to that. I'm
18 more concerned about the cold pipe than the hot pipe because
19 if you have a large anchor movement and you have a large
20 thermal movements and you put a snubber right next to it, I
21 think you're crazy and you have a locked in stress right
22 there.

23 It's precisely the cold piping that when you have
24 a siesmic movement and there is no anchor movement and with
25 no big thermal movements that you have to worry about how to

PCC
NRC-72
T-3
23

1 snub those small pipes.

2 MR. EBERSOLE: Has anyone in the course of looking
3 at this examined the real issue which is what is the conse-
4 quence of the functional failure of a set of these small
5 pipes?

6 MR. SAFFELL: I don't believe so.

7 MR. EBERSOLE: The reason I ask this is these have
8 a capacity to coincidentally produce -- small locus and
9 blind the mitigating equipment to respond to those.

10 MR. SIESS: Jesse, that was taken into account in
11 the design.

12 MR. EBERSOLE: But here we're talking - it was
13 presumptive in the design these would be singular failures.

14 MR. SIESS: Yeah, but the issue now is whether
15 they're closely spaced supports. I guess from what Mr. Yin
16 said there probably wouldn't be many snubbers on cold piping,
17 would they, snubbers on piping that you want to be able to
18 move -

19 MR. SAFFELL: That's right.

20 MR. SIESS: So we're really talking about are there
21 likely that anybody add any closely spaced supports to this
22 piping.

23 MR. EBERSOLE: Chet, we may be look into the focus
24 of the common mode failure right here.

25 MR. SIESS: Well, but I don't think that's the

1 issue on Diablo Canyon.

2 MR. BENDER: It would help if we had a couple
3 examples. From the talk it would seem to me we don't have
4 much of a physical understanding of what's going on.

5 MR. SIESS: These are designed seismic, they've got
6 a seismic design, Jesse. The question is just have they
7 got two closely spaced supports that might not work.

8 MR. EBERSOLE: Right, I know. But I'm saying if
9 there's a coincident possibility we lose some of these small
10 pipes, then we're up the creek.

11 MR. SIESS: But your reasoning was that you don't
12 know whether there are any.

13 MR. SAFFELL: Well, the other way. We feel it's
14 highly unlikely there are any because the piping was quali-
15 fied by span criteria and based on that you wouldn't expect
16 the support to be close to an anchor.

17 MR. EBERSOLE: Are we thinking about sheer fail-
18 ures at the point of attachment of the small pipe?

19 MR. SAFFELL: I think you're talking about a com-
20 bination of bending and sheer. Well, that's how it would
21 fail. I think we're not expecting it.

22 MR. SIESS: That's how it would be designed. If
23 you qualify it by span formula, you put supports span like
24 to control the frequency, right?

25 MR. SAFFELL: Yes.

PCC
NRC-72
T-3
25

1 MR. SIESS: And when you change from DE, DDE to
2 hoscree and did some other reanalysis, wouldn't it have been
3 reasonable to change the frequency? Somebody said there
4 were revised span formulas.

5 MR. SAFFELL: Only if the frequency of the siesmic
6 events, of the postulated siesmic event changed or was not
7 encompassed by the original set of span rules.

8 MR. SIESS: Now, a lot of people here have walked
9 through that plant, including people from Pacific Gas and
10 Electric Company. Has anybody seen a small bore piping with
11 closely spaced supports?

12 MR. SHIPLEY: Dr. Siess, I think I might preface
13 the remark by saying there was a statement before about the
14 sheer failure may decouple branch connection and I think
15 that would indicate that there are supports that are located
16 two to three inches away from the header thereby inducing
17 sheers as opposed to a bending type of a condition at the
18 header. You will not find that case.

19 The supports are sufficiently far away to assure
20 that you will not have a probable sheer. As to whether they
21 are closely spaced, within the 10D criteria, I believe it is
22 possible. I think further, though, that the span rules that
23 typically require on the order of eight feet, depending on
24 the size and location in the building, six to eight feet
25 nominal spacing provides some assurance that you don't have

1 any significant number of these proximity restraints let's
2 call them on decoupled branch connections.

3 MR. SIESS: Two things. One is I don't know what
4 the significant number one might be or two might be following
5 up Mr. Ebersole. You mentioned a change in the span rule.
6 What was that change?

7 MR. SHIPLEY: My understanding is the span rule
8 itself did not change.

9 MR. SIESS: I was thinking if the span rule fell
10 from eight feet and a revised would call for seven feet, I
11 could picture somebody putting another restraint a foot
12 away or six inches away at each end. When you're dealing
13 with small bore piping with rigid restraints, what kind of
14 gaps do you consider?

15 MR. SHIPLEY: My understanding is the gaps are the
16 same, they are sixteenth, plus or minus a sixteenth on
17 either side.

18 MR. SIESS: Oh. Gosh, a sixteenth of an inch on
19 a two inch pipe is, the flexibility of the pipe is very large
20 compared with a sixteenth on a twenty.

21 MR. SHIPLEY: Yes, sir.

22 MR. SIESS: Jesse?

23 MR. EBERSOLE: Yes. This last statement that Isa
24 has here about Dr. Cloud had stated during various hearings
25 and meetings that the only small bore piping that will be

1 overstressed during a seismic event would be those located in
2 connections small bore piping. Is that still a matter of
3 record?

4 MR. SIESS: Dr. Cloud is right behind you. We can
5 ask him.

6 MR. EBERSOLE: I just want to impress on the fact
7 that small bore pipes are not all that insignificant no
8 matter where they're attached.

9 DR. CLOUD: Thanks for the reminder. I'm very well
10 aware of the importance of small bore piping. I don't believe
11 that I ever said this statement, at least in this context. I
12 didn't say that that small bore piping will be overstressed
13 in the seismic event.

14 What I did say is that historically we've seen that
15 the junctions of small bore and large bore piping can be
16 important and I pointed out that that was one of the reasons
17 that we focused upon those connections in our independent
18 verification program.

19 MR. EBERSOLE: You're talking about the extra
20 welded junctions?

21 DR. CLOUD: The junctions between small bore
22 piping and large bore piping and the most vulnerable of these
23 as I pointed out are the vents and drains on the large bore
24 piping which is the place that in fact there have been
25 failures in earthquakes and we specifically evaluated those

1 situations and we ended up with in a result that requested
2 the Diablo Canyon project to review systematically all those
3 situations which they did.

4 DR. EBERSOLE: You did say vents and drains?

5 DR. CLOUD: Yes.

6 DR. EBERSOLE: I'm more interested in impluse lines.

7 DR. CLOUD: Which kind of lines?

8 MR. EBERSOLE: Impulse lines, static lines. They
9 convey, process information to critical mitigating equipment.
10 They can also be the source of small breaks.

11 DR. CLOUD: You're talking about the instrumenta-
12 tion lines?

13 MR. EBERSOLE: Such as those. See, they have the
14 capacity to induce a small break and also functionally fail
15 the systems which mitigate the effects of small breaks. Do
16 you follow me?

17 DR. CLOUD: Yes, I understand.

18 MR. EBERSOLE: So you didn't just -- you're looking
19 at to vents and drains?

20 DR. CLOUD: No.

21 MR. SIESS: Those are just examples.

22 MR. MYSINGER: Gentlemen, when I reviewed the
23 material on this, I felt that there were two things involved
24 and neither of them has been mentioned here. One, I think
25 we're talking about just how, what kind of tolerance do we

PCC
NRC-72
T-3
29

1 expect to work to in construction? Again, I think if we
2 have two supports side by side here within the closest
3 tolerance designed by this material, if we can construct
4 those so that they are within one sixteenth of an inch of
5 the pipe, that's all we can reasonably expect fo construction.

6 Second, I think that we have to, we have a linear
7 elastic analysis. We don't consider plastic deformation in
8 -- and I think that there again we are expecting this
9 material either to deform elastically or plastically for the
10 load to redistribute.

11 I have NRC documents here, reg guides that speaks
12 of shake dash. If we are to the point in the material
13 property, or if our materials will not deform that much
14 without failing, we can't build nuclear plants. I just think,
15 you know, that's the real issue.

16 MR. YIN: Item 2, we're talking about snubbers.
17 We're not talking about rigid to rigid.

18 MR. MYSINGER: Okay.

19 MR. YIN: We're talking about the functionability
20 of the snubbers.

21 MR. SIESS: On the small bore, on the cold small
22 bore piping, do we have snubbers?

23 MR. YIN: There is one specific sample, you might
24 recall, identified as snubber. It's close to the large
25 bore connections will not function based on the reanalysis

PCC
NRC-72
T-3
30

1 performed by Vecto Corporation.

2 MR. SIESS: Would not function?

3 MR. YIN: Would not operate, would not lock up
4 during the seismic event.

5 MR. MYSINGER: It does move a sixteenth of an inch.

6 MR. YIN: Yeah. You may not have the pipe but the
7 licensee I assume knows the snubber that's in there is to be
8 a function of that.

9 MR. SIESS: Is that all this issue?

10 MR. YIN: Item 2 is snubber and -

11 MR. SIESS: You have the same concern on item 3.

12 MR. YIN: Item 3, I haven't got to that yet.

13 MR. SIESS: But this comment is identical on the
14 two items?

15 MR. YIN: That's right.

16 MR. EBERSOLE: I hope we can eliminate this matter
17 of whether we overstress or do not overstress small bore
18 piping at these junctures. You're going to retract whatever
19 you may have said?

20 DR. CLOUD: What I said is that I didn't say that.

21 MR. EBERSOLE: That's a retraction, isn't it?

22 MR. BENDER: It's probably irrelevant. The fact
23 fo the matter is that if there is a defamation there in the
24 samll bore pipe it can tolerate it. There's plenty of
25 plastic capability in that part of the structure.

1 MR. SIESS: Maybe the -

2 MR. BENDER: There's nothing to worry about.

3 MR. SIESS: Mr. Bosnak?

4 MR. BOSNAK: I wanted to add one thing for the
5 correction of the record. I think the statement was made
6 that the NRR staff did not believe small bore piping was
7 important to safety. That's not correct. That wasn't stated
8 in the telephone conversation.

9 What we did say was that we felt that in this
10 piping we did not expect to see a closely spaced rigid, in
11 other words, a rigid close to these decoupled branch con-
12 nections and we didn't expect to see snubbers in this area
13 as well. If there were any, we would be surprised.

14 And the other thing we said was that with respect
15 to a rigid next to this decoupled branch connection that we
16 would prefer to see it not shimmed because we would believe
17 that you would want to have some deformation here and the
18 small piping is going to deform and to shim it might be
19 going in the wrong direction.

20 MR. YIN: That's not true. And the conversation
21 didn't turn out that way. But anyway, it's not a forum to
22 set up lie detectors. But why I say that is what I was
23 informed and that's whatever you want to take.

24 MR. SIESS: Any other questions on this particular
25 thing about the small bore?

PCC
NRC-72
T-3
32

1 MR. YIN: Well, if Mr. Bender does not believe it
2 is really a problem, perhaps license condition number 2 and 3
3 should not be there in the first place then.

4 MR. SIESS: Well, the Committee has some comments
5 about the question of shimming I think in its letter on this.

6 MR. BENDER: I'm sure the problem has been
7 exaggerated. It's not nearly as serious as might be inferred
8 by the points that have been made here. If the material
9 does not have sufficient strain capacity to deal with these
10 kinds of different deformations the wrong material has been
11 selected and I'm sure that the material that's used is
12 of the type that could take deformations of this sort without
13 all of that concern.

14 MR. YIN: Are you speaking general or are you
15 talking about specific cases or have you determined that's
16 the case? I'm not trying to question your integrity -

17 MR. BENDER: You have to work in generalities
18 because there's nothing specific to discuss. You're working
19 in generalities -

20 MR. YIN: I'm not.

21 MR. BENDER: When you're raising -

22 MR. YIN: I'm not, sir. I'm telling you specifics.

23 MR. BENDER: So far we have yet to see the example
24 that represents a specific.

25 MR. YIN: I have presented my draft report I

1 believe is in the record of HRS --. So we are talking about
2 specifics, not generals.

3 MR. SIESS: By specifics I think Mr. Bender means
4 actual installations in the plant that would fail under the -

5 MR. BENDER: That's exactly what I'm talking about.
6 I have to see something physical that is representative of
7 the condition so I know what I'm talking about.

8 MR. YIN: Well, we're talking about the function-
9 ability of the snubber. That's all we're talking about.

10 MR. BENDER: I'm talking about the functionability
11 of the pipes and so is Mr. Ebersole.

12 MR. EBERSOLE: Yeah. We know the snubbers aren't
13 going to work, some of them. May I ask a question, Chet?

14 MR. SIESS: Yeah.

15 MR. EBERSOLE: There was a time in the era of the
16 large -- being the only accident that there was wherein pipes
17 below I believe it was about two inches were real low on QA
18 or committed to -- all over the place and hung by ropes, I
19 reckon. I take it that has changed substantially and Diablo
20 Canyon certainly represents the new view, that these pipes
21 are functionally important. Am I correct?

22 And if I go back to Indian Point for instance
23 you might find some of that old view about QA on small
24 pipes. Mr. Bender mentions the QA on the material specifica-
25 tions. Is in fact, are there severe requirements to insure

PCC
NRC-72
T-3
34

1 requirements to insure ductility in these small bore pipes?

2 MR. BOSNAK: I think the answer to your question
3 is yes. Obviously, we're not talking about the main loop
4 but we're talking about piping which is very important
5 nonetheless and they all are ductile materials.

6 MR. SIESS: Jesse, when they hung on the ropes
7 they probably didn't get nearly the seismic excitation they
8 will in Diablo. Mr. Yin has some other questions under this
9 heading and under item 3 since we're taking the two to-
10 gether, so please proceed.

11 MR. MICHELSON: Before we do that, can I just, I
12 want a little clarification on the ability of materials to
13 elastically, plastically deform. The loading, I can under-
14 stand when a loading is a radial loading, in other words, a
15 radial displacement of a small bore pipe to a large bore
16 pipe, not radial but rather at right angles.

17 What happens in the case of where the large bore
18 piping is moving such as it puts an axial load on the small
19 bore pipe and it's already locked up by support further
20 down so that now it's an axial deformation? Can that take
21 much axial deformation without failure?

22 MR. SIESS: The small bore or the large bore?

23 MR. MICHELSON: Small bore. The large bore isn't
24 bothered at all.

25 MR. BENDER: You mean the large bore is, along the

PCC
NRC-72
T-3
35

1 small bore axis?

2 MR. MICHELSON: Yes.

3 MR. SIESS: You're looking at the small bore pipe
4 that has a rigid restraint and the forces imposed on it by
5 the large bore pipe.

6 MR. MICHELSON: For instance, a drain line coming
7 off the bottom of a large pipe, as the large pipe moves
8 vertically upward, the drain line is now loaded axially and
9 if it's anchored there isn't very much opportunity for
10 deformation.

11 MR. BENDER: You know, obviously we can reach some
12 limit. We're talking about sixteenths of an inch.

13 MR. SIESS: No, he's talking about the large bore
14 pipe could be moving more than that.

15 MR. MICHELSON: They're moving inches in an
16 earthquake.

17 (Several people talking at once.)

18 MR. BENDER: You're shifting the argument. Mr.
19 Shipley -

20 MR. SIESS: We've got an expert who's going to
21 contribute something.

22 MR. SHIPLEY: The movement of the large pipe, the
23 header is considered from both a seismic and thermal point
24 of view in the evaluation of the small bore pipe.

25 MR. MICHELSON: But the small bore pipe was not

1 anchored anywhere close to the large bore pipe.

2 MR. SHIPLEY: Yes, that is correct.

3 MR. MICHELSON: Because if it were it would not be

4 able to take the displacement.

5 MR. SHIPLEY: By close, perhaps close but around a

6 change in direction which provide the necessary flexibility

7 to absorb the movement.

8 MR. MICHELSON: So it isn't all, the material

9 characteritics alone are not the only factors, geometry

10 becomes quite a -

11 MR. SHIPLEY: There's obviously a matter of move-

12 ment involved, but if you're talking about a piece of pipe

13 that's supported at two points and it has to move vertically

14 and take the small pipe with it and it's restrained so that

15 it cant' move more than a sixteenth of an inch, the action

16 is only a sixteenth of an inch.

17 MR. MICHELSON: The connection may be ten feet,

18 twenty feet away from the mainline supports. The main line

19 could be moving much more than a sixteenth of an inch.

20 MR. MYSINGER: That's part of your analysis and

21 I'm not saying it could not be something that we overlooked.

22 MR. MICHELSON: I'm sure it is, Doug. That's the

23 whole purpose of the analysis to make sure that such

24 flexibility exists. My concern was I thought that we were

25 saying that certain portions of the small bore piping may

PCC
 NRC-72
 T-3
 37

1 become locked up for one reason or another and then the
2 other question is will the small bore pipe fail?

3 MR. BENDER: That might happen, but it doesn't
4 have to do with the issue Mr. Yin is raising. I think that's
5 what the issue is at the moment.

6 MR. MICHELSON: Well, only if the snubbers for
7 instance lock up.

8 MR. SIESS: They can lock up and it still wouldn't
9 happen. The snubbers are supposed to lock up in an earth-
10 quake. That's what they're there for.

11 MR. MICHELSON: I'll remove my question. I was
12 only concerned about geometry as well as -

13 MR. SIESS: I think there's a lot of consideration
14 given to geometry for thermal movements. I'm not sure there
15 is that much given for seismic movements.

16 MR. SHIPLEY: Yes, there is.

17 MR. EBERSOLE: When these pipes are field run,
18 that's another part of an organization, are these factors
19 always taken into consideration?

20 MR. SHIPLEY: From an as-built consideration, yes.
21 They're reviewed by engineering.

22 MR. EBERSOLE: So one looks at these after the
23 field run effect takes place?

24 MR. SHIPLEY: That is correct.

25 MR. EBERSOLE: Sees whether or not the field run

PCC
NRC-72
T-3
38

1 engineer has neglected flexibility requirements, is that
2 what you're saying?

3 MR. SHIPLEY: Yes, sir, that is correct and the
4 placement of supports of course are important to the overall
5 flexibility of the system.

6 MR. YIN: Well, isn't it true that 34 percent or
7 so, maybe 15,000 feet of pipe has never been evaluated based
8 on the span rule criteria?

9 MR. SHIPLEY: It has been evaluated based on the
10 span rule criteria. It was not reevaluated during the last
11 --. It was qualified instead by the sample program that
12 demonstrated that the original work that had been done was
13 acceptable.

14 MR. YIN: My problem was that there wasn't any
15 procedure how to field run those pipes, that means the span
16 rule cannot be uniformly applied in all cases.

17 MR. EBERSOLE: So you're saying the first check
18 then is the in situ investigation and that will not permit
19 a -- investigation?

20 MR. YIN: That's right. And that's really the
21 reason that we requested them to go back and check this
22 5D, 10D and all of a sudden it was excluded. I guess the
23 problem is it is very difficult and time consuming to dig
24 out those records and maybe there's no records at all.

25 MR. EBERSOLE: So what we're saying is the field

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

run equipment has not been inspected in a certain percentage case?

(End of tape)

PCC
NRC-72
T-3
40

1 MR. EBERSOLE: There are installations of this pipe
2 that have never been looked at. Is that right? Never been
3 looked at by whom?

4 MR. SIESS: I don't think anybody has said that.
5 You were just told that all field run pipe has been, the as-
6 built that were referred back to engineering for verifica-
7 tion and calculation.

8 MR. EBERSOLE: All of it?

9 MR. SIESS: That's what we were told. Is that
10 correct?

11 MR. TRESLER: That is true but not all of the
12 piping, small bore piping was reviewed under the Corrective
13 Action Program. But more specific to Isa's point as far as
14 branch connections or really we're talking about seismic and
15 thermal anchor movements, all small bore piping is reviewed
16 for that consideration and all significant Sam 10 movements
17 were considered in all small bore piping analyses.

18 MR. MICHELSON: Even the cold piping?

19 MR. TRESLER: Even the cold piping. Yes, sir.

20 MR. SIESS: Gentlemen -

21 MR. TRESLER: Excuse me. That includes buildings,
22 equipment and decoupled branch connections.

23 MR. YIN: And what's the reason you want to
24 exempt the 10D criteria we tried so hard to get and then give
25 up so easily?

1 MR. TRESLER: We don't think it's a significant
2 concern, Isa. We don't feel that it's worthy of that man-
3 power expenditure.

4 MR. YIN: What are you talking about, manpower
5 expenditures? It amounts to how many hours?

6 MR. TRESLER: It's delaying, Isa. We've been
7 working, all our engineers trying to get the work done
8 necessary to get these responses out. We've received a
9 number of requests which have caused us to expand our
10 review and this one we didn't feel was warranted.

11 MR. SIESS: Gentleman, when we talk about reviews
12 of design and looked at, let's keep in mind that this plant
13 was designed once, it was redesigned once. There was a
14 sampling design verification program done by an independent
15 engineer and the NRC staff to various degrees have sampled
16 those and sampled others.

17 So when we talk about when somebody looks at it,
18 let's get it in the right time scale. Because they didn't
19 look at it yesterday doesn't mean it wasn't looked at and
20 we can easily get ourselves too oriented to the present and
21 forget that this plant was designed at one time, at least
22 once.

23 MR. BENDER: Mr. Chairman, I'd like to reiterate
24 a point I made a little while ago because it's relevant to
25 the observation you just made. There've been a number of

1 people have been out into this plant to look at it. If the
2 problem existed, it should have been observable somewhere.
3 So far I have yet to see the physical example that says the
4 problem exists and if it doesn't exist, why are we worrying
5 about it?

6 It seems to me that with all of this extensive
7 group of people who have looked at the plant they should
8 have seen one example. I have yet to find one.

9 MR. YIN: Can I address that?

10 MR. SIESS: I'd rather not. If you've got a
11 specific instance of something that you think will fail
12 under the earthquake and could give us something that we
13 could look at drawings, I think it will help, but just to
14 talk about it isn't going to enlighten us, I'm afraid.

15 MR. YIN: My concern is not so much specifics
16 because we spend a relatively short time. I'm pretty sure
17 the HRS also spent a very short time at the site and many
18 of the areas is a radiation area. We wouldn't be able to
19 get in there.

20 So the accessibility during the walkdown is very
21 limited, firstly. But I think the overwhelming concern on
22 my part is it is not really up to us to prove whether or not
23 you have a safety significance or safety problems. It's up
24 to the licensee's quality assurance, quality control managers
25 that indeed everything that is in the record has been taken

1 care of and so on.

2 Further more, we have seen the shimming of the
3 large bore restraints which brought out, you know, so if you
4 want me to identify that I would be more than happy to put
5 it in writing and then submit it to ACRS for their review.

6 MR. SIESS: You may do that if you wish. It will
7 not help Mr. Bender. Mr. Bender is not interested in
8 quality assurance or quality control. I believe he's in-
9 terested in the quality of the plant that is built and not
10 how it got there. If you can try to understand that you may
11 be able to supply us with some specifics. Let's go to item
12 2 on the second page.

13 MR. YIN: Okay. Thank you. Item 2, the SSER
14 stated is unacceptable. The actual manufacturer's test
15 reports on a large portion were reviewed for the -- snubber.
16 Please explain why snubber displacements under load were not
17 a concern to the PRP in examining snubber operations. Do
18 you understand that?

19 MR. SAFFELL: I don't know. I think I do. I
20 think what we looked at was the manufacturer's data used to
21 qualify, used, test data, used to determine the distance
22 required to lock the snubber up. In some manufacturer's,
23 there's a variability.

24 MR. SIESS: What's the reason?

25 MR. SAFFELL: They may be mechanical or hydraulic.

1 MR. SAFFELL: My understanding of the question is,
2 given that it locks up, what additional displacement may
3 occur as the snubber goes from say 10 to 20 percent rated
4 load up to 80. 90 percent rated load. Is that the kind of
5 thing you're talking about?

6 MR. YIN: Well, have you participated in any
7 snubber testing of loads in the past?

8 MR. SIESS: Please explain your question.

9 MR. YIN: Well, I'm trying to, but it seems to me -

10 MR. SIESS: Well, explain it to me then and I have
11 not participated in any snubber testing.

12 MR. YIN: Well, I didn't point to you, sir. I'm
13 pointing to -

14 MR. SIESS: You pointed to me, sir.

15 MR. YIN: Well, if I did, I apologize for that.

16 MR. SIESS: I don't understand the question. Are
17 you talking about the elastic displacement of the snubber
18 after it locks up?

19 MR. YIN: No, sir. Yes, sir. Let me rephrase
20 this. I feel like I'm being kind of pressured into a situa-
21 tion. Can I maybe take a little time to explain how a
22 snubber works?

23 MR. SIESS: I know how a snubber works. I think
24 all of us know how a snubber works. We're just trying to
25 understand the question. Snubber displacements under load

PCC
NRC-72
T-4
5

1 were not a concern in determining snubber operability.

2 MR. YIN: Yes, sir.

3 MR. SIESS: By snubber displacement under load, do
4 you mean once the load is on it, the load displacement
5 characteristics?

6 MR. YIN: That's right, sir.

7 MR. SIESS: And you mean that those displacements
8 should be taken into account in the analysis?

9 MR. YIN: Yes, sir.

10 MR. SIESS: Is that normally done?

11 MR. SAFFELL: No, sir. I have performed -

12 MR. SIESS: Are they assumed to be rigid?

13 MR. SAFFELL: I have performed piping analyses and
14 whenever I have performed an analysis I have assumed that
15 if the snubber locked up it behaved as a rigid member.

16 MR. SIESS: And you think it should be assumed
17 to behave as a non-rigid member?

18 MR. YIN: Well, wait a minute. I think we have
19 mixed different issues here. We're not talking about it is
20 modeled. I have no problem with your modeling it as rigid
21 because the license condition is such that it has been
22 modeled as rigid in the Diablo Canyon site.

23 I have no problem with that. My problem is how
24 you assured the snubber was really locked up. It's two
25 different, distinct issues. The first one, no problem. The

1 second one I have a great deal of problems because based on
2 the operation and based on the reevaluation by PEPCO, it
3 does show quite a number of snubbers will not perform their
4 intended function because we are not giving them enough
5 space to move to initiate a lockup and subsequently the lock
6 up does not have enough room to reach the load that it is
7 required to reach.

8 MR. SIESS: Okay. Now, as I understood, there were
9 snubbers that would not function because they were too close
10 to the rigid support. The piping system was reanalyzed
11 Assuming those snubbers would not function?

12 MR. YIN: No, assuming the snubber is not there.

13 MR. SIESS: Assuming it's not there?

14 MR. YIN: Right.

15 MR. SAFFELL: Okay. You think that they would have
16 got a different answer if they assumed it was there? They
17 got a different answer but would it have been more or less.
18 Does that put your concern away?

19 MR. YIN: Can you clarify your question?

20 MR. SAFFELL: Well, they said if it's not alone
21 we'll take it out.

22 MR. YIN: That's right. They can take it out but
23 it's no effect to the stress.

24 MR. SAFFELL: And the stuff met criteria. Is that
25 the case you're concerned about?

1 MR. YIN: It met criteria under what criteria? As
 2 far as the piping stress criteria, yes. As far as the cri-
 3 teria that the equipment should function, I don't think so.
 4 MR. SIESS : What equipment?
 5 MR. YIN: Well, don't you have a criteria saying
 6 that safety related equipment should operate during the event
 7 that you -
 8 MR. SIESS : Oh, you mean because the snubber
 9 doesn't function it violates the criteria?
 10 MR. YIN: That's correct.
 11 MR. SIESS : Okay. I understand that. Anybody
 12 want to pursue that any further?
 13 MR. MICHELSON: Well, if it doesn't make any
 14 difference I guess is what you said, then what are we
 15 worried about?
 16 MR. YIN: Well, it's after the fact -
 17 MR. SIESS: It doesn't meet the design criteria.
 18 MR. YIN: It's after the fact we evaluated, it
 19 happens to be we are still all right. But originally the
 20 criterial is saying, assuming everything should work. If
 21 that's not the case we would like to know what others will
 22 not work.
 23 MR. MICHELSON: What other snubbers will not work?
 24 MR. YIN: What other equipment.
 25 MR. MICHELSON: By equipment, which other snubbers?

PCC
 NRC-72
 T-4
 8

1 I mean this is trying to find out what kind of equipment
2 you're talking about that's dynamic besides the snubber.

3 MR. YIN: Well, the equipment in general. The
4 snubber is part of it.

5 MR. MICHELSON: Well, that's a far larger question.

6 MR. YIN: Okay. Let's restrict ourselves to say
7 what other snubber will not work.

8 MR. MICHELSON: That I can come to grips with.
9 Now, did you find other snubbers that have the same problem?

10 MR. YIN: Do I have the means to do that?

11 MR. MICHELSON: I was really addressing -

12 MR. SAFFELL: The licensee as part of, in response
13 to this provided a table which identified those snubbers
14 which would function, those snubbers which would not function
15 and were not necessary and those snubbers which would not
16 function under this gross screening, this 16 -- and were
17 required and basically all those were, those remainder were
18 qualified based on the manufacturer's testing.

19 MR. MICHELSON: As I recall they just reanalyzed
20 without the snubbers that wouldn't work anyhow and it was
21 all right.

22 MR. SAFFELL: Yes. Other than, there were some
23 where the reanalysis without the snubber indicated that the
24 snubber was required, okay, and for those cases we then had
25 to go to, they then had to go to the manufacturer's data as

1 a basis for showing that it would function.

2 MR. MICHELSON: Okay. So they verified it would
3 function even in those cases?

4 MR. SAFFELL: Yes, sir.

5 MR. MICHELSON: Thank you.

6 MR. SIESS: Now, that's what this -- does is those
7 cases where the snubber was needed and you had to look at the
8 manufacturer's test reports on lost motion?

9 MR. SAFFELL: Yes, sir.

10 MR. SIESS: And I understood that. But I still
11 don't understand the last question, last part of the ques-
12 tion about the snubber displacements on the load.

13 MR. EBERSOLE: Chet, may I review my structural
14 ignorance here? Are snubbers in any case used to reduce
15 loads on hangers or just to reduce pipe stresses?

16 MR. YIN: It, it to reduce, well, not reduce. It's
17 really, how are you going to say it. It's the original
18 design saying that portion of the load should be assigned to
19 the snubber and some other portions of the load are assigned
20 to other -

21 MR. EBERSOLE: The essence of my question is this.
22 If I take the snubbers out, will I have a problem with the
23 hangers?

24 MR. YIN: You may or may not depending on the
25 frequency change. In many cases, based on my review, the

1 actual loads and the pipe stress actually decrease because
2 you're shifting the frequency in the range that you have less
3 response. So it is very unpredictable. In some other
4 cases you may have maybe 30, 40 percent jump on the stress
5 and loads.

6 MR. EBERSOLE: The extension of my question was
7 then if they don't lock up I may have overloaded hangers?

8 MR. YIN: You may or you may not. You may help
9 the situation as a matter of fact. But again, it's a kind
10 of a thing, if you don't do it, you won't know.

11 MR. SHIPLEY: Mr. Ebersole, if I may comment on
12 that. We looked at those cases where it was determined that
13 the snubber would not lock. We then looked at the loading
14 distribution on the adjacent hangers and showed that those
15 hangers could be qualified.

16 MR. EBERSOLE: Thank you.

17 MR. SIESS: Okay. Let's try the next one.

18 MR. YIN: Number 3, the SSER stated that --
19 inspection by NRC staff had opportunity to inspect the
20 affected components on a first hand basis and that --
21 installed in proximity to equipment nozzle and rigid re-
22 straints were viewed by the peer review panel. Please
23 discuss the purpose and scope of the viewing and what hard-
24 ware attributes have been checked and verified by PRP?

25 MR. SIESS: Now, this is a question addressed to

1 the PRP. I think I'll just ask the Committee, would you
2 like to hear their response to it? There are some of these
3 that you might expect them to respond, but you don't want to
4 hear it. Anybody want to explore this? Are you hesitating
5 saying no or hesitating saying yes? First, let's ask if the
6 PRP can respond to it? We don't know what's involved.

7 MR. SAFFELL: Well, I guess rather than the PRP
8 it was the task group plus some portion of the PRP but it was
9 not the entire PRP. We ah and I'll respond to it because I
10 think I can explain what we viewed it for.

11 We were interested in one, seeing an example. Two,
12 examining if the as installed snubber was in fact tight for
13 example in and around where the clevis arrangement where the
14 snubbers hooked in, to be frankly be able to try and shake
15 the pipe. We did not ask for specific clearances to be
16 taken.

17 We did view the clamp arrangement. We did view
18 some of the shimming, examples of the shimming that had
19 taken place with respect to the rigid restraints.

20 MR. EBERSOEL: Did you find cases where you could
21 have used a struct which was adjustable and then fixed and
22 just leave it on automatic clearance?

23 MR. SAFFELL: Instead of a snubber for example?

24 MR. EBERSOLE: Right.

25 MR. SAFFELL: I think you can't really determine

1 that from the field. You have to know the design conditions
2 of the pipe and what thermal movements may occur before you
3 can really make that kind of a decision. In general, I would
4 say yes, there were. But without knowing, you know, without
5 benefit of further information -

6 MR. EBERSOLE: Without the fine structure.

7 MR. SAFFELL: So, you know, it was indeed what one
8 would call a general viewing to get a feeling for what was
9 in the field.

10 MR. YIN: I don't think that Region 3 instruction
11 can get away with that general viewing. You should have a
12 specific problems and scope on what we're doing at the site.

13 MR. SIESS: Are you speaking to a lack of a
14 quality assurance program in the NRC but I don't think this
15 is the best place to address it. Let's go on to the fourth
16 question which has to do with statistics.

17 MR. YIN: Number 4. Among the 95 proximity
18 snubbers, please provide the following category information:
19 A, installation of the snubber is justified because of
20 excessive, let's say one sixteenth of an inch or more, ther-
21 mal movement at the location, how many belong in this
22 category? B, how many snubbers, subsequent to the evaluation
23 were determined to be inoperable in either DE, DDE or hos Cree
24 seismic conditions based on the 406 inch deflection criteria?

25 MR. SAFFELL: I believe that information is

PCC
NRC-72
T-4
13

1 available in the licensee's submittal, but I would have to
2 sit down and get the submittal out and count those up. I
3 don't have those numbers handy.

4 MR. SIESS: Will you supply that?

5 MR. SAFFELL: Yes.

6 MR. SIESS: Okay, on item 3 your first comment was
7 basically the same as the other one, right?

8 MR. YIN: Right. So we'll skip to the second.

9 MR. SIESS: Okay.

10 MR. YIN: The second question or concern I have
11 or comment to be more appropriate, among the 443 rigid
12 restraints, how many required shimming?

13 MR. SAFFELL: That number has not been provided to
14 us as far as I know because the licensee was not scheduled
15 to complete the shimming program until the thirteenth. That
16 was his schedule date for completion of that. But I will
17 provide it.

18 MR. BENDER: Could I ask why that's important to
19 know?

20 MR. YIN: Because as you mentioned it's a change,
21 a hardware change and we want to know how many hardware
22 changes you make.

23 MR. SIESS: Why?

24 MR. BENDER: I'd really like to know. Suppose it
25 were 50 percent of them. What judgment could I make? I'm

1 trying to understand the significance of the information so
2 if it's given to us we'll know what to do with it?

3 MR. YIN: I get to that in question 3 and 4.

4 MR. BENDER: All right. Sure, I'll wait.

5 MR. YIN: In shimming an --, will the condition
6 cause overstress on the support of piping system. Also, if
7 excessive potential for stress condition did exist without
8 the shimming having been performed, would it be a -- report
9 items that have never been reported?

10 MR. BENDER: Does that address -

11 MR. SIESS: I think I get the point. It's
12 interesting. How many cases required shimming and if they
13 had not been shimmed, if it had not been discovered and this
14 condition imposed on the license, would the result have been
15 an overstress? Now, the last one has to do with whether it's
16 reportable.

17 It's none of my business. I guess that's enforce-
18 ment. But I think it interesting because I've often thought
19 it would be nice to do a PRA on Diablo Canyon before and
20 after all these stritures were made and it was a suggestion
21 here that if shimming was required and it had not been done,
22 the plant would less safe than it is after shimming has been
23 done and if I, you know, understand the requirements, the
24 licensing requirements, I think that is true, but I think if
25 we did a PRA we probably couldn't tell the difference. I'm

1 not sure anybody knows how to put shimming into a PRA.

2 MR. EBERSOLE: It's put in at Indian Point.

3 MR. BENDER: Dr. Siess, you know how much I admire
4 the use of PRA's. I won't comment on that part of it. But
5 the question that has been asked is how many. I would be
6 interested in what effects might result from the shimming -

7 MR. SIESS: Well, that's the third point.

8 MR. BENDER: The next question's on overstress.
9 It may be a matter of whether we're putting more limitations
10 of the ability of the pipe to slide that may be in question.
11 Those kinds of things need to be understood. But how many
12 of them I don't think is a question that will answer that.

13 MR. MYSINGER: You're asking for judgments or
14 opinions. I would like to say that we're talking here of
15 the decision was made to go ahead and shim, but we are
16 finding that during the normal thermal operation and we're
17 overstressing pipe.

18 The other side of the coin here is one that's been
19 discussed this morning by putting the shims in we have less
20 movement of the piping before it binds up and I think it
21 could be argued that before we made any of these corrections
22 we were probably as safe as we are after we have made them.
23 We know we're going to have the thermal, we're not sure of
24 seismic and we're putting the shims in and getting it more
25 rigid for thermal.

PCC
NRC-72
T-4
16

1 And again, I feel that the materials that we're
2 using in these plants, we can expect them to perform
3 elastically and plastically the 403 sixteenths of an inch
4 that we had there originally without doing any damage. I
5 think I support the position that we go ahead an shim, but
6 I think it was a judgment call as to whether even that was
7 required.

8 MR. SIESS: I might note that within the ACRS
9 letter of April 9 this year with regard to hot shimming for
10 close displacement strengths, the Committee said we believe
11 that this requirement deserves further technical review and
12 discussion between the staff and the licensee. Was there
13 such technical discussion considering something besides
14 earthquakes?

15 MR. KNIGHT: I think it's fair to say that there
16 was discussion. I guess it's also fair to say, I know it's
17 also fair to say that absent some, one might characterize
18 as almost brutal effort and analysis in looking at inelastic
19 actions and everything else, the only way that we could come
20 to a quick meeting of minds as to what acceptable procedure
21 the staff would accept was to go ahead with the shimming.

22 There was not and I really I think I get the
23 essence of your question, there was not a detailed, lengthy
24 period of discussion on what alternatives might there be and
25 how might we approach these uncertainties in part because

1 we've had that experience in the past and know that we could
2 spend an awful lot of time in arguing and going into great
3 detail and analyses and burn up a lot of resources without
4 reaching any decision so we took a pragmatic approach.

5 MR. SEISS: The sixteenth of an inch I gather is
6 a traditional value. I think I saw it referred somewhere as
7 an industry standard which means we've been doing it that
8 way for a long time and haven't had any problems. Is that a
9 reasonable characterization of the sixteenth of an inch as
10 far as thermal movement is concerned? The industry obviously
11 doesn't have a standard on seismic movements.

12 MR. SHIPLEY: It's a construction fact to con-
13 struct the supports with a sixteenth of an inch on each side
14 of the rigid --.

15 MR. YIN: It's three sixteenths of an inch
16 maximum.

17 MR. SHIPLEY: I might add it's a sixteenth of an
18 inch on each side of the pipe plus a sixteenth total dia-
19 metral plus or minus, so if the piping were touching one side
20 of the support the maximum you could have on the other side
21 is three sixteenths.

22 MR. SEISS: Well, that's beside the point. I'm
23 not interested in that right now. But this is something that
24 I assume has been done for years in power plants. Is that
25 right?

1 MR. SHIPLEY: Yes, sir. In my experience with
2 Battelle that was always used.

3 MR. SIESS: And it's based at least in one
4 direction on construction tolerances?

5 MR. SHIPLEY: Yes, sir.

6 MR. SIESS: Now, I would assume that experience
7 has shown that that's enough that you don't get into
8 trouble with interferences and thermal movements?

9 MR. SHIPLEY: That is correct. I think you've
10 just said a key phrase, the thermal movements. The reasons
11 for the sixteenth of an inch is to provide some capability to
12 insure thermal expansion will be allowed axially through the
13 support and that's the reason for the sixteenth, trying to
14 shim any closer than that has an adverse effect on construc-
15 tion and the ability of the supports to do that.

16 MR. SIESS: And this is a criterion that was
17 developed on other than seismic design products?

18 MR. SHIPLEY: Yes, sir, that's correct.

19 MR. EBERSOLE: Let me ask, you're talking about
20 supports now which become functional in the presense of an
21 earthquake. To support the -- and other aspects you use
22 deadweight hangers and string hangers, right?

23 MR. SHIPLEY: That's essentially correct. Some-
24 times the supports are built -

25 MR. EBERSOLE: I've always been interested and

1 as you'll find out now, how do you coordinate the function
2 of deadweight hangers and snubbers in a seismic event con-
3 sidering the throw of the counterweights?

4 MR. SIESS: You analyze them.

5 MR. EBERSOLE: Is that done weight by weight?

6 MR. SHIPLEY: I think counterweights perhaps is a
7 misnomer. What we typically use are spring type supports.

8 MR. EBERSOLE: You only use deadweight hangers at
9 Diablo?

10 MR. SHIPLEY: Well, springs and ridges.

11 MR. EBERSOLE: Well, you do or you don't use dead-
12 weight hangers?

13 MR. SHIPLEY: I think the term is the problem.

14 MR. EBERSOLE: Well, the kind I'm talking about is
15 of course is the kind that has a arm and a fulcrum and a
16 heavy weight.

17 MR. SHIPLEY: No, sir. We do not use those. You
18 don't use those.

19 MR. EBERSOLE: You use strings then?

20 MR. SHIPLEY: Yes, sir.

21 MR. SIESS: Any other questions? Okay. You want
22 to go to lunch early, gentlemen? Everyone who wants to go to
23 lunch stand up and we'll reconvene at five minutes after one.

24 (Whereupon, the meeting recessed at 12:05 p. m. to
25 reconvene at 1:05 p.m.)

1 DR. SIESS: The meeting will reconvene. We'll pro-
2 ceed with the presentation of staff. The next item is num-
3 ber four.

4 Items number four and five will be
5 presented by Ted Sullivan.

6 MR. SULLIVAN: License position, item 4, sometimes
7 called thermal gaps requires that PG&E identify places where
8 thermal gaps have been specifically included in the piping
9 thermal analyses. It then went on to require that for these
10 cases the licensee develop a program to periodically inspect
11 these gaps to insure that they are maintained throughout the
12 plant life. PG&E identified that there were 37 gaps. That's
13 a current figure. This number has been changing a little
14 bit, but currently 37 gaps modeled in thermal analyses and
15 these gaps are modeled in specifically account for normal
16 construction of tolerance gaps and they're modeled in to re-
17 duce the pipe stresses and the support loads.

18 MR. KNIGHT: If I might, I think just a little bit
19 further explanation of what a thermal gap is and what it
20 means might --

21 MR. SULLIVAN: Ok.

22 MR. KNIGHT: Give some assistance.

23 MR. SULLIVAN: Ok, in the cases we're talking about
24 rigid restraints where you might have this maximum 3/16" gap
25 that we were talking about this morning, in the analysis what

1 you do is, you provide for the clearance that's actually in
2 the as-built support, so that as the pipe grows it either
3 does one of two things in the analysis which is intended to
4 represent what would happen in the field. And one case
5 would be that the gap would never close because the pipe
6 thermal growth is not very much or the gap would close at
7 some time during the heat up, before the pipe reaches the
8 normal operating temperature. So those are the two cases.

9 Also, of the 37 gaps, we're only talking about small
10 bore piping. PG&E in --

11 MR. BENDER: Excuse me, in this case small bore
12 really means less than 2"? 2" or less?

13 MR. SULLIVAN: In this case I mean 2" or less. I
14 think that's the current -- definition of small boring. In
15 a submittal that we received in April, PG&E proposed to
16 monitor the gaps in their cold condition at refueling out-
17 ages. And after reviewing this and discussing it among the
18 task group, the four of us that were responsible for this
19 particular item, we weren't completely satisfied with this
20 proposal. We had further discussions with PG&E along the
21 lines that we would be interested in having them do some
22 monitoring, at least once, of the gaps in the hot condition.
23 And, PG&E declined to do that. I think for a couple of rea-
24 sons. One of them was LARA considerations. They came back
25 with a subsequent proposal and that proposal was essentially,

1 to eliminate this kind of condition from the plant. They are
2 planning now to reanalyze the piping without the gaps, which
3 is the way they would have been analyzed -- No, let me put
4 it another way, which is the way all the rest of the supports
5 that are of the rigid type are analyzed and then, as support
6 loads change, if necessary, they will requalify piping,
7 supports and nozzles for --, as the case may be.

8 And the proposal is to complete the program by the
9 end of the first refueling outage which we have found
10 acceptable for a few reasons. One of them we mentioned is
11 that these pipes have already been through some sort of hot
12 functional testing and no adverse situation has come up and,
13 furthermore, they are analyzed so they do meet licensee's
14 criteria. I would characterize them as the principal reasons
15 why we find this acceptable to go through one more refueling
16 outage before all of these conditions have --. That really
17 completes what I wanted to say about License Commission Item
18 4 on Thermal Gaps.

19 MR. BENDER: Could I ask a couple of questions.
20 Thank you, Mr. Chairman. Is there any of the piping you
21 can't see after the initial cycle, that's not exposed for
22 inspection purposes, that's involved in this issue?

23 MR. SULLIVAN: That you can't see for what reason?

24 MR. BENDER: Because of the radiation level or be-
25 cause it's thermally too warm or it's covered up in such a

1 way that the insulation prevents you from seeing how it's
2 behaving?

3 MR. SULLIVAN: Ok, from the point of view of the
4 insulation, the insulation, from my experience, -- down the
5 flight, does not cover the supports up. It doesn't cover
6 the pipe runs. You can still - you can clearly see the
7 supports, right. From the point of view of ALARA, I think
8 I would have to defer to PG&E, although I do have a list of
9 what systems they're from, with me over at my place there.

10 MR. BENDER: Is the answer some, none or a lot?

11 MR. SULLIVAN: I see shaking heads over there. I'm
12 inferring that means that they don't anticipate that if they
13 didn't get to this by the end of the first refueling outage
14 they still wouldn't have problems. I might make one more
15 point though. I don't think they're anticipating too many
16 structural modifications from this.

17 MR. BENDER: I'm not expecting any. I just want to
18 know whether they can see it after they've run through the
19 operation one time and that's why I'm asking the question.

20 MR. TRESLER: This is Mike Tresler. I'm certain that
21 we would be able to gain access to perform the inspections.
22 There is a potential that some of these may be located inside
23 containment, but I don't believe that there are any areas
24 where the exposure would be so high as to preclude inspection.

25 MR. BENDER: Thank you.

1 MR. EBERSOLE: Why is the topic of thermal gaps re-
2 duced to just 2" or smaller?

3 MR. SULLIVAN: Well, when we first got involved in
4 this license condition and I think it was in our April sub-
5 mittal, the only other piping that was larger than 2" that
6 involved this kind of condition had, I think, consisted of
7 4 gaps total on 2 different lines and they had already been
8 analyzed and shown to be acceptable, without the gaps.

9 Now, I don't know exactly why it turned out that this
10 particular technique was used in small bore almost exclusive-
11 ly and not large bore. We didn't ask that question.

12 DR. SIESS: Another question? I don't think Mr. Yin
13 had any problems on this side -- on item 5.

14 MR. SULLIVAN: Item 5 deals with piping system walk-
15 downs and what the License condition provided was for an
16 NRC participation in some hot walkdowns of main steam piping.
17 And, as you can see from glancing down the slide, it turned
18 out that we also added one more system which was an RHR walk-
19 down. Certain portions of RHR.

20 The way we went about this was to review the proced-
21 ures that PG&E has used for the hot functional walkdowns and
22 to also review the procedures that they will be using for the
23 power ascension walkdowns. And the team had a few questions
24 about the procedures and approaches in general. We spent
25 some time at a meeting in May and also during our site visit

1 exploring the answers to those questions. We later went out
2 then when the timing was feasible to do these walkdowns in
3 late May. We reviewed results of previous walkdowns of these
4 two systems as well as other systems. In the actual walkdowns
5 we performed those walkdowns in - on four different days that
6 we were out there.

7 We started out doing an RHR walkdown in a cold con-
8 dition because the plant was under some level of low power.
9 RHR was not high. We followed that by doing walkdown of
10 main steam hot, then the following day we did RHR hot and
11 then later when the main steam piping was cold, we did main
12 steam cold. We approached these walkdowns from a couple of
13 points of view. One was that we wanted to take measurements
14 at discreet locations, as these locations were designed in
15 the walkdown by PG&E. We did some measurement taking as well
16 as watching the way the PG&E engineers did the measurements.

17 We also, I would say, spent most of our time walking
18 down that piping to look for actual potential interferences
19 and on the next slide I've summarized what the results of
20 those walkdowns were.

21 And I'll talk about how we resolved those different
22 items that came up. On the main steam line there are four
23 legs. We walked down all four legs. We took measurements
24 of two of the four. It turns out the way the piping is con-
25 figured that lines 1 and 2 run a fairly similar pattern to

1 each other, so we took measurements on line 1. 3 and 4 are
2 similar to each other. We took measurements on 3.

3 We observed all 4 of them. Of the two that we took
4 measurements on, on each line there was one point that was
5 outside some criteria that PG&E has for maximum deviation
6 from calculated thermal displacement. The way those prob-
7 lems were disposed of was the following: a fair amount of
8 time trying to physically figure out why the piping was out-
9 side the criteria. When PG&E determined that there was no
10 significant finding anywhere, no single point reason for
11 the discrepancy, that could be resolved they resorted to
12 analysis where they used the measurements that were taken as
13 new boundary conditions and reanalyzed the piping, reanalyzed
14 any support loads that increased, -- head loads that increas-
15 ed and so forth.

16 But they were all determined to be within code. There
17 was one unintended restraint on the main steam line and that
18 turned out to be a case where there was a so-called abandoned
19 stanchon that on full heat-up was butting up against a very
20 large structural column. That was also analyzed and deter-
21 mined not be a problem, but PG&E has decided to cut that
22 stanchon off and observe it during the - observe the way the
23 pipe moves in that area as well as the rest of the piping
24 during the power ascension tests. And there were several
25 cases where the construction people had erected scaffolding

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

for our purposes, not being fully aware of how much the pipe was going to grow and since the maximum displacements on these lines are on the order of about 7", there were some places where the insulation was pushing up against the scaffolding.

The -- chart system turned out to be much cleaner. All of the measured displacements were within criteria. In fact, they almost turned out to be close enough to be an ideal engineering laboratory experiment. And there weren't any unattended restraints. So that's basically what we did on that walkdown.

DR. SIESS: That concludes your comments?

MR. SULLIVAN: Yes, it does. Mr. Yin, do you want to --

MR. YIN: Yes, sir. Thank you, Mr. Chairman. The questions I have - comments, rather, number one, the objective of this particular follow-up appears to be - fail to describe inspection of spacing -- for piping component sizing. That is, design based earthquake, double design earthquake and auswic movements that operate in procedures. The program did not provide measures to inspect, for one, piping components that may damage potentially -- such as electrical -- and cable choice; two, components that may be damaged by -- spaced structures and, three, interference that could change the piping natural frequencies thus cause the redistribution

1 of support loads or shifting of higher loads to the more
2 critical equipment nozzle connections.

3 DR. SIESS: Would you like to address that?

4 MR. SULLIVAN: Yeah, I have some remarks on that.

5 First of all, our - as I was talking before, our main objec-
6 tive was to review these systems from the point of view of
7 thermal expansion-mechanical behavior. That's what we had
8 in mind for this license condition, so-called hot walkdowns.
9 The procedures that are used by the utility for these walk-
10 downs did not specifically address Isa's first comment. And
11 the procedures that do address it I believe are titled
12 "Stress Walkdowns" and they were done separately by the com-
13 pany. However, we did, as I noted, spend quite a bit of
14 time - I would say the majority of our time - at some per-
15 sonal risk in climbing heights that I'm not particularly used
16 to, looking on all sides of these pipes, along their entire
17 lengths and we did not observe for these systems any cases
18 where we found electrical panels or cable -- up at these
19 elevations anywhere nearby and did not observe cases where
20 piping was running so close to the piping we were looking at
21 that there would be potential for impact.

22 I guess I might also add through that if there were
23 cases where the piping was impacting some nearby vacant
24 structure, I don't see how that would cause a problem. In
25 the piping you intentionally put restraints all along the

1 length and I think if there are a couple more, although I
2 don't expect them, but if there were a couple more I think
3 that it would tend to help damp out the motion rather than
4 cause any load increases that would be a problem.

5 MR. YIN: Are you saying that more interference is
6 better?

7 DR. SIESS: No, I hope not. Those first two items
8 really relate to things that might be damaged by pipe move-
9 ments, I assume, in the case of earthquakes. Is that right?

10 MR. SULLIVAN: That's correct. Yes, sir.

11 DR. SIESS: The licensee has done a seismic inter-
12 action study and I wonder if he can tell me whether those two
13 things were looked at as a part of the seismic interaction -
14 things that might be damaged by a pipe undergoing the kind of
15 movements it would be expected to undergo during an earth-
16 quake?

17 MR. TRESLER: Mike Tresler, PG&E, I believe you're
18 speaking to the seismic interaction program which was address-
19 ing primarily Class II or non-safety related installations.

20 DR. SIESS: I remember it having a narrow scope.

21 MR. TRESLER: Interacting with Class I installations
22 and, yes, that's been done and has been completed. To be
23 more specific to Mr. Yin's concern, is the stress walkdowns
24 that were performed prior to heat-up of the plant and we did
25 this program with the stress engineers under a great risk

1 procedure where they went out and walked down the piping with
2 the movements, both seismic and thermal, from the analysis
3 and the purpose of that walkdown was twofold. Number one,
4 to identify that the piping and supports, indeed, were con-
5 structed as designed and, secondly, to identify any potential
6 interferences to perform analyses or modifications to elimin-
7 ate those potential interferences.

8 And that was done prior to heat-up.

9 DR. SIESS: --, I've often wondered what kind of
10 movements would you expect to see, let's say, for a designer
11 -- what kind of calculated type movements do you get?

12 MR. TRESLER: Well, let's --

13 DR. SIESS: At the upper end of the scale.

14 MR. TRESLER: I think I prefer Mr. Shipley to address
15 that.

16 MR. SHIPLEY: The - in one particular case, in fact,
17 the one that the NRC accompanied us in the walkdown, the RHR
18 system, the average movements are in the 1/16 of an inch
19 range, with the maximum at about 3/4". Now, some systems
20 that are less restrained than that are somewhat greater, but
21 I think that's a pretty good representation.

22 DR. SIESS: I mean, can you get 6" anywhere?

23 MR. SHIPLEY: It's very unlikely.

24 DR. SIESS: 3"?

25 MR. SHIPLEY: I think 3" is possible.

1 DR. SIESS: What about if you make a distinction it
2 was large bore, small bore?

3 MR. SHIPLEY: Large bore.

4 DR. SIESS: What kind of thermal movements do you get
5 in large bore pipe?

6 MR. SHIPLEY: Oh, you can have up to 6", 7".

7 DR. SIESS: Yeah, I guess so, and in the same direc-
8 tion.

9 MR. MOCH: Excuse me, John Moch. Let me amplify
10 something as far as seismic interaction and clarify it a
11 little bit. The particular issue that Mike talked about,
12 while that wasn't a specific criteria for seismic interaction
13 program, if the program Mike was talking about had not been
14 carried out, the seismic system interaction program would
15 have had to consider that very thing. As a matter of fact,
16 it did in other areas. Let me just give you an example. One
17 of the areas that was identified as a potential problem was
18 looking at the top of the steam generator, there was some
19 instrument tubing coming off the steam generator which
20 clearances have been figured out between the tubing and the
21 grading for seismic movement and for thermal movement, but
22 not for the combination of the two things. And that was
23 something that was identified out of the program.

24 DR. SIESS: In the stress program or --

25 MR. MOCH: No, that was just interaction program.

1 DR. SIESS: In the interaction program?

2 MR. MOCH: Yes. Another example just amplified
3 something Larry said is, in a lot of cases or in a number of
4 cases, non Class I piping, and I think I've pointed out per-
5 haps in the plant to several of you, non Class I piping was
6 found as part of the system interaction program to not have
7 a lateral restraint. And, in the case of seismic movements
8 of that piping, it was possible the piping strain lines, for
9 instance, could swing significantly. And those kind of move-
10 ments could be, you know, many inches. And so that's the
11 kind of thing the program did is to provide some lateral
12 strain.

13 DR. SIESS: Nobody addressed the third item, inter-
14 ferences that could change the natural frequencies.

15 MR. YIN: Could I comment on that personal before we
16 --

17 DR. SIESS: Ok.

18 MR. YIN: The reason for the license condition item
19 5 is the fact I don't believe the stress walkdown that they
20 have was adequate. There's two problems. First of all, the
21 stress walkdown procedure requires the personnel to look bas-
22 ed on the stress calculation. Yet the stress calculation
23 shows the pipe moved in each direction 2" and then possibly
24 the 1" seismic movement. The personnel would look at just
25 that. Now, this is on the basis assumption the pipe will

1 move exactly to that location. There is no intention to in-
2 clude whether or not - or question whether or not the pipe
3 will move sideways or in different directions. If that's
4 the case, how are we going to deal with the seismic movements?
5 That's the program merit procedure problem I have.

6 The second problem is the procedure implementation
7 problem. I have also walked down a large number of piping
8 systems. By the way, we were trying to show the SRAS, the
9 ACRS members those locations where there are large inter-
10 ference. But due to the radiation problem, there was nothing
11 able to guide the members - some of the members to those
12 locations. They are touching the wall. They are touching
13 the floor. So long as interference could have - should have
14 been identified and not been identified by the personnel who
15 is supposed to carry on the program.

16 So, basically, the program itself is not adequate.
17 Secondly, the implementation of the program is not consider-
18 ed satisfactory.

19 DR. SIESS: Let's see. The second item you said,
20 you have walked down some of that. You've found things that
21 the peer review group did not find?

22 MR. YIN: Yeah, it's all documented in my draft re-
23 port. You people should have a copy.

24 DR. SIESS: This is your report. I'm not sure --

25 MR. YIN: The draft report. The draft revision.

1 DR. SIESS: What's the date of it?

2 MR. YIN: I don't have it with me.

3 DR. SIESS: I mean, was this recently or is this --

4 MR. YIN: No, it was submitted during the first ACRS
5 meeting. I mean involving this issue.

6 MR. MICHELSON: Was that Revision Three we got at
7 that time?

8 MR. YIN: That's correct.

9 MR. MICHELSON: Ok, thank you.

10 MR. SHIPLEY: Dr. Siess, could I --

11 DR. SIESS: Yes, please.

12 MR. SHIPLEY: During the ACRS walkdown at the site
13 it's true that there were some areas that we could not get
14 into. However, there were also some areas where - that we
15 reviewed that were cases where Mr. Yin has identified inter-
16 ferences, in those cases we explained one by one as to exact-
17 ly why, in the stress walkdown, it was considered an inter-
18 ference. And an example might be - this is an example, the
19 - in a particular case the thermal movement was clearly away
20 from the interference and there was no way that that - that
21 the thermal movement of the pipe could take place in any
22 other direction than the one in which it was predicted. And,
23 from that point of view, it was not noted as interference be-
24 cause the analyst realized that was the case.

25 MR. YIN: But when you mention the pipe is moving

1 away from the interference. This is based on design, you
2 know, it is based on observation. The pipe indeed moves away
3 from the pipe. This was in the reverse category of my state-
4 ment is the fact everything you do, everything you inspect
5 is based on design. It is not based on observation. And
6 normally you would allow 5" or 6" or 3" of clearance all
7 around. So you won't get involved into that kind of situa-
8 tion. But that was not done in this site.

9 MR. SHIPLEY: We had cases that were specific ones
10 that we looked at where there was an anchor in the piping
11 system that pulled the three directional fixative of the
12 piping system whereupon the pipe grew axially from that
13 anchor and thereby moved the piping away from the interfer-
14 ence. There was no question that that was the direction that
15 the pipe had to move.

16 MR. YIN: We're not talking about in general. We're
17 talking about - we're talking all cases what you have design-
18 ed is what you're going to get in reality. I doubt very much
19 - I can show you tons of evidence that's indeed not the case.

20 MR. SHIPLEY: That's the specific reason for why we
21 have the hot walkdowns is to be sure that the piping is mov-
22 ing -- or that we have reason to believe that it's acceptable
23 as it is moving.

24 MR. YIN: Right, and your hot walkdown does not tie
25 back to the stress walkdown., that's my big problem there.

1 There's no connection between the stress walkdown and the hot
2 walkdown. So you identify that the pipe is not moving in the
3 direction you designed, you have not provided additional
4 effort to check back to the stress walkdown to insure that
5 particular location will not cause kind of an interference,
6 seismic.

7 DR. SIESS: I guess I don't understand now because I
8 saw table after table comparing completed and measured move-
9 ments. Now, what's the difference between that and what
10 you're talking about?

11 MR. YIN: Well, two things. First of all, you per-
12 form the stress walkdown and you make sure, based on the -
13 you carry out the stress diagrams, you carry out the stress
14 results and, based on that, you predict, say this pipe and
15 this particular movement - location, it's got to move towards
16 the wall. But the wall is sufficient distance away from the
17 pipe that the predicted location, that you say, this is pass,
18 no problem. Now, you come on to the second program, it's
19 called the hot walkdown. And hot walkdown finds out that the
20 pipe is not moving towards that wall. It is moving outward,
21 where outwards is not the wall, it's going to the ceiling.
22 For instance, --

23 DR. SIESS: But isn't that what they did? They did
24 a hot walkdown.

25 MR. YIN: Yes, but the hot walkdown measurements does

1 not correspond to the seismic movements. That is - what I'm
2 saying is, in reality, when the pipe moves to that particu-
3 lar location, there was no program to make sure the seismic
4 movement would not damage other equipment or be damaged by
5 some structure.

6 DR. SIESS: Let me see if I could put it a different
7 way. You're saying that the hot walkdown did not determine
8 whether the thermal movements had reduced the margin avail-
9 able for seismic movements?

10 MR. YIN: Yes. The hot movement is - if the hot
11 movements corresponding exactly to the design, I have no
12 problem with that. I think the program is adequate.

13 DR. SIESS: They have actual measured movements from
14 the hot walkdown that I saw.

15 MR. YIN: That's correct.

16 DR. SIESS: And your question is that those movements
17 could have -- the amount of space that they assumed was
18 available for seismic movement?

19 MR. YIN: That's correct. If you expect to find
20 movement towards the wall, say 2", now you measure 3", so the
21 amount of space left for the seismic movement may be reduced
22 by 1". Would that cause a problem? That is the issue here.

23 DR. SIESS: And how would you go about doing that?

24 MR. YIN: Well, normally, in the industry they will
25 estimate the total amount of movements and then they go out

1 when they have the construction going on to insure that
2 sufficient clearance, say 5", 6", the maximum that you can
3 possibly predict in all directions, make sure that all around
4 you don't have that interference.

5 DR. SIESS: Is that the only way to do it?

6 MR. YIN: Another way to do it is like, for instance,
7 like Diablo Canyon. They should use the hot walkdown data,
8 combined with the seismic movement to check whether or not
9 you have interference problems.

10 DR. SIESS: Myer?

11 MR. BENDER: I'm -- too. I'm trying to understand
12 what's been said. One approach to doing this is to not
13 assign a side to the movement in which case you would add
14 all the thermal movement and all the seismic movement in the
15 same direction. Is that what you're suggesting they do?

16 MR. YIN: Can I draw on the board? Maybe --

17 DR. SIESS: Sure. As I understand it, let me ask
18 you one - suppose I do a hot walkdown and I find that all of
19 my movements are within a fraction of an inch of my predicted
20 movements.

21 MR. YIN: It's all depending on the original walk-
22 down. The original --

23 DR. SIESS: Let's say, suppose I find they're all
24 exactly the same as my predicted movements.

25 MR. YIN: I can answer that better on a drawing, if

1 I could.

2 DR. SIESS: Ok, try it.

3 MR. YIN: By analysis --

4 DR. SIESS: You'd better stick to white, that other
5 color is not showing, unless there is a yellow there.

6 MR. YIN: Alright now, by design we have a pipe mov-
7 ing towards the wall. This is a vertical wall. This is a
8 section of a room. This is a hard condition. This is a cold
9 procedure. And this is a hot procedure. And seismically,
10 it's got a wide range this way on the sideways. And you will
11 not touch the wall, based on design, ok?

12 Now, if the pipe is not moving exactly to this par-
13 ticular location, instead it's going to move to here. Then
14 you are really, if the seismic condition exists, this pipe
15 will bounce against the wall repeatedly. There is not way to
16 know it. This is condition one. There is also a possibility
17 that the pipe is going to move to here and you also have a
18 vertical seismic condition. You don't have to worry about a
19 vertical condition -- I'm pointing out the program --

20 DR. SIESS: And your point is that they ignored that?

21 MR. YIN: Yes.

22 DR. SIESS: It's a little hard to believe, but --

23 MR. SHIPLEY: Well, we ought to be able to find out
24 whether they did or didn't. If I could add a couple things
25 that were done during the stress walkdown. The - we looked

1 at interferences in both the small and the attached - I'm
2 sorry, in the larger of the attached small bore piping. We
3 looked for interferences and where it looked very close and
4 where we could not accurately determine that - which direction
5 the thermal movement was going to be in, it was noted and
6 those conditions were resolved. We were not playing with
7 1/16ths of inches, which is approximately the movement of
8 most of the pipe in the plant. We're not dealing with pip-
9 ing systems, entire systems, that are moving inches.

10 DR. SIESS: You're saying then that you did not ig-
11 nore the combination of seismic and thermal movements.

12 MR. SHIPLEY: I'm saying that the program inherently
13 considered that because we were not measuring things down in
14 the 1/16 of an inch range.

15 DR. SIESS: Now, has the peer review group looked at
16 this aspect of it at all?

17 MR. SULLIVAN: Well, we looked at it from the point
18 of view that when we did these two systems we went through
19 similar steps of looking at the kinds of clearances that
20 existed in cold and hot conditions and we could verify that
21 the types of clearances that we saw were large compared to
22 the motions, seismic plus thermal, that are predicted for
23 these pipes in any direction.

24 DR. SIESS: 5 or 6" that Mr. Yin referred to or --

25 MR. SULLIVAN: For the main steam, yes. We did not

1 see locations in the main steam piping where there were only
2 very small, and I would say on the order of an inch, left or
3 much larger clearances than that.

4 MR. YIN: Well, how much - what is the largest
5 seismic movement on the main steam line? Have you kept the
6 maximum displacement on the main steam line?

7 MR. SULLIVAN: I imagine the main steam line seismic
8 motions are on the order of about 2 to 3", but I think we
9 certainly might be able to confirm that.

10 MR. SHIPLEY: I'm sorry, I don't have that informa-
11 tion right now. I can have it in a few minutes.

12 MR. YIN: The 2 or 3", are you guessing or you can
13 really check it?

14 MR. SULLIVAN: That was not a check, that's an esti-
15 mate.

16 MR. YIN: So, indeed, we have not seen actually how
17 much the pipe will move under seismic conditions and --

18 MR. SULLIVAN: The numbers I was quoting was the
19 RHR system which was another system that the peer group
20 walked down. -- numbers from the RHR system.

21 MR. MICHELSON: That was 1/16 of an inch did you say?

22 MR. SHIPLEY: It was, at the worst case, it was
23 slightly over 3/4 of an inch, in the worst location. The -
24 by far and away the average movement in the system was 1/16
25 of an inch.

1 MR. MICHELSON: Thank you.

2 MR. BENDER: Since May, if we're going to talk about
3 the summing movements, they're going to have to be - it
4 doesn't make sense to look at the worst one. I think you
5 have to look at the movement at some place where the two
6 conditions are being combined. I don't have any reason to
7 believe that, you know, the maximum seismic movement won't
8 be at the places where the restrictions are the greatest,
9 but it's a valid point. I think we just have to know --

10 MR. YIN: Not only that, you also have to look in
11 the modes of operation and different modes of combination.
12 It all varies. What we're talking about is -- there are
13 other conditions and for the construction inspection purpose
14 it would be just the one separate number to use, all of them
15 to consider individual cases.

16 MR. BENDER: The nominal value that all pipes should
17 conform to, isn't that what you're suggesting?

18 MR. YIN: Well, today's construction mythology that's
19 true, but --

20 MR. BENDER: It makes sense to have some nominal
21 value.

22 MR. YIN: Right, but we recognize we don't have this
23 program and that's why we, at least I personally, believe
24 they should combine the hot walkdown and the stress walkdown
25 as one program and do not separate them because once you

1 separate them, you could not get the perspective of the
2 need to insure the interference.

3 DR. SIESS: I don't understand how you'd combine
4 them. You can't shake the plant at the same time you heat
5 it up.

6 MR. BENDER: You can look at the allowances though,
7 Chet. I think that's what's being said.

8 DR. BENDER: That's what they said we did.

9 MR. YIN: No, sir. What the stress work done is a
10 cold condition. Unless it's verified during the hot situa-
11 tion, the design in the cold condition, from cold to hot
12 movement is verified and the previous stress work done is,
13 in a way, invalid as far as --

14 DR. SIESS: Your hot walkdown doesn't show deviations
15 from the calculated values more than the tolerance you've
16 built into the plant, I don't see where the problem comes.

17 MR. YIN: No, that's no problem. You are correct,
18 sir.

19 DR. SIESS: The largest deviation they handled was
20 about an inch. Is that correct?

21 MR. SHIPLEY: I don't understand.

22 DR. SIESS: The deviation from calculated on the
23 hot walkdown.

24 MR. TRESLER: I don't think we know what the maximum
25 deviation was.

1 DR. SIESS: I just read your report and I think it
2 was 1.1 inch dump instead of point something down, so that
3 means it's an inch.

4 MR. RODABAUGH: Mr. Chairman, I can - since I have
5 the specs here, the largest deviation is plus or minus 1
6 inch.

7 DR. SIESS: That is observed.

8 MR. RODABAUGH: That's a specification --

9 DR. SIESS: No, I'm not talking about that. I'm
10 not talking about the specification. I'm talking about what
11 was actually observed in the hot walkdown.

12 MR. RODABAUGH: That's the criteria that Ted is
13 talking about and everything is within that criteria. That
14 means that the deviations are not greater than plus or minus
15 an inch from the calculated.

16 MR. YIN: Well, is plus or minus one inch to the
17 expected direction or all directions because that's impor-
18 tant too?

19 MR. SHIPLEY: To the expected direction.

20 MR. YIN: So there could be a situation in moving
21 upwards which is no measurement at all?

22 MR. SHIPLEY: That would not be true, you see, be-
23 cause in the case you've drawn, the anticipated motion is
24 only horizontal. Therefore, there would be a zero tolerance
25 on movement upward.

1 MR. YIN: Is that true? I'm not too sure. Based on
2 my experience it would also measure vertical too.

3 MR. SHIPLEY: What I'm saying is, it would need to
4 be specifically considered.

5 DR. SIESS: If you compute zero, he says, you'd ex-
6 pect to get zero and if it's not zero it's a deviation.

7 MR. YIN: Yeah, but that's true too, but you don't
8 really know as far as an interference is concerned whether
9 or not the vertical movement, which you have not measured,
10 you didn't look at it, will not cause any problems because
11 unless you show a set line on the pipe and draw a radius
12 you have no way to tell where it moves to and you do have
13 a concern. Plus or minus --

14 DR. SIESS: Sorry, you've lost me again. You said
15 the vertical is not measured and not looked at, why?

16 MR. YIN: Well, for this example, I'm referring to
17 the example that I gave.

18 MR. TRESLER: Excuse me, that's not true. We've got
19 to remember the purpose of the hot walkdown. The purpose of
20 the hot walkdown was primarily to take the number of mea-
21 surements necessary in all those directions, the three ways,
22 to assure that that piping was responding as predicted by
23 the analysis and there was a tolerance set on these move-
24 ments. We just discussed that and any conditions found to
25 be outside that tolerance were further evaluated for impact

1 on the plant and its safety. So we did measure vertical,
2 horizontal, axial --

3 MR. YIN: At every location?

4 MR. TRESLER: Not at every location, no. We took
5 the number of movements necessary to assure that the piping
6 was responding as predicted.

7 MR. YIN: Then that is really still the issue here
8 because you take any point, but if you don't look where it
9 is close to the structure and whether or not there is a
10 maximum movement at that location, how can you determine -
11 you don't have any interference column?

12 MR. TRESLER: I'm sorry, we've got to go back again
13 to the fact that we performed a stress walkdown. Granted,
14 that walkdown was performed with both the theoretical and
15 seismic movements coupled together, to determine whether or
16 not there was a potential for an interference. And if we
17 found the potential - I'm not talking about interference,
18 I'm talking about potential interferences - in another in-
19 stallation within such close proximity that we had to look
20 at it to determine whether or not there was a problem. We
21 looked at those cases too. We're not talking, as Larry said,
22 about 1/16 of an inch. Then we came back with a hot walk-
23 down to verify that the piping, indeed, was responding as
24 predicted thermally, alright? And since we got, generally,
25 a good match on that we have confidence that the results

1 obtained from our stress walkdowns are still valid.

2 MR. YIN: Well, there is no 1/16 you're talking
3 about. I know you have a different more space to consider.
4 You have 3/16 inch. If you have a 3/16 inch clearance and
5 you consider is enough gap in here, is that correct?

6 MR. TRESLER: I don't follow what you're saying.

7 MR. YIN: For instance, you are moving --

8 DR. SIESS: Excuse me, -- we were told it was a plus
9 or minus one inch in all those -- thermal. And I would
10 assume that was included when you looked at the stress walk-
11 down. If you don't think you can compute it within an inch,
12 you certainly should allow for that inch when you're doing
13 the check.

14 MR. SHIPLEY: The stress walkdown - let me go back
15 to the one inch and something I said earlier which was slight-
16 ly incorrect. If we go - the one inch is a maximum tolerance
17 on the movement in the hot - from cold to hot. That is for
18 the larger anticipated movements. For the smaller anticipat-
19 ed movements such as zero, there is a very small allowance in
20 there. What I said was, if it's a zero movement vertical in
21 that case, there would be a zero tolerance. There is a small
22 tolerance allowed vertically. Ok, so with that clarified,
23 the stress walkdown was done first and should not be combined
24 with the thermal expansion walkdown or test for a very sim-
25 ple reason. And that is that we want to catch interferences

1 before they occur. We do not want to have piping systems
2 overstressed, supports overloaded. When we heat-up we want
3 to be sure that we get those interferences remedied, out of
4 the way, before we start to heat up. Then we go in and make
5 sure that the piping is, indeed, free to expand thermally.

6 DR. SIESS: That's not the question. Let me try to
7 be specific to understand this. You're doing your stress
8 walkdown and you're looking at a pipe that has a potential
9 for hitting something if it vibrates in an earthquake. And
10 you've estimated the earthquake's movement at the design
11 earthquake level as plus or minus 3" in small - wiggle back
12 and forth. And you've also calculated one inch of thermal
13 movement in that direction. Now, you measure your clearance
14 and it's 4". Is that good enough?

15 Do you compare that 4 with your 3" seismic movement?
16 Do you compare it with the 4" thermal movement total or do
17 you put that plus or minus one inch on the thermal and com-
18 pare it to the 5 inches?

19 MR. SHIPLEY: I think cases where that would occur
20 would be very small. The number of times that would occur
21 would be very small. I think that it would be up to the
22 analyst that was walking down the piping system. You see,
23 the variation is a thermal issue, ok? The variation occurs
24 because of thermal - the case we're discussing right now -
25 and if a person is very sure, such as the first straight run

1 run away from an anchor. If he's very sure ne knows where
2 that piping is going to move and it can only go in that dir-
3 ection and it can only move that amount, then, yes, sir, that
4 would be acceptable.

5 If, on the other hand, he's out in the middle of the
6 system somewhere where it's very flexible, there's different
7 supporting arrangements such that the piping system might not
8 move exactly as predicted, the tolerance he would use on
9 acceptance of a potential interference would be larger. We
10 would expect the walkdown person who is familiar with the
11 stress analysis of that system to be able to make those value
12 judgments.

13 DR. SIESS: I guess you don't put any uncertainty
14 on the seismic movements, do you?

15 MR. SHIPLEY: Yes, sir, I do. That's why I prefaced
16 by saying the discussion we're having, but I think it's also
17 - it may be instructive to point out that in general the
18 thermal movements are less than predicted, not greater.

19 DR. SIESS: When you start doing that PRA on the
20 seismic, what are you going to do - will it actually look at
21 things like how much greater those seismic movements would
22 be for greater than design earthquakes? What they will be
23 when an earthquake is large enough to make the pipe go in-
24 elastic? Do PRA's get that specific or that good?

25 MR. SHIPLEY: I'm going to have to ask one of my

FREE STATE REPORTING INC.

Court Reporting • Depositions
D.C. Area 251-1902 • Balt. & Annap. 269-6236

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

colleagues about that.

DR. SIESS: That was a rhetorical question you can file away for the future. I'd like to get to Mr. Yin's third question on interferences that could change pipe natural frequencies. Is this something that is considered or are you just satisfied that there are not going to be any interferences now? Or have you ever looked at what changing the frequency can do?

MR. SHIPLEY: I think from an intuitive point of view, we have. In fact, we discussed this during the IDBP with Cloudin Associates and we believe that as you come into these interferences, number one, the insulation on the piping system which is primarily of a calcium silicate nature. There are some rigid type insulations, but mostly calcium silicate, is going to act as a cushioning device. It's questionable as to whether that is going to increase local damping in the system, perhaps it will. It certainly is not going to decrease it. Any amplification that has occurred that caused this movement to take place such that it interfered with an adjacent structural member will be dampened and de-coupled from the response of the rest of the system and amplification would have to build up again for that to occur.

As far as the load transfer goes, as far as load transfer goes to other supports and equipment and so forth,

1 we would - we see it as interference as being as a transient
2 nature rather than the calculations that we make that pre-
3 dict the system is in full residence. We this doing the
4 opposite.

5 We see it de-coupling from the full residence condi-
6 tion and, therefore. potentially, at least, helping the
7 situation, not hurting it. We don't want interferences.
8 We try not to have them, but we don't necessarily believe
9 they're bad, from a seismic point of view. From a thermal
10 point of view, there is a totally different story.

11 DR. SIESS: Let's go on to the next question, Mr.
12 Yin.

13 MR. YIN: Ok. Number two, question of sliding type
14 support was observed by the licensee to be a problem in
15 meeting the code and it was replaced by this waste drum.
16 It can reasonably be assumed that certain types of sliding
17 support installed at the -- could cause excessive frictional
18 forces. The PRB inquiry into the licensee measure to review
19 the issue on a generic basis --

20 MR. SULLIVAN: I believe what Mr. Yin is referring
21 to in his comment is something that is written up in the
22 draft SSER and in that section of the SSER what we were
23 discussing were the 8, total of 8, cases in the entire pot
24 functional testing where the pipe measured motion was out-
25 side of criterians. In one of these cases, the engineers -

1 and I don't remember whether it involved Westinghouse or not
2 - the engineers decided, after studying the system and the
3 way it was behaving, that the problem was a particular sup-
4 port that was hanging up, excessive friction and the de-
5 cision was made that that support should be modified to be
6 a slight strut.

7 In another case, in that same SSER, we discussed
8 another example where the - it was decided that friction was
9 the reason why a data point was outside of criterion. And
10 the way they handled it was to do a boundary condition analy-
11 sis for the measured displacements and came to the conclu-
12 sion that --

13 (End of tape)

14

15

16

17

18

19

20

21

22

23

24

25

1 MR. SULLIVAN: Came to the conclusion that
2 all the code allowables were met. (Inaudible) I think in
3 the approach and our review of this was such that we
4 felt that a very systematic across-the-board approach was
5 being used in that the, the hot walkdowns identified
6 piping motion that was not as predicted.

7 From those motions, studies were made to
8 determine what the causes were and if, if they felt
9 that the piping was being overstressed, the support
10 was modified. If they analyzed that the piping was
11 not being overstressed and within criteria, they did
12 not modify.

13 MR. SEISS: If, are frictional supports
14 designed in such a way that their friction coefficient
15 will remain constant during the life of the plant?

16 MR. SULLIVAN: I'm not sure.

17 MR. SEISS: In other words, what's the
18 probability that a frictional support that lets things
19 slide now might..

20 UNIDENTIFIED SPEAKER: Bind up later.

21 MR. SEISS: Bind up there at some later
22 point in time? And are there walkdowns, hot walkdowns
23 made at subsequent intervals?

24 MR. TRESLEF: I guess your question is what's
25 the likelihood of a support that hasn't been identified

1 as binding because of friction, being identified at
2 a later point in time as a big problem.

3 Our program has been to..

4 MR. SEISS: This is an old problem for
5 bridge designers.

6 MR. TRESLER: Our approach to hot walkdowns
7 was to perform walkdowns at the various temperature
8 plateaus and assess the system's performance and if it
9 was performing properly to go to the next temperature.
10 If it wasn't, we did whatever necessary investigation
11 was in order and either made a modification or
12 determined if it was acceptable.

13 I think that if we are going to have a
14 problem with friction that has already been identified
15 because now we're simply looking and experiencing
16 higher temperatures which just increases the likeli-
17 hood that the support will allow the pipe to slide on
18 it.

19 MR. SEISS: Suppose the friction gets higher,
20 suppose the joint..I don't know how they're made. I
21 asked if they were designed in such a way that they
22 wouldn't change in time.

23 If it's (inaudible) it probably won't. If
24 it's something that rusts..

25 MR. TRESLER: I think, I think what you're

1 talking about is binding, not a friction force.

2 MR. SEISS: I assume a friction support is
3 something that slides on something else.

4 MR. TRESLER: Right.

5 MR. SEISS: And is a force. So, there's a
6 coefficient of friction in there?

7 MR. TRESLER: That's right.

8 MR. SEISS: Assuming the force doesn't
9 change, is there anything that can change the coefficient
10 of frictional time to make it hotter.

11 MR. TRESLER: Nothing other than binding
12 it. We are going to perform additional walkdowns during
13 power ascension on those systems that we have not
14 observed at full temperature yet.

15 MR. BENDER: Binding may be the same as
16 gauling (Phonetic) or it may not be in your, your
17 definition, but it seems to me that rubbing surfaces
18 can, as a characteristic, to get rougher with time.
19 And if there's no lubricant on it, I guess I'd have
20 to say, well, you may be a little optimistic in saying
21 that the friction factor won't get higher unless you're
22 assuming it's warm.

23 MR. SEISS: Of course, it may be they built
24 enough power plants and they lasted long enough that
25 they know, too. And we, we still have bridges fall down

1 every once in awhile for that reason.

2 MR. SHIPLEY: I think there's, there's
3 several things that, that tend to mitigate the concern
4 about friction becoming greater.

5 One is, typically, in the start-up of these,
6 these systems you have a little bit of vibration in
7 the line that's caused by a flow through the lines and
8 so forth. And, in general, that causes the, the
9 friction forces to break loose, if you will as the, as
10 the system begins to operate and heat up.

11 We would not expect a significant amount of
12 rusting of these surfaces and..

13 MR. SEISS: Since the subject is earthquakes,
14 I might add that during the earthquake, there could be
15 a lot of vibrations. I don't know whether that's good
16 or bad.

17 DR. CLOUD: An astitute observation. If
18 I could add a couple of things. As part of the IDVP,
19 we, of course, did not evaluate this question, but
20 I could make a couple of observations.

21 There are a number of friction type supports
22 on the piping systems. In general, these friction
23 type supports have a substantial clearance. So, I
24 wouldn't expect a gauling or finding in that respect.

25 Secondly, the increase in the friction in

1 these supports during the lifetime of the plant, I
2 would expect would be very small because, in general,
3 the, the ones that, the design of which is most likely
4 to increase are mainly inside. These are so-called
5 P shoe (Phonetic) times.

6 So, we have a fair amount of clearance and
7 they're mostly inside. The ones that are outside are
8 generally just open bearing surfaces, and I wouldn't
9 anticipate that the expected corrosion would have
10 a significant effect.

11 MR. SEISS: Are these, these the types of
12 supports, things that have been used in other plants?

13 DR. CLOUD: Yes, I believe they have.

14 MR. SEISS: Well, somebody must know from
15 experience whether they are likely to bind up. And
16 you guys have been in the business for quite awhile.

17 MR. SHIPLEY: Yes, sir. These are, the
18 supports at, at Diablo, the, the friction type supports
19 are no different than have been used for the last 15
20 years in the industry, 16 to 18 years.

21 And there has been no..

22 MR. SEISS: Maybe you need another walkdown
23 every 18 years, but..

24 MR. BENDER: Excuse me, Mr. Chairman. We
25 may be over emphasizing the tail here, and I suspect

1 we are, but in a realistic way, I think we don't, we
2 don't have the kind of measurements that would tell us
3 whether the friction factor is increasing or not.

4 If they're not contacting each other, I
5 don't worry about it. If they're lightly contacting
6 each other, I don't worry about it. But if there's
7 a strong rubbing force, I think there's a very good
8 chance that you'll have gauling, and then the friction
9 factor will go up.

10 And it's worthwhile to think about how the
11 struc, how the support is designed to that degree. And
12 that's all it's worth thinking about.

13 MR. SEISS: Or what the pipe stresses are
14 likely to be.

15 MR. BENDER: Well, I'll agree. That's part
16 of it.

17 MR. SEISS: Okay. The, the last question
18 you have about (inaudible) is really related to
19 getting more information from the review group. That's
20 going, I don't really think it's the kind of question
21 that would help us very much right now.

22 MR. YIN: Okay. We can skip this one.

23 MR. SEISS: Does everybody agree, disagree?
24 Okay. Then that I think concludes Item 5. We're
25 ready for Item 6.

1 MR. YIN: Mr. Chairman, could I, can I
2 supplement the information that you haven't received,
3 the draft investigation inspection report was
4 (inaudible) date March 29, 1984.

5 UNIDENTIFIED SPEAKER: 29th?

6 MR. YIN: Yes, March 29th. Thank you.

7 MR. BOSNAK: The license condition 6
8 involves two programs. One is called the TC Program,
9 and the other is DP. And there is a, a difference
10 between the two.

11 The first, the TC, is pipe support design
12 tolerance clarification which became known by the
13 acronym in a quick fix or TC Program.

14 The other, the Diablo Problem Program, was
15 one that was in existence for a longer period of time
16 than the, than the TC Program. The TC Program came
17 into being in the '83 time frame.

18 MR. SEISS: What, what's TC again?

19 MR. BOSNAK: TC stands for tolerance
20 clarification, pipe support design tolerance
21 clarification. As I say, as, as it's better known,
22 it's known as the Quick Fix Program.

23 The DP Program is very much the same as you
24 would find at, at any power plant in order to take
25 care of problems which exist at the site. Basically,

1 they're interference problems, clearance problems. You
2 need to move something because you do have an
3 interference and the site relates what the problem
4 is and sends it back to the engineering office for
5 approval of what they've done or sometimes disapproval.

6 MR. SEISS: Did that exist from the very
7 beginning or is that just part of the (inaudible)?

8 MR. BOSNAK: The, the DP Program and PG&E
9 can correct me if I don't have the, the proper dates,
10 I believe it goes back to '73/'74 time frame. The
11 other came as a, as a result of the mirror image
12 problem when all the work was going on and the reason
13 that the, the staff has gotten involved in these
14 programs is because during the work that was going on,
15 there were many allegations received that in particular
16 with respect to the TC Program, that this permitted
17 people at the site to do things that they shouldn't
18 have done. It was, in effect, as it was characterized
19 a, a license to do things that weren't, weren't
20 appropriate, weren't correct.

21 And that later when the need came for
22 engineering to approve or act on these things, the
23 pressure was such that they couldn't act correctly.
24 Those, those were the kinds of charges that, that we
25 got.

1 PCU (Phonetic) I think visited the site
2 early in the '83/'84 time frame and found there were
3 problems with respect to the programmatic implementation,
4 things that were going on with respect to these two
5 programs.

6 So, the license conditions that were drawn
7 up with respect to, to this dealt with the, the first
8 thing that you can see there is the, is a program
9 scope. And we asked PG&E to conduct a review of the,
10 both the TC and the DP Program activities and to
11 identify to the Commission the support changes which
12 deviated from the TC Program scope. And there was
13 that scope. Perhaps, as we, as you'll see later,
14 was not as clear as it could have been, but there was,
15 nonetheless, a scope.

16 Second was any TC or DP activities that
17 led to significant deviations between the as-built
18 and what was the approved design configuration, not
19 the initial one but the final approved design
20 configurations. Were there any differences?

21 Again, this group that went out were not
22 QC/QA oriented. We were looking at, at whether or
23 not the implementation of the programs made a
24 difference as far as the hardware was concerned.

25 And, third, were there any unresolved DPs

1 that had not gone through the engineering process of
2 reverifications. Those were the three things that
3 License Condition 6 asked us to look into.

4 To give you some idea of what we're talking
5 about, there were approximately, and these are round
6 numbers, I've rounded them off, 15,000 of the quick
7 fix or TC situations.

8 Now, the licensee, as a result of License
9 Condition 6, went back and rereviewed 2,000 of the
10 15, 2,000 of the 15,000. Now, he found, and these
11 numbers are roughly again approximately, 320 large
12 bore and about 35 small bore TCs that did involve
13 some design changes, changes that went beyond the
14 scope of their program guidance.

15 First of all, there was only a, a memorandum
16 which, which provided the people doing the work
17 guidance. Later on there was an engineering instruc-
18 tion that was a little more, more specific. But of
19 that total number, they zeroed in on 40, 40 of the
20 most significant.

21 And in our write-up, I think we have a,
22 we have a summary of, of the kinds of changes, the
23 kinds of design changes that were found. Some of them
24 were more significant than others. That's one way to,
25 to state it. Some of them changed the configuration

1 of the particular support.

2 So, of the 40 which contained design
3 review or design changes, the licensee went through
4 those to confirm or not confirm whether or not the
5 supports, the as-built supports and the final design
6 calculations agree. And they found that, that they
7 did.

8 Now, the staff, and this is the task group
9 and we were there, we had selected 50 TCs. Some were
10 from the group that the licensee had done. Some we
11 selected at random. So, we, we felt we had a good cross
12 section of what, what was done. We found things in
13 those that we considered were, were design changes.

14 Had PG&E looked at those, we felt that
15 they would have been in, in this group. Now, whether
16 they would have qualified to be the, the 40 most
17 significant, I think was inconsequential.

18 We did look through those. We visited the
19 site, and we also included because we were there during
20 the week of, I believe it was May the 18th, we had a
21 session on one of the evenings that was recorded. It
22 was a confidential session, and we looked at one of the
23 hangers that was mentioned during that session.

24 I think what the allegers were trying to
25 say was that they did identify at a point in time a

1 hanger which had not agreed with the, with the design,
2 the appropriate design at that point in time. We
3 looked at that particular one and we looked at others,
4 and we found for that one that was identified, at
5 least, that it, it was evaluated for the changes that
6 were made. In other words, later on the process
7 caught up with itself and the, the as-built support,
8 the calculations were all in agreement.

9 So, we tried to include that during our,
10 during our site visit and during the design office
11 audit. Now, our conclusions were that, at least as
12 far as the TC Program here, we initially did use a
13 guide, not an approved procedure. And that, perhaps,
14 I think led to some of the problems that Isa initially
15 identified.

16 Again from my, I would say from a QA sense,
17 our task group found that it was the conclusion of the
18 group, and I think later the company somewhat agreed
19 with our conclusion, that they did not comply with
20 the intent of a TC programmatic procedure relative to
21 what could be done and what couldn't be done.

22 By the way, before, before I mention, before
23 I forget to mention it, the TC Program was terminated
24 June 8th. And the other and really the bottom line
25 here was there was no significant deviation between

1 the as-built and the current approved design configura-
2 tions and calculations.

3 So, that was the, was the task group's
4 bottom line as far as the TC is concerned. The program
5 now that the company has in being for, at least for
6 Unit 2, is a field change request which again is what
7 you would expect to find and what you normally see in
8 most plants.

9 Now, with respect to the other half of this
10 thing, the Diablo problem..and by the way, we do have
11 flow charts that are in your..and I have a copy of
12 those if you want to discuss them, but I don't think
13 it's necessary.

14 A TC or a quick fix many times became a
15 DP. In other words, if, if they felt that it could
16 not be handled as a quick fix, it became a Diablo
17 problem. In this case, there were about 3,000 of
18 them. About 1,000 were related to piping supports.
19 And, again, in round numbers, about 200 transmitted
20 design information.

21 As far as the process is concerned, the
22 licensee went through and checked all of the DPs and
23 did, in fact, find that they were included in the as-
24 built and related design calculations, very much the
25 same as the TCs.

1 And when the staff was there, the task group
 2 during that same week, we looked at 25 DPs, approximately
 3 25 DPS. And we found the same results as the licensee.
 4 So, again, here are conclusions as far as the DP
 5 Program was concerned, was that we did allow design
 6 information to be transmitted.

7 But the, the design info was included in
 8 quality assurance control as-builts, and they were
 9 accepted by design calculations. And, finally, which
 10 is the third part of License Condition 6, there are no
 11 unresolved DPs at the present time.

12 So, our conclusion is that the license
 13 condition, Item 6, is satisfying. One other thing that
 14 I probably should, should mention is that I think there
 15 was a perceived, at least from some of our interviews
 16 that we had, confidential interviews, there was a
 17 conceived notion that writing a, a quick fix was a
 18 ticket to, to completely get around all QA/QC functions.

19 Now, we, obviously, didn't get into that,
 20 but from the flow charts and from the information
 21 that the licensee furnished us, that was not correct.
 22 I stated that not to be correct.

23 MR. SEISS: That concludes Item 6?

24 MR. BOSNAK: That concludes Item 6.

25 MR. SEISS: Mr. Yin has some comments on

1 that I'd like to hear.

2 MR. YIN: As far as a DP, I don't have any
3 comments. The licensee (inaudible) PRP review and
4 evaluation effort. I concede it to be acceptable.

5 I have two concerns or comments relative to
6 the PRP handling of the, of the TC issue. First,
7 approximately 1,500 TCs were written since the
8 inception of the program. This means that about 70%
9 of all the large bore and small bore support design
10 recording calculations (Inaudible) or more appropriately
11 deviated by field site engineers.

12 It was inconceivable that the licensee
13 management was unaware of a QA program (inaudible) of
14 this magnitude. The PRP investigated whether or not
15 there have been any DCP managements predetermined
16 decision to by-pass QA program commitments relative
17 to the design change control.

18 FSAR committed to 10 CFR 50, Appendix B,
19 QA criteria.

20 MR. BOSNAK: I think Isa is asking something
21 that the Office of Investigation could better answer.
22 he's asking did the, did the company have a pre-
23 meditated purpose when they had this program to violate
24 10 CFR Appendix B?

25 And we can't answer that other than to say

1 that that was not their stated intent, certainly.

2 MR. SEISS: Now, how did this violate QA
3 criteria?

4 MR. YIN: The..

5 MR. SEISS: I understand the objective of
6 QA is to get a good design, to get quality. And I
7 guess I'm not quite sure how I see a procedure that
8 tries to get things done right and the field violates
9 that.

10 MR. YIN: Is this question addressed to me,
11 sir?

12 MR. SEISS: I guess so, yes.

13 MR. YIN: On the face of it, everything will
14 be eventually be reviewed and accepted by the engineering
15 office. Then, really, there should be no problem
16 because everything you have constructed will be checked.

17 The (inaudible) is not as simple as what
18 we see because the QA program is kind of a interconnected
19 to each other. Many other programs (inaudible) are
20 really related to each other.

21 If you, if you have the design that has spent
22 maybe a long period of time in the design office, you
23 come out a result has quickly changed and deviated
24 at a site. And you are not meeting the (inaudible) the
25 Appendix 3, Appendix B, Criterion 3 requirement that

1 it called for any change of design control, any change
2 of design should receive the same consideration
3 commensurate to the compensity of the original design,
4 and that was not fulfilled.

5 And, secondly, ..

6 MR. SEISS: You said that was not done?

7 MR. YIN: That was not done. And, secondly,

8 ..

9 MR. SEISS: Just a minute. That's the
10 important point.

11 MR. YIN: All right.

12 MR. SEISS: That there were changes made
13 in the field that were not reviewed and approved by
14 engineers?

15 MR. YIN: By the engineers that, who, who
16 has the responsibility of the original design.

17 MR. SEISS: Is this something the PRP
18 looked at, too, or..

19 MR. BOSNAK: Well, we, we looked at the
20 changes, and we did look to see whether those changes
21 were finally approved, whether they were done by the
22 original design organization or some later organization,
23 but it was done by the responsible people that, that had
24 the responsibility at the time to approve the design.

25 A lot of these things, again, I think needs

1 to characterize them as, as, as important as the
2 original design. I don't think we could characterize
3 some of these things with that, with that amount of
4 I guess design responsibility or, in other words, they
5 were simple movements of the base plates small
6 distances.

7 There were some that, that did, in fact, change
8 the support configuration. And those, as we, as we
9 tried to state here, should not have been part of the
10 program.

11 MR. SEISS: But if there was something, say
12 a simple movement of a base plate a couple of inches,
13 did somebody decide that that did not need to be
14 reviewed by a design (inaudible)?

15 MR. BOSNAK: That..

16 MR. SEISS: Was that reviewed..

17 MR. BOSNAK: That could be a judgment
18 call that was made, and we saw some changes in, in
19 weldments (Phonetic), that we agreed with, again, looking
20 at some of the packages while we were there.

21 MR. SEISS: Well, I'm not talking about the
22 changes. I said was it possible for somebody in the
23 field to decide that this change did not need to be
24 reviewed by design. And I think you've got a disagree-
25 ment over here. Let's ..

1 MR. TRESLER: Excuse me. This is Mike
2 Tresler. No, every change that was accomplished under
3 the TC Program was reviewed, checked and approved in
4 accordance with the original design process.

5 MR. YIN: But your particular look at the
6 time frame because..

7 MR. SEISS: I couldn't care less about the
8 time frame. If the things were designed and reviewed
9 by design and built correctly, that's the bottom line.
10 Now, if that violated the QA criteria, that's something
11 that licensing can worry about, but I'm not going to
12 worry about whether the thing worked in spite of the
13 QA criteria or not.

14 But there's a difference. You're saying
15 they did not review it, and they're saying they did.

16 MR. YIN: I, I said everything has been
17 reviewed, and I understand that but, nonetheless,
18 there's still a QA breakup.

19 MR. SEISS: Okay. I'll buy that, but for
20 the record, we don't worry. Okay. Your second item?

21 MR. YIN: The second item. the SSER stated
22 upon completion of construction of the support, the
23 complete as, the complete as-built package, including
24 any PSBTC forms associated with the support (inaudible)
25 by construction to engineering for final acceptance

1 in accordance with project engineering procedures.
2 The PRP conclusion was contrary to the evidence
3 provided by an anonymous allegor, getting the staff
4 (inaudible) conducted on May 22, 1984.

5 The documentation of evidence show that some
6 of the TCs were not included in the as-built packages.
7 Those TC items include a vented concrete expansion
8 anchor bolt, drilling, drill holes and added on
9 (inaudible) to the original base plates.

10 MR. SEISS: Well, how is that different from
11 the previous one?

12 MR. YIN: It's two completely different
13 issues.

14 MR. SEISS: Yes, I gather that, but I don't
15 quite see how they're completely different.

16 MR. YIN: Well, the, the first one,
17 assuming everything that is still.. you have the as-
18 built drawing reflect the actual condition and it's
19 been reviewed by the design office.

20 But the second issue points out everything
21 the design people have received may not reflect the
22 actual condition of the site.

23 MR. BOSNAK: Well, there were some reviews
24 and I can't speak for the company, but we did look
25 at certain of the supports in the field. We compare

1 those with the so-called as-built drawings and the
2 final calculations. And they all agreed. Admittedly,
3 our sample was smaller but I would expect..

4 MR. SEISS: Does your sample include the
5 specific allegations that..

6 MR. BOSNAK: It included one of the hangers
7 that, that was talked about. And I might comment
8 here that with respect to abandoned anchor bolts,
9 the person who was here this morning, that was Harold
10 Polk, is preparing a, a safety evaluation of these
11 kinds of things and whether or not they belong on an
12 as-built drawing or not is something I think that's
13 open to question.

14 MR. SEISS: And you said you invested..looked
15 at one instance that had been alleged. What did you
16 find there?

17 MR. BOSNAK: We found on that particular
18 one that when the, when the hanger was first designed,
19 it was not designed with a thru-bolt. When it was
20 installed, it was installed because of I guess problems
21 that had occurred during the installation. It was
22 installed with a thru-bolt.

23 There was also some allegations with respect
24 to the material of the, of the bolt and the bolt size.
25 We, we found that the proper as-built conditions were

1 represented on the final as-built drawings. So, all
2 I can, all I can say is that perhaps the information
3 that we got was at an earlier point in time, that what
4 we saw represented the, you know, the final conditions.

5 But that was only, we only looked, were only
6 able to look at one of those.

7 MR. SEISS: Why were you only able to look
8 at one? Time or addressibility or?

9 MR. BOSNAK: Just the amount of time that
10 was involved and some of the..we didn't have, in all
11 cases, all of the details as far as the allegation
12 packages were concerned.

13 MR. TRESLER: Dr. Seiss, this is Mike
14 Tresler. I believe I'm familiar with the cases
15 (inaudible) began speaking to, and if I recall correctly,
16 we did find in some cases that the TC document was not
17 included as a part of the as-built package; however,
18 a change to the configuration that was caused by that
19 TC was clearly shown on the as-built and included
20 in the as-built drawing and associated calculations.

21 MR. KNIGHT: And, Dr. Seiss (Inaudible) Jim
22 Knight. I think as has been mentioned earlier this
23 morning, we have..all the discussion with the allers
24 came up during the period of time that we were discussing
25 some of these other issues, license condition issues.

1 during the May 22, 1984 meeting with the anonymous
 2 allegor. The (inaudible) was still in confidential
 3 status. The staff stated in the transcript that due
 4 to the (inaudible) the follow-up on the meeting
 5 would probably be scheduled in two weeks. The SSER
 6 should address specific reasons for which the follow-
 7 up meeting was not scheduled.

8 Can I go into the next area?

9 MR. SEISS: I think so.

10 MR. YIN: Four of the support installations
 11 were examined by the PRP team. The team consists of
 12 one NRR branch chief, one consultant from Batelle,
 13 and two consultants from EG&G Idaho (Phonetic). My
 14 concerns are, one, considering the size of the group,
 15 the sample size selected for observation appears to
 16 be unusually small judging by the NRC regional
 17 inspection standard.

18 Second, have any or all of the team members
 19 have any prior (inaudible) inspection experience.
 20 Third, (inaudible) sufficient detail descriptions
 21 on how the supports were inspected and what attributes
 22 have been checked and verified.

23 I think this is very important because the
 24 conclusions (inaudible) us that the as-built that was
 25 evaluated by the, by the San Francisco engineering

1 office does match. If the inspection concluded that,
2 there should be some evidence to show us.

3 MR. BOSNAK: When we visited the site we
4 layed out the, our, our program for the day. We
5 selected supports, and we looked at a lot of other
6 supports that were included in the report.

7 We also wanted to talk with some of the area
8 engineers, the, the TC people that were there, to make
9 decisions. And we felt that was important to do. So,
10 I'm not trying to, to defend or deny the size of our
11 support. We felt that it was perfectly adequate for
12 what we had to do.

13 As far as hands-on experience, yes, there's
14 probably about 100 years of experience if you add up
15 the hands-on experience between the four members of the
16 group, including crawling into boiler mud drums, boiler
17 steam drums, looking at piping, L&G, LPG, all kinds of,
18 all kinds of hardware that would be associated with
19 any kind of a, a plant much less a power plant.

20 So, definitely the people that made the, made
21 the visit had certainly as good as or better than any
22 of the regional inspectors would have.

23 With respect to description on how the supports
24 were inspected, I tried to, to give you, at least with
25 the one, the things that we checked and the things that

1 we looked at with respect to dimensional size of bolting.
2 We looked at wing plates. We looked at the configura-
3 tions of the base plates, the changes that were caused
4 by, the changes in configuration, the addition of wing
5 plates, their measurements.

6 We compared those with the as-built drawings.
7 We looked at weld sizes, as Bernie mentioned earlier.
8 In some cases, we looked at the support contact with
9 the pipe. We're also interested in the fact that
10 there was adequate interface between the support group
11 and the structural group and, of course, the pipe stress
12 group.

13 So, we wanted to be sure all of these things
14 were covered and we looked at, again, given the fact
15 that we were all mechanical engineers rather than,
16 than concrete, we particularly emphasized the inter-
17 face with the pipe and, again, the interface up to
18 the concrete.

19 MR. SEISS: Any questions from the members
20 of the Subcommittee or the consultants? Any questions
21 on the Diablo problems? (Inaudible) have no concern
22 there. Does anybody have any?

23 MR. MICHELSON: How near the end are we?

24 MR. SEISS: Oh, we've got..

25 MR. MICHELSON: I have one question that can

1 interject anytime.

2 MR. SEISS: We've got one more item, I
3 believe, on the staff's presentation..

4 MR. BOSNAK: There's really, really two
5 more, Dr. Seiss. There's No. 7 and then there's the
6 IDVP.

7 MR. SEISS: I'm sorry, I didn't, I forgot
8 about No. 7, yes.

9 MR. BOSNAK: Mr. Yin has no comments on that.

10 MR. SEISS: No. 7 really related mostly to
11 No. 1.

12 MR. YIN: Let me comment on that, too, and
13 then I can get out of here. As well as the review of
14 IDVP, I consider them two separate issues.

15 The first one is the technical review that
16 was performed by Krauss & Associates. And then the
17 second part is the QA review by Roger Redy (Phonetic)
18 Company.

19 I have spent about a day and a half at
20 Bob Cloud's office, and I do not believe that I have
21 sufficient time to complete my effort. And my request
22 to continue that review was denied.

23 Secondly, my request for a QA review by
24 Roger Redy was denied also. As far as the, the
25 program, the change by management at the, at the OPEG,

1 On-Site Project Engineering Group, to abolish the
2 design activities based on my inspection findings, I
3 also request the management to give the opportunity
4 to see how the program, the new program was working
5 and what kind of improvement was made on those programs.
6 Again, my request was denied by the management.

7 And with that remark, I think I have
8 completed my, my, my work here today.

9 MR. SEISS: The last three comments you made
10 are not in what we have here. Have you got those in
11 writing anywhere?

12 MR. YIN: Well, since I return, my return to
13 the office from the Cloud Associates, I have talked to
14 my management in Region 3, and I request that the,
15 I request my resignation from my involvement in the
16 Diablo Canyon project.

17 And Mr. Castle, our regional administration,
18 administrator, had discussed with Mr. Denton. And it
19 was agreed, Mr. Denton request me to do three things.
20 First, to finish up the report, to make it in a final
21 report form.

22 Second, he asked me to attend the management,
23 attend the licensee meetings on, on Friday, on Friday,
24 June 29th. And the meeting was subsequently changed
25 to July 2.

1 And, third, Mr. Denton asked me to comment on
2 the seven license condition items. And based on my
3 discussion with our management and we agreed to do two
4 things, that is I will complete my inspection report,
5 and I will comment on the seven license issue. And
6 that will be the whole commitment and involvement that
7 I will be with the Diablo Canyon project.

8 And my request not to attend the meeting was
9 agreed by the NRR as well as the Region 3 management.

10 MR. SEISS: Regarding the IDVP, I believe you
11 had raised a number of questions regarding the scope of
12 the program and the sampling procedure, some of which
13 I believe were addressed in the peer review panel's
14 report.

15 Have you read those or you just choose, chose
16 not to comment on those now?

17 MR. YIN: I have received, I measured it,
18 three and one quarter inch thick of documentation, I
19 guess is on July 6 or maybe on July 9th, just recently.
20 And I have not had the opportunity to, to read any of
21 it.

22 As a matter of fact, I have no intention to
23 read any of this.

24 MR. SEISS: I was thinking of just the
25 material, a very few pages that were included in the

1 draft SER.

2 MR. YIN: Yes. I just got hold of that a
3 couple of minutes ago, and I have no intention to read
4 it.

5 MR. SEISS: Okay. Thank you.

6 MR. YIN: Thank you.

7 MR. SEISS: Well, Bob, who's going to
8 discuss Item 7, then?

9 MR. BOSNAK: Dr. Hartzman was, and I have the
10 IDVP, if the Committee is interested.

11 MR. SEISS: No. Why don't you sit down and
12 we'll take a ten minute break.

13 (BRIEF RECESS).

14 MR. SEISS: Number 7.

15 MR. HARTZMAN: Many of the items under
16 Licensing Condition 7 have been addressed previously
17 by Mr. Manoly in discussing License Condition Item 1.
18 So, I will go through thi fairly rapidly.

19 The Item 7 stated that the PG&E shall
20 conduct a program to demonstrate that the following
21 technical topics have been adequately addressed in the
22 design of both small and large bore piping supports.

23 And, basically, these items are, these
24 technical topics are, inclusion of warping normal and
25 shear stresses due to torsion in those open sections

1 where warping effects are significant.

2 B is resolution of differences between
3 the AISC Code and Bechtel criteria with regard to
4 allowable lengths of unbraced angle sections in
5 bending.

6 C is consideration of lateral/torsional
7 buckling under axial loading of angle members.

8 D is inclusion of axial and torsional loads
9 due to load eccentricity where appropriate.

10 E is correct calculation of pipe support
11 fundamental frequency by Rayleigh's method.

12 And F is consideration of flare bevel
13 effective throat thickness used on structured steel
14 tubing with an outside radius of less than two t.

15 PG&E has taken the following steps to
16 address topics A, C, D and E. A, being the inclusion
17 of the warping normal and shear stresses. C, the
18 consideration of lateral torsional buckling. E the
19 pipe support fundamental frequency, pipe support
20 fundamental frequencies. And D is the inclusion of
21 axial and torsional loads due to load eccentricity.

22 I have revised the design, the basic design
23 criteria memorandum M-9, which applies to design of
24 Class 1 supports, to specify to, to specify that the
25 designers include the specific, specifically, these,

1 these topics in their, in their reviews or any future
2 designs.

3 For, for the small bore pipe supports,
4 I have issued an instruction I-59, which, which
5 contains these items in great detail, including check-
6 lists and, and specific forms. This also applies
7 to Instruction No. I-55.

8 And for the large bore pipe supports, a
9 checklist was also issued which addresses, which, or
10 which constructs reviewers who addressed, specifically,
11 these, these topics.

12 And these effects, as pointed out by
13 Mr. Manoly were addressed for all computer analyzed
14 small bore pipe supports and, in addition, were
15 evaluated also for a sample of 200 large bore, large
16 bore pipe supports.

17 PG&E also provided additional information
18 on, on items B and F. B being the resolution of
19 the differences between the AISC Code and Bechtel
20 criteria regarding allowable lengths of the unbraced
21 angle sections. And F being the consideration of
22 flare bevel weld effective throat thickness as used
23 on structural steel tubing.

24 And we, we carried, we carried out, you know.
25 very detailed discussions with, with PG&E's design

1 personnel and with personnel who were specifically
2 responsible for implementing these, these topics.

3 The discussions were detailed and consider-
4 able. And we found them, and we found that their work
5 is acceptable.

6 In addition to these topics which are called
7 primary topics, we showed a series of related topics
8 which we also had a considerable and detailed discussion
9 with the PG&E.

10 And these additional topics were correct
11 specification of angle of inclination of angle members
12 in Strudl input, baseplate and anchor bolt assembly
13 design calculation, calculation sheets, tributary masses
14 for pipe supports, buckling criteria for B31.1 components,
15 generic qualification of lugs and lug indiced local
16 pipe stresses, Strudl calculation of displacement
17 and load responses of angle section beams and
18 qualification of U-bolts by load rating.

19 And PG&E has addressed as, addressed all
20 of these topics in writing and through considerable
21 discussion with, with myself and, and, and Mr., Mr.
22 Manoly. And we find that their responses, in general,
23 have been quite, quite satisfactory.

24 The results are as follows: We, PG&E has
25 submitted all the results in, in the final report which

1 is spread out over three letters.

2 For the small bore pipe supports, they
3 found that the warping stress, the normal warping
4 stress was significant to felatively few members. All
5 small bore pipe supports remain qualified, except for
6 three, and those are the three in which the angle
7 members exceeded the length criterion which they had
8 initially adopted.

9 I have a firm, a statement here which says
10 verification results, not completed. This is because
11 we, we, we would liike to look into certain aspects
12 a little/^{bit}deeper; however, in general, the results do, do
13 appear to be quite satisfactory.

14 For the sample of, of large bore supports,
15 the, again, the.. the warping normal stress was found
16 to be less than equal to 40% of bending allowable, in
17 general. Warping shear stress less than or are equal
18 to 50% of shear allowable. The effect of warping is
19 relatively small in the majority of supports but
20 not negligible.

21 One support found unqualified, due to
22 the site issue, due to an incorrect load condition,
23 and this problem was resolved by modification. An
24 additional sample of 30 large bore supports were
25 checked for this incorrect load condition and none were

1 found or so, so PG&E stated. However, this is an
2 issue that is not related to license condition No. 7.

3 And also all supports checked remain
4 qualified and the same statement for, the same logic
5 for, applies to verification of results. In other
6 words, we'd like to take a look in, in somewhat
7 more detail in certain aspects of the, of the analysis.

8 That completes my presentation.

9 MR. BENDER: Can I ask one question? I
10 noticed in the draft SER or whatever it is. You're
11 comparing that the U-bolt criteria for future applica-
12 tion was being changed.

13 DR. HARTZMAN: That's correct.

14 MR. BENDER: The applicant was going to
15 the recommended strength allowable for the (inaudible)
16 bolts.

17 How does that compare with what is currently
18 being used or what was used previously and what
19 conclusions did you draw about bolt practice?

20 DR. HARTZMAN: PG&E qualified their U-bolts
21 based on test data and procedures which are acceptable
22 (inaudible) ASCE/NF requirements. On the other hand,
23 we also requested from them that they perform a study
24 on the samp, on the rental sample for over 100 small
25 bore supports to determine what were the loads, what

1 were the actual loads that they had seen in the U-bolts
2 during the design.

3 And they determined that the loads were
4 considerably smaller than they were, then the, than
5 the load tables that they had designed, the load ratings
6 that they had designed to based on the NF, ASCE/NF
7 requirements.

8 On that basis, they, they decided to change
9 the, the load rating to the manufacture allowables.

10 MR. BENDER: That basis, those two statements
11 don't follow to me. If the manufacturer's allowables
12 are smaller or higher than the NF?

13 DR. HARTZMAN: They're higher. They're
14 lower, excuse me.

15 MR. BENDER: They're lower than (inaudible).

16 DR. HARTZMAN: Yes, considerably lower.

17 MR. BENDER: By what?

18 DR. HARTZMAN: Two.

19 MR. BENDER: Say a factor of two. So, the
20 conclusion to go to the manufactured rating had to do
21 with the fact that the actual loads turned out to be
22 a lot less than they had expected. So, they could
23 live with those ratings.

24 DR. HARTZMAN: That is correct.

25 MR. BENDER: Is that right? Thank you.

1 MR. SEISS: Anything else.

2 MR. BOSNAK: Gentlemen, the handouts that
3 we're going to use for this is attached to the earlier
4 one that you already have.

5 I think, first of all, you've got to recall
6 that back in the supplements 18, 19 and 20, the staff
7 had already, has, had already concluded that the IDVP
8 it's design verification, at least, with respect to
9 the things that we're talking about, the large bore,
10 small bore piping, and the supports were adequate.

11 So, the question comes up, why are we doing
12 what we're doing? And I think the answer to that is
13 that as a result of the allegations that we received,
14 a lot of different people, new people were brought in to
15 the picture, so to speak, and, and asked questions
16 about IDVP, whether the thing was carried out properly,
17 whether some of the, the errors or calculational
18 things that were discovered were included or were, were
19 incorporated in the IDVP.

20 We received a report from Mr. Yin and,
21 unfortunately, he's not here to, to discuss, to discuss
22 it, but we felt that we needed to go through and have
23 another look, to be sure that we weren't covering up
24 anything, that everything that was originally stated
25 was still, still correct.

1 So, what I'm trying to, to describe is
2 the process that we went through to do this. We put
3 together a group. We went out to the offices of
4 R.L. Cloud & Associates. We spent the half of one day
5 with Mr. Yin himself. This was the group.

6 By the way, we might mention that the
7 group went out from the staff included consultants,
8 included staff members. And there was only one person,
9 I think Dr. Hartzman, who had been originally fairly
10 deeply involved with the IDVP approval.

11 So, this was not a group that you could say,
12 well, since we've approved it before, we were trying
13 to defend the work that we did. This, this group had
14 not essentially been involved deeply with the IDVP
15 before.

16 So, we spoke with Isa for five or six hours
17 the first day by ourselves, without anybody else being
18 present. And we tried to boil down his concerns. And
19 we think we did into, and called them three main
20 areas.

21 First of all, it was the span rule analyzed
22 pipe. There was 15,000 feet of the span rule analyzed
23 pipe. That was not gone through, again, in the
24 corrective action program. It, Isa felt it was not
25 documented and it was not rereviewed. And, so, the

1 question came up, well, why did IDVP feel that it was,
2 was, was all right? So, that is the first major
3 area, and I'll get to that.

4 The second major area was the distribution
5 of the IDVP audits. There were several contractors
6 that were involved as well as the Diablo Canyon project.
7 There was IMPEL, EDS, Cygna and also Westinghouse was
8 involved.

9 So, the question of, first of all, we, we
10 had covered Westinghouse in our report, and we did
11 mention that this was a decision that was made earlier,
12 that the IDVP was not going to get into a review of,
13 of Westinghouse, a decision made by the Commission.
14 And that was the scope of the IDVP Program.

15 So, that was not reopened to include
16 Westinghouse. The staff had no reason to, to look
17 into Westinghouse. Our evidence of problems from other
18 plants was, well, it was nill.

19 And the last were the listing of the ITR
20 or the interim technical report, so-called deviations.
21 There were a large number of those that were included
22 in the reports and Isa characterized those into tables
23 and then asked the question, with all these deviations,
24 and I use the word in, in quotations, if I may, why
25 wasn't there more looks made?

1 So, that's what we're trying to, we were
2 trying to answer during the period that we were there.
3 As I say, the task group wanted to look into the whole
4 IDVP process, the methodology. We looked at, of course,
5 at the ITRs. And in order to answer some of the
6 questions that we had about the comments that were
7 made in the ITR reports, we had to go back into
8 (inaudible) call back-up packages which had to be
9 retrieved from remote storage. And we did that. And
10 that was the only way we felt we could understand
11 the comments that were made.

12 You'll see later on one of the criticisms
13 that we had of the ITRs were that they were very
14 terse. The comments did not include explanations. So,
15 for people that were looking at them for the first
16 time, you could have been led, led astray. You could
17 have been taken down the wrong path if you did not have
18 the back-up information.

19 I can see how somebody would make a list of
20 these things and say, well, they're all, they're all
21 errors.

22 So, this is essentially what happened during
23 the week.

24 Now, to cover the, the first area. First of
25 all, there are, there are, there are approximately

1 43,000 feet of small bore pipe. The, the title up at
2 the top doesn't refer to everything. It's the span rule
3 analyzed pipe issue that we're talking about here.

4 Of the 43,000 feet, there was 5,000 feet
5 that was computer analyzed. And there was no, no
6 problem with the computer analyzed pipe as far as anyone
7 was concerned.

8 3,000 used, what we call a current span rule,
9 it, the current span rule piping included an Hos Rie
10 (Phonetic) evaluation, and Mr. Yin had no problems
11 with that area.

12 It was then the use of the, both the 5,000
13 and the 3,000 feet, the extrapolation to say that the
14 15,000 feet was not qualified. And, again, the 15,000
15 feet of the so-called bio-44 span rule, was initially
16 looked at. The issue was that it wasn't rereviewed.
17 There was no documentation made.

18 While we were there, the group decided that
19 we needed to get some further information with respect
20 to the characteristics for the record of the 15,000
21 feet. And it was appropriate to get that from PG&E,
22 not from the IDVP.

23 I would, and I can't, I can't speak for Bob
24 Cloud and his people, but I would expect that they
25 would have gone through this kind of thing when they

1 decided in their own minds that the 15,000 feet was
2 appropriately qualified, but the characteristics were,
3 of course, that, that we're talking about pipe size
4 that's less than 2 inches. It's all cold. I think you
5 heard that earlier from (Phonetic) with respect to this,
6 this piping. By cold, meaning it's under 200 degrees
7 for (phonetic) and 160 for paretic.

8 No concentrated masses, a small seismic
9 anchor motion and thermal anchor motion and..

10 MR. MICHELSON: Excuse me. A small bore here
11 under two inches or does it include the two inch?

12 MR. BOSNAK: Two inches and under.

13 MR. MICHELSON: Well, that, okay, because
14 that's the way you defined it before. It just wasn't
15 on the slide that way.

16 MR. BOSNAK: Actually, I believe it's less
17 than two inches but it would include the two inches.

18 MR. MICHELSON: Two and under.

19 MR. BOSNAK: Two and under.

20 MR. MICHELSON: Thank you.

21 MR. BOSNAK: Overspans, and we did look at
22 some of the work for the other piping, that we believe
23 overspans were, were unlikely in this piping.

24 MR. SEISS: What's an overspan?

25 MR. BOSNAK: An overspan is where you exceeded

1 the criteria for the span rule. In other words, if
2 you went beyond it for some reason, that was an over
3 span..

4 MR. SEISS: Permissible reason you mean or
5 by mistake?

6 MR. BOSNAK: It could be by mistake. It
7 could be for some particular reason, that you couldn't,
8 you couldn't locate the support.

9 MR. SEISS: Let's see. That span length
10 is ..

11 MR. BOSNAK: About ten feet.

12 MR. SEISS: To keep the frequency at some
13 level.

14 MR. BOSNAK: Well, that's one, one of the
15 other criteria that we wanted to keep or that was the
16 licensing criteria that, that we have a frequency of
17 above 20(inaudible).

18 So, that, in effect, was perhaps one of the
19 driving conditions with respect to this, for this
20 pipe, the pipe supports. We concluded, going through
21 all this information, that the acceptance of the 15,000
22 feet of span rule small bore piping and the supports,
23 the associated supports that went with this, these
24 were, I'd characterize these essentially as simple
25 supports.

1 They were analyzed probably, principally by
2 hand, that all of the work that was done previously,
3 there's no, no real reason to question it. And to go
4 back if we do this work again.

5 So, we felt, again, that the IDVP decision
6 on doing this after we went through the same thing was
7 appropriate.

8 MR. SEISS: You say Mr. Yin went through
that with you or, no?

10 MR. BOSNAK: He was there when all of this
11 was discussed, and I don't know if he, if he agreed
12 with the, with the characterization of the, he hadn't
13 seen the characterization of the small bore pipe.

14 That came in in a letter that we got dated
15 July 3rd. So, he was not here. He heard, I think,
16 most of the discussions, though.

17 MR. SEISS: You mean you were that far along
18 before you found out what you were looking at?

19 MR. BOSNAK: No. We, we knew what we were
20 looking at, but we felt we wanted to get it documented
21 for the record.

22 So, this is the, the issue with respect to
23 why if, for instance, IMPEL analyzed quite a bit of
24 piping, why didn't they do more, more audits or more
25 samples from the, from the group than was actually

1 done.

2 Well, we, we posed that question to Bob Cloud
3 and his people while we were there, and we felt that the
4 answer that they gave us was, was well thought out.
5 It had some engineering judgment behind it.

6 They were looking for when they went through
7 the IDVP audits, (inaudible) would characterize this
8 interesting problems. They were, they were not looking
9 for the run of the mill pipe.

10 And one of the things that I do remember
11 with respect to one of the contractors was that they
12 did, most of the work was done in the fire protection
13 system. I think that was, was IMPEL. And for that
14 reason, I think 50% of IMPEL's work was fire protection.

15 Again, not to say that it's not important,
16 but it's not one of the systems that are safety
17 significant from the point of view of, of shutting down
18 the plant, mitigating the, certain accidents.

19 So, that was one reason. They were looking
20 for, again, piping configuration that went to flexible
21 equipment. They were looking for systems that had
22 inline components.

23 Again, the ones that were particularly of
24 interest because they presented interesting design
25 problems, things that the contractors, if they were not

1 paying attention to what they were doing, would come
2 up conceivably with, with some errors.

3 So, based on those kinds of things, we
4 believe that the sample distribution selected by the
5 IDVP was appropriate.

6 MR. BENDER: Bob, could you clarify a term
7 for me? What is meant by flexible equipment?

8 MR. BOSNAK: I would say they were talking
9 about pieces of equipment that there might be the need
10 to look at, at the nozzle loads. There might be some
11 related motion that, that the piping and supports..

12 MR. SEISS: Where did the term come from,
13 Myer?

14 MR. BENDER: I don't know. Well, it was in
15 the draft SER, whatever this thing is, and it wasn't
16 exactly clear what, what kind of equipment was being
17 referred to..

18 MR. SEISS: Who drafter that SER? Did you
19 use the word, Bob?

20 MR. BOSNAK: Yes, it was..I think the word
21 flexible equipment..Ted?

22 MR. SULLIVAN: My name is Ted Sullivan. I
23 wrote that section, and I basically borrowed that
24 term from IDVP.

25 MR. BOSNAK: Okay. Then what term they

1 used.

2 MR. SULLIVAN: They were referring to..

3 UNIDENTIFIED: What did you mean?

4 MR. BOSNAK: We'll get to the author in a
5 minute.

6 (CHATTER)

7 DR. CLOUD: (inaudible) heat exchangers use
8 equipment like that, that has flexibility in it that
9 could affect the response of the piping and it might
10 have a frequency less than 20 (inaudible).

11 MR. SEISS: I see. You mean where the
12 nozzle can shake?

13 MR. BOSNAK: Yes. The last (inaudible) is
14 the one included in this, the ITR comments, but this
15 is a compilation that you'll find in the draft SER
16 of the findings by the task group.

17 Well, the action by the IDVP, the first two
18 I think we've already covered, small bore piping not
19 in the corrective action program was acceptable and
20 the sample size distribution.

21 The next point..well, first of all, the
22 perceived unexplained ITR deficiencies, we felt that was
23 a valid criticism, and we weren't trying to necessarily
24 look for more problems but, again, if, if one reads
25 these, these reports, there are things that were not

1 too well explained.

2 For instance, looking at, at the packages
3 while we were there, we found things such as a Schedule
4 80 pipe was called for, but a Schedule 160 was used.
5 There were welds that were not analyzed because they
6 were in some cases thicker than, than the weld that
7 was called for in the, in the original design which
8 was taken care of.

9 It did look at at stress concentrations.
10 So, these kinds of things that didn't get into the
11 reasons for listing these comments in the IPR were,
12 we found, the packages that we looked at, covered in
13 the basic back-up, back-up information.

14 And what we're trying to say is that the
15 identified deficiencies were in all cases that we
16 looked at not significant, and they really didn't
17 disturb the IDVP final conclusion.

18 Now, we also asked the question and we
19 asked it again in the transcript of the meeting that
20 was, that was held on, I believe July 2nd, whether or
21 not the IDVP detected the random input errors of the
22 kind which prompted the, in particular, License
23 Condition No. 1.

24 I characterize these as input errors,
25 geometry errors. Did the IDVP detect these kinds of

1 things and how were they able to rationalize them? And
2 we feel that from what we saw that they, they did.
3 Obviously, we didn't, we didn't look at all the
4 packages that they had there, but they, they did find
5 these kinds of errors in their reviews. They did find
6 input errors and they did find geometry errors, but
7 they also found that they did not affect the answer.
8 And the answer was, did the plant item, when we're
9 talking about a support of the piping system, did it
10 deviate from that licensing criteria?

11 In most cases, and maybe this is (inaudible)
12 was because there was plenty of margin there, but they
13 found no generic, no generic problems other than the
14 ones they identified.

15 MR. SEISS: Why do you say it's gratuitous?
16 That's why we have margins.

17 MR. BOSNAK: Well, that's, that's correct,
18 but some people would say..

19 (CHATTER)

20 MR. BOSNAK: ..there shouldn't be errors
21 at all. We should have 100% perfection.

22 MR. SEISS: On this earth?

23 MR. BOSNAK: No, not on this earth. But
24 the statements have been made. So, I think that's,
25 that's quite important that, that they did see that

1 there were errors and they recognized that these kinds
2 of things do exist in systems that are designed by,
3 by ordinary human beings.

4 One other point that we, we want to mention
5 that we felt, again, this is an omission but that we
6 found no mention of the kinds of things that were
7 included in License Condition 7, the things that you
8 just heard about.

9 And that does, does not mention it, does
10 not indicate that they did not think about these kinds
11 of kinds. There was no documentation made. So, we
12 feel that that is a, is a minor criticism other
13 (inaudible) no impact, again, on satisfying the license
14 condition.

15 So, our overall conclusion is that the
16 original goal, hence the original IDVP goal, is
17 design verification which meets the licensing criteria
18 is still valid and nothing has changed as far as, as
19 far as the original findings back in the earlier SER
20 supplements.

21 MR. SEISS: Bob, I, I did notice you had
22 a comment in the draft SSER that the IPRs were not
23 as detailed as they might have been. I'm not sure
24 whether it said might/or should have been or could have
25 been, which I think is a very legitimate comment.

1 But if I wanted to be unkind to think I could
2 make the same comment about the draft SSER..

3 MR. BOSNAK: I'm sure you're correct.

4 MR. SEISS: I appreciate brevity of the
5 things I have to read but the things that I have to
6 understand sometimes I'm willing to take a little extra
7 time.

8 MR. BOSNAK: We were trying to, I think, in
9 defense of what we were saying that we were trying to
10 explain why a person going through the ITRs would find
11 that that many comments..

12 MR. SEISS: They were a lot shorter than
13 the monthly, than the bi-weekly statements reports.
14 You can say that.

15 MR. BOSNAK: That's for sure.

16 MR. KNIGHT: I think having, having been
17 involved at the onset of the program, I think in all
18 fairness to the parties, I recall in establishing the
19 procedures, we often discussed that the ITRs ought to
20 be sufficient to tell the reader what was done. And
21 an interpretation of that (inaudible) that they would
22 not contain a great deal of volume or back-up or
23 technical, there weren't technical reports to be
24 reviewed like say (inaudible) but rather were a summary
25 of activities.

1 MR. BOSNAK: Perhaps in some cases they told
2 too much, and that was..

3 MR. SEISS: Jim, but the bottom line was
4 about a quarter, about a quarter of a page. All the
5 rest was..I read them all. I appreciated that brevity.

6 Okay. Any, any questions for Bob about
7 the IDVP. Thank you.

8 There's one final item was addressed in the
9 staff SSER that had a heading of programmatic issues.
10 This all had to do with various kinds of documentation
11 and (inaudible) programmatic is the right word for it,
12 I guess, issues on QA for the site engineers which
13 has now been abolished and their review on the
14 reorganization is presumably continuing.

15 I don't really see any reason, I don't know
16 what you could tell us. So, I would declare a review
17 or presentation that the staff completed. Does that
18 end up with you guys?

19 MR. MICHELSON: I have one small question.

20 MR. SEISS: Yes, (inaudible) any question.

21 MR. MICHELSON: This morning we discussed
22 just briefly the question of the location of type
23 breaks, and I'd like to follow-up on that question,
24 one additional clarification.

25 In those cases wherein a reanalysis of a

1 piping system found that the, the point of high stress
2 had moved from one location in the system to another.
3 Was this incorporated, then, in the pipe break analysis
4 studies that determine the effects of such pipe
5 breaks?

6 MR. BOSNAK: The, the staff checked into
7 that and it was done where those cases in which the
8 threshold criteria were exceeded. In other words,
9 if the threshold criteria were exceeded, the location
10 moved to another spot, that other spot was checked into.

11 MR. MICHELSON: Did the licensee agree that
12 he did this?

13 MR. SHIPLEY: Yes, sir, that's correct.

14 MR. MICHELSON: Now, was, in those cases
15 wherein the, a new break location did indeed appear,
16 did you submit any, an amendment to your break, pipe
17 break study?

18 MR. TRESLER: I believe the answer to that
19 is that the, the results of our pipe break review
20 were transmitted to the NRC, included those new break
21 locations that were..

22 MR. MICHELSON: Well, that report came out
23 before all this current plant flow, didn't it?

24 MR. TRESLER: No, we made another..

25 MR. MICHELSON: Was this very recent?

1 MR. TRESLER: We made another report into
2 the corrective action program.

3 MR. MICHELSON: Okay. And, so, the, the final
4 report that now resides in the NRC does include any
5 movement of these pipe break locations?

6 MR. TRESLER: Yes, sir.

7 MR. MICHELSON: Okay. Thank you.

8 MR. SEISS: We called on the licensee a
9 number of times to answer questions. Do you have any
10 last words?

11 (CHATTER)

12 MR. MOCH: Dr. Seiss, I don't think any last
13 words. We are wondering about procedurally about the
14 relationship between today's subcommittee meeting and
15 your meeting on Friday and (inaudible) of course, to
16 how many of the people we brought here with us today
17 we should count on for Friday, whether we need anybody
18 else, that the logistical problems of that.

19 MR. SEISS: Well, as of the moment, I can't
20 tell you too much. I intend to caucus the subcommittee
21 as soon as we finish the business and discuss a little
22 bit how we might go about things on Friday.

23 I can assure you it will be shorter than
24 today. I feel quite sure you won't need anymore people
25 than you have here today. And I suspect that the people

1 that spoke today might be the ones you'd want to have.

2 MR. MOCH: But let me see if maybe I could
3 just do it by, we can do it by categories. You've
4 heard a lot today from Mr. Shipley and Mr. Treslèr, and
5 I think it would probably be prudent for us to have
6 them back on Friday.

7 MR. SEISS: Think so.

8 MR. MOCH: We've had two people here with
9 us today, both from PG&E's quality assurance program,
10 the manager of that program and from the project's,
11 the quality assurance representative from the project.

12 We didn't hear from them today nor did you
13 ask us any questions. Is it prudent for us to assume
14 that that same thing will happen on Friday? What
15 I'm asking is if we can send them home.

16 MR. SEISS: I'd say send them home. I
17 can't tell you what the full committee is going to ask
18 questions on. I've been around too long to try to
19 predict that, but I would be glad to explain to them
20 why you can't answer them. And I will discourage them
21 from asking questions on quality assurance.

22 MR. MOCH: And, finally, I guess the
23 representatives from the IDVP were here today, Dr.
24 Cloud and Dr. Cooper. I guess since they're independent,
25 I guess we have to let them make up their mind whether

1 to come on Friday or not.

2 MR. SEISS: I think that's the way to do
3 it. Dr. Cloud did most of the talking and Dr. Cooper
4 lent his imposing presence.

5 DR. COOPER: I think the way things went,
6 there's not much need for Bob Cloud to be here. It's
7 up to him but he might like to go home. And tomorrow
8 I might say differently, b.t..

9 MR. MOCH: I think we, except for those
10 items, I think we have nothing else.

11 MR. SEISS: I think that's reasonable. I'd
12 like to declare the major portion of the meeting closed
13 and the Reporter can go home. And I'd like to caucus
14 the subcommittee for a few minutes about how we might
15 present this to the full committee.

16 (Whereupon, the meeting was closed at
17 3:50 p.m.)
18
19
20
21
22
23
24
25



UNITED STATES
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
WASHINGTON, D. C. 20555
July 10, 1984

MEMORANDUM FOR: C. P. Siess, Chairman
Diablo Canyon Nuclear Power Plant

FROM: *J. C. McKinley*
J. C. McKinley, Chief
Project Review Branch #1

SUBJECT: DIABLO CANYON SUBCOMMITTEE MEETING,
JULY 11, 1984 STATUS REPORT

The ACRS has been requested by the NRC Staff to review the draft "Report of the Diablo Canyon Peer Review Group"* and to prepare a report to the Commissioners. The report is limited to small and large bore piping, its supports and its quality assurance. As you may recall, Mr. Isa Yin has been concerned regarding the design quality which has resulted in additional supports being installed and the existing supports not being modified or removed as appropriate. The NRC established a Peer Review Group to consider Mr. Yin's concerns; the conclusion of this Group is that the seven license conditions imposed on the low power license have been satisfactorily addressed, the past staff conclusions on the IDVP remain valid, and the programmatic issues raised concerning onsite engineering have been resolved.

I anticipate this meeting will primarily be a discussion between the Subcommittee and the NRC Staff. Representatives of the Licensee will be present to respond to questions.

Attendance by the following is anticipated:

Dr. Siess	Mr. Michelson
Mr. Ebersole	Mr. Bender, Consultant
Mr. Etherington	Mr. Mysinger, Consultant
Dr. Lewis	

The tentative schedule is:

8:30 a.m.	Opening Statement (Dr. Siess)
8:45 a.m.	NRC Staff Summary of "Diablo Canyon Peer Review Group" report (R. Vollmer, NRR)
9:30 a.m.	Concurrence/nonconcurrence of Mr. Isa Yin (I. Yin I&E)
10:00 a.m.	General Discussion
12:30 p.m.	Lunch
1:30 p.m.	Resume Discussion
5:00 p.m.	Adjourn

* Copies sent by special mail on July 6, 1984 to all Subcommittee members and consultants

SUBCOMMITTEE MEETING

DIABLO CANYON

July 11, 1984

LOCATION: Room 1046, 1717 H St. NW, Washington, D.C.

ATTENDANCE LISTPLEASE
PRINT

	AFFILIATION
C.P. SISS	ACRS SUBCOMMITTEE CHAIRMAN
C. MICHELSON	ACRS SUBCOMMITTEE MEMBER
H. ETHERINGTON	" " "
J. C. EBERSOLE	" " "
H.W. LEWIS	" " "
M. BENDER	" " CONSULTANT
D. MYSINGER	" " "
J.C. MCKINLEY	ACRS STAFF
M. MCCLAIN	" "
R.A. CUSHMAN	ACRS Fellow
J.H. FIAD	ACRS Fellow
S. Seth	ACRS Senior Fellow
M. HARTZMAN	NRC / DE / MEB
B.F. SAFFELL	BATTELLE COLUMBUS LABORATORIES
KAMAL MANOLY	NRC - REG. I (DETP)
E.J. SULLIVAN	NRC / DE
E.C. Rodebaugh	NRC consultant
HAROLD POLK	NRC / DE / SGEB
G.W. Knighton	NRC / DL / LIC BRP3
R. H. Vollmer	NRC / DE
P. KNIGHT	NRC / DE
RJ BOSNAK	NRC / DE
WE COOPER	TES / IDVP
RL CLOUD	RLCA / IDVP

LOCATION: Room 1046, 1717 H St. NW, Washington, D.C.

ATTENDANCE LIST

PLEASE PRINT

NAME	AFFILIATION
1. RICHARD F. LOCKE	PACIFIC GAS AND Electric Co.
2. Bruce Norton	Norton, Burke, Berry & French, P.C.
3. Barry Lew	Diablo Canyon Project
4. HOWARD FRIEND	Diablo Canyon Project
5. STEVEN A. SKIDMORE	PG&E - QA
6. Michael Jacobson	Diablo Canyon Project
7. LESHIPLEY	DIABLO CANYON PROJECT.
8. MR. Trestler	PG&E - Diablo Canyon Project
9. RANDA WAIN	TELEPHONE ENGR. SERVICES
10. Jane Bergler	Pacific Gas + Electric
11. Louise	Exec
12. PATRICK SOCIETY	WESTINGHOUSE
13. CHARLES C. STOKES	P.S. Associates
14. Deb Price	States News Service
15. Richard P. DAVIN JR.	PACIFIC GAS and Electric Co.
16. Shirley CARLTON	FREE STATE Reporting
17. M. R. P. F.	FREE STATE REPORTING
18.	
19.	
20.	
21.	
22.	
23.	
24.	

T.1 & T.2

ISSUES CONSIDERED BY REVIEW GROUP

A. LICENSE CONDITIONS

1. REVIEW OF SMALL BORE COMPUTER CALCULATIONS
2. RIGID-RIGID SUPPORTS
3. INACTIVE SNUBBERS
4. THERMAL GAPS
5. PIPING SYSTEM WALKDOWNS
6. "QUICK-FIX" PROGRAM
7. SMALL BORE AND LARGE BORE TECHNICAL ISSUES

B. INDEPENDENT DESIGN VERIFICATION PROGRAM

C. PROGRAMMATIC ISSUES

BoRe

T.2

LICENSE CONDITION 2.C.(11) ITEM #1

- ° I. YIN'S DRAFT INSPECTION FINDINGS RESULTING FROM
 - ALLEGATIONS
 - SITE INSPECTION
- ° NRC INDEPENDENT AUDIT
- ° MAJOR FINDINGS IN S/B COMPUTER ANALYZED SUPPORTS
 - IMPROPER MODELING
 - GEOMETRICAL ERRORS
 - POOR DOCUMENTATION OF DESIGN ASSUMPTIONS, DATA, AND JUDGMENTS
 - TECHNICAL DEFICIENCIES
- ° HIGH PERCENTAGE OF IDENTIFIED DEFICIENCIES
- ° NRC'S REVIEW GROUP ON DIABLO CANYON PIPING ISSUES

LICENSE CONDITION 2.C.(11) ITEM #1 (CONTINUED)

- ° ORDER TO MODIFY FACILITY O.L.

- ° SUMMARY OF PG&E ACTIONS AND RESPONSE TO L.C. ISSUES (PG&E LETTER DCL-84-164 OF APRIL 27, 1984)

- ° PG&E/NRR MEETING IN BETHESDA ON MAY 9TH.

- ° MAJOR ISSUE RESOLVED: REVIEW OF ALL S/B COMPUTER ANALYZED SUPPORTS FOR L.C. ITEM 7 CONCERNS

- ° PEER REVIEW AUDITS AT PG&E OFFICE ON MAY 15 - 17, 1984 AND MAY 29 - JUNE 1, 1984.

- ° PG&E DOCUMENTS ADDRESSING L.C. CONCERNS:
 - REVISED DESIGN CRITERIA MEMORANDUM (DCM) M-9

 - PG&E INSTRUCTION NO. I-55: INSTRUCTION FOR REVIEW OF S/B PIPE SUPPORT CALCULATIONS

 - PG&E INSTRUCTION NO. I-58: INSTRUCTION FOR DETERMINING MEMBER ORIENTATION (BETA) ANGLE IN STRUDL COMPUTER ANALYSIS

 - PG&E INSTRUCTION NO. I-59: INSTRUCTION FOR EVALUATION OF L.C. ITEM #7 CONCERNS

LICENSE CONDITION 2.C (11) ITEM #1 (CONTINUED)

- ° REVIEW OF (21) S/B PIPE SUPPORT DESIGN PACKAGES

- ° TECHNICAL ISSUES OTHER THAN THOSE CONTAINED IN ITEM #7 OF L.C. 2. C. (11)
 - CLARIFICATION RELATED TO REVIEW OF COMPUTER ANALYZED BASE PLATES (INSTRUCTION I-55)
 - COMPUTATION OF TRIBUTARY PIPE MASS IN THE NATURAL FREQUENCY CALCULATIONS
 - GENERIC QUALIFICATION OF LUG INDUCED LOCAL PIPE STRESSES
 - U-BOLT ALLOWABLES AT HIGH TEMPERATURES
 - CONSIDERATION OF SHEAR CENTER LOCATION DEFINITION IN STRUDL ANALYSIS

° FINDINGS

- DEFICIENCIES DUE TO LACK OF PROPER DOCUMENTATION OF DESIGN JUDGMENTS
CONCLUSION: NO IMPACT ON SUPPORT ADEQUACY

- DEFICIENCIES RELATED TO SOME CALCULATIONAL ERRORS
CONCLUSION: INSIGNIFICANT EFFECT ON SUPPORT ADEQUACY

- THREE CASES WHERE THE LENGTH/THICKNESS RATIO FOR ANGLE SECTIONS EXCEEDED DESIGN LIMIT
RESULT: MODIFICATION OF SUPPORTS
IMPACT: INSIGNIFICANT

LICENSE CONDITION 2.C.(11) ITEM #1 (CONTINUED)

° FINDINGS - (CONTINUED)

- CONSIDERATIONS OF SEISMIC LOADS ON SUPPORTS STRUCTURES IN ALL S/B PIPE SUPPORTS TO BE COMPLETED BY OCTOBER 1, 1984

° CONCLUSION

SUPPORTS ARE ADEQUATELY DESIGNED FOR ANTICIPATED LOADS AS REQUIRED FOR ASCENSION TO FULL POWER.

T.3

CLOSELY SPACED PIPE SUPPORTS

B. F. SAFFELL, BATTELLE'S COLUMBUS LABORATORIES

T. K. BURR, EG&G IDAHO

D. K. MORTON, EG&G IDAHO

LICENSE CONDITION 2.C.(11)
ITEMS 2 AND 3

ITEM 2 LOAD SHARING BY CLOSELY SPACED SUPPORTS

ITEM 3 SNUBBERS LOCATED IN CLOSE PROXIMITY TO RIGID
SUPPORTS AND ANCHORS

LICENSEE PROGRAM

PROXIMITY CRITERIA

IDENTIFICATION

INSPECTION

VERIFY LOCK-UP

SHIMMING

STAFF REVIEW

REVIEWED LICENSEE PROGRAM

REVISED INITIAL SCREENING CRITERIA

REVIEWED LICENSEE ANALYSES

INSPECTED INSTALLATIONS

CONCLUSION

LICENSEE PROGRAM ENSURES LOAD SHARING AND SNUBBER OPERATION

T.5

LICENSE CONDITION, ITEM 4

THERMAL GAPS

- L.C. REQUIRES PROGRAM TO MONITOR THERMAL GAPS IN PIPE SUPPORTS

- 37 GAPS MODELED IN THERMAL ANALYSES TO REDUCE STRESSES AND SUPPORT LOADS
 - ALL CASES ≤ 2 " PIPING
 - GAPS FROM NORMAL SUPPORT CONSTRUCTION TOLERANCES
 - SOME GAPS PREDICTED TO FULLY CLOSE ON THERMAL EXPANSION

- INITIAL PG&E PROPOSAL TO MONITOR GAPS AT REFUELING OUTAGES IN COLD CONDITION
 - NOT ACCEPTABLE TO STAFF

- SUBSEQUENT PG&E PROPOSAL
 - REANALYZE PIPING WITHOUT GAPS
 - REQUALIFY PIPING, SUPPORTS, NOZZLES AS NECESSARY
 - PROGRAM TO BE COMPLETED BY END OF FIRST REFUELING OUTAGE

- PROGRAM ACCEPTABLE TO STAFF

LICENSE CONDITION, ITEM 5

PIPING SYSTEM WALKDOWNS

- L.C. PROVIDES FOR NRC PARTICIPATION IN HOT WALKDOWNS OF
MAIN STEAM PIPING

- STAFF REVIEWED PG&E HOT WALKDOWN PROCEDURES

- SITE VISIT BY STAFF AND CONSULTANTS MAY 21-25, 1984

- STAFF REVIEWED RECORDS OF PREVIOUS WALKDOWNS

- MAIN STEAM AND RHR WALKDOWNS
 - BOTH SYSTEMS FOR HOT AND COLD CONDITIONS
 - MEASUREMENTS TAKEN AT DISCRETE LOCATIONS
 - PIPING WALKED DOWN TO OBSERVE ACTUAL OR POTENTIAL
INTERFERENCES

RESULTS OF WALKDOWNS

• MAIN STEAM

- TWO MEASURED DEFLECTIONS OUTSIDE CRITERIA
- ONE UNINTENDED RESTRAINT
- INTERFERENCE WITH TEMPORARY SCAFFOLDING

• RHR

- ALL MEASURED DEFLECTIONS WITHIN CRITERIA
- NO UNINTENDED INTERFERENCES

LICENSE CONDITION, ITEM 6

T.6

PSDTC AND DP

ISSUES

- o TC PROGRAM SCOPE

- o DID TC AND DP ACTIVITIES LEAD TO SIGNIFICANT
DEVIATIONS BETWEEN AS-BUILT AND DESIGN
CONFIGURATION

- o UNRESOLVED DP

TC PROGRAM

APPROXIMATE NUMBER TC'S - 15,000

LICENSEE REREVIEW - 2,000

FURTHER REVIEW - OF THE 40 WHICH CONTAINED DESIGN CHANGES

RESULTS - AS-BUILTS AND CALCULATIONS AGREE

TASK GROUP REVIEW - 50 TC'S - DESIGN OFFICE AND SITE

CONCLUSIONS -

- o TC INITIALLY USED GUIDE, NOT APPROVED PROCEDURE
- o DID NOT COMPLY WITH INTENT OF TC
PROGRAMMATIC PROCEDURE RELATIVE TO SCOPE OF TC CHANGES
- o NO SIGNIFICANT DEVIATIONS EXIST BETWEEN
AS-BUILTS AND CURRENT APPROVED DESIGN CONFIGURATIONS

TC PROGRAM TERMINATED JUNE 8, 1984

DIABLO PROBLEM (DP) PROGRAM

DP PROCESS - 3,000 DP'S; ABOUT 1,000 RELATED TO PIPING AND SUPPORTS

ABOUT 200 TRANSMITTED DESIGN INFO

ALL DP'S WERE INCLUDED IN AS-BUILTS AND RELATED DESIGN CALCULATIONS

STAFF REVIEW

25 DP'S REVIEWED WITH SAME RESULTS AS LICENSEE

CONCLUSIONS

- o DP PROGRAM ALLOWED DESIGN INFO TO BE TRANSMITTED
- o DESIGN INFO WAS INCLUDED IN QA CONTROLLED AS-BUILTS AND ACCEPTED BY DESIGN CALCULATIONS
- o NO UNRESOLVED DP'S

LICENSE CONDITION ITEM 6 SATISFIED

IDVP

- o SERS 18, 19, 20 - DESIGN VERIFICATION OF L/B, S/B
PIPE & SUPPORTS
- o ALLEGATIONS ON PIPE AND SUPPORTS
- o PRINCIPAL QUESTIONS RAISED BY INSPECTOR
 - o SPAN RULE ANALYZED S/B PIPE
 - o DISTRIBUTION OF IDVP AUDITS
 - o ITR DEVIATIONS
- o TASK GROUP REVIEW
 - o OVERALL IDVP PROCESS
 - o IDVP METHODOLOGY
 - o SAMPLE IDVP BACKUP PACKAGES
 - o ITR COMMENTS

SPAN RULE ANALYZED PIPE

43,000 FEET S/B PIPE

5,000 FEET COMPUTER ANALYZED

3,000 FEET CURRENT SPAN-RULE

15,000 FEET FILE 44 SPAN RULE (OLD) AND 1,500 ASSOCIATED
SUPPORTS

CHARACTERISTICS 15,000 FEET S/B PIPE

- o PIPE SIZE $< 2''$
- o COLD PIPING
- o NO CONCENTRATED MASSES
- o SMALL SAM/TAM
- o OVERSPANS UNLIKELY
- o 20 HZ MINIMUM FREQUENCY

CONCLUSION

15,000 FEET SPAN RULE S/B PIPING AND SUPPORTS AS ACCEPTED BY
IDVP WAS APPROPRIATE

DISTRIBUTION OF IDVP AUDITS

CONSIDERED :

- o PIPING CONFIGURATION
- o BUILDING LOCATION
- o PIPING CHARACTERISTICS
- o GROUPS DOING ANALYSIS
- o DESIGN ANALYSIS RESULTS

CONCLUSION

SAMPLE DISTRIBUTION BY IDVP WAS APPROPRIATE.

IDVP FINDINGS BY T/G

- o ACTION BY IDVP ON S/B PIPING NOT IN CAP; ACCEPTABLE

- o SAMPLE SIZE DISTRIBUTION AMONG L/B PIPE AND SUPPORT ANALYSES ACCEPTABLE; BASED ON WELL FOUNDED JUDGMENTAL FACTORS

- o 1) PERCEIVED UNEXPLAINED ITR DEFICIENCIES-VALID CRITICISM
2) IDENTIFIED DEFICIENCIES NOT SIGNIFICANT AND DID NOT DISTURB IDVP FINAL CONCLUSION

- o IDVP DETECTED RANDOM INPUT ERRORS OF THE KIND WHICH PROMPTED LICENSE CONDITION, ITEM #1

- o OMISSION OF MENTION OF LICENSE CONDITION #7 ISSUES CONSIDERED IDVP DEFICIENCY; HOWEVER, NO IMPACT ON SATISFYING LICENSING CRITERIA

OVERALL CONCLUSION

THE IDVP GOAL OF DESIGN VERIFICATION WHICH MEETS THE LICENSING CRITERIA STILL VALID

T.7

1-10-57

LICENSE CONDITION 2.C (II), ITEM 7

"PG&E SHALL CONDUCT A PROGRAM TO DEMONSTRATE THAT THE FOLLOWING TECHNICAL TOPICS HAVE BEEN ADEQUATELY ADDRESSED IN THE DESIGN OF SMALL AND LARGE BORE PIPING SUPPORTS:

- (A) INCLUSION OF WARPING NORMAL AND SHEAR STRESSES DUE TO TORSION IN THOSE OPEN SECTIONS WHERE WARPING EFFECTS ARE SIGNIFICANT.
- (B) RESOLUTION OF DIFFERENCES BETWEEN THE AISC CODE AND BECHTEL CRITERIA WITH REGARD TO ALLOWABLE LENGTHS OF UNBRACED ANGLE SECTIONS IN BENDING.
- (C) CONSIDERATION OF LATERAL/TORSIONAL BUCKLING UNDER AXIAL LOADING OF ANGLE MEMBERS.
- (D) INCLUSION OF AXIAL AND TORSIONAL LOADS DUE TO LOAD ECCENTRICITY WHERE APPROPRIATE.
- (E) CORRECT CALCULATION OF PIPE SUPPORT FUNDAMENTAL FREQUENCY BY RAYLEIGH'S METHOD.
- (F) CONSIDERATION OF FLARE BEVEL WELD EFFECTIVE THROAT THICKNESS AS USED ON STRUCTURAL STEEL TUBING WITH AN OUTSIDE RADIUS OF LESS THAN $2t$.

PG&E SHALL SUBMIT A REPORT TO THE NRC STAFF DOCUMENTING THE RESULTS OF THE PROGRAM."

PG&E HAS TAKEN THE FOLLOWING STEPS TO ADDRESS TOPICS (A), (C), (D), (E) FOR S/B AND L/B SUPPORTS:

- o REVISED PG&E DESIGN CRITERIA MEMORANDUM M-9, REV. 10, "GUIDELINES FOR DESIGN OF CLASS 1 SUPPORTS"
- o ISSUED PG&E INSTRUCTION NO. I- 59, REV. 0, "INSTRUCTION FOR THE EVALUATION OF LICENSING CONDITION NO. 7 CONCERNS - DIABLO CANYON UNITS 1 & 2."
- o ISSUED PG&E INSTRUCTION NO. I-55, REV. 2, "INSTRUCTION FOR THE REVIEW OF S/B PIPE SUPPORT CALCULATION, DIABLO CANYON UNIT # 1."
- o ISSUED PG&E "DIABLO CANYON PLANT LARGE BORE PIPE SUPPORT REVIEW CHECKLIST"
- o EVALUATED THESE EFFECTS FOR COMPUTER ANALYZED S/B PIPE SUPPORTS
- o EVALUATED THESE EFFECTS FOR SAMPLE OF 200 L/B PIPE SUPPORTS

- o PG&E PROVIDED ADDITIONAL INFORMATION ON TECHNICAL TOPICS (B) AND (F) ISSUES IN THESE TOPICS RESOLVED.

RELATED TOPICS:

- o CORRECT SPECIFICATION OF ANGLE OF INCLINATION OF ANGLE MEMBERS IN STRUDL INPUT
- o BASEPLATE AND ANCHOR BOLT ASSEMBLY DESIGN CALCULATION
- o PIPING TRIBUTARY MASSES FOR PIPE SUPPORTS
- o BUCKLING CRITERIA FOR B31.1 COMPONENTS
- o GENERIC QUALIFICATION OF LUGS AND LUG INDUCED LOCAL PIPE STRESSES
- o STRUDL CALCULATION OF DISPLACEMENT AND LOAD RESPONSES OF ANGLE SECTION BEAMS
- o QUALIFICATION OF U-BOLTS BY LOAD RATING

RESULTS:

- o PG&E HAS SUBMITTED RESULTS IN THE REPORTS:
 - o LETTER NO. DCL-84-219, JUNE 8, 1984
 - o LETTER NO. DCL-84-223, JUNE 11, 1984
 - o LETTER NO. DCL-84-253, JULY 3, 1984

- o RESULTS FOR S/B PIPE SUPPORTS:
 - o WARPING STRESS SIGNIFICANT IN RELATIVELY FEW MEMBERS
 - o ALL S/B SUPPORTS REMAIN QUALIFIED, EXCEPT FOR THREE
 - o THREE ANGLE MEMBERS EXCEEDED LENGTH CRITERION
 - o VERIFICATION OF RESULTS NOT COMPLETED

- o RESULTS FOR SAMPLE OF L/B PIPE SUPPORTS:
 - o WARPING NORMAL STRESS LESS THAN OR EQUAL TO 40% OF BENDING ALLOWABLE

- o WARPING SHEAR STRESS LESS THAN OR EQUAL TO 50% OF SHEAR ALLOWABLE.
- o EFFECT OF WARPING RELATIVELY SMALL IN MAJORITY OF SUPPORTS.
- o ONE SUPPORT FOUND UNQUALIFIED, DUE TO INCORRECT LOAD CONDITION. PROBLEM RESOLVED BY MODIFICATION.
- o ADDITIONAL SAMPLE OF 30 L/B SUPPORTS CHECKED FOR INCORRECT LOAD CONDITIONS. NONE FOUND.
- o ALL SUPPORTS CHECKED REMAIN QUALIFIED.
- o VERIFICATION OF RESULTS NOT COMPLETED.