

ORIGINAL  
UNITED STATES  
NUCLEAR REGULATORY COMMISSION

---

IN THE MATTER OF:

DOCKET NO: 50-322-OL

SHOREHAM NUCLEAR POWER STATION

(Long Island Lighting Company)

THIS IS A CORRECTED TRANSCRIPT

LOCATION: HAUPPAUGE, NEW YORK

PAGES: 22474 - 22593

DATE: Thursday, September 13, 1984

---

TR-01011

Additional 2 copies to ASLBP, Eji-439

ACE-FEDERAL REPORTERS, INC.

Official Reporters  
444 North Capitol Street  
Washington, D.C. 20001  
(202) 347-3700

8411060253 840913  
PDR ADOCK 05000322  
T PDR

NATIONWIDE COVERAGE

# ACE-FEDERAL REPORTERS, INC.

444 North Capitol Street  
Washington, D.C. 20001  
(202) 347-3700

STENOTYPE REPORTERS

October 30, 1984

TO: All Recipients of Transcripts of Proceedings of  
Docket No.: 50-322-1 (OL)  
Long Island Lighting Company  
(Shoreham Nuclear Power Station)

I. Enclosed are corrected transcripts in the above matter  
for the following days:

September 10, 1984  
September 11, 1984  
September 12, 1984  
September 13, 1984  
September 17, 1984  
September 18, 1984


} ORIGINAL + 3 COPIES  
RJM.

II. A corrected transcript for September 19, 1984 is in  
the process of being prepared and should be distributed  
in the near future.

III. Portions of the following pages have been questioned  
by the Commission. The items are being checked against  
the original notes by the subcontractor. New pages  
will be distributed when the items are resolved.

<u>Date</u>	<u>Page</u>	<u>Line(s)</u>
9/17	22687	5-6
9/17	22725	14-16
9/18	22829	14
9/19	23030	16

Sincerely,

  
Alan I. Penn  
Vice President

Encl.  
AIP/alr

DUPE

~~8411060097~~

waga

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
BEFORE THE ATOMIC SAFETY & LICENSING BOARD

-----x

In the matter of: :

: :

SHOREHAM NUCLEAR POWER STATION : Docket No.50-322-0L

: :

(Long Island Lighting Company) :

: :

-----x

State Office Building  
Veterans Memorial Highway  
Hauppauge, New York  
Thursday, September 13, 1984

Hearing in the above-entitled matter was  
convened at 9:00 a.m., pursuant to notice.

BEFORE:

- JUDGE LAWRENCE BRENNER,  
Chairman, Atomic Safety & Licensing Board
- JUDGE PETER A. MORRIS,  
Member, Atomic Safety & Licensing Board
- JUDGE GEORGE A. FERGUSON,  
Member, Atomic Safety & Licensing Board

waga

1 APPEARANCES:

2 On behalf of the Applicant:

3 TIMOTHY S. ELLIS, III, ESQ.

4 DARLA B. TARLETZ, ESQ.

5 MILTON FARLEY, ESQ.

6 Hunton & Williams

7 700 East Main Street

8 Richmond, Virginia 23219

9 On behalf of the Nuclear Regulatory Commission

10 Staff:

11 RICHARD J. GODDARD, ESQ.,

12 Office of the Executive Legal Director

13 On behalf of the Intervenor, New York State:

14

15

16

17

18

19

20

21

22

23

24

25

waga

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

ADRIAN F. JOHNSON, ESQ.  
On behalf of the Intervenor, Suffolk County:  
ALAN ROY DYNNER, ESQ.  
JOSEPH J. BRIGATI, ESQ.  
DOUGLAS J. SCHEIDT, ESQ.  
Kirkpatrick, Lockhart, Hill,  
Christopher & Phillips  
1900 M Street, N.W.  
Washington, D.C. 20036

waga

1 September 13, 1934. Whereupon,  
2 DAVID O. HARRIS,  
3 DUANE P. JOHNSON,  
4 ROGER L. McCARTHY,  
5 FRANZ F. PISCHINGER,  
6 CRAIG K. SEAMAN,  
7 LEE A. SWANGER,  
8 and  
9 EDWARD J. YOUNGLING

10 were called as witnesses on behalf of the Applicant  
11 and, having been previously duly sworn, were  
12 examined and testified as follows:

13 JUDGE BRENNER: Good morning. Yesterday,  
14 Mr. Goddard, you had wanted to raise a matter with  
15 us, and I asked you to hold it until today. Do you  
16 still want to raise that matter?

17 MR. GODDARD: Yes, I do, Judge Brenner.  
18 It concerns the availability of one of the staff  
19 witnesses who will be testifying on the shot peening  
20 of the crank shafts, and the acceptability of the  
21 cylinder blocks. That's Dr. Spencer and Bush.

22 Because of prior commitments, Dr. Bush is  
23 going to be available for only a limited period of  
24 time prior to the 8th of October. The days that he  
25 would be available are the 20th, which is a week

waga

1 from today, next Thursday.

2 JUDGE BRENNER: You're going to tell me  
3 he is available one day here and one day there?

4 MR. GODDARD: No, he will be available  
5 the 20th through the 25th only because of prior  
6 commitments. However he may well be available after  
7 the 24th of October, if it looks as though we are  
8 going to be in hearing at that time.

9 Accordingly, the NRC staff would request  
10 that the NRC witnesses be impaneled during that  
11 period for purposes of cross examining Mr. Bush  
12 alone on the issues of shot peening, and adequacy of  
13 the cylinder blocks.

14 JUDGE BRENNER: Have you discussed this  
15 with the other parties?

16 MR. GODDARD: I have not had a chance to  
17 do so at this time. I will do that.

18 JUDGE BRENNER: Go ahead and do that. I  
19 don't want to take it up now.

20 MR. GODDARD: I just wanted to notify the  
21 Board of your problem.

22 MR. ELLIS: Judge Brenner, he has  
23 discussed it with us and we are happy to accommodate  
24 it.

25 JUDGE BRENNER: Wait a minute, Mr. Ellis;

waga 1 give a chance to the Staff, please.

2 MR. ELLIS: Sure.

3 JUDGE BRENNER: Welcome back.

4 MR. ELLIS: Thank you.

5 JUDGE BRENNER: I see potential problems,  
6 Mr. Goddard, with taking subjects totally out of  
7 order, especially since it involves two subjects,  
8 not just one subject. I have already expressed  
9 concern in that regard.

10 The Staff's panel would be coming on last.  
11 When will he be available beyond that time?

12 We know that he is not available until after the  
13 22nd-24th of October, in that time frame. We do not  
14 know his exact schedule after that period of time.

15 MR. GODDARD: The Staff would not make  
16 this request if it did not feel there was any other  
17 way to accommodate it. We do feel of course, that  
18 this information is highly probative.

19 JUDGE BRENNER: Well, it blocks the total  
20 subject on one part of the contention. I can see  
21 the possibility of maybe taking something like the  
22 shot peening out of order as an isolated subject.  
23 But you're asking us to take two subjects out of  
24 order. It gets very difficult to keep the subject  
25 matter in mind as it is.



waga

1                   It was not my preference to proceed the  
2 way we are going in any event, but at least we have  
3 the subject matter together from the witnesses for  
4 one party in the sense that all parties can ask  
5 their cross-examination, and can get direct and  
6 follow-up on the subject.

7                   This hearing has been scheduled for a  
8 long time. One thing I believe the Board can take  
9 credit for, and maybe in your view it's the only  
10 thing, is that we scheduled this hearing with great  
11 predictability.

12                   We scheduled it back in June. We know  
13 there are a lot of people involved and a lot of  
14 schedules involved. The Board's schedule also has  
15 been involved. And we scheduled it back in June.  
16 Everyone knew then when the hearing was going to  
17 start.

18                   As it turned out we unfortunately had to  
19 make a last-minute adjustment, and start later,  
20 because of the Staff's scheduling.

21                   This has been known for a long time, and  
22 now you are telling me a witness who you're  
23 depending on is not available for approximately a  
24 month.

25                   MR. GODDARD: That is correct, Judge

waga

.1 Brenner. The Staff will not apologize for failing  
.2 to schedule Mr. Bush earlier. He was added to the  
.3 NRC Staff's panel because of relatively unexpected  
.4 new material introduced by Lilco with regard to the  
.5 metallurgy of the blocks. He is also the witness  
.6 who by virtue of his qualifications and expertise we  
.7 have used for the preparation of the shot peening  
.8 testimony.

.9 At the time this hearing was scheduled  
10 and for some time thereafter we did not know that  
11 Dr. Bush would be a member of the NRC Staff panel.

.12 JUDGE BRENNER: Well you want us to take  
13 him next week. I'm sorry, the week after next.

.14 MR. GODDARD: Monday and Tuesday of the  
.15 following week and possibly next Thursday on the  
16 issue of shot peening, since we expect we will be on  
17 the crankshafts at that time.

.18 If there's some assurance, and I think we  
19 can find out further information on Dr. Bush's  
20 October and possibly November schedule.

21 JUDGE BRENNER: I don't want to talk  
22 about it any longer.

23 MR. GODDARD: Okay. It wasn't my  
24 favorite subject.

25 At this point I would just like to alert

waga

1 the Board to the serious possibility that this will  
2 be discussed with the parties and I will get back to  
3 you, Judge Brenner.

4 JUDGE BRENNER: He is available the week  
5 of the 24th; is that what you're saying?

6 MR. GODDARD: The 24th and 25th only.  
7 He is leaving for Europe on the 25th.

8 JUDGE BRENNER: I don't think it's going  
9 to be workable Mr. Goddard, my personal opinion.  
10 You better find out how important his opinions are.  
11 I think we can take care of shot peening along the  
12 lines you suggest, but I have great doubts as to  
13 anything beyond that.

14 But if you can present me with a concrete  
15 proposal agreed upon by the other parties, or at  
16 least with the other parties' views, we will  
17 consider it.

18 MR. GODDARD: Thank you Judge Brenner.  
19 That's all I have at this time.

20 JUDGE BRENNER: If there are no other  
21 preliminary matters -- did you have something Mr.  
22 Ellis?

23 MR. ELLIS: I think there was a matter  
24 or question pending; Mr. Youngling is prepared to  
25 address that.

waga

1 JUDGE BRENNER: The pending question was  
2 whether someone on the panel could inform us as to  
3 the planned inspections of the pistons for the  
4 projected operational life of the diesels, if in  
5 fact there's any operational life. Mr. Youngling.

6 MR. YOUNGLING: Judge Ferguson, the TDI  
7 instruction manual in the maintenance section  
8 requires that at each refueling outage that we  
9 perform cold compression readings on the engines and  
10 assess firing pressures. Based on those readings,  
11 we would then make a decision to inspect the piston  
12 rings and cylinder liner, based on those results.

13 The DROR program in Volume 9 Appendix 3 --  
14 Appendix 2, I'm sorry, Maintenance Review, requires  
15 that a five-year inspection be performed on the  
16 pistons, mainly dealing with dimensional areas,  
17 dimensional checks.

18 The company feels very confident in the  
19 results of our analysis that the pistons have  
20 indefinite life. However, to address your concerns  
21 the company will, at the first refueling outage,  
22 inspect the piston boss areas on all 24 pistons, by  
23 eddy current and DP examination.

24 JUDGE FERGUSON: Was that the end of your  
25 answer?

waga 1 MR. YOUNGLING: Yes, sir.

2 JUDGE FERGUSON: I want to thank you for  
3 that, Mr. Youngling. I think that's very helpful.  
4 I don't want to get too deeply into this subject,  
5 but I hope you understand my concern, that although  
6 many of us have great respect for many of the  
7 mathematical techniques that are used to predict  
8 events, it's always reassuring from an engineering  
9 point of view to be sure that the measurements track  
10 the data. At the appropriate time

11 Based on what I have just heard from Mr.  
12 Youngling, Dr. Swanger, you remember the testimony  
13 you read yesterday, the last statement that I was  
14 concerned about, do you feel that you want to say  
15 anything further that might clarify what you meant  
16 by "No further operational inspections are required"?

17 DR. SWANGER: Yes. That statement  
18 referred to the fact that there have already been  
19 two sets of inspections on the AE pistons in the  
20 Shoreham engines.

21 All of the pistons were given a thorough  
22 inspection prior to operation by eddy current, by  
23 dye penetrant, to demonstrate that there were no  
24 reportable indications in the highly stressed stud  
25 boss area.

waga

1                   In addition, after 100 hours of operation,  
2   at or above the 3500 kilowatt level, 10 of these  
3   pistons, 10 out of 24, were disassembled for post-  
4   operational inspections, and as we have explained  
5   earlier, we looked at all of the stud boss regions,  
6   in all of these pistons, the total of 80 highly-  
7   stressed areas, and 40 stud bosses, and found no  
8   operationally-induced flaws there.

9                   This, of course, fits right in line with  
10   our prediction that nothing would happen in these  
11   pistons.

12                   Thus we feel that we have demonstrated,  
13   through the application of very standard engineering  
14   fatigue principles, that these pistons are operating  
15   below their endurance limit and with no  
16   preexisting flaws, and with no potential for any  
17   flaws which might be there to propagate anyhow, that  
18   the discipline of fracture mechanics as applied to  
19   many engineering and transportation studies,  
20   conservatively, in this case, tells us that further  
21   routine periodic inspections in the stud boss area  
22   for cracking are not warranted.

23                   JUDGE FERGUSON: Is what you -- you just  
24   seemed to indicate that all of the measurements that  
25   Mr. Youngling said he is going to take are really

waga 1 unnecessary? Is that what you're saying?

2 DR. SWANGER: The routine maintenance  
3 inspections that Mr. Youngling discussed are those  
4 recommended by TDI to assess a number of the  
5 performance attributes of the piston, other than  
6 cracking in the stud boss region. The measurement  
7 of the normal wear of the tin on the outside of the  
8 piston. The measurement of the side clearance of  
9 the piston rings to the piston. These are typical  
10 measurements that should be taken on a periodic  
11 basis, to assess the total performance of the piston,  
12 including the AE piston skirt, in the engine.

13 However, we feel confident that in the  
14 area of cracking of the stud bosses in the AE piston,  
15 that the conservative application of proven fracture  
16 mechanics techniques does recommend that no further  
17 inspections are required.

18 JUDGE FERGUSON: I'm really trying to get  
19 across a very simple-minded concept. Mr. Youngling  
20 did you say that during these routine inspections  
21 you would, in fact, do a thorough inspection of the  
22 piston, looking for cracks as well as signs of wear  
23 that Dr. Swanger just mentioned? Let me be very  
24 specific. Will you look for cracks during your  
25 routine inspections?

waga

1 MR. YOUNGLING: During the inspection of  
2 any piece of apparatus, the inspector is always  
3 looking for unusual signs. Cracking would certainly  
4 be one of the signs that he would be looking at, yes.

5 JUDGE FERGUSON: So you will be sensitive  
6 to the fact that there may be cracks and you will be  
7 looking to see if there are, in fact, any cracks, is  
8 that correct?

9 MR. YOUNGLING: Judge Ferguson, we do not  
10 feel that there will be cracks, but we will be  
11 looking at it as a part of our normal routine  
12 practice.

13 JUDGE FERGUSON: Fine. That's, I think,  
14 a very good idea.

15 But, Dr. Swanger, is your testimony that  
16 that is a waste of time or it's unnecessary? Dr.  
17 Swanger, I'm asking about his testimony.

18 DR. SWANGER: I feel that it is very  
19 prudent and very very cautious and very very  
20 conservative to do these inspections. From my  
21 standpoint, with a reasonable degree of engineering  
22 certainty, I do feel that such inspections are  
23 unnecessary.

24 JUDGE FERGUSON: All right. Well the  
25 point I hope that we leave this with, and I don't



waga

1 want to spend any more time on it, is that we are  
2 not lead to a feeling of great comfort in our  
3 calculations such that we don't do things that  
4 normal engineering practice suggests we do. It is  
5 important to have confidence, I'm sure, in our  
6 calculations, but those calculations should always  
7 be verified by inspection. I did not want the  
8 record to indicate that somehow FaAA or Failure Analysis  
9 Associates had led Lilco to a feeling that the  
10 calculations say that there are no flaws there, there  
11 are no cracks.

12 We didn't see any when we were inspecting  
13 these pistons before, these skirts before, they went  
14 into the engine, and therefore you're wasting your  
15 time to look for such cracks.

16 Just one final point, and I want to leave  
17 this, and that is the testimony as I understand it  
18 has indicated, based on the analysis that was  
19 performed, if a crack is less than a half inch, it  
20 will not propagate. Is that the testimony?

21 DR. SWANGER: That's part of the  
22 testimony. As we also indicated with respect to one  
23 of our exhibits, if you give me the time to locate  
24 it.

25 The analysis did say that cracks one-half

waga

1 inch deep will not propagate.

2 But as we also just stopped our analysis  
3 at that point, we feel that we could have carried it  
4 even further than half an inch, and cracks larger  
5 than half an inch also will not propagate.

6 But we felt that half an inch was such a  
7 conservative number to choose, and I am referring to  
8 exhibit P-25 in Lilco's exhibits which indicates  
9 that the analysis was merely terminated at half an  
10 inch, as a very conservative place to terminate it.

11 But we feel that cracks even deeper than  
12 half an inch also will not propagate, were they to  
13 be there. We also feel that there's no way to  
14 instantaneously generate any kind of flaw, crack or  
15 defect half an inch deep.

16 JUDGE FERGUSON: That's been very helpful,  
17 Dr. Swanger. I have no further questions.

18 JUDGE BRENNER: Mr. Youngling, I have a  
19 followup. You said you were going to perform an  
20 inspection on the piston which you described at the  
21 first refueling outage. I thought that the TDI  
22 diesels were going to be removed from any service as  
23 emergency standby diesels for Shoreham at the first  
24 refueling outage.

25 MR. YOUNGLING: Judge Brenner, based on

waga

1 our total analysis of the diesel generators, looking  
2 at our overall effort, not only in these four  
3 components, but the remainder of the engines, Lilco  
4 is extremely confident that we will be able to  
5 qualify these engines.

6           Consequently, we are planning as good  
7 prudent management to insure that these engines are  
8 available not only for the first cycle, but future  
9 cycles. And the Colt diesel engines will be used to  
10 complement the TDI diesels. And the Shoreham plant  
11 will be one of the most unusual plants in the United  
12 States, in that we will have six qualified diesel  
13 generators to support plant operation.

14           . JUDGE BRENNER: Actually it will only be  
15 unusual by that number, because there are other  
16 plants with smaller diesels and a larger number.

17           I guess it would help me some time when  
18 it's convenient, not this week, for Lilco to give me  
19 a brief oral rendition of what findings Lilco is  
20 asking us to make with respect to the time frame  
21 question on the diesels, because there's testimony  
22 that relates to that, particularly the Staff's, and  
23 I thought it was an official proposal that Lilco was  
24 only relying on these diesels until the first  
25 refueling cycle.

waga

1 I don't know if that matters to any of  
2 our findings; let me say that at the outset. But it  
3 might. And if I could get that explanation in the  
4 near future in this proceeding, we will hear it.

5 MR. ELLIS: Yes, sir, we will do that.

6 JUDGE MORRIS: Gentleman, I have a few  
7 areas of inquiry.

8 First to Mr. Youngling. Coming back to  
9 the pressure measurements that you would make  
10 periodically, what was the frequency?

11 MR. YOUNGLING: The TDI manual specifies  
12 that we take those readings at each annual outage,  
13 or each refueling outage.

14 JUDGE MORRIS: Each refueling outage.

15 MR. YOUNGLING: Yes, and that will  
16 normally occur each 18 months.

17 JUDGE MORRIS: And these would be made  
18 with the Kiene instrument?

19 MR. YOUNGLING: Yes, they would be made  
20 with the Kiene gage. As I testified earlier, the  
21 Kiene gage is a satisfactory gauge for discerning  
22 trends. That's what we are looking for, is trends.

23 JUDGE MORRIS: And if you saw a change in  
24 the peak firing pressure outside of the TDI limits,  
25 you would then retune the engine, is that the --

waga

1 MR. YOUNGLING: We would take the  
2 appropriate steps. It could be a tuning, or it  
3 could also require that we go into the engine and  
4 look at the rings or the valves, yes.

5 JUDGE MORRIS: Dr. Pischinger, I'd like  
6 to understand a little more about the behavior of  
7 the peak firing pressure as a function of time.

8 With the accurate measurements you can  
9 follow the pressure throughout the cycle, and you  
10 get, I presume, something like a sinusoidal wave, is  
11 that correct?

12 DR. PISCHINGER: The last word but one I  
13 couldn't --

14 JUDGE MORRIS: If you plotted the  
15 pressure versus time, it would be something like a  
16 sinusoidal wave?

17 DR. PISCHINGER: In a very rough sense.  
18 Of course if you analyze it, this is, as it is shown  
19 in Exhibit No. 5, it is -- well deviates a little  
20 from --

21 JUDGE MORRIS: Let's call it oscillatory.

22 DR. PISCHINGER: I beg your pardon.

23 JUDGE MORRIS: Oscillatory, so we won't  
24 try to define the shape.

25 DR. PISCHINGER: Yes, it will be a

waga

1 oscillatory function of time.

2 JUDGE MORRIS: For a single cylinder,  
3 looking at each peak, over a period of say a minute,  
4 what variation in the peaks would you anticipate?

5 DR. PISCHINGER: As measurements indicate,  
6 well in agreement with my experience, this will be --  
7 I give you the percentage in just a moment.

8 JUDGE MORRIS: Fine.

9 DR. PISCHINGER: The scatter of the peak  
10 values will be in the range of about 1%.

11 JUDGE MORRIS: That's a total range of 1%?

12 DR. PISCHINGER: This is a total range.

13 JUDGE MORRIS: Yes.

14 DR. PISCHINGER: The band within the  
15 pressure of this, the peak pressures, will vary.

16 JUDGE MORRIS: And if you were to take an  
17 average peak pressure for that one minute, and then  
18 come back, say a month later, after continuous  
19 operation, what kind of differences would you expect  
20 at that time in the average peak pressure?

21 DR. PISCHINGER: This may depend on how  
22 much the engine was operated in this time. If you  
23 relate to running hours --

24 JUDGE MORRIS: Let's assume continuous  
25 steady state operation at 100% of let's call it

waga 1 qualified power level.

2 DR. PISCHINGER: And you said one month?

3 JUDGE MORRIS: Yes.

4 DR. PISCHINGER: According to my  
5 experience, if the engine stays untouched, that  
6 means nobody interferes by let's say resetting of  
7 the fuel pump, it will not vary -- it will -- within  
8 1, 2 or 3% is maximum, the maximum this mean value  
9 will change.

10 JUDGE MORRIS: If over some long period  
11 of time you noticed some difference in the engine  
12 performance, what symptoms would indicate that the  
13 firing pressure was changing?

14 DR. PISCHINGER: I --

15 JUDGE MORRIS: For example, would it  
16 cause an increase in fuel consumption to maintain  
17 the same output? I'm just making this up as an  
18 example.

19 DR. PISCHINGER: I understand. Yes, you  
20 mean what symptoms -- symptoms left aside -- say,  
21 checking with pressure measurements.

22 JUDGE MORRIS: Correct.

23 DR. PISCHINGER: Yes. For instance,  
24 increase of fuel consumption at the same output,  
25 that will be, that could be an indication.

waga

1 JUDGE MORRIS: So would it be your  
2 opinion that if the peak firing pressure changed  
3 substantially, let's say 10%, that that would be  
4 noticeable in the engine's operation?

5 DR. PISCHINGER: By measuring the fuel  
6 consumption, and control, close control of the load,  
7 this certainly would be measured.

8 JUDGE MORRIS: Yesterday Judge Ferguson  
9 was examining the peak firing pressures of different  
10 engines before and after replacement of the  
11 crankshaft. Would the increase in the diameter of  
12 the crank pin affect the firing pressure?

13 DR. PISCHINGER: No. Definitely not to a  
14 noticeable degree, if all other engine setting  
15 parameters stay exactly the same.

16 JUDGE MORRIS: Thank you.

17 Dr. McCarthy, I can't see you over there,  
18 because of the strange topography we have in this  
19 bench. You mentioned early in this proceeding the  
20 quality assurance that FaAA applied to this project;  
21 in our business we are usually focusing on quality  
22 assurance of hardware, that is to say structures,  
23 systems and components.

24 So I'd like to learn a little bit about  
25 how QA is applied to the activities of this project.



waga 1 For example, is there a permanent quality assurance  
2 organization within FaAA?

3 Are there procedures that are applied  
4 more or less in a standard fashion to the many  
5 different types of assignments that you have? And  
6 I'll stop with those two questions. I have some  
7 more, but so we don't lose track, can you respond.

8 DR. McCARTHY: Yes, Judge Morris. The  
9 answer is yes, to all of your questions.

10 First of all, Appendix B of Code 10 CFR  
11 Part 50 spells out quality assurance procedures for  
12 work in -- relating to engineering of nuclear-related  
13 activities.

14 Our company has a designated quality  
15 assurance Manager who reports directly to me, who is  
16 Dr. Johnson. Dr. Swanger is an assistant quality  
17 assurance Manager in the company, also in that  
18 capacity reporting directly to me.

19 Our quality assurance procedures, and I  
20 have with me a copy of our quality assurance and  
21 operating procedures manuals, are a standard book  
22 that's maintained within the various sections of the  
23 company, is continuously updated when required in  
24 accordance with our operating procedures. They do  
25 spell out both the true procedure and the correct

waga

1 methods for assembling support packages to our  
2 technical work product, which includes such standard  
3 features as all calculations being independently  
4 checked by another engineer different from the one  
5 who performed the original inspection, the levels of  
6 management sign-off, and things of that nature.

7 JUDGE MORRIS: It wasn't clear to me  
8 whether those persons, for example Dr. Swanger who  
9 performed QA functions, are completely independent  
10 of those who do the initial work, or does that  
11 change with time, or how does that work?

12 DR. McCARTHY: I'm sorry. Perhaps I  
13 incorrectly characterized their role. Dr. Johnson  
14 or Dr. Swanger's responsibility to me in their  
15 quality assurance role is that the procedure is  
16 followed. They, especially with a firm of our size,  
17 could not hope to audit the technical product of the  
18 whole firm, nor is their expertise appropriate for  
19 that audit in all areas.

20 Their responsibility is to make sure that  
21 when a report is generated, let's say by someone in  
22 our instrumentation group, that someone independent  
23 also with appropriate instrument expertise, audits  
24 that report, and that the procedure is followed.

25 Who performs the audit has to be someone

waga 1 independent of the original performer of the work,  
2 who also has the appropriate expertise.

3 JUDGE MORRIS: So that would change with  
4 the nature of the particular jobs that you were  
5 performing?

6 DR. McCARTHY: Yes. And the reviewer is --  
7 particular reviewer in a particular job is selected  
8 by a corporate officer, and indeed reviewers  
9 throughout the company can be -- the role of worker  
10 and reviewer, individuals on the Staff will do both  
11 roles on different jobs, and of course all our work  
12 has had, it's my understanding, an independent Lilco  
13 audit in addition to our own QA procedures.

14 JUDGE MORRIS: As an example, could you  
15 tell me how you would perform a QA function on a  
16 finite element analysis of, for example, a piston  
17 skirt?

18 DR. McCARTHY: Okay. In the particular  
19 finite element analysis that we discussed here today,  
20 of course Dr. Harris was the Task Manager who  
21 assembled with the help of Mr. Sire and Mr. Muir the  
22 analysis that's reported.

23 The reviewer on that program was Dr.  
24 Graham Fowler, PhD in applied mechanics from Cal  
25 Tech, with extensive finite element experience. His

waga

1 review is reflected in the sign-offs on the support  
2 package. He is not, however, here today.

3 Q. Do you accomplish something like a  
4 qualification of the computer programs?

5 DR. McCARTHY: Yes. As part of the  
6 procedure, there is a qualification requirement for  
7 computer programs, and also in assembling the  
8 support package backing up a report, the version and  
9 copy of the program actually used in analysis has to  
10 be appended as part of the support package.  
11 Programs, especially commercially-used finite  
12 element programs, will occasionally be updated and  
13 expanded by their supplier, but we also track which  
14 particular version was used for which particular  
15 analysis.

16 JUDGE MORRIS: Dr. Pischinger, did you  
17 want to say something?

18 DR. PISCHINGER: No, I just wanted to  
19 follow.

20 JUDGE MORRIS: So, with respect to  
21 qualification of computer programs, I believe you  
22 have responded, along with the program goes the  
23 boundary conditions or the assumptions which have to  
24 be stated to solve the problem. What quality  
25 assurance is made on the correctness or adequacy of

waga

1 those boundary conditions?

2 DR. McCARTHY: The reviewer not only, of  
3 course, must have the appropriate expertise to  
4 evaluate assumptions made in boundary conditions,  
5 but in addition to the printout, which will have the  
6 inputs to the computer program, it is required that  
7 the engineering assumptions involved be stated so  
8 that the reviewer can make an evaluation of both the  
9 assumptions made for input, as well as the numerical  
10 input itself.

11 JUDGE MORRIS: Thank you. That's all I  
12 have at this time.

13 JUDGE BRENNER: Gentlemen, I wanted to  
14 try and clarify some basic terms that are used in  
15 your testimony and in the exhibits. Some of these  
16 have been alluded to earlier, but I want to try to  
17 get it clarified and also get it all in one place.

18 Can you explain to me what is denominated  
19 by the use of the positive and negative signs in  
20 relation to the values for stress and strain? If it  
21 helps you to refer to some of your exhibits, such as  
22 16 or 17, you can do that. You might want to  
23 explain it in context of what you mean by minimum  
24 stress or strain and maximum stress or strain.

25 DR. HARRIS: In order to simplify the

waga

1 discussion of stress, let's concentrate on normal  
2 stress and for the moment, hopefully for the whole  
3 morning, not consider shear stresses.

4 All of the tabulations in our reports  
5 have to do with normal stresses, and a normal stress  
6 is much like a pressure. It's just a force per unit  
7 area. And has, therefore, the units such as pounds  
8 per square inch.

9 A positive value of a normal stress for  
10 mechanical engineers pertains to the situation where  
11 you are; you're pulling on a body, when you put it  
12 in tension you have positive normal stress. If you  
13 put it in compression, that is if you're pushing on  
14 it, then you would have negative normal stress.

15 As I mentioned briefly, the shear  
16 stresses are also another important component of the  
17 problem. So that stress is actually, has six  
18 components to it. It's a fairly complex thing. But  
19 hopefully the discussion I just gave on normal  
20 stress will be sufficient for the current discussion.

21 JUDGE BRENNER: I can ask a follow-up and  
22 maybe that will help clarify it, unless you want to  
23 add something to that, Dr. Swanger.

24 DR. SWANGER: I believe your question  
25 also asks for clarification of minimum stresses and

waga 1 maximum stresses.

2 JUDGE BRENNER: Yes, and my follow-up was  
3 going to be either Dr. Swanger or Dr. Harris the  
4 other day stated that all the minimum stresses were  
5 negative, and I was wondering whether you meant that  
6 totally or just with respect to a particular exhibit  
7 that you had in mind. And it was in the context of  
8 Dr. Swanger warning us not to confuse that with the  
9 algebraic use of positive and negative.

10 DR. SWANGER: Minimum stresses and  
11 maximum stresses only have meaning due to their  
12 comparative nature. In looking at a set of stresses,  
13 that stress which would be the algebraically lowest  
14 stress would be the minimum stress. That stress  
15 which would be the algebraically largest stress  
16 would be the maximum stress.

17 In general, depending on the problem  
18 being solved, both minimum stresses and maximum  
19 stresses could be either negative or positive. But  
20 we believe that in the stud boss region of the AE  
21 piston, the minimum stresses are always negative.

22 JUDGE BRENNER: And the maximum stresses  
23 could be negative or positive, correct?

24 DR. HARRIS: Yes, Judge Brenner, that is  
25 correct.

waga

1 JUDGE BRENNER: Let's take one example.  
2 If you look at exhibit P-17, that's your table where  
3 you present the cyclic stresses. Now am I correct  
4 that in order to get the cyclic stress you have to  
5 subtract the minimum stress from the maximum stress?

6 MR. ELLIS: Which number again, please,  
7 Judge Brenner?

8 JUDGE BRENNER: P-17.

9 MR. ELLIS: Thank you.

10 JUDGE BRENNER: Let's take an example in  
11 that exhibit. Could you, using let's say the 11-inch,  
12 I'm sorry, the 11 mil gap under the steady state  
13 condition example, could you tell me what the cyclic  
14 stress would be under the finite element analysis  
15 for that example?

16 DR. HARRIS: Referring to the stress  
17 levels under the column that has FE at the top,  
18 referring to finite elements, under steady state  
19 conditions with an 11 mil gap, the maximum stress  
20 would be 1.57 ksi. The minimum stress would be  
21 minus 42.2 ksi.

22 This means that the maximum stress is  
23 tensile, and the minimum stress is compressive.

24 The cyclic stress would be the maximum  
25 stress, minus the minimum stress, which is, using



waga

1 the numbers I provided you.

2 the cyclic stress is 43.97 ksi.

3 There's a closely-related stress  
4 parameter that is also of interest called Sigma Sub  
5 A for the cyclic stress amplitude. That is equal to  
6 one-half of the value that I just cited.

7 JUDGE BRENNER: Thank you.

8 You discussed in some of your exhibits a  
9 comparison in what you have labeled steady state  
10 conditions in contrast to isothermal conditions.  
11 For example, the triangle presentation in exhibit  
12 P-23 does that, and your testimony does that also.

13 Am I correct that when you say steady  
14 state conditions you mean the conditions in an  
15 operating diesel, is that right?

16 DR. HARRIS: Yes, Judge Brenner.

17 JUDGE BRENNER: And when you say  
18 isothermal conditions you mean the conditions in  
19 your experiments, is that correct?

20 DR. HARRIS: I mean the conditions in my  
21 experiments and also the conditions in an operating  
22 engine when it's first started from a cold, from a  
23 non-operating condition. As when you start an  
24 engine that has been in the stand-by condition, it  
25 will be under isothermal conditions. When you first

waga

1 start the engine it takes a while for the  
2 temperatures in the piston crown, and elsewhere in  
3 the engine, to reach the steady state condition, so  
4 there's a transition period in there, and the  
5 isothermal condition and steady state conditions  
6 provide the two extremes of the beginning and the  
7 end of this transient or time-varying condition.

8 JUDGE BRENNER: All right. I will keep  
9 the distinction you have in mind by those labels.  
10 The reason I asked is that, now to make sure I have  
11 got that correct, you also testified that in your  
12 opinion, under normal operating conditions that you  
13 relate to under steady state conditions, the  
14 temperature of the piston skirts were, I believe,  
15 expressed as relatively isothermal.

16 DR. HARRIS: Yes, I believe that's  
17 correct. Or it's a characterization that I quoted.

18 JUDGE BRENNER: We have discussed several  
19 times again this morning your testimony with respect  
20 to the fact that you can state that cracks up to a  
21 half inch, in your opinion, would not propagate.  
22 And I understand Dr. Swanger's explanation that that  
23 was conveniently as far as you went.

24 Does the length of that crack matter at  
25 all to your analysis or conclusions? You have

waga

1 always discussed it only in terms of the depth of  
2 the crack. In other words, if you had a longer  
3 shallower crack, might we expect different  
4 propagation than a shorter crack?

5 DR. HARRIS: Everything else being equal  
6 the crack growth rate would depend on the surface  
7 length of the crack in addition to only its depth.

8 As I recall, the fracture mechanics  
9 analysis in the AE piston skirt took the  
10 conservative approach of assuming that the surface  
11 length of the crack was infinite, very, very, very  
12 very long relative to its depth.

13 JUDGE BRENNER: All right. You  
14 anticipated my next question.

15 Dr. McCarthy, you discussed the concept,  
16 I guess I could call it the knee effect, if you  
17 would, in relation to your answer 87 in your  
18 testimony, and by responding to Mr. Dynner's  
19 questions it was your testimony that the situation  
20 with the crankshafts supported your testimony, and I  
21 didn't understand the bases for your point, and I  
22 want to come back to it now. For the sake of the  
23 record that discussion with Mr. Dynner was  
24 approximately transcript page 22,354, and thereafter,  
25 although I don't know that we have to refer to it in

waga

.1 terms of reading it now.

2 As I understand the testimony in your  
3 direct testimony, it is that once you get over the  
4 particular beginning of the knee in the case of the  
5 piston, you believe that to be 1.35 million cycles,  
6 approximately, that you would expect that 93% of  
7 anything that would fail up to 10 million cycles  
8 would have failed by that 1.35 million cycle point.  
9 Am I correct?

10 DR. McCARTHY: No. If I left that  
11 impression, my explanation was not then clear.

12 The knee occurs on ferritic materials at  
13 10 to the 7 cycles. Which means that anything that  
14 makes it to 10 to the 7th should run forever, for  
15 ferritic materials. That's the infinite life point.  
16 If it's run at that rate for the remainder of its  
17 cycles.

18 In other words, if it lasts 10 million  
19 cycles it will exhibit infinite life.

20 Now, if you have a part that makes it to  
21 1.3 million cycles, the stress level of that part  
22 can only be 7% above the endurance limit at a  
23 maximum, or you should have observed failures. In  
24 other words, 1.3 million, a part designed to last  
25 only 1.3 million cycles can only have a stress 7%

waga

.1 above the endurance limit

.2                   Now the key factor in that, of course, is  
.3 we have a large number of parts whose statistical  
.4 variation of stress and strength would be, one would  
.5 expect the scatter to be substantially greater than  
.6 7%, and as we observed in the crankshafts, all three  
.7 of them developed cracks or failures, because they  
.8 were in this range of one million to 10 million, and  
.9 indeed one broke, and the other two had substantial  
10 crack growth. Whereas when we looked at 10 pistons,  
11 40 bosses and 80 fillets, we saw not a single  
12 indication.

13                   And therefore, since we went to 1.35  
14 million cycles on the ten pistons, which means their  
15 stress level could at most have been 7% above the  
16 endurance limit, and we got no indications, we have  
17 concluded, in fact, that the stress level is  
18 substantially below the endurance limit, because not  
19 even the weakest material in the most highly  
20 stressed stud boss developed a single indication  
21 after 100 hours.

22                   JUDGE BRENNER: Sorry, you have have lost  
23 me again and I'm sure it's my fault. If you tested  
24 them, the pistons, that is, to the 1.35 million  
25 cycles, correct?

waga

.1 DR. McCARTHY: Yes.

.2 JUDGE BRENNER: The crankshafts, prior to  
.3 the time any defects was noted in them, were  
.4 past 1.3 million cycles, I believe somebody  
.5 testified that the 102 crankshaft was about 3.4  
.6 million cycles.

.7 DR. McCARTHY: 3.4 or 4 million, I don't  
.8 know whether that 3.4 reflects the preoperational  
.9 testing of TDI or not.

10 JUDGE BRENNER: Somewhere between the one  
11 and 10 million.

12 DR. McCARTHY: Yes, right.

13 JUDGE BRENNER: And you're asking us to  
14 say that that's of course the fact that if you look  
15 at the pistons at 1.35 million cycles, we can assume  
16 that they will not fail beyond that.

17 DR. McCARTHY: That is correct, because  
18 had you opened up, just like what happened when we  
19 opened up 3 blocks, we saw, in fact, one of the  
20 parts had failed, and the other two had cracks. In  
21 other words we looked at three and they all had  
22 extremely large relative indications that they were  
23 above their endurance limit, all three, the one that  
24 failed, of course, told us that. And the other two,  
25 even though they hadn't failed yet, had clearly very

waga

.1 large indications, cracks that were visible to the  
.2 naked eye.

.3 JUDGE BRENNER: You just said blocks;  
.4 maybe it's true for the blocks too. But didn't you  
.5 mean the crankshafts?

.6 DR. McCARTHY: The -- we had three  
.7 crankshafts, one of which had failed, two of which  
.8 had very large crack-like indications, that could be  
.9 seen with the naked eye. All three crankshafts were  
10 operating above their -- of the old type -- were  
11 operating above their endurance limit, and in the  
12 range from one million to 10 million cycles  
13 developed cracks.

14 Now, let's take -- let's go look at our  
15 pistons, if they're operating in that same range,  
16 that is above their endurance limit, and we look at  
17 not three samples, indeed not 30 samples, but in  
18 fact 40 bosses and 80 fillets, we see not a single  
19 indication. And the crankshafts have taught us that  
20 all the parts operating in that range are, if  
21 they're above their endurance limit are either going  
22 to fail or develop cracks. In fact none of the  
23 pistons developed relevant indications or cracks.

24 JUDGE BRENNER: Well, here's my problem.  
25 I take it people assume that the crankshafts were

waga .1 not operating above their endurance limits until  
.2 they learned otherwise.

.3 And would have argued that since the  
.4 crankshafts made it past one million cycles, which  
.5 is about the point of your testing of the pistons,  
.6 that therefore that proves the fact that they won't  
.7 fail after that. In fact, they did fail at around  
.8 three or four million cycles.

.9 DR. McCARTHY: We would not have accepted  
10 the argument that the crankshaft, that the fact that  
11 the crankshafts made it 1.3 million cycles, they  
12 were not going to fail.

13 Now had someone opened up the blocks at  
14 that point, pulled the crankshafts, very accurately  
15 inspected them with eddy current and dye penetrant  
16 and found no indications in any of the fillets, we  
17 would have been much more moved by the experience of  
18 three crankshafts.

19 If you had done 80 crankshafts, ran them  
20 to 1.3, 5 million cycles, pulled them from 80 blocks,  
21 inspected them all with dye penetrant and found the  
22 relevant indications, you would have made it, your  
23 crankshafts would have survived.

24 In point of fact had we run 80  
25 crankshafts to 1.35 million cycles you would have



waga

1 found many relevant large indications on that fleet  
2 of 80 crankshafts.

3 JUDGE BRENNER: And citing the experience  
4 with just the three crankshafts, in support of your  
5 view, in answer 37 of your testimony, are you  
6 implying that if the crankshafts had been inspected  
7 at the one million or 1.35 million cycles, that the  
8 indications would have been apparent? Is that a  
9 necessary element in your reliance on the crankshaft  
10 experience for support?

11 DR. McCARTHY: If you had 80 of them you  
12 definitely would have found some of them cracking.  
13 I'm just -- the question on the three, I just have  
14 to consult with my panel here on the crack growth  
15 rate to answer that question.

16 JUDGE BRENNER: Maybe this will help, Dr.  
17 McCarthy. My question isn't whether you can tell me  
18 that those three cracks and in one case failure of  
19 the crankshaft in fact would have been available at  
20 one million or 1.35 million cycles. I'm asking you  
21 whether it was a necessary element of your testimony  
22 on which you relied on the crankshaft experience  
23 that that be the case. I think you are telling me  
24 no.

25 DR. McCARTHY: Let me understand the

waga

1 question. I'm sorry.

2 JUDGE BRENNER: Let me back up.

3 Mr. Dynner asked you wasn't the  
4 crankshaft experience inconsistent with your  
5 testimony in answer 87, and you said no. In fact  
6 the experience with those three crankshafts, you  
7 weren't talking about 80, you were talking about  
8 those three, supported strongly your testimony.

9 I am trying to understand a little better  
10 why it supports your testimony strongly, since the  
11 crankshaft failures, and problems, were not noted at  
12 the one million cycle range, but rather were not  
13 apparent until the three or four million cycle range.  
14 And if I in my own simplistic way apply that to  
15 piston experience, I would say, well, I don't care  
16 that you haven't seen any problems at one million  
17 cycles. If the crankshaft experience is relevant,  
18 maybe there will be failures at 3 to 4 million  
19 cycles.

20 DR. McCARTHY: The answer to your  
21 question is yes. But there are a couple of things  
22 that don't make the analogy between crankshafts and  
23 pistons exact. And that is the crack growth rate.  
24 That's one other parameter you have to consider to  
25 know that, for instance, 1.35 million cycles is

waga

1 sufficient on, let's say pistons, which it is,  
2 whereas on crankshafts you might have needed 2.5  
3 million because of the different in the crack growth  
4 rate.

5 When Mr. Dynner mentioned the crankshaft  
6 experience, I thought that was an excellent  
7 illustrative example of how, if you park an  
8 operating stress level above the knee of the curve  
9 or the infinite life, even though you make it into a  
10 million cycles, all of the parts that you have  
11 parked in there, if they're operating in that, above  
12 their endurance limit, will exhibit either  
13 indications or failure before they get to 10 million  
14 cycles.

15 The piston crack growth rate is faster  
16 than the crankshafts, and there --

17 (Discussion off the record among the  
18 witnesses.)

19 DR. McCARTHY: As one of my engineers  
20 observed, we predict no crack. If the pistons were  
21 operating in a range, a stress level, where they  
22 were -- let me start again. Cracks do not propagate  
23 in the piston. So there isn't a piston crack growth  
24 rate to discuss here. But in the crankshafts, had  
25 they been inspected at the same point in their

waga 1 operational service as the pistons were, and this is  
2 the key, not that they operated successfully, but  
3 they were inspected before failure, with the  
4 techniques to find incipient cracks, you would have  
5 expected to find these cracks before the failure of  
6 the crankshaft, before the failure of any one of  
7 them. And in fact after one failed, two others were  
8 found with cracks.

9           Given our analysis of the piston, we are  
10 highly confident that were the pistons operating  
11 above their endurance limit at 1.35 million cycles,  
12 we would have found many relevant indications were  
13 cracks initiating and growing in the pistons. And I  
14 think the analogy between the crankshafts and the  
15 piston; relative to are they operating above their  
16 endurance limit is a good one. That was the reason  
17 for my answer to Mr. Dynner's question.

18           JUDGE MORRIS: Just so the record is  
19 clear, Dr. McCarthy, could you define for us right  
20 here what endurance limit means?

21           DR. McCARTHY: Endurance limit is the  
22 stress level in a part, cyclic stress level below  
23 which the part will endure, though cyclic stress  
24 levels, forever, that is, exhibit infinite life.

25           DR. SWANGER: I can also refer you to

waga

1 Lilco's exhibit P-28, which is a selection from the  
2 iron castings handbook. On the second page of that  
3 exhibit is a definition of the endurance limit. It  
4 states, discussing fatigue performance it says, "As  
5 the maximum stress is reduced, the number of cycles  
6 necessary to produce a failure becomes much larger.  
7 The highest stress at which the number of cycles for  
8 failure approaches infinity, generally in excess of  
9 10 million cycles, is called the endurance limit."

10 JUDGE MORRIS: Thank you.

11 JUDGE BRENNER: All right, getting back  
12 to the theme of some basic terms.

13 This morning you gave us the definition  
14 of stress. While we are at it could you give us the  
15 definition of strain?

16 DR. HARRIS: Strain, like stress, is a  
17 fairly complex concept of solid mechanics. There  
18 are shear strains and normal strains. And for our  
19 purposes we can concentrate on normal strains.

20 Strains has to do with how much a body  
21 deforms when subjected to a stress. If you put a  
22 body in tension, that is you pull on it, it will get  
23 longer, and that will be a tensile strain, which  
24 is taken to be a positive strain.

25 And the strain itself is defined as the

waga 1 change in length of the body divided by its initial  
2 length. It's especially illustrative to think in  
3 terms of what is called uniaxial tension, where you  
4 have a slender bar on which you can pull and push on  
5 the bar. If you pull on the bar, the change in  
6 length of the bar divided by its initial length is  
7 the strain, the normal strain.

8           Since it's a change in length divided by  
9 the length, the units are dimensionless, but quite  
10 often you see strains given in inches per inch or  
11 millimeters per millimeter, which is really  
12 dimensionless.

13           JUDGE BRENNER: Right. In fact one of  
14 your exhibits gives the units; at least was it micro  
15 inches per inch?

16           DR. HARRIS: Sometimes micro inches per  
17 inch, so you get numbers you feel more comfortable  
18 with, because in fairly stiff bodies, like bodies  
19 composed of iron and steel, as you know from every-  
20 day experience, you pull on a piece of steel it  
21 doesn't get much longer. You need very sensitive  
22 instrumentation in order to detect this.

23           If you push on the slender body, it will  
24 get shorter, and this is, you're applying a  
25 compressive stress, and you get a compressive normal

waga

1 strain. And compressive normal strains are  
2 negative as the change in the Delta L by  
3 mathematical convention is negative.

4 JUDGE BRENNER: Thank you.

5 JUDGE BRENNER: Thank you, gentlemen, we  
6 can go to Lilco for its redirect.

7 REDIRECT EXAMINATION BY MR. ELLIS:

8 Q. Dr. McCarthy, in response to some of Mr.  
9 Dynner's questions you were asked about --

10 JUDGE BRENNER: Mr. Ellis, I'm sorry, the  
11 fan is going overhead. I'm having difficulty  
12 hearing.

13 MR. ELLIS: Is this better?

14 Q. Dr. McCarthy, in response to Mr. Dynner's  
15 questions about whether you have designed a diesel  
16 engine, I'd like to refer you, if I may, to your  
17 resume, which is an attachment to the Lilco  
18 testimony. Do you have that in front of you?

19 DR. MCCARTHY: Yes. Yes.

20 MR. ELLIS: For the benefit of the Board,  
21 this is the first page in the attachments.

22 Q. Dr. McCarthy, again, would you tell the  
23 Board, please, the ways in which -- tell us whether  
24 your background is reflected in your resume there as  
25 relates to experience or familiarity with the design

waga 1 or manufacture of diesel engines such as those at  
2 Shoreham?

3 DR. McCARTHY: Well, yes. As I indicated  
4 in my previous examination, I performed failure  
5 analyses in the past that dealt with large medium  
6 speed diesel engines in nuclear backup service. I  
7 have also worked on large medium speed diesel  
8 engines in non-nuclear backup service.

9 The major service which I, and  
10 personally the firm as a whole, is called upon to  
11 deliver, is failure analysis, to determine why a  
12 particular part failed.

13 You cannot answer questions with regard  
14 to why failure occurred without analyzing the design  
15 aspects, material aspects, the service, the use, or  
16 of misuse, and analyze the contributions of those  
17 various factors to determine why failure occurred.

18 My background has been involved in  
19 analyzing design contribution to engine failure for  
20 large medium speed diesels, as well as many other  
21 major propulsion engine energy conversion or  
22 generation systems, both for engines and turbines  
23 and large industrial equipment of numerous types.

24 Q. Is your academic training also involved  
25 with experience in mechanical design related to



waga .1 diesel engines such as those at Shoreham?

2 DR. McCARTHY: Yes. First of all my  
3 Doctorate is in mechanical design, and in studying  
4 for that Doctorate at MIT some of my course work  
5 involved design and control of large rotating  
6 machinery explicitly as the course title, and the  
7 whole term of study with regard to those courses.  
8 This not only involved study of the design  
9 techniques for large rotating machinery, but the  
10 design analysis with the most current and powerful  
11 analytical techniques to be called upon by a  
12 sophisticated manufacturer or user of such equipment  
13 for design analysis input.

14 You cannot bring merely the conventional  
15 and accepted and long ago learned techniques and  
16 methods of analysis to the problem. An individual  
17 called in as an outside consultant must bring what  
18 is the state of the art in the design analysis area  
19 to provide indeed an economically viable service.

20 My testing and professional work has been  
21 dedicated to that, especially with regard to  
22 mechanical design and machine and mechanism design  
23 during my entire career.

24 Q. Dr. McCarthy as President of FaAA do you  
25 consider that FaAA with the expertise it assembled

waga

1 with respect to Shoreham was expert in matters  
2 involving the manufacture and design of diesel  
3 engine components, such as pistons?

4 DR. McCARTHY: Yes. As I think that's  
5 become apparent during the last few days of  
6 testimony; all the members of my Staff bring  
7 substantial experience gained not only within  
8 Failure Analysis, but outside of Failure Analysis in  
9 the design and development of measures and  
10 mechanisms and parts that are either directly  
11 applicable or very closely allied to the design  
12 problems and analyses questions that are involved in  
13 large medium speed diesel engines.

14 The design analysis that occurred on the  
15 Shoreham diesels reflects the input and direct  
16 participation of more than 40 very senior scientists  
17 on the Staff, a fraction of which have been part of  
18 this panel, and more members of which will become  
19 and will appear as members of follow-on panels.

20 These individuals' collective expertise,  
21 and the collective expertise of Failure Analysis,  
22 has made us the largest and I believe certainly the  
23 most widely recognized engineering firm in the  
24 nation devoted primarily to the analysis and  
25 prevention of engineering failures.

waga 1 Q. Dr. Pischinger, you testified as to your  
2 experience in design. Have you had experience in  
3 assembling design teams to consider either the  
4 design or the review of a design for diesel engines  
5 or diesel components?

6 DR. PISCHINGER: Certainly I have been  
7 involved through my professional life until now, a  
8 lot of years, nearly 30 years, in dealing with teams  
9 working in design.

10 But maybe I should define a little again  
11 what this design of the diesel engine -- the diesel  
12 engine process is already an old process, and the  
13 principle hasn't changed since its invention. What  
14 changed, the designs. So in principle all diesel  
15 designs are redesigns. It's a steady state  
16 redesigning involving the modern and the achievement,  
17 new achievements of different sizes.

18 And so today's design has to involve the  
19 sciences which are known today. And of course has to  
20 rely on experience with failure evaluation of  
21 previous diesel engines, of running diesel engines,  
22 and in this sense I may stress that this panel in an  
23 ideal -- ideally -- very very good sense combines  
24 the input for such a design for redesign of diesel  
25 engine components, for instance such as a piston.

waga 1 because we have present a very powerful failure  
2 analysis.

3 We have present material scientists and  
4 all these people not the first time in touch with  
5 component design, or even diesel design.

6 We have maintenance experience. We have  
7 experience for very thorough evaluation of testing  
8 and failures. And this is just what is needed to  
9 make a design.

10 I want to express that in the public most  
11 people think a design, a man who is designing, or  
12 lady, is just drawing lines out of his experience.  
13 This is not true, and this is especially not true  
14 today.

15 The design is bringing together all the  
16 experience of the different, of the input from the  
17 different special knowledge, and to combine it for  
18 defining the shape of a part.

19 And our experience in the work done in  
20 combination with the Shoreham problem that those  
21 people working in this group, each for himself, but  
22 to a larger extent all together, represent a very  
23 very strong power in designing engine component,  
24 especially a diesel engine component.

25 Q. When you say --

waga

1 JUDGE BRENNER: Mr. Ellis, I'll give you the  
2 same suggestion I have given to Mr. Dynner along the  
3 way. I think you'd better focus your questions, to  
4 the extent you can, in order to get more focused,  
5 shorter answers.

6 MR. ELLIS: Thank you, judge.

7 Q. When you said "these people" in your  
8 answers, were you referring to the panel?

9 DR. PISCHINGER: To the people on the  
10 panel, yes.

11 MR. ELLIS: Thank you.

12 Q. Dr. Swanger, you indicated that you were  
13 a director of product development for a diesel  
14 component manufacturer. Would you tell us, please,  
15 what your responsibilities were, how they relate to  
16 experience that is relevant to Shoreham.

17 DR. SWANGER: Yes. As Director of  
18 Product Development for the engine parts division of  
19 Imperial Cleve I had reporting to me managers of  
20 mechanical engineering, metallurgical engineering  
21 and product analysis.

22 Reporting to those managers were  
23 metallurgical engineers, mechanical engineers,  
24 electrochemists and supporting technicians, for a  
25 total Staff of approximately 30 people.

waga

1 I was personally involved in a number of  
2 the technical aspects of the design and development  
3 work on pistons, cylinder liners and engine sleeve  
4 bearings that went on in this group, as well as  
5 being responsible for the administrative aspects.

6 Q. I think you testified in response to Mr.  
7 Dynner's questions about your experience in design  
8 of pistons and other -- strike that. In relation --  
9 you testified in response to Mr. Dynner about your  
10 experience in design of diesel engine components at  
11 Cooper Bessemer. Would you tell us what other  
12 design experience you had.

13 DR. SWANGER: Yes. In addition to that  
14 one specific example of a large cast iron piston I  
15 discussed, I was involved in the design evolution of  
16 other pistons for other diesel engines, with which I  
17 worked closely with people, employing finite element  
18 analysis, for stress analysis, and also employing  
19 thermal analysis for temperature profiles, and using  
20 these inputs to help select the materials and the  
21 processes necessary to generate those materials.

22 In addition, I worked extensively on the  
23 design of engine bearings, which have, as one of  
24 their key features, the thin electroplated Babbitt  
25 layer. And in the work on electroplating of the

waga

1 bearings. I developed an expertise on the theory and  
2 application of the plating of thin layers of metals  
3 on to components.

4 JUDGE BRENNER: Excuse me, did you say  
5 Babbitt layer?

6 DR. SWANGER: Yes. B-a-b-b-i-t-t. It's  
7 a lead or tin-based alloy used for good lubrication  
8 and resistance to wear and scuffing.

9 Q. Dr. Swanger, let me refer you to your  
10 resume as well, which I believe is attached as  
11 number 6 to the Lilco testimony. Do you have that  
12 in front of you?

13 DR. SWANGER: Yes, I do.

14 Q. Was your work at Stanford in attaining  
15 the PhD and MS degrees also pertinent to your  
16 experience at Shoreham?

17 DR. SWANGER: Certainly it is. This is  
18 in the area of materials science and engineering,  
19 which is the application of materials, such as  
20 nodular iron, for withstanding operation under  
21 states of stress or temperatures as defined by the  
22 the condition under which those parts operate.

23 Q. Dr. Harris and Dr. Swanger, I think in  
24 his questions, Mr. Dynner asked a number of times  
25 about percentage differences between experimental

waga

1 and finite element analysis results. Did these  
2 percent differences affect your conclusions? The  
3 fact that there are two percentage differences, I  
4 think it was 28% and 33%.

5 DR. SWANGER: No, the conclusions are not  
6 sensitive to that small difference of 33% or 28%.

7 The conclusion that the pistons at  
8 Shoreham will not have any potential for crack  
9 propagation stands with either one of those.

10 Q. Did the experimental results change at  
11 all in these two figures, 33% and 28%?

12 DR. SWANGER: The comparison was to one  
13 set of experiments, values of which never changed.

14 The 33% or 28% refers to the degree of  
15 conservatism in the finite element analysis relative  
16 to the experimental analysis.

17 I believe that Dr. Harris can tell us  
18 about the evolution of the finite element model and  
19 as it became more accurate how it closely approached  
20 the experimental results

21 DR. HARRIS: I would like to reiterate  
22 Dr. Swanger's statement that the experimental  
23 results did not change. What did change, and what  
24 was responsible for the changes in the percentages  
25 of accuracy that were quoted, were the finite



waga

1 element results.

2 As we started out on our finite element  
3 analysis in pistons, we were using more simplified  
4 boundary conditions. Those more simplified boundary  
5 conditions led to less accurate stress levels.

6 As we became aware of the influence of  
7 the simplified boundary conditions we decided to  
8 continue refining the finite element analysis, to  
9 make the boundary conditions more representative of  
10 reality.

11 As we refined the finite element analysis  
12 and as we refined the statement of the boundary  
13 conditions, the stresses continuously decreased,  
14 and became more and more closer to the experimental  
15 observations.

16 At one point -- at various points we were  
17 quoting different percentage accuracies.

18 However, since the final QA report has  
19 appeared, the quoted agreement between the finite  
20 element and the experiments has not changed.

21 Another recent development was the rigid  
22 versus the soft wrist pin. That's another  
23 percentage change in stresses that has cropped up in  
24 our discussions. I believe the important points are  
25 that the experimental results have not changed.

waga

1 That's been our you might say bedrock result. And  
2 in no case has our conclusion regarding the  
3 initiation and propagation of cracks or the lack of  
4 propagation of cracks in the piston skirts changed.

5 The bottom line is independent of those  
6 intermediate results that were obtained in the  
7 process of coming to our final set of results.

8 MR. ELLIS: And the final results, is  
9 that the May report? Are you referring to the May  
10 report?

11 DR. HARRIS: The May report as was  
12 supplemented by the thermal distortion report in  
13 June.

14 Q. Would you expect that there would be  
15 refinements in finite element analysis between the  
16 preliminary and the final report, so that the extent  
17 to which there is agreement with the experimental  
18 results would change from preliminary to final  
19 report?

20 DR. HARRIS: Yes, I certainly would  
21 expect that. In fact that was the primary  
22 motivation for continuing our finite element  
23 analysis of pistons. The motivation was to improve  
24 the statement of the boundary conditions, and improve  
25 the agreement with the experimental observations.

waga

1 Q. Dr. Swanger and Dr. McCarthy, I believe  
2 yesterday there was some discussion with Judge  
3 Ferguson, concerning measurement of peak firing  
4 pressure. Do you have some data before you that you  
5 were looking at during the period of time that you  
6 were answering those questions? Let me show you a  
7 sheet and see if this is the data you were referring  
8 to. If it is, Judge Brenner, I'd like to have it  
9 marked and give copies to the Board and the parties.

10 DR. McCARTHY: On the back sheet of this  
11 handout is the data I showed to Judge Ferguson  
12 yesterday, and the front sheet is a digitized -- is  
13 the digital data that is the source of the composite  
14 pressure curve referenced earlier in the testimony,  
15 I believe, by several of us. P-5.

16 Q. Is this the data that was obtained in the  
17 testing of one of the engines with the Piezo electric  
18 transducer?

19 DR. SWANGER: Yes, this is data that was  
20 taken with the Piezo electric transducer in the air  
21 start valve of 103, taken at peak load, 3500  
22 kilowatts.

23 Q. Were these sheets prepared by FaAA from  
24 data prepared by FaAA?

25 A. These sheets were prepared by FaAA, from data

waga

1 obtained by both Stone and Webster and FaAA during  
2 the DG 103 crankshaft torsional test.

3 MR. ELLIS: Judge Brenner, we'd like to  
4 have this marked as a Lilco exhibit, and I am going  
5 to offer it into the record.

6 JUDGE BRENNER: Is there a title at the  
7 top? I have something that's practically  
8 obliterated at the top of the first page. I can't  
9 read it. Maybe the witnesses can help us. Dr.  
10 McCarthy, do you know what it's supposed to say? .

11 DR. McCARTHY: Yes, what the title says,  
12 is pressure in psi at one degree increments  
13 beginning at top -- at center.

14 For the purpose of the Board's reading of  
15 this numerical sheet, you will note that there are 9  
16 columns and a total of 80 rows down the page. If  
17 you can think of the first column on the left hand  
18 side as column one over to column 9, and the rows  
19 starting at the upper left hand corner as row 1  
20 through row 80. 9 times 80 is 720, for two  
21 revolution of the crank, which is what's required to  
22 get from one firing to one firing. If you take data  
23 at one degree increments you get 720 data points; 9  
24 times 80 is 720.

25 The way the table is read is starting at

waga 1 the upper left hand entry, which is row one, column  
2 one, you read across the page to get consecutive  
3 data points, and then start down at row 2, column  
4 one, and read across, and so on.

5 So it reads like a conventional printed  
6 page, not down the column and then the top of the  
7 next column.

8 JUDGE BRENNER: Give me a handy title for  
9 exhibit purposes of these two pages, Mr. Ellis.

10 MR. ELLIS: Yes, sir. I think it can be  
11 entitled average peak firing pressure measurements  
12 on diesel generator 103.

13 JUDGE BRENNER: All right, why don't we  
14 mark it as Lilco Diesel exhibit P-35 for  
15 identification so far. Is it okay to give it a  
16 numerical designation, 35.

17 MR. ELLIS: Yes, sir, that's right.

18 JUDGE BRENNER: The motion is also to  
19 move it into evidence. Do you have any objection?

20 MR. DYNNER: No, but we would, perhaps,  
21 like just to check on whether this is in fact the  
22 average peak firing pressures as the statement  
23 implies.

24 MR. ELLIS: I think that's a good  
25 question. Perhaps I'll just ask the witness to give

waga

1 their label to that. Rather than for me to give my  
2 label. I think Mr. Dynner is correct.

3 Q. Dr. McCarthy, would you give us an  
4 appropriate label for this exhibit P-35?

5 DR. McCARTHY: P-35 is the curve  
6 digitized sheet.

7 JUDGE BRENNER: Both of them?

8 MR. ELLIS: Both together.

9 (Curve digitized data sheet and  
10 attachment marked Lilco Diesel Exhibit P-35.)

11 DR. McCARTHY: Right. The complete title  
12 of the digitized sheet, actually the top was cut off  
13 is Lilco 13 by 12 test data from air start valve and  
14 in cylinder 7 at 100% load.

15 These digitized values are average values  
16 at this cylinder operating point for a large number  
17 of cycles. And that's the sheet of digitized data.  
18 In other words, for the pressure observed at any  
19 given crank angle, in a large number of cycles.

20 DR. MC CARTHY: At 100% load, the  
21 digitized data represents a composite.

22 The other sheet, which is a graph, versus  
23 time, is true peak firing pressure. In other words,  
24 the link that looks like a squiggly line, sort of  
25 like an EKG or changing voltage level, each little

waga

1 kink in the curve is one peak firing pressure  
2 measured on one cycle. You notice the time axis has  
3 increments of 50, 100, 150, 200, and 250. Those are  
4 seconds. And of course the engine is operating at  
5 450 rpm.

6 So there's a number of cycles between  
7 each of those major divisions.

8 The upper voltage level, the 1.14, it  
9 looks like on your copy it's 1688. That should be  
10 1638. The Xerox --

11 JUDGE BRENNER: Why don't you read the rest  
12 of that term. I was going to ask you the other two  
13 terms that are also difficult to read.

14 DR. McCARTHY: There's 1638 psi peak to  
15 peak. That's the upper left hand corner opposite  
16 the 1.14.

17 The lower value --

18 JUDGE BRENNER: It's a difficult exhibit to  
19 read, Mr. Ellis.

20 MR. ELLIS: Yes, sir. I wish I could  
21 have made it better, but we were forced to work with  
22 what we had.

23 JUDGE BRENNER: I think you could have  
24 made it better.

25 DR. McCARTHY: The bottom pressure is

waga

1 1523. The one over at the right-hand side through  
2 the mean line there is 1574.

3 Now all these pressures, the 1638, the  
4 1523, and the 1574, one has to add the turbocharger  
5 boost, which is approximately 30 psi.

6 Therefore, the 1.14 line is in fact 1663  
7 psi.

8 Q. Is the data in fact data at a hundred  
9 percent?

10 DR. McCARTHY: Yes.

11 MR. ELLIS: Judge Brenner, we can and  
12 will do better, and will give the record and get the  
13 parties better exhibits as soon as we get hold of  
14 the original.

15 JUDGE BRENNER: It's not going to be  
16 today, I take it.

17 MR. ELLIS: No sir, it can't -- I don't  
18 think it can be today, because we are --

19 JUDGE BRENNER: All right.

20 It's admitted into evidence as Lilco  
21 exhibit P-35, consisting of two pages. We can  
22 call it simply Lilco EDG 103 cylinder 7 pressure  
23 data. Is that generic enough to cover both sheets?

24 MR. ELLIS: Yes, sir, it is.

25 MR. DYNNER: I can do this later, but it



waga 1 might be appropriate to do it now.

2 Mr. Ellis might want to clarify whether  
3 or not this digitalized data is in fact the data  
4 that we spoke about during the cross-examination as  
5 relating to exhibit P-5.

6 MR. ELLIS: Yes, this is part of the data  
7 which we gave you, I believe, yesterday or whatever  
8 we gave you in response to try to accommodate your  
9 request for data.

10 JUDGE BRENNER: All right.

11 (Discussion off the record.)

12 Q. Dr. Swanger and Dr. McCarthy, at  
13 cross-examination you were asked a number of  
14 questions about the firing pressure of 1670 psig  
15 that was employed by FaAA in connection with some of  
16 its analysis on the piston. What is the  
17 significance of this data with respect to that  
18 number?

19 DR. SWANGER: The significance of this  
20 data is twofold.

21 One is that this data, along with its  
22 graphic representation in Lilco's exhibit P-5, shows  
23 that the peak firing pressure does indeed occur very  
24 close to the top dead center position at 7 degrees  
25 after top dead center

waga

1                   The other significance of this data is  
2           taking the second sheet of Lilco's exhibit P-35,  
3           shows that in excess of 800 individual cycles of the  
4           engine, taken with the accurate quartz Piezo  
5           electric transducer, that the highest peak firing  
6           pressure obtained during these experiments at 100%  
7           was 1668 psi, including the correction for the inlet  
8           manifold pressure.

9                   This is very close to the 1670 psi that  
10          was used in the piston analysis center.

11           Q.     Dr. Swanger, there was also testimony  
12          during your cross-examination concerning the  
13          examination of two pistons from the Kodiak engine.  
14          Was the examination of two pistons rather than the  
15          entire 16 pistons adequate in your opinion?

16                   DR. SWANGER:   Because the Kodiak engine  
17          had experienced 6000 hours of operation at a peak  
18          firing pressure of at least on an average 1200 psi  
19          and a brake mean effective pressure of about 185 psi,  
20          that is about 80% of load, we feel that this large  
21          number of cycles, approaching 10 to the 8th cycles  
22          on these pistons, made it perfectly appropriate only  
23          to look at two of the pistons.

24                   The inspections of both of these pistons  
25          showed that there were absolutely no

waga

1 operationally-induced indications in them.

2 Q. Dr. Swanger, with respect to tin plating  
3 and the questions you were asked on that subject, is  
4 it your opinion, or do you have an opinion whether  
5 polishing and tin plating of two pistons from the R5  
6 discussed in P-29 was done before or after operation  
7 of those pistons in that engine?

8 DR. SWANGER: Yes. I think there had  
9 been some confusion about that point, and  
10 consideration of the evidence will clear this up.

11 The examination of the pistons clearly  
12 showed that they had been operated in a engine after  
13 the tin plating operation, and that no tin plating  
14 had been done after the pistons came out of the  
15 engine.

16 Also, as you recall, there was some  
17 leakage current or is there any current, which  
18 deposited tin on the inside of the piston, and in  
19 fact deposited some tin over the areas of the stud  
20 boss region, which were of interest.

21 Since that tin was still there, that  
22 clearly demonstrates that if polishing operation  
23 took place before the tin plating, hence that  
24 polishing operation took place prior to insertion of  
25 these pistons into the R5 engine and prior to the

waga 1 622 hours of operation at a peak firing pressure of  
2 2000 psi.

3 Q. Thank you.

4 Dr. Swanger, one more question on the  
5 previous subject.

6 You testified about 1670 peak firing  
7 pressures. Just so that the record is clear, the  
8 2200 psig that was used in some of FaAA's analysis,  
9 is that an assumed number, or was that a number that  
10 had some basis in experimental data?

11 DR. SWANGER: The highest value of  
12 experimental data that we have is 2000 psi. Both in  
13 the R5 engine tests and in the strain gauge test.  
14 The 2,200 was an extreme assumed pressure to  
15 demonstrate the conservatism of FaAA's analysis.

16 Q. The 2000 psi from the R5 engine, is that  
17 a firing pressure that you would expect in the  
18 Shoreham engines?

19 DR. SWANGER: The Shoreham engines are  
20 incapable of reaching a peak firing pressure as high  
21 as 2000 psi.

22 MR. ELLIS: Yes, Dr. Pischinger, did you  
23 want to add something? That should be a question.

24 DR. PISCHINGER: Based on the  
25 measurements on the engines in Shoreham, it is quite

waga

1 impossible with the load given, if the load range is  
2 observed, that you arrive at 2000 psi.

3 Q. And would it then follow, of course, a  
4 fortiori, that 2200 would not be possible in the  
5 Shoreham engines?

6 DR. SWANGER: That is correct. 2000 psi  
7 is an upper bound and certainly no number above it,  
8 that upper bound could be achieved.

9 Q. But the pistons themselves, are they  
10 suitable for service at 2000 or 2200 psi?

11 DR. SWANGER: The pistons have  
12 demonstrated by testing in the R5 engine that they  
13 are suitable for service at 2000 psi. This is  
14 further confirmed by our analysis which demonstrates  
15 that based on the fracture mechanics considerations  
16 they are suitable for service at 2,200 psi.

17 JUDGE BRENNER: Mr. Ellis, I am going to  
18 take the morning break about this time. If you want  
19 to ask a few more questions and break, we can. I  
20 leave it up to you.

21 MR. ELLIS: If we could take the break I  
22 may be able to come back and wrap it all up. Very  
23 quickly.

24 JUDGE BRENNER: All right. We will take  
25 a break in a moment.

waga

1                   Let me mention something we can add to  
2                   the crankshaft testimony by Lilco, so that Lilco can  
3                   consider this. I believe I asked during the  
4                   conference call last week whether Lilco intended to  
5                   put all of its crankshaft testimony on together.  
6                   And I believe the indication on that that call was  
7                   yes. If that's still the answer I'd like to ask  
8                   Lilco to reconsider.

9                   MR. ELLIS: I think the answer was yes.  
10                  But we did not mean to include shot peening in that.

11                  JUDGE BRENNER: All right. Even  
12                  subtracting shot peening, that helps, because that  
13                  cuts the panel down from 12 to 6.

14                  MR. ELLIS: That's right, Judge.

15                  JUDGE BRENNER: You have your other  
16                  concern with Dr. Pischinger, and I don't understand  
17                  why, if you continue to have that concern, you don't  
18                  put the rather slim volume, at least in terms of  
19                  number of pages, of testimony sponsored by Dr.  
20                  Pischinger and Mr. Youngling, on separately, and  
21                  first. We have been hearing every other day about a  
22                  scheduling problem and that seems to me an easy  
23                  solution.

24                  MR. ELLIS: Well, let's discuss that on  
25                  the break.

waga

1 JUDGE BRENNER: That's the only reason  
2 I'm raising it.

3 MR. ELLIS: Yes, sir.

4 JUDGE BRENNER: So you can consider that.  
5 If we did that, we could go through all the parties'  
6 questions on each piece of testimony.

7 MR. ELLIS: Yes, sir.

8 JUDGE BRENNER: If you don't want to do  
9 that, fine, but don't talk to me about scheduling  
10 problems later on.

11 MR. ELLIS: I think we have got that  
12 message.

13 JUDGE BRENNER: Maybe there's some  
14 relationship in the subject matter so that you don't  
15 want to make that division, although the exact  
16 testimony was able to be prepared with that division  
17 in mind which might undercut that.

18 MR. ELLIS: I think, without discussing --  
19 I think there's such a connection and I think we do  
20 want a panel of six.

21 JUDGE BRENNER: I'll let you do that. If  
22 that's what you want to do.

23 MR. ELLIS: Thank you, judge.

24 JUDGE BRENNER: Let's break until 11  
25 o'clock.

waga

1 (Brief recess.)

2 BY MR. ELLIS:

3 Q. Dr. Swanger, you were asked a number of  
4 questions yesterday concerning the thickness or  
5 concerning the tin plating on the AE pistons. Do  
6 you have an opinion regarding the thickness of the  
7 tin plating on the AE pistons at Shoreham?

8 A. Yes, I do have such an opinion. My opinion is  
9 based on inspection of the AE pistons at Shoreham  
10 after running the engine, as well as inspection  
11 of other pistons, which I will relate.

12 My opinion is that I saw no performance  
13 or operational problems with the tin, and therefore  
14 conclude that the tin on the Shoreham pistons is not  
15 applied in a layer that is too thick. But there was  
16 no evidence of tin migration on the AE pistons after  
17 100 hours of operation at or above full load.

18 Also, I believe that the tin plating  
19 process as done by DeLaval is the same for all of  
20 the A series pistons, and therefore my opinion is  
21 based on my inspection of more than just the AE  
22 pistons. My opinion is that the uniformity of the  
23 application of tin on a large population of AE  
24 pistons and other pistons that I have inspected has  
25 shown me no performance problems. That includes



waga

1 inspection of 32 pistons at the Catawba Nuclear  
2 Station after operation, seeing no tin migration, no  
3 performance problems associated with tin, and by  
4 inspection of 32 pistons at the Grand Gulf Nuclear  
5 Station.

6 And again these were AE pistons after  
7 approximately 200 hours of operation, with no  
8 operational or performance problems related to the  
9 tin.

10 It's on this broad population of AE  
11 pistons that have run in engines and nuclear service  
12 that I have personally inspected that I conclude  
13 that there's not a problem with the tin plating on  
14 an AE skirts at Shoreham.

15 Q. Dr. Swanger or others, in  
16 cross-examination and in examination by the Board  
17 you have used the term isothermal. What do you mean  
18 by isothermal in the context of the analysis of the  
19 AE pistons at Shoreham?

20 DR. SWANGER: We have used the term  
21 isothermal in two distinct instances.

22 The first of these instances is in the  
23 finite element analysis. There we used the term  
24 isothermal to apply to the entire piston assembly,  
25 that is the piston and the crown, and the important

waga

1 portion of the analysis there is that the crown is  
2 at the same rate of speed as the skirt, and  
3 furthermore that the crown itself has no thermal  
4 gradients in it and hence no thermal distortion. As  
5 one use of the isothermal, which is a conservative  
6 assumption, that maximizes cyclic stresses in the AE  
7 skirts.

8 The other use of the term isothermal is  
9 when we restrict it just to the AE skirt in  
10 operation in the engine.

11 In that context we referred to isothermal  
12 as the fact that even in an operating engine at full  
13 rated output, it is our opinion that the skirt  
14 itself is essentially isothermal. That is, it is  
15 not subject to any thermal distortions.

16 JUDGE BRENNER: Do you have anything  
17 further, Mr. Ellis?

18 MR. ELLIS: Yes, I was waiting for --  
19 that completes Lilco's redirect examination.

20 JUDGE BRENNER: Mr. Dynner, do you have  
21 any questions?

22 MR. DYNNER: Yes, Judge Brenner. I have  
23 a few questions.

24 BY MR. DYNNER:

25 Q. Dr. Swanger, tin plating, that is the

waga

1 thickness of the tin plating on an AE piston, can be  
2 accurately measured by use of eddy current  
3 measurements, can't it?

4 A. Yes it can. As was demonstrated on the  
5 examination of the R5 piston, with a calibration of  
6 tin on nodular iron, which was done microscopically  
7 and metallographically by FaAA, an accurate  
8 measurement of tin thickness can be done by eddy  
9 current.

10 Q. And did FaAA or Lilco or the owner's  
11 group measure the thickness of the tin plating by  
12 eddy current measurements on the AE pistons that  
13 were installed at Shoreham?

14 DR. SWANGER: Since our inspection  
15 showed that there were no operational or performance  
16 problems associated with the tin on the pistons, we  
17 felt it was unnecessary, and therefore did no  
18 measurements of the tin thickness.

19 Q. As I understand your testimony, in answer  
20 to one of Mr. Goddard's questions, given the maximum  
21 variations on the thickness of tin plating for the  
22 AE skirt, one could have as little as one mil on one  
23 side of the piston theoretically and as many as 8  
24 mil thickness on the other side, is that correct?

25 DR. SWANGER: I don't think that that

waga

1 accurately reflects my testimony.

2 What I was discussing was the maximum  
3 theoretical amount of tin which could be applied  
4 around a piston, just based on the examination of  
5 the dimensional tolerances as shown on the print.

6 However, in actual practice, as I had  
7 discussed at length, tin plating is very easy to put  
8 on in a uniform, circumferentially and  
9 longitudinally uniform, layer on the piston.

10 The variation in the tolerance on both,  
11 before plating and after plating, is four hundred  
12 thousandths of an inch in both cases. And that just  
13 demonstrates that the tolerance on the diameter is  
14 unchanged by the plating process. Therefore, this  
15 requires that a very uniform and precise layer of  
16 tin be applied.

17 Q. Perhaps you misunderstood my question,  
18 because my question was a theoretical one and not  
19 what the actual might be. Once you -- if you ever  
20 measured by eddy current. My question is given the  
21 tolerances, couldn't you have one mil on one side of  
22 the piston skirt, and as many as 7 or 8 mils on the  
23 other?

24 MR. ELLIS: Judge Brenner I may need to  
25 have the question read back, because I am not sure

waga 1 there's any foundation for what the tolerances in  
2 fact are.

3 JUDGE BRENNER: Well we had testimony the  
4 other day, Mr. Ellis, that relates to this. The  
5 question is whether or not you could theoretically  
6 have as much as one mil of tin on the inside and 7  
7 mils of tin on the outside of the piston skirt.

8 JUDGE MORRIS: No.

9 MR. DYNNER: No, I think we are assuming  
10 that as per the design that the tin plating is only  
11 on the outside of the skirt. The question is on one  
12 side of the skirt could you have one mil and on the  
13 other side, opposite it, could you have as many as 7  
14 or 8 mils thickness.

15 MR. ELLIS: And my concern was that he  
16 said within the tolerances, and I am not sure there  
17 was a foundation laid as to the tolerances.

18 JUDGE BRENNER: That we have on record.  
19 We can, I'm sure we will get it as part of the  
20 answer now. If not, we will allow you to get it  
21 right now.

22 MR. ELLIS: Thank you.

23 DR. SWANGER: The amount of tin build-  
24 up that could in theory, just based on the  
25 dimensional, the diametrical dimensions of the

waga

1 pistons, be applied to the entire outside surface on  
2 an diametrical basis is just 7 mils. Therefore if  
3 you take this abstract hypothesis that in spite of  
4 the high flowing power of a tin bath, due to its  
5 high conductivity, and in spite of the fact that  
6 electrodes are easily placed around the tin, that  
7 somehow you could get one mil on one side, you could  
8 only get 6 mils on the other side.

9           However, there's an additional tolerance  
10 specified on the print, that says that 5 key  
11 diameters of the piston must all be concentric to  
12 each other within one thousandth of an inch.

13           This additional tolerance on the print  
14 for concentricity of 5 key diameters prevents a  
15 variation in thickness of tin around the piston of  
16 more, in my opinion, about half a thousandth of an  
17 inch.

18           MR. DYNNER: Was that dimension, in fact,  
19 measured with respect to all of the AE pistons  
20 installed at Shoreham?

21           MR. YOUNGLING: Mr. Dynner, those  
22 measurements were made by our PQC inspection of the  
23 pistons at the TDI facility prior to shipment to  
24 Shoreham.

25           JUDGE BRENNER: Is PQC procurement

waga

1 quality control?

2 MR. YOUNGLING: Yes, an arm of Stone &  
3 Webster Corporation.

4 JUDGE BRENNER: As long as I interrupted,  
5 Dr. Swanger, what did you mean by "on the print"?  
6 Is that the design drawing for the plating process?  
7 You referred sometimes in your answer to the phrase  
8 "on the print."

9 DR. SWANGER: Yes, I'm looking at a print  
10 for the skirt, two-piece piston 03-341-0 4-AE.  
11 It has a complete dimensional specification of the  
12 piston, both before and after tin plating.

13 Q. Mr. Youngling, these measurements, are  
14 they documented somewhere?

15 MR. YOUNGLING: These measurements are  
16 part of the total documentation package associated  
17 with the release inspections on the pistons prior to  
18 shipment.

19 Q. Was that examination a visual inspection  
20 or was it measured in some more accurate way?

21 MR. YOUNGLING: No, that was a  
22 dimensional check.

23 Q. Now Mr. Youngling, Judge Ferguson asked  
24 you some questions about firing pressures. in one  
25 of your responses you mentioned the possibility that

waga

1 some of the differences between the cylinder  
2 pressures shown before the crankshaft replacement  
3 and after the crankshaft replacement in exhibit P-9  
4 might have been affected by the difference in the  
5 season.

6           Could you explain briefly how the  
7 seasonal differences would have an impact on  
8 pressure readings for the firing pressure of the  
9 cylinders.

10           MR. YOUNGLING: Mr. Dynner, one of the  
11 primary effects due to the seasonal differences is  
12 the air temperature. And the effect of the air  
13 temperature will and can result in a difference in  
14 the firing pressures measured, albeit not  
15 necessarily a major contributor.

16           Q. Do the higher temperatures result --

17           MR. YOUNGLING: Excuse me. Perhaps Dr.  
18 Pischinger can add to that.

19           DR. PISCHINGER: Well, usually, to put it  
20 in general terms, in such engines the temperature  
21 level varies to a small degree with the ambient  
22 temperature, and of course each temperature level  
23 has an influence on the ignition lag. And the  
24 ignition lag, which is the time between start of  
25 injection and start of combustion to initiate the



waga

1 compression stroke, influences to a small degree the  
2 peak pressure.

3 Q. Does a higher ambient temperature usually  
4 result in a higher peak pressure or a lower peak  
5 pressure?

6 DR. PISCHINGER: According to this  
7 explanation, too little -- a higher ambient  
8 temperature shortens the ignition lag, and makes  
9 combustion start little earlier, which leads to a  
10 little higher pressure.

11 Q. Could you quantify --

12 MR. ELLIS Excuse me, may I have the last  
13 of that answer read back, please.

14 MR. ELLIS: Thank you.

15 Q. Can you, Dr. Pischinger, quantify the  
16 effects for us, in some way, that is to say if you  
17 have a difference, a higher ambient temperature of  
18 let us say 20 degrees, is there some way of  
19 quantifying how much, what effect that would have in  
20 degrees, or in pounds per square inch on the peak  
21 pressure?

22 DR. PISCHINGER: A modification is only  
23 possible if a lot of boundary conditions are known,  
24 which I think we do not have at the moment, starting  
25 with the number of the fuel with the injection rate,

waga

1 of the injection pump, actual measured injection  
2 rate, so I cannot answer this question, but I  
3 personally think that the influence is very small in  
4 this case. In principle, it's an influence, but in  
5 this case, it is a very small influence.

6 Mr. Youngling described that such  
7 influences have been observed, and there's a  
8 background for it, but in this case it will not  
9 account for let's say variation in peak pressure  
10 compared before replacement of the crankshaft and  
11 after replacement of the crankshaft.

12 Q. One more question on this. I just wanted  
13 to try to see if you could quantify, when you say it  
14 will be a very small influence, are you saying less  
15 than 1%? Less than 2%? Given the difference  
16 between the coldest winter day and the hottest  
17 summer day?

18 DR. PISCHINGER: Everybody who is  
19 familiar with diesel combustion process will back me  
20 up when I say such a quantification is not possible.

21 Q. Now, Mr. Youngling, in answer to another  
22 of Judge Ferguson's series of questions concerning  
23 inspections of the AE piston skirts, I think you  
24 mentioned that there would be, even prior to the  
25 first refueling outage, some inspections in order to

waga

1 determine whether there were cracks developing in  
2 the AE skirts; would you tell us precisely what  
3 methods of inspections you were referring to.

4 MR. YOUNGLING: First Mr. Dynner I did  
5 not say that there would be inspections prior to the  
6 first refueling outage to check for cracks.

7 Q. Perhaps my use of the word inspection may  
8 have led to some confusion.

9 It might have been more accurate, and  
10 please tell me if I'm correct. I had thought that  
11 maybe the words that you used to Judge Ferguson, was  
12 that you be would be looking for cracks. He asked  
13 you would you be looking for cracks up to this  
14 period, and I think you answered in the affirmative.

15 MR. YOUNGLING: I believe I testified  
16 that during the inspections which were to be  
17 accomplished in accordance with the TDI owners group  
18 manual and in accordance with the DRQR program at  
19 the intervals specified in those documents.

20 When we had to do other inspections as  
21 part of those inspections, we would be performing  
22 general overviews of the piston as appropriate, and  
23 we would be looking for various signs of abnormal  
24 conditions, including cracking.

25 Q. All right. Now would you tell me in

waga

1 these overviews how precisely would you go about  
2 looking for cracks on the AE pistons?

3 I'm asking you Mr. Youngling, because  
4 you're from Lilco, I think Dr. Swanger might be able  
5 to give his views afterwards.

6 MR. YOUNGLING: Mr. Dynner, I have  
7 committed for the company that as part of the  
8 inspection of the pistons at the first refueling  
9 outage we would inspect the piston boss areas by  
10 eddy current.

11 Q. I am going to interrupt you, because my  
12 question was obviously before the first refueling  
13 outage.

14 JUDGE BRENNER: I'm confused as to what  
15 you are asking for Mr. Dynner. We have the  
16 testimony already this morning, and we are going to  
17 get it as to the inspections after the refueling  
18 outage and that was not my question. He also testified as to  
19 the Kiene gage measurements prior to that. You are  
20 not asking about that either.

21 MR. DYNNER: No sir. I'm asking, and  
22 I'll clarify the question, if there was confusion.

23 JUDGE BRENNER: You're concerned about  
24 the time.

25

waga

1 MR. DYNNER: Yes, I understand.

2 JUDGE BRENNER: So the sooner you  
3 communicate with each other, the better.

4 MR. DYNNER: I'll do my best. That's why  
5 I interrupted him. I didn't mean to be impolite,  
6 but I didn't want you to go in on an area --

7 JUDGE BRENNER: Go ahead.

8 Q. Before the inspections, after the first  
9 refueling outage, you're going to -- I think you  
10 said that in the process of your normal maintenance  
11 and overview, you're going to be looking for cracks  
12 on the AE pistons, is that correct?

13 MR. YOUNGLING: As part of the  
14 inspections required by the TDI Owner's Manual, and  
15 the DRQR program at the intervals specified in those  
16 documents, we will be performing overview  
17 assessments.

18 At those intervals.

19 Q. Now are any of those --

20 MR. YOUNGLING: Now --

21 MR. DYNNER: Go ahead.

22 MR. YOUNGLING: Now in the TDI manual,  
23 the first time I have to look at those pistons is at  
24 the first refueling outage coming up. In accordance  
25 with the DRQR program, the first time I have to look

waga

1 at those pistons is at the 5-year inspection point.  
2 Consequently, we will look at the first refueling  
3 outage.

4 Q. But, therefore, you will not be looking  
5 for cracks in the AE pistons prior to the first  
6 refueling outage, isn't that true?

7 MR. YOUNGLING: We have already looked at  
8 the pistons as part of the DRQR inspections done  
9 after 100 hours of operations.

10 Q. So your answer is between what you have  
11 already done, and the first refueling outage, you  
12 will not be looking for cracks in the AE pistons,  
13 isn't that true? May I have your answer without Dr.  
14 Swanger advising you?

15 MR. YOUNGLING: We will not be looking  
16 for cracks between those two inspections points, nor  
17 do we have to look for cracks during those  
18 inspection points.

19 MR. DYNNER: Fine.

20 Q. Now when I said fine, I meant in the  
21 context of getting my answer.

22 JUDGE BRENNER: Since he interjected, I  
23 think I'll tell you, you got that answer 10  
24 minutes ago.

25 DR. PISCHINGER: Expressing confidence in

waga

1 piston.

2 JUDGE BRENNER: I have enough trouble  
3 with the lawyers in this case. Give me a break.

4 Q. Now Dr. McCarthy, Judge Brenner asked you  
5 some questions about the discussion concerning the  
6 crankshafts.

7 Dr. McCarthy, do you know precisely when  
8 the cracks initiated in the crankshafts in the  
9 Shoreham EDG's

10 DR. McCARTHY: Not to get hung up on the  
11 philosophical question of when precisely any crack  
12 initiates. There were no inspections done of the  
13 Shoreham crankshaft prior, for cracks, after they  
14 were put in operation, but prior to the failure of  
15 the first crankshaft.

16 Q. So you don't know when those cracks first  
17 initiated, correct?

18 DR. McCARTHY: No. Some estimates of the  
19 initiation period could be made. I have not made  
20 them, but they could be made from a calculation of  
21 the crack propagation rates, which can be predicted  
22 reasonably well.

23 Q. I'd like to turn for a moment to the new  
24 exhibit P-35

25 Now it's true, gentleman, isn't it, that

waga

1 the data shown on exhibit P-35 is data reflecting  
2 the firing pressures of cylinder number 7 on EDG 103,  
3 isn't that correct.

4 DR. McCARTHY: That's correct, 103 at a  
5 hundred percent level.

6 Q. Cylinder number 7, correct?

7 DR. McCARTHY: Yes, sir.

8 Q. Now if you will turn for a moment, please,  
9 to exhibit P-9, will you turn to page showing the  
10 Kiene gage, what was testified to be the Kiene gage  
11 engine cylinder pressure log for EDG 103 post-crankshaft  
12 replacement. The 8th page into the exhibit.

13 You will see there that the pressure  
14 taken for cylinder number 7 at, in this case, 3,595  
15 kw, was 130 psi less than the pressure, for example,  
16 taken in cylinder number 6, which was 1,680, and  
17 number 3, which was also 1,680.

18 So there's a variation of 130 psi.

19 Now given this variation, it's true,  
20 isn't it, that had you taken the reading for exhibit  
21 P-35 on another cylinder in engine 103, you might  
22 have gotten a peak firing pressure not of roughly  
23 1680, but in fact a peak firing pressure 100 or more  
24 psi higher, depending on the cylinder that you chose.

25 DR. SWANGER: The data shown on the page



waga

1 in exhibit P-9 that you have reference to, was taken  
2 on April 10, 1984, approximately 4 months after the  
3 time of the torsional test that we described.

4 As you will recall, we discussed that at  
5 the time of the torsional test, we had two  
6 additional quartz Piezo electric transducers which  
7 were fitted to the bleed ports or the test cocks on  
8 the cylinder heads, and that these two quartz Piezo  
9 electric transducers were moved to test all 8  
10 cylinders.

11 We did this specifically for the purpose  
12 to demonstrate that at the time of torsional test  
13 cylinder number 7 was representative of all the  
14 cylinders, and was not reading low relative to the  
15 other cylinders.

16 Q. And those are the measurements I have  
17 been asking for. Do you know what those  
18 measurements are now?

19 DR. SWANGER: No, we do not have those  
20 with us now.

21 Q. When you say representative, do you have  
22 any idea whether -- can you represent now that the  
23 variation between cylinder number 7 and any of the  
24 other cylinders on the engine at that particular  
25 time was within a certain range of psi?

waga

1 JUDGE BRENNER: While they're conferring,  
2 Mr. Dynner, we are going to adjourn promptly on time  
3 due to flight schedules, so how much more do you  
4 have?

5 MR. DYNNER: That's it.

6 JUDGE BRENNER: Does the Staff have any  
7 follow-up?.

8 MR. GODDARD: Yes, just briefly.

9 JUDGE BRENNER: How much, how briefly?

10 MR. GODDARD: 5 to 10 minutes

11 (Discussion off the record.)

12 JUDGE BRENNER: My apologies. I thought  
13 it was 12:45. It's 11:45. Time flies when you're  
14 having fun.

15 JUDGE BRENNER: All my statements about  
16 the crankshaft witnesses and so on was based on the  
17 loss of an hour in my mind.

18 MR. ELLIS: We haven't sent anybody home.

19 JUDGE BRENNER: You must have been  
20 wondering what I was talking about, and were too  
21 polite to tell me. Don't hesitate to tell me; and I  
22 can adjust to my own mistakes. Sorry.

23 JUDGE BRENNER: We are still waiting for  
24 the answer. If you don't know, that's the answer.

25 DR. SWANGER: We can't give you any

waga

1 quantitative number now. We would have to check our  
2 records and get that information for you.

3 MR. DYNNER: We will just renew our  
4 request for all of that data, and I assume it will  
5 be forthcoming at some point.

6 Q. Now, gentleman, it's true, isn't it, that  
7 the information shown on P-9 in the engine cylinder  
8 pressure log that I have referred to for EDG 103 was  
9 taken by from the test cocks of the cylinders, isn't  
10 that correct?

11 MR. YOUNGLING: Yes, it was taken at the  
12 test cocks using a Kiene gage which had been  
13 calibrated.

14 Q. And the test measurements at the test  
15 cocks tend to result in lower pressure, cylinder  
16 pressure readings than the measurements that were  
17 taken with the Piezo electric transducer within the  
18 cylinder itself, isn't that true?

19 MR. YOUNGLING: No, that's not true. We,  
20 I believe we testified earlier that it was higher.  
21 And I think Dr. Pischinger can give you a further  
22 explanation.

23 DR. PISCHINGER: I think as is also --  
24 already on the records one of the previous days I  
25 explained that by the existence of a rather long

waga

1 connecting pipe between the combustion chamber and  
2 the point where the Kiene gage is positioned, it is  
3 possible that by the phenomenon of pressure increase,  
4 by reflection, you can get a higher reading at the  
5 Kiene gage.

6 In any case, the Kiene gage is an  
7 apparatus which gives you the maximum of the maximum  
8 values of different cycles.

9 So there's sufficient reason for  
10 regarding the Kiene gage reading as being rather too  
11 high.

12 Q. And when you say rather too high, or the  
13 possibility is it would be somewhat higher, can you  
14 quantify that? Are we talking about 1% difference  
15 or more than 1%, in your experience?

16 A. If you ask on my experience, it can be, it can  
17 be a lot. It depends on the geometry and the curve  
18 of the combustion pressure versus time. But in  
19 this case I do not, and cannot, give you a  
20 completely reliable figure.

21 MR. DYNNER: Thank you.

22 JUDGE BRENNER: Mr. Goddard.

23 CROSS-EXAMINATION BY MR. GODDARD:

24 Q. Thank you, Judge Brenner.

25 Dr. Pischinger, what, in your opinion,

waga

1 would be the upper limit on an acceptable thickness  
2 for tin plating on the AE piston skirt?

3 DR. PISCHINGER: Units. Just a moment.  
4 Units. Well it comes out by 2 thousandths of an  
5 inch.

6 Q. 2 mils you indicated?

7 DR. PISCHINGER: 2 mils, yes.

8 Q. Yesterday did you hear, did Dr. Swanger  
9 testify that if tin plating was applied to an AE  
10 piston skirt, of minimum dimension or minimum  
11 diameter, prior to plating, that as much as 3.5 mils  
12 on the radius could be applied, and that the pistons  
13 would still meet the outer diameter check?

14 DR. PISCHINGER: I have in my remembrance  
15 that this was a little hypothetical, or theoretical  
16 calculation, simply based on the diameter comparison  
17 within the tolerances.

18 If, today, it was a -- if, or he said,  
19 that if you take into account concentricity of the  
20 diameter this variation in thickness will decrease  
21 and will not be 3 mils.

22 Q. That is not the way I heard his testimony,  
23 but I'll accept your answer for now.

24 Dr. Pischinger, it isn't just theoretical  
25 if you state that you can take a minimum diameter

waga

1 piston which meets tolerances prior to plating and  
2 then measure it to the maximum tolerance after  
3 plating. It is quite conceivable that you could  
4 have the 3.5 mil plating equally around that piston,  
5 is it not?

6 DR. PISCHINGER: Yes --

7 MR. ELLIS I object to the form of the  
8 question, because he says is it conceivable.  
9 Anything is conceivable, and I don't think -- at  
10 least my Professor said even a square circle is  
11 conceivable to him. He had powers that I don't have.  
12 But I don't agree that that form of questioning is  
13 appropriate.

14 JUDGE BRENNER: Why don't you rephrase it.

15 Q. Dr. Pischinger, based upon the facts  
16 which I just presented to you, the dimensions with  
17 regard to the tolerances, could not, in fact, an A4  
18 piston be plated to a thickness 3.5 mils. and still  
19 pass pre-plating and post-plating inspection checks  
20 for diameter.

21 DR. PISCHINGER: I would again check with  
22 the drawing.

23 Well it is true, if you only relate on  
24 this measurement and assume these widely range  
25 tolerances to coincide, this could be possible.

waga

1 Q. Without actually measuring the thickness  
2 of the plating itself then, it is possible you could  
3 get a three point 5 mil thickness plating of an AE  
4 piston during this process, is that correct?

5 DR. PISCHINGER: I agree with you, but I  
6 may add that if you get into a situation where the  
7 thickness is too high, one would certainly see the  
8 smearing effect in operation, and it was testified  
9 yesterday, and I personally have, in addition I  
10 personally have seen quite a lot of these AE pistons,  
11 and I couldn't watch any of this smearing.

12 So by that I feel quite confident that at  
13 least the pistons which are in the engine wouldn't  
14 be affected by such an event.

15 DR. SVANGER: Furthermore, in assessing  
16 the likelihood or even the possibility that as much  
17 as three and a half mils of tin could be put on, you  
18 have to consider the plating process, as well, and  
19 that the pistons would have to be in the plating  
20 bath with the plating current applied for at least  
21 two and a third times as long as the specified  
22 amount of time necessary to put the proper amount of  
23 tin on.

24 It is unlikely, in my experience, with  
25 electroplating, where automatic timers and automatic

waga

1 controls of currents are commonly used, for such an  
2 occurrence to exist.

3 Q. Dr. Swanger, you don't know where these  
4 pistons were plated, do you?

5 DR. SWANGER: We know that the tin  
6 plating is subcontracted out as we testified to  
7 yesterday, and we had a lengthy discussion as to the  
8 principles of electroplating and how we can make use  
9 of the knowledge of general principles to draw  
10 reasonable conclusions about what happens in a  
11 commercial operation.

12 JUDGE BRENNER I didn't hear your answer  
13 to the question, Dr. Swanger.

14 DR. SWANGER: That's true. We don't know  
15 where they were plated. We know that they were  
16 plated by an outside vendor to TDI.

17 Q. And your reasonable conclusions are all  
18 based on the assumptions that they were using  
19 techniques and procedures in line with what you are  
20 familiar with in your experience, is that not also  
21 true?

22 DR. SWANGER: The primary basis for my  
23 conclusion is inspection of pistons, which have  
24 actually operated in engines, with no future  
25 performance, whether these pistons feature -- with



waga

1 no indications there's excess tin on it. I think  
2 that that is the bottom line conclusion, that the  
3 pistons, the AE piston skirts at Shoreham are  
4 operating properly, given the amount of tin that  
5 they do have, and that discussion of whether or not  
6 it's measured is secondary to the observation that  
7 they have been performing properly.

8 MR. YOUNGLING: Mr. Goddard, we'd like  
9 to just caucus for a moment.

10 DR. SWANGER: In addition, earlier this  
11 morning I mentioned the large number of pistons that  
12 I personally have inspected after operation in  
13 nuclear plants. And that adds to the strength of my  
14 conviction that there is no problem with tin plating  
15 on AE pistons.

16 In addition to that, the TDI owner's  
17 group through its component tracking system has  
18 access to a much broader data base, and that data  
19 base also shows that there are no problems  
20 associated with tin plating of any style of piston  
21 in TDI engines.

22 Q. Based upon operational histories to date,  
23 is that correct?

24 JUDGE BRENNER: I guess it's not based  
25 upon future operational histories. So I don't

waga

1 understand your question.

2 MR. GODDARD: Very well, Judge Brenner.

3 Q. Your conclusions as bolstered by  
4 experience, which you have observed may be sound,  
5 but does this give you any basis for predicting  
6 future results, given the possibility of smearing,  
7 the possibility of plating of 3.5 mil thickness?

8 MR. ELLIS: Judge, I'd like to register a  
9 general objection to this line of questioning. I  
10 think it's immaterial. There's never been any  
11 problem with any TDI piston and tin plating. Here  
12 we are talking about hypothetically. Anything is  
13 possible in the world, but I haven't seen any basis  
14 for pursuing it.

15 JUDGE BRENNER: I have a contention in  
16 front of me that says in part the analysis does not  
17 adequately consider tin plated design of the pistons  
18 could lead to scoring, causes excessive gas load and  
19 thereby causing failure of proper operation. Now it  
20 may be, when we are through with our findings we'll find you  
21 demonstrating that this tin plating problem, I'm sorry, that  
22 this alleged tin plating problem, A, doesn't exist, and B, if  
23 it existed would have nothing to do with scoring, but I  
24 can't draw that conclusion right now. So your argument  
25 hasn't established, in my mind, at least,

waga

1 that the questions are irrelevant to that contention.

2 And there's some Staff testimony that  
3 presumably we will get back to, not back to, we will  
4 get to, and you'll have the opportunity to  
5 cross-examine the Staff on the subject, and then I  
6 can put it all together and make a ruling. But I  
7 can't do that right now. So the objection is  
8 overruled.

9 MR. ELLIS: Yes. I know. I think my  
10 objection really was to the hypothetical nature.  
11 But as you pointed out, the entire contention may be  
12 that. May I have the question read back for the  
13 panel, please. I think there's a pending question.

14 JUDGE BRENNER: Yes, there is. Mr.  
15 Goddard, can you repeat it.

16 MR. GODDARD: Not after this dialogue.  
17 Judge. I prefer to have the question read back.

18 JUDGE BRENNER: All right.

19 (The question is read by the reporter.)

20 DR. PISCHINGER: I think that the  
21 experience, the operational experience with the AE  
22 piston skirts, tin plated, if -- as -- if they are,  
23 give enough evidence that this very piston skirt  
24 will safely operate also in the future as before  
25 they have been examined they have experienced full

waga

1 load, and even overload, and they have especially  
2 during the break-in period, which used to be very  
3 critical, in these cases.

4 MR. GODDARD: Thank you, Dr. Pischinger.

5 Q. Just a clarifying question to you. When  
6 you said these pistons, do you mean the pistons  
7 already installed in the EDG's at Shoreham?

8 DR. PISCHINGER: Yes.

9 MR. GODDARD: Thank you.

10 Q. Mr. Youngling, what if any plans does  
11 Lilco have to QA for the thickness of tin plating on  
12 future AE pistons which may be used in the diesel  
13 generators at Shoreham station?

14 MR. YOUNGLING: Based on the experience  
15 that we have had at Shoreham, and on the  
16 recommendations presently in place from the TDI  
17 owner's group, we would have no planned future  
18 actions any different than what we have put in place  
19 now for the purchase of any AE pistons in the future  
20 relative to the assessment of the tin plating.

21 Q. Mr. Youngling, you say other than what  
22 you have in place now. Do I interpret that to mean  
23 you have no plans presently in place as well to  
24 measure the actual thickness of the tin plating on  
25 the AE pistons to be purchased in the future?

waga

1 MR. YOUNGLING: The present requirements  
2 are that the documentation is reviewed to insure  
3 that TDI has, in fact, performed the tin plating, as  
4 indicated on their routing sheets.

5 Q. When you say performed the tin plating as  
6 indicated on the routing sheets, do those routing  
7 sheets give any indication of the thickness of tin  
8 plating applied or merely that tin plating was in  
9 fact performed on the skirts prior to shipment?

10 MR. YOUNGLING: It indicates that the tin  
11 plating was performed prior to shipment.

12 Q. Perhaps I asked a compound question.  
13 I'll just clarify it. Is there any indication on  
14 those routing sheets as to the thickness of the  
15 plating that was applied?

16 MR. YOUNGLING: No, there's no indication  
17 as to the thickness. However, our experience has  
18 shown, based on not only the experience at Shoreham,  
19 but within the overall TDI engines, that there is  
20 not a problem with the performance of the tin  
21 plating.

22 MR. GODDARD: Thank you. I have no  
23 further questions.

24 JUDGE MORRIS: Dr. Pischinger.

25 DR. PISCHINGER: Yes.

waga

1 JUDGE MORRIS: Let me give you a  
2 hypothetical situation and then ask a question.

3 The hypothetical situation would be that  
4 excessive tin was on at least part of the piston  
5 skirt at the time of start-up of the engine, and the  
6 break-in period

7 Can you describe to me whether the  
8 excessive tin would cause a problem during the early  
9 period, would not cause a problem for some period of  
10 time, or can you say anything about how the problem  
11 might arise?

12 DR. PISCHINGER: If one assumes a higher  
13 thickness of the tin plating, excessive, as you say,  
14 and the piston diameter is still within the  
15 tolerances, you usually get this already mentioned  
16 smearing appearance, which usually do not affect the  
17 operation of the piston, but of of course you can  
18 see this appearance, if you remove the piston

19 I personally do not know of any case  
20 where such a smearing has resulted in a catastrophic  
21 piston failure, but it is generally regarded  
22 unfavorably, and it could give rise to quicker wear  
23 of the moving parts.

24 Of course, as you stated, this is, in  
25 that respect, also the hypothetical, as it depends

waga

1 on the amount of excess of tin. And there's  
2 certainly anyway a limit which I myself cannot give  
3 at the moment, where this excessive tin plating  
4 could lead to troubles with the piston rings.

5 JUDGE MORRIS: Did you say with the piston rings?

6 DR. PISCHINGER: Could be, yes, could be  
7 referred to the piston ring zone.

8 JUDGE MORRIS: Would it be possible to  
9 produce the kind of scoring that the County alludes  
10 to, which might lead to blow-by?

11 DR. PISCHINGER: I personally think that  
12 3 mils of tin plating, which if -- which would be  
13 hypothetically possible, if only the diameter, the  
14 diameters are measured, would not lead to such a  
15 damage, or effect.

16 JUDGE MORRIS: Dr. Swanger, do you have  
17 an opinion on that?

18 DR. SWANGER: I have an opinion on that,  
19 as well as on the earlier hypothetical question that  
20 you had asked, Judge Morris.

21 I think that there's a valid analogy  
22 between the behavior of the tin layer on the piston,  
23 and behavior of the thin Babbitt layer on bearings  
24 that I had discussed earlier, as part of my  
25 experience and expertise.

waga

1                   It has been my experience that when  
2 engines have been disassembled in the early part of  
3 their life, and this is large medium speed diesel  
4 engines, for inspection of the bearings with a  
5 Babbitt layer, that if the Babbitt were applied too  
6 thick that smearing of the Babbitt would occur very  
7 early in the life of the engine. Perhaps on the  
8 first few revolutions, when the accommodation of the  
9 various moving parts, which is the purpose of  
10 break-in, is occurring.

11                   I think that an analogous situation would  
12 occur with the pistons if hypothetically they had  
13 too much or excessive tin, that the tin migration or  
14 the smearing would occur early in the operation, and  
15 that this redistribution of the tin would actually  
16 accommodate the geometry of the piston to the liner,  
17 and then minimize further smearing of the tin later  
18 in its life.

19                   As to the second question, about the  
20 possibility of this amount of tin leading to  
21 excessive blow-by, it is my opinion that the blow-by  
22 is primarily controlled by the four compression  
23 rings in the crown of the piston, and that a long,  
24 multi-step process would have to be hypothesized in  
25 which any problem with the tin could then lead to a



waga 1 problem with the compression rings, eventually  
2 getting to the point where you could hypothesize  
3 blow-by.

4 Given the unlikeliness of any step in  
5 this long chain of steps, I think that 3 mils of tin  
6 would not lead to excessive blow-by in the engine.

7 JUDGE MORRIS: Dr. Pischinger, did you  
8 have something else to add?

9 DR. PISCHINGER: I only want to stress,  
10 or to add, I think I didn't do this, that according  
11 to my experience, if there is tin migration or  
12 smearing, it is in the beginning of break-in, and  
13 first load appearance, and then it decreases,  
14 according to wear.

15 JUDGE MORRIS: I won't say fine, as Mr.  
16 Dynner was careful to say. Thank you very much. I  
17 am not commenting on your answers.

18 JUDGE BRENNER: I thought you were going  
19 to comment on his wanting to stress things.

20 Any redirect, Mr. Ellis, further redirect?

21 MR. ELLIS: Yes, I have a couple, Judge  
22 Brenner.

23 REDIRECT EXAMINATION BY MR. ELLIS:

24 Q. Dr. Pischinger and Dr. Swanger, in the  
25 testimony that you have given about smearing, did

waga

1 you observe any smearing on the AE pistons at  
2 Shoreham after they had been in operation?

3 DR. SWANGER: I'll go first and say that,  
4 no, I did not observe any smearing of tin on any AE  
5 pistons at Shoreham or on any other of a large  
6 number of AE or AF or other TDI pistons that I have  
7 examined at other locations.

8 Q. Dr. Pischinger, did you observe any  
9 smearing on the pistons at Shoreham?

10 DR. PISCHINGER: No, I didn't observe any  
11 smearing on pistons at Shoreham. I think I stated  
12 this already. And neither did those people which  
13 reported to me upon being asked see any smearing  
14 effect on the pistons.

15 MR. ELLIS: Mr. Youngling --

16 DR. PISCHINGER: Yes. Mr. Youngling  
17 reminded me I should say those persons who worked  
18 for me did give me this information.

19 Q. Mr. Youngling, Mr. Dynner asked you a  
20 number of questions following up on the inspections  
21 to be done on the pistons.

22 Let me see if I can put that into  
23 perspective.

24 You have already testified the pistons  
25 were examined by eddy current and liquid penetrant

waga

1 before they were installed and no cracks or  
2 indications, relevant indications were found.

3 And then the engines were run for 100  
4 hours 1.35 --

5 MR. DYNNER: Is this a summary of prior  
6 testimony?

7 MR. ELLIS: It's a question; I am going  
8 to put it into perspective. 1.5 million cycles and  
9 inspected again by liquid penetrant.

10 MR. DYNNER: I object. This is a  
11 characterization of prior testimony, either he said  
12 it or didn't. And I don't think a summary is called  
13 for at this point.

14 JUDGE BRENNER: Objection sustained.  
15 Why don't you back up and ask a question. It's also  
16 an overly leading problem here at this time in the  
17 proceeding.

18 MR. ELLIS: I am going to get to the  
19 question. I thought it would help to put it into  
20 perspective.

21 JUDGE BRENNER: Get to the question now.

22 MR. ELLIS: I'll get to the question now.  
23 I do think perspective would help.

24 JUDGE BRENNER: Mr. Ellis, please.

25 MR. ELLIS: I will get to the question.

waga

1 My questioning has been the shortest. I have  
2 questioned for 30 minutes instead of 5 days.

3 JUDGE BRENNER: I didn't question the  
4 length. It was an objection to that particular  
5 question, that's all.

6 Q. Mr. Youngling, you testified that Lilco  
7 has committed today to again inspect the pistons at  
8 the first refueling outage by liquid penetrant,  
9 magnetic particle testing, eddy current testing.  
10 How many hours of surveillance testing do you expect  
11 the engines to undergo between now and then?

12 MR. YOUNGLING: Between now and then, the  
13 engines will undergo approximately 120 hours of  
14 surveillance testing.

15 JUDGE BRENNER: Is that for each engine?

16 MR. YOUNGLING: Yes, Judge.

17 Q. Am I correct that a hypothesized  
18 LOOP/LOCA event for 7 days would be approximately  
19 108 hours of engine running?

20 MR. YOUNGLING: Yes, it would.

21 Q. How much total time would you expect,  
22 even assuming such an event that the engines would  
23 have on them between now and the first refueling  
24 outage at which time Lilco has committed to  
25 reinspect the pistons?

waga

1 MR. YOUNGLING: At a maximum the engines  
2 would have, assuming a 7 day LOOP/LOCA, 238 hours.

3 MR. ELLIS: Thank you. No further  
4 questions.

5 JUDGE BRENNER: I was going to say, I  
6 think we have come to the end, but Mr. Dynner says  
7 he has just a little question.

8 RECROSS-EXAMINATION BY MR. DYNNER:

9 Q. Gentleman, there's only one area I want  
10 to get into. You testified that with respect to the  
11 fact that you thought there were no problems  
12 evidenced with the tin plating and the AE pistons.  
13 Would you please turn to Lilco's exhibit P-32, and  
14 about the 9th page in, you can start there. You see  
15 it's a page at the bottom of this particular page  
16 there's a number A-1.

17 MR. YOUNGLING: A-2, if that helps you to  
18 find this particular page. And the following page  
19 is A-1.

20 MR. YOUNGLING: Yes, sir.

21 MR. DYNNER: Now the total of this, what this  
22 document is, is somewhat obliterated. Perhaps you could  
23 help me Mr. Youngling. At the top it says Stone and Webster  
24 Engineering Corporation. To the left my copy is obliterated  
25 slightly. Do you know what that

waga 1 is referring to, something it looks like report.

2 MR. YOUNGLING: Yes. The words in the  
3 upper left hand corner should be quality control  
4 inspection report.

5 Q. All right. And the date of these two  
6 documents for these inspection reports is in the  
7 right hand corner February 11, 1984, is that correct?

8 MR. YOUNGLING: Yes, it is.

9 Q. And this refers to EDG 102, at the  
10 Shoreham plant, doesn't it?

11 MR. YOUNGLING: Yes, it does.

12 JUDGE BRENNER: Why don't you get to your  
13 substantive question.

14 MR. DYNNER: Yes.

15 Q. Now, my question is, does the information  
16 shown in the drawings on here, where it indicates in  
17 places scored, in other places it states tin flaking,  
18 and then on the next page there's a notation that  
19 the tin surface appears to be melted, and other  
20 places it indicates where.

21 Are those indications in this inspection  
report indications that the tin plating is perfectly  
normal?

MR. YOUNGLING: Mr. Dynner, these  
inspection reports were associated with the review

waga

1 of the pistons in the DG 102 engine after the 100  
2 hours of operation at greater than or equal to 3500  
3 kw as part of the DRQR program.

4 The inspection findings were reviewed in  
5 accordance with the appropriate procedures, and the  
6 wear reported in the inspection reports was deemed  
7 acceptable by the vendor, TDI, as documented by  
8 their March 1, 1984 letter from Mr. D.I. Schmitz, to  
9 Mr. John Kammeyer.

10 In addition, as part of that inspection  
11 process, Dr. Pischinger had to travel from Germany  
12 to look at the pistons and other components in the  
13 engine and he also looked at these pistons and he  
14 should comment on his observation.

15 DR. PISCHINGER: Yes, I can remember  
16 these pistons I saw had no smearing effect which  
17 could be caused by too, too thick tin plating. What  
18 could be seen, what was seen is some marks, that  
19 means linear indications, and some wear, and it was  
20 also as well these pistons which had this already  
21 mentioned carbon, carbon deposits in the piston and  
22 ring grooves.

23 So I can state this is really no  
24 indication of too thick tin layer.

25 And I think also they were marks which

waga

1 had been, they were notes which had been taken by  
2 the inspector show that this is true.

3 Q. Did you record any of your results on  
4 documents of your inspection of these particular  
5 pistons, Dr. Pischinger? Do you understand the  
6 question? Did you write down the results of your  
7 inspection when you looked at these pistons?

8 DR. PISCHINGER: I think it is written  
9 down here, but I did not do this writing down.

10 Q. Did you personally write anything down  
11 about the inspections?

12 DR. PISCHINGER: No, no.

13 Q. Could you tell me when you looked at the  
14 piston that's shown on the page designated A-1.

15 MR. YOUNGLING: Yes, sir, what did you --

16 DR. PISCHINGER: What -- please.

17 Q. A-1.

18 MR. YOUNGLING: Yes, sir.

19 DR. PISCHINGER: Yes.

20 Q. The bottom right hand corner, it's that  
21 page I'm speaking about.

22 What did you conclude about the area that  
23 is noted here as tin surface appears to be melted.  
24 Was that perfectly normal?

25 DR. PISCHINGER: This is an area outside



waga

1 of the running area of the piston above the wrist  
2 pin, which has particular no loading contact, and I  
3 am not concerned on marks in this region.

4 Q. Did anyone make any conclusions regarding  
5 the area of the tin surface that's noted here as  
6 appearing to be melted, as to the cause of that?

7 MR. YOUNGLING: Mr. Dynner, if you trace  
8 the documentation through, we will see that a LDR  
9 number.

10 DR. SEAMAN: 75 was written to discuss  
11 the problems for the, or the observations, not the  
12 problems, and that was a disposition, and I quote,  
13 in accordance with the attached TDI memo --

14 MR. DYNNER Mr. Youngling, is this one of  
15 the documents in this exhibit?

16 MR. YOUNGLING: Yes it is. I am trying  
17 to determine the number, the page number. I'll  
18 count the pages. Have you been able to locate the  
19 TDI memo?

20 JUDGE BRENNER: Yes.

21 MR. YOUNGLING: Let's go forward from  
22 there, 7 pages. I'm sorry, I have a problem.

23 JUDGE BRENNER: This is a difficult  
24 exhibit to work with, as we previously discovered.

25 MR. YOUNGLING: Let me take a few moments.

waga

1 JUDGE BRENNER: I didn't mean to  
2 interrupt your answer, but I observed that I thought  
3 you were reading from a document that if it was one  
4 we already have in evidence --

5 MR. YOUNGLING: Yes, it is, but it's  
6 improper.

7 JUDGE BRENNER: Well, can you answer the  
8 question directly, I think as to whether the  
9 observation was looked into and determined.

10 MR. YOUNGLING: Yes, it was, Judge  
11 Brenner. As part of the program we consulted with  
12 TDI personnel, and the observations were judged as  
13 normal component wear, and were judged to be  
14 acceptable.

15 The pistons were cleaned and returned to  
16 service and have continued in service, and operated  
17 satisfactorily.

18 JUDGE BRENNER: I don't want to get in  
19 the way of your questions, Mr. Dynner.

20 Q. So it's your testimony that you relied on  
21 DeLaval to make that judgment, is that true?

22 MR. YOUNGLING: No sir, DeLaval  
23 provided us input. In addition we had the input  
24 from the owner's group, as well as the inspections  
25 by Dr. Pischinger, and by Dr. Swanger.

waga

1 Q. Well, Dr. Pischinger just testified that  
2 he didn't make any conclusions concerning the melted  
3 tin surface. So who was the one --

4 MR. ELLIS I object to that  
5 characterization.

6 JUDGE BRENNER: That's a  
7 mischaracterization.

8 MR. DYNNER: I'm sorry.

9 JUDGE BRENNER: Why don't you ask Dr.  
10 Pischinger whether he --

11 Q. Dr. Pischinger, did you make any  
12 conclusions concerning the cause of the tin surface  
13 that appeared to be melted as shown on this page  
14 that's designated A-1.

15 MR. YOUNGLING: A-3, the right hand  
16 corner of the page.

17 DR. PISCHINGER: Well, I want to state  
18 again, this is in a not-loaded part of the piston  
19 surface, so with regard to smearing if any smearing  
20 effect should have been noticed it should have been  
21 that loaded parts of the piston.

22 Q. Well, Dr. Pischinger, when you inspected  
23 this particular piston, did you see it done --

24 MR. ELLIS I'm sorry, I don't believe the  
25 witness is done. I may be mistaken.

waga

1 JUDGE BRENNER: In an effort to get some  
2 more quickly focused answers, if it's okay with me,  
3 I am going to let Mr. Dynner do it. He asked a  
4 question, he waited a long time. We have gotten  
5 that part of the answer; presumably Mr. Dynner is  
6 going to come back to focus on what he wanted to. I  
7 am going to let him do it.

8 Q. Dr. Pischinger, let me just make it very  
9 easy. When you examined this particular piston  
10 personally, did you personally observe this tin  
11 surface area that appeared to be melted?

12 DR. PISCHINGER: Well, I concentrated on  
13 and my main emphasis of my observation in the parts  
14 of the piston which are highest loaded, and I can at  
15 the moment not recall this part to such an extent  
16 that I can try to find a cause for this indication  
17 in this part.

18 Q. All right --

19 DR. PISCHINGER: But the only conclusion  
20 I know I have in mind that I found that at that time,  
21 whenever seeing it, not as critical. Otherwise I  
22 would -- otherwise I would have taken action, I  
23 would have taken action.

24 Q. All right, now Mr. Youngling, do you know  
25 whether anybody else came to any conclusions as to

waga

1 the cause of this area of the tin plating that is  
2 noted as appearing to be melted, if you know? I  
3 don't understand why the question calls for a  
4 conference. I just asked Mr. Youngling if he knows  
5 something.

6 JUDGE BRENNER: I agree with Mr. Dynner.  
7 Do you know, Mr. Youngling?

8 MR. YOUNGLING: No, but perhaps one of my  
9 colleagues can respond for me.

10 JUDGE BRENNER: Do you want to ask  
11 somebody else? Anybody?

12 MR. DYNNER: Anybody, does anybody know  
13 whether anybody came to any conclusions as to the  
14 cause of the tin plating that appeared to be melted  
15 as noted on this document?

16 JUDGE BRENNER: And if you don't know in  
17 the next few minutes we will find out next Monday  
18 whether you know it.

19 DR. SWANGER: As far as we know, no  
20 analysis was made for the cause of this cosmetic  
21 effect on this piston. At the time it was judged to  
22 be in a non-critical area of the piston, therefore a  
23 detailed scientific analysis of a purely cosmetic  
24 defect was unwarranted.

25 Q. And it's your testimony that you could

waga

1 tell without doing any analysis that it was just  
2 cosmetic, is that correct?

3 DR. SWANGER: We could certainly tell,  
4 based on knowledge of the design and operating  
5 principles of diesel engines and where that  
6 indication was on the piston that it was in a  
7 non-critical area, and just by visual observation,  
8 and rubbing fingers over it to make sure that it was  
9 less than a thousandth of an inch in dimensions,  
10 it's purely cosmetic.

11 Q. Did you personally see this area that had  
12 been melted. You personally, not Mr. Youngling, did  
13 you personally see it, run your fingers over it?

14 DR. SWANGER: I looked at an awful lot of  
15 parts of the Shoreham diesels during this time  
16 period when I spent weeks and months at a time at  
17 the Shoreham site assisting in all of these  
18 operations. A lot of the things that were  
19 significant did stick in my mind. This one is  
20 insignificant, but in spite of that I do think that  
21 I have a recollection of seeing this area on this  
22 piston.

23 JUDGE BRENNER: I don't understand what  
24 you meant by the term "cosmetic." Did you mean to  
25 imply a preexisting indication, or what?

waga

1 DR. SWANGER: That it's just a visual  
2 contrast indication, that I don't think that it had  
3 any functional significance.

4 JUDGE BRENNER: Well if this was in such  
5 a benign area from the point of view of stresses,  
6 why would it have occurred in that area?

7 DR. SWANGER: I think you were probably  
8 on the right track, when you said it was probably  
9 preexisting.

10 JUDGE BRENNER: I didn't say that, but go  
11 ahead.

12 DR. SWANGER: Well, I think that you were  
13 thinking along the right lines, and that as part of  
14 the electroplating process, it is possible that in  
15 withdrawing parts from the solution tanks, the  
16 solutions can run down the side of a piston and  
17 leave marks such as this on a plated part. That's  
18 possible that that's what this was.

19 JUDGE BRENNER: So what you are telling  
20 me is that whoever wrote the observation in that  
21 report within exhibit P-32, on that page, A-1.

22 MR. YOUNGLING: A-3. In noting that tin  
23 surface appears to be melted, was in error?

24 DR. PISCHINGER: I think he stated it  
25 appeared to be melted, and he didn't say it was

waga

1 melted. I think, I do not know how precise this, or  
2 how this, or how it is expressed precisely, but I  
3 would translate it that if it appears to be melted,  
4 that it had an appearance as if it had been melted.  
5 But it didn't confirm that it was really melted.

6 JUDGE BRENNER: In other words, a preexisting  
7 cosmetic blemish, if you will, resulting from the  
8 electroplating process probe being withdrawn  
9 appeared to be melted to somebody who was expert  
10 enough to be performing these inspections.

11 MR. YOUNGLING: The primary role of the  
12 inspectors is to go out and look at the machinery  
13 and to note their observation. It's entirely  
14 possible that he may have chosen those words to  
15 characterize the observation. The most important --

16 MR. DYNNER That wasn't precisely my  
17 point. I'm really asking Dr. Swanger, whether the  
18 kind of preexisting cosmetic effect from the  
19 electroplating process would, in his opinion, appear  
20 to be a melting to somebody who was looking at it?

21 DR. SWANGER: I think that somebody  
22 without broad expertise and experience in  
23 electroplating might interpret such a cosmetic area  
24 as a minor etching or something like this, could to  
25 them appear to be melted.



waga

1 JUDGE BRENNER: Does that complete your  
2 questions?

3 MR. DYNNER: Yes, sir.

4 JUDGE BRENNER: The Board has no further  
5 questions. Are there any involved on the Staff,  
6 just to the last questions asked, series of  
7 questions? .

8 MR. GODDARD: No questions from the Staff.

9 JUDGE BRENNER: Any redirect?

10 MR. ELLIS: No redirect.

11 JUDGE BRENNER: If I get the cast of witnesses  
12 correct in my mind, I might not have, I think only Dr.  
13 Harris gets to leave permanently and each of the rest of you  
14 will be here again. Am I right? So I will bid bon voyage  
15 to Dr. Harris, and thank you for your time. And to the  
16 others I'll say goodbye until we meet again, which will be  
17 for some of us at 10:30 Monday morning in this courtroom.

18 (Hearing recessed.)

19

20

21

22

23

24

25

waga

## 1 CERTIFICATE OF OFFICIAL REPORTER

2 This is to certify that the attached  
3 proceedings before the UNITED STATES NUCLEAR  
4 REGULATORY COMMISSION in the matter of:

5 NAME OF PROCEEDING:

6 SHOREHAM NUCLEAR POWER STATION

7 Long Island Lighting Company

8 DOCKET NO.: 50-322-0L

9 PLACE: Hauppauge, New York

10 DATE: September 13, 1984

11 were held as herein appears, and that this is the  
12 original transcript thereof for the file of the  
13 United States Nuclear Regulatory Commission.

14 (Sigt)

15 (TYPED) HELEN DOHOGNE

16 Official Reporter

17 Reporter's Affiliation

18

19

20

21

22

23

24

25