

ORIGINAL

UNITED STATES
NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:
LONG ISLAND LIGHTING COMPANY
SHOREHAM NUCLEAR POWER STATION

DOCKET NO:
50-322-OL

THIS IS A CORRECTED TRANSCRIPT

LOCATION: HAUPPAUGE
NEW YORK

PAGES: 22761 - 22920

DATE: Tuesday, September 18, 1984

TR-01/01

Additional 2 copies to ASL PB - E/W-439

ACE-FEDERAL REPORTERS, INC.

8411060258 840918
PDR ADOCK 05000322
T PDR

Official Reporters
444 North Capitol Street
Washington, D.C. 20001
(202) 347-3700

NATIONWIDE COVERAGE

ACE-FEDERAL REPORTERS, INC.

444 North Capitol Street
Washington, D.C. 20001
(202) 347-3700

STENOTYPE REPORTERS

October 30, 1984

TO: All Recipients of Transcripts of Proceedings of
Docket No.: 50-322-1 (OL)
Long Island Lighting Company
(Shoreham Nuclear Power Station)

I. Enclosed are corrected transcripts in the above matter
for the following days:

September 10, 1984
September 11, 1984
September 12, 1984
September 13, 1984
September 17, 1984
September 18, 1984


} ORIGINAL + 3 COPIES
RJM.

II. A corrected transcript for September 19, 1984 is in
the process of being prepared and should be distributed
in the near future.

III. Portions of the following pages have been questioned
by the Commission. The items are being checked against
the original notes by the subcontractor. New pages
will be distributed when the items are resolved.

<u>Date</u>	<u>Page</u>	<u>Line(s)</u>
9/17	22687	5-6
9/17	22725	14-16
9/18	22829	14
9/19	23030	16

Sincerely,


Alan I. Penn
Vice President

Encl.
AIP/alr

ALP

8411060097

waga 1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
BEFORE THE ATOMIC SAFETY & LICENSING BOARD

-----x
In the matter of: :
SHOREHAM NUCLEAR POWER STATION : Docket No.50-322-0L
Long Island Lighting Company) :
-----x

State Office Building
Veterans Memorial Highway
Hauppauge, New York

Tuesday, September 18, 1984

Hearing in the above-entitled matter was
convened at 9:00 a.m., pursuant to notice.

- BEFORE:
- JUDGE LAWRENCE BRENNER,
Chairman, Atomic Safety & Licensing Board
 - JUDGE PETER A. MORRIS,
Member, Atomic Safety & Licensing Board
 - JUDGE GEORGE A. FERGUSON,
Member, Atomic Safety & Licensing Board

waga

1 APPEARANCES:
2 On behalf of the Applicant:
3 ODES L. STROUPE, JR., ESQ.
4 DAVID DREIFUS, ESQ.
5 Hunton & Williams
6 700 East Main Street
7 Richmond, Virginia 23219
8 On behalf of the Nuclear Regulatory Commission
9 Staff:
10 RICHARD J. GODDARD, ESQ.,
11 Office of the Executive Legal Director
12 On behalf of the Intervenor, New York State:
13 ADRIAN F. JOHNSON, ESQ.
14
15
16
17
18
19
20
21
22
23
24
25

waga

1 On behalf of the Intervenor, Suffolk County:
2 ALAN ROY DYNNER, ESQ.
3 JOSEPH J. BRIGATI, ESQ.
4 DOUGLAS J. SCHEIDT, ESQ.
5 Kirkpatrick, Lockhart, Hill,
6 Christopher & Phillips
7 1900 M Street, N.W.
8 Washington, D.C. 20036

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

waga

C O N T E N T S

1			
2	WITNESSES	DIRECT	CROSS
3	ROGER L. McCARTHY)		
4	FRANZ F. PISCHINGER)		
5	SIMON CHEN)		22766
6		(by Suffolk County)	
7	PAUL JOHNSTON)		
8	EUGENE MONTGOMERY)		
9	EDWARD J. YOUNGLING)		
10	morning recess		22782
11	luncheon recess		22825
12	afternoon recess		22871
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

waga

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

JUDGE BRENNER: We're on the record.

Good morning. As everyone can see, it's approximately 9:50. We apologize for the very late starting time. We are starting late due to the necessity to have off-the-record discussions in chambers, first among the Board and the court reporter and secondly among the Board and counsel for the parties, both discussions due to problems with the accuracy of last week's transcript and problems with the way yesterday's transcript was compiled. We are ready to begin at this point. We will have to take a break at no later than 10:35. We will take a break at that time, so keep an eye on the clock. We will then have the cross-examination, Mr. Scheidt.

MR. SCHEIDT: At this time the County proposes to cross-examine Dr. Pischinger on his section of the testimony in order to accommodate his schedule.

JUDGE BRENNER: All right.

waga

1 Whereupon,

2 FRANZ F. PISCHINGER,

3 EDWARD J. YOUNGLING

4 SIMON CHEN,

5 EUGENE MONTGOMERY,

6 PAUL JOHNSTON,

7 and

8 ROGER L. McCARTHY,

9 were called as witnesses on behalf of the Applicant
10 and, having been previously duly sworn, were
11 examined and testified as follows:

12 CROSS-EXAMINATION

13 BY MR. SCHEIDT:

14 Q. Dr. Pischinger, you reviewed the
15 replacement crankshafts for compliance with the
16 Kritzer, K-r-i-t-z-e-r, hyphen, Stahl, S-t-a-h-l,
17 design criteria?

18 DR. PISCHINGER: Yes.

19 Q. Is the Kritzer-Stahl design criteria a
20 design code?

21 DR. PISCHINGER: What do you mean by
22 "design code"?

23 Q. Dr. Pischinger, you used the term "code"
24 or "design code" in your deposition to describe this
25 Kritzer-Stahl design criteria, and I refer you to

waga

1 County Exhibit 41 at page 94, if you need to refresh
2 your recollection.

3 JUDGE BRENNER: Marked at a point that is
4 so labeled at pages 6 and 11, at least of his
5 testimony, and perhaps other places. Since we have
6 that in the record, we can use that for reference.

7 DR. PISCHINGER: This Kritzer-Stahl
8 criteria method is a method for calculating stresses
9 in a crankshaft and compares the stresses with
10 precalculated endurance limits or limit of the
11 material and, by this, can calculate a factor of
12 safety, so the way it is used in design is to give
13 the design of the crankshaft as an input to the
14 operating conditions of the engine as an input and
15 to arrive at a given stress level and ratio with
16 stress and endurance limit.

17 Q. Does the Kritzer-Stahl design criteria
18 concern any other aspects of crankshaft design?

19 DR. PISCHINGER: I think I said geometry
20 of the crankshaft.

21 Q. And with what aspects of the geometry of
22 the crankshaft does the Kritzer-Stahl design
23 criteria concern itself?

24 DR. PISCHINGER: To make it a little
25 easier, may I refer to some written text?

waga

1 Q. Certainly. Are you referring to the
2 design criteria themselves?

3 DR. PISCHINGER: Yes. It's a relative
4 overlap of the crankshaft and the crank pin. It's a
5 relative width of the web and the thickness of the
6 web, the post-dimensions of the web and the radius,
7 or if there are two, radii of the fillet. These are
8 the dimensional properties of the crankshaft used in
9 the Kritzer-Stahl method. I think to clarify or to
10 elaborate a little more on this important input,
11 there's a second criteria for influence of the
12 dimensions used in German industry, which is
13 according to the author of it, Lejkin,
14 L-e-j-k-i-n, Lejkin, and he uses the same
15 dimensional inputs and, in addition, he also takes
16 into account if there is an oil pin.

17 Q. Oil hole (phonetic)?

18 DR. PISCHINGER: Not the oil hole; oil
19 hole is a different pin. Sometimes a design of the
20 crankshaft has a central hole in the crankpin or
21 mostly the crankpin.

22 Q. Do the replacement crankshafts at
23 Shoreham have such a hole?

24 DR. PISCHINGER: No. We used for safety
25 also this Lejkin method to calculate stress

waga

1 concentration factors, and we found that more recent
2 Lejkin methods give lower values, so for safety, we
3 took the larger stress concentration factor of Stahl.

4 Q. Of Stahl, S-t-a-h-l?

5 DR. PISCHINGER: S-t-a-h-l.

6 Q. And Lejkin's method is not a part of the
7 Kritzer-Stahl design criteria, is it?

8 DR. PISCHINGER: No, but it is often used
9 in parallel, and the figures are not very much
10 different, which says that both methods roughly —
11 give similar figures — it's a little difficult. I
12 only have got a telecopy of this, our calculation,
13 because the requirement for this side calculation
14 has been given to us rather late, so I have at the
15 moment —

16 Q. Who has required you to make this
17 calculation, your attorneys?

18 DR. PISCHINGER: Yes.

19 Q. And this calculation is not reflected in
20 your testimony?

21 DR. PISCHINGER: It is reflected in the
22 testimony. The stress concentration factor
23 according to Lejkin is 1.967, and the same factor
24 according to Stahl, S-t-a-h-l, is 2.084.

25 Q. The numbers are 1.967 and 2.084?

waga

1 DR. PISCHINGER: 2.084.

2 Q. Okay, Dr. Pischinger. Is this design
3 criteria a design code?

4 JUDGE MORRIS: Excuse me, Mr. Scheidt.
5 Perhaps I can help on this. I think he's having
6 trouble with our use of the word "code." For
7 example, Dr. Pischinger, the American Society of
8 Mechanical Engineers has what they call a code for
9 design of pressure vessels, so that code is
10 sponsored by that professional society, and they
11 have some authority in this country, and I think
12 what Mr. Scheidt is searching for, and I would like
13 to understand, is what sponsorship, for example, the
14 Kritzer-Stahl criteria would have in Germany.

15 DR. PISCHINGER: This criteria, this
16 procedure, is based on a lot of research work
17 through German companies, but there is no formal
18 group which, let's say, which established this as
19 some sort of binding code for design. In this case,
20 it's criteria which is published and used by German
21 engine manufacturing companies.

22 Q. In fact, Dr. Pischinger, the
23 Kritzer-Stahl design criteria consists of a series
24 of magazine articles. Isn't that true?

25 MR. STROUPE: I'm going to object to that.

waga

1 I don't know what Mr. Scheidt means by "magazine
2 articles," trade publications?

3 JUDGE BRENNER: He can ask the question.
4 We'll find out the answer. Objection is overruled.

5 DR. PISCHINGER: Well, it's published in
6 in an acknowledged German engineering journal. In
7 my German understanding, I would not call it a
8 magazine, which reminds me of other pictures.

9 Q. And these don't have any pictures, Dr.
10 Pischinger?

11 DR. PISCHINGER: You do not want me to
12 reflect on this?

13 Q. And these articles, if you may call them
14 articles, are dated approximately 1958 to 1961.
15 Isn't that true, Dr. Pischinger?

16 DR. PISCHINGER: Yes, this is true, but
17 they are updated in more recent foreign publications,
18 which the last one has been published two years ago,
19 but the name we give to it is according to the
20 original authors. Of course a lot of additional
21 engineers and scientists contributed to further
22 confirming and updating this criteria and, of course,
23 we always use the latest version of it.

24 Q. Do the articles that you use in
25 performing your calculations under the

waga

1 Kritzer-Stahl design criteria rely on any of those
2 revisions?

3 DR. PISCHINGER: Yes, in some points.

4 Q. In what way, then, Dr. Pischinger?

5 DR. PISCHINGER: For instance, the
6 calculation of the nominal stresses, which is not so
7 much the main substance of Kritzer-Stahl, but which
8 is also a prerequisite of using this method.

9 Q. And other than your calculations for
10 nominal stresses, did you rely on any revisions to
11 the criteria in any of your calculations?

12 DR. PISCHINGER: I already mentioned
13 Lejkin, whose results have been revised, but I
14 should not say altered, critically revised by Maas
15 and Klier, but this criteria is based on numerous
16 thousands of measurements on crankshafts which have
17 been taken with a lot of effort and a lot of money
18 behind it, so the main substance of this. results of
19 these measurements, are still the base of using this
20 criteria.

21 Q. But most, if not all of that research,
22 occurred prior to 1961. Isn't that true, Dr.
23 Pischinger?

24 MR. STROUPE: Judge Brenner, I would like
25 to put an objection on the record. My understanding

waga

1 was that the County was contending that the criteria,
2 German criteria used by FEV showed that the
3 crankshafts were not adequately designed for
4 operating an overload, but marginally for operating
5 at full load. It seems to me what Mr. Scheidt is
6 now doing is relating to the merits of the actual
7 design criteria which, as I read it, is not in the
8 contention. It's certainly not in the testimony.

9 JUDGE BRENNER: Mr. Scheidt?

10 MR. SCHEIDT: Judge Brenner, the value of
11 this calculation depends on the worthiness of the
12 design criteria, and he uses the design criteria to
13 show that the replacement crankshafts are adequate.
14 He also says this is a very conservative design
15 criteria on page 4 of his testimony and, apparently,
16 values this criteria as a responsible indication of
17 adequacy for the crankshafts.

18 JUDGE BRENNER: Mr. Stroupe's objection
19 is, however, that you have not put into issue the
20 value of the criteria, but only your complaint, that
21 the replacement crankshafts will not meet the
22 criteria in one circumstance and will only
23 marginally meet the criteria in the other
24 circumstance.

25 Give us a moment while you confer also.

waga

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(Board confers.)

JUDGE BRENNER: We're going to overrule the objection; however, the objection is literally correct in reading the contention, notwithstanding that it is a necessary fact of life that in order to evaluate as a Board the significance of the asserted compliances or asserted noncompliances and the degree of compliances and noncompliances of the crankshaft with respect to some of the criteria set forth in the standards listed in the contention, we need to know something about the standards being used.

As the County pointed out, the testimony itself gets into that a little bit in describing the conservative guidelines in this case, but even without that in the testimony, it would have been pertinent for the reasons I just indicated. In fact, what's in the testimony is just a recognition of that fact by the witness, a recognition which we would have shared even if it had not been in the testimony. However, in making our decision on this contention, we will look to the wording of the contention, and the focus is on what the contention asserts.

And we would want to control the degree

waga

1 to which any cross-examination will go into the
2 standards themselves. It could quickly get out of
3 control and start to shift. We'll control it, but
4 we would expect you to control it and bear in mind
5 that some of this may help us understand the picture
6 a little better but may not be pertinent to the
7 findings when we go back to the wording of the
8 contention to make our findings.

9 Do you need the question repeated after
10 all that?

11 DR. PISCHINGER: Yes, please.

12 JUDGE BRENNER: Mr. Scheidt, can you --

13 MR. SCHEIDT: I have the question in mind.

14 BY MR. SCHEIDT:

15 Q. Isn't it true, Dr. Pischinger, that most,
16 if not all, of the research that is a part of the
17 Kritzer-Stahl design criteria was performed prior
18 to 1961?

19 DR. PISCHINGER: Yes, this is true, and
20 they're updating activities. Now since we took that
21 into account, it gives the feeling or gives the
22 background that these criteria are on the
23 conservative side, as is the case with similar rules
24 or codes which you update. If it is allowed, I
25 could give you -- try to give you a measure or an

waga

1 example of the conservative feature of this design
2 criteria. Yes?

3 Q. Give it a shot, Dr. Pischinger.

4 DR. PISCHINGER: First of all, I want to
5 point out that this design criteria takes into
6 account much more special features of the design
7 than the usual classification methods and so on,
8 examples that were mentioned yesterday, but what we
9 did in this case, again, to show the conservatism,
10 is that we calculated by the same method, the
11 11-by-13 inch crankshaft, so we have two
12 calculations, 11-by-13 inch crankshaft, and 12-by-13
13 inch crankshaft.

14 The result for the 11-by-13 inch
15 crankshaft is that it should have failed, that means
16 after two times ten to the sixth cycles, which is
17 roughly about 150 hours. It is well known that the
18 11-by-13 inch crankshaft, in reality, failed at four
19 times ten to the sixth cycles, two million and four
20 million cycles, so it means that this criteria
21 predicted only half the time for the failure by
22 which you could calculate it, even the factor of
23 conservatism.

24 We did this within the SN curve of
25 crankshafts we have, and it came out that it was in

waga

1 the range of 22 percent. That means that this
2 criteria has an inherent safety of about 22 percent.
3 I could give you the --

4 Q. Dr. Pischinger, when you say it has an
5 inherent safety of 22 percent, are you referring to
6 the original versus the replacement crankshafts or
7 does it have an inherent safety factor when you
8 calculate endurance limits of any crankshaft?

9 DR. PISCHINGER: I only would say for
10 this type of crankshaft. That means one could
11 safely relate this also to the 12-by-13 inch
12 crankshaft, because the differences in design are
13 minor and the rules have been or the criteria has
14 been applied the same way.

15 Q. Without getting into great detail at this
16 point right now, Dr. Pischinger, but did you use
17 linear cumulative damage techniques in predicting
18 the fatigue endurance limit of the original
19 crankshafts?

20 DR. PISCHINGER: No, we simply used an SN
21 curve. That means the Miner rule, but we did not
22 use any special formula. We relied on data on
23 broken crankshafts of this size. There have been a
24 lot of tests with broken crankshafts of about this
25 size, and from all this data, the SN curve has been

waga 1 set up and we use this data to predict.

2 JUDGE MORRIS: Dr. Pischinger, while
3 we're talking about SN, could you just explain for
4 the record what SN stands for?

5 DR. PISCHINGER: Yes. We call it in
6 German Wohler curve, W-o, with two dots, h-l-e-r
7 curve, and it is a fatigue -- it shows the
8 relationship between the stress for failure and the
9 numbers of cycle where this failure occurs, and in
10 this case, we took a curve for a complete failure.
11 That means crack going through.

12 DR. MC CARTHY: The S stands for stress
13 and the N stands for number of cycles.

14 Q. Dr. Pischinger, in developing this, the
15 SN curve that you used in your calculations, was
16 that based solely on failures of crankshafts or is
17 it based upon components or other objects made of
18 the same material?

19 DR. PISCHINGER: This is only based on
20 failures of crankshafts.

21 Q. And approximately how many crankshafts
22 failures are incorporated into that SN curve?

23 DR. PISCHINGER: We used two sources, and
24 I cannot remember at the moment the exact number of
25 crankshafts, but it was quite an expensive and large

waqa

1 experiment. It was not out of field experience
2 testings, let's say breakage by chance, but it was
3 an intentionally set-up test to arrive at such an SN
4 curve, and we had two sources, used two sources.
5 One source even was the same material as the
6 Shoreham crankshaft.

7 Q. Okay, Dr. Pischinger. Can you give me an
8 approximate number of the number of crankshafts that
9 are incorporated in the SN curve?

10 DR. PISCHINGER: I would prefer to give
11 you this information later on because it is
12 published, and I want to reread it again before I
13 give you a figure.

14 Q. Would you be capable of providing me with
15 that figure, Dr. Pischinger?

16 DR. PISCHINGER: Well, I have to rely on
17 phone calls with my people who have this literature,
18 and this could be certainly until tomorrow.

19 JUDGE BRENNER: I don't know how
20 important the particular number is to you, Mr.
21 Scheidt. Why don't you, if you have a particular
22 range or minimum numbers you're interested in, why
23 don't you try that? I don't think you know whether
24 you need a particular number at this point.

25 MR. SCHEIDT: Well, I assume if it's two --

waga

1 JUDGE BRENNER: Ask him a question like
2 that.

3 DR. PISCHINGER: I wouldn't have
4 mentioned the source if it had only been two. It
5 was certainly a couple of crankshafts which has been
6 used for this, but I could give you the figures.
7 It's certainly enough for engineering scientists to
8 set up such an SN curve.

9 Q. How many are required to set up a
10 reliable SN curve for any component failure, if that
11 may help you answer the question? What is a
12 statistically reliable number?

13 DR. PISCHINGER: I would hesitate to
14 answer this with a general figure because it depends
15 on the scatter of your test results.

16 Q. Can you tell me, Dr. Pischinger, if there
17 are fewer than ten crankshafts?

18 DR. PISCHINGER: I strictly say you will
19 get this figure and then you can make your own
20 judgment.

21 Q. You mentioned that this data came from
22 two sources. What are the two sources from which
23 this data was derived?

24 DR. PISCHINGER: I should prefer also to
25 give you the exact source. It's published and very

waga

1 well accepted — two different independent sources.

2 Q. Dr. Pischinger, you mentioned that the
3 data from these sources was not from field
4 experience but it is from — is it from laboratory
5 experience?

6 DR. PISCHINGER: Yes.

7 Q. Can you describe the tests that were
8 performed in the laboratory on these crankshafts?

9 DR. PISCHINGER: It was a torsional
10 excitation.

11 Q. Well, I understand the purpose of the
12 test, but can you describe how the test is performed?

13 DR. PISCHINGER: The details, not at the
14 moment. You know, if we rely on such data, we
15 review it once and then if I keep all this in my
16 mind. My computer wouldn't have it.

17 Q. Do you personally perform these
18 calculations or does someone perform them under your
19 direction?

20 DR. PISCHINGER: This was someone under
21 my direction, and I did certainly control this, I
22 controlled the major points to make sure there is
23 really no mistake in it. I can take the
24 responsibility for it.

25 JUDGE BRENNER: We'll take a break at

waga

1 this point. We'll make it 10:50 based on that clock.
2 It's my desire and hope in reviewing the cross plan
3 that the County's contention for cross-examination
4 is based on the Pischinger, Youngling piece of
5 testimony by the noon lunch break. We'll be back at
6 10:50.

7 (A recess is taken until 10:50 a.m.)

8 JUDGE BRENNER: All right. We're back on
9 the record.

10 BY MR. SCHEIDT:

11 Q. Dr. Pischinger, isn't it true you
12 performed a calculation under the Kritzer-Stahl
13 design criteria to determine the accuracy of the
14 size of the webs on the replacement crankshafts?

15 DR. PISCHINGER: No. The purpose of the
16 calculation was to back me up in reviewing the FaAA
17 crankshaft evaluation, which is given in the report.

18 Q. But you did perform a calculation of the
19 webs under the Kritzer-Stahl design criteria.
20 Isn't that true?

21 DR. PISCHINGER: As I said, the ratio of
22 the web dimensions to the crank dimensions are in
23 this criteria.

24 Q. And didn't your calculations show the
25 webs were too thin under the Kritzer-Stahl design

waga 1 criteria?

2 DR. PISCHINGER: No, this was not a
3 result of this criteria. If I may explain, I
4 remember I have been asked in my deposition how
5 would I have designed the crankshafts, and I feel
6 that the bearing is rather lowly loaded. You could
7 easily have applied thicker webs.

8 Q. Is the size of the web under the
9 Kritzer-Stahl design criteria on the boundary?

10 DR. PISCHINGER: No. The Kritzer-Stahl
11 criteria just uses the size of the web as an input
12 to the stress concentration factors, and this ratio
13 of the web dimensions to the crank diameter is well
14 within the range of which has been taken into
15 account for this Kritzer-Stahl evaluation.

16 Q. Dr. Pischinger, I refer you to Suffolk
17 County Exhibit 41, which is a copy of -- portions of
18 a copy of your deposition. On page 98 of that
19 deposition, the first full question and answer, do
20 you recall being asked the question, "Under the
21 German code, do the Shoreham diesel engines satisfy
22 the requirements of the German code?"

23 Do you recall that question, Dr.
24 Pischinger?

25 DR. PISCHINGER: Yes.

waga

1 Q. And do you recall your answer, "It's just
2 on the boundary. If you ask me that way, if I were
3 to design a crankshaft in Germany for this engine,
4 it would be a little thicker." Was that your
5 testimony at that time?

6 DR. PISCHINGER: Yes. Let me read it in
7 the whole context, please.

8 Q. Go right ahead.

9 DR. PISCHINGER: I agree. I have to
10 admit that I mixed up a little of the questions on
11 the so-called "code" when we named the criteria and
12 the question of the design of how to design -- of
13 how I would have designed the shaft. The code gives
14 no -- or the criteria gives no advice as to how the
15 dimensions of this web should be, but of course if
16 you make this web thicker within this criteria, you
17 get a little higher or lower stress concentration
18 factor. That would have been beneficial. If I
19 would have had to design this crankshaft, I would
20 have done it, but this doesn't mean that the
21 criteria dictates or gives such a limit that width
22 dimensions are not satisfactory.

23 Q. So are you saying that it is your
24 personal design practice and it has no connection
25 with any standard or criteria --

waga

1 DR. PISCHINGER: Yes.

2 Q. — of any published source?

3 DR. PISCHINGER: Well, I wouldn't say of
4 any. I do not know any published sources, there is
5 so much written in paperwork, but it doesn't relate
6 to this design criteria.

7 JUDGE BRENNER: Dr. Pischinger, just a
8 moment or two ago in your oral testimony here, you
9 said in designing the crankshaft, or words to that
10 effect, you would have done it. Could you state
11 precisely what you mean by you would have done it,
12 because you had some things in mind from the
13 deposition and from the questions and I want to make
14 sure I understand what you mean.

15 DR. PISCHINGER: I didn't quite get you.
16 Excuse me?

17 JUDGE BRENNER: If you had been designing
18 the crankshaft, what would you have done with
19 respect to the web?

20 DR. PISCHINGER: This is now your
21 question to me?

22 JUDGE BRENNER: Well, yes, but my basis
23 for the question was you stated a few moments ago if
24 it had been you doing the design, you would have
25 done it, quote, unquote, and I want to understand

waga

1 what you mean by "it."

2 DR. PISCHINGER: Yes. I would have made
3 the crankshaft webs a little thicker.

4 JUDGE BRENNER: Can you take your
5 analysis to the point where you could tell me how
6 much thicker?

7 DR. PISCHINGER: The analysis could have
8 given the benefit of it in calculation, and it is --
9 my usual design procedure is to look on the one hand
10 at the bearing dimension, the crankshaft bearing.
11 You have to keep the load within reasonable limits.
12 If you make the webs too thick, which also can be,
13 then you have to have an overloaded bearing. I did
14 not say it is too thin here, but if I would make the
15 web too thin, then this would give very high stress
16 concentration values, which cannot be accepted, so
17 it is a compromise between loading of the bearing
18 and stress concentration, and the only thing I
19 wanted to express, I would have made -- I would have
20 taken another compromise.

21 JUDGE BRENNER: Could you be more precise
22 as to where you would have drawn the compromise
23 between loading on the bearing and taking into
24 account the stresses on the web?

25 DR. PISCHINGER: Not at the moment now,

waga 1 because this needs some reconsidering of all
2 influential factors.

3 JUDGE BRENNER: Can you arrive at an
4 opinion in your own mind as to whether you would
5 have to -- not have to, but as to whether, by your
6 personal approach and desires towards design,
7 whether the thickness that you might have had in
8 mind for the web would have required changing the
9 bearing?

10 DR. PISCHINGER: Yes.

11 JUDGE BRENNER: And your answer is yes,
12 it would have required that?

13 DR. PISCHINGER: Yes, it would have
14 required that.

15 JUDGE BRENNER: Would it have been in the
16 range of about an additional inch of thickness, if
17 you know?

18 DR. PISCHINGER: Well, I usually do this
19 in connection with calculated figures, but my
20 feeling, half an inch.

21 JUDGE BRENNER: And if you would have
22 made a change of that approximate size, and I
23 certainly understand your point here that you are
24 not making a precise calculation before us, but if
25 you had done that, just to make sure I understand

waga

1 what you said earlier, that would have required a
2 different bearing?

3 DR. PISCHINGER: Yes.

4 JUDGE BRENNER: Mr. Scheidt, I'm sorry
5 for the interruption. I wanted to clarify something
6 in my own mind.

7 BY MR. SCHEIDT:

8 Q. Dr. Pischinger, you testified, didn't you,
9 that Kritzer-Stahl's design criteria gives you
10 figures for the relative overlap of the shaft and
11 the crankpin, the relative width of the web, the
12 relative thickness of the web, and the relative
13 radius or radii of the fillet. Isn't that true?

14 DR. PISCHINGER: Not in that sense you
15 are asking, because I said that the input in doing a
16 calculation with this criteria needs these figures.
17 It's not that it comes as an output. The only thing
18 is, if I recalculate a design and the stress
19 concentration factors lead to too high stresses and
20 I have to make any change, the change could be web
21 thickness; it could be radii; it could be all these
22 influential factors.

23 Q. When you say "relative," what is it
24 relative to?

25 DR. PISCHINGER: It's relative to

waga

1 crankpin diameter.

2 DR. MC CARTHY: These are usually
3 expressed in geometric ratios as dimension of the
4 parts.

5 DR. PISCHINGER: The reason is there are
6 similarity rules or similarity -- laws of similarity
7 of the elastic stress configurations so that you can
8 do calculations for different sizes with the same
9 figures.

10 Q. Are you familiar with the ABS rules that
11 relate to the sizing of the webs and the crankpins?

12 DR. PISCHINGER: I'm more familiar with
13 rules used in Europe, and they also relate to such
14 sizes, which gives you a complete design procedure.
15 You need not even think during design, you would
16 just take the figures. That has been criticized a
17 lot because it is, of course, not completely
18 according to physical laws.

19 Q. I'm sure you think while you're designing,
20 don't you?

21 DR. PISCHINGER: I would think so.

22 Q. Now, on the same page of the deposition
23 in Exhibit 41, on page 98 of the deposition -- and I
24 refer you to the same question that you discussed
25 before -- the first full question on that page,

waga

1 which states, "Under the German code, do the
2 Shoreham diesel engines satisfy the requirements of
3 the German code?"

4 And the answer is: "It's just on the
5 boundary." What do you mean by your answer, that
6 it's just on the boundary?

7 DR. PISCHINGER: It means that in doing
8 this calculation according to this criteria, the
9 stresses which are calculated in the point of high
10 stress in the fillet radius are just a little lower
11 than the calculated endurance limit, and I have to
12 add that the same rules also use calculated
13 endurance limits. You have a given material for the
14 crankshaft and you take into account a lot of
15 factors, again, to calculate the endurance limit.

16 Q. And this is based on cyclic stresses, Dr.
17 Pischinger?

18 DR. PISCHINGER: This is, of course,
19 torsional cycle stresses.

20 Q. And what was the calculated endurance
21 limit that you used in those calculations?

22 DR. PISCHINGER: It was — I have to
23 excuse myself because I have all this in German
24 dimensions, but I will give it to you. Calculated
25 endurance limit for the 12-by-13 inch crankshaft,

waga

1 according to this method, is 175 Newtons per square
2 millimeter.

3 Q. Can you convert that to —

4 DR. MC CARTHY: 25,375 psi.

5 DR. PISCHINGER: I think I left my
6 calculator over there. Maybe anybody could get it
7 for me.

8 DR. PISCHINGER: And the .11-by-13 inch
9 crankshaft, .11-by-13 inch is 165 Newtons per square
10 millimeter, and there are a lot of factors which are
11 taken into account to calculate this limit. You
12 start with the ultimate strengths, the ultimate
13 tensile strengths, and you, again, use a lot of
14 factors which compute the size of the component,
15 because the ultimate tensile strengths are tested on
16 a ten millimeter —

17 Q. Test sample?

18 A. Test sample.

19 Q. Specimen?

20 DR. PISCHINGER: Yes, and then you have
21 the grain flow, influence of forging the degree of —
22 forging the surface roughness and the surface
23 treatment. All those circumstances are taken into
24 account by factors. I did not take into account
25 shot peening. I should have taken that into account,

waga

1 at least in connection with surface roughness,
2 because the surface -- shot peening surface was
3 smoother than the machine one. I couldn't feel it
4 on the crankshaft, but to be conservative, I did not
5 take into account this shot peening influence.

6 Q. Are there any factors, significant
7 factors that are not considered by this calculation?

8 DR. PISCHINGER: No. To my best
9 knowledge, all significant factors for the material
10 were regarded.

11 Q. Dr. Pischinger, you testified that the
12 result of this calculation was that the crankshafts
13 were on the boundary of the code. Was that for full
14 load?

15 DR. PISCHINGER: For full load.

16 Q. And that's 3500 kw?

17 DR. PISCHINGER: That's 3500 kw in the
18 generator.

19 Q. And did you perform calculations for 3900
20 kw using these?

21 DR. PISCHINGER: Yes.

22 Q. And what were the results of those
23 calculations?

24 DR. PISCHINGER: The result was that the
25 strengths -- the stresses would be higher than the

waga

1 calculated endurance limit, and we tried, again, to
2 calculate the number of hours out of the SN curve
3 for overload, 3900 kilowatt, and the figure which
4 you arrive at is 1200 hours of lifetime. This is a
5 very conservative criterion, as can be shown, for
6 instance, in this case. It's very dramatic. It can
7 be shown by three broken crankshafts or cracked
8 crankshafts, which it took double the time that was
9 predicted by this method.

10 Q. Is using a conservative method the
11 appropriate way to calculate the stresses?

12 DR. PISCHINGER: If you have no measured
13 value and no experience, when you say crankshaft of
14 a similar design, I think such a conservative method
15 is important for and necessary for the design.

16 Q. Dr. Pischinger, you testified that the
17 calculated endurance limit for the replacement
18 crankshafts was 175 Newtons per square millimeter.
19 How close was that to the limits of the criteria?
20 What were the Newtons per square millimeter, the
21 number for the limit of the Kritzer-Stahl
22 crankshaft criteria?

23 JUDGE BRENNER: At full load?

24 MR. SCHEIDT: At full load.

25 DR. PISCHINGER: At full load, yes. 172.

waga 1 Q. So it's just surpassed —

2 DR. PISCHINGER: It's near 2 percent.

3 DR. MC CARTHY: There may be some
4 confusion here on the record. The calculation for
5 the crankshaft was 172 and the Kritzer-Stahl was
6 175. Is that correct?

7 DR. PISCHINGER: Yes, the calculation was
8 172.

9 DR. MC CARTHY: For the crankshaft?

10 DR. PISCHINGER: For the crankshaft, the
11 stresses.

12 DR. MC CARTHY: And the Kritzer-Stahl
13 175 —

14 DR. PISCHINGER: No, no. This procedure
15 depends on no measured value, and so you calculate
16 an endurance limit, which is, in this case, 175, and
17 you calculate a maximum stress, which is 172, in
18 this case, just below the endurance limit. Of
19 course I have often been asked where the main
20 conservatism in this criterion is, but I do not know
21 if you want to ask that.

22 Q. Not at this time, Dr. Pischinger. Thank
23 you.

24 DR. PISCHINGER: I could explain.

25 JUDGE BRENNER: I'm sure with that hint

waga

1 in the record, somebody will ask you sooner rather
2 than later.

3 Q. Dr. Pischinger, have you performed
4 calculations under any of the rules of any ship
5 classification society to determine whether these
6 replacement crankshafts satisfy those requirements?

7 DR. PISCHINGER: We did no calculations
8 referring to ship classification codes.

9 Q. Have you performed any calculations under
10 the proposed rules of CIMAC, C-I-M-A-C, for safety
11 factors?

12 MR. STROUPE: Judge Brenner, I've been
13 pretty lenient in objections, but at this point I
14 have to object. I don't think these questions are
15 within the contentions as admitted by the Board. We
16 are now getting into an area where we're talking
17 about not only contentions that are not admitted,
18 we're talking about things that are not in Dr.
19 Pischinger's testimony.

20 JUDGE BRENNER: You better be very
21 persuasive, Mr. Scheidt, or we'll sustain the
22 objection. What is your last material —

23 MR. SCHEIDT: The County has performed
24 classifications under the various classification
25 society rules to test this witness correctly to

waga

1 determine whether those calculations were correct
2 and accurate and -- excuse me a minute, Judge.

3 JUDGE BRENNER: Why don't you tell me
4 what CIMAC is?

5 MR. SCHEIDT: CIMAC is a group of
6 international engineers who have put together a
7 proposed -- or put together draft rules, some of
8 which relate to a safety factor calculation. A
9 CIMAC proposal is part of the county's contention,
10 because it is incorporated within the IACS umbrella
11 of the contention.

12 JUDGE BRENNER: That's what I thought on
13 afterthought. That's why I asked you that question.
14 That was my misunderstanding when I first heard
15 CIMAC. I did not realize that, in fact, it was one
16 of the proposals under the International Association
17 of Classification Societies, and unless you disagree
18 with that, Mr. Stroupe, we'll overrule the objection.

19 MR. STROUPE: I don't disagree that it is
20 one of the proposals. I think my problem with the
21 question is that it's cross-examining Dr. Pisch on
22 on an area where he presented no testimony, and
23 don't understand Mr. Scheidt's response that that
24 could relate to his credibility when, in fact, it
25 has no relevance to the German calculations that he

waga 1 did.

2 JUDGE BRENNER: Well, your point has some
3 validity, Mr. Stroupe, but frankly we're interested
4 in seeing if we can get some light shed on this, and
5 Dr. Pischinger's presence might help. It might be
6 he doesn't know. We'll get the answer and then move
7 on.

8 BY MR. SCHEIDT:

9 Q. Have you performed any calculations under
10 the CIMAC proposal, proposed rules relating to
11 safety factors?

12 DR. PISCHINGER: In this case for the
13 Shoreham diesel engines, I was aware of the fact
14 that no rules of shipbuilding or other international
15 associations are required. I wasn't asked and
16 didn't do any calculations according to these rules.
17 The question which was put to me in this connection
18 was will the crankshaft, 12-by-13 inch, the
19 replacement crankshaft be suited for the intended
20 service at Shoreham. I didn't feel that it was
21 necessary to do CIMAC calculations.

22 Q. So you didn't do CIMAC calculations?

23 DR. PISCHINGER: No.

24 Q. Did you do any calculations to show
25 whether or not the replacement crankshafts complied

waga 1 with the DEMA limits for torsional stresses?

2 DR. PISCHINGER: No, I did not explicitly
3 calculate it for this 3500 kilowatt, 100 percent
4 load. The DEMA levels, as has been mentioned
5 yesterday, it also is not completely clear if there
6 should be used all orders, 24 orders for this
7 calculation, or only as I know most companies do
8 when comparing on the selected number of orders,
9 which makes a difference. I never calculate the
10 selected number of orders.

11 JUDGE BRENNER: What was your last
12 statement, Dr. Pischinger? You never calculate
13 using a selected number of orders?

14 DR. PISCHINGER: Yes.

15 JUDGE BRENNER: You use all the orders?

16 DR. PISCHINGER: All 24 orders for the
17 Kritzer-Stahl calculations.

18 JUDGE BRENNER: Thank you.

19 Q. Your testimony is that you did perform
20 the calculations for all 24 orders, Dr. Pischinger?

21 DR. PISCHINGER: Yes. You have to if you
22 want to apply for the Stahl; you have to.

23 Q. I'm talking about DEMA, for compliance
24 with DEMA. Did you sum the orders for all 24 orders
25 to show whether or not the crankshafts complied with

waga

1 the DEMA limits?

2 MR. STROUPE: I'm going to object. I
3 believe he just testified he did not do any DEMA
4 calculations.

5 JUDGE BRENNER: Sustained.

6 MR. SCHEIDT: My understanding of his
7 testimony, Judge Brenner, was that he did not
8 explicitly calculate the figure for 3500 kw, 100
9 percent level. That's my understanding of his
10 testimony.

11 JUDGE BRENNER: Correct. Now what are
12 you asking?

13 MR. SCHEIDT: Did he calculate it at any
14 load.

15 JUDGE BRENNER: All right. I'll allow
16 that question. You better rephrase the question for
17 Dr. Pischinger.

18 BY MR. SCHEIDT:

19 Q. Did you perform any calculations
20 explicitly or implicitly to show whether or not the
21 replacement crankshafts complied with the DEMA
22 limits at any level or load?

23 MR. STROUPE: Judge Brenner, I would make
24 my objection again that there is no testimony in the
25 record —

waga

1 JUDGE BRENNER: It's overruled. I
2 misunderstood the question and the dialogue, Mr.
3 Stroupe, that I just went through -- I'm sorry, that
4 Mr. Scheidt just went through.

5 MR. STROUPE: My objection was not to
6 that.

7 JUDGE BRENNER: It's overruled. It's an
8 allowable question.

9 MR. STROUPE: Can I state my objection to
10 the record?

11 JUDGE BRENNER: You don't have to. You
12 can state it to the Appeal Board and they'll listen
13 to you. I should explain, in case you didn't
14 understand, your objection is preserved without
15 necessity to explain.

16 MR. STROUPE: Thank you.

17 DR. PISCHINGER: Could you repeat the
18 question?

19 BY MR. SCHEIDT:

20 Q. Did you explicitly or implicitly perform
21 any calculations to show whether or not the
22 replacement crankshafts complied with the DEMA
23 limits at any load?

24 DR. PISCHINGER: We did calculate the
25 nominal stresses according to all 24 orders, modal

waga

1 superposition, for several loads and revolutions,
2 but I have to say preliminary calculations, because
3 this was not the main task, and what we got were
4 values for the sum of all orders for different
5 situations of this engine.

6 Q. Excuse me —

7 MR. STROUPE: Let him finish his answer,
8 Mr. Scheidt.

9 MR. SCHEIDT. I'll be glad to let him
10 finish the answer.

11 DR. PISCHINGER: I am personally not in a
12 position to make this comparison with the DEMA rules,
13 because of the uncertainty, how many orders you
14 really should take. In this case, I think you have
15 to rely on the American in-company experience, those
16 people who built the rules, and since I have no
17 concerns to the in-company experience, I could not
18 do this calculation according to their intention of
19 these rules.

20 Q. Dr. Pischinger, can you tell me what the
21 results of your calculations are for all 24 orders
22 for each load that you performed that calculation at
23 under DEMA?

24 MR. STROUPE: I just make the same
25 objection. He's indicated he does not feel

waga

1 competent to perform DEMA calculations for the
2 reasons he stated on the record, and I would make
3 the objection on that basis.

4 JUDGE BRENNER: We understand his caveat,
5 and I don't think I'd agree with your description of
6 it, precisely, but it's on the record and we can
7 apply our judgment to the result he gives, keeping
8 that in mind.

9 DR. PISCHINGER: I should mention that I
10 usually do a three-fold check on my calculations.
11 In this case I only could give figures which I
12 hadn't personally had the opportunity to recheck, so --
13 I personally would prefer not to give these figures
14 now.

15 JUDGE BRENNER: Is that something you
16 could recheck by tomorrow? I don't know what's
17 involved. I don't mean to ask you to do something
18 unreasonable. Just tell me.

19 DR. PISCHINGER: I would feel a lot
20 better. It's not my habit to give a one-run
21 calculation --

22 JUDGE BRENNER: I just don't understand
23 what's involved. Is it something you could check
24 overnight and give us the check result tomorrow?

25 DR. PISCHINGER: I will try to do this.

waga

1 JUDGE BRENNER: If it's an unreasonable
2 burden, tell me. I have no idea —

3 DR. PISCHINGER: I will help Mr. Scheidt
4 in this matter.

5 JUDGE BRENNER: Why don't you give us the
6 results you have now with the caveat and we'll give
7 you an opportunity tomorrow to tell us if your
8 further check leads to a change and, if so, why, and
9 that way the County will have an answer to its
10 question and, by the same token, will have what I
11 consider to be a very reasonable request on your
12 part for the opportunity for a better check.

13 DR. PISCHINGER: Excuse me. I have to go
14 through my paperwork.

15 JUDGE BRENNER: While he does that, let
16 me emphasize, Mr. Stroupe. I don't know what's
17 involved. If you come back tomorrow and tell us it
18 just wasn't feasible to check it in that time frame,
19 we'll accept that and make some other arrangements.

20 MR. STROUPE: It's fine, Judge, but I
21 don't know what's involved, either. We'll have to
22 see from Dr. Pischinger.

23 DR. PISCHINGER: Well, I'll give you
24 these preliminary figures. For 3500 kilowatt and
25 450 rpm, it's 47.5 Newtons per square millimeter;

waga 1 with 5 percent lower rpm, the same load, it is 43
2 Newtons per square millimeter; and with 5 percent
3 overspeed, it is 51.5 Newtons per square millimeter.

4 Q. Can you convert those Newtons per
5 millimeter square inch to psi?

6 DR. PISCHINGER: I have my calculator —

7 JUDGE BRENNER: Maybe we can get a very
8 straightforward formula.

9 DR. JOHNSTON: I think I have the numbers.

10 JUDGE BRENNER: Give us the formula, also.

11 DR. PISCHINGER: Divide by 6.895, then
12 you get ksi.

13 DR. JOHNSTON: I think you need to divide
14 695.

15 DR. PISCHINGER: Divide —

16 DR. JOHNSTON: To convert to ksi.

17 JUDGE BRENNER: And you have the result,
18 Dr. Johnston?

19 DR. JOHNSTON: Yes, 95 percent speed,
20 6.24 ksi; 100 percent speed, 6.89 ksi; and 105
21 percent speed, 7.47 ksi.

22 Q. I'm sorry, can you repeat those figures,
23 please?

24 DR. JOHNSTON: In the same order, 6.24,
25 6.89, 7.47.

waga

1 Q. And 6.89 relates to which calculation?

2 DR. JOHNSTON: 6.89 would be 100 percent
3 load at 100 percent speed.

4 Q. And the DEMA limit is 7 ksi?

5 DR. JOHNSTON: The limit for DEMA which,
6 of course, applies to a summation of major orders,
7 is 7,000 psi, which is 7 ksi.

8 MR. SCHEIDT: Thank you.

9 DR. PISCHINGER: This is the modal
10 superposition, if you wanted to ask this.

11 BY MR. SCHEIDT:

12 Q. Dr. Pischinger, are these the sums of all
13 the 24 orders and 3500 kw?

14 DR. PISCHINGER: Yes. I, again, am aware
15 of the fact that with the DEMA, the major orders
16 should be regarded, and if you, for instance, take
17 six of the major orders, usually, depending on the
18 case, you can be about 10 to 15 percent lower in the
19 calculated values, but I did not do this calculation.

20 Q. Dr. Pischinger, by what method did you
21 sum the orders for these calculations that you just
22 told us?

23 DR. PISCHINGER: It is a method described
24 by Maas & Klier, again, published in the very recent
25 textbook Engine Design and Calculation.

waga

1 Q. And what is that method? Is it a method
2 that is similar to that used by any of the other
3 consultants in this case for the sum of the orders?

4 DR. PISCHINGER: Yes. I'm quite sure
5 that everybody has a method that has vectorial
6 superposition modal superposition.

7 JUDGE BRENNER: Mr. Scheidt, with your
8 cross plan, looking at page 69, it goes up to the
9 top of page 70 on the subject of Dr. Pischinger's
10 testimony.

11 MR. SCHEIDT: I'm sorry?

12 JUDGE BRENNER: Your cross plan on the
13 subject of Dr. Pischinger's testimony starts on page
14 69 and actually extends to the top of page 70. Can
15 you tell me what points on that cross plan you
16 believe you still have to cover?

17 MR. SCHEIDT: Parts of Points 2 and 3,
18 Judge Brenner, remain to be discussed, aspects of
19 which we got into earlier this morning, Judge
20 Brenner.

21 JUDGE BRENNER: You believe you've
22 covered the other points?

23 MR. SCHEIDT: To the extent that I wish
24 to cover those points, yes, Judge Brenner.

25 JUDGE BRENNER: How much more do you have

waga

1 on the remaining parts of Points 2 and 3?

2 Personally I didn't think you asked some of point 4
3 as directly as you might.

4 MR. SCHEIDT: You are absolutely correct,
5 Judge Brenner.

6 JUDGE BRENNER: But you do not intend to?

7 MR. SCHEIDT: I do not intend to ask
8 anything about that, except to the extent that it
9 also relates to the points in Points 2 and 3. They
10 are all inter-related.

11 JUDGE BRENNER: When are you going to
12 finish everything you have?

13 MR. STROUPE: I might add, this is an
14 intriguing discussion.

15 JUDGE BRENNER: Every time I'm interested
16 in a cross-examiner to get to a point, he decides
17 he's not going to cover it. Do you think you'll
18 finish in the next 15 minutes?

19 MR. SCHEIDT: If we can get Dr.
20 Pischinger to tell us what his calculations were in
21 other loads and get those values rather quickly, I
22 think I could. It may be a little bit longer than
23 15 minutes.

24 JUDGE BRENNER: Let's try to come close
25 to that. I'm not trying to criticize the means of

waga

1 the value of the information we're getting. I think
2 it could be done slightly more efficiently and-I was
3 getting concerned if you had your eye on the cross
4 plan, and I was rooting for you to lead up to some
5 of the points in Point 4, as you now know. Maybe I
6 can take care of that myself.

7 BY MR. SCHEIDT:

8 Q. Dr. Pischinger, can you tell us the
9 results of your calculations of other loads under
10 the DEMA limits?

11 DR. PISCHINGER: Again, with the same
12 reservation, that I couldn't check or double-check
13 this information.

14 Q. With that reservation, Dr. Pischinger, is
15 there really a need for you to consult with another
16 witness?

17 JUDGE BRENNER: I'm worried about the
18 time here, gentlemen. Unless you can convince me
19 differently, this seems to be the kind of thing Dr.
20 Pischinger can do.

21 DR. PISCHINGER: Yes. Maybe the
22 consulting was not necessary. Maybe you can repeat
23 the question again.

24 Q. Can you tell me what your results are for
25 every load that you calculated your figures for,

waga 1 including overload?

2 DR. PISCHINGER: If I may add, not
3 referring to DEMA.

4 Q. That's the context in which we are
5 questioning you at this time.

6 DR. PISCHINGER: Yes, you may put it into
7 context, but I only can give you figures for 24
8 orders —

9 Q. That's exactly what I want you to give me
10 the results on, Dr. Pischinger.

11 DR. PISCHINGER: The 3300 nominal speed,
12 44.7; 3300, 5 percent reduced speed, 40.5; and 3300,
13 5 percent overspeed, 48.5.

14 JUDGE BRENNER: Dr. Pischinger, what's
15 the rpm of the crankshaft at the nominal 3300?

16 DR. PISCHINGER: 450 rpm, and the
17 overspeed is 472.5.

18 JUDGE BRENNER: All right. That answered
19 the question. More directly asked, you're assuming
20 the same rpm for the nominal loads?

21 DR. PISCHINGER: Yes, same rpm's, and for
22 3200 kilowatts, nominal speed, 450 rpm speed, the
23 nominal stress is 43.4 with 5 percent reduced rpm,
24 39.3, and with 5 percent increased rpm, 47.0.

25 Q. Did you perform these calculations at any

waga

1 other loads than 3200, 3300, 3500?

2 DR. PISCHINGER: No, I have no other
3 figures.

4 Q. Now, did you perform these calculations
5 only using the vectorial summation method to sum the
6 24 orders?

7 DR. PISCHINGER: Yes.

8 Q. And your summation method is not a square
9 root of the sum of the squares method of summation,
10 is it, Dr. Pischinger?

11 DR. PISCHINGER: No, it's as it should be,
12 the most accurate position in a modal way.

13 Q. Is that what is referred to as a true sum
14 (phonetic)?

15 DR. PISCHINGER: Well, you take into
16 account for each of the harmonics the amplitude and
17 the phase, and by taking into account amplitude and
18 phase relationship, you can get —

19 JUDGE BRENNER: Phase, you mean p-h-a-s-e?

20 DR. PISCHINGER: Phase means angle, angle.

21 Q. Dr. Pischinger, performing these
22 calculations, did you use TN values?

23 DR. PISCHINGER: Yes.

24 Q. And where did you derive your TN values?

25 DR. PISCHINGER: We derived our TN values

waga

1 from the measurements, which has been made in
2 Shoreham, and the measurements have already been
3 mentioned with the AVL quartz transducer.

4 Q. And did you use the same TN values that
5 FaAA used in the modal superposition of its analysis?

6 DR. PISCHINGER: No, we do not have the
7 same program, but the background certainly is the
8 same.

9 Q. I'm sorry, I didn't ask you whether you
10 used the same program. I asked you whether you used
11 the same TN values that FaAA used in its program.

12 DR. PISCHINGER: Yes. In fact, we made
13 our own evaluation. They are nearly the same. If
14 you have — we start with the values for the
15 cylinder pressure versus crank, and we have our own
16 program to evaluate TN values and we have a second
17 check for this, because there is a very well
18 established method of calculating TN values out of
19 boost pressure, compression ratio, peak pressure,
20 and mean indicated pressure. You have these values.

21 There is a lot of experience for engines
22 of this size that you can predict TN values, and we
23 used both methods and we found that there was very
24 close agreement with the predicted values and the
25 values derived from the pressure transducer, which

waga 1 comforted us in being quite sure that we are using
2 reasonable values, and finally we used the values as
3 derived from measurements, but the significance of
4 using the predictional methods is nearly -- the
5 difference, I wanted to say, to using the predictive
6 method is very small.

7 Q. Dr. Pischinger, what is the percentage
8 disagreement between your TN values and the ones
9 used by FaAA?

10 DR. PISCHINGER: I cannot tell you now.
11 I can give you no figures. If you are interested in
12 this --

13 Q. I am interested, Dr. Pischinger, and you
14 did testify that they were in good agreement.

15 DR. PISCHINGER: Yes.

16 Q. Dr. Johnston, do you know the percentage
17 disagreement between FaAA's TN values and the ones
18 used by Dr. Pischinger?

19 DR. JOHNSTON: No, I do not. I have not
20 reviewed his TN values.

21 Q. Have you reviewed his calculations at all?

22 DR. JOHNSTON: I have looked at the
23 results of the calculations. I have not reviewed
24 the calculations.

25 Q. Dr. Pischinger --

waga

1 DR. PISCHINGER: There is no large
2 deviation, but to give you figures, please give us
3 time until the afternoon, and then we can tell you.

4 Q. Now, Dr. Pischinger, is it your testimony
5 that the reason why your TN values differ from those
6 used by FaAA is because of the differences in the
7 computer program that you have compared with FaAA's?

8 DR. PISCHINGER: I didn't even state that
9 they differ — that they are different in a
10 reasonable engineering limit, but it is — if we
11 compared, again, we could give you something
12 reasonable, but it is usually if such calculations
13 are done from a pressure curve, there could be
14 minimal differences.

15 Q. Dr. Pischinger, are your inputs the same
16 as those used by FaAA?

17 DR. PISCHINGER: The same source, yes.

18 Q. So then it's your computer program that
19 is the cause of the disagreement, whatever that
20 percent might be, between your values and FaAA's.
21 Isn't that true?

22 DR. PISCHINGER: I do not like to answer
23 on differences which we have not now established.
24 The only thing I could say is that there was no
25 significant difference.

waga

1 Q. And I'm asking you, what is the reason
2 for the difference, if you know?

3 DR. JOHNSTON: I think I may be able to
4 shed some light on this. The pressure data that was
5 taken, that Dr. Pischinger and I and FaAA have used,
6 both came from the test conducted by FaAA in
7 conjunction with Stone & Webster in January of 1984.
8 The specific pressure versus time diagram that was
9 used by FaAA was an average over a certain number of
10 cycles. That particular average may not be the
11 exact same average that was used by Dr. Pischinger,
12 but basically the procedure for obtaining the data
13 is the same. He uses the program to reduce the
14 pressure data to Tn values as do we. The results
15 of the calculation are likely to be different by
16 maybe a very few percent, but certainly we would
17 expect very small differences from this.

18 Q. Thank you, Dr. Johnston.

19 Now, Dr. Pischinger, did you also use a
20 value for the free end amplitude in your
21 calculations?

22 DR. PISCHINGER: The free end amplitude
23 is a result of such a calculation.

24 Q. So you calculated a figure for the free
25 end amplitude in your calculations?

waga

1 DR. PISCHINGER: Yes.

2 Q. And how did you obtain a Newton per²
3 millimeter squared value? What factor did you use
4 to convert the free end amplitude degrees to the psi
5 or Newton measurement?

6 DR. PISCHINGER: We didn't use free end
7 amplitude for conversion at all, but the TN values
8 calculation, which gives you the nominal stresses or
9 the torque for the cylinders.

10 Q. And how did your calculation of the free
11 end amplitude compare with that calculated by FaAA?

12 DR. PISCHINGER: If I remember the
13 agreement, maybe each of us should —

14 Q. If you can provide me with those values,
15 that would be very helpful.

16 DR. PISCHINGER: Yes, I have them with me.

17 Q. Do you have them with you now? Is that
18 what you just said?

19 DR. PISCHINGER: Let me make sure it is
20 the same thing, not in figure but in amplitudes.
21 Though I can make it easier, I can't give you both
22 values as is shown in Exhibit 17, page 3-14, Exhibit
23 17.

24 Q. That's LILCO Exhibit C-17?

25 DR. PISCHINGER: Yes, LILCO Exhibit C-17.

waga

1 page 3-14. There is an FaAA value which is .662, 100
2 percent load, and our calculation for 100 percent
3 load is .665.

4 Q. And the reason for the difference between
5 your calculated value of free end amplitude and FaAA's
6 is the difference between your TN values. Isn't
7 that true?

8 DR. JOHNSTON: I would like to point out
9 the difference is less than half of 1 percent, and I
10 think that that kind of difference is a difference
11 that could be due to a number of factors, including
12 numerical accuracy of the solution technique.

13 MR. SCHEIDT: I'd like to know what Dr.
14 Pischinger's opinion is for the reason of the
15 difference.

16 DR. PISCHINGER: Well, as you compare
17 results of both of us, I think each of us should
18 have a vote on this. I will give mine. Usually you
19 do not argue on three thousandths --

20 JUDGE BRENNER: Dr. Pischinger is trying
21 to say what I was about to say. Who cares? You
22 could state it more relevantly.

23 MR. SCHEIDT: The point is they may have
24 come to the same figures but they may have also used
25 the same inputs.

waga

1 JUDGE BRENNER: You've asked a lot of
2 questions and we understand a lot of what was said
3 might be different, and I certainly agreed, until we
4 got the results on the record, different subsidiary
5 questions that you asked might be more or less
6 important, and now that we've had the result, I
7 suggest some of them become less important with the
8 background you've established, certainly, but you've
9 gone through it now.

10 MR. SCHEIDT: Judge Brenner, the results
11 depend upon the values that use inputs, and I
12 thought it was important to get those values on the
13 record.

14 JUDGE BRENNER: That wasn't the last
15 question you asked him. You asked him how do you
16 explain the differences, and they told you leading
17 up to it what might be different, and as to the
18 precise reason for this very slight difference, you
19 know, you have their general opinion, but it doesn't
20 matter.

21 MR. SCHEIDT: Fine, Judge Brenner.

22 JUDGE BRENNER: If they told you about
23 the different approaches that they might have taken
24 for the input from the vibrational test data, but
25 you already have that.

waga 1 MR. SCHEIDT: I have one more question
2 and then we can break.

3 BY MR. SCHEIDT:

4 Q. Dr. Pischinger, when did you perform
5 these calculations?

6 MR. STROUPE: All the calculations?

7 Q. The calculations that he just testified
8 to at 3500 kw, 3200 kw, and 3300 kw.

9 DR. PISCHINGER: This is difficult to
10 give you a single date for this because this
11 procedure of calculation starting with 100 percent
12 load and 450 rpm dates back certainly, maybe, April
13 or May, but I'm not completely sure, and by the time
14 you go on with your calculations, I cannot give you
15 a figure exactly when which figure came out of the
16 computer or when we recalculated it or revised it.
17 The only thing I can tell you, these calculations
18 have been intended by me as for me comforting side
19 calculations.

20 I want to stress, in revising the result
21 gained on a different figures, you always feel
22 better if you have your own side calculations. This
23 procedure took a certain time. In any case, the
24 figure with different loads and rather recent figures.

25 Q. When did you sum all 24 orders for your

waga 1 calculation at 3200 kw?

2 DR. PISCHINGER: At what?

3 Q. 3200 kw. When did you sum all 24 orders
4 and get the figures that you reported to us this
5 morning?

6 DR. PISCHINGER: I do not even know at
7 the moment because this is done by those people
8 responsible for this handling this program, and I
9 asked him to calculate a lot of different points.

10 Q. When did you ask him to perform those
11 calculations?

12 MR. STROUPE: I think at this point I'll
13 lodge an objection. I don't understand the
14 importance of when these calculations were performed.

15 JUDGE BRENNER: I sustain your objection,
16 Mr. Scheidt, what is the materiality of it?

17 MR. SCHEIDT: I think it's important to
18 know whether the witness had these figures since
19 April and has not disclosed them in any of the
20 reports or in any of the documents produced to the
21 County pursuant to discovery. I think it's
22 significant, at least in terms of credibility, if he
23 has had these calculations, which may conflict with
24 those of FaAA or TDI or Stone & Webster, and those
25 values have not been brought to light in terms of

waga

1 the analysis that has been reported.

2 JUDGE BRENNER: Well, he told you that he
3 thinks he had some in the April or May time frame,
4 and if you want to make that kind of argument in the
5 particular context in your findings, you can do it
6 with what we have on the record. I'm not going to
7 sit here and listen to further detail. Now that we
8 understand what kind of argument you want to make, I
9 think you could make it. Whether or not it's
10 important to make, you can have time to reflect on
11 that between now and your findings and then we can
12 reflect on the importance of it, too, when you raise
13 it in a particular context, at which time we have
14 all had time to put as many figures done by
15 different people together for a comparative basis.
16 Let us not forget also Dr. Pischinger is going to
17 have the opportunity to run the check he wants to
18 run and we'll get further word on that, also.

19 Have you completed your questioning of
20 Dr. Pischinger?

21 MR. SCHEIDI: We can break now.

22 JUDGE BRENNER: That doesn't answer my
23 question.

24 MR. SCHEIDI: No.

25 JUDGE BRENNER: This is going on too long.

waga

1 I'm not going to sit here while we go through
2 another whole week on just cross-examination on one
3 panel of witnesses. I don't want to jump in and
4 criticize question by question and, in general, I
5 have not. The cumulative result is taking too long.
6 Again, not because we're not getting valuable
7 information, but we're not getting it at an
8 efficient pace. Too many details are being asked
9 about that are not necessary to lead up to the
10 question that could have been asked as the first
11 question. How much more do you have?

12 MR. SCHEIDT: I think I may be able to do
13 it in one question.

14 JUDGE BRENNER: Ask it now.

15 BY MR. SCHEIDT:

16 Q. Dr. Pischinger, were the values that you
17 used for TN and free end amplitude for your
18 summation of the 24 orders the same as those you
19 used in your calculations of the fatigue endurance
20 limit that is referred to in your testimony?

21 DR. PISCHINGER: The calculations of the
22 fatigue endurance limit were -- the calculations, if
23 I understand it right, do not need any calculation
24 of any vibrations. The fatigue endurance limit is a
25 material property, and this material property is

waga 1 calculated according to the specified quality of the
2 material and, as I already explained a short time
3 ago, from size, shape, roughness, forging, and so on.

4 Q. I take that to mean that you did not use
5 the free end amplitude and you did not use the TN
6 values in your fatigue endurance calculations.

7 Isn't that true, Dr. Pischinger?

8 DR. PISCHINGER: If I am familiar with
9 the use of this word in your language, to calculate
10 the material property of a material in a certain
11 context, you need not have any of this input.

12 Q. Perhaps I can clarify it --

13 DR. PISCHINGER: Maybe there's a
14 misunderstanding.

15 Q. Maybe I used the wrong term. How about
16 if I refer to it as your safety factor calculations?

17 DR. PISCHINGER: That sounds better.

18 Q. Thank you.

19 DR. PISCHINGER: Yes. For the safety
20 factor calculations, the calculation, let's say, of
21 the stresses, I used the same TN values.

22 Q. And you used the same free end amplitude
23 values?

24 DR. PISCHINGER: Yes.

25 Q. They're both the same --

waga

1 DR. PISCHINGER: Yes, the free end
2 amplitude values are just a figure you get as an
3 output.

4 MR. SCHEIDT: Thank you, Dr. Pischinger.
5 That's the end of my questioning on his testimony,
6 Judge Brenner.

7 JUDGE BRENNER: Mr. Scheidt, after lunch
8 you will be returning to the earlier portion of your
9 cross plan, and right now I cannot remember where
10 you left off. Can you help me?

11 MR. SCHEIDT: Page 65, Judge Brenner,
12 Point D-3.

13 JUDGE BRENNER: And the portion of the
14 cross plan dealing with crankshafts started on page
15 64, so yesterday you went from — you essentially
16 did 64 and 65?

17 MR. SCHEIDT: Twenty-four pages of
18 testimony, Judge Brenner, yes.

19 JUDGE BRENNER: I hope you're assuming
20 you will complete your cross-examination of this
21 panel today. Whether you are or not up until this
22 point, you should assume in your preparation during
23 the lunch break that that may be all the time you
24 have, so prioritize what you want to ask. If you
25 have not completed by the end of the day, we'll make

waga

1 a judgment, but the judgment may be that's all the
2 time you're going to get for this panel on
3 cross-examination. We'll have a better basis by the
4 end of the day to make that decision.

5 Let's break until 1:45.

6 (Whereupon, at 12:25, the hearing was
7 adjourned, to reconvene at 1:45 p.m.,
8 this same day.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

waga

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AFTERNOON SESSION

JUDGE BRENNER: Good afternoon. We're back on the record. The County may continue its cross-examination. There are a couple of preliminary matters.

MR. STROUPE: Judge, I have been informed by Dr. McCarthy that he will have to leave tomorrow at around twelve o'clock. He has to appear in Detroit as a witness early Thursday morning. I apologize for that but it's an obligation he could not get out of. It's been existing for some time.

JUDGE BRENNER: If that's the case, it would have been better for all of us to have heard about it earlier than right now.

MR. STROUPE: The reason is we thought we were going to be able to delay it past Thursday. Basically, as it turned out, the scheduling did not work out that way. We thought we would be able to have him here the entire week.

The second matter is I believe, Mr. Scheidt, Dr. Pischinger was now able to obtain during lunch the data on the number of crankshafts that you asked him to look into.

JUDGE BRENNER: Before we jump to that, I want to come back to the subject of scheduling at

waga

1 the end of the day today. The parties were supposed
2 to work things out and we have heard no report. We
3 certainly expected to hear it by now, and I have
4 some questions as to what's been worked out and what
5 subjects will be taken up after we finish
6 crankshafts, and we can have some questions as to
7 the remaining order within crankshafts.

8 My question is: Are we going to go to
9 the LILCO testimony on the heads or on the blocks
10 after crankshafts, and some of that may involve Dr.
11 Pischinger's schedule, which may cause a reason to
12 change what we had originally set as the schedule.
13 I would certainly be pleased if the schedule could
14 be worked out so Dr. Pischinger could be here for
15 some of his testimony on cylinder heads, if I
16 remember correctly.

17 I assume the parties have talked about
18 all this by now. If not, you better do it over the
19 next break. I had directed the staff last week to
20 discuss the matter with the other parties, and we'll
21 take it all up near the end of the day today.
22 As to Dr. McCarthy, we have no objection, subject to
23 the fact that if something comes up and he's not
24 here to answer a question, that will be the state of
25 the record.

waga 1 MR. STROUPE: We understand, Judge
2 Brenner.

3 JUDGE BRENNER: Did you want to get that
4 information from Dr. Pischinger before moving on to
5 your next subject?

6 BY MR. SCHEIDT:

7 Q. Dr. Pischinger, how many crankshafts were
8 encompassed within the SN curve that you described
9 this morning?

10 DR. PISCHINGER: Eight measurements, the
11 scatter not being very significant, so I think this
12 shows — well, the reliability of this SN curve, I
13 just only want to point out that this SN curve is
14 used for relating the endurance limit to the
15 stresses versus failure, and it is, of course, not
16 the absolute value of this curve used, just to make
17 clear what use has been made of this SN curve.

18 Q. Dr. Pischinger, were there eight
19 crankshafts or eight measurements from a fewer
20 number of crankshafts?

21 DR. PISCHINGER: No. There was
22 intentionally on a twisting test bench one
23 crankshaft with eight cranks used, and this is
24 intentionally done that way so you always have the
25 same materials and properties. That's the best way

waga 1 you can do it.

2 Q. So only one crankshaft was actually
3 measured in eight different locations. Is that true?

4 DR. PISCHINGER: Broken one crank after
5 the other, eight cranks. It's equivalent to eight
6 crankshafts, but if you would have taken eight
7 different crankshafts, you would, in addition, have
8 had some large scatter of material.

9 Q. How wide was the scatter, Dr. Pischinger?

10 DR. PISCHINGER: The maximum, 10 percent.

11 Q. And what size crankshaft was this?

12 DR. PISCHINGER: 245 millimeters, which
13 is very close to ten inch.

14 Q. And ten inches refers to what part of the
15 crankshaft, dimension?

16 DR. PISCHINGER: This is in diameter.

17 Q. And is it an eight cylinder crankshaft?

18 DR. PISCHINGER: Yes.

19 Q. And what was the forging method that was
20 used on this crankshaft?

21 DR. PISCHINGER: I didn't ask on the
22 telephone on this detail, but the crankshaft was a
23 material rather similar to the LILCO crankshaft,
24 tensile strengths of 650 Newtons per square
25 millimeter.

waga

1 Q. Can you convert those to pounds per
2 square inch, please?

3 DR. PISCHINGER: Yes. I think it's about
4 95. Yes. It's about 95 ksi.

5 Q. Isn't the type of forging a significant
6 factor in an endurance limit for a crankshaft?

7 DR. PISCHINGER: Certainly, yes, but in
8 establishing SN relationship, it's of not so much
9 importance.

10 Q. Why is that, Dr. Pischinger?

11 DR. PISCHINGER: Well, there's an SN
12 relationship, principal relationship, between the
13 point where the material is getting to be
14 distracted and the time, the number of cycles it
15 takes to get to this point. If you have a better
16 forging, of course it takes a longer time, but also
17 the endurance level is higher, so if you take the
18 inter-relationship of these figures, there is
19 usually no change, but I can, of course, if it's
20 comforting to you, I can also ask on the telephone
21 on the type of forging.

22 Q. That would be very good, Dr. Pischinger.
23 I'd appreciate if you would provide us with that
24 information, and you also testified that you could
25 provide us with the two sources. Have you been able

waga 1 to obtain that information, Dr. Pischinger?

2 DR. PISCHINGER: Yes. One source which I
3 referred to is worked on in MAN Co. and -- shall I
4 give you the German?

5 Q. If you can translate it, that would help
6 a lot more, Dr. Pischinger.

7 DR. PISCHINGER: The title translated is
8 Contribution to the Question of Endurance of
9 Crankshafts of Large Diesel Engines.

10 Q. Do you know when this was published?

11 DR. PISCHINGER: It is in MTZ -- this is
12 the main engine journal in Germany, and MTZ No. 511.
13 I do not know at the moment the exact date.

14 Q. MTZ No. 511?

15 DR. PISCHINGER: 511.

16 Q. And what was the other source you
17 referred to, Dr. Pischinger; do you have that
18 information?

19 DR. PISCHINGER: Yes. The other source
20 was named the Torsional Vibrations in Piston Engines,
21 and it is -- I'll say it in German,
22 Konstruktionsbucher, Design Manuals, Karl Springer,
23 1952.

24 Q. Thank you, Dr. Pischinger. Dr. Chen,
25 isn't it true that the DEMA recommendations require

waga 1 a consideration of the torsional stresses at 5
2 percent overspeed and 5 percent under speed? —

3 DR. CHEN: Let me read it from —

4 Q. Exhibit C-14.

5 DR. CHEN: In the case of constant speed
6 units, such as generator sets, power generator, the
7 objective is to insure that no harmful torsional
8 vibration, vibratory stresses, occur within 5
9 percent above and below the rated speed.

10 Q. And what is the limit at those over and
11 underspeeds for some of the orders under the DEMA
12 recommendations?

13 DR. CHEN: I think that we are to read
14 the rest of it. Then we will talk about the limits.
15 So far we talk about speed range and no harmful
16 vibratory stresses. "For crankshafts, connecting rods,
17 flange or coupling components made of conventional
18 material, torsional vibratory conditions shall
19 generally be considered safe when they induce a
20 superimposed stress of less than 5,000 psi created
21 by a single order of vibration or a superimposed
22 stress of less than 7,000 psi created by a summation
23 of the major orders of vibration, which might come
24 into phase periodically." This would explain the
25 limits at the rated speed.

waga

1 Then the other question you asked, before
2 and after, 5 percent above or 5 percent after. The
3 rules are not explicit. Whether it's dangerous or
4 not, one can — an engineer can make some judgment
5 about that.

6 The second thing is major orders. Major
7 orders, the way the group was set up, those orders,
8 which resonance torsionals come within the rate of
9 speed range, you can sometimes say they are the
10 torsionals which caused resonance, let's say within
11 a certain speed range of the rated speed, and the
12 way we look at it is those large amplitudes caused
13 by the harmonics, and if you look at rated speed,
14 larger amplitudes, sometimes we use four, sometimes
15 we use two, sometimes we use six orders. We select
16 six large orders and calculate the combined effect
17 of those six orders we select and calculate a
18 summation of stress.

19 Q. Dr. Chen, don't you interpret the DEMA
20 recommendations to apply a 7,000 psi limit at 5
21 percent overspeed and 5 percent underspeed? Dr.
22 Chen, can I have your interpretation of that?

23 DR. CHEN: I'm just trying to refer to my
24 report to show you what I have in my report, sir.

25 Q. C-18, I believe, Dr. Chen.

waga

.1 DR. CHEN: So if you refer to C-18 on
2 page 3, on page 3, I mention allowable speed range.
3 I calculate single order and sum of orders at rated
4 speed, as well as 5 percent overspeed and 5
5 percent underspeed, 95 percent speed, so if I cover
6 that range, I find the single order stress and sum
7 of order stress less than the imposed DEMA
8 allowables.

9 Q. So you do interpret the DEMA requirements
10 to consider underspeed and overspeed at 5 percent
11 and the limits of the recommendations of the
12 stresses that you sum should be less than 7,000 psi.
13 Isn't that true?

14 DR. CHEN: I did the calculations to show
15 that I'm conservative, but the rules have never been
16 explicit to say whether, let's say, a few percent
17 over the limits are dangerous or not, are harmful or
18 not. That's left to the judgment of the individual
19 engineers.

20 Q. But the recommendations say that if you
21 are under 7,000 psi, you will generally be
22 considered safe. Isn't that true, Dr. Chen?

23 DR. CHEN: But as I say —

24 Q. Isn't that true?

25 DR. CHEN: Under 7,000 is certainly

waga 1 considered safe, but if you have a few percent over
2 7,000, it can also be considered safe, depending on
3 quite a few factors, such as if you're using
4 conventional material, whether you're using any
5 surface enhancement, you have different forgings,
6 tensile strengths, so it has other considerations,
7 and I think I can testify for that.

8 Q. Thank you, Dr. Chen.

9 Dr. Pischinger, you performed
10 calculations at 5 percent overspeed at 3500 kw and
11 3300 kw, didn't you, Dr. Pischinger?

12 DR. PISCHINGER: We talked about this.

13 Q. And those are sums of 24 orders. Isn't
14 that true, Dr. Pischinger?

15 DR. PISCHINGER: Yes.

16 Q. And the values that you got for 3500 and
17 3300 exceeded 7,000. Isn't that true?

18 DR. PISCHINGER: Yes, if we do no
19 selection of major orders, as has just been stated
20 by Dr. Chen.

21 Q. And Dr. Johnston, your calculations at 95
22 percent rate of speed and 105 percent rate of speed
23 were 7,000, plus or minus 3 percent. Isn't that
24 true?

25 DR. JOHNSTON: My calculations at 5

waga

1 percent overspeed and 5 percent underspeed, when all
2 24 orders are summed, rather than taking the major
3 orders, do show some numbers that are within plus,
4 minus 3 percent of the 7,000 limit, some of those
5 numbers going over 7,000, some being under 7,000.
6 Again, when 24 numbers are summed, that is correct.

7 Q. Thank you, Dr. Johnston.

8 Stone & Webster measured the angular
9 displacement of the free end of the crankshaft and
10 obtained a value of .63 degrees — 693 degrees,
11 excuse me, for the measurement of the vectorial
12 summation of the free end amplitude. Isn't that
13 right?

14 DR. JOHNSTON: Yes, that's correct.

15 Q. And where is that information contained
16 in Exhibit C-17?

17 DR. JOHNSTON: That information is
18 contained in the third column of page 3 dash 14 of
19 Exhibit C-17.

20 Q. Those values are also contained in table
21 2.5 of Exhibit C-17?

22 DR. JOHNSTON: That is correct.

23 Q. And the figures in the first column under
24 3500 kw, which is the second column in the table,
25 are actual measurements, isn't that true, from the

waga

1 Stone & Webster test?

2 DR. JOHNSTON: That is correct.

3 Q. And the second column under 3500 kw is a
4 calculated value of nominal shear stress. Isn't
5 that true, Dr. Johnston?

6 DR. JOHNSTON: Yes, that is correct.

7 Q. So the half peak to peak summation value
8 of 6626 psi is not an actual measurement, is it, Dr.
9 Johnston, but it's a calculation?

10 DR. JOHNSTON: It is a calculation as,
11 indeed, are the measurements of what I've been
12 terming measurements in the previous column. The
13 measurements, of course, are not made in degrees,
14 they're typically made in millivolts or some other
15 such number from the torsigraph transducer. There
16 are various conversion factors to convert those
17 numbers to, for example, degrees or radians and also,
18 indeed, to stresses.

19 Q. But in converting those values, the
20 accuracy of the numbers is not changed in any
21 significant way, is it, Dr. Johnston?

22 DR. JOHNSTON: I don't think there's any
23 significant error introduced by the conversion.

24 Q. In order to convert the amplitude of free
25 end rotation degrees into nominal shear stresses,

waga


1 each of those measurements must be multiplied by a
2 factor of 9562 psi in order to get the nominal shear
3 stress values. Isn't that true?

4 DR. JOHNSTON: That is correct.

5 Q. And the 9562 figure is derived from TDI's
6 torsional critical speed analysis, which we
7 discussed yesterday. Isn't that true, Dr. Johnston?

8 DR. JOHNSTON: That particular number may
9 be derived from both TDI's torsional analysis and
10 also from FaAA's torsional analysis. The particular
11 number shown here is, indeed, the number that's
12 quoted in the TDI torsional analysis. The number
13 computed by Failure Analysis Associates does not
14 disagree with this number and, in fact, would agree
15 essentially, precisely, probably to the last digit
16 of this particular number.

17 I should point out that this particular
18 number does not require — this 9562, does not
19 require any information such as T sub N or pressure
20 loading in order to calculate. This number is a
21 stress that you get on the shaft by applying a
22 displacement, rotational displacement at the free
23 end of the shaft, assuming that the shape of the
24 shaft is in the first mode of vibration, so it does
25 not depend upon the T sub N values that we discussed



waga 1 yesterday being different between the TDI analysis
2 and the Failure Analysis Associates analysis.

3 Q. But the 9562 figure is based on the
4 assumption that the crankshaft only vibrates in the
5 first mode. Isn't that true?

6 DR. JOHNSTON: It is customary in
7 reducing torsionograph test data to assume a single
8 mode of response, and that is, indeed, what is
9 assumed here. It is assumed as a first mode of
10 response. The same type of approach may be used in
11 many of the common textbooks, and also, for example,
12 by the American Bureau of Shipping.

13 Q. But that figure and the resulting
14 amplitudes of nominal shear stress will be different
15 and they will be higher -- let me start all over
16 again.

17 The 9562 figure is based upon the
18 assumption that the crankshaft only vibrates in the
19 first mode. That number will be different if you
20 take into account the fact that the crankshaft
21 vibrates in all modes. Isn't that true, Dr.
22 Johnston?

23 DR. CHEN: May I say something?

24 Q. Dr. Johnston can answer the question.

25 DR. JOHNSTON: That number, as it's been

waga 1 stated, was calculated using the first mode of
2 response. It would be possible to calculate a
3 similar number using the second or third or any
4 other mode of response; however, it is quite clear
5 that this crankshaft would vibrate primarily in the
6 first mode with regard to the stress at the first
7 node point that is usually considered and, indeed,
8 this particular calculation was performed in this
9 manner because it represents a customary way of
10 reducing torsionograph test data.

11 However, I would like to point out that
12 this particular method of reducing torsionograph data,
13 the principle of first mode of response is common;
14 however, the principle of using a half peak to peak
15 is, in fact, a very conservative approach for
16 reducing torsionograph data because much data in the
17 past has been reduced based on the square root of
18 the sum of the squares of individual orders, which,
19 for this particular shaft, would produce a value in
20 the range of 4,000 and some psi as opposed to 6,626.

21 MR. YOUNGLING: Drs. Chen and Pischinger
22 would also like to comment on your question.

23 JUDGE BRENNER: Don't take too long.

24 MR. SCHEIDT: I would like to follow up
25 with Dr. Johnston and they can put on their comments.

waga

1 BY MR. SCHEIDT:

2 Q. Dr. Johnston, wasn't the use of the SRSS
3 method by TDI in evaluating the stresses in the
4 original crankshafts a contributory factor to the
5 failure to predict that the original crankshafts
6 were inadequate?

7 DR. JOHNSTON: I believe that the
8 original crankshafts, while they did fail, they also
9 clearly did not meet DEMA. Whether you consider the
10 fact that they didn't meet DEMA as the reason they
11 failed or whether you consider some other
12 measurement or some other analysis or technique that
13 may have been employed by TDI at the time, that is,
14 perhaps, a matter of conjecture. The point is that
15 the original crankshafts did not meet DEMA and they
16 did, indeed, fail.

7 Q. And isn't it true, Dr. Johnston, that if
18 you used the SRSS method, you will vastly
19 undercalculate the state of nominal shear stress in
20 the crankshaft?

21 DR. JOHNSTON: I agree the SRSS method
22 underpredicts the nominal stress in a crankshaft and
23 that the half peak-to-peak method is a more accurate
24 representation. The reason that I infer that it is
25 a conservative representation is because of the fact

waga

1 that the limits are set based upon the experience
2 gained from diesel engine manufacturers who are used
3 to using the square root of sum of squares technique.

4 Q. Dr. Chen, do you have something to add?

5 DR. CHEN: I believe if you use the first
6 mode figures suggested, 9650 psi on the peak-to-peak
7 figures, you are overly conservative. In other
8 words, you're overestimating stress.

9 Q. Do you mean half peak to peak or peak to
10 peak?

11 DR. CHEN: Well, the way it was done --

12 Q. On this table, 2.5?

13 DR. CHEN: On these calculations. I
14 would further say that I have made calculations on
15 the failed crankshaft using several different
16 methods and find none of those methods that I used
17 would pass DEMA. The figures come out actually just
18 using four orders, sum of orders. The stress level
19 is -- it's over 9,000 psi versus a limit which we
20 consider 7,000, which is adequate, so it has -- in
21 other words, it has a stress level much higher than
22 is considered safe by DEMA, both on the sum of order
23 basis and the single order basis.

24 And the torsionograph data, the torsionograph
25 data comparison also exceeds the DEMA limit by a

waga 1 large margin, so you can say that if we use the same
2 methods and compare the two shafts, our safety
3 factor is in the order of 1.4, 1.5, because the
4 other shaft has torsional fatigue cracks around 4
5 million cycles.

6 Q. Dr. Chen, I think we're deviating
7 somewhat from the original line of questioning. We
8 will get to the factor of safety calculations that
9 were performed by FaAA.

10 DR. CHEN: I'm just trying to respond to
11 your question about what SRSS methods contribute to
12 understatement of stress. My answer is no, it's not
13 the SRSS methods, it's other factors. The whole
14 crankshaft, the design and the T sub N, used
15 contributes to it.

16 Q. Then the SRSS method and TN values
17 contribute to the accuracy of your calculations.
18 Isn't that true, Dr. Chen?

19 DR. CHEN: I say the largest factor is
20 not SRSS.

21 Q. What is the largest factor?

22 DR. CHEN: Larger factor has an 11-inch
23 crank pin.

24 Q. Fine, Dr. Chen.

25 Dr. Pischinger, did you have something to

waga 1 add?

2 DR. PISCHINGER: No.

3 Q. Dr. Chen, in Exhibit C-18 on page 10, you
4 indicate that you chose to first sum the six orders
5 that are indicated, and those orders -- I'll wait
6 for you to get to the page, C-18 on page 10. Those
7 orders are .5, 1.5, 2.5, 4.0, 4.5, and 5.5. Dr.
8 Chen, you chose those values based upon your
9 engineering judgment as to which were the major
10 orders. Isn't that true?

11 DR. CHEN: No, sir. It's based on
12 calculating all the way up to tenth order, tenth
13 order and its half orders on the TORVAP-R software.
14 In other words, we're using the Holzer forced
15 vibration classical methods to find out the section
16 that we're considering, what are the largest orders,
17 and then we pick. We select the six largest orders
18 at that point and summarize it.

19 Q. And these six orders are not the same as
20 those indicated in table 2.5 of Exhibit C-17, are
21 they, and to clarify this, Dr. Chen, you chose, or
22 your computer program chose .5 as one of the first
23 six major orders, and the table 2.5 indicates that
24 instead of .5, 3.5 was chosen as a major order.

25 DR. CHEN: Well, the TORVAP-R at that

0040 01

waga

1 time when we evaluated it, the results of the tenth
2 order and the amplitudes between the two orders you
3 mentioned are very close, so it's somewhat arbitrary
4 to pick a half order over the three-and-a-half, but
5 you can also see that we follow it up with six more
6 orders, so in that case, we do include three-and-a-half
7 orders.

8 Q. Is there a significant difference between
9 the twelfth order that you chose and the thirteenth
10 order that you chose — or that you did not choose,
11 excuse me?

12 DR. CHEN: Pardon me?

13 Q. I'll repeat it, Dr. Chen. When you put
14 together, when you summed the twelve orders with
15 your computer program, was there a significant
16 difference between the twelfth order that you
17 decided to include in your program and the
18 thirteenth order which you determined not to include
19 in your program?

20 DR. CHEN: May I ask you, are you saying
21 why we didn't pick up the thirteenth order?

22 Q. No, Dr. Chen. Let me try to ask this
23 question a little bit more clearly. You just
24 testified that the difference in amplitudes between .5
25 order and 3.5 order were so close that it was, I

waga 1 believe you said, arbitrary as to which one was
2 chosen. You could pick either one and it wouldn't
3 make that much difference. Is that the meaning of
4 your testimony?

5 DR. CHEN: I believe that's right,
6 because at that point, it doesn't make that much
7 difference.

8 Q. Now, is the difference in amplitude
9 between the — not the twelfth order, but the
10 twelfth value that you chose, is the difference
11 between that value significantly different from the
12 thirteenth highest order that you decided not to
13 include in your program?

14 DR. CHEN: I believe what you're trying
15 to say, why I didn't include a thirteenth largest
16 order in my table?

17 Q. No, Dr. Chen, I'm just trying to find out
18 if there was a significant difference between the
19 twelfth order and the thirteenth order, whether
20 there was a significant difference in amplitude
21 between those orders that you could use your
22 judgment and exclude the thirteenth time.

23 DR. CHEN: Using my judgment, I picked
24 the six largest orders and then the next largest six
25 orders based on the computer results. I didn't

waga

1 choose randomly or arbitrarily. I can add that even
2 the next six largest orders, those figures are
3 rather small at the free end.

4 DR. MC CARTHY: If you refer to table 3-3
5 on page 3-14 --

6 Q. Which exhibit, Dr. McCarthy?

7 DR. MC CARTHY: This is Exhibit C-17. We
8 can put this discussion in perspective by noting
9 that the first order of response is .325 and that
10 the difference, the twelfth order of response, which
11 is shown there, 7.0, is .002, and No. 13, which is
12 the second order, is .001, which is one-third of 1
13 percent, but there's a 50 percent difference between
14 the twelfth and thirteenth in magnitude of these.

15 Q. Dr. McCarthy, you're referring to Stone &
16 Webster's test data. I was asking Dr. Chen about
17 his calculated amplitudes.

18 JUDGE BRENNER: Actually I was going to
19 suggest you take a look at table 3.3 myself, Mr.
20 Scheidt, because I don't want to repeat some of what
21 we already have from yesterday, and some of your
22 leading questions to Dr. Chen were why he used a
23 half order instead of the three-and-a-half order,
24 and if you look at table 3.3, it has the data for
25 the FaAA analysis as well as the Stone & Webster

waga 1 analysis, and you can see the differences for the
2 top six orders and why the sequence is different and
3 what the difference would have been going to the
4 seventh order in each case — the seventh largest
5 order, I don't mean No. 7 order — and we went
6 through a lot of this yesterday, and I know you want
7 to get somewhere else with Dr. Chen. I think you
8 can do it more quickly.

9 Dr. Chen, looking at page 10 of your
10 report, which is Exhibit C-18, one of the numbers is
11 obliterated in my copy. The second sentence under
12 the table at the very end, it states, "S sub 12 is
13 the highest at shaft section 6" — is that next
14 number 7?

15 DR. CHEN: Yes, Judge.

16 JUDGE BRENNER: And is that the end of
17 the sentence?

18 DR. CHEN: Yes, sir.

19 JUDGE BRENNER: Thank you.

20 BY MR. SCHEIDT:

21 Q. Dr. Chen, is there a table of amplitudes
22 that you calculated that will show what your
23 amplitude was for the twelfth largest order and for
24 the thirteenth largest order?

25 DR. CHEN: Yes. I was going to say that

wage 1 if you look at page 11, section 5, comparison of
2 free end amplitude.

3 Q. Exhibit C-18, Dr. Chen?

4 DR. CHEN: C-18, yes. If you look at the
5 table, I have compared all these orders, and if you
6 look at TORVAP-C calculations, that was the
7 calculation we made here in this report, and so I
8 think you would agree with me I picked the six
9 largest and the next six largest from that, and
10 shown here is the sixteenth order. All together we
11 have shown sixteen harmonics.

12 Q. I see eleven, Dr. Chen.

13 DR. CHEN: Yes, well, eleven, eleven
14 harmonics. I do have calculations on all --
15 actually I believe twenty of them. We print out
16 only those which are larger than .01, and it's my
17 firm belief that anything less than .01 in 1969,
18 early 1970's, we were not really able to measure
19 them accurate enough to consider anything less than
20 .01. I would say less than .02, we cannot measure
21 that.

22 Q. Thank you, Dr. Chen.

23 Dr. Johnston, the nominal shear stress
24 values calculated from the Stone & Webster
25 torsionograph test of 6626, is that value based on the

waga 1 assumption that the crankshaft is a long, circular
2 cylinder?

3 DR. JOHNSTON: No.

4 Q. Dr. Johnston, isn't your testimony that
5 FaAA's dynamic torsional analysis is a more accurate
6 prediction of the state of shear stress in the
7 crankshafts than either TDI's torsional critical
8 speed analysis or the values obtained from the Stone
9 & Webster torsionograph test?

10 DR. JOHNSTON: I believe that the
11 accuracy of the torsionograph tests on the actual
12 crankshaft at Shoreham is extremely accurate and
13 also of about the same accuracy as the calculations
14 performed by Failure Analysis Associates. I believe
15 that both of those calculations would be considered
16 more accurate in terms of calculating a nominal
17 stress than the calculations made by TDI for a
18 couple of reasons:

19 One being that the Failure Analysis
20 calculation assumed 24 orders while the calculation
21 of TDI was performed to make a single order
22 comparison with DEMA, and also because of the fact
23 that during the time when the torsionograph test was
24 being conducted on Shoreham engines, we also had the
25 opportunity to measure pressures to obtain the

waga 1 pressure versus time curve, which allowed us to
2 develop more accurate loading functions, known as
3 T subscript N.

4 Q. Dr. Johnston, is it your testimony that
5 the measurements taken by Stone & Webster are
6 accurate?

7 DR. JOHNSTON: Yes, it is.

8 Q. And is that what you testified to in your
9 last response as being accurate or do you mean the
10 calculated value of nominal shear stress is accurate?

11 DR. JOHNSTON: I mean that the
12 measurements are accurate.

13 Q. The measurements by the torsionograph test.
14 Correct?

15 DR. JOHNSTON: That is correct. The
16 calculation of nominal stress from those torsionograph
17 measurements, as I have already stated, was
18 calculated using an assumed first mode of response,
19 which was done for the reasons that were previously
20 stated; that is, to be in accordance with common
21 practice for the reduction of torsionograph test data.
22 In order to calculate a more accurate measure of
23 nominal stresses, I believe that the modal
24 superposition technique is better, and that is the
25 reason why it was used as an input to the fatigue

waga

1 endurance limit calculation to establish a safety
2 margin to compute a safety margin on the crankshaft.

3 Q. Your testimony is that the nominal shear
4 stress values calculated by FaAA's dynamic torsional
5 model are more accurate than the values that are
6 contained in the table derived from Stone & Webster's
7 measurements of the free end amplitudes?

8 DR. JOHNSTON: Nominal stresses are
9 really hypothetical things that don't really exist.
10 The computation of them depends upon what you wish
11 to do with them. If we wish to calculate a safety
12 margin or a true stress rather than a nominal stress,
13 then we would use a modal superposition technique.
14 If we wish to use the data to make a comparison with,
15 for example, a DEMA limit, then we would use a
16 standard technique of reducing the torsionograph test
17 data, and that technique is the technique of
18 assuming a single mode response of the crankshaft.

19 Q. And that technique is less accurate than
20 your dynamic torsional technique. Isn't that true?

21 DR. JOHNSTON: I really don't think it's
22 a question of accuracy. It's a matter that if you
23 want to make a comparison to an allowable that has
24 been established over years of experience by using
25 certain techniques, then you perform that

waga

1 calculation in that manner so that it makes a
2 comparison of a sort of apples-to-apples situation.
3 It's not a matter of accuracy, it's a matter of
4 using the technique that has been used to establish
5 those particular allowables. I think one of the
6 reasons why many different societies have different
7 allowables is simply because they're used to using
8 different techniques, and this, I think, is just
9 another example of that.

10 Q. And isn't the most accurate technique in
11 determining nominal shear stress the most
12 appropriate one, Dr. Johnston?

13 DR. JOHNSTON: For an input to a fatigue
14 analysis, I would certainly say that it was.

15 Q. But not for consideration of DEMA?

16 MR. STROUPE: Can he be permitted to
17 finish the answer before Mr. Scheidt interrupts him?

18 JUDGE BRENNER: Yes, Mr. Scheidt.

19 DR. JOHNSTON: For the calculation of a
20 fatigue limit where we are interested in the true
21 stress, indeed, we would use the most accurate
22 available technique to calculate stresses and
23 endurance limits; however, as I've stated before,
24 and I'll state again, if we wish to make a
25 comparison to a limit that has been established over

waga 1 years of experience based on certain reduction
2 techniques, then I believe that that is the
3 appropriate technique to use.

4 Q. Dr. Chen, in your calculations, you used
5 TN values and you used calculations of free end
6 amplitude. Isn't that right?

7 DR. CHEN: T sub N value, I use a common
8 domain reference.

9 Q. And that reference is Lloyd's Register of
10 Shipping TN values?

11 DR. CHEN: Yes. At the beginning of this
12 job, I looked over the figures from TDI and looked
13 over the figures from FaAA, and the latest figure
14 that Dr. Johnston is using was not available, and I
15 felt as an independent review, I should use a T sub
16 N figure which is commonly considered acceptable for
17 this type of calculation, such as for Lloyd's and
18 for ABS, and also I could have used Porter. I could
19 have used Ker Wilson. Those figures are somewhat
20 lower, and Lloyd's happens to be the highest
21 reference, a considerably reliable reference.

22 Q. And another reason that you used Lloyd's
23 TN values is because you did not have available to
24 you a reliable indicator diagram, isn't that true,
25 Dr. Chen, for these engines?

waga

1 DR. CHEN: The major reason, as an
2 independent review, I should not rely on any
3 information which is done by — not by me, and so I
4 do not have access to other information. I look
5 over that information and my figures look right and
6 I use it, and those figures are higher than the
7 Porter reference, which is used by ABS, for example.

8 Q. And aren't the Lloyd's TN values less
9 conservative than those used by FaAA in its
10 calculations?

11 DR. CHEN: Monday morning quarterback.
12 Looking at it, their figures are higher, but at that
13 time we really have no verification whether those
14 figures are accepted as reliable or not, and this is
15 the truth.

16 Q. Do you have an opinion, Dr. Chen, as to
17 the reliability of the TN values used by FaAA in
18 their calculations?

19 MR. STROUPE: I'm going to object to this
20 questioning, playing one expert off the other. I
21 don't believe there's any testimony anywhere in the
22 record where Dr. Chen says there is something right
23 or wrong with FaAA's analysis.

24 JUDGE BRENNER: Well, in his report on
25 page 13, he presents the table of comparisons made

waga

1 from the report. In addition, I don't want to get
2 into great detail in everything that's in his report.
3 One thing, I'm probably not competent to discuss it
4 on my own in advance of testimony, but the second
5 thing is we warned that thick reports would not be
6 relied on for controversial information, if that's
7 the only place the information is presented.

8 I may remind LILCO that it had some
9 objections to some reports, and the shoe is on the
10 other foot, and some of its own exhibits, too. Some
11 of these reports have been moved into evidence that
12 fall into that label, in my opinion, so if we're
13 going to learn anything about this comparison, we're
14 only going to learn about it through an examination.
15 Getting back to your first and more fundamental
16 point, it does not appear material, at least at this
17 stage. Maybe some of the more current questioning,
18 which would cause you to renew your objection, but
19 for now we will overrule it.

20 MR. SCHEIDT: I have completely forgotten
21 my question, so could you please read the question
22 back.

23 (Pending question read by the reporter.)

24 DR. CHEN: There are two situations here.
25 You asked me whether those figures are more reliable.

waga

1 I look at those figures and in comparing them with
2 Lloyd's, I would say at least they are more
3 conservative than Lloyd's, but whether those figures --
4 I talked to Dr. Johnston, and I really believe that
5 he and his people are professionals and these
6 figures, to me, are as reliable as you can get. I
7 was not able to have that information when I first
8 made the calculation.

9 Q. So is it your opinion that those TN
10 values are reliable TN values?

11 DR. CHEN: I have not checked the details
12 about the software program and the pressure time
13 diagram, but I believe those figures look very
14 reasonable in comparing with the Lloyd's figures and
15 in comparing with other T sub N figures in the text.

16 Q. So you haven't done an extensive analysis
17 of their TN values, but your general feeling is that
18 they're okay?

19 DR. CHEN: I think, based on my
20 experience and talking to Professor Johnston, I have
21 full confidence on his TN values.

22 Q. Dr. Chen, if you used FaAA's TN values in
23 your calculations -- and I understand that you
24 cannot do that because your computer program uses
25 Lloyd's TN values -- but if you were able to input

waga

1 FaAA's TN values in your computer program, isn't it
2 true that your calculated values would be higher?

3 DR. CHEN: You say that I was not able to
4 use the T sub N figures Dr. Johnston has. This is
5 not true.

6 Q. I'm sorry. I misunderstood.

7 DR. CHEN: I used the TN Figures because
8 I believe that is a common domain of T sub N figures
9 that I have, frankly, no objection to. If you look
10 at some of the orders, if we use Dr. Johnston's
11 figures, my stress level would be proportional to
12 the ratio of TN that we use, directly proportional.

13 Q. So for the summation of orders under your
14 calculations, if the TN values were, for example, 5
15 percent higher used by FaAA, then if you input those
16 TN values into your calculations, your stress values
17 that you calculated would be approximately 5 percent
18 higher. Isn't that true, Dr. Chen?

19 DR. CHEN: For that particular order, yes.

20 Q. And Dr. Chen, you also calculated a value
21 of free end amplitude in your calculations. Isn't
22 that true, Dr. Chen?

23 DR. CHEN: That is proportional to stress,
24 so yes, free end amplitude, I did calculate.

25 Q. And your vectorial summation of free-end

waga

1 amplitude was .59. Isn't that true, Dr. Chen?

2 DR. CHEN: Yes. I think if you refer to
3 page 11, the true sum, which is the vectorial sum of
4 those orders, all the orders I considered, is .59.

5 Q. And isn't the vectorial sum on the Stone
6 & Webster torsionograph test .693?

7 DR. CHEN: Yes, I believe that's the
8 figure in that reference.

9 Q. So your free end amplitude calculated
10 values are approximately 15 percent lower than those
11 measured by the Stone & Webster torsionograph tests.
12 Isn't that true, Dr. Chen?

13 DR. CHEN: Yes, because several things
14 are involved here. One is the T sub N figures that
15 you just mentioned. If I would use the failure
16 analysis T sub N figures, our answer would be closer.
17 The second thing is if I use the 24, I think our
18 figures would be closer, but that's not the point.
19 The point is, you can also use SRSS methods or some
20 other less accurate methods. What we say here is
21 it's my experience and my judgment that if we add up
22 six orders, that would be sufficient for the purpose
23 of making DEMA calculations. As I mentioned before,
24 if I only use four orders, the 11-inch crank would
25 have failed to meet the DEMA criteria of 2,000 psi

waga 1 by four orders.

2 Q. Well, Dr. Chen, if you used the value
3 obtained from the Stone & Webster torsionograph test,
4 the vectorial summation value, and you used that in
5 your calculations, you would have obtained a higher
6 calculated value of nominal shear stress. Isn't
7 that true, Dr. Chen?

8 DR. CHEN: You asked me whether I used
9 Stone & Webster .693 figures to make my calculations.
10 I have not made those calculations, and I think if
11 you want to talk about that calculation, actually
12 Dr. Johnston made those calculations.

13 Q. Dr. Chen, first let me finish up with you.
14 If you used the Stone & Webster free end amplitude
15 measurement of .693 in your calculations, wouldn't
16 your calculated stress values be higher than you
17 obtained using your figure?

18 DR. CHEN: Well, if you would read page
19 11, I say my psi figures or stress levels are
20 related to the .59 figures. If my answer -- if you
21 have a higher amplitude, naturally you will have
22 higher nominal stress. I don't think --

23 DR. JOHNSTON: I think there's a little
24 bit of confusion. The free end amplitude is not an
25 input to Dr. Chen's calculation, so it's not a

waga

1 question of if he had used it. He doesn't use any
2 value of free end amplitude. It's not an input to
3 his calculations.

4 Q. Dr. Chen, if you had used higher IN
5 values than you did use, you would have gotten
6 closer agreement with Stone & Webster's actual
7 measurement of free end amplitude. Isn't that
8 correct?

9 DR. CHEN: I think I testified to that
10 before.

11 Q. Okay. Thank you, Dr. Chen.

12 Dr. Chen, the value obtained by Stone &
13 Webster is an actual measurement of the free-end
14 amplitude, is it not?

15 DR. CHEN: This figure is in the
16 reference as an independent. As an independent
17 reviewer, I have to say it's in the exhibit. I was
18 not there to make that test.

19 MR. YOUNGLING: Perhaps Dr. Johnston can
20 comment on that.

21 Q. It's an actual measurement, isn't it, Dr.
22 Johnston, a vectorial summation of all the
23 measurements?

24 DR. JOHNSTON: Yes. The measurement is
25 just -- is made with a torsigraph transducer, and

waga 1 then there is a constant, which that is multiplied
2 by -- the output of that is multiplied by --

3 Q. I'm just talking about the measurements.

4 DR. JOHNSTON: Well, like I said before,
5 the measurements really come out in the form of
6 millivolts, and then there is a conversion factor to
7 obtain the response as a measure in degrees, and
8 that was conducted by Stone & Webster in conjunction
9 with Failure Analysis in January of this year.
10 While Dr. Chen indicated he was not present at the
11 time, I was there at that time and did witness this
12 measurement.

13 Q. So, Dr. Chen, since your calculated value
14 is less than the actual measurement of that value,
15 doesn't that suggest to you that your value may be
16 incorrect?

17 DR. CHEN: I don't believe so. The
18 figures have to be compared on an apple-to-apple
19 basis. My calculation here is not designed to make
20 an accurate prediction about stresses. It's to
21 calculate nominal torsional stress as defined in the
22 DEMA book, major orders, and I have used the six
23 largest orders using very well accepted computer
24 software to do that.

25 I would say it's very important to

waga

1 compare on an apple-to-apple basis figures which are
2 not included here, but the actual sum of orders of
3 amplitude of the 11-inch crank is in the order of .9
4 or more. That's if you have an amplitude of that
5 magnitude. Then I would say you have a little bit of
6 a problem, but our figures on the six-order basis
7 still are considerably lower than the .9 figures,
8 which was an 11-inch crank.

9 Q. Dr. Chen, if you summed all 24 orders,
10 wouldn't your calculated values be less than those
11 values obtained by using a free-end amplitude of
12 .693, as measured by Stone & Webster?

13 DR. CHEN: Using what program, sir?

14 Q. Using your program, Dr. Chen.

15 DR. CHEN: If I used the same input, I
16 would get the same output, because the other
17 calculations are very comparable.

18 Q. That wasn't my question. If you used
19 Stone & Webster's torsionograph measurement of .693
20 and you used your calculated value and summed all
21 24 orders under your program, you would come up with
22 a lower figure. Isn't that true, Dr. Chen?

23 MR. STROUPE: I'm going to object because
24 I believe Dr. Chen has previously testified that
25 Stone & Webster's result is not input.

waga

1 JUDGE BRENNER: I'm at the portion of the
2 question -- did you refer to the amplitude in your
3 question? If so, the objection is correct.

4 MR. SCHEIDT: Yes, I did, Judge Brenner.

5 Q. Dr. Chen, I refer to you page 30 of your
6 testimony, Question 46. Dr. Chen, isn't it true
7 that the vast majority of crankshafts that fail do
8 not fail primarily in torsional stress but rather
9 from a combination of stresses?

10 DR. CHEN: I have not changed my judgment
11 on this. I think on page 30 I have testified that
12 in many years of experience as designers and
13 developers of diesel engines, I do not know of any
14 situation in which a crankshaft met DEMA
15 recommendations and failed primarily from torsional
16 fatigue. I have not experienced any case which met
17 DEMA and failed primarily due to torsionals. That's
18 what I said here.

19 Q. Isn't it true though, Dr. Chen, that the
20 vast majority of crankshafts that fail do not fail
21 primarily from torsional stress but from a
22 combination of stresses?

23 DR. CHEN: I believe you have to tell me
24 exactly what cases so that I can make a judgment. I
25 have failed crankshaft torsionals in my laboratories

waga

1 many times, pure torsional, but if you go back,
2 you'll find out that either a damper failed --if I
3 have damper failures, it would be a torsional
4 fatigue for sure, but that's because of failure for
5 the damper. Also I have experienced torsional
6 failures, classical torsional failures because that
7 particular shaft did not meet DEMA criteria.

8 In other words, if I meet DEMA criteria,
9 my experience is good, and if I do not meet DEMA
10 criteria because of failures of other situations,
11 then my experience is bad, so because of this
12 experience and its judgment, I give good confidence
13 on the criteria, and this is my experience and this
14 is my judgment, and it is the truth.

15 Q. Dr. Chen, can you tell me, either yes or
16 no, whether it is true that the vast majority of
17 crankshafts that fail do not fail primarily from
18 torsional stress, but rather from a combination of
19 stresses. Can you tell me, yes or no?

20 DR. MC CARTHY: For whatever it's worth,
21 the vast majority of crankshafts --

22 JUDGE BRENNER: Wait a minute. He's
23 asking Dr. Chen. We'll let you add after, Dr.
24 McCarthy, if you still want to answer.

25 JUDGE BRENNER: Wait a minute. I want to

waga 1 get Dr. Chen's answer.

2 DR. CHEN: I believe your question is do
3 the majority of the crankshafts fail because of
4 torsional stress?

5 JUDGE BRENNER: You better restate the
6 question.

7 Q. For the fourth time, isn't it true, Dr.
8 Chen, the vast majority of crankshafts that fail do
9 not fail primarily from torsional stress but rather
10 from a combination of stresses?

11 DR. CHEN: Yes. I believe in many
12 instances, the failures that I know of are because
13 of misalignment, in the marine applications, the
14 foundation is not rigid enough, and many of the
15 crankshafts failed because of lack of proper
16 lubrication. When you have problems like that, you
17 fail the bearing and then you have failed your
18 crankshaft, so there are other reasons which affect
19 the operation of a crankshaft, whether it's safe or
20 not.

21 DR. MC CARTHY: Dr. Chen is correct. The
22 bearing failures lead.

23 JUDGE BRENNER: I didn't hear you.

24 DR. MC CARTHY: If you look at the cross
25 section —

waga 1 JUDGE BRENNER: I didn't hear you.

2 DR. MC CARTHY: Bearing failures lead the
3 crankshaft failure causes.

4 Q. Dr. Johnston, in your dynamic torsional
5 analysis — or I should say the dynamic torsional
6 analysis performed by FaAA, the results of which are
7 included in Exhibit C-17. FaAA calculated the
8 harmonic loading as an input into the analysis.
9 Isn't that correct, Dr. Johnston?

10 DR. JOHNSTON: FaAA calculated what you
11 referred to as harmonic loading or the loading as
12 the function of order often known as T subscript N
13 based on the pressure measurements on the EDG 103.

14 Q. And the results of those gas pressure
15 measurements are contained in the digitalized data
16 contained in LILCO Exhibit P-35?

17 DR. JOHNSTON: I believe that is correct.

18 Q. And those measurements were taken from
19 cylinders No. 5 and No. 7. Isn't that correct?

20 DR. JOHNSTON: That particular
21 measurement was taken from a transducer in the air
22 start valve of cylinder No. 7.

23 Q. And why was the air start valve in
24 cylinder No. 7 chosen for this pressure measurement?

25 DR. JOHNSTON: We were placing strain

waga

1 gauges on crankpins No. 5 and 7 and we wanted to
2 take a pressure measurement on one of those two
3 corresponding cylinders. The reason why No. 7 was
4 chosen over No. 5 is because of the fact that
5 typically indicated diagrams are more accurate the
6 closer the cylinder is to the location where the top
7 dead center marker is measured. Now, the top dead
8 center marker was measured at the flywheel, so the
9 nearest cylinder for which we had a pin strain
10 gauged was No. 7.

11 Q. And if you had strain gauged at crankpin
12 No. 8, you would have chosen that cylinder to
13 measure the cylinder pressure. Isn't that true?

14 DR. JOHNSTON: That is correct.

15 Q. So there was nothing magic about the
16 selection of cylinders, it was just closer to the
17 flywheel, isn't that true, and it was being strain
18 gauged?

19 MR. STROUPE: I'm going to object to the
20 use of the word "magic."

21 JUDGE BRENNER: If you tell me more, I'm
22 going to overrule the objection.

23 MR. STROUPE: I would like to make a
24 general objection that I think this particular
25 testimony was gone into very, very detailed in the

waga 1 piston testimony, and I thought the record was
2 pretty well full of how those measurements were made.

3 JUDGE BRENNER: He's focusing on a
4 particular context, and at least, so far, I don't
5 think he is unnecessarily replotting old ground, so
6 we'll overrule it on that basis. Go ahead. Do you
7 need the question again?

8 DR. JOHNSTON: Please.

9 Q. Dr. Johnston, this cylinder was not
10 chosen for pressure measurements because of any
11 prediction that the pressure measurements would be
12 the highest in the cylinder that was there?

13 DR. JOHNSTON: The engines are typically
14 balanced so that the cylinder pressures are
15 approximately equal throughout all of them. We
16 neither sought to find the highest nor the lowest
17 pressure measurement, but instead we chose a
18 pressure measurement on cylinder 7 for the reasons
19 stated previously because of the fact that we had
20 gauges on pin No. 5 and 7, and we believe we could
21 get a more accurate indicator diagram by having the
22 pressure measurement on cylinder 7 rather than
23 cylinder 5.

24 Q. Isn't it true, Dr. Johnston, that those
25 pressure measurements could be as much as 10 percent

waga 1 too low?

2 DR. JOHNSTON: A primary concern in
3 calculating --

4 Q. Can I have a yes-or-no answer first and
5 then your explanation?

6 JUDGE BRENNER: Try to give him a
7 yes-or-no answer first.

8 DR. JOHNSTON: No. The type of pressure
9 measurement that we're interested in for a torsional
10 analysis is not a peak pressure. We are interested
11 in an entire pressure curve, but even more to the
12 point, we are interested in a typical pressure curve
13 because of the fact that vibrations do not respond
14 to one individual individual peak of pressure, but
15 rather an accumulation of a series of loadings.

16 That's what causes vibrations or causes
17 vibrations to build above a static level. That's
18 the whole reason we're doing a dynamic rather than
19 static analysis. For that reason we're interested --
20 rather than a very, very peak pressure that could be
21 measured by another instrument, we're interested in
22 a pressure that represents an average, so in
23 cylinder No. 7, what we have done is we've taken the
24 measurement over many, many cycles and then
25 performed an average in order to calculate an

waga

1 appropriate pressure curve.

2 In addition, having used that pressure
3 curve, we can calculate the inputs to our modal
4 superposition analysis, and the result of that shows
5 that the predicted amplitude of vibration of the
6 shaft is, in fact, in extremely good agreement with
7 that measured by the torsigraph, as shown in table
8 3.3 of Exhibit C-17.

9 Q. Dr. Johnston, isn't that agreement or
10 lack of agreement approximately 15 percent between
11 your calculated value of the free-end amplitude and
12 Stone & Webster's measured value of the free end
13 amplitude?

14 DR. JOHNSTON: Not by my mathematics.

15 Q. Well, what is your mathematical
16 calculation of the difference?

17 DR. JOHNSTON: Between 4 and 5 percent.

18 JUDGE BRENNER: Just to make sure I
19 follow this -- and then I want to take a break, and
20 I hope this is a convenient point for you, Mr.
21 Scheidt -- in your own mind, Dr. Johnston, the two
22 figures you're comparing are Stone & Webster's
23 figure of .693. Is that right?

24 DR. JOHNSTON: That's correct, with a
25 failure analysis figure of .662.

waga

1 JUDGE BRENNER: Mr. Scheidt, I'm not
2 sure exactly where you are on the cross plan because
3 you've shifted order slightly within it, some of the
4 paragraphs overlap, so when we come back after the
5 break, the first thing I'd ask you to do is orient
6 me as to your cross plan and what you have left
7 within it.

8 I want the parties to use the break to
9 discuss the matters alluded to. I don't know if the
10 parties had discussed that matter already or not. I
11 didn't ask. Judging by the blank faces I was
12 looking at as I discussed it, they did not and, of
13 course, you better be more aggressive about
14 discussing procedural matters that could be of some
15 importance, more to the parties than to us, in fact,
16 and not let that slide as long as it has. Let's
17 give you an extra five minutes to have your
18 discussion and we'll come back at 3:45.

19 (Whereupon a recess was taken.)

20 JUDGE BRENNER: Back on the record. Mr.
21 Scheidt, you were going to orient me on your cross
22 plan.

23 MR. SCHEIDT: I'm at page 67, .E1, the
24 third sentence.

25 JUDGE BRENNER: It's 3-V.

waga

1 BY MR. SCHEIDT:

2 Q. Dr. Johnston, shouldn't the torque
3 produced by the pressure readings that we were
4 referring to — let me start over.

5 Shouldn't the mean value of the torque
6 created by the gas pressures we were discussing be
7 the torque required to produce 3500 kw divided by
8 the mechanical efficiency?

9 DR. JOHNSTON: In calculating the loading
10 functions, T sub N loading functions for the modal
11 superposition analysis, one of the results of that
12 calculation is a zero or T sub N, which can be
13 converted to a measure of the output power. When we
14 perform that calculation, we obtained 3500 kw output
15 power for the full load case.

16 As Mr. Scheidt indicated, you would
17 normally expect that to be 3500 kw divided by the
18 mechanical efficiency; however, the difference
19 between those two numbers does not have any effect
20 on the accuracy of the analysis, as is clearly
21 demonstrated by the excellent agreement of the
22 predicted response using that pressure curve and the
23 measured response which is, again, shown in Exhibit
24 C-17, table 3.3.

25 I'd just like to point out here that the

waga

1 amplitudes for the individual orders under the
2 column labeled FaAA Analysis are directly
3 proportional to the T sub N loading coefficients,
4 and the output under the SWEC, the Stone & Webster
5 Engineering test, are completely independent of this
6 pressure measurement, but rather are measured by a
7 torsigraph transducer and, as you will see, the
8 significant or major orders show excellent agreement
9 and the vectorial summation shows an agreement of
10 between 4 and 5 percent which, for this type of
11 experiment and analysis, would show a very good
12 agreement.

13 Q. Dr. Johnston, isn't it true that if you
14 had obtained higher cylinder pressure measurements,
15 the agreement between your calculated value for
16 free-end amplitude and the measured value by Stone &
17 Webster would be even better?

18 DR. JOHNSTON: No, that is not true, Mr.
19 Scheidt. If we had obtained a pressure curve which
20 had produced more mean torque than 3500 kw — for
21 example, if it had produced 3500 kw divided by the
22 mechanical efficiency, then we would have applied
23 frictional forces to reduce the total amount of
24 output torque to that of 3500 kw, and we would not
25 necessarily expect the result to be in better

waga 1 agreement with the SWEC test. It might have been
2 better. It might have been worse. It's not at all
3 clear as to which way it would have gone; however,
4 it is still, I will state, still quite clear that
5 the agreement here of about between 4 and 5 percent
6 is considered by, I believe, the vast majority of
7 reasonable engineers as excellent agreement.

8 Q. Dr. Johnston, you obtained the mechanical
9 efficiency of 1.0 or 100 percent. The expected
10 mechanical efficiency for this engine is 88 percent.
11 Isn't that true?

12 DR. JOHNSTON: Yes.

13 Q. And isn't it true that on Exhibit C-17,
14 page 3-3, which is the FaAA report on crankshafts,
15 that you explained that the difference between the
16 mechanical efficiency that was obtained of 100
17 percent and the 88 percent that was expected is
18 probably explained by either the pressure
19 measurements being too low or the TDC, which is top
20 dead center, being shifted?

21 DR. JOHNSTON: That is correct.

22 Q. So either the pressure measurements are
23 too low or top dead center is shifted. Isn't that
24 correct?

25 DR. JOHNSTON: That is correct, but I'll

waga

1 repeat again that the effect of that we have
2 demonstrated as being insignificant and the $T_{\text{sub N}}$
3 values that were calculated by this pressure curve
4 have also been reviewed, I believe, by Dr.
5 Pischinger, and I think that he would like to
6 comment on what he believes to be the accuracy or
7 inaccuracy of these values.

8 DR. PISCHINGER: Well, out of experience,
9 these measurements with this quartz transducer in
10 scale of pressure is very reliable. It is an usual
11 problem with such measurements to get a very precise
12 reading of the top dead center, so it can happen
13 that the indication of top dead center can be a
14 little shifted, and because of this, we did this
15 shifting -- in my side calculations, we did this
16 shifting to such an amount, which is only a very
17 small amount needed, that indicated the mean
18 effective pressure corresponding with a reasonable
19 mechanical efficiency, and we, out of these pressure
20 traces, we calculated, again, the TN values and we
21 calculated the torsional response and, for instance,
22 as an indication, the free-end amplitude was nearly
23 the same as was calculated by FaAA, within very
24 small limits.

25 Q. In fact, Dr. Pischinger, it was higher.

waga

1 wasn't it, the calculated value of free-end
2 amplitude?

3 DR. PISCHINGER: Yes, but this was --

4 DR. JOHNSTON: This was a value that was
5 higher by less than one half of one percent, a value
6 that we talked about this morning.

7 Q. Dr. Pischinger, how did you fix your
8 baseline when you were doing your test for pressure
9 measurements?

10 DR. PISCHINGER: The baseline is fixed by --
11 with a four-stroke engine by using the boost
12 pressure, as was done in this case.

13 Q. Okay, Dr. Johnston. When you obtained a
14 value of mechanical efficiency of 100 percent rather
15 than 88 percent, doesn't that give you an indication
16 that the top dead center marker or the pressure may
17 be off by the order of 10 percent?

18 DR. JOHNSTON: As you referred to in my
19 report, it does indicate that the pressure
20 measurements or the top dead center are off by of
21 the order of -- have a combined order, but if you
22 add that extra 10 percent in, you then proceed to
23 subtract it back out again by taking account of the
24 frictional forces in the engine, and so that the net
25 result would be something very similar to what we

waga 1 obtained, even though we had a mechanical —
2 apparent mechanical efficiency of 100 percent.

3 Again, it just comes back, really, to the
4 bottom line of a comparison between the predictions
5 made with this particular pressure curve and the
6 measurements made with the torsigraph test, so I
7 would keep referring to that same table, 3.3, in
8 Exhibit C-17. In addition, Dr. Pischinger, I
9 believe, has just indicated that he provided — he
10 input a certain shift of top dead center to take
11 care of this problem and then performed the
12 calculations in that manner and came up with a
13 result that was in agreement with Failure Analysis
14 to within less than one half of one percent.

15 Q. Dr. Johnston, are you saying that the
16 effects of the pressure measurements being too low
17 or the top dead center being shifted should be
18 canceled out by the frictional losses in the system?

19 DR. JOHNSTON: What I'm saying is that
20 the result of these uncertainties is that you obtain
21 an analysis which is in very close agreement with
22 the test measurements. The exact manner in which
23 you would subtract frictional forces would have a
24 slightly different influence than that of shifting
25 top dead center; however, the result of all of this,

waga

1 which is what's important, we're interested in
2 calculating stresses, and the result of calculation
3 of stresses appears to be unaffected by the fact
4 that we compute a mechanical efficiency of 100
5 percent.

6 Q. Dr. Johnston, isn't it expected that the
7 frictional losses in the system are going to be of
8 the magnitude of approximately 1 or 2 percent?

9 DR. JOHNSTON: I don't believe that that
10 is correct. Dr. McCarthy is going to comment
11 further on that.

12 Q. May I first ask, has a calculation or a
13 measurement of what the frictional loss should be,
14 has that been made?

15 DR. JOHNSTON: We neither calculated what
16 the expected frictional forces would be nor did we,
17 in fact, calculate the value of 88 percent for
18 mechanical efficiency. That particular value, it
19 could possibly be higher, possibly as high as 95
20 percent, but that value also was not calculated. We
21 did not attempt to calculate either the, in a sense,
22 the real mechanical efficiency of the engine or the
23 real frictional forces within the engine, since they
24 were not needed and were not necessary for an
25 analysis that has been shown to closely correlate

waga 1 with the experimentally measured amplitudes of
2 vibration of the free end, but as far as the -
3 expected levels of frictional forces, I would like
4 Dr. McCarthy to be allowed to state his comments on
5 the subject.

6 DR. MC CARTHY: And I will appreciate any
7 input from Dr. Pischinger after I complete, but a
8 mechanical efficiency that resulted in frictional
9 forces of only 1 or 2 percent would be phenomenal.
10 It would be revolutionary. There's no such engine
11 in existence. I am not personally familiar with any
12 engine in this size range that's 90 percent
13 efficient, but I would invite Dr. Pischinger to
14 comment.

15 Q. May I just follow up on that? Are you
16 equating frictional losses with mechanical
17 efficiency?

18 DR. MC CARTHY: After you are working
19 with indicated gas pressure, there just remains
20 frictional losses in the mechanical system and,
21 indeed, losses remain in the oil fluid shear, which
22 is still in the fluid, so all your losses, once you
23 start working with indicated gas pressure in the
24 cylinder, that's all there is between there and the
25 drive shaft is some form of friction.

waga

1 JUDGE BRENNER: Dr. Pischinger wanted to --

2 MR. SCHEIDT: Or at least Dr. McCarthy

3 indicated that.

4 JUDGE BRENNER: I'm writing down the name
5 of the engine that has only a 2 percent friction
6 loss. I'm going to go out and buy one. Go ahead.

7 DR. PISCHINGER: It's certainly true that
8 all we are striving for is such an engine, but we
9 will certainly not have such an engine. The
10 frictional losses of 10 percent are already very
11 good values of such an engine, very small friction
12 losses.

13 Q. Dr. Johnston, in Exhibit C-17 on page 3-3,
14 first full paragraph, third sentence, it refers to
15 an expected 88 percent mechanical efficiency figure.
16 Where was that figure derived from? Isn't that the
17 mechanical efficiency value that TDI gives?

18 DR. JOHNSTON: That value is the value
19 that has been provided by TDI. Again, I would like
20 to stress that it's not a value that has been needed
21 or used in the performance of this calculation.

22 Q. Dr. Johnston, you obtained a mechanical
23 efficiency of 100 percent. Doesn't that tell you
24 something is wrong in your assumptions that you're
25 using?

waga

1 DR. JOHNSTON: I think I've already
2 indicated that, that I expected that there was a
3 difference and that that difference was due to some
4 combination of pressure measurements and errors in
5 locating the top dead center marker. I think we've
6 been through what the effects of that are and the
7 fact that the effects of that are not significant;
8 in fact, that the difference is within 5 percent or
9 between 4 and 5 percent of the measured values.

10 I agree that there is, you know, some
11 value that is not the same as the 38 percent. Of
12 course, I also don't really know that that 38
13 percent is necessarily the value for the Shoreham
14 engine. That particular value may, in fact, be
15 larger if the engine does not drive itself, very
16 many of the pumps that are used for the engine.

17 Q. So you don't know what the actual
18 mechanical efficiency is and you didn't know when
19 you wrote this report what the frictional losses
20 were and you didn't know what the explanation of
21 this mechanical efficiency was? You just assumed
22 that it was either top dead center being shifted or
23 the pressure measurements were too low and you
24 didn't check those?

25 MR. STROUPE: I'm going to object to the

waga

1 conclusion because I do think it wrongly
2 characterizes what the witness just testified to.
3 JUDGE BRENNER: We'll sustain that
4 objection. As you know, I allow leeway on experts
5 to explain answers, but that gets too compound. If
6 you want to go on to another point, go ahead. We
7 have the record on what was just very recently
8 testified to and there's no need to repeat it in a
9 compound question like that. Each of the parties
10 later can argue as to what the testimony was.

11 Q. Dr. Chen, are frictional losses normally
12 neglected or not considered by diesel engine
13 operators on calculating stresses on an engine?

14 DR. CHEN: Frictional losses in the
15 context we're discussing today are mostly fluid loss
16 caused by bearings, the pumps, and some heat
17 transfer, which is not accounted, and it has very
18 little to do with the stress. Let me explain that.
19 The stress of the engines, whether it's pistons or
20 blocks or crankshaft, is not a function of
21 mechanical efficiency. It is a function of gas
22 pressure, inertia, dynamics, vibrations, in that
23 order.

24 If Dr. Johnston would have asked me last
25 spring, he does not have good mechanical efficiency

waga

1 figures and he would not want to depend 100 percent
2 on the figures TDI gives him, I would say my lower
3 limit of this engine would be 85 percent, the
4 highest possible you can get is 90 percent, and I
5 will give you the figures. 87-and-a-half. He used
6 88. I think it's a good guess. It's about as good
7 as you can get, but the stress itself has nothing to
8 do with the assumption of whether it is 85 percent
9 or 90 percent. It depends quite a bit on the
10 pressure and the temperature you are operating at.

11 Q. And Dr. Chen, if the pressure readings
12 you get give you a mechanical efficiency of 100
13 percent, then doesn't that tell you that the
14 cylinder pressure readings may be incorrectly low?

15 DR. CHEN: I have other references to
16 show that the pressure measured is the average of
17 the maximum pressure where he is operating at, so it
18 is not low and it's not high. It just happens to be
19 in the middle.

20 Q. Dr. Chen, we've been talking about
21 average peak firing pressures. Do you know how
22 frequently the maximum peak firing pressure occurs
23 in this engine?

24 DR. CHEN: It occurs every time you
25 inject some fuel in there, which each cylinder is

waga

1 720 degrees; peak firing pressure is every two
2 revolutions.

3 Q. And how many cycles is that, Dr. Chen?
4 How often, Dr. Chen, does the peak firing pressure
5 occur; is it every cycle?

6 DR. CHEN: Every two revolutions.

7 Q. Which is two cycles, Dr. Chen?

8 DR. CHEN: Every two revolutions.

9 Q. And how many revolutions will this engine
10 run in a minute?

11 DR. CHEN: 450 rpm.

12 Q. So we have 225 times in a minute when the
13 peak firing pressure occurs in the cylinder. Isn't
14 that correct, Dr. Chen?

15 DR. CHEN: If every time is injecting,
16 yes, no miss firing, that's good mathematics.

17 Q. And doesn't that impose a significant
18 stress in the cylinder in that short time period?

19 DR. CHEN: Let's understand what you're
20 trying to get. I really don't understand what
21 you're driving at, sir.

22 Q. Dr. Pischinger, you mentioned that in
23 addition to the values shown on the graph contained
24 in LILCO Exhibit P-35 that you had to add 30 psi to
25 the figures that were shown in that graph. Isn't

waga 1 that true?

2 DR. PISCHINGER: Well, at the moment I
3 cannot recall if this graph already has 30 psi. I
4 cannot say at the moment. I would have to check.

5 DR. JOHNSTON: Could we be given a copy of
6 Exhibit P-35? I don't think we were prepared for
7 piston exhibits in this cross examination.

8 JUDGE BRENNER: I certainly don't have my
9 copy in front of me, either. If you're going to ask
10 the witnesses about it, they should be given an
11 opportunity to get a copy. If that's the only
12 question you have on it, we've got the record from
13 what Dr. Pischinger said with respect to it.

14 MR. SCHEIDT: Judge Brenner, maybe we can
15 assume the figures in that chart do not include the
16 30 psi and we can go from there.

17 MR. STROUPE: I object to that. Of
18 course we can't assume it.

19 JUDGE BRENNER: Wait a minute. We did
20 establish a record on it. I just don't remember
21 myself what the answer was. That's my problem.

22 MR. STROUPE: I understand, but I don't
23 think it's safe to make an assumption without
24 looking at the document.

25 MR. SCHEIDT: May I approach the witness.

waga 1 Judge Brenner? I have copies of the exhibit.

2 JUDGE BRENNER: Yes. Give me a moment to
3 get mine because I think I'm adding over with
4 respect to the 30 psi to the time I came in. If you
5 have a transcript reference, that would help.

6 MR. SCHEIDT: Judge Brenner, the
7 transcript reference is page 22535.

8 JUDGE BRENNER: All right. As you know,
9 we've gone into the transcript for other purposes.
10 Do you have a copy that you can direct the witness'
11 attention to? You can read it into the record. My
12 recollection is Dr. Pischinger did testify you have
13 to add the 30 psi, but I don't want to go from my
14 recollection.

15 MR. SCHEIDT: The portion of the
16 testimony appearing on 22535 from Dr. McCarthy
17 states that, "The bottom pressure is 523. The one
18 over at the right-hand side through the mean line
19 there is 1574. Now, all of these pressures, the
20 1638, the 1523, and the 1574, one has to add the
21 turbocharge boost, which is approximately 30 psi."

22 JUDGE BRENNER: And now you want to ask a
23 question about that. Why don't you proceed to the
24 question?

25 BY MR. SCHEIDT:

waga

1 Q. Dr. Pischinger, do you have a copy of
2 that exhibit there?

3 MR. STROUPE: Mr. Scheidt, may I have a
4 copy, since I was not part of the piston --

5 MR. SCHEIDT: May I approach the
6 witnesses, Judge Brenner?

7 JUDGE BRENNER: Yes.

8 Dr. McCarthy, it's the tabulation as well
9 as the graph that form the Exhibit P-35.

10 DR. MC CARTHY: Perhaps there's a slight
11 confusion. The digitalized tabular summary does
12 have the 30 psi lower pressure added. The chart,
13 the graph that looks like an electrocardiogram, you
14 have to add 30 psi to those values.

15 Q. And why is it necessary to add the 30 psi
16 to those values?

17 DR. MC CARTHY: Because in the middle of
18 the hearings, you requested backup data, and we sent
19 it out by telecopy, and had it been prepared as a
20 presentation exhibit, we would have had it at the
21 offset.

22 Q. Why is it necessary to add the
23 turbocharge boost pressure?

24 DR. MC CARTHY: Because the pressure in
25 the manifold has a zero set point. We know the

waga .1 amplifier is zero — we know the chamber pressure is
.2 zero at the boost pressure with the turbocharger, so
.3 that's the steady state baseline pressure of the
.4 cylinder and that starts 30 psi above atmosphere.

.5 MR. SCHEIDT: I have no further questions
.6 on that exhibit, Judge Brenner.

.7 JUDGE BRENNER: I hope you're not losing
.8 sight of your main points in the cross plan by some
.9 of these side trips you're making.

.10 MR. SCHEIDT: I hope not also, Judge
.11 Brenner.

.12 JUDGE BRENNER: Some of the differences
.13 that you're inquiring into may not be proportional
.14 to the amount of time being spent on the differences.

.15 Q. Dr. Johnston, in your dynamic torsional
.16 model of the replacement crankshafts, your
.17 calculated values for nominal shear stress show for
.18 the space between cylinder No. 5 and 6 that the sum
.19 of all 24 orders is 7,006. Isn't that correct?

.20 DR. JOHNSTON: Yes.

.21 Q. In fact, the actual maximum stresses in
.22 that area may be higher. Isn't that true, Dr.
.23 Johnston?

.24 DR. JOHNSTON: If you're referring to the
.25 effect of the stress concentration factors induced

waga

1 by the fillets, yes, indeed, the actual true
2 stresses would be considerably higher, and those
3 would be the stresses that have been calculated by
4 the finite element model, and those would also be
5 the stresses that were measured by the full scale
6 dynamic strain gauge test on the EDG 103, and those
7 would have been the values, then, that would have
8 been used to compare with an endurance limit to
9 calculate the margin of safety for the crankshaft.

10 Q. And this dynamic torsional model is based
11 on the assumption that the crankshaft is a long,
12 circular cylinder. Isn't that true, Dr. Johnston?

13 DR. JOHNSTON: That is not actually
14 correct. The model for the modal superposition
15 assumes a system of lump masses on torsional -- in a
16 sense, torsional beams, but those beams have
17 equivalent stiffnesses which are calculated based on
18 the actual measurements of the pin, the main journal,
19 and the web. The calculation of the nominal
20 stresses shown here from the torsion that are
21 computed from the modal superposition model are done
22 for a pin that has a twelve-inch diameter using the
23 shear stress equal to the torque times the radius
24 divided by the polar moment of inertia.

25 Q. But this model, the dynamic torsional

waga

1 model does not take into consideration the stress
2 concentration factors that are present in the
3 crankshaft, isn't that true, Dr. Johnston?

4 DR. JOHNSTON: That is correct.

5 Q. You performed calculations of the
6 stresses that would be present in crankpins No. 5
7 and crankpin No. 7. Isn't that correct, Dr.
8 Johnston.

9 DR. JOHNSTON: Yes.

10 Q. And you modeled two cases for each of
11 those crankpins. Isn't that true, Dr. Johnston?

12 DR. JOHNSTON: Two different sets of
13 boundary conditions were used in the torsional
14 analysis of the crankshaft using the finite element
15 model.

16 Q. Should actual measurements in that area,
17 strain gage measurements in that area fall between
18 the results calculated by the finite element model?

19 MR. STROUPE: May I have the question
20 read back. I didn't catch the last part of it.

21 (Pending question read by the reporter.)

22 BY MR. SCHEIDT:

23 Q. Perhaps, Dr. Johnston, if I clarify the
24 question, you can answer more easily. For a
25 particular crankpin, should the experimental -- or

waga 1 should I say strain gauge measurements fall between
2 the results calculated from the two boundary
3 conditions?

4 DR. JOHNSTON: For the determination of
5 the stresses in the crankpin fillet area due to
6 torsional stresses alone, you would expect the two
7 boundary conditions to bracket the stresses that
8 were obtained by measurement. If you look on
9 Exhibit C-17, table 3.7, and table 3.6, show the
10 results for -- I gave them in reverse order -- for
11 crankpin 7 and crankpin No. 5, you will find that
12 the results for crankpin No. 5 do, indeed, show a
13 bracketing of the measured results by the two finite
14 element models. That would be expected and was
15 found because of the fact that the stresses on
16 crankpin No. 5 are essentially exclusively due to
17 torsion.

18 If you look at the same comparison on
19 crankpin No. 7, you will find that the range of
20 principal stress is, again, bracketed by the two
21 boundary conditions, although the range of
22 equivalent stress falls outside of that bracket by
23 what looks to me to be about one-and-a-half percent,
24 a pretty small indication. This would be due to the
25 fact that on crankpin No. 7, there is a small effect

waga

1 of bending, which would mean that these two
2 particular boundary conditions would not cover² that
3 specific case and additional analyses using boundary
4 conditions suitable for bending analysis would be
5 needed to include the bracket; however, the
6 discrepancy is so small that it was considered that
7 it would complicate the presentation to provide all
8 of those additional cases.

9 Furthermore, I would like to point out
10 the thrust and the reason for the finite element
11 calculations here. The analysis that is done in
12 Section 3 of this report, Exhibit C-17, was aimed at
13 calculating a margin, calculating the margin of
14 safety for the replacement crankshafts. That margin
15 of safety is dependent only directly on the measured
16 stresses in the 13-by-12 inch crankshaft to
17 calculate the stress and the measured stresses in
18 the 13-by-11 inch crankshaft to determine the
19 allowable limit. The finite element results were,
20 however, performed — calculations were, however,
21 performed in order to demonstrate the location where
22 the strain gauges should be placed on the
23 replacement crankshaft.

24 The gauges were to be placed in the
25 locations of maximum stress that would be indicated

waga

1 both around the circumference of the pin and within
2 the fillet, as indicated in figures 3-8 through 3-11
3 of the same exhibit. It is worth noting that while
4 the individual stresses — distribution of principal
5 stresses varies by a considerable amount between the
6 two bounding finite element load cases, the location
7 of the maximum stress is determined to be the same
8 under both conditions, and it is only the location
9 of the maximum stress that was used as input to the
10 strain gage test to be sure that the strain gauges
11 were, in fact, located in the places of maximum
12 stress.

13 Q. Dr. Johnston, with respect to crankpin
14 No. 7, you mention that you believe that the reason
15 the measured value exceeded the predicted value was
16 due to bending. Did you perform any investigation
17 or calculation or analysis to determine whether, in
18 fact, the additional stress was due to bending?

19 DR. JOHNSTON: Yes. Calculations were
20 performed to compute the bending stresses, maximum
21 bending stresses in the crankshaft.

22 Q. In crankpin No. 7, Dr. Johnston?

23 DR. JOHNSTON: In all crankpins, and --
24 excuse me, I need you to find the location in the
25 report to refer you to. I refer to page 3-7 of the

waga

1 same exhibit, C-17. The maximum stress in any
2 crankpin due to bending was computed to be 15.5 ksi,
3 which is physically in a different location than the
4 location of maximum stress due to torsion, because
5 of the fact the location for maximum bending is
6 essentially at the bottom of the crankpin when the
7 pin is at top dead center, and the location of
8 maximum torsional stress occurs some 45 or 50
9 degrees around the crankpin away from that.

10 In addition, this particular stress
11 occurs at a different point in time than the maximum
12 torsional stresses. The net result is that the
13 maximum stress that occurs on this crankshaft, which
14 is, after all, the stress that we were most
15 interested in in determining the factor of safety
16 for the crankshaft, occurs on pin No. 5 and is shown
17 in table 3.6 to be at a range of 49.3 ksi.

18 On pin No. 7, there is a small overlap in
19 time between the occurrence of the bending stress
20 and the occurrence of a secondary peak of torsional
21 stress, which causes the range of equivalent stress
22 to be 44.5 ksi. That is the number in the bottom,
23 right-hand corner of table 3.7, that causes that
24 particular number to fall outside of the range of
25 the two numbers above it, but again, I'd like to

waga

1 point out that this number is only slightly outside
2 of this range and is, in addition, significantly
3 lower than the maximum stress, which is shown on the
4 previous page.

5 Q. Dr. McCarthy, in your references in
6 Exhibit C-26, you referred -- the documents
7 contained in Exhibit C-26 refer to various safety
8 factors. How were these categories of numerical
9 values derived?

10 DR. MC CARTHY: You mean how have the
11 safety factors reflected in these various references
12 been derived?

13 Q. Exactly.

14 DR. MC CARTHY: Basically over the years,
15 engineering has progressed and we have a better
16 understanding of materials and loads and ways of
17 calculating same and, of course, more powerful tools
18 like computers. The result is that there have been
19 general guidelines set down in various standard
20 references and also collected in other literature
21 that set forth what have been found to be acceptable
22 margins in design for various applications under
23 various circumstances. There are obviously a body
24 of very specific literature that also deals with
25 very specific products.

waga

1 Q. Well, Dr. McCarthy, are those values
2 obtained from field failures, from laboratory
3 experiments, or other sources?

4 DR. MC CARTHY: Basically through a large
5 body of experience and, of course, part of all
6 experience in engineering is designs that didn't
7 work. Most of the values that I have set forth in
8 that appendix and in my testimony are values that
9 are taken out of design texts that are very widely
10 used, Shigley being the most widely used in this
11 country, Machinery Handbook, a reference I cited,
12 the particular volume which I cited was the 18th
13 edition. I have the first edition of the Machinery
14 Encyclopedia presented in 1910 on my bookshelf as
15 well. This particular reference reflects a huge
16 amount of past design experience and learning from
17 designs that worked effectively and designs that
18 didn't work effectively.

19 Q. In the time period between 1910 and the
20 current edition, have those values changed at all?

21 DR. MC CARTHY: Oh, yes. In the old days,
22 in the older design references, it's not uncommon to
23 see factors of safety like twenty or something cited
24 because people didn't understand stress
25 concentrations, materials. In fact, very often

waga

1 you'll see just a single factor of safety designated
2 to take care of fatigue loading and the factor-of
3 safety will be stated on the ultimate strength, so
4 you'll see design tests saying for something that's
5 cyclically loaded, use a factor of safety of 10 to
6 20 on the ultimate strength, when what they were
7 going to do was figure out a way to get people down
8 to the endurance limit by use of a single parameter,
9 because at the present time of endurance limit was
10 not well understood.

11 Q. Do you know when these figures were last
12 revised in Machinery Handbook?

13 DR. MC CARTHY: Well, the 13th edition,
14 the second printing was 1969. I don't know when
15 these particular values were published; however,
16 with each succeeding publication of an engineering
17 handbook, the values invariably go down, not up. In
18 other words, acceptable factors of safety reduce.

19 Q. But you don't know whether these have
20 gone down or not, do you?

21 DR. MC CARTHY: If there has been a
22 subsequent edition, I assure you, they've gone down.

23 Q. Now, in fact, in your third article,
24 Mechanical Design and Systems Handbook, those values
25 have remained the same, at least since 1964. Isn't

waga

1 that true, Dr. McCarthy?

2 DR. MC CARTHY: Remained the same at
3 least — I do not have multiple editions of
4 Mechanical Designs and Systems Handbook and I don't
5 recollect the printing date of this edition.

6 Q. But you don't know when the last time
7 these were revised either, do you, Dr. McCarthy?

8 DR. MC CARTHY: No. These are, if
9 anything, too conservative because they're a little
10 dated, but this is a very widely accepted text.

11 Q. Dr. McCarthy, in note 2 of that article
12 in Exhibit C-26, it states that: "For castings,
13 forgings, et cetera, factors of safety here used do
14 not usually vary appreciably from those presented
15 above." Now, do you know under what circumstances
16 this reference suggests that forgings may vary
17 appreciably from the factors of safety cited in the
18 article?

19 DR. MC CARTHY: I do not recollect a
20 discussion of forgings in this article. I know
21 generally under what conditions, castings especially
22 and forgings sometimes, have to be used by larger
23 factors of safety.

24 Q. Do you know whether these factors of
25 safety that are cited in here are derived from

waga 1 experience with failures of crankshafts?

2 DR. MC CARTHY: I do not know. I do not
3 know what specific body of failures went into the
4 author's mind for these specific recommendations.
5 They certainly, in my opinion, would be more than
6 applicable to crankshafts.

7 Q. Do you know whether the other articles
8 that you have referred to in Exhibit C-26 encompass
9 failures of crankshafts?

10 DR. MC CARTHY: I have only personal
11 knowledge relative to the Shigley article because I
12 did my undergraduate work at the University of
13 Michigan in the Rheology and Fracture Lab, and Dr.
14 Shigley is a professor on the faculty at the
15 University of Michigan, and the University of
16 Michigan is heavily associated with the automotive
17 business, and automotive type-fatigue calculations
18 were, including crankshafts, were a significant part
19 of the type of research that we used to do and
20 undoubtedly form a part of his body of
21 recommendations.

22 JUDGE BRENNER: You're on the last point
23 in your cross plan with respect to this panel of
24 witnesses. Correct? It's almost quarter to five.
25 I want to leave sometime to discuss scheduling --

waga

1 MR. SCHEIDT: That's why I moved to this
 2 subject, Judge Brenner, in the fear you might say
 3 that you would cut me off at five o'clock.

4 JUDGE BRENNER: There was nothing to
 5 figure. I told you we would, subject to it being
 6 demonstrated that you would need more time.

7 MR. SCHEIDT: May I respond to that?

8 JUDGE BRENNER: Are you about finished,
 9 in any event?

10 MR. SCHEIDT: No, I have more than the
 11 remaining time until five o'clock on this subject,
 12 if I'm allowed to pursue it as fully as I care to.

13 JUDGE BRENNER: How much do you have?

14 MR. SCHEIDT: I would predict about an
 15 hour, Judge Brenner, and I might point out we did
 16 lose a half hour this morning and we lost a couple
 17 of more, five or ten minutes, this afternoon.

18 JUDGE BRENNER: I guess I don't recall
 19 where you lost a half hour subsequent to the time I
 20 told you that we were expecting to finish by the end
 21 of the day. Give us some time.

22 (The judges confer off the record.)

23 JUDGE BRENNER: We, of course, have
 24 reviewed the principal points in the cross plan as
 25 recently as the time I gave you the estimate that we

waga

1 would expect you to finish by the end of the day.
2 Why don't you stop your cross-examination now for
3 purposes of being able to discuss scheduling? It
4 appears to us that you've been able to cover your
5 main points and, in fact, you've spent some time
6 going over things that were out of proportion. I
7 recognize some of that is hindsight, but not all of
8 it. Some of it got more repetitive than necessary.

9 I can't put a stop watch on it, but we
10 think the time we gave was adequate. We're not
11 going to rob you of the 15 minutes remaining. We'll
12 give you the 15 minutes at the outset tomorrow
13 morning, and that will be your time limit. You'll
14 have the advantage that you would not otherwise have
15 had being able to compose your thoughts so that you
16 can be more efficient. After the 15 minutes, we'll
17 put into the record what you wanted to cover but
18 couldn't so you can have your record on it, if you
19 feel it's necessary. Then we'll go to the Staff's
20 questions of this panel.

21 How much does the Staff have?

22 MR. GODDARD: Not more than one half a
23 day. We would hope to finish by noon, possibly
24 early afternoon.

25 JUDGE BRENNER: All right. We can let

waga 1 the witnesses go at this point and we can discuss
2 scheduling. They're excused until nine o'clock
3 tomorrow morning. What time did Dr. McCarthy have
4 to leave?

5 MR. STROUPE: Around twelve o'clock. Is
6 that correct?

7 DR. MC CARTHY: That's the current plan,
8 but I'll be going away to a trial and if more time
9 stretches on, I will stay as long as possible.

10 JUDGE BRENNER: I will ask the Staff to
11 ask his questions of Dr. McCarthy first. You can
12 see the area of his prime concentration does fit
13 within the area of the testimony, and if we have any
14 questions, we'll ask them also, I think. He has
15 limited time. We can accommodate him. I hope not
16 to be here again this late before the time the
17 witness has to go. However, circumstances here are
18 such that we don't have to inquire into the priority
19 of being in Detroit as opposed to Hauppauge. I will
20 not ask for evaluation of how they compare. I'm
21 ready to hear.

22 MR. GODDARD: Judge Brenner, I think I
23 should begin by stating the problem the Staff has
24 experienced with the nonavailability of Dr. Bush as
25 our primary witness with regard to the metallurgy of

waga

1 the blocks and shot peening, plus one individual
2 question on crankshafts generally. Dr. Bush is
3 going to be in Europe because of a prior commitment
4 for the period of 9 to 23, October, inclusive.

5 If the Board believes that this hearing
6 will still be in session, it would be quite
7 convenient for Dr. Bush to return and be available
8 to testify from Wednesday, October 24th, as long as
9 as is necessary, until the NRC Staff panel on blocks
10 completes its testimony. I don't know whether the
11 Board has plans at this time of wrapping up this
12 entire hearing prior to that date. In the event --

13 JUDGE BRENNER: Mr. Ellis has from time
14 to time, and you can report this to him, I have
15 hopes.

16 MR. GODDARD: I understand. In the event
17 this is not compatible with the Board's plans for
18 this hearing, Dr. Bush is available, I'm afraid,
19 only on Monday and Tuesday of next week, that being
20 the 24th and 25th of September.

21 JUDGE BRENNER: Didn't you tell us he was
22 available sometime this week?

23 MR. GODDARD: And Thursday this week.
24 That is correct. I anticipate the way the schedule
25 is set in this proceeding, it would be only a half a

waga 1 day this week, but he would be available.

2 Dr. Sarsten, the Staff's primary witness
3 on the subject of the crankshafts — who, I might
4 add, testifies on no other subject — is available
5 continuously through October 5th, which is a Friday;
6 however, he will not be available at any time
7 thereafter, as he is returning to his teaching
8 position at Norway Institute of Technology in
9 Fraundheim (phonetic), Norway.

10 The parties have discussed the potential
11 scheduling of both the Staff's panel on crankshafts
12 to include shot peening and the Staff's panel on
13 blocks, and I think I can state that they have
14 agreed that we could take them out of turn; however,
15 it would create considerable discontinuity in this
16 proceeding. If the Board anticipates this hearing
17 will proceed into late October and possibly the
18 first week of November, the Staff would prefer —
19 and I don't feel either party would object — to the
20 Staff putting on its panel on the blocks beginning
21 on Wednesday, October 24th.

22 JUDGE BRENNER: You've got inconsistent
23 witness problems. One of them is here now, gone
24 tomorrow, one of them is gone now, here tomorrow.
25 I'm exaggerating, but —

waga

1 MR. GODDARD: Hard cases make bad
2 scheduling.

3 MR. DYNNER: Judge Brenner, I can try to
4 give you a quick picture of the county's position on
5 the scheduling. First of all, I want to report to
6 the Board a late breaking development. Prior to the
7 start of this hearing, the County made a proposal to
8 settle the issue of the cylinder heads. This
9 afternoon at the last break, I was handed a letter
10 from Mr. Ellis representing LILCO.

11 This letter indicates that the parties
12 appear to be close to the resolution of that issue
13 for submittal to the Board. Obviously this is a
14 matter that I want to have additional discussions on
15 with the Staff as well as getting back to Mr. Ellis
16 on some points where we still have some differences,
17 but I can say that it appears very possible that the
18 issue of the cylinder heads will be settled.

19 For that reason, it seemed to the County
20 that the appropriate way to proceed would be to
21 conclude with the cylinder — I'm sorry, conclude
22 with the crankshafts on the shot peening panel
23 following the panel that is currently before us and
24 then go ahead with the Professor Sarsten out of turn
25 in order to be sure that he has an opportunity to

waga

1 testify before he goes back to Norway on the
2 crankshafts, which, as Mr. Goddard had said, is the
3 principal area that he is testifying on.

4 JUDGE BRENNER: You're anticipating me.
5 I was going to suggest that, too, with the footnote
6 we could take Dr. Bush on shot peening before
7 Professor Sarsten.

8 MR. DYNNER: Then it seems to us
9 following Professor Sarsten's testimony on the
10 crankshafts, we could go ahead, again, picking up
11 the County's cross-examination of the LILCO panel
12 and proceed to begin the cylinder block component.
13 That may well put Mr. Bush for the 24th in at least
14 a reasonable position insofar as the
15 cross-examination of the County's panel would, of
16 course, follow the County's cross-examination of
17 LILCO's panel on the blocks.

18 I'm stating this not having come to any
19 agreement with the other parties because Mr. Goddard
20 at our last break did not have a complete report on
21 Dr. Bush's availability until just before we started
22 speaking when it became apparent that Dr. Bush would
23 be available on the 24th on.

24 JUDGE BRENNER: Can we put Dr. Bush on
25 the subject of shot peening on the stand at the same

waga 1 time that LILCO witnesses are on that subject?

2 MR. GODDARD: The Staff sees no reason
3 why not at this time.

4 MR. STROUPE: LILCO's only problem with
5 the proposal Mr. Dynner has made, as I've indicated
6 to him, is that we had, perhaps incorrectly, assumed
7 that the crankshaft issue would most possibly be
8 going through Thursday of this week until 12:45.

9 JUDGE BRENNER: Including shot peening?

10 MR. STROUPE: No. My witnesses on shot
11 peening may well not be available until Monday. We
12 have sort of a different problem there because
13 rather than consultants, we have two outside people
14 who are with Metal Improvements who actually
15 performed the shot peening at Shoreham, and I really
16 don't have a whole lot of control over either one of
17 those gentlemen.

18 JUDGE BRENNER: Where are they located
19 physically?

20 MR. STROUPE: One in Chicago and the
21 other one is in New Jersey.

22 JUDGE BRENNER: As I said before in this
23 case, it's not going to pay --

24 MR. STROUPE: I understand that, but we
25 are certainly willing to allow the Staff with Mr.

waga

1 Bush on the blocks and shot peening, and I think
2 we're agreeable to having Mr. Sarsten taken out of
3 turn. Again, our only concern is that we're able to
4 get our witnesses here on the shot peening when
5 they're needed.

6 JUDGE BRENNER: I believe that we should
7 be able to start shot peening no later than the
8 beginning of Thursday. I may prove wrong, but I
9 believe that right now.

10 MR. STROUPE: I must confess I based my
11 estimate on the fact two-and-a-half days were spent
12 last week on pistons, which I did not feel to be as
13 complicated an issue as the crankshafts, so I used
14 the wrong assumption.

15 JUDGE BRENNER: You want to support Mr.
16 Sheidt's request for more time?

17 MR. STROUPE: That was not my intent.

18 MR. DYNNER: This is a precedent. It
19 should be recorded for posterity.

20 JUDGE BRENNER: I'll give you my view
21 that we were very liberal in the time we allowed for
22 cross-examination by the County last week -- we were
23 somewhat liberal.

24 MR. GODDARD: Judge Brenner, as opposed
25 to putting on Dr. Bush with the LILCO panel in

waga

1 regard to shot peening, the Staff would have no
 2 objection to making Dr. Bush available on that
 3 subject by himself on Thursday. That might give us
 4 a chance to utilize that time productively.

5 JUDGE BRENNER: It would be, I think,
 6 more efficient to put them on together. For one
 7 thing, sometimes it's useful to put certain
 8 questions to non-LILCO witnesses, including Staff
 9 and County witnesses, based on some of the testimony
 10 we get from LILCO witnesses, and by putting them on
 11 together, I will not be deprived of that opportunity,
 12 and if I had my druthers and we put them on and you
 13 wanted them on separately, I'd put Dr. Bush on
 14 second, rather than first, unless that runs a risk
 15 for the following week, although I think we could
 16 finish within his schedule.

17 I thought rather than get to the point
 18 where people started feeling too pressured at the
 19 end, we could put them on together. Why don't you
 20 put — "you" being LILCO. Find out what the
 21 situation is with your shot peening witnesses. I
 22 recognize you raise it now as a potential problem,
 23 so I won't tell you tomorrow if you say something
 24 today. You've achieved that. See if you can put
 25 them on standby with the possibility that they might

waga

1 well have to be here at the beginning of Thursday
2 and, given their geography, I think that would be
3 time enough to update them around midday tomorrow,
4 and we can see what that situation is. We'll find
5 some way to take Dr. Bush on shot peening, so you
6 better have him on standby to be here whenever we
7 get to it.

8 MR. GODDARD: Yes, Judge Brenner. He
9 arrives tonight and he will be available through the
10 25th -- tomorrow night. He arrives tomorrow night.
11 I stand corrected.

12 JUDGE BRENNER: That takes care of shot
13 peening. Subject to our having to make some other
14 adjustment for LILCO witnesses, which if we have to,
15 we could make, but I think what would be more
16 efficient in terms of finishing --

17 MR. STROUPE: I agree fully with that.
18 It's just a question of scheduling. I will still, I
19 think, probably be able to reach, at least the
20 witness in Chicago maybe now with the time
21 difference.

22 JUDGE BRENNER: I also understand why you
23 want to take up the County's cross-examination of
24 LILCO witnesses on blocks ahead of the County's
25 cross-examination of LILCO witnesses on cylinder

waga

1 heads for the reasons indicated, and another reason
2 would be that if cylinder heads are not settled, as
3 I recall, Dr. Pischinger is one of the witnesses on
4 cylinder heads, and this would give him time to
5 return to Germany, with the possibility of coming
6 back here for heads.

7 MR. STROUPE: He is a witness on cylinder
8 heads if, in fact, that is not settled, but of
9 course LILCO does have the desires we've expressed,
10 both to Mr. Dynner and Mr. Goddard, if at all
11 possible to take the cylinder blocks last because,
12 as everyone knows, there are some ongoing analyses
13 that have yet to be completed.

14 JUDGE BRENNER: I thought one of the
15 reasons for putting that ahead of blocks was to see
16 if we could get to it while Dr. Pischinger is here.
17 Now that that's not possible, it might make sense to
18 switch it around. I don't know what is ongoing on
19 blocks.

20 MR. STROUPE: Well, there are some
21 additional analyses being done and, as I think was
22 indicated, maybe at the outset of the hearing or at
23 least during one of the Board conference calls that
24 we had, there is the possibility of supplemental
25 testimony being requested.

waga

1 JUDGE BRENNER: Mr. Dynner said something
2 about it, oddly enough, not LILCO, and I said I
3 don't know anything about it, and that was all I
4 heard. That was the end of the conversation. I'll
5 repeat, I don't know anything about it. If you want
6 to make some motions, we'll consider them. You've
7 seen the footnote on one of our previous orders
8 regarding Staff testimony.

9 Well, I'd like to know sooner rather than
10 later whether we're going to have the cross-
11 examination of LILCO witnesses on heads ahead of
12 blocks or whether we'll take the blocks ahead of the
13 cylinder heads, and we'll make a decision, if we
14 have to, but see if you can work it out and let us
15 know tomorrow sometime, sometime tomorrow.

16 MR. DYNNER: If I could just make one
17 comment, we're going to proceed as quickly as we can
18 to try and see whether we can get the cylinder head
19 issue resolved. As you well know, that sometimes
20 takes some time because our client is not an
21 individual, but we have to go through some layers of
22 bureaucracy to do that, and while we will be able to
23 give you a very good idea and give LILCO a very good
24 idea, once we have our discussions with them and
25 even before we go through the layers of the

waga 1 bureaucracy, I doubt very much whether that can be
2 tomorrow, Judge Brenner, and our obvious desire is
3 that we not spend valuable time starting the
4 litigation of an issue that we believe may well be
5 resolved, simply to defer an issue that may or may
6 not have supplementary testimony that we don't know
7 anything about, either.

8 JUDGE BRENNER: Let me put it this way.
9 I understand why you might not get your client here
10 by tomorrow, but we've been through this before.
11 I'm hoping that you, yourself, have a reasonable
12 feel for your recommendation as counsel by tomorrow,
13 and we can make some judgments on that.

14 MR. DYNNER: We will do the best we can.

15 JUDGE BRENNER: Thursday morning at the
16 latest, let's put it that way. I won't describe the
17 nature of the review by your client.

18 After we finish crankshafts, including
19 shot peening, we could take Professor Sarsten on
20 crankshafts. I assume that if we get to him next
21 week, he will be here?

22 MR. GODDARD: Yes, sir.

23 JUDGE BRENNER: Of course, you can judge
24 as things get close as to whether it looks like
25 we're going to get to him or not, and we'll take him

waga

1 the week of October 1st. We're not going to run on
2 October 5th, so I think we should be able to
3 complete it earlier than October 5th.

4 The Staff testimony is not cleanly
5 divided up on some subjects, and tell me a little
6 more later, not now, as to who you would be putting
7 up for crankshafts, whether you want to try to make
8 some division with just Professor Sarsten or other
9 witnesses up with him. Talk to the parties about
10 that first after you have had a chance to consider
11 and then let us know.

12 MR. GODDARD: Yes, sir.

13 JUDGE BRENNER: This week; let us know
14 this week. That takes care of the short range
15 problems. I don't think I'm going to be able to
16 solve your problem. It's your problem, not our
17 problem, with respect to Dr. Bush on the blocks. I
18 do not want you to assume that we will still be in
19 hearing on October 24th and thereafter. We might be,
20 and certainly if it's just by a day or so, I'm sure
21 we can make some accommodation, but I don't want to
22 hold the hearing open for some lengthier period of
23 time just to take one witness. There are a lot of
24 people involved and very complex schedules, our
25 schedules as well as the parties'.

waga

1 MR. GODDARD: The Staff understands that,
2 Judge Brenner. Dr. Bush was a late addition to the
3 panel in our PNL witnesses —

4 JUDGE BRENNER: You told me that in the
5 context of your nonapology the other day. You
6 pointed it out, but at the time you added him as a
7 witness, you knew the schedule of the proceeding, so
8 I comment on some of the cross-examination of the
9 materiality of which came first. I don't know why
10 he has to be in Europe. I assume it's important, to
11 him, at least, and you may have to get him to make a
12 closer judgment. Why does he have to be in Europe
13 for that lengthy a period of time without the
14 possibility of parole for time to testify here?

15 MR. GODDARD: He is involved with an
16 organization which is doing some planning for coming
17 here with regard to metallurgical programs, and he
18 is an officer of the organization, or at least
19 primarily a consultant to it. His presence there is,
20 in his opinion, required. He is involved in the
21 planning, and this is a commitment that did exist
22 prior to his becoming a witness for the Staff in
23 this proceeding, and we appreciate the problems this
24 may cause and we hope it will work itself out.

25 JUDGE BRENNER: I don't know if it will

waga

1 work itself out, and the reason I say that is I
2 don't know that the proceeding necessarily will last
3 that long, not that your witnesses don't have
4 scheduling problems, but if it works out, we're
5 going to be here longer than I had hoped. We may be,
6 and you'll see as things unfold, we'll have time to
7 adjust, but as we get close to the beginning of the
8 time of his departure to Europe, as we approach
9 October 9th, you'll have a better feel for the
10 situation, as will we, and we can discuss it again
11 then, and it may be that you can find out whether he
12 has to be there each and every day in Europe, that
13 is, or whether there is some block of time by which,
14 this being an organization, he can become involved a
15 little later or finish a little earlier and
16 concentrate his efforts on one end or the other end,
17 and if he is unable to or unwilling to do that, you
18 may need another witness.

19 MR. GODDARD: The Staff is aware of that
20 possibility and has taken some steps in that regard.
21 The primary problem at this point in time within the
22 context of this proceeding is it's just too early to
23 tell.

24 JUDGE BRENNER: It's too early to tell but
25 it's not too early for you to have backups well in

waga

1 hand, and if you're going to do that, you need to do
2 it sooner so the other parties know what other
3 witness or witnesses you might have in mind, if
4 there are such other witnesses, their qualifications,
5 and then if you want to take some prehearing steps
6 with regard to those witnesses. You can't wait
7 until the last minute and say, Here's witness B
8 instead of witness A.

9 MR. GODDARD: Your comments are
10 understood by the Staff.

11 JUDGE BRENNER: But you'll know more and
12 we'll know more. I recognize, Mr. Goddard, you're
13 the messenger in this regard. So the parties will
14 give us information on whether we'll take cylinder
15 heads up ahead of cylinder blocks and that will
16 depend on the settlement discussions before we get
17 that point; however, we will finish with crankshafts
18 and precisely how we will finish in terms of the
19 shot peening witnesses, we will know more about
20 tomorrow.

21 The preference would be to put Dr. Bush
22 on the panel with LILCO witnesses, recognizing, as
23 we have, what we've done prior to this time in this
24 proceeding. They're testifying on behalf of
25 different parties, of course. Would Dr. Bush be the

waga

1 only Staff witness on the stand for shot peening?

2 MR. GODDARD: That is correct, Judge
3 Brenner.

4 JUDGE BRENNER: If there's nothing
5 further, I think we've solved all the problems
6 except Dr. Bush on blocks, and we'll see how that
7 works out, but the Staff in the meantime is going to
8 prepare for the eventuality that may not work out.

9 MR. GODDARD: We are prepared for it,
10 Judge Brenner.

11 JUDGE BRENNER: Prepare, including the
12 disclosure to everybody.

13 MR. GODDARD: We will disclose — as a
14 matter of fact, the Staff's backup witness is a Mr.
15 John Tobin, who is present at this time, and we will
16 make his qualifications available to the parties
17 this week.

18 JUDGE BRENNER: I missed his name. Could
19 you spell it?

20 MR. GODDARD: John Tobin, T-o-b-i-n.

21 JUDGE BRENNER: We can adjourn at this
22 time and we'll resume at nine o'clock tomorrow
23 morning. Mr. Scheidt will complete his
24 cross-examination of the first 15 minutes and we'll
25 go to the Staff.

waga

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(Whereupon, at 5:10 p.m., the hearing was
adjourned, to reconvene at 9:00 a.m.,
September 19, 1984.)

waga

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF OFFICIAL REPORTER

This is to certify that the attached proceedings before the UNITED STATES NUCLEAR REGULATORY COMMISSION in the matter of:

NAME OF PROCEEDING:

SHOREHAM NUCLEAR POWER STATION
Long Island Lighting Company

DOCKET NO.: 50-322-0L

PLACE: Hauppauge, New York

DATE: September 18, 1984

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission.

(Sigt)
(TYPED) JUDY L. FLOWER
Official Reporter
Reporter's Affiliation