ORIGINAL ACRST- 1891

OFFICIAL TRANSCRIPT OF PROCEEDINGS

TRO4 (ACRS) Delete B.White Return Original to B.White ACRS P-315

Thankst Barbara Jo #27288

Agency: Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards

Title: Joint Materials and Metallurgy/Maintenarce Practices and Procedures Subcommittee

Docket No.

COCATION Bebhasda, Maryland

CATE Thursday, February 13, 1992 PACES: 1 - 185

ACRS Office Copy - Retain for the Life of the Committee

ANN FULEY & ASSOCIATES, LTD. 1612 K St. N.W. Suite 300 Washington, D.C. 20005 (202) 293-3950

PDR	ZZ4	0384 CRS	9202	13
T-1	891		1	DR

PUBLIC NOTICE BY THE

UNITED STATE NUCLEAR REGULATORY COMMISSION'S ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

DATE: February 13, 1992

The contents of this transcript of the proceedings of the United States Nuclear Regulatory Commission's Advisory Committee on Reactor Safeguards, (date) <u>February 13, 1992</u>, as Reported herein, are a record of the discussions recorded at the meeting held on the above date.

This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
÷.	***
	ADVISCRY COMMITTEE ON REACTOR SAFEGUARDS
5	JOINT MATERIALS AND METALLURGY/MAINTENANCE PRACTICES
.6	AND PROCEDURES SUBCOMMITTEE
7	
8	Nuclear Regulatory Commission
9	Room P=110
10	7920 Norfolk Avenue
11	Bethesda, Maryland
12	
13	Thursday, February 13, 1992
14	
15	The above-entitled proceedings commenced at 8:30
16	o'clock a.m., pursuant to notice, Paul G. Shewmon,
17	Subcommittee Chairman, presiding.
1.8	PRESENT FOR THE ACRS SUBCOMMITTEE:
19	David A. Ward, Member
20	Charles J. Wylie, Member
21	Carlyle Michelson, Member
2.2	Thomas Kress, Member
23	E. Igne, Cognizant Federal Official
2.4	

	1	PARTICIPAN	TS:			
	2					
	3		R.	Fraley	R,	Bosnak
	4		R.	Art	Τ,	Vo
	5		Β.	Gore	F .	Simonen
	6		L.,	Smith	Ç.	Tomes
	7		в.,	Wendland		
	8					
	9					
	10					
	11					
	12					
	13					
	14					
	15					
	16					
	17					
	18					
	19					
	20					
	21					
	22					
	23					
	24					
-	25					
STAN SHE BUT A						

PROCEEDINGS

[8:30 a.m.]

MR. SHEWMON: The meeting will now come to order. This is a joint meeting of the Advisory Committee on Reactor Safaguards Subcommittee on Materials and Metallurgy and Maintenance Practices and Procedures.

Ż

3

4

5

6

9

10

11

12

13

I am Paul Shewmon, Subcommittee Chairman for Materials and Metallurgy. Jay Carroll is Subcommittee Chairman for Maintenarce Practices and Procedures, and he didn't make it in from California. I guess I get to Chair it alone. ACRS members in attendance are Dave Ward, Charlie Wylie, Carlyle Michelson, and Tom Kress is someplace and will appear soon.

The purpose of this meeting is to discuss the ASME 14 risk-based inspection guidelines. Mr. Elpidio Igne, on my 15 right, is the Cognizant ACRS staff member for this moeting. 1.6 The rules for participation in today's meeting have been 17 announced as part of the notice of this meeting, previously 13 published in the Federal Register on January 29, 1992. A 19 transcript of the meeting is being kept and will be made 20 available as stated in the Federal Register Notice. 21

It is requested that each speaker first identify himsel or herself, and speak with sufficient clarity and volume that he or she can be readily heard. The meeting is being recorded. We have received no written comments or requests to make oral statements from members of the public. I don't know that I have any opening remarks to make, so we will proceed. I will call on Bob Bosnak to introduce things.

4

MR. BOSNAK: Good morning. 1 am very pleased that 5 you asked our team to be present to explain exactly what we 6 mean by our project on risk-based inspection guidelines. In 7 effect, I am wearing two hats this morning. I am going to 8 be representing Ray Art who is an employee of ASME, the 9 Center for Research and Technology Development. Also, 1 am 10 the Deputy Director of the Division of Engineering in the 11 Office of Research. We are the division that is sponsoring 12 the research that is going on, and we will get into the 13 details of that particular project. 1.4

15

2

3.

4

[Slides.]

MR. BOSNAK: First of all, if Ray were here he 16 could do a much better job than I with respect to the Center 17 for Research and Technology Development. As you see here 18 from the logo, it is a bringing together of industry, 1.9 academia and government. What the Center has tried to do since its inception, which was approximately 1985, was to 21 acquire the resources that are available and particularly 22 within this area. That's another reason why the Center is 23 located in Washington rather than in New York, where a lot 24 of the activities of the society take place. 25

They have gotten together people from the National Science Foundation, from the Nuclear Regulatory Commission, Department of Energy, Department of Transportation and academia, Of course, the people that are interested in getting the results are often times industrial firms.

1

2

3

4

5.

ASME's functions, and they serve -- the projects that the Center has taken on have done a lot and also in the process have a peer review taking place. This has become very important, particularly in some of the projects that we have worked on and others as well. The last thing that I think Ray wanted to show you is the organization that the Center has.

The Board of Research and Technology Development 13 is here. This is the group that oversees the operation of 14 the Center. Currently, the Vice President of Research is 15 Ward Wiener from Georgia Tech. They have several technical 16 divisions and groups and, of course, as they have 17 highlighted here the main area that we are talking about is 18 the Codes and Standards Research Planning Committee. This 19 particular group takes direction from the Council codes and 20 standards which is up here, and the Board on Research which 21 reports to the Council on Engineering. 22

They are the two major Council's within ASME for performing engineering of standards and engineering research work.



MR. MICHELSON: Excuse me, Bob. Perhaps you 1 mentioned it and I missed it, but where is this Center 2 located? 3

MR. BOSNAK: The Center is located on L Street, 5 1828 L Street, Washington, D.C.

MR. MICHELSON: It's headquartered here, in 6 2 Washington?

8 MR. BOSNAK: Yes. That was the point that I tried to make earlier. They are not in New York, jey are here. -9. 10 Maybe Ray doesn't want to say it, but this is a source of 11 research particularly the National Science Foundation. They 12 have gotten a lot of work with that organization.

MR. MICHELSON: Could you tell me roughly how many 13 1.4 people are involved loca,ly in that?

MR. BOSNAK: A the Center the technical staff 15 1.6 area there are about five people.

17 MR. MICHELSON: Most of this is people -- the 18 Center really functions with people coming in from industry 19 and elsewhere and leaving again.

20

4

MR. BOSNAK: Yes.

21 [Slides.]

MR. BOSNAK: With respect to putting on my other 22 23 hat, this is with respect to what the NRC has been doing in 24 trying to organize this particular project. As you see here for the first bullet, there are many complex structures -- I

am not just speaking of nuclear power plants -- that cost 2 billions of dollars. They are very difficult to inspect. In fact, some of them when they were built, were practically un-inspectable. So, as these things age and you need to assess what is going on with respect to the overall plant, 5 and we are not just talking about a section of piping. We 6 7 are talking about, again, a complex plant with systems, 8 components and now best to go about it.

1

3

4

As you know currently, there is only one section 9 10 of the ASME Boiler and Pressure Vessel Code at least, that deals with inservice instaction. That is Section XI. 11 Section XI is based on Section III. Section III has five 12 classifications for construction. Two of the five are 13 14 really the same as -- let me tell you exactly what they are. 15 They are Class 1, Class 2, Class 3, Class MC which is metal 16 containment, and Class CS which is core support structures. 17 Core support structures is very much the same as the Class 18 1. Class MC is very much like Class 2.

So, in effect, there are three ways of building a 19 system. While they are not inherently talking about risk, 20 the regulatory actions have directed people to build the 21 22 more risk sensitive structures to the higher classifications. Section XI, of course, has done the same thing. We are talking about implicit recognition of risk 24 through engineering judgment and gualitati's methods.

It would be a lot better if there were a methodology that one could follow that would explicitly recognize risk and could, in a systemized way, come up with procedures for what to inspect, when to inspect, how to inspect, that would recognize 'gain the consequences of a failure. The Codes and Standards Research Planning Committee and the Board on Research and Technology Development, the Council Codes and Standards, this is back in -- you will see a slide here on chronology -- in about the 1986, 1987 timeframe endorsed the project.

Some of you may know Ernie Damen. He was the initial Chairman of the Codes and Standards Research Planning Committee from Foster Wheeler.

MR. SHEWMON: Bob, you know more about the Code than I do, but there certainly are some -- you must inspect primary systems within ten years and so much at periodic intervals. There are things of that sort, yet you talk about Codes and Standards that cover periodic inspections are practically non-existent. Are we going to get into what you =-

21 MR. BOSNAK: What I am talking about, I am talking 22 about not just nuclear. I am talking about our broad-based 23 complex structures, petrochemical.

MR. SHEWMON: Okay.

25

24

2

3

4

8

6

7

8

9

10

11

12

13

MR. BOSNAK: If you will, bridges, transportation,

all of that. The only thing that we have -- that's why I say it's practically non-existent, with the exception of Section XI.

-

MR. SHEWMON: Okay.

MR. MICHELSON: While you are interrupted, let me ask a couple of more questions. This ASME Center, how many years has it been in existence?

8

1

2

3

4

5

6

7

MR. BOSNAK: Since 1985.

9 MR. MICHELSON: Since 1985. I assume that motor 10 operated valves in an integral part of what this Center is 11 going to be handling?

12

22

25

MR. BOSNAK: Right now, it is not.

MR. MICHELSON: I was going to ask then, what the relationship is to the activity up in Ph'ladelphia on motor operated valves at the Eddie Stone Plant.

MR. BOSNAK: You are talking about -- there are several organizations, EPRI as you know, the check valve group. MR. MICHELSON: Let me tell you what bothers me a little bit. If I were worried about rick and I wanted to pick out components that were particularly troublesome in that regard, I would pick out all the valves in the plant.

MR. BOSNAK: We know.

23 MR. MICHELSON: Yet, that big piece of sisk is not 24 in your program.

MR. BOSNAK: That's correct.



MR. MICHELSON: Is there a good reason for that? 1 MR. BOSNAK: The scope of the program is such that 3 we are talking about what I would call passive components. MR. MICHELSON: Section XI. of course, talks about 4 5 the valves and so forth. Part of your Section XI --MR. BOSNAK: We do only for the pressure boundary. 6 7 The things that you and I know that we are talking about, valve testing, have now been moved. We are not trying to +-8 9 MR. MICHELSON: It's not a part of Section XI any 10 longer? 11 MR. BOSNAK: No longer. 12 MR. MICHELSON: I didn't realize that. Where has 13 it moved to? 14 MR. BOSNAK: It has moved to the Code on Operation and Maintenance. 15 16 MR. MICHELSON: It's O&M what, nine? 17 MR. BOSNAK: O&M, six and ten. 18 MR. MICHELSON: Six and ten. It has been officially moved then? 19 MR. BOSNAK: That's correct. 20 MR. MICHELSON: The risk that you are talking 21 22 about here is just the risk of steel girders and pressure boundaries, I guess. MR. BOSNAK: You will hear from our presenters 24 25 later, that this system could in effect, even though we are

1 not handling risk due to valves now, it could. It could do 2 *hat.

MR. MICHELSON: As I say, I was caught a little by surprise. I thought it was going to, and it's a little bit of a disappointment to find that probably the biggest risk contributor in the plant is not in the program.

7 MR. BOSNAK: We recognize exactly that. You will 8 hear about that later.

MR. MICHELSON: Okay.

(Slides.)

3

4

5

6

9

10

MR. BOSNAK: I want to go through these rather 11 quickly. The initial objectives and in the initial 12 objectives, as Mr. Michelson has recognized, we are talking 13 14 about inspection guidelines for passive components. We 15 wanted to come up with a program to be able to recommend not 16 only the ASME but perhaps ASCE, IEEE. IEEE has been 17 involved in reliability. Here is a method that could be 18 used.

19 The chronology quickly, and I have covered a lot 20 of this, so I am not going to dwell on that.

21 MR. MICHELSON: Before you leave that, we are 22 really concerned here I guess, about risk-based methods, and 23 I assume we are also worried about risk that these passive 24 components might present. Is there any part of this program 25 that is going to get at the issues of probabilities of pipe

breaks and that sort of thing?

1

2

3

MR. BOSNAK: Yes, you will hear about that. MR. MICHELSON: Thank you.

4 MR. BOSNAK: Some of you may have heard of the 5 Risk Analysis Task Force that started about in the 1985, 6 1986 timeframe. That, nov, has become the Safety Engineering and Risk Analysis Division. Here again, you see H the process that they went through. In 1988 the Task Force 9 members were established, and they developed this detailed 10 work plan. The funding by the sponsors commenced in 1988. 11 Again, NRC was one of the sponsors. We are talking here 12 about Phase I.

13 Phase I is now complete or will be complete with 14 the publishing of Volume 2, Part 1. All of you, I think, 15 have at least a draft copy of that document. You also have 16 the final version of Volume 1. That is Phase I, Volume 1, 17 the General Methodology Document. Volume 2, Part 1, on 18 nuclear facilities has gone to the printer.

19 I think this chart here -- and we have covered a 20 little bit on it with the Center -- this is the ASME 21 management structure. Here, from this horizontal line, is 22 the group that provides policy, management and oversight. 23 This is the group, and some of you have participated. I know 24 Dr. Shewmon on Section XI and others on various other areas. 25 B31, some of you are familiar with that. Subcommittee 11,

Subcommittee 3, these are all boiler code activities.

1

2

3

4

5

6

MR. MICHELSON: Where will the motor operated valves be on that chart?

MR. BOSNAK: It would be in another box. That comes out here, on the Committee Operation and Maintanance.

MR. MICHELSON: That's just now shown ye .

7 MR. BOSNAK: It's just not showing. There are 8 several boards, actually, there are five boards. We only 9 show two of them here. The Board on Nuclear Codes and 10 Standards is now chaired by Bob Dick from Duke Power. The 11 Board on Pressure Technology Codes and Standards, they deal 12 with the non-nuclear area, is chaired by Walt Michel 13 currently. There are three other Boards, Standardization, 14 Safety Codes and Standards, and the Performance Test Codes.

The Board on Research is the one that we have been talking about here, and the Center for Research is the one that is physically located downtown. Codes and Standards, Research Planning Committee is this organization. I am the current Chairman of that group. We are responsible for getting the job done.

We currently have active projects -- there are six active projects -- totaling roughly about \$1.1 million. Briefly, you are going to hear about one on Codes and Standards and Reliability, if you will, just the last slide in my presentation. That, again, is the Codes and Standards



Research Planning Committee. There is another Committee that doesn't show here. It's called the Technology Opportunities Planning Committee. It's the one that is supposed to look ahead with respect to needed research, not dealing with codes and standards. Before this group can start on any project it has to get the approval of the Board on Research which reports to this Council and Codes and Standards, the dotted line that you see coming out here.

1

2

ä.

4

<u>5</u>

6

7

B

9

11

1.3

We cannot start on anything. We can't go out and 10 request funding from interested parties unless those two groups have given their approval.

MR. WARD: It's a complicated management structure; does it work?

MR. BOSNAK: 3s. I haven't had any problems. 14 18 The only thing that might be complicated is over here, the 1.6 boiler code reports to two masters. They are looking at how 17 to perhaps simplify that. But there are dangers of 1.8 separating nuclear from the rest of the world and vice versa. Those of us that have been involved in this for a 19 period of years think it's a pretty good way to operate. 20

We have acquired the knowledge, particularly 21 materials, welding, NDE and all of that, that has come from 23 the basic industry.

MR. MICHELSON: Bob, before you leave that, 24 something still bothers me a little bit. The O&M 25

Subcommittee is a good place to put testing all right, but is the design effort that is still needed on valves going to be there or is it going to be in Section 3.

MR. BOSNAK: That's another Committee. That's QME. O&M is a main committee, it's not a Subcommittee. O&M is a main Committee, and it deals with as you see, operation and maintenance.

8

2

3

4

5

6

7

MR. MICHELSON: Clearly, the --

9 MR. BOSNAK: The group that deals with the design 10 is a relatively new group, Qualification of Mechanical 11 Equipment, QME.

MR. MICHELSON: That's qualification. I am
 thinking of design now, not qualification.

MR. BCSNAK: That also includes basic design.
MR. MICHELSON: I am also thinking that's a
Section III component, and you already have an organization
for Section III components. Is valves being moved out of
it?

MR. BOSNAK: Section III only deals with the pressure boundary right now.

21 MR. MICHELSON: There's a little more in the Code 22 than just pure pressure boundary on valves, or at least 23 there has been in the past. There are certain requirements 24 on the gates and so forth. At one time they were ignored 25 but finally got it in.



1	MR. BOSNAK: It's material properties. It really
2	doesn't deal with the function. I agree with you, there
3	needs to be coordination, certainly.
4	MR. MICHELSON: When it says nuclear components it
5	really means pressure boundary of nuclear components.
6	MR. BOSNAK: Exactly.
. 7	MR. MICHELSON: And, the operability of the
.8	components is OEM?
9	MR. BOSNAK: Somewhere else.
1.0	MR. MICHELSON: Is that CEM, did you say?
11	MR. BOSNAK: QME.
1.2	MR, MICHELSON: Pardon me, QME.
13	MR. BOSNAK: Qualification of Mechanical
1.4	Equipment.
15	MR. MICHELSON: Where is the design? It's doing
16	design as well as qualification?
17	MR. BOSNAK: Yes. All of those bodies that don't
18	appear here report to the Board on Nuclear Codes and
19	Standards. So, there is some way of making sure that they
2.0	talk to one another. That's always a problem.
21	MR. MICHELSON: In the case of valves it's not
2.2	real clear how this is going to work, and valves are one of
2.3	the big risk itoms.
2.4	MR. BOSNAK: Exactly. I couldn't agree more.
2.5	MR. MICHELSON: So, I think there is something

1.6

1 strange about the program. I assume that they will get that 2 figured out.

3 MR. BOSNAK: I hope by the time that we are 4 through -- we have what we consider to be an integrated team 5 here. We recognize the fact that valves are a large cause 6 of risk. Again, what we are doing is developing a 7 methodology which we think can be applied to other areas. 8 MR. MICHELSON: Methodology would work all right, 9 but I wasn't quite sure -- I thought it was going to include 10 valves.

MR. WARD: Bob, I thought I heard you say it is going to include valves, but you are including the methodology on --

MR. BOSNAK: Right now, and you will see the planning coming up later, valves is not one of the things that is included. It could be, but it's not, currently. MR. WARD: I thought this is kind of a pilot MR. WARD: I thought this is kind of a pilot program in a sense. Or, is it really intended to be a comprehensive, be all, end all program.

20 MR. BOSNAK: It's intended to be a comprehensive 21 development of the methodology that you would use, but we 22 are focusing on -- call it the pressure boundary, the 23 passive components.

24 MR. MICHELSON: Is the valve disk considered a 25 pressure boundary under the Code?

MR, BOSNAK: I think you will hear -- yes, it is. MR. MICHELSON: I thought it was.

MR. BOENAK: You will hear the things that may give you some more comfort on what we are doing.

[Slides.]

1

2

З

4

5

6

7

8

9

10

11

13

14

MR. BOSNAK: I have covered some of this already. Phase I is to provide the document which you have in your hands. That's Volume 1. Volume 2, Part 1, is for nuclear power facilities. Then, prioritize other areas, so many some of the things that Carlyle Michelson is talking about could fit in here later on. For Phase II, that has already -- at least for what we are going to be doing -- has been prioritized. Some of it, the priority depends on the sponsors as well.

15 Phase II is to prepare additional documents. You 16 will see later on, exactly what we are talking about.

Again, it's applicable to any industry. I think this is very important. General risk-based methods that can be used to develop appropriate inspection programs. That is, I think, very important for you to keep in mind. What it does do, it brings into the picture economics. Whenever you deal with a complicated system you have to weigh economics and safety and engineering.

24 Volume 2, Part 1, again, is what we talked about 25 with respect to component rankings, component probabilities

1 of failure and the consequences. It has come up with an 2 inspection strategy.

3

4

5

6

25

MR. MICHELSON: When you say this applies to passive components, does it apply to such things as flange to gaskets -- flange to connections and pip ng, and the possibility of failure of the gasket; is that the kind of -

MR. BOSNAK: Yes, and you will hear about that.
 MR. MICHELSON: Okay. But it must be a passive
 component, not an active component.

11 MR. BOSNAK: That's correct. Here, Phase II --12 and I want to spend a little time because this is what is 13 coming. Phase II will apply the methodology that was 14 developed in Phase I to other applications. The sponsorship 15 for Phase II -- and I am going to flash up some of the 16 organizations that are now involved. We have ten 17 organizations, including the Federal government bodies, 18 insurers.

19 I think the fact that we have this multi-industry, 20 multi-discipline team is very important. It's also somewhat 21 multi-national, and we hope to also increase the 22 participation with others from abroad. Trade and industry 23 organizations, as you see here, the Society is seeking 24 additional sponsors.

The documents to be developed, Volume 3 is fossil

fuel fired electric generating station applications. Volume 4, API is a very active participant in this area, petroleum 3. refinery processing and storage applications. Volume 5 is for the Department of Energy, non-commercial nuclear 5 facility applications. Of course, Volume 2, Part 2 -- and 6 you will hear a lot more about that -- is going to be the detailed requirements that Section XI -- and there's a lot 8 of interaction going in with Section XI. I think Dr. 9 Shewmon knows about the interaction that takes place.

10 Once this has been developed, we just can't just 11 drop it on Section XI and say here is what we think is 12 needed. There is going to be a lot of interaction. Future 13 phases under consideration, I suppose here we could put 14 valves and active components. We haven't, but I think your 15 input on that is most useful.

16 MR. WARD: Bob, I notice you have aircraft there. 17 As I understand, the Air Transport Industry has had, for 18 many years, a reliability centered maintenance program which 19 seems to have some of the same goals and approaches that you 20 are talking about here. Is there any conscious connection 21 between your program and that?

22 MR. BOSNAK: Yes. Ken Balkey and others will be 23 getting into that. We do have on our team, people from the 24 aircraft industry.

25

1

2

4

7

MR. WARD: Okay.

MR. BOSNAK: With respect to actually developing a document, that's down in future possible activity.

3 MR. MICHELSON: Is the aircraft industry more 4 interested in passive failure than active failure?

MR. BOSNAK: Ken?

1

2

5

6 MR. BALKEY: I am Ken Balkey, and I am the 7 Chairman of the Research Group. The Aircraft industry has 8 had the reliability group that you mentioned for quite some 9 time. It is a result of the Aloha Airlines accident as well 10 as the 747, where part of the fuselage blew out over Hawaii. 11 They formed an aging aircraft research group of the aircraft 12 manufacturers and the airline companies about two years ago.

With Dr. Smith who has been on our group since the beginning from McDonnell Aircraft, he has been interfacing with the Federal Aviation Administration. In fact, we are due to have a meeting with the Federal Aviation Administration to determine how could the ASME research team help with their research work, trying to address the passive aspect of structures in aircraft.

20 MR. WARD: What about information coming in the 21 other direction, the experience of --

22 MR. BALKEY: So far, Dr. Smith bas provided us 23 quite a bit of information from his applications at 24 McDonnell Aircraft and also what has gone on in the airline 25 industry. You can see some of it in the appendix of the

1 Volume 1 document. We have established -- he has brought 2 his information and we have not transferred over to their 3 group at this point yet.

MR. SHEWMON: Is that group also limited to
 passive components, or does it get into actuators too?

6 MR. BALKEY: The aging aircraft research group, 7 from the best of my reading of the literature and talking to 8 Dr. Smith, is has just passed.

MR. SHEWMON: Thank you.

(Slides.)

9

10

MR. BOSNAK: What I have up here now -- and you 11 12 will see, and I will try to explain -- the difference 13 between direct and indirect. These are the direct sponsors. Here, we are talking Phase II. NRC was a direct sponsor for 14 15 Phase I. To give you an idea, Phase I was about 16 \$200,000.00. Phase II is budgeted for about \$470,000.00. 17 Currently, we have in hand, about \$370,000.00. That is 18 giving you some idea.

Phase II, of course as you saw, covers more than Phase I did, and that's why there are several areas. You see NRC, the National Board, the National Rural Electric Cooperative Association, the Insurance Industry. There are three here. API because, again, the petrochemical. DOE, Oil Insurance is another member of the insurance family, and EEI.

The direct sponsors put cash on the line into the project. The indirect sponsors bring forward their people, their resources, the research that they have done. They are contributing to the project. We have used the term indirect sponsors. The time of the people and the information that comes from these various companies, you see McDonnell Aircraft here. The University of Maryland. Again, Factory Mutual, Vic Chapman is here. Exxon, Niagara Mohawk is floyd Smith, who is here. Wisconsin is Chuck Tomes.

2

3.

4

5

-6

7

8

9

10 They are contributing, again, by their time. As 11 you know, any of these projects take a lot of personal time. 12 The information that they bring from their work experiences 13 is invaluable.

14 I have a list of potential sponsors. Insurance, 15 the Empire State is, again, in the fossil fuel area. FAA is 16 interested. There have been presentations made to all of 17 these groups by the Center and the team that we have. The 18 representatives from Japan Power, Engineering and Inspection 19 Corporation are here today. The Department of Interior and 20 DOT.

Lastly, I have here -- some of you may have heard of this particular project and have gotten it confused with the risk-based inspection guidelines. Going back to about 1988 -- I think I am probably one of the culprits. I have asked the Boiler and Pressure Vessel Committee why don't we

bring in concepts of reliability, cost benefit and those kinds of things into the Code process. There are a lot of code changes that are made in this period of time, perhaps a year or two years later we change again. No one has looked at the impact of how much have we achieved in safety gains and how much have we perhaps cost the industry that has had to comply. Have we looked at these kind of things.

3.

4

5

6

7

So, they formed a group that was chaired by Sam 8 Taggert of EPRI, and they recommended in fact that this is -9 something that needs to be done. That was only done last 10 11 February, 1991. So, it's only a year ago. This then, went 12 to the Board of Governors which is the highest group in the ASME organizational structure. They said let's fund it, so 13 14 it's funded about +- the figure is about \$270,000.00. It's funded by the society to ,ook at what is done with respect 15 to the use of reliability methods in the Codes and Standards 16 process, but also in the whole organization of the society. 17

It is a feasibility study. It started just last June. Dr. Bob Perdue is the project manager, our principal investigator. We expect by the end of this year to have a report that I hope will make some positive recommendations. What we say here is, for the Codes and Standards activity if found feasible and we think it will be, this would be then used to decide whether to initiate -- often times the society, and this is probably true of other societies --

receives a request to initiate a standards project if you will, on something that may be very useful or may be of limited use. How do you weigh all of these things in a socalled multi-attribute utility analysis, safety versus cost. Of course, the society is looking at what kind of revenue might come into it if a new standard is generated.

Again, for things that are now in existence that are being used and in some cases being used in a regulatory sense, how do we weigh these factors. How do we get the decision that is equitable to all, and still maintain safety.

Dr. Muscara was expected to be present. Why don't I start, because some of this is NRC research. Does anybody have his slides?

MR. SHEWMON: You have his viewgraphs?

MR. BOSNAK: Yes, I have them. I am not going to be able to answer all of the questions that Joe would be able to answer. He works in our Division. I joined Research in 1987. Some of this, you will see, started in 1977. I don't have all the answers. There are some people here from PNL that, if you do have questions, they would be able to answer them.

[Slides.]

1

2

3

4

5

6

15

23

24 MR. BOSNAK: This will effectively, we hope, try 25 to explain what research programs we in NRC had. This goes



back to 1977. What was started, there were several arear. I think what we are talking about here is the effectiveness and the reliability of nondestructive examination methods. Whether we are talking about ultrasonic, we weren't as interested at that time in radiography. Ultrasonic was the principal thing that we had in mind, because if the reliability of the method is poor -- if we didn't know what the reliability was, then how could you use it in any kind of a risk-based process.

1

2

3.

4

14

6

7

8

9

That was what we are talking about here, how can we improve that process. Since we have referenced in the regulations the ASME code in 5055(a), how do you improve that. You see here the Round Robin tests that were conducted to quantify this probability of detection. That was the effort that was going on in the 1977 to 1987 timeframe.

Out of that has come changes within the ASME code. Principally, I am going to point to Appendices seven and eight. This is for people qualification. This is for performance demonstration, the process that you are using; can you effectively find the flaws that you believe are present and the kind of flaws, depending on whether you are talking about intergranular, IGSCC, or something else.

24 Having addressed at least somewhat the reliability 25 program and out of that came things like SAFT-UT, what was

1 next. You see here we are talking about what to inspect, 2 the extent, the frequency, and the reliability of the 3 inspection. In about 1986 or 1987, PNL began to work to 4 explore what we call a risk-based methodology. That was 5 going on at the same time -- about the same timeframe that 6 ASME started its research program. You see that the 2 selection is based on information. You go back to the PRA's 8 that are around. The methodology that PNL was working on --9 and you will hear a lot more about Surry this morning from 10 the speakers that will follow. We think it provided a 11 structured means for ranking the various systems in a 12 nuclear power plant.

MR. MICHELSON: I am a little puzzled by that statement. My recollection of looking at the PRA's that are around is that they don't do a very good job in deciding what the probability of pipe rupture is. They kind of use what I would call generic numbers.

18 MR. BOSNAK: We have adapted these -19 MR. MICHELSON: I don't think it has anything to
20 do with this in that respect.

21 MR. BOSNAK: Again, you will hear more about how 21 we did that or how we used that in the process. At the same 23 time, we are talking about the Center which you heard 24 earlier, has developed its program to come up with a method 25 for risk-based inspection guidelines. As far as we in NRC

are concerned, it looked like this was a perfect way to get exactly what we were looking for and to come out with a program that has been integrated industry-wide and, again, not only in the nuclear industry area.

What we did, we had a research grant that went to the Center for the Phase I work and for the Phase II work. 6 The work that you will hear about from our friends from PNL here this morning right after me, will describe exactly how B their prior work and the work that was going on by the 10 Research Task Force from the Center were put together and integrated.

12

11

1

2

3

4

6

7

9

[Slides.]

13 MR. BOSNAK: The last thing that Dr. Muscara was going to say is that we are putting together, and you will 1.4 hear about that methodology for developing risk-based 15 inspection programs has been developed by both PNL and the 16 ASME Task Force. The pilot studies, again, you will hear 17 about those this morning, 18

In the future, in conclusion, we expect that the 19 methodology that has been developed will be used -- and this 20 is the bottom line. If it's not used, then all the efforts 21 that we have gone through over these number of years will 22 23 have been in vain. So, we will not let that happen. We expect that we can integrate these into the risk-based ISI 24 programs. ISI, of course, again going back to Carlyle

Michelson, is the pressure boundary of the passive components.

With that, I am ready to have my friends from PNL. MR. SHEWMON: Thank you very much. We are 5 slipping a little bit on schedule, but not doing bad. Thank 6 you.

17 MR. BOSNAK: Ken is our principal investigator, 8 and he's the leader of our Task Force.

[Slides.]

1

2

4

9

MR. BALKEY: Thank you. Once again, I would like 10 11 to add to Mr. Bosnak, that we sincerely appreciate the 12 opportunity to meet with you today on this important project, not only for the nuclear industry but many 13 14 industries. I would like to speak to the concern that Mr. Michelson raised dealing with valves versus the passive 15 16 components.

17 Let me go back to how the project got started. I was a member of the Risk Analysis Task Force in its 18 inception in 1985, and met with the Codes and Standards 19 Research Planning Committee in June of 1986, Dr. Alan 21 McGaysee who was Chairman of the Risk Analysis Task Force at 22 that time. We identified several areas in the Code where I 23 thought the probabilistic methods could be used.

24 Actually, that Committee was very concerned. They picked up on the area of inspection, because if you look

across the United States, we are not building any new power plants, any new processing facilities, no new off-shore structures. Our infrastructure is getting old. The concern is, and there have been over the past ten years, several serious accidents that were structurally related; whether it was pipeline failures and so forth.

1

2

3

à.

 $|\mathbf{f}_{i}|$

6

The concern was that the first defense, given that 8 our economy is such that we are still not going to be really 9 providing new facilities, the first defense is to provide 10 some type of inspection program to the industry to lower the risk or mitigate the risk of these very serious accidents. 11 We fully appreciate and understand your concern on the 12 13 valves; that what has happened in the industry when the risk 14 assessments are used, whether it's in the nuclear or in the 15 non-nuclear areas, the risk assessments focus on the human 16 error, equipment error and as you said, Mr. Michelson, the 17 structural part is well modeled to some extent using historical data. 18

What happens with those assessments, is that the age degradation has a tendency not to be addressed. The focus of our project is that particular piece. We want to maintain that these structures will not be major contributors to risk. There are enough things already adding to risk in facilities across the country, and we want to make sure that the structural contribution remains at a

low level. We feel that this is a good methodology to
 adoress that need.

In addition, when Mr. Ray Art who is now here from 3 the ASME Center for Research, as we went to the sponsors, 4 several sponsors were most interested in addressing not only 5 the passive but also the active components. When we first 6 started the project we were very concerned, should we do 7 both. What we were concerned about is, if we took on both 8 the passive and the active at the same time, the scope would 9 be so large that we were concerned that we would not get to 10 the specific recommendations we felt are needed in the 11 structural area. We felt that at some additional time, 12 whether this team or another team could be added through the 13 research Center, to use these techniques to begin another 14 research effort on addressing active components. 15

16 When you made your comments of -- I have written 17 down -- the work with Mr. Art, that I think that could be a 18 very important research need. There should probably be some 19 active consideration of how our team could help form another 20 team to address that particular need.

The other thing that I would like to address too is, actually, when we first met with the Codes and Standards Research Planning Committee the group at that time felt that Section XI was in place; the nuclear plants are inspected to the requirements in the ASME code. The other industries do

not. Some of the other i dustries do have some recommended practice guides, but there is none a comprehensive section as Section XI. Actually, they wanted us to put a research task force together to represent the non-nuclear aspects.

2

3

4

25

You will see on the team members, that's why we 5 have our representatives from the aircraft industry like Dr. 6 Ayyub from the University of Maryland who is not even a 7 8 mechanical engineer -- he's a civil engineer at the University of Maryland. When the project was starting to go 9 through its approval process it was recommended that it 10 might be wise to revisit the nuclear first, before launching 11 into the other industries. 12

The way the project was structured was that 13 instead of preparing a first document as nuclear, we still 14 felt there was a much broader industry need. That's why we 15 put the Volume 1 document together the way that it is. It's 16 a general methodology that, while these other industries are 17 18 waiting for their particular specific document to be written, at least there was something that they could start 19 with. I can honestly say that I know that there are 20 organizations who have taken the Volume 1 document outside 21 the nuclear industry and are using those methods to address 22 structural concerns. So, that initial need, we feel has 23 24 been met.

Then, we have now come back focused on the

nuclear, and now we are in our Phase II effort, expanding now into the other industries as Mr. Bosnak had stated.

1

2

3

4

5

6

7

8

9

What 1 would like to do first here is recognize the contribution of some very talented people. Rather than just reading through the names, I think it's more important to determine what skills and what technology are needed to set up a risk-based inspection program. There are three primary skills that are needed and are represented by this group.

10 The first one is the reliability of the inspection techniques themselves. We have Dr. Fred Simonen from 11 12 Pacific Northwest Labs who has been working in that area on 13 NAC research here for a least the part ten years. He is 14 very well recognized in the industry for his skills. The 15 next group is to address the concern of how can you predict a probability of failure in a structure, given the 1.6 uncertainties in potential degradation that may be there, 17 18 the reliability of the inspection techniques, the uncertainty in the loadings. 19

That requires a very special skill, and we call that structure reliability or structure reliability risk assessment skill. It's very different than the probablistic risk assessment techniques that have been used across the industry today. With that, there are several people on the Task Force with that skill.

1 Dr. Ayyub, from the University of Maryland, has 2 developed models for bridges, marine structures and other 3 civil engineering applications. Vic Chapman, from the 4 United Kingdom, has developed models for the UK submarine 5 program and for pressure vessels in piping. He has developed work in that area. Dr. David Harris, from Failure Analysis 6 Associates, has done that work in both the nuclear and 7 8 fossil, and he has even worked on the space shuttle engines 9 in applying those type of techniques. As well, he had some processing equipment as well too. 10

Going down through this, Dr. Herb Smith, that's 11 what he does for a living at the McDonnell Aircraft Company. 12 13 He is a structural mechanics engineer for McDonnell 14 Aircraft. You see, there are some contributors at 15 Westinghouse. Bruce Bishop of Westinghouse is our expert, 16 and he has been working with the team, making contributions 17 to the project in that area. You can see that there are 18 several people from several different applications, in trying to come up with methods to make failure predictions 19 because you can't rely on historical data very well.

Or, if you want to determine the effect of new inspection programs or new techniques, you will almost have to model it rather than trying to make an estimate of what that number may be.

25

Finally, the last skills are the experts who have
1 done what I would like to call is the probabilistic risk 2 assessment of entire plants or systems or facilities. With that, there are a number of people. Dr. Brian Gore has been 3 the expert for the Nuclear Regulatory Commission in that 4 area for more than a decade. Dr. Dimitrios Karydas has 5 developed that technology for the insurance companies. His 6 company is an engineering arm for several insurance companies, and he has done everything from paper wills to 8 fossil plants, to processing facilities and many other types 9 10 of industrial insurance applications.

Jerry Phillips, who formerly worked for Carolina 11 Power and Light, actually was the probabilistic r.sk 12 13 assessment expert at Carolina Power and Light before moving to Idaho National Engineering Laboratory. He is now doing 14 that work for the Department of Energy on their non-15 commercial nuclear facilities. Going down through the list, 16 Truong Vo, who we have him here as an honorary member but is 17 18 being brought up as to a full Member of the Task Force. He has been doing some very good work, "hich you will hear 19 about, on the Surry application working with other members of the team. 21

I think I have covered just about everyone in that area. There are some other additional skills that are brought in. There is Dr. Lee Abramson from the NRC. He has been brought on the Task Force and actually has been working

with us for the last 18 months to two years. His expertise has been involved in the expert elicitation to get initial failure probabilities to go into the risk assessment for structures. He has also been very instrumental in reviewing the probability and statistical calculations and methods that have been recommended in both the Volume 1 and the Volume 2 document.

1

2

3

4

5

6

7

You see some additional contributors down below on 8 the bottom of the viewgraph here. Dr. Robert Perdue from 10 Westinghouse is an economist. He is chairing the other 11 project that Mr. Bosnak mentioned on the reliability, feasibility of using reliability methods in the code. His 13 work over the last several years is taking -- we will speak 14 about it later -- is integrating uncertainties and technical applications with the economic uncertainties. There is a 15 strong interrelationship in trying to determine programs 16 that meet safety requirements and economic requirements at 17 the same time. 18

19 Guido Karcher and Radhakrishnam from EXXON have 20 been very instrumental in providing a link to the American 21 Petroleum Institute, and in helping get our Volume 4 22 document launched in that effort. In fact, the effort that 23 they have done over the past year has been in addition to 24 their own research they are doing at EXXON, and have 25 contributed to the project. Mr. Karcher has worked with the

API executives within that organization to form a risk-based inspection group in the API made up of petroleum companies, that will interface with a subgroup of our research groups so that, as Mr. Bosnak said, we don't develop a research document and drop it on the group.

They are going to work with us, so that as the research is carried out they can decide what new recommended practices that they will need to put in place on their applications. That has been their contribution.

10 Mr. Stavrianidis has been working with Dr. Karydas on the fossil plant application for us, and has done some 11 very excellent work. There is one name -- there are two 12 names that I have missed. Lloyd Smith, from Niagara Mohawk, 13 14 who you will hear about later, has developed using 15 reliability methods on a fossil plant. He is going to talk 16 about how these methods have helped to improve the 17 availability of their fossil units at Niagara Mohawk.

18 The newest skill that we have just added to the 19 group is, as we go now into take actual applications to make 20 recommendations to the Code, we are adding Mr. Chuck Tomes 21 from Wisconsin Public Service, who is the ISI engineer for 22 Wisconsin Public Service. He was the ISI engineering at 23 Kiwanee for the past nine or ten years. He is going to be 24 providing very valuable information, hands on information 25 that we need to have in order to finish out our Phase II

efforts.

1

2

3

4

I think I have covered just about everyone on the group. You are going to hear from a spectrum of these people over the course of the day here.

5 MR. WARD: Ken, I am glad to see that you seem to 6 be paying some attention to the statistical methods. This 7 Committee has recently had some problems with application of 8 some statistical methods in some of the NRC work. It has 9 kind of developed some sensitivity in that area. Certainly, 10 the PRA people are conversant with statistical methods, but 11 it's not quite the same thing there.

Their concerns and emphasis tend to be one systems and so forth rather than making sure that the statistical approaches are pure and honorable and all that. I think that deserves some particular attention, I think.

MR. KERR: This is one of the great values of working with a team of people from the government sponsored laboratories, industry and academia. In fact, Dr. Ayyub at the University of Maryland, has made a tremendous contribution in the area of the statistics. In fact, a lot of the examples involving one he did with colleagues at the University of Maryland to contribute to the group.

He has a very strong background in that area, and so does Dr. Perdue at Westinghouse. There are several people in the group -- in fact, I would say just about

everyone in that group is very conversant. We are aware of the concern that you folks have raised. That was one of the strong reasons why we brought Dr. Abramson actually onto the group to work with hand in hand, to make sure that that concern is addressed.

[Slides.]

1

2

3

4

5

6

7 MR. BALKEY: Now, for our Steering Committee. It 8 is primarily made up of representatives from -- Mr. Bosnak 9 is on the Steering Committee primarily from the aspect of 10 the Codes and Standards Research Planning Committee and the 11 Council on Codes and Standards. There was a question 12 dealing with the complex management structure of ASME.

13 I can only say, this is a project I have been 14 working with ASME since 1985 in getting the effort started. I have been in business for 20 years, and I would like to 15 16 speak my own personal opinion. The management structure 17 works quite well. The Codes and Management Standards Research Planning Committee that I meet with and several 18 1.9 members meet with our group have been providing very 20 valuable direction to the group. I have met with the Board, I have met with the Council on Codes and Standards, and the 21 input that we get and direction is keeping us on track in 23 making sure that we do get things delivered on time.

In addition, our sponsors -- a number of our
 sponsors come from the organizations providing direct

financial contributions to the project. In fact, with us today is Mr. Bill Wendland from American Nuclear Insurers, and he is going to speak later about his perspective from the insurance industry in using this type of methodology.

1

2

3

4

5 I won't go through all the names but there is, 6 once again, a cross section of people from government and 7 the private industry. We have used on our -- we put our 8 documents together. The ASME Center for Research requires 9 and the Codes and Standards Research Planning Committee 10 require the documents to go through a peer review. For 11 instance, we had Dr. Vicki Bier from the University of 12 Wisconsin who is very well recognized for her skills in PRA 13 and in decision analytic techniques, and provides an 14 outstanding contribution to our report.

15 John Boardman is the ISI engineer at Southern California Edison, and he reviewed the report from an 16 17 inservice inspection engineer viewpoint. He is so 18 interested in the project now, that he is now actually ca 19 the Steering Committee because he would like to stay on as 20 we follow through our Volume 2 efforts. Ernest Throckmorton 21 from Virginia Power has been working very closely with the 22 PNL team in carrying out the Surry study, and he is 23 providing direction -- of course, he has reviewed all of the 24 documents too, to give us input on that report.

Finally, Mr. Bud Epps -- he was with Southern

Nuclear Operating Companies and now with TKS International.
 He was from a utility, and he also has reviewed the report
 and provided very valuable input.

4 You can see that there is a group that if 5 overseeing to make sure that this project stays on track and 6 does deliver.

7 MR. SHEWMON: We aren't making up any time on the 8 schedule.

9 MR. BALKEY: I will skip the next one. What we 10 say in our viewgraph here is that we -- on this viewgraph 11 here, we have organized into subgroups. The group does meet three times a year collectively. The purpose of breaking 12 13 the group into the working sessions first of all is to work 14 closer. For instance the Long Range Planning Committee of 15 Section XI on Monday, there is now discussion of possibly 16 doing what the American Petroleum Institute has done, and that is to form within Section XI a group that will work 17 18 very closely with this subgroup, so as the results come together they can be delivered into implemented into Section 19 XI in a more feasible manner. 20

21

[Slides.]

22 MR. BALKEY: This is the process that has been 23 developed. It's essentially a five step process dealing 24 with how you want to apply risk-based techniques for 25 inspection programs. The first box, of course, is defined

1 the systems in assembling information that is needed to 2 carry out a risk-based inspection program.

We have a qualitative risk assessment box in there, and my next viewgraph which I won't show at this point, what we are trying to indicate is that there have been some good qualitative work done in plant life extension efforts to rank degradation mechanisms within nuclear power plant applications. It does provide some insight in terms of where a high failure probability may exist.

10 The Code itself actually is built on a qualitative 11 risk assessment approach, albeit it isn't implicit. The way 12 the classifications are set up, the way indications are 13 found and how they are resolved, it is a decision process 14 built into the code that actually is following a risk-based 15 approach. However, as I said, it's qualitative and on 16 engineering juggment.

MR. MICHELSON: Excuse me. Clearly, many of those items are quite location-specific and plant specific and so forth. How do you do these general judgments, for instance, of consequence? It depends on the particular plant, is what the consequence of a pipe break might be. It depends on the location of the break within that plant as to what it might be.

24 MR. BALKEY: We are very aware of that, and you 25 are going to see how that is handled in the next speaker.

MR. MICHELSON: Thank you,

1

2

3

4

5

6

7

8

9

MR. BALKEY: In fact, what I would like to do -the last three components make up the presentation for the balance of the day. You will hear from Truong Vo -- will cover the risk-based ranking that has been done to address the concerns that you have just addressed, Mr. Michelson. Brian Gore from Pacific Northwest Labs will be doing the -how you got target failure probabilities that have to be achieved with the inspection program.

10 Finally, Dr. Simonen and I will be back to discuss 11 the actual development of inspection programs to meet those 12 targets and address cost considerations at the same time. 13 Not on the agenda -- we just learned last week that Mr. 14 Chapman from England would be here. Mr. Chairman, I was 15 going to ask that if there was a few minutes, if we could following my presentation, if he could talk about how they 16 actually implemented a risk-based inspection program on the 17 UK Supmarine Program, taking actual inspection results and 18 19 updating the risk assessment, making it a very living process. I think you would be quite interested in a few 20 21 viewgraphs that he would have.

Finally, you will hear a prospective from -- Lloyd Smith is going to talk about how he has applied these techniques at fossil plants. You will get a perspective from Mr. Chuck Tomes from the utility on how he views the

43.

use of this technique and Mr. Wendlund on insurance.

MR. SHEWMON: Fine.

MR. BALKEY: I will close with that.

[Slides.]

1

2

3

4

5

7

12

13

MR. VO: My name is Truong Vo, and I am with Pacific Northwest Labs at Washington. In this presentation 6 I will address one of the boxes -- ten -- addressed earlier 8 in the failure mode of critical analysis. In this, I will 9 briefly go through the methodology that includes the system 10 prioritization and it follows by the component for 11 prioritization. I will spend probably most of the time in the pilot applications, and specifically I will focus on the Surry applications. Finally, the concluding remarks of the 14 methodology and the work to date will be presented.

15 For our methodology we utilized the two step 16 approach. That is, at first we prioritize the systems using 17 the PRA results and it is followed by the component 18 prioritization for some selected systems. Again, the PRA 19 information or the probabilistic risk assessment information 20 in combination with the FMEA and FERC analysis, techniques 21 will be used to identify and prioritize the most risk 22 important system and component for further consideration.

23 At the system level we used the core damage 24 frequency as the risk measure, and we developed the two 25 criteria for accepting our prioritization activities; that is the Birnbaum Importance. It is defined as the
 probability of the core damage, given a system failure. In
 other words, studies the condition of probability of the
 core damage given the total system failure.

5 With that, we developed the inspection importance 6 studies. We will describe this in the next viewgraph. That 7 is, the product of the Birnbaum Importance in the system 8 failure estimated. Again, the Birnbaum Importance is the 9 core damage risk associated with the total system failure 10 and the estimated rupture probability for that particular 11 system of interest.

MR. KRESS: Pardon me. You say that the I is the change in the core damage risk.

1.4

MR. VO: Yes.

MR. KRESS: I fail to see how it is a change in risk. It looks like a contribution to risk, to me.

MR. VO: I should say that is the probability of the core damage, given that particular system. I should say that.

MR. KRESS: It's not really a change.

21 MR. VO: Basically, the derivative of the total 22 core damage with respect to the particular system failure --23 I should say that contribution to the total core damage. 24 MR. GORE: It's a change, in the sense of going 25 from normal operation with the system in normal operating

mode to the increase in risk when the system is assumed failed.

MR. SHEWMON: Sometimes that's called --

MR. GORE: The word changed is used here.

MR. VO: At the component level basically, for the most risk importance systems identified the further analysis will be identified for the component. Again, the core damage frequency is used as a risk measure and a failure mode and FERC analysis technique will be used to identify and prioritize the risk important component for further interest. The results will be calculate at importance index, or relative importance for each component within the system selected for the study.

14 You will see a little more as I present the 15 results in the following viewgraphs.

MR. MICHELSON: You are doing all of this on passive failure conditions only, and once you experience a passive failure of course there are several active components; that, if they don't function you are in deep trouble. Yet, that part seems to be ignored in here.

21 MR. VO: No.

1

2

4

5

6

8

9

10

11

1.2

13

22 MR. SHEWMON: It's part of a PRA.

23 MR. MICHELSON: That's a problem with PRA. For 24 instance, on reactor water clean up on a boiler PRA ignores 25 it, because it says probability of the failure of the pipe



is ten to the minus five range, probability of each of the
 valves will close is another ten to the minus three or four
 each. As a result, it's a non-problem. In reality it
 depends on whether those numbers are any good for the case
 of the pipe break as opposed to the case of normal operation
 of the valves.

Those kinds of things just aren't in PRA presently. That's why I thought we were going to get to it.

9 MR. VO: I think you probably it is much more 10 clear for you later on in the following viewgraphs. You see 11 application -- the Surry application. Hopefully, that will 12 --

MR. MICHELSON: It will be clear later? MR. VO: I hope so.

MR. MICHELSON: Thank you.

MR. VO: At a component level basically, again, 16 17 this is the equation to describe the component 18 prioritization activities. Basically, the core damage frequencies for that particular component of interest is the 19 product of the failure probability of rupture. Probability 20 is the interest parameter in this analysis, multiplied by 21 another product -- summation of the condition of probability 22 23 of the core damage given the system. In this particular case this is the Birnbaum importance. 24

25

8

13

14

15

For a time, the condition of probability of the

system failure given the component failure basically we use the fault tree analysis, fault tree results from the PRA to identify this particular parameter. We also include a probability of a recovery operator.

Again, summation, basically we include the direct factor is the failure of the system. Given a component we also include in the direct effect; that is, for the particular component failure that could impact or damage the systems or components and could create some core damage -the room and including the vital equipment.

11 This viewgraph basically tries to address since 12 the PRA normally did not address most of the failure 13 probability or rupture probability of some component of 14 interest, therefore, I will elaborate this a little bit more 15 later on during my presentation. Because of lack of that 16 data and historical data, it is not sufficient for use in our analysis. Therefore, we used expert elicitation as one 17 of the methods to come up with our rupture probability for 18 our study. Again, we will discuss more this in the next few 19 20 minutes.

21 MR. MICHELSON: Is your rupture probability going 22 to be for unit length of pipe, for instance?

23

24

25

MR, VO: Yes, sir. IT will be in piping segment-

MR. MICHELSON: If I have 100 feet of pipe with

1 two locations where erosion/corrosion might be a possibility 2 and I have 1,000 feet in another case with two cases, one 3 case the rupture probability is going to be one-tenth of the 4 other? It's only two rupture locations, whether it's 100 5 feet or 1,000 feet, it's the erosion/corrosion points that 6 you have to look at from the probabilistic viewpoint, not 7 the number of feet of pipe.

8 MR. VO. Probably we will address that in the next 9 viewgraph as well. We haven't got there yet. We are still 10 in the methodology now.

11 Let's talk about application of our studies. Basically, our developed method had been applied first as 1.2 part of Oconee study, and again for this particular study we 13 addressed the complete system prioritization activities for 1.4 that particular plant using the PRA results. We performed 15 limited prioritization. As I discuss in a little while, we 16 selected auxillary feedwater system as one of the systems 17 18 for further analysis. The method had been proved to be successful. Therefore, we are looking for a generic 19 applicabilities. Therefore, we also selected some 20 21 representative LWR for further studies.

Again, this study we could look at the system level. Finally, at Surry study, we performed a complete system prioritization and we also performed a detailed component prioritization. This study we will spend quite a

bit of time on this and hopefully will have addressed a lot of questions that have been raised.

1

2

3 For Oconee Study -- just flip it over for results. 4 This is the results for auxillary feedwater system at the 5 Oconee 3 plant. This viewgraph plot by the consequence 6 condition of probability of core damage versus the 7 probability of rupture of the component. I think the message 8 of this viewgraph is basically as you see, the component 9 one, two, three and five it is relatively high -- it has 10 relatively high rupture probability.

11 However, when they fail it makes a small contribution to the total core damage. Again, the component 12 for that is the UST -- the supply line of the auxillary 13 feedwater system. Again, when it fail it could disable the 14 total systems. Again, component seven, that is the suction 15 line of the auxillary feedwater system. Again, when it 16 fails, it could cause the total system failure. Therefore, 17 18 contribute significantly to the total core darage.

MR. KRESS: If the total core damage frequency was on the order of ten to the minus four due to all causes, would you look at whether or not these things are worth worrying about?

23 MR. VO: Basically, the message -- basically I 24 provide you with the idea for your further performance of 25 inservice inspection at component. For example, say what it

depends is address for inservice inspection of the auxillary system for example say the UST supply line. Again, depending what it addressed and maybe the candidate up for further inservice inspection. Again, I think the message you could use these results to strategize your results to perform the ISI at your plant.

7 MR. MICHELSON: Clearly, in the case of auxillary feedwater if you should rupture the steam supply line in the 8 auxillary feedwater compartment where the turbine is 9 located, and if you then tried to close the isolation valves 10 which will automatically close, you are going to have to use 11 12 the right probability of closure. It's not the normal operation probability closure. Now, it's one with several 13 14 times normal steam flows through the valve.

15 It's a new number. I don't know what the number 16 is. Unless you have test data you don't know either. It's 17 a considerably higher probability of failure to close than 18 it would be under normal operation. That has to be in your 19 PRA, if you are going to determine the real importance of 20 the rupture of the main steamline that they had in the 21 turbine for instance.

22 MR. VO: Again, basically, this is just the one 23 system we selected. I think I will --

24 MR. MICHELSON: It took the one system you 25 selected and the one example. That's very important in that

system, namely now the ability to isolate the break. That affects core damage probability. The numbers presently used in PRA's are failure in the ten to the minus three range for those valves.

In reality, they must be much higher failure rates as we have found out from the test programs so far on motor operated values.

8 MR. KRESS: You could incorporate that in your 9 uncertainties along the horizontal access, it seems to me, 10 if you knew that was a possible uncertainty.

MR. VO: That's right. Later on in the Surry application I think that probably should go. Later on, I think basically we plot the number for a system we selected at Surry study we get uncertainty bands here and there. We will get to it.

16 MR. MICHELSON: To get that uncertainty band you 17 are going to have to have some idea of what the uncertainty 18 is.

19 MR. KRESS: Yes.

20 MR. VO: For this basically we just tried to -- as 21 I mentioned earlier, we tried establish a generic system 22 ranking among the U.S. nuclear power plants. Again, it was 23 not possible to perform the analysis for all nuclear power 24 plants in U.S. Therefore, we selected a few representative 25 plants for our further analysis.

The criteria that we selected for our analysis is 1 based on the reactor vendors. For the plant types, the 2 3 PWR's we included in the architecture/engineer consideration as where that is including the containment designs, 4 5 Finally, availability of the PRA is one of the dominant important for our selection criteria. 6

7 Without going further in detail, these are the results of the -- these are the plants we have selected for 8 9 our study. We selected Surry. That is, the Westinghouse, 10 subatmospheric containment type. Zion, large dry, Westinghouse design. Sequoyah, Westinghouse condenser. 11 Oconee, B&W large dry. Crystal River, B&W large dry. 12 13 Calvert Cliffs, CE large dry and the two BWR's, Peach Bottom 14 II and Grand Gilf 1.

15 Basically, most of the these plants selected was 16 addressed in the NUREG 1150 PRA's.

17 MR. WARD: Can I ask a question? You seem to have 18 gone to some trouble to select different type of 19 containments, but your risk measure is core melt frequency. 20

MR. VO: That is correct.

21 MR. WARD: Is there really much significance then 22 in this --

23 MR. VO: For some plants it is. Again, I might be wrong, it bean quite some time for example -- for the Peach 24 25 Bottom the RCIC -- I believe their reactor core isolation

system -- I believe when a containment failure -- when a containment over pressure could provide some back pressure and disable RCIC I believe. Therefore, containments for some plants may be significant contribution for a core damage.

Again, it has been quite some time -- I believe one of the Westinghouse plants has something to do with the reactor cavities and could provide later on in the core damage phase, could provide some flooding the core and that type of measure. Again, that's why sometimes I forget exactly what plant it was.

12 To answer your question, yes, the containment 13 design may be significant contribution to estimation of core 14 damage frequencies.

15

25

[Slides.]

MR. VO: At the system prioritization, again, I 16 indicated earlier we just addressed the system level only. 17 Again, we ranked the inspection importance. In other words, 18 the Birnbaum importance times the rupture probability of 19 that particular system of concern. You see the ranking. 20 Basically, first at the low pressure injection system. IN 21 general that agree among the plants for the high pressure injection system. Reactor vessel pressure across all plants 23 rank that type. 24

Inservice water system, I would like to say the

worst for inservice water system as you see at the Zion basically, it seems to be the outlier basically sends the cause of the failure of service water system at the Zion could cause the loss of component cooling water system. 5 Therefore, create a loss of high pressure injection system. 6 In other words, you get the loss of high head and could contribute significantly to the core damage.

8 The auxillary feedwater system, steam generator, we separate ranking. We ranked steam generator separately 9 10 for our further -- for other purpose of that study for 11 reactor coolant system and power conversion systems. 12 Basically, the message of you could get out of viewgraph is 13 that you could use the results to balance your resource for 14 performance of your ISI of your plants.

15 MR. WARD: The importance ranking is what you 16 called the Birnbaum importance ranking; is that what that 17 is?

MR. VO: Inspection importance. In other words, 18 19 the Birnbaum importance times the rupture probabilities for 20 that particular system.

21

1

2

3

4

MR. WARD: Okay, fine.

MR. VO: You have similar type but you don't have 22 it in the package. You have a similar type of sketch like this for inspection importance. I mean, the Birnbaum 24 importance in that case, I think probably you should see 25

fail the reactor pressure vessel the core damage is assured.

1

2

4

5

6

8

9

MR. WARD: That's a pretty interesting plot.

MR. VO: There is another similar type of plot is for BWR's, and you do not have in the package. Basically in general, you see the reactor pressure vessel is ranked first and it's followed by the RCIC, the HPCI and I believe that service water system -- emergency service water systems. Lastly, the power conversion systems.

Let's discuss about Surry applications. For this particular application we performed our analysis in detail. Again, for the four systems selected we will elaborate in a few minutes. Basically, we selected the Surry 1 for our further study, basically due to the availability of the good PRA information. That had been selected for several ongoing NRC research programs for example, aging research program at the NRC, the risk program at the NRC.

With the results of the system prioritization activities -- and I presented earlier -- basically we selected four systems for further study. They are the reactor pressure vessel, reactor coolant system, low pressure injection system including accumulators, and the auxillary feedwater systems.

24This viewgraph kind of repeats the earlier one I25mentioned earlier, basically the core damage frequency. We

use for our ranking purpose and FMEA methodology will be
 used to rank the components. Again, we did the rupture
 probability for that particular component of interest and we
 used expert judgment elicitation process for our analysis.

At Surry for --

5

6 MR. MICHELSON: Excuse me just a moment. I am 7 puzzled by something here. You are using a PRA, of course, 8 as the basis for doing this work. Why do you flip over to 9 an FMEA for the risk important of components. Can't you get 10 that from the PRA?

MR. VO: Okay. At first we used the PRA's. We tried to identify and prioritize the most risk important system. Again, I mentioned earlier that we used the two step approach. With the important systems had been identified we further used FMEA techniques to identify the component for the component systems.

17 MR. MICHELSON: The component level is in the PRA. 18 MR. GORE: The reason for the FMEA methodology is 19 precisely because the rupt re probabilities are not contained within the PRA. The PRA provides the information 20 to identify the conditional probability of core melt given 21 the loss of the component. The risk is the product of 22 23 rupture probability times that conditional probability of 24 core melt. Those two numbers go into the FMEA work sheet and are multiplied together to give you the risk then



5.8 1 associated with the rupture of the individual components. 2 MR. MICHELSON: I am puzzled. Let's take 3 auxillary feedwater, which is one of your examples. 4 MR. GORE: Fine. 5 MR. MICHELSON: You have say 500 feet of piping outside of containment on it. You determine what you think 6 is the probability of failure per linear foot and multiply it by the number of feet; is that what you do? 8 :ġ MR. GORE: Not guite. We take the expert 10 elicitation number estimated for the rupture probability of pipe segments specifically identified on the plant drawings. 11 12 MR. MICHELSON: From weld to weld. 13 MR. GORE: That's right. 14 MR. MICHELSON: Then you have "x" number of --15 MR. GORE: You will hear quite a bit about the expert elicitation process. We are not ignoring the fact 16 17 that it's not the ---18 MR. MICHELSON: I had asked earlier if you are doing it on a per foot basis. You are doing it on a --19 20 MR. GORE: I didn't want to break in at that time. 21 I wasn't quite sure --22 MR. MICHELSON: It was guite a difference --23 MR. GORE: -- what the protocols are. 24 MR. MICHELSON: You are doing it on a segment basis. 25

10.00	2016	200 Mile 40		
201.00		C 3 20 20	 10 A.	
111 111	4 1.3	U 23 E		200 14

2 MR. MICHELSON: Why then do you need the FMEA7 I 3 know the probability of failure not, because I have the 4 number of segments and the probability per segment.

MR. GORE: That gives me the probability of loss of one of two or three redundant supply trains supplying aux feedwater.

MR. MICHELSON: PRA has that built into the --

MR. MICHELSON: -- the core melt probability.

8

5

6

1

9 10

1.1

MR. GORE: We re-analyze the fault tree for that system is to determine the probability of loss of the entire system, given loss of the ruptured component train. This is the conditional probability of system loss given rupture, which he mentioned earlier.

MR. GORE: So, what we have --

MR. MICHELSON: You mean for instance, - MR. GORE: Total loss of feedwater - MR. MICHELSON: -- isolation values failing to
 close: is that what you mean by a system loss?
 MR. GORE: Total loss of aux feedwater, given loss
 of the redundant train.

MR. MICHELSON: That's in the PRA already.
MR. VO: Yes.
MR. SHEWMON: That's what he is saying, it's used

in the PRA --



MR. MICHELSON: I am asking what is he using a
 FMEA for.

MR. VO: I think the key point of discussion basically I think because of the PRA did not address the rupture probabilities of the components of interest to us. Therefore, using the result of the PRA and then we broke down for the -- we tried to incorporate or include the rupture probabilities in that particular components.

9 MR. BALKEY: The other thing, the reason you come 10 back to the FMEA, PRA will calculate the direct consequence 11 but these guys have gone with the utility and walked the 12 plant down to see what indirect effect may occur, which you 13 can't model in in the --

14 MR. MICHELSON: I am talking about the 15 incompleteness of the PRA.

16 MR. BALKEY: That's right. So, they walked down 17 the systems to get the consequences made up of a direct and 18 indirect portion.

MR. MICHELSON: If you are going to refine that, then you really ought to include the probability of isolating that break as well. The real probability of it, not the used in the PRA, because the PRA did not recognize that you are under several times normal flow in those valves. Bob knows all about this problem. That's not in the PRA, and you have to recognize that.



If you want to modify that --MR. SHEWMON: He has a comment.

1

2

4

5

6

8

24

25

MR. GORE: I will roger your suggestions and criticisms. We are in a pilot development of a methodology and its first application. We have a rather modest research budget. The few hundred thousand dollars that has gone into this effort has yielded, I think, some results which you will be very interested in.

61

19 Recognize that going back and reanalyzing and 10 taking apart the PRA's is to change probabilities of 11 failures of the active components is a non-trivial task, 12 which we would be delighted to address given that the 13 methodology proves out and we are given the go ahead for 14 future work. Right now, we are in the tailored series mode. 15 MJ. MICHELSON: If you had a tru'y complete PRA 16 you wouldn't have the FMEA; is that your view? 17 MR. GORE: If you had a complete PRA that went 18 down in the cutset retained for analysis, three to four orders of magnitude in probability which would put you into 19 20 the many thousands of cutsets -- unfortunately, that information does not exist. So, we have developed this 21 22 methodology as an approximation to incorporate the extensive investments in modeling these plants represented by the

PRA's to combine rupture probabilities with conditional core

melt probabilities, which we extract from the information in

the PRA.

1

2

3

4

5

We are not re-analyzing the PRA's except to identify that conditional probability. But we roger that yes, we could go in there and further modify them once the methodology is proven relevant and useful.

6 MR. KRESS: The reason those things don't show up 7 goes back to the question I asked before. They don't add 8 significantly to the core melt probability; therefore, they 9 get eliminated in the cutsets.

MR. GORE: That's correct. When I make my presentation on target risk, the whole objective of this exercise is to risk prioritize the small contributions to risk which ==

14 MR. KRESS: That's why you have to go back and 15 redo the FMEA.

16 MR. GORE: Yes. The objective is to keep those 17 risks down in the grass and cut of the PRA's.

MR. WARD: Now, I understand. The previous interesting plot you showed was, of course, only for each of those systems only dealing for rupture -- pressure boundary ruptures in those systems and not for failures of active components in the system. That's why we are working down in this --

24 MR. KRESS: Supposedly the active components come 25 into that plot, because they show up in the condivional

6.2

probability of core melt. They are in there.

100			

3

1

MR. GORE: In some sense, yes.

MR. SHEWMON: Let's go on.

MR. VO: I would like to address one of my concerns. Basically, this is earlier viewgraph. The recovery probability operator -- it could include if an operator failed to isolate the isolation valves, something like that. Again, that would include in that equations. You have to point out in term ISI.

10 At the component level basically, we have to --11 the Virginia Electric Power Company or VEPCO, they have to 12 provide us a lot of technical information for our analysis. 13 Basically, at the beginning of the analysis we obtain a 14 system drawings from the site and we performed a number of 15 system walkdowns and tried to identify the potential targets 16 given the component failures.

For example failure of the piping segment of the auxillary feedwater system within the room at the Surry site and could damage the vital electrical bus nearby or could damage the valves, or could create the potential flooding for that particular rooms. We had performed a number of system walkdowns at the site.

We used standard review plant 3.6.2 for determining the indirect effects due to jet impingement of fracture in the system nearby.



[Slides.]

1

2

4

17

8

9

11

12

MR. VO: This viewgraph basically address the why do we need the rupture probabilities for our analysis. Basically, since the pipe rupture is generally excluded from 5 the PRA and they make a small contribution as compared to the risk -- compared to failure of the active components. 6 For example, in PRA analysis a lot of component rupture that had been included in the fault tree analysis -- however, at the final cutset analysis in PRA they had dropped out 10 because at the PRA they had to kept up some certain level, for example, just anything less than one to the minus nine for example had dropped out from the PRA results.

The consequence for rupture of pipe segment had 13 14 been estimated from the PRA by considering the failure of the adjacent active components. For example, lack of flow 15 due to the pump or valve malfunctions failed to open or 16 17 close, that type of nature. Normally, the only rupture of consideration for a piping within PRA -- consider for a case 18 of LOCA only for example -- therefore, again, we used expert 19 20 judgment elicitation.

This is the method we used for our estimates and 21 rupture probability for the system of interest to us. Again, we basically should adapt the NUREG 1150 for expert 23 judgment method developed for NRC. Basically there are eight 24 steps. Again, first the selection parameter for our 25

analysis, we are interested in the rupture probability of the piping segments or components depending on the systems -- I mean for example reactor pressure vessel we call the components weld or something like that. For other systems we are interested in the pipe segment. Again, pipe segment could include the pumps, the valve, the T-elbows, flanges and other components.

3

2

3

4

5

6

8 On the step two basically in the selection of 9 experts, we had selected the -- we had chosen the expert 10 members from the utilities, the vendor, the Federal 11 governments, employees, and universities and so on and so 12 forth. Before the expert elicitation really is conducted we 13 send the material to the expert member for their 14 familiarization of the issues being addressed.

During the expert workshop we also provide training. Again, the last workshop had been conducted last week. Dr. Shewmon was one of the members of our expert panel. We did not provide a training for our earlier workshop a couple of years ago but we did for the last workshop, and it took place last week.

Basically, for elicitation did a face to face -that elicitation at the workshop -- with the results, we obtained we will combine and aggregate the results. Later, we will send the material back to our expert panel for potential review and revision. Finally, we document our

results.

1

7

9

10

11

2 MR. KRESS: How do you combine the probabilities of failure that you get from a set of experts if you have 4 five experts and have five different distributions that are 5 markedly different from each other, orders of magnitude for 6 example; how do you combine those?

MR. VO: Dr. Lee Abramson had that and maybe I 8 will refer to Lee for maybe explain it better.

> MR. SHEWMON: Will this come later in the program? MR. KRESS: If it will come later, we can wait. MR, ABRAMSON: As I understand it, this

combination of the expert opinion is going to come after 13 this project. It's what you do with it. However it's done, 14 it's very important to make sure that you don't -- that you reflect the uncertainties in the expert opinion; that you 15 16 don't necessarily try to get a consensus distribution.

I think it's very important to do that. How this is used, there are various ways of doing it. For example, 18 19 it was done in 1150 -- try to reflect the uncertainty. I believe that is really beyond the scope of this project, is 2.0 what you are going to do with the expert judgments. Right 21 now, all we are trying to do is to get the expert judgments 22 and to make sure that we are reflecting the full range of 24 scientific uncertainties expressed by them.

MR. SHEWMON: Tom, was your question how you

1 average these things or what you do with the average after 2 you have it?

MR. KRESS: How you average them. MR. SHEWMON: Averaging, I think, you have --MR. VO: I think how you combine all the results. MR. SHEWMON: How you combine ten experts, the numbers.

8 MR. ABRAMSON: What we are doing as far as this 9 project is concerned is displaying the results in more or 10 less standard box plots. For example, we take their median 11 or so-called best estimates and present these in terms of a 12 box plot with the extremes shown and 25th and 75th 13 percentiles shown, as you see on the slide there.

This is a description of what the experts are coming up with. It doesn't -- it is not a combination in the sense that this tells us what we are going to do with them as far as calculating in a PRA. You certainly want to take account of the often very large uncertainties that are demonstrated here when you try to actually put numbers in. What that will do, of course, it will lead to large ranges of uncertainty in your results.

22

4

5

6

7

MR. SHEWMON: Okay.

23 MR. KRESS: I understand what they are doing now. 24 I am not sure I agree that's the right way to do it, but I 25 understand it.

MR. SHEWMON: Let's go on then.

1

4

5

2 MR. MICHELSON: Did you use expert opinion for 3 other than probability of pipe rupture?

MR. ABRAMSON: We consider that there are a lot of different components that we asked some questions about.

6 MR. MICHELSON: Asked questions about, relative to 7 their pipe pressure boundary rupture potential, or ask other 8 questions?

9 MR. ABRAMSON: I think maybe I would rather not --10 I am not that familiar with the specific questions that 11 were asked of the experts.

MR. MICHELSON: The chart he just flashed, of
 course, was for pressure boundary --

14 MR. VO: For our analysis, again, the parameter of 15 interest is the rupture probability of the component 16 interest only. Again, we asked expert what is the 17 probability of rupture of that pipe segment per year. We 18 also asked for providing the rationale of the estimates. In 19 other words, why the member provide us that particular 20 results.

To make that eight bullets, eight items. Basically, at the expert meeting expert elicitation workshop -- basically we provide the historical failure data, what we could, and the data from other analysis including PRA results. Also, additional information from the site

specific. We conducted an elicitation. Again, before actual elicitation there will be a lot of discussion to ensure all the expert member had the grasp of what we are looking for.

Again, this viewgraph represents an earlier expert workshop. That's not the last one.

[Slides.]

1

2

3

4

5

6

7 MR. VO: This is the example of the results I put 8 up earlier. Basically, for the reactor pressure vessel as 9 you see basically, we provided as the box. This is extreme 10 value of the expert members provide us our results. The 11 lower end of the 25 percentile and the high end is the 75 12 percentile of estimation of combined results. The circle in 13 the middle, the median value of the estimates.

As Dr. Lee Abramson discussed, we tried to combine all expert member into single value for our use.

16 This is another example. Again, you don't have 17 this in your handout. This is the results. We had a plot -18 - quickly -- last expert workshop last week, Basically, it is similar type of the results. In this case we looking for 19 the RHR the residual removal system at the Surry site. Again, this is the plot and the median in the 95 percentile 21 of the median case. You do not have this in your handouts. 23 MR. MICHELSON: These expert elicitation were for the several different systems of interest, including the 24 service water system.

MR. VO: Yes, sir.

1

3

4

MR. MICHELSON: In the case of the service water system, did you elicit the probability of failure of large metal bellows in those systems, of which there often are?

MR. VO: Could you repeat? I didn't hear last 6 part.

7 MR. MICHELSON: Did you include in the pressure 8 boundary for service water systems a possibility that there 9 may be a large metal bellows that was to fail, and what its 10 probability might be?

MR. VO: Yes. We include from the -- again, Surry include from the suction side of the canal through the discharge side or other components --

MR. MICHELSON: Do you, by chance, recall the number that you got for probability of failure of a three foot metal bellows?

MR, VO: No, we had not done it yet. Basically we did it last week --

19MR. MICHELSON: You are going to do it?20MR. VO: Yes.

21 MR. MICHELSON: You haven't done that one yet.

22 MR. VO: No. We elicit --

23 MR. MICHELSON: Metal bellows will be included as 24 pressure boundaries, even though they are not necessarily 25 covered by the code.
MR. GORE: We have the raw data. We have not
 reduced or analyzed the results of the elicitation process.
 It was finished last Friday. We haven't sat down to analyze
 the data.

5 MR. MICHELSON: You understand, you are looking 6 beyond ASME components then?

7 MR. GORE: Absolutely. This is a risk-based 8 analysis, and we are trying to follow the logical lines of 9 inquiry.

10

11

MR. MICHULSON: Thank you.

[Slides.]

MR. VO: Again, this is with just plot for some components, that expert elicitation we conducted last week. This is another one, as compared to our base case. This is piping segment from the reactor coolant system through the first isolation valve to RHR, as compared to the first one. Again, you do not have this in your plots.

18 Basically in the summary, again for a system of 19 interested as I indicated earlier, they are reactor pressure 20 vessel, reactor coolant systems, low pressure injection 21 system and auxillary feedwater system. Based on this four 22 system the contribution of the component failures due to 23 core damage ranging approximately one to the minus six to 24 one to the minus 14 per plant years. Again, the median 25 value.

1 The cumulative risk contribution was estimated 2 about 2.1 to the minus six, and we will show you this in the 3 next few plots. The total estimated risk is dominated by 4 the failure of the reactor pressure vessel. Basically, it 5 is 86 percent for the low pressure injection system 6 components, ten percent auxillary feedwater system, and 7 other components about four percent.

This is the cumulative plot for all the components 8 within the four selected system. Again, as you see here, 9 basically for some of them we defined that for some of them 10 -- for the reactor pressure vessel we defined the other 11 components for other system with the piping segment. An 12 example is for example say the number six in your handout. 13 Basically, you see low pressure injection system accumulator 14 at the pipe segment between the accumulator discharge header 15 through the RCS or reactor coolant system isolation valves. 1.6 That is including the valves and T's and elbows and whatever 17 included in that piping segments. 18

MR. KRESS: Those numbers correspond to dots going from left to right?

21

MR. VO: Yes.

22 MR. MICHELSON: Number one is the far left? 23 MR. SHEWMON: Number one is also the largest 24 increment, I think. Number two is the next largest, in 25 order that way.

MR. VO: Again, I'm not sure that the 37 is in here. Basically there are 37 components. Again, please keep in mind that there are more than 37 components. We tried to group together the component at the similar characteristics. Again, we could extracted out to the level of the pumps and the valves and the welds.

7 MR. MICHELSON: In soliciting the expert opinion, 8 how did you handle such things as the possibility of 9 erosion/corrosion on the particular system; was that 10 included in their estimate of probability of failure, that 11 they had to make some kind of judgment as to the likelihood 12 that could appear in that system and so forth, and the 13 number of points at which it could occur?

MR. VO: Yes.

15 MR. MICHELSON: That's all in their expert 16 opinion.

MR. VO: Basically in our expert elicitation - MR. SHEWMON: The answer is yes. Just let it go
 at that.

20 [Slides

1

2

3

4

5

6

14

21 MR. VO: This is another plot of our results. 22 Basically, later on I think Ken and others -- we used this 23 viewgraph to selected for component for further study to try 24 to develop so a strategies for ISI. This is another plots -25 - again, I am not sure if that is 37 in here or not.



MR. WARD: It looks closer.

MR. MICHELSON: Apparently, service water wasn't in any of these --

MR. VO: We have not -- these four system of 5 interest, we have not included service water system in here 6 yet. Basically this here again, not a block. Again, you see that the reactor region is ranked first, followed by the 8 other RPV components, low pressure injection system, another RPV component. Lastly as you see, accumulator suction line, that ranked last. Not an entire block with the results that 10 we have. 11

12

9

1

3

4

MR. SHEWMON: Go on.

13 MR. VO: We also performed a sensitivity and 1.4 uncertainty analysis. Again, at this time, very limited 15 sensitivity and uncertainty analysis has been performed. 16 Basically two type of uncertainties we are addressed. They 17 are the parameter uncertainties and the modeling 18 uncertainties.

19 We addressed component rupture probability uncertainties. Remaining basically had been addressed in the 20 21 PRA. Therefore, we have not done a lot of work in this yet. Again, will be done, probably the Monte Carlo type will be 23 addressed in our future study.

24 On the modeling uncertainties, basically at this stage we are also performed the indirect effect uncertainty

1 at this stage. Basically, you do not have in the handout 2 basically the contribution to the core damage. The indirect effect is insignificant. 4 MR. MICHELSON: Are you going to look at human 5 error as well as human recovery? MR. VO: That is included in here, and will be 6 2 addressed in the future . udy, 8 MR. MICHELSON: Human error includes also the 9 maintenance man who goes around and adjusts all the valves 10 wrong and, therefore, none of them work? -MR. VO: I believe --11 1.2 MR. MICHELSON: Is there a small but finite 13 probability of that happening? I guess you didn't. I was 14 trying to find out where human error was, and it was in that human recovery action. 15 MR. SHEWMON: This includes maintenance errors 16 17 too. 18 MR. GORE: Human error is only included inasmuch as it was included in the PRA that did the initial analysis. 20 It shows up in the conditional probability of core melt, 21 given the rupture of the component. 22 MR. MICHELSON: If it wasn't in the original PRA 23 model, then it won't be in your work. 24 MR. GORE: Absolutely. We don't have funds to go back and visit these --25

MR. MICHELSON: I just wanted to find out ---MR. GORE: -- PLA'S.

3 MR. MICHELSON: -- what was the scope of the 4 study, Thank you.

(Slides.)

1

2

5

6 MR. VO: This is another plot, the same type of 7 plot that you see earlier, again with uncertainties bar. 8 Basically, uncertainty bars here, and addressed using 9 different rupture probability estimator from expert 10 judgment. In other words, the circle is the median value 11 and this is the upper and lower values estimated from expert 12 workshop. In other words, 25 and 75 quartiles.

Here is another type of plot. Basically, tried to -- later on we will be using this plot trying to address some of the target risk probabilities. Again, you see the message is all I can say is, this is basically the beltline regions is failure relatively high rupture probabilities. Again, when that rupture could make big contribution to the core damage.

20 MR. MICHELSON: The PRA's that you used, did they 21 all include the internal flooding effects of these ruptures? 22 It depends on whether they did the PRA with or without 23 external events or with internal flooding. Some do and some 24 don't.

MR. VO: In this one they have. Again, for our

7.6

earlier analysis -- again, flooding is some point of internal events of internal plant. For our study we did not include external -- the flooding type.

1

2

3

4

5

6

2

8

9

10

11

12

MR. MICHELSON: You didn't include the consequence of the water release from the rupture.

MR. GORE: That's not quite true. As Truong mentioned, we walked down the systems and identified the potential effects of jet impingement on nearby active components, identified the location of motor control centers and other electrical components which would be expected to be impacted by the ruptures. So, we did not totally ignore it.

We did not try and go back and modify the PRA,
 except for including this in our analysis.

MR. MICHELSON: When you did this then, you must have taken some kind of credit for isolation of this. It wasn't an indefinite event. It had to be terminated. How did you decide at what point to terminate? Did you pick an arbitrary number like 30 minutes or something?

20 MR. GORE: We did not take credit for isolation, 21 and we did not pursue this, probably to the extent to which 22 you wish we had.

23 MR. MICHELSON: If you didn't take credit for 24 isolation, you would be in very deep in water in some of 25 these instances.



MR. GORE: Certainly, with the service water
 systems.

MR. MICHELSON: Yes.

(Slides.)

3

4

25

5 MR. VO: With that, I would like to basically 6 conclude the presentations. The methodology had been 7 developed and proposed. We have performed a number of pilot 8 studies for Oconee and some representative plants in the 9 Surry applications. Again, much work will be performed yet.

Again, the methodology had been included for ASME risk-baned task force. Later on, Ken will discuss more about the ISI and the strategy of the ISI methods. That's all I have.

14 MR. SHEWMON: Thank you very much. We will take a 15 break now, until ten minutes until the hour.

16 [Brief recess.]

17 MR. SHEWMON: Fire, when ready.

MR. GORE: I am Bryan Gore, from Pacific Northwest Laboratories. Before I begin my prepared remarks, I was moved by a question regarding the difference between the effects of active component failures and the passive components which we are addressing in this project. The question was put rather strongly to Mr. Bosnak when he was up here.

I would like to roger that PNL are currently

involved also with a research project with the probabilistic risk applications branch in which we are looking at the inspection prioritization of active components. We have been involved in analyzing the PRA's for Oconee and Calvert Cliffs and ANO-1, to prepare risk=based inspection guides addressing system and component importance.

1

2

3

洗

5

6

25

7.9

In addition, we have been involved in preparation of specific plant-specific generic based aux feedwater 8 system inspection guides which have gone beyond the PRA 9 results, and looked at specific root causes of failures 10 11 within the aux feedwater system for a variety of plants looking at failures of turbine driven pumps and motor 12 operated valve failures to test under design basis accident 13 conditions, the effects of condensate slugs in cold steam 14 15 lines causing over speed trip.

All of these types of things are being addressed but under a very different project. We are not unaware of them, it's simply not the focus of our discussion this morning.

20 MR. MICH!LSON: You won't find the right answers 21 on that point by looking at the present date PRA's. You are 22 going back and taking those and given a new critical look at 23 whether the right numbers were used in the PRA; is that my 24 understanding?

MR. GORE: We are actually looking at, given the

identification of the probabilities of failures from the PRA's, what are the root causes of these failures.

2

3

4

5

6

7

25

MR. MICHELSON: Maybe you missed --MR. GORE: The pump fails to start to run --MR. MICHELSON: -- my point completely then. MR. GORE: -- is not a real good indicator to a resident inspector as to what he should be looking for.

8 MR. MICHELSON: Excuse me. I think you missed my 9 point. The point is, if I look at the PRA -- those 10 isolation valves are no, never mind, because they are so 11 reliable. In reality, they may not be anywhere near as 12 reliable as we thought, based on test results thus far. 13 Therefore, you can't use the PRA to decide whether those are 14 critical components from the viewpoint of risk or not.

The first thing you have to do is critically 15 question whether the right numbers were even in the PRA. 16. MR. GORE: I think we are talking about a process 17 here that we recognize, and we appreciate your comments, but 18 as I think was stated earlier we are limited in the Delta's 19 20 that we can use in the process. We recognize this is a mit. We can take care of these things in a later project. 27 w understand there are limitations. 22

23 MR. SHEWMON: It's better to do something than 24 nothing, maybe.

MR. MICHELSON: Or, better to do it wrong than

nothing.

Ă.

5

6

8

MR. SHEWMON: You may learn something to where you should look next. Let's go on.

81

MR. GORE: Thank you very much. I wanted to also express my appreciation that you folks were curious enough about what we are doing to invite us to present our thoughts and ideas to you. We welcome your comments.

(Slides.)

19 MR. GORE: The question of target risk, target rupture probabilities is really a question of what is the 11 object of an inspection program. The Research Task Force's 12 answer to that question is, to ensure that the plant risk is 13 maintained at an acceptably low value that is specifically 14 the plant risk due to ruptures of pressure boundary 15 components, is maintained at an acceptably low value, namely a small fraction of the risk which would be caused by 16 17 failures of the active components in the human operating 18 errors.

In addressing this, we are focusing on the risk measure of core damage frequency due to internal events, as determined by analys's in existing PRA's. It is the same measure which we use for component risk prioritization, and it allows the most direct comparison with risks due to active failures. You can inspect the active and the passive components and effect the failures of them. MR. WARD: Bryan, what is the basis of this vision for the program -- the first chart you want to maintain the risk due to ruptures as a small fraction of the total risk. If I was looking at some sort of a grand strategy for optimizing cost and benefits, I guess I would say the resources being spent on this activity could better be spent on activities to reduce the risk from the higher contributors -- perhaps they don't need to be spent at all.

1

2

3

4

5

6

7

8

9 MR. GORE: When you say cost and benefits, you are 10 thinking cost and benefits of research program dollars I 11 guess I would suggest that --

MR. WARD: Not jurt research program dollars, but eventually this is going to be translated into some more elaborate and more expensive ISI requirements of plants, I guess.

16 MR. GORE: There is more than passing hope that 17 that may not be the case. We don't know whether it is going 18 to require more elaborate and more expensive ISI procedures or less. What we are attempting to do is to pursue the 19 logic of a risk-based program development so that we can 20 evaluate whether or not it may result in either increase or 21 reduction of the ISI requirements. It will also provide an 22 opportunity to evaluate economic risk right now, because we 24 are working for the PNL for the Nuclear Regulatory 25 Commission. Our work is focused on core damage frequency

8.2

and the things that are nominally associated with the prblic
 health and safety.

The concept which we are developing is directly applicable to economic risk as well as safety risk. In fact, we have some suspicions that a good economic analysis may indicate that the ISI risk important from a regulatory basis may be less than the ISI needs that would be justified on the basis of improved economics of operation. In fact, there are some articles in the literature which in fact indicate that.

MR. WARD: I can see that. I guess my question is probably really more addressed to Bob, although your statement of the objective of the program was cleanly put. It sort of elicited the question. Bob, you know, you guys and your part of the Agency have done such a terrific job through the years that, when we look at the risk from plants we can't blame hardly any of it on your discipline.

1.8

[Laughter.]

MR. WARD: That's what it amounts to. You are asking that more of the Agency resources or some agency resources be devoted to making sure that you stay in first place or down here in the noise where you aren't contributing to risk. Meanwhile, the real risk at plants is from how they are operated and how active components function.

I guess if I can kind of be a devil's advocate here and try to look at a big picture, I wonder why we don't take the =-

MR. BOSNAK: One answer to your question is that as things -- these are the passive components that we are talking about -- they age and plants get older; do we really have a good method for maintaining the record that we had in the past. I think Bryan answered one of your questions earlier with respect to these other areas.

The information comes from PRA's, and we recognize 10 the information is imperfect, as you have heard. But this 11 is a process that we have tried to settle on. The 12 assumption that plant maintenance is always 100 percent, 13 those are all the things that have gone into this thing. We 14 want to be assured that we started out with NDE roliability 15 back in the 1970's -- if we can take that into account with 16 respect to the plant risk, perhaps we are trying to make our 17 program -- I do admit that we are trying to improve what we 18 have and afford also -- this is a research grant. 19

We are looking at not only in our own area but the national interest as well. I think a process such as this can be transferred to all of the other industries that you have heard about and will serve a tremendous benefit. So, it is not just purely a limited research program. This is a grant, but we think we are going to get a lot of out of it

because we started on this process about almost 20 years
 ago.

3 Maybe it's not a perfect answer to your question,
4 but I think it's the best that I can give.

5 MR. MICHELSON: But to make this thing work, we 6 have to make sure that PRA's reflect aging effects as well -2 -

MR. BOSNAR: And, they don't.

9 MR. MICHELSON: Or you will miss finding the right 10 thing.

11 MR. BOSNAK: They don't.

12 MR. MICHELSON: What are we doing to try to 13 improve the goodness of PRA in this regard? Unless we do 14 improve it, this process is very limited.

MR. BOSNAK: This might be a -- this is a suggestion that the Committee makes. The shortcomings of PRA's, we have seen it in our process. Since we don't do the PRA's, we are not responsible for them but we have to use them. Nobody has really documented a list of the shortcomings. People have talked about them. This could also be one of the results of our research project here.

22 MR. CHAPMAN: May I say something, Mr. Chairman? 23 From our point of view, we have now just put forward a 24 program to our safety reliability director. With regard to 25 the amount of inspection, it increased it by one percent,





B

which is a very interesting job. With regard to the other question, what had been very interesting in doing this work is that where we have shown where the probability of failures may be concentrating in various areas within the plant, that has made our PRA people readdress much of the work they have done.

7 There has been quite a benefit, certainly from our 8 point of view, from this work. I was making the comment to 9 Ken a little while ago that for the first time ever, we feel 10 that w are just one step in front of our PRA people now 11 instead of four steps behind them.

MR. MICHELSON: You really should be behind them.
They should be leading and you are following through with --

14 MR. CHAPMAN: I think I agree with that, but it's 15 quite interesting that that has changed some of their 16 thinking.

MR. MICHELSON: It's an iterative process, I 18 guess.

19 MR, CHAPMAN: It is.

20 MR. MICHELSON: * think you are ahead.

21 MR. SHEWMON: Okay, onward.

MR. GORE: Moving right along. We suggest that an ISI program should be designed to hold the total risk of core damage due to component ruptures below a value which is a small fraction of the risk, determined by the PRA analysis

8.6.



1

2

3

4

5

of internal events. We have postulated five percent as an initial target risk value which seem reasonable and at least worth considering but, in fact, which we may find is not achievable as you will see when we talk about the Surry results, which we have already achieved.

6 MR. MICHELSON: A small clarification. Isn't a 7 pipe rupture an internal event?

8 MR. GORE: Yes, it pertainly is. But what we are 9 looking at is the internal events analysis of the PRA, is 10 what we use in quantifying the conditional consequences of 11 that rupture.

12

[Slides.]

MR. GORE: That's the target risk concept. The object of inspections of individual components is to hold the likelihood of rupture of that component below some target value. So, to have a truly risk-based quantified program, is have to the that value back somehow to some sort of a target risk. That's the little logical exercise which I am going through ere.

In order to tie it back, we have to determine a target risk associated with each component. Once we have that and the conditional risk given rupture of the component, we can take the quotient and calculate a target rupture probability for that component. How do we get a target risk for each of these components that we have

addressed?

1

Somehow, we have to take our total risk which we have suggested should be five percent of the total PRA value, and assign it among the components which have been evaluated. It seems eminently reasonable that this target risk should be apportioned among the components in proportion to the estimated risk which each one represents.

8 When we did this process for Surry, we found the somewhat interesting result that the total estimated rupture 9 10 risk which was shown on the slides that Truong put up earlier, is just about five percent of the total PRA risk 11 12 that was calculated for the Surry plant. That's an interesting fact because first of all, we only looked at 1 our systems and we had four more to do including high 1 . ressure injection and inservice water. Five percent may not in fact be an appropriate value. We may have to revisit 16 what seemed like a logical, although ad hoc, suggestion of 17 five percent. 18

In any case, if we just take the Surry results, recognize that the total estimated rupture risk is about five percent of the PRA risk, then that's our target risk which we need to define inspection programs to maintain. If we apportion that in proportion to the estimated risk, then what that basically say is the inspection should hold the rupture probabilities of these risk important components to

the values which were estimated in the expert elicitation panel which produced those results.

1

2

When we started out the logic of developing this we didn't anticipate that we would find that one to one overlap. We identified the methodology, and then were somewhat surprised when we polled the results in and found that result.

8 MR. MICHELSON: How do you handle the case wherein 9 the total risk on a given plant is extremely small to begin 10 with. You are still going to try to keep ruptures five 11 percent of that extremely small number and, therefore, 12 force a lot of things to keep it that small?

13 MR. GORE: In the present situation, I suggest 14 that what we are proposing is reasonable. If we manage to stomp the estimated risk down by one and one-half orders of 15 magnitude, then it's quite reasonable that we should revisit 16 this. This is a policy decision that can be separated from 17 18 the methodology, the concept of risk-based inspections and so forth, and can be wrestled with an appropriate number 19 20 determined.

It's just one piece of a much larger overall puzzle. No, I am not presupposing that we should inordinately increase the inspection requirements if we are able to further push down the risk associated with active components.

MR. MICHELSON: You haven't suggested any ceiling though at this time?

3 MR. GORE: I don't think we are at a point at 4 which that's appropriate. We are still struggling to get 5 the first full application to the methodology and find out 6 what the logic tells us. We believe we found some things 7 that make eminent good sense. They support the engineering 8 analysis, they support a lot of the good sense that's in 9 ASME Section XI. We found some surprises, which suggest 10 that maybe this isn't just a total waste of time also.

If this is the total risk associated with the 11 12 rupture of components, about two times ten to the minus six, 13 our five percent target risk is just about that value. 14 Then, from a risk point of view, about two orders of 15 magnitude in risk is where we ought to be concentrating our 16 inspections. These are the risk dominant components. If we 17 really focus on these risks, these components can move up 18 several orders of magnitude. We probably want to do some 19 sampling, to make sure that there is nothing untoward going 20 on.

But it is these components from a basis of risk, that we ought to be focusing our inspections on. If we look at the Surry results, what does that te¹¹ us. The product of rupture frequency with conditional consequences of damage is risk, and that's going this way on the chart. Ten to the

minus sixth in risk is this line here. Ten to the minus seventh, eighth, ninth.

1

2

The reactor vessel beltline welds are the most 3 risk dominant components in the plant, by about a factor of 4 5 20. Below that, we have the beltline plate material, the lower and bottom shell welds, and the upper shell and nozzle 6 welds. This is not a legend. These are actual points on the 7 plot associated with the conditional core damage frequency 8 of one. If you have a major rupture in any of these regions, 9 10 you have no longer a guaranteed ability to prevent core damage. 11

12 Right on the same risk line to the beltline plate, 13 we have the supply to the aux feedwater system, which also 14 at this plant is a single failure. It has a much higher 15 likelihood of rupture, but the probability of core melt is 16 basically the probability of core melt given total loss of 17 the aux feedwater system.

In addition, we have several discharge lines in the low pressure injection system and in the source and supply for it, and just for fun I included the core rod drive mechanisms. There is really two points here, also the instrument lines. You recall the plot that Truong put up, the box and whisker plot from previous expert elicitation which showed that the rupture probabilities of the beltline welds were the highest, there were a variety of points, and

1 then there were some outliers. That was the rupture 2 probabilities associated with the control rod drive 3 mechanisms and the instrument lines.

They are up on the top of the vessel. So, we assessed that they would lead to a large break LOCA, and the conditional consequences of a large break LOCA are considerably less because of the ECCS requirements for low pressure injection and high pressure injection, the ability to keep water over the fuel.

These then, are the risk dominant components which we have identified so far in our study of the Surry plant, and to which we would suggest that a risk-based inspection program should focus primary inspection attention on.

We acknowledge that a recommendation of apportioning our target risk among all components in proportion to the estimated risk may not be best or most workable in all cases. There are other alternatives, and we are going to have to look at them. For instance, you could take the top ten risk dominant components and apportion the target risk equally among them. I don't think that makes sense, but it's an option.

Likewise, you may find that there is some component that is very risk important or modestly risk important, that you simply can't inspect adequately. You might allow that risk to rise and focus your attention on

other components such that you can push down the risk associated with those components. We will have to see how thing, shake out in further analysis.

In any case, right now we are sticking with our recommendation of apportioning it on the basis of estimated risk.

[Slides.]

1

2

4

5

6

MR. GORE: Here is what the Surry results would 8 look like if we took the basically two times ten to the 9 10 minus six total risk, divided it by ten, and then assigned that equally to each of the various components identified. 11 You would have to inspect somehow very aggressively, such as 12 to push the probability of rupture of the beltline welds way 13 14 down, but you could then allow inspections of other 15 components to be relaxed if that turned out to be appropriate or necessary. 16

17 MR. BOSNAK: I just want to point out a typo on 18 the abscissa on this one and the other one. The extreme 19 right --

20 MR. GORE: Yes, that is meaningless. My apologies. 21 This type of an approach you see, comes back to the whole 22 concept, is there a target risk. What is the objective of 23 inspection. If you can somehow say I am going to hold the 24 total risk associated rupture for this plant to some value, 25 then you have a rational method of approaching how you want

your inspection program to be designed and what it should accomplish with regard to individual components.

In conclusion, I would suggest that this provides a logical quantitative method for addressing the question of how much inspection is enough, and whether it's more or less as Dr. Ward asked in his question, I can't answer that. We are trying real hard to find out.

Thank you very much for your attention.

9 MR. SHEWMON: Thank you. Fred, are you next? 10 MR. BOSNAK: I just want to introduce Ray Art, who 11 arrived. If you have any questions about the Center, he is 12 a fulltime employee of the Center, and will be able to 13 answer those.

14

2

4

5

.6

7

8

[Slides.]

MR. SIMONEN: My name is Fred Simonen, and I work 15 at Pacific Northwest Laboratory. My presentation, I would 16 like to change directions a little bit and start focusing on 17 the aspect of inspection program development. So far, you 18 have heard how we have tried to identify the high risk or 19 important components in the system, how we looked at target 20 failure probabilities, and the question of how much risk is 21 enough, 22

This work is trying to relate those aspects to the whole question of how do we achieve these reductions in risk that we may want to do for these high risk components. I

think the important thing to always keep in mind, I think this program has always been looked at is that we are not looked at to do more inspection but in many cases actually doing less inspection or maybe no inspection at all on certain things that are not really at all of concern from the standpoint of risk but maybe they are inspected a lot by ASME Section XI type code requirements.

8 Other cases, there are things that aren't 9 inspected that are very high, like the reactor pressure 10 vessel. We have to maybe do more effective inspections, is 11 what we are looking for. There are other things perhaps 12 like service water systems, where maybe there is no code 13 inspection at all is being done. Maybe some kind of a more 14 minimum type of inspection is required.

15 I would like to say a little bit about the objective inspection program, how we tie in some of the NDE 16 reliability data we have gotten out of our PNL program into 17 this work; how we perform structural reliability assessment, 18 probabilistic fracture mechanics in this area, and finally 19 leading into this question of how we end up with improved 20 inspection in programs which Ken will talk to you a little 21 22 bit about on using the decision risk analysis methods.

23 What do we mean by inspection program. I have 24 listed the things that really what you need to answer if you 25 are going to develop an inspection -- what are you going to

inspect, what vessels, what welds, what pipe segments. How many in the inspection, what kind of a sample size do you need to get the result you want. Even within the extent of inspection, are you just doing a surface examination, a volumetric inspection. What kind of area you need to inspect to find the degradation you expect to find.

7 Inspection frequency, how often are you talking 8 about, once every ten years. Maybe some method that in done 9 on an annual basis that -- method of inspection, maybe some 10 cases just a purely visual inspection will be adequate where 11 in other cases you need to go to more methods like UT/ET, 12 perhaps even cocoustic emission in some cases.

Finally, what is the reliability of the inspection method. What kind of probability of detection is needed. Before going on, I would like to raise two points that Vic Chapman has emphasized to our ASME group very forcefully and I guess very often, the benefits of ISI really come in two areas.

In many cases where you have to look at ISI, you are not really reducing the failure probability of the system but what you are really doing is, you think the probability is low and you are doing an inspection to get confidence that it is low. This would be considered just something like a defense in depth. In other cases you may have situations where you don't feel your risk is where you

1 think it should be, and you are doing sufficiently rigorous 2 inspections to actually reduce risk.

3 However, I always look at this in terms of, if you 4 are going to get either of these benefits you have to have 5 an effective NDE reliability program. If you have a method 6 of inspection, you are not going to find cracks. In any 7 case, you are not buying anything for either of these 8 aspects. You need a good NDE reliability and you need an 9 overall program in terms of inspection frequency in sampling 10 that will get you there.

11 A few years back in our program we had a session 12 with some of the NRC staff on just where we should be going 13 in inspection programs. They said maybe the first thing we 14 ought to lock at is some of the data that has come out of 15 the inspections that have been done on plants over the 16 years, I guess both to get information on where are the 17 problems actually occurring in plants and where should we be 18 doing an inspection, and also the question of have these inspections we have been doing to date have been discovering 19 20 the problems that are occurring out in the field.

This viewgraph is a quick look at some data we pulled out of the NPRDS database. What we looked at was we pulled out some data from what I call front line systems, RCS/HPI type systems. We only looked at things like pipe thinning and cracking, things that Section XI type program

would hope to detect. We have excluded things like
 vibrational fatigue that might occur in things like small
 diameter lines.

We are looking at how well has been the current inspection program has been doing in discovering defects in piping. What we found is amongst the reported incidents in this database, about 50 percent of them were coming out of what I would call UT type examinations, Section XI type examinations. There is a lot of them where cracks were detected as incidental observations, which was leakage observations.

12 If you look at the much larger set of data like 13 Class 2 systems, we actually find that the inspection 14 programs to date were maybe discovering something like 20 15 percent of the incidents, whereas things like incidental 16 plant walkdowns, finding leakage were the primary things. I 17 think the message that came out of this was that perhaps the 18 inspections that are being done on plants now --

MR. MICHELSON: Excuse me, before you leave that slide. The NPRDS system, of course, is purely voluntary. There are various degrees of goodness in the quality and quantity of reports given to NPRDS. Do you have any feel for how representative this particular sample is in terms of what is going on out there? Is this an item that is routinely reported very well and in great detail, or is this

1 an item that is only occasionally even reported?

2

25

MR. SIMONEN: We asked that question, and the 3 answer we got was -- I quess some plants may be reporting 50 4 percent or more of their data and some maybe less than ten 5 percent.

6 MR. MICHELSON: Just in this area though I am 7 thinking of, not their total. Some plants do very well 8 reporting some things and very poorly reporting others. I 9 was thinking of just this area, which is --

10 MR. SIMONEN: I could only say somewhere between 11 maybe ten to 50 percent, the information. There are other 12 things we knew about already.

13 MR. MICHELSON: You mean, ten to 50 percent of 14 these failures are being reported to NPRDS; is that what you 15 are saying?

MR. SIMONEN: Yes. Our other question is, is this 16 17 maybe a good random representative sample of what could be reported. My feeling is that it is probably a fairly 18 reasonable sample. Some plants were fairly consistent --19 20 MR. MICHELSON: That's not a very large sample, in terms of the tens of thousands of reports to NPRDS. 21 MR. SIMONEN: No, this is a very small -22 MR. MICHELSON: Extremely small. 23 MR. SIMONEN: Right. 24

MR. MICHELSON: But, I don't have a feel for all

of the things that could have been reported in this area of what this sample size means -- I don't know the answer. I thought you had some intuitive feeling.

4 MR. SIMONEN: The total number was something like 5 there was 400 reports on piping cracks, leaks, structural 6 type failures in these pressure boundary systems.

7 MR. BOSNAK: Leside the numbers, the other thing
8 is the root cause often can't be depended on.

9 MR. MICHELSON: The key question that I had in 10 mind was, are three percent of these events even being 11 reported or are 90 percent; where are we? If only three 12 percent were reported then this wouldn't mean much.

13 MR. SIMONEN: We did look at the -- there are 14 things that we already knew about that, that had been fairly 15 highly visible, and we did find a number of these things in 16 there.

17 MR. MICHELSON: INEL has been monitoring that 18 system for a number of years, of course, and knew the 19 shortcomings of it. I just didn't appreciate the 20 shortcomings in this area, and I still don't.

21

[Slides.]

22 MR. SIMONEN: NDE reliability. Recognizing maybe 23 the reliability isn't where we think we would like it to be, 24 what have been the recent trends. I think there is, through 25 our FNL program and programs in Europe, there has been a lot

more data available of just how reliable UT systems are, current systems. We have something now that we can start working into our structural reliability models. 3

2

The other trend is the codes and standards have 4 been working to improve the reliability as practiced in the 5 field. This is the Appendix 8 type introduction into 6 Section XI. Given that this NDE reliability appears to be 8 improving -- the important thing from our standpoint is that if we are going to have an impact on plant safety, these 9 better NDE methods are going to have to be applied at proper locations and frequencies. 11

Finally, we are looking at risk-based methods that 12 will use these NDE reliability data as input into structural 13 reliability models. To just give you an example of what 1.4 type of data we have to work with, this is some work out of 15 our PNL Round Robin inspection program, an inspection of 16 different types of piping. We see a big range of detection 17 probabilities. We see like the clad ferritic materials 18 where you get a crack about 40 percent of the way through 19 the wall, we have essentially -- this is a case when every 20 inspection team detected cracks of this size. 21

We are talking something maybe 90 to 100 percent 22 POD in that range, where there is other cases, Cast 23 Austenitic is a well known -- I think you are probably well 24 aware that here is a material that you have a very, very low 25

detection probability. What we want to do with this work is, given these kind of detection probability curves, what can we actually do with that kind of instrumentation to result in actually finding cracks in operating systems in plants.

MR. MICHELSON: Before you go on to that one, let me ask, these are usually looking at heat affected zones around welds and so forth, this previous slide.

9

8

1

2

3

4

5

6

MR. SIMONEN: That's right.

MR. MICHELSON: Some of our problems, of course, have been with such things as chemistry problems, wherein you get erosion/corrosion. These are not necessarily just at the heat affected zone of a weld. We don't even do any inspection in these other areas necessarily.

15

MR. SIMONEN: Exactly.

MR. MICHELSON: That's all missed in terms of this kind of an examination. It further increases the probability you are going to get a rupture by some amount, and I don't know by how much.

MR. SHEWMON: There has been, in the last couple of years, an active inspection program for erosion/corrosion, as you know. So, I don't quite understand why you say inspections are never done there. MR. MICHELSON: Have not in the past but not

traditional to do it, yes. First of all, you go do a

calculation to decide whether to look in that area or not. This certainly is helpful. This has all been going on just in the last couple of years.

MR. SHEWMON: I suspect these numbers were just 5 obtained in the last couple years too, though.

MR. SIMONEN: Right. The other curves for detection of erosion/corrosion, that would --

MR. SHEWMON: Let's go on.

MR. SIMONEN: Yes, let's go on.

[Slides.]

11 MR. SIMONEN: I don't propose to give you a 12 lecture on probabilistic fracture mechanics. It would take 13 maybe an hour to work through this flow chart. What I do want to emphasize is what goes into one of these piping 14 15 reliability analysis. Things that are important is the initial quality of the weld, what kind of defects are 16 17 present in a weld or pipe segment to begin with.

There are things of non-detection probability for 18 19 the inspection methods, both pre-service and inservice inspections. Then we go on to factors that relate the 20 fracture mechanics. You need things like stress history, 21 cyclic stresses, various operating transients, pressurized 22 thermal shock for example. The fracture mechanics brings in things -- this relates this to fracture mechanics 24 parameters, material property data, crack growth rate 25

1

2

3

4

6

7

8

0

10

information. The reliability is related to how well can we detect leaks in these systems.

1

2

4

5

6

8

9

Finally, the bottom line is trying to detect what the rupture probabilities and leak probabilities, and more importantly from our aspect, how does the inspection program have an impact on these. We have done a number of studies to get a feel for just how effective an inspection can be, and I will show you just very quickly some examples of what type of results and trends come from these works.

10 Here is a case where we are looking at components 11 of very high leak probability over the course of an 12 operating cycle. This was actually a thermal fatigue 13 example. We looked at the situation of a given inspection 14 that occurs at a ten year interval. One case, Case A, where 15 the failures are due to some initial problem with the 16 initial quality of the weld itself. We find here that an inspection program is not very effective in detecting and 17 preventing these failures. What would have been needed is a 18 much better inspection would have done the job. 19

Here's a Case B, where we have looked at where the failure rate is actually going up with time due to an aging type effect, where the cracks maybe weren't even there to begin with. We find the improvement in risk here. Here is where we would expect to have a big payoff, whereas we are getting some age-related degradation.

1 We have looked, for example, the high risk 2 component in our risk prioritization appears to be like the reactor vessel beltline. We can look at what kind of impact 3 4 different types of inspection might have on reducing the 5 failure rate of a reactor vessel due to a pressurized 6 thermal shock transient. Here, we see a case where we call 7 a baseline case called no inspection. Here is a case, ASME 8 code minimum requirements going back maybe ten years ago 9 would have done to the failure probabilities, and see 10 there's a very little difference in the probability of 11 failure for these two cases.

12 Essentially, an inspection was doing -- having no 13 benefit at all, as far as structure reliability. Here, we 1.4 go to a case where we are looking at what kind of inspection 15 probabilities we can get from a good quality near surface 16 examination using ultrasonic inspection under ideal 17 conditions with a smooth cladding on the vessel. What we 18 see is, we are getting where we can expect to find maybe 19 nine out of ten defects in this critical near surface 20 examination. We are talking about potentially reducing 21 failure probabilities here, maybe by an order of magnitude 22 by aggressive high quality inspection program.

MR. WARD: The failure probability is reduced,
 because when you find it you shut the plant down.
 MR. SIMONEN: You shut the plant down, perhaps you

do a vessel anneal. You have to do something.

MR. WARD: Yes, okay.

1

2

MR. SIMONEN: Grind the crack out, maybe repair 4 it. We have looked also at a scenario of stress corrosion 5 cracking in stainless steel piping. What we have taken is what we call her, a probability of non-detection. Three 6 7 curves that kind of represent where we think we are in this 8 inspection area based on Round Robin results from our work 9 done on our NRC program at PNL. The poor inspection is 10 basically what we found was done maybe ten years ago when 11 this stress corrosion cracking was really coming to light. 12 What we find here is people, even the crack half way through 13 the wall, they had less than a 50 percent chance of 14 detecting that crack.

15 Good is what we feel is what the better teams are 16 doing, and the performance demonstration we feel is 17 something that will ensure that the field inspections are 18 being done at this type of level, whereas you are talking about a crack of about 20 percent of the way through the 19 wall you are detecting maybe only 20 percent chance of 20 missing that crack. Advanced, I guess, is maybe a 21 projection into the future, advanced technology where maybe 22 23 something like SAFT -- if that's something that in the future is put in as part of the improved inspection 24 programs. There, you get a ten percent a way through the
crack and you only have one chance in ten of missing that 2 defect.

1

Now, how does this relate then to an impact on 3 actually the inspection. In stress corrosion cracking the 4 difficulty is that if you don't inspect and often enough, 5 you have a small crack and one inspection it is too small to 6 detect before you do the next inspection. The crack growth 7 rate has accelerated, so the failure occurs between the ten 8 year inspection interval. 9

We used those POD curves there on the previous 10 11 slide and did a probabilistic type fracture mechanics analysis to see what this does to component reliability. We 12 looked at the poor inspection -- inspections which -- type 13 of inspections that are going to be ruled out from the 14 current code requirements. We see that this extreme case of 15 doing 40 inspections over once a year, you are getting less 16 than a factor of one. So, this is really cost benefit-wise, 17 this -- you might as well not be doing any inspection at 18 all. It's not doing any good at all. 19

If you are talking like the current type of 20 inspection like four inspections per year, you are maybe 21 improving the reliability by a factor of two or more. If 22 you get an annual inspection interval, you are maybe proving 23 reliability by a factor of perhaps ten or up in that range. 24 If you look at the projected advanced techniques, then maybe 25

like four inspections over the life of the plant, the
 current standardized ISI interval, then maybe you are
 getting a factor of ten improvement in reliability.

4 MR. MICHELSON: Do those numbers assume that you 5 have a certain threshold of detection and everything 6 detected at that threshold is repaired?

MR. SIMONEN: Right. That's exactly it.
MR. MICHELSON: Then you move on to a few more -MR. SIMONEN: Right.

10 MR. MICHELSON: -- cycle again.

MR. SIMONEN: In this case you are inspecting all those welds that are susceptible to stress corrosion cracking.

14 MR. MICHELSON: You have repaired everything that 15 exceeds your threshold of detection, there are some 16 arbitrarily small threshold.

MR. SIMONEN: That's right. That gives kind of an 17 example of what the structural reliability and risk 18 assessment models will do. This is a point in this work 19 where we are just kind of beginning. Now that we know what 20 some of the high risk contributing components are, we feel 21 now we know kind of what we need to address with these 22 23 models. They are not easy, inexpensive models to exercise. We have limited resources, so we -- what we want 24 to do is address some of the high priority components and 25

1 failure mechanisms as identified by the expert elicitation. 2 We are going to develop and apply these models to evaluate 3 what the impacts of alternative inspection scenarios are and 4 perform some parametric studies using codes such as the 5 PRAISE code which was developed by NRC research.

6 I will try to generalize the results, do some case studies and try to generalize the results. The whole 7 outcome of this is to try to quantify the benefits of 8 inservice inspection. Unless we get some factor of 9 improvement from inspection, there is really no reason to 10 11 perform an inspection. The numbers from this quantified benefits then will go into a decision risk analysis which 12 Ken Balkey will discuss, which is basically a kind of cost 13 14 benefit trade off type analysis.

15

16

MR. SHEWMON: Thank you.

[Slides.]

MR. BALKEY: Just to refresh everyone's memory where we are in this whole process, you have heard from Truong Vo on the risk-based ranking, you have heard from Bryan on the target failure selection, and Fred just began to talk about the quantifying the effects of inspection on meeting target failure probabilities in inspection programs.

Notice that our process is iterative. We realize that the first time through there may be things that aren't right, and the concerns that have been raised are brought

back in. The whole process is that this should be a
continuing living process as times goes on. That's actually
the process that Vic Chapman is implementing in his UK
Submarine program. What I would like to do is -- I am now
down in that bottom box. What I have here is another flow
chart that kind of expands on that bottom chart.

7 When you think about inspection program, what you 8 are dealing with are some very serious decisions that have 9 to be made. These decisions affect the safety of that 10 component and also impacts the economic viability of 11 operation of that plant. An example that I am going to 12 discuss now in using decision analysis to integrate the 13 models that Fred Simonen just discussed as well as PRA 14 models again that Truong Vo and Bryan Core discussed, and fold that into an entire cost benefit assessment that provides failure probabilities to meet the safety goals and 16 17 to do an economic evaluation to determine the value of doing 18 those inspections.

The example that I am going to discuss gets into evaluating how to evaluate an inspection strategy, and I am hoping I can save some time because I would like to have -if it's okay with the Chairman -- Vic Chapman speak about, once you do an inspection how do you factor that back into decisions.

25

When we put our Volume 1 document out for review

1 back in 1990, we spoke very little about the economic 2 impact. We received some very strong criticism from 3 steering committee as well as independent reviewers, that 4 said that they felt if we just focused on the aspect of 5 meeting the safety criterion -- they thought we were remiss 6 in not talking the economics. The economics of inspection 7 are expensive, and the impact of not finding degredation 8 resulting in unplanned outages is also very expens've.

9 So, that's what we got Dr. Perdue from 10 Westinghouse involved, and asked him if he would help us in 11 integrating using these decision analysis models, 12 integrating the technical risks for safety risks with the 13 economic risks. The aspect of decision analysis actually 14 has been around for about 20 years in the financial community and business community, but the aspect of 15 16 integrating this with the tools that you have been seeing 17 today that's new. That is where our research effort is 18 headed. In fact, that's exactly the research Dr. Perdue's research group is doing for ASME. 19

There is a collaborative effort between the two research programs. In fact, a couple of the members, Dr. Abramson and Truong Vo are members of Dr. Perdue's group. There's a little tutorial example that is in the Volume 1 general document, just to say how you choose an inspection strategy. Essentially, wherever you see a square that means

that there is a decision that has to be made, and that you have a control over that decision.

2

3 Where you see an oval or circle is a chance node. 4 That means you do not have control over that; it's up to 5 nature what will happen in that case. The decisions you 6 make clearly influence those chance nodes, and that's how 7 the decision analysis relates it together. In this simple 8 example we have just picked a representative pipeline. In 9 fact, it didn't matter whether it was a nuclear plant or a 10 fossil plant or whatever.

11 There may be a current way that you are doing your 12 inspection. However, somebody may have come up with a new technique to do inspection which maybe is more reliable; 13 14 however, it is more costly at the same time. Finally, maybe 15 because of inspections carried out there's a lot of push to 16 say that we are not seeing anything so let's stop the 17 inspection all together. By not doing inspection there is a 18 cost associated with that also.

19 The way that gets folded in is, when you go to 20 each case of -- you choose your inspection technique, you 21 get into the questions Dr. Simonen raised. With that 22 technique, how reliable is my technique in finding that 23 degradation. With the current technique it may be 50/50. 24 With this new technique that is being promoted, we find the 25 degradation with an 85 percent chance rather than a 50/50.

Obviously, if you don't inspect at all, you have no chance of finding any damage.

What carries out is, if you do find some damage, 3 some repair replacement will be done to try restoring that 4 component to an adequate level of safety. In the case where 5 the inspection does not find the damage of concern, then you 6 reach the other chance node of what is the chance that 7 component will rupture or leak or whatever, with remaining 8 life over time. That is exactly where the structure 9 reliability models that Dr. Simonen discussed come into play. In other words, these numbers are not achieved from 11 expert opinion, they are achieved by running through these 12 calculations. So, one can get a feel of the impact of 13 inspection on the probability of failure of that component. 14 Finally, if the component does fail then one gets 15 .nto a range of consequences. Here, we fold back into the 16 PRA to determine -- with that consequence something that is 17 a minor consequence or something guite major. Given that 18 there is a tremendous uncertainty in that, we have reflected 19 it here in terms of cost, in series of range of cost of \$3 20 million to \$20 million, and we have assigned uncertainties 21 22 on the branches of that chance node. That helps to address the question -- when I am on this particular component what 23 happens if my PRA is wrong. Dr. Perdue recommends that 24 actually you should try to in this evaluation -- we come 25

back into it -- as you try to span the range of uncertainty 2 in that PRA model to determine that maybe I am not 3 calculating it exactly right, it may be higher or may be 4 even less than what I have in the evaluation.

1

5 At any rate, at the end of these branch nodes -at the end of each of these scenario paths there is cost 6 7 associated with it. You have the cost of inspection, you have the cost of repair, and you have the cost of having 8 9 some accident occur within a given facility. Those of you 10 who are familiar with probabilistic risk assessment, this is essentially an event tree. You take the probability along 11 12 each scenario path and then multiply it by the total cost 13 with that path, and you get an expected value for that 14 particular path.

15 What is of interest here with the decision analysis, you also get the safety information out when one 16 combines the probabilities through the path where failure 17 does occur and you have a range of consequence, you can look 18 at the scenario failure probability and determine how well 19 does that probability match the targets that Dr. Gore talked 20 21 about.

You can see with this hypothetical example that 22 the current technique -- we have a failure probability of 23 five and 100 with, when we add up all the costs associated 24 with it, \$532,000.00 per year. When you go to the new

technique we grt a lower failure probability, and because it helps to lower also things that may affect -- leaks that might keep a plant down but are not result in any threat to the public -- that actually you have a cost savings in the long run by going to that more advanced technique. You will find the damage and keep yourself in a more reliable node.

1

2

3.

4

5

6

Finally, the aspect of not doing any inspection results in the highest failure probability but also the highest cost. This is just a simple example. What I would like to do now is go in through an actual example where we chose low pressure safety injection line which is one of the high risk segments identified in the Surry work and try to work through this process, keeping in mind that we have Section XI and all the costs folded into a nuclear example.

The first thing that is done, before the decision tree is put together, a blueprint has to be made up to determine how all the uncertainties both tochnical and economic, influence one another. The tool chat is used for that is called an influence diagram. It actually begins from the right and working back to the left.

The first thing is the bottom line in terms of the evaluation from cost benefit is, what is the present value of each particular inspection strategy that we want to evaluate. First of all, this chart here is not a flow chart, it's not a pert chart. It's an influence diagram.

So, wherever you see an oval, that is an uncertainty. When you see an arrow going from one oval to another oval, that means that the uncertainty about that particular variable influences this variable.

2

3

4

5

6

2

8

25

-

116

Essentially, it works back here. You see working back through the present value of strategy costs, you see the impact . inspection cost itself. There is replacement. power costs, not only for carrying out the inspection but if you do get into finding indications or damage, you have the 9 whole range of impact on outage for evaluations, repairs, replacements in that economic model. 11

Where the technical part comes in, is in the 12 influence of -- if we do have an accident consequential 13 caused, and the incertainties that influence it are in our 14 case core damage. The uncertainties that affect core 15 damage, of course, get into situations in piping where you 16 do get breaks before a leak. Now, you can work all the way 17 back to how that is affected by the ability to detect a 18 degradation that may be going on. 19

Finally, you work back that the inspection strategy which is a decision node influences the ability to 21 detect, and it also influences the cost of inspection. It 22 also influences how much outage will be impacted as a result 23 of the strategies that are looked at. 24

From this blueprint, in fact, in doing this

117 1 evaluation more than one-half the effort is just getting 2 this blueprint to be correct. Because if the influences 3 aren't correct, then you will have errors through the rest of the evaluation. 4 MR. MICHELSON: Excuse me. The consequential cost 8 is the cost to the public? 6 MR. BALKEY: It's the ---7 MR. MICHELSON: Damage to the public. 8 MR. BALKEY: It ranges, yes. On that particular 9 10 one, yes. It is damage to the public. MR. MICHELSON: Where is the damage to the plant 11 itself in your own economic investment? 12 13 MR. BALKEY: It should work back. 14 MR. MICHELSON: It says Price Andersen beside it, 15 which is not --16 MR. BALKEY: That's a public cost there. MR. MICHELSON: -- identifying the owner, I don't 17 believe, or his loss of capital equipment. 18 MR. BALKEY: Replacement of power cost --19 MR. MICHELSON: That's not the only cost. 20 MR. BALKEY: That's right. It's folded in here. 21 Your accident can impact -- there is a consequence to the 22 23 public, but it also is in this uncertainty here of replacement power costs if you have an accident occur. The 24 question that is being asked is, if I have core damage there 25

118 1 probably should be An arrow drawing up to here. 2 MR. MICHELSON: Replacement of power goes on for a 3 period of time, perhaps, until you build another plant. You 4 have lost that capital value of the plant that was involved. 5 Somewhere, it has to be in the accounting. MR. WARD: I would have thought that was your one 6 down there meant --8 MR, MICHELSON: It says Price Andersen. -9 MR. WARD: -- it says given Price Andersen. 10 MR. MICHELSON: That inferred to me that maybe 11 that was only the -- they were only consilering the Price 12 Andersen in aspects. 13 MR. WARD: I thought it meant they only had to pay 14 for what Price Andersen doesn't pay for -- I mean absorb. 15 That's not the --16 MR. MICHELSON: Including their own loss of 17 capital equipment. 18 MR. WARD: So, the public ** 19 MR. MICHELSON; It could be. That's why I 20 wondered where it was. MR. WARD: The cost to the public is something 21 22 separate from this. 23 MR. MICHELSON: That's why I wondered. It is in 24 there though. MR. BALKEY: Let me go through the example and we

will see if it is. Now, you can see the decision tree for this example is much larger of course than the simple tutorial tree that was in the Volume 1 document. Of course, these chance nodes, they -- of course, this tree explodes out as you come across the tree.

1

2

3

4

5.

6 You can see your choice of inspection impacts the 7 chance -- what's the chance there is a crack to be present. 8 What is the chance that crack may be larger than the current 9 ASME acceptance standard. Then, you get into the chance 10 that the inspection will actually detect it, what is the 11 chance we are going to get into repairs. Of course, keep 12 working across the path until we do get into the major 13 radiation release. In each case there's an outcome 14 economically across each of that whole expansive tree.

15 The input that goes into those chance nodes, we 16 had for our example the technical uncertainties that one has 17 to address. I should say we chose the low pressure safety 18 injection but even in our Volume 2 document this is still for illustrative purposes. The group in our next phase is 19 20 going to be going back and actually going back enhancing the 21 numbers. We are just trying to go through to demonstrate 22 how the technology links the tools together.

Essentially, you can work down each of the probabilities that have to go into the tree. But what I wanted to note was that to get these probabilities, the

probability of a large leak or a large break before leak that, that comes from the structure reliability model. The other thing that comes from the structure reliability model is the aspect that the decision analysis needs a chance node. Yes, I will find it or no, I won't.

2

3

4

5

25

We know that there can be an entire range of flaw 6 sizes that may exist. Or, if we are talking about wall 7 thinning, there is why conce of flaw sizes that may 8 impact the integrity of this so conont. What is done is, we 9 use the structure reliability model that, if I do the 10 current ASME inspection will the current UT, the ten year 1.1 interval with the performance gualifications that are done for the people who do that inspection, we take that 13 probability of non-detection curve into what Fred Simonen 14 discussed and calculate out a failure probability and end of 15 16 life.

But then, we back calculate through the distribution of detection to get a single value that can go into the decision tree. So, it's a process where you use the tool to work it forward and back out, and average detection probability that goes into the decision analysis. You can see that with the current technique we are saying over the life of this example, the life of the plant, there is a 67 percent chance of detection.

You can see that if I double the frequency, if I

would go in every five years instead of every ten, it greatly enhances the inspection -- the probability of detection. Finally, if I inspect every 20 years it drops down in reliability. Then, if we look to the future to improve the NDE techniques, you can start looking at some very high reliability numbers in detecting degradation.

7 MR. MICHELSON: Excuse me. I am a little puzzled.
8 If I have a given set of NDE equipment, it will detect a
9 certain leak size with high probability of success. But, if
10 I double the frequency with which I do this, why does that
11 change this conditional probability?

12

25

1

2

4

5

6

MR. BALKEY: Because ==

MR. MICHELSON: I still have the same equipment and same threshold of success. I am just going to find whatever new one is generated between the last time I looked and the next time I look.

MR. BALKEY: I am going to borrow one of Dr. 17 Simonen's viewgraphs here. Essentially what happens is, 18 degradation is occurring over time. If you are going in at 19 ten years the degradation will have had a chance to advance 20 to a certain level. If one goes in at five years -- we are 21 saying here, if I don't do any inspection the degradation is 22 23 going to continue, and it will result in some failure probability. 24

I see

I see what your point is --

MR. MICHELSON: You are going to double the
 frequency, that's all.

3 MR. BALKEY: You are doubling the frequency. You
4 haven't changed the accuracy of it.

5

MR. MICHELSON: That's right.

MR. BALKEY: But, I need a single number to go 6 7 into the decision analysis. As I said, what I am doing is, 8 I fold in the entire probability distribution of cracks that may be present, and I go over the entire distribution of 9 10 probability of finding those different flaw sizes. For no 11 inspection, I have an end of life probability here. If I do 12 an inspection every ten years my probability may be here. 13 Five years, here. Ten years, here.

MR. MICHELSON: I guess it all comes out. MR. GORE: I think it's relatively straightforward. Basically, you are assuming that the initial crack distribution grows. When you look at time zero or time ten years, you will get maybe some of those cracks. You have a certain probability of detecting == MR. MICHELSON: Finding them at == MR. GORE: If you wait another ten years before you look again, those cracks may grow to critical size and you may get rupture. If you look after five years, the cracks may have grown to where you can detect them much more reliably, so that you can intercept the crack growth and make a repair.

7 MR. MICHELSON: The assumption is, you intercept 8 those at five years that you can detect.

9 MR. GORE: Yes,

MR. MICHELSON: Waiting for ten years somehow changes the --

MR. SHEWMON: Ten years, some of them may have ruptured.

MR. MICHELSON: I guess that's okay. Thank you. 14 MR. BALKEY: Some of the cost factors that come in 15 is the cost of the inspection, and you can read through the 16 17 viewgraph. In terms of inspection costs -- what goes into 18 direct cost here is, of course, the personnel, the training of personnel and buying the equipment. But the man-REM 19 exposure cost also gets folded into that as well. . want to 20 make that point clear, that that has to be involved. 21

Of course, if you find indications, you now can start impacting outage times and there is outage times for doing repairs. If you get into leaks or breaks, this is where the impact on the plant comes in; that, if you get

into some type of large break, then there could be a very significant time that the plant may be out of service while the repair is being carried out.

MR. MICHELSON: The assumption always is that you had to shut down for some other reason anyway, and so there's no cost of shutdown in your inspection.

MR. BALKEY: It is in there. By the outage time, the cost of shutting down, the utility is out of service for a significant amount of time at a replacement ---

MR. MICHELSON: You didn't assume it went out just 10 for this purpose, out of service for this purpose.

MR. BALKEY: It is assumed that it is going out of 12 13 -- in other words, if I have a leak -- if there is a leak 14 occurring in a plant and it is discovered, you are going to bring the plant down. 15

MR. MICHELSON: Then you are obviously out, but I 1.6 am talking about routine five year, ten year interval. You 17 18 do it, whether there's a leak or not.

19 MR. WARD: Inspection.

MR. MICHELSON: Yes.

1

2

3

4

5

6

7

8

9

1.1

MR. WARD: Inspection time. 21

MR. MICHELSON: Does the cost of inspection 22 23 include the down time, or how do you factor in down time, since you probably are doing a lot of other things and that 24 wasn't the reason you came down even.

MR. BALKEY: I will give an example, and I will look to my colleague Chuck Tomes who is an ISI engineer at Wisconsin Public Service. Essentially, you make your inspection plan, so you try not to impact.

MR. MICHELSON: That's right.

MR. BALKEY: Let's saying employing the ability of 6 a new technique, a new technique that may require a longer 7 time to perform the inspection -- in fact, we have it in the 8 model for example that this is an incremental outage for an 9 improved NDE technique. In other words, we are now going to 10 impact critical path. We can't fit it in. The plan just 11 does not permit us to put this technique in, and it is going 12 to keep the plant out one more day. That's a cost that 13 becomes very important. 14

MR. MICHELSON: A day of down time is attributed to the cost then.

MR. BALKEY: That's right.

18

17

1

3

4

:5

MR. MICHELSON: Thank you.

19 MR. BALKEY: Then, of course, the economic 20 analysis is done over the life of the plant and all the 21 financial numbers have to be brought back to present value. 22 We have assumed a discount factor of four percent. In fact, 23 the numbers we have here are not fictitious. We have talked 24 to utility engineers that give us some numbers to start with 25 for sake of example.

Here, if you get into these large releases, the only examples we were going by were something like Three Mile Island. You are trying to say here's the impact on industry of that type of release. Of course, a major accident would be beyond that.

[Slides.]

2

3

4

5

6

17

8

9

10

MR. BALKEY: Now, that all gets folded together. There ends up being the numbers of importance, and that's what I am going to present here in this table. What I want to focus on right now are the first two columns.

For sake of example, we looked at the case of 11 12 Section XI, what would that mean for our example if we have 13 here; what would be the case of not doing any inspection; 14 going to a frequency of inspecting every five years, 15 inspecting every 20 years, or let's look to the future. If we just stay with the current ASME plan and we are now going 16 17 to go much more advanced technique, we are looking out to the future, what may be the potential benefit of that. 18

What we have shown here are large leak probabilities. The break probability is a factor of ten to the minus three less than that. This large leak probability can be translated to two times ten to the minus seven as the break probability and so forth down. We have a footnote to that matter, to get the rupture reliability and multiply by .001.

The reason we have large leak probability, from examples we have done what drives the need for inspection or the importance of inspection, is more than just meeting the target risk numbers that Bryan Gore discussed. Many times preventing the first degradation before you reach that can be a big economic benefit.

1

2

3

4

5

6

7 Let me just go through, for sake of example. 8 First of all, the current technique -- by the way, this no-9 ISI case that targeted -- that Dr. Gore showed in his graph 10 was about two times ten to the minus seven. We are saying 11 if you don't do any inspection you are right there at the 12 target. Whether that target is exact, that would not be an 13 acceptable strategy. The failure probability is too high 14 for this particular application.

The code inspection though, does bring it down by a factor of three. If I go to a more frequent inspection I may be getting another factor of five, and you can see similar results consistent with what Fred Simonen had presented. If I go all the way to a real advanced technique, I may be able to drop that number by another factor of two.

When we fold through the decision tree you start to see that the expected costs results that the cheapest thing to do is not to inspect, and that actually improved NDE is not very cost effective if you are dealing with

expected -- if you are just dealing with expected value. Actually, expected value is not a very good way to make decisions. You have to bring in another factor.

1

2

3

25

4 The reason this number is higher, the improved NDE 5 is that the improvement in lowering leak probability and 6 those costs associated with it, the benefit does not offset 7 the increment as a result of this extra day of outage in order to perform the inspection. I will come back to the 8 9 fact of expected values, as not being the right way to 10 evaluate this problem. Expected values is saying I am going 11 to take my chance over the long run averages. In some business decisions that's fine. But when you get to the 12 13 case here where a pipe rupture can have a very significant 14 effect on the business of the utility or the insurers who 15 are -- on all the stakeholders involved in the problem, you 16 have to bring in another very important variable and it's called risk attitude. 17

18 The decision tree focuses on uncertainties and 19 probabilities, and the economic and technical factors. It 20 does not incorporate the aspect of risk tolerance. Risk 21 tolerance is a concept that economists use, and in fact we 22 all experience in our daily life here. If we didn't have --23 if we were not risk tolerant, none of us would carry 24 insurance.

You want to protect the -- the utility wants to

protect the business they have there of that plant. There is a factor that economists have developed, what they call a risk adjusted cost. A risk adjusted cost is saying I am --I do have this facility with potential for a very serious accident. I am willing to pay above the expect cost in order to indemnify myself against that accident.

1

2

3

4

5

6

7 What the concept says is that knowing the 8 seriousness of a serious radiation release, that you would be willing to pay more. That's the insurance factor. I 9 would be willing to pay more to protect my plant in that particular case. The risk tolerance calculation is shown 11 12 here by this equation. The value of risk tolerance is a function of the size of the organization. Utilities, for 13 14 sake of an example, the average utility is capitalized between \$1 to \$1.5 billion. A rough rule of thumb of risk 15 tolerance to an organization is about 15 percent of that 16 17 number.

18 In other words, a real large corporation or business has the ability to self-insure itself. The R 19 factor, this risk tolerance, is really the ability of an 20 organization to self-insure against certain types of 21 accidents. Anyhow, the risk tolerance factor is brought in, 22 23 and now we have gone back through the decision analysis again with these factors. We are taking the outcome of the 24 25 decision analysis, working them through the equations. You

calculate a risk adjusted cost for each of those strategies.

1

2

3

4

5

6

7

With this example it works out -- it actually comes out pretty on the high side; that, if I choose a strategy of no inspection that the utility would be willing to pay up to \$600 million above that in order to protect the fact of not having -- to perfectly indemnify themselves against having a serious accident of rupture of this line.

8 The thing we want to keep in mind is that this is 9 a hypothetical construct, this equation. What is more 10 important is not the number, what is more important is the ratio that comes out of it. When you bring this risk 11 12 adjusted cost in and the aspect that a utility or business 1.3 wants to protect thair investment, now you get a different 14 look at the choice of strategy. Now you find out that no 15 inspection is absolutely not the thing you want to do. In 16 fact, you work down to the two best choices -- end up being 17 the improved NDE or inspecting more often. That's just the 18 way this case came out for this hypothetical example.

MR. MICHELSON: How do I make sure that if I am concerned about economic risk that I make sure that all the systems that might lead to an economic risk are included in your set to look at? Your first set was developed more on the basis of plant safety and not on economics. Now, when you throw economic in perhaps there is a larger set to worry about than those purely safety related.

1 I will give you a good example. A boiling water reactor, reactor water clean up system. It is a system that has guite large piping, six to eight inches, contains 3 reactor water at full pressure, full temperature at all á. 5 times except when the system is shut down for some reason. 6 A rupture of that system, even if the isolation valves were 7 to work, would be a pretty significant economic impact 8 depending on where the break is in that system, you might flush the ion exchange resins out into the building and 9 10 things like this. It can get very sticky from a cost 11 viewpoint.

That system wouldn't appear in your analysis here, because it got lost way on early in the cut sets. It shouldn't have, because the valves aren't as good as we think they are. Even if they were, it still is something you want to think about from an economic viewpoint.

MR. BALKEY: What we are doing with this whole process is, we are not just looking at high risk. We are also choosing systems that have a moderate risk, and we are going to pick some of those at the bottom and run through this same process again. It's not just we are picking out a couple of components and running through it. We are going to be looking at the entire range.

24 MR. GORE: I guess my comment with regard to the 25 previous question has to do with the failure modes and

effects analysis approach which we would use. The PRA focuses on core damage frequency. That is not relevant risk measure at this point.

1

2

3

4

MR. MICHELSON: It's not in the PRA.

5 MR. GORE: We would go back and do a different 6 type of risk analysis. We would look at the consequence of 7 such a rupture. That's a fairly straightforward one. Here, 8 we are not getting into situations where we have redundant 9 systems and we have multiple failures that we have to deal 10 with. We break that cipe, the consequence can be reasonably straightforwardly estimated in terms ions and radioactivity 11 12 and clean up of the containment.

13 It's a completely different problem, I guess is 14 the point that I am trying to make. The risk measure is 15 fundamentally different.

16 MR. SHEWMON: We are starting to run over time, 17 Ken.

18 MR. BALKEY: I am going to just quickly wrap up 19 then.

20 MR. WARD: Could I just ask a quick question. 21 This risk tolerance factor is really kind of a 22 subjective ==

MR. BALKEY: That's exactly right,
 MR. WARD: Does each owner -- are you going to

25 have a methodology here where each owner can plug in his own

number or something?

MR. BALKEY: You don't need to. What we did here, in the very next viewgraph adjusts it. In other words, what happens if our risk tolerance is off. What happens if the utility is smaller or the utility is larger, would it change our decision. We did a sensitivity study just on that particular factor.

8 You can see that if you are capitalized at one to 9 one-and one half billion, you are somewhere in this range 10 here for the average utility. You can see that the choice, 11 the improved NDE, the ASME frequency still rack up in the 12 same order. The order does not change until you would get 13 way out until you have somebody of a very large business.

14 In other words, we plan to do sensitivity studies 15 to make sure that the recommendation should be appropriate 16 across the different sized organizations.

MR. WARD: What is the abscissa there?
MR. BALKEY: This is that risk tolerance. That is
R. That's exactly the factor you raised the question on.
It's R.

21

1

2

3

4

5

6

7

MR. WARD: Okay.

MR. BALKEY: It's a subjective number. We want to make sure that the strategies don't switch around. The other factor that I want to make mention is -- I am just presenting a straightforward result. Just like any type of

assessment that is carried out whether it's PRA or structure reliability, the decision analysis, a major piece of this is to do sensitivity studies to make sure that the variables that you have in which could vary, how much it would affect the decision.

1

2

3

4

5

6 I have just shown one example here. You always go 7 back and say if some of these probabilities I may not have 8 the best information and what happens if it is different. 9 Would it affect my recommendation for an inspection 10 strategy.

In the interest of time, the only last point I was 11 12 going to make was that the technique can be used to help define if I don't know something about a particular strategy 13 14 in this particular case -- in fact, what we have done here is said that the NDE, the improved NDE is too hypothetical 15 16 and is really not a good recommendation. Let's say that out of the work that Bryan Core does, that the no ISI case does 17 not achieve the target failure probability. You see that we 18 19 are left with only two choices.

The two choices are present code, or maybe inspecting a little more often for this particular case. We can go back and determine it on some of the uncertainties. I may not have good information on for instance the one of the key uncertainties the chance of a crack actually being present in the pipe. The only thing that I am trying to

save from this c 'e is that you can go back and determine the value of goin, out and getting good information, trying to achieve perfect information.

Essentially, this example goes through and says it's worth about \$1.6 million to go back out and have a research program to take care of that particular chance node and try to get better information. With that, the effect of inspection when inspections are carried out, the things change. This now gets into the living process.

10 Mr. Chairman, is there a few minutes for Mr.
11 Chapman to speak, and that would end the entire nuclear -12 MR. SHEWMON: After lunch.

MR. BALKEY: After lunch, okay.

MR. SHEWMON: We will come back in one hour then, at 25 after one.

16 [Whereupon, at 12:25 p.m., the meeting recessed, 17 to reconvene at 1:25 p.m., this same day.]

19

18

21

1

2

3

ă.

5

6

7

8

9

13

20

22

23

24



AFTERNOON SESSION

2

[1:25 p.m.]

MR. SHEWMON: Let's get started. Please proceed. 3 MR. CHAPMAN: Good afternoon, gentlemen. I am Vic 4 Chapman, from Rolls-Royce and Associates. I am very proud 5 to be here in your country to be able to talk to you. I 6 shall move along as quickly as I can. I am going to pick up 7 the point that Dr. Simonen made about the inspections 8 relative both to a probability of failure and to confidence. 9 Much of what I say will be obvious at the end of the day, 10 but it's surprising how many people don't go through the 11 logic to end up with the conclusion. 12

13 What I want to do is take an examply to move through quickly, and I am going to cort of consider a simple 14 weld. I am going to talk about inspecting that weld to 15 start off with. If I inspect that weid, then I will effect 16 of the probability of failure of that weld. As Dr. Simonen 17 showed, if the inspection is at 95 percent or 90 percent 18 chance of finding a defect that will lead to failure, then I 19 can say that whatever the baseline probability of that 20 failure is -- let us say ten to the minus four -- can be 21 reduced by a decade to ten to the minus five. 22

That's very self-evident. But if that one weld is part of a sample of several welds, let us say 10 welds, then inspecting the one weld does not effect the probability of

failure of any of the other welds, only that weld that is being inspected. If we believe that our object of the inspection is to reduce the probability of failure of this system, then we are going to be somewhat mistaken, because we are only inspecting ten percent of it. Even if we reduced that ten percent to zero the other 90 percent would still be there. The overall effect would be very low.

Therefore, we cannot be doing sample inspections 8 in order to reduce the probability of failure. Therefore, 9 you can ask, why are you doing the inspections. The only 10 thing that can be left is to gain confidence. Then the 11 12 question comes as to confidence in what. I spoke about ten 13 to the minus four as failure, and there was an inference 14 there somehow or another that that was the true probability of failure. But I think the one thing that is for absolute 15 16 certain is, we do not know what the true probability of failure is of any one of our welds or components. 17

We may evaluate the probability to be ten to the minus four. Again, Dr. Simonen said that the kind of models that we use to model those probabilities, hut we don't know that that is the true probability of failure. We only know that it is our calculated. If we talk about confidence, we might say that what we want is confidence that that value that we calculate is, in fact, true.

A

25

1

2

3.

4

5

6

7

I would say that even that is probably not what we

want. Again, Dr. Gore talked about a target. It might be 1 that what we want to say is what we want to be as confident 2 is that the probability of failure is less than the target 3 probability of failure. We might evaluate the probability 4 of failure for it to be five times ten to the minus five. 5 Very wonderful analysis. Target we want is ten to the minus 6 7 four, and we therefore say we are happy, we have met our target and everything is fine. 8

But then, you could look at the kind of input that 9 you saw Dr. Simonen put up -- he didn't explain much quite 10 11 right you said -- just appreciate that there is a lot of input with this. We could say, how do we know that that 12 input is true. How do we know the defect density is right. 13 How do we know that we have taken account of all of the 14 types of transients that we are likely to see. How do we 15 16 know that the stresses that we put in are right and the 17 crack growth is right.

18 What we can do is to run those models with the 19 up tainty in them, and we can do what we might call a 20 sensitivity analysis. It's not surprising that I can move that sensitivity such that the probability of failure 21 22 becomes unacceptable. In other words, comes above my target. Just doing that doesn't tell me anything in its own 23 24 right. All it tells me is that if I change the inputs I can 25 change the probability of failure, and it tells me how



sensitive it is to it. It doesn't tell me whether or not I am actually meeting the target. It is confidence in that which we want to gain.

1

2

3

25

The thing to remember here is that we are only 4 inspecting a sample of this group, just perhaps ten percent 5 or 20 [rcent. Now, when we were talking about the 6 probability of failure and how inspection affected the 7 probability of failure, the thing that we were interested in 8 9 was that defect which would lead to failure which is, itself, quite a rare event, ten to the minus four. If we 10 have a period let's say of time -- and this is this point 11 that led to the inspection -- if we have -- there is a 12 critical size AC which will lead to failure, if there's a 13 crack growth Delta Ray over five years, then we need to be 14 able to show that we can find a defect which is less than 15 that critical size so that it won't fail. We might have 16 quite good inspection efficiency of that. 17

But since what we are doing now is looking at a sample, we know that that rare event is extremely unlikely to occur in any of them. We hope that it won't occur in any of them. It is certainly extremely unlikely to occur in just one that we are looking at. So, it is not very important now for us to be able to say that we can find that.

What we really want to be looking at is what we

would expect to find if the system were true. So now, I can go back to my original analysis which said the probability was five times ten to the minus five, and I can say if that were true and I did an inspection on this component which would affect this probability of failure -- but I could also say what would I expect to find from that inspection.

i.

2

3

4

6

6

7

8

9

10

11

12

If I now look at my sensitivity analysis, some of those sensitivities may right go well up to a totally unacceptable probability of failure of say ten to the minus two, and I could still ask the question what would I expect to find if I inspected ten or 20 percent of this sample given that were true.

Once we have done that, we can then say if I carry 13 out this sample procedure, when I get the results what can I 14 do with those results. The answer is, we can now use a 15 Bayesian logic to compare the results that we actually get 16 with those that we would expect from all of the different 17 scenarios that we put forward that could possibly be true. 18 Effectively what we have done is say here is our best 19 estimate which gives us a probability which is below the 20 target, we do a sensitivity, we expand the uncertainties 21 about defect distribution, crack growth or whatever -- you 22 throw whatever you like at it basically -- and you expand 23 that to cover a much wider range which includes a large 24 number which are unacceptable. 25

Since you have a model, with that model and with the inspection that you are doing and with the inspection routine and with the efficiencies of those inspections, you say what would I expect to find. The key there, remember is, what you expect to find and not the rare event. You have to be careful about that in your future logic.

7 Then what you do is, you compare your actual 8 results with those of this set in a Bayesian way to say 9 which is most likely to be true of all of these possible 10 contenders. Let me give you an actual example.

11

1

2

3

4

5

6

[Slides.]

MR. CHAPMAN: This is a pressure vessel which has 12 13 a very large number of nozzles and a very large number of welds, therefore. What we were concerned about is the 14 15 probability of failure of one of those welds. What I would 16 like to have done is to have a flip-over to here, but I 17 haven't got one. What I want you to concentrate on is this 18 dotted distribution. I will now try to explain what that 19 is.

What we have done here is structural reliability
 risk assessment. We have done our best estimate, but -- MR. SHEWMON: If you explain it against the screen
 you are more visible.

24 MR. CHAPMAN: I am going to try to talk about this 25 dotted thing here and explain what it is. What we have done

here is run structure reliability risk assessment, and we have run our best estimate. That gave us one probability of failure which, if my memory serves me right, was down about here.

1

2

3

4

25

Then what we have done is, expanded that to do 100 5 different type systems. It is many solutions. Of course, 6 7 there are many ways you get to the same probability of failure. So, what you find is that with those 100 different 8 ones you get different probability of failure. You can see 9 we have done some improvements, but we have also done some 10 11 bad ones. We have concentrated mainly on the bad ones, so 12 you can see the distribution in this way.

13 What we have done is 100 different possibilities that could be true. What we are saying is, we do not know 14 which is true because the one thing we don't know is the 15 truth. All we know is what we can calculate and what could 16 be true. This is the histogram then of those 100 cases. 17 What you then have to say to yourself is, what 18 would I expect from my inspection sample, given each one of 19 these were true. So, you now get 100 inspection sort of 20 results, if you like, from your analysis. Then what you are 21 going to do is, look at your real results and compare them 22 to see which is more likely to be true. To show you some of 23 24 those results these are them.

Here we see -- here you have date, here you have
the sample size that was inspected and what was found. You 1 can see here, we have cleared as non-crack like, cleared as 2 non-crack like. Here we see our first crack-like defect. 3 We have done an inspection here. That was then cut out and 4 repaired, so the probability of failure of that one weld was 5 of course affected because it was removed. But the 6 7 probability of failure of all the rest were not. So, the rest of them in the sample were not. We have nil, nil --8 9 now we see two not very good. Now we start to see three, 10 two, one, none, none, none.

11 What we do then is to compare this set of results 12 with what would expect to be true from each of our given 13 samples. That's where the distribution changes to the shaded region. What we are saying now is that had this been 14 15 true, had any one of these sets which give us this had only been true, we would have expected to have seen much more 16 17 than we did see. Because we didn't say it, the Bayesian logic says I am now going to update my belief in that 18 19 particular set. That is dropped down, and that is dropped down. 20

Note here that a couple here that haven't dropped down. Here, we can see it is sitting back normal. We can see these are starting to come up now. In fact, what we are saying is that we do believe that probability of failure seems to be quite large.

What you can do is study this really against your target. Let me cheat and look at the next sligh because it tells you what the target is on the next slice.

[Slides.]

2

3

4

MR. CHAPMAN: What we are now talking about is 5 this value here, roughly one times ten to the minus four. 6 That was the target. The value we calculated for -- our 7 best estimate is lower than that, but we are not really 8 worried about that. We said how confident are we that we 9 are meeting this target. What you see here is our starting 10 position was just that initial distribution, which really 11 doesn't mean a great deal. We start off with it giving us a 12 13 very low considence of being true.

As the results come in our confidence begins to 14 15 climb, and what that is doing of course is, it is shunting that distribution over to lower values. You see here where 16 17 we start to find the defect, it drops down a bit and climbs 18 up, something found and it climbs up, something found and it 19 climbs up. What you can see here is that this is beginning to level out at about 75 percent confidence. In other 20 21 words, there are still cases that are coming up where the Bayesian logic is suggesting that the probability of failure 22 could be lower than the target. 23

24 The question is, how far can you take this. Well, 25 that's a difficult question to answer. When are you

1 satisfied that you have enough confidence. Appreciate that 2 by the time you try to get up to 95 or 99, you could be here 3 a very long time and this could be a very flat distribution. 4 However, if you drop down to 50 or 60 -- and we have had 5 cases where that is true, where it has failed to get above 6 here -- then you "ouldn't feel very happy at all about the 7 situation.

8 The key thing that I want to get over is that this 9 is gaining confidence in a set rather than trying to affect 10 the probability of failure of the individual one here. We 11 are not trying to take account of how the inspection affects the probability of failure because it's only a sample, and 12 we know it's not very significant. What we want to discover 13 is where we have confidence that this component is coming up 14 15 to scratch.

16 MR. SHEWMON: Your five to ten minute talk has 17 gone a little over 15 now.

MR. CHAPMAN: Okay. Let me just conclude then, and say that the important thing that comes out of this is to really ask yourself what is your inspection for. I think these may raise some of the questions that you were asking a few minutes ago. If you believe it has affected the probability of failure then it is only affecting that which you are inspecting.

There, you are concerned about finding that which





1 will lead to failure, and you might be able to get guite a 2 good inspection efficiency of that. If you are looking at a 3 sample, then you are unlikely to affect the overall 4 probability of failure of the whole set, because you are 5 only inspecting a small part of it. If you then orientate that inspection such that you are really thinking about it 6 7 as affecting the probability of failure, you are only 8 looking for the larger defects, you may find that the inspection is unable to tell you anything about what would 9 10 be expected to go on.

11 Therefore, it actually doesn't give you any confidence. You may end up in a situation where you are 12 13 doing an inspection on a sample which isn't a very good inspection afficiency, is very unlikely to find anything 14 15 other than gross errors which you don't expect to have; therefore, you can conclude what am I ever going to get out 16 17 of that inspection. You can also, from ones where you are affecting the probability of failure, get confidence as 10 19 well. You can say here is the thing that I am inspecting, it has the probability of failure and my inspection is 20 affecting it. 21

If the probability of failure is low enough then I don't need the inspection. So, I can now ask myself how confident am I from the inspections that the probability of failure is in fact lower or as low as I want it to be, and

don't need to do the inspections. Now, you can end up in a situation where I have done a series of inspections on something, I have reached a point where I am very confident that a probability of failure of this is below my target, do I need to carry on inspecting.

You can address questions of, is my inspection 6 worthwhile. I like to think you can address the question 7 of, can I stop doing my inspections. The last point, if you 8 think of the way now we have orientated to bring into what 9 we inspect, those are the biggest contributors toward the 10 risk. We now concentrate our inspections which can still be 11 seen as a sample from everything, to the highest probability 12 13 of failure elements and highest risk elements. We actually affect those, so we pull their probability of failure down 14 15 by the inspection.

We can also gain confidence in them, that they are as low as we want them to; i.e., below Dr. Gore's target and that, therefore, other things are. This question of taking a few samples from outside is the same thing.

I think this is what is referred to as a living process. It is a process that we use to try to feed back the results to build up this confidence. I hope that will guide you in decisions about what is this inspection for and is it worthwhile.

25

1

2

3

4

5

MR. SHEWMON: Thank you very much.

MR. BALKEY: I want to introduce Lloyd Smith, because this is no longer nuclear application. We just thought there would be value to the Committee to see how people are applying these probabilistic methods in a nonregulatory environment, and showing the value to their application.

MR. SHEWMON: Thank you.

[Slides.]

7

8

9 MR. SMITH: These techniques you will see affect 10 what the Committee does and has a little bit of insight. 11 Please ask any questions as I go along. Otherwise, I will 12 talk for one-half hour and won't answer your questions. I 13 would much rather respond to questions.

14 I will focus basically on three or four points: Why we did analysis; methodology we used; results and the 15 16 benefits; also on our approach to the analysis. Generally, we use supportive approach. We try to respond to what the 17 18 needs of the various departments and the plants were, and helped them solve their solution. This way we ensured they 19 20 buy-in. We circumvented when the major problems of the RCM or the reliability analysis, and that is implementation. We 21 22 just give the appearance of giving them the tools and take and apply the tools and produce a good solution. 23

24 You will notice that I did not say that we address 25 risk directly. However, we implicitly address risk. We

reduce the number of plant transients and we diminish the time our plant is not under normal condition, which is when we are most at risk. We tend to focus on making maintenance the most effective and overall -- making maintenance effective.

1

2

3

4

5

6 Since the mid-1980's we have had dedicated 7 reliability groups concerned with supporting the fossil 8 portion of the company. We have looked at both active 9 components and passive components. Various projects which 10 we have been involved in are turbine generator protection 11 schemes, limestone injection systems, control upgrade and so 12 on. This covers a whole spectrum of various disciplines.

13 The turbine generator protection scheme was using fault trees and to do unavailability of various protection 14 schemes to protect the turbine generator. I was determined 15 in the mid-1980's that the turbine generator was not 16 17 protected very adequately. It came to the attention of our engineers. Our engineers, being good engineers, came up 18 with a multitude of protection schemes to protect them from 19 everything. The problem was, they could not quantify how 20 effective protection schemes were, where they were cost 21 beneficial. 22

We went in and used fault trees to find the unavailability due to failures of the protection relays. We used event trees to model the event scenarios which could

lead to damage generation and electrical bus work. We then 1 used -- determined the contribution of the various relays to 2 the protection. We found that yes, there were some 3 4 protection schemes which protected the reactor and turbine generator better, other ones were marginal, and a large 5 number -- especially a couple that were pets of the PUC 6 which not only did not protect the turbine generator but 7 actually produced negative results. 8

9 MR. MICHELSON: In looking at turbo generator 10 protection, did you look at off-normal operations like 11 testing similar to what happened at Salem?

MR. SMITH: We were looking at various electricalfaults which could occur on all occasions, yes.

MR. MICHELSON: That event developed from being in a particular test mode and then having another failure or so along with it, not even realizing it. I just wondered, do you do that kind of an analysis.

MR. SMITH: That is what was done there, yes. We went through and basically just said for each protection scheme what could have failed, what could not have failed --

MR. MICHELSON: You did include the test modes.
MR. SMITH: Yes.
MR. MICHELSON: Okay, thank you.
MR. SMITH: They are all the same. We also looked

at a system to put limestone injection into coal burning, to 1 allow us to burn lower grade coal, a different grade of 2 coal. The system was very complicated. We tended to focus 3 on which of the portion of the system was less reliable, 4 which one produced the highest impact on maintenance 5 requirements. We used computer programs like Uniram which 6 is a software program to quantify the fault trees. We used 7 diagrams to represent all major subsystems. We did 8 0 determine that a number of the portions of the system were unreliable and did require a lot of maintenance. 10

11 The third instance we looked at was control system 12 for this -- the control system could be 30 years old, 13 starting to fail. It could be replacement of parts. We 14 looked at the failure data for it, and the failure data was 15 rubber band breaking, paper clip falling off. They didn't 16 have parts anymore, they were creating parts and creating an 17 operating system as they could.

The control system upgrade claimed that they were going to improve availability. The problem was that we had done a similar control system two years earlier, and the availability of the plant went down and not up. So, we wanted to concentrate on where it could have improved availability.

24 Our objectives were to impact the control system
25 upgrades on availability, discuss the impact of operational

economy, to identify major contributors to unavailability of the plants, and then to transfer technology. We initially assessed the present utility's conditions and identified the major contributors on availability, and subsequently used root cause analysis to become proactive and correct the problem.

1

2

3

4

5

6

Through model trending we are able to predict 7 8 components that were going to affect unavailability in the 9 future and address them before that happened, producing a proactive program. We looked extensively at operator 10 11 action, all the steps necessary to start the plant up to operate the plant and to shut it down, and then did some 12 13 analysis as far as the optimum number and size of operators. Life extension program, of course, with fossil units, we 14 looked at all the major components that were pressure 15 boundaries that had big impact items. 16

17 The project of interest which relates mostly to system analysis is the Huntley reliability project. We did 18 failure data analysis, plant modeling, human task analysis, 19 recommendations, evaluation and implementation. The failure 20 data development was review of system, equipment and problem 21 experience, assess the data, determine what data was 22 necessary. Fossil units were different from nuclear, in 23 effect, that we have quite a dense database. We have lots 24 25 of failures to look at.

On nuclear you are very sparse. You haven't had enough failures in the whole program to really produce a 2 3 good database. We have lots of failures. Some are strange, but lots of failures anyway. We took the raw data, 4 developed a database and put it on a computer, analyzed it, 5 is it adequate to support the model. If it's adequate okay, 6 but if it's not, we either get more data to a generic basis 7 or we change the model to produce the detail necessary to 8 the data to support it. 9

We looked at as much data as possible, again, reviewed documents; one lines, operating, interviewing plant personnel. A lot of times the plant personnel reviews are more important than anything else. That's how the plant is really operated, not how it is designed. We will find that the design and design engineers and the operations -- even management thinks there is a big disparity.

We have to take this failure data, and to make it 17 useful we have to have a model of the plant. Once again, we 18 19 review system and equipment, talk to the operators, find out how the plant is really designed, develop block diagrams 20 which are just those systems necessary for the plant to 21 produce its mission, 100 percent power, one or two feedwater 22 pump trains, one condenser and so on. Develop fault trees 23 to quantify the block diagrams, refine the fault trees, use 24 failure data to quantify the fault trees. 25

Likewise, we did a human task analysis in great detail. We interviewed operators and asked them what they did. They came up with a list of 500 actions that they used to do to operate the plant. We wanted them, and they had about 1,400 actions. We did one thing -- two more things, and they didn't realize what they were doing, looking at instruments and making phone calls. There's a lot of things happening on a fossil plant.

9 Likewise, their procedures are two pages long to 10 start the plant up. All it says is start feedwater train, 11 shut down this, start that -- how they do it, they have 12 little black books which they, from history, have learned 13 from the previous operator. We took the raw data and 14 determined what function they really do, and specifically 15 what tasks and manpower analysis.

On a fossil unit we found that this is operated on 16 a manpower basis. In other words, they have four or five 17 levels of operators or men to do the same thing. The shift 18 sup, the assistant shift sup, the boiler floor operator, the 19 two control room operators. During the transient they are 20 all walking around checking things. So that, if one person 21 doesn't do one thing the next person does. On different 22 shifts, different people do different tasks, depending upon 23 how their personality works out. This is where a difference 24 between that and the nuclear is. 25

If we just reduce it down to having a number of men to operate the plant as such, the availability and reliability of the plant just decreased based upon this depth theory. To summarize on a broad level, we look at the data, collect data, do model, human factors. Likewise, they all have the same steps and use the srie people at the same time to do the analysis rather than ing them individually. That way, we have a cross-pollination of experience.

9 The data development was a major part of our problem and is a major part of a problem on nuclear also, 10 getting a good data. We would like to get as ruch 11 similarity between the data and our plant as possible. We 12 look for the same industry, same type of failures, same 13 environment, same company perhaps, location, age. As I 14 noted earlier, actually, an environment affects the failure 15 quite a bit. It may be off environment. 16

Maybe different trains fail. Train A fails
differently than train B and different than train C.
Failure data is different in each train for the same
component and the same theoretical operating conditions.
You look at maintenance records, you use operator logs,
interviews, and walkdowns. We check for duplication.

The failure data looks like this -- where we have a system, failure date, record number to get back to it, component identifier -- this is a major problem at fossil

units. The pump is the third pump in the second level, or the Northwest pump or the valve that is above some piece of equipment, or it has two or three identifier numbers, neither of which situation the computer likes very well. It's not a happy computer. You have to go through and reidentify all the components.

7 Then, the component itself is a pump, severity, catastrophic, degraded, incipient, failure mode, does it 8 fail when running or does it fail to start and failure 9 cause, is the shaft broken, is the motor burned out or 10 11 whatever. We used the DBASE3 and Symphony to give us control of these. This is a typical sheet of failures. 12 13 Once again, the system, the fuel, the boiler, the date record, type of equipment, copper pipe, severity, mode, 14 cause. Was it a leak, did it fail, was it a shaft broken. 15

At this point, this is when most databases -- a lot of databases stop. They tell you the failures and you can tell how many there are, but you have no idea what the denominator is for a rate; how long were they operating, how many times did they start. This is NPRDS with their -their problem in NPRDS is that they just don't know the denominator.

No matter how good you know the enumerator, unless you know a denominator you haven't got much. Your fuzzy feeling, once again, is not very useful in a computer and

analysis. We spent a lot of time looking at exposure, and 1 determining exposure time and start up. We went through all 2 the operator logs for this case, looking ten years worth 3 hour by hour, and determined how long each system ran. The 4 Mils ran for how long, the fans, feedwater pumps. Notice 5 that the feedwater pumps are not evenly distributed. They 6 are two out of three necessary, 15 hours for this one and 7 7,000 for this. They were equally here. Here is seven 8 9 hours.

This could represent the fact that there is a 10 standby system ready to operate, ready to come on, ready. 11 However, we found that there is equally good change that 12 13 when the train failed they haven't repaired it. Another train failed down here -- we looked at which train had 14 failed and easiest to repair, and used the other train for 15 spare parts. Instead of having an installed spare train we 16 17 had installed spare parts.

18

[Slides.]

MR. SMITH: It was difficult to put a repair rate on a component which had been broken for two years, just because it was an installed spare part. There is a problem there. We also looked at a number of starts, and this produced some interesting results which probably would be interesting on a nuclear plant also. Once again, feedwater train, notice starts were 20 a year, 20 a year, 20 a year,

1 200, 200. What is happening was management at the plant 2 was getting very upset that the valves on the feedwater 3 pumps were breaking and failing. They were sure the 4 operation people were buying cheap equipment, they were not 5 doing their job right, they were sloughing off.

What happened though was, these plants are low 6 faulting plants. Every evening they drop the load and you 7 just had a lot of the pumps go back on their curve, no 8 problem. About 1985 the operators decided they wanted to 9 save some power and shut off the spare pump. Every night 10 they shut off the spare pump and every morning they turn it 11 on again. They didn't tell anybody about that. Suddenly, 12 the valves upstream and downstream, instead of operating 12 13 times a year were operating 200 times a year, wearing out, 14 failing and management problems. 15

Just by looking at this management decided they weren't saving enough power to justify as many failures and as much maintenance loss of availability and went back to the old system of just coming back on the curve, and the problem went away.

21

[Slides.]

MR. SMITH: We take this data then, and we can identify component unavailability. This is a list of the main contributors for one of our fossil units. You notice here, coal burner number four is 12 percent, coal burner

number two is one percent. It's a factor of ten. Same
 component, different parts in the system, different trains.
 Boiler tubes, down here to attemperators, high pressure
 feedwater banks and so on. This unavailability of these
 components.

6 We then put this through the plant model 7 quantifying it, using a computer -- this is KAFTA. We have 8 contributors to plant availability, 1() percent power. Once 9 again, here is the tubes, attemperators, boiler burner 10 number four, burner number two, combinations. Failure rate, 11 mean time to repair, percentage of unavailability. Notice 12 once again, they are very train dependent.

We did this for a number of years. Each year we 13 updated our data, we made this a living program. We found 14 that the plant took this data and said here's where our 15 problems were. They went in and addressed the maintenance 16 programs, and dropped down from 86 down to 90. Tubes, pumps, 17 feedwater pump, turbine, mils. They had a number of 18 projects that they wanted to get done but no justification 19 for a number of changes in the design. 20

We did this analysis, identified the problems and they got seven approved within three months to get the work done with the resources. We also identified another plant. The precipitator, whenever they went in and did any maintenance in the boiler of the attemperators, they always

sent a crew up and worked on the preciptators. The same
 thing happened sometimes on nuclear plants. You have these
 hidden agendas.

We knew that once you got the boilers taken care of, all the rest -- the precipitator were bound to produce a problem. We notified the plant of the problem a couple of years ago, when it appeared they were already starting to address them.

9 MR. WARD: Lloyd, us nuclear types are puzzling 10 over what a attemperators are.

11 MR. SMITH: I am a nuclear type too, so I have a 12 problem here. They are basically a temperature mixing unit, 13 I believe. They are a preheater, aren't they?

14 MR. MICHELSON: I don't know.

15 MR. SMITH: I believe they are a preheater.

MR. MICHELSON: That would have been my guess.

17 MR. SMITH: I believe.

16

18 MR. SHEWMON: The comment back here says they are 19 aired preheaters too, so that must be right.

20 MR. MICHELSON: At least we all agree, so it must 21 be right.

MR. SMITH: We have now taken this data from 1985 and each year we update it and produce a new list of major contributors on availability. The operations -- the new list addresses those, and we are getting everything

1 produced. The database covers about 30 years of plant data. We have 15,000 failures in it, and over 500 components, 2 which makes the nuclear group people just drool for that 3 type of database. 4 MR. MICHELSON: Is this an industry-wide database? 5 MR. SMITH: This is strictly unique to four 6 7 plants. MR. MICHELSON: Four different utilities, or four 8 9 plants ---MR. SMITH: Four of our plants. 10 11 MR. MICHELSON: Okay. MR. SMITH: It is commercialized though. We have 12 13 commercialized it. MR. MICHELSON: By that, you mean it's available 14 15 to others for a price? MR. SMITH: That's right. Basically, it's Huntley 16 65 and 66 for ten years, 67 through 69 for five years. Once 17 again, it's over 11,000 legitimate failures. Those aren't 18 the failures -- for example we had level one, two and three 19 in the control room -- in the failures, and we have one 20 failure the intake structure was level three. A week later 21 many rats and intake structure level one. Those type we 22 don't count. 23

24 MR. MICHELSON: There must have been some number 25 of valve failures in the feedwater system and so forth over

1 the years.

2 MR. SMITH: Oh, yes. MR. MICHELSON: Were they not just not on this 3 4 group for some reason? 5 MR. SMITH: They weren't major contributors to 6 unavailability. 7 MR. MICHELSON: They were not major. MR. SMITH: No. 8 MR. MICHELSON: I thought they were --9 MR. SMITH: They were a major problem in 10 maintenance though. 11 MR. MICHELSON: I thought those feedwater control 12 13 valves were kind of a frequent --MR. SMITH: They were, but they were always hidden 1.4 someplace else. We worked on them while we were working on 15 the boiler --16 MR. MICHELSON: Hidden somewhere else, do you mean 17 that they weren't the reason for shutting down? 18 MR. SMITH: Right. Also, we have three trains on 19 these, so we have one down and fixing and two operating. 20 They never show up as the loss of unavailability. 21 MR. MICHELSON: It's not really a reliability 22 database, in the sense I would go to it and know how 23 reliable the feedwater control valves were. 24 MR. SMITH: You could. 25

163 MR. MICHELSON: If I went back into it somehow. 1 MR. SMITH: Two steps, yes. Before you put it 2 through the computer you would have this --3 MR. MICHELSON: You would have the raw data. 4 MR. SMITH: That one, there. Just the component 5 with unavailability. 6 MR. MICHELSON: They were tracked as being 7 unavailable even though it didn't interfere with the plant 8 availability necessarily. 9 MR. SMITH: That's right. 10 MR. SHEWMON: Or they didn't come above his one 11 percent threshold requirements. 12 13 MR. SMITH: That's right. If you go back to here you find the feedwater heater bank for example. 14 15 MR. MICHELSON: Is that the valves? MR. SMITH: I honestly don't know. 16 17 [Slides.] MR. SMITH: In conclusion, I would like to say 18 that we have incorporated a lot of the techniques that the 19 ASME Committee is using. We applied it to diesel 20 21 generators, control systems, limestone injection, process models, control models and so on. For the Huntley 65 and 68 22 we did the analysis in 1987. At that time the 23 unavailability was 70.5 percent. That was before we used 24 the database. In 1989, after we applied the database, we 25

have unavailability now of 84.5 percent, which is a
 substantial increase in unavailability.

We used it for long term and short term decision 3 analysis too. We have been asked, for example, to make one 4 of the plants a co-generation plant. We are also applying 5 and installing a coal gasification at one of the facilities. 6 Both of those, we have looked back at the life extension, at 7 the projected failures on the large turbine and large steam 8 pipes, and have used that as part of the basis for deciding 9 10 yes or no.

MR. MICHELSON: You do a similar thing for your nuclear unit?

13 MR. SMITH: We are doing a IPE PRA on it. 14 MR. MICHELSON: Yes, but this is not quite that. 15 MR. SMITH: No. We have not done this --16 MR. MICHELSON: This sounds good. From your 17 financial viewpoint it sounds good. But I just wondered why 18 it wouldn't be applied to the nuclear unit on your utility. 19 MR. SMITH: Our nuclear unit the last five years

20 have been on the watch list. They have a very different 21 perspective of --

22 MR. MICHELSON: You still like to make money with 23 it.

MR. SMITH: Yes, right.

24

25

MR. BOSNAK: I think in this case we were -- and

the next one that follows -- we were trying to show the applicability to other and how the process really --MR. MICHELSON: I was just curious though, as to why he didn't apply it to his nuclear unit as well, since it --

6 MR. SMITH: The fossil were very, very receptive. 7 The only question was, why didn't he come in six months ago. 8 MR. SHEWMON: Thank you very much.

[Slides.]

9

MR. WENDLAND: I am Bill Wendland, from American 10 Nuclear Insurers. We have a substantial sum of money at 11 stake at virtually every nuclear power plant in this country 12 and most of them in the world, and most of them in this 13 country it's well over \$1 billion per plant. Probably our 14 biggest losses are Three Mile Island the reliability side, 15 and Price Andersen kind of Act, we are still paying lawyers. 16 Lawyer fees, class action suits. On the property side, we 17 paid for the entire plant. 18

What I would like to talk about is why this technology is of interest to we, as nuclear insurers. What I prepared is just a summary, and I will touch on each one of these points briefly. I think most all of this was discussed in great detail today. I think the first question that comes to mind is, why is it important to us, as nuclear insurers.

As I said, we cover the entire facility, well over 1 2 \$1 billion in most plants in the United States and a minimum 3 of \$200 million on the liability side at every plant in the United States. Our interest extends beyond the public 4 5 health and safety that you all are primarily concerned about. Our insurance covers the entire nuclear plant; all 6 7 the buildings, all the structures, all the switchyards, 8 often times buildings and structures outside the protected 9 area. It depends upon the site itself.

The point is, we cover virtually everything on the 10 11 site with a few exclusions. In our mind, the integrity of the components at nuclear facilities is essential in 12 13 reducing insurance exposure -- economic driven -- and plant outages. It has been our experience, particularly in recent 14 years and was recently highlighted with the IGSCC days, 15 where the usefulness and reliability of many of the 16 inservice inspection philosophies and technologies that we 17 18 use toda, could be enhanced a bit. They have been in some 19 cases with regulatory guides or with NUREG's and with some 20 bulletins.

21 As plants get older, we believe -- and there is 22 some experience to show -- that the effect of age-related 23 degradations are going to start to take on much more 24 significance. In that regard, inservice inspection will 25 become even more important and more paramount, in terms of

1 benchmarking where the plant is today and where it might be 2 in the future.

It is a proven technology, as we have come to 3 Vic Chapman, while we can't know the details of his 4 know. work, we do know that it does work and it has been very 5 successful in the United Kingdom in their submarine program. 6 It is also being used by utilities, owners groups, and other 7 national laboratories and other organizations within the 8 United States and outside the United States in some form. 9 Most recently, the insurers in the United States are 10 11 starting to use the technology so that we can get a handle on where our exposure lies in areas where there is really no 12 13 actuarial data from which we can work with.

In our opinion, the process complements existing technologies. It is really a refinement to ASME Section XI. We recognize that there is a substantial amount of inertia to change, and that's true in our society. We believe that this particular process is merely a refinement of the existing deterministic based fundamentals that are in Section XI.

21 MR. MICHELSON: Excuse me. Can your 22 organization, as the insurer, require that certain of these 23 processes be carried out as a provision of your policy? 24 MR. WENDLAND: Yes, we can, and that --25 MR. MICHELSON: You have your own enforcement

capabilities, irrespective of what NRC might do.

1

2

MR. WENDLAND: It's a matter of negotiation with us and the insurer -- it's a business relationship kind of 3 thing. 4

MR. MICHELSON: If they don't want to do it, then 5 you have to charge them a larger premium, I guess. 6

MR. WENDLAND: Right. The pilot work at Surry and 7 some of the other work that the PNL people have done and 8 also at Westinghouse and EPRI, demonstrates that the 9 propensity of this particular technology could be used to 10 enhance existing inspection purposes. 11

It facilitates in the incorporation of code, 12 regulatory and economic factors -- a bunch of buzz words. 13 What it really says is there's a lot of requirements that 14 come to utilities. Chuck highlighted a few of those. 15 NUREG's for IGSCC, erosion/corrosion kinds of things, 16 bulletins that would address even some other things related 17 to cracking and some kind of corrosion phenomena that we do. 18 That all has to get factored into a utility, and they have 19 to figure out how to address all of those needs with a 20 finite level of resources. 21

In addition, this particular technology can be 22 used for location kinds of welds; things like thermal 23 fatigue cracking, some of the higher bending moment failures 24 that we are seeing now in industry that we didn't anticipate 25

before, and erosion/corrosion, something that we have talked about today, it would be used there. Those things all presently do not come under the auspices of ASME Section XI.

It also has the ability to factor in active 4 5 components, which we have talked about briefly. Was it a 6 conscious decision of the task force early on, after a lot 7 of debate -- and we were actually pushing a lot of the inclusion of active components -- active components can very 8 9 well be included in this entire approach. It's actually not 10 very difficult, and it's being done on a minor scale in many areas today. It was not consciously done here at this point 11 so that we could get the product and get the product on the 12 13 street and available to the public as we have done thus far.

14 MR. MICHELSON: Do you include fire hazard as a 15 part of your insurance?

16

1

2

3

MR. WENDLAND: Sure do.

MR. MICHELSON: So, you are quite interested in that aspect.

MR. WENDLAND: We are insuring the entire facility. Virtually, any kind of hazard and accident you could imagine, we are on the hook for. It also has this cost benefit. The cost benefit can be factored into this thing too. That's the economic part that I wanted to highlight. Dick touched on it briefly, but probably didn't go on in great detail.



1 If you have a lower probability of detection, for 2 example, if you increase the number of inspections you 3 actually now reduce the risk of some exposure. There is a cost there. On the other hand, if you have people that have a very high degree or high probability of detection, then 5 maybe you can decrease the sample size. That all was part 6 7 of the weighing game.

4

An example that I would like to point out in this 8 9 particular bullet item is the thermal shield example. The reactor vessel internal is an example of which a thermal 10 shield is a part. We have paid for a couple of thermal 11 shields already, very expensive. Utilities have paid 12 13 indirectly too, because of down time, outage time. If you go through a probabilistic risk analysis and assume failure 14 of all the various components inside a reactor vessel 15 internals, you will find that failure of all of those 16 components, no matter what they are including the thermal 17 shield, really don't change the core melt risk frequency 18 very much. 19

However, if you look at those same components from 20 21 an economic point of view, you find that there are two 22 components; the thermal shield and some bolts -- and I have 23 forgotten which ones those were. Those have a very high likelihood of failure. In addition, they can also result in 24 some very large consequences. The thermal shield case, well 25

over \$100 million. That's a combination of insurance plus
 their outage insurance, plus out of their own pocket.

In that kind of case, those things aren't covered by ASME Codes, but it allows the utility executive opportunity to make a conscious risk decision based on his tolerance, of where he wants to devote some of his inspection doilars.

8 MR. MICHELSON: Since many of these processes that 9 are being proposed are highly dependent upon the goodness of 10 the PRA that is used as a starting point, to what extent do 11 you look at PRA's independently of others to see if they are 12 a good basis for their real risk that you people will be 13 experiencing?

MR. WENDLAND: We look at them in great detail. Actually, we rely on much of the work of NRC. As I said, we cover the entire facility.

17 MR. MICHELSON: So, you are aware of the motor 18 operated valve reliability questions then, because that 19 could significantly effect the risk in some cases.

20 MR. WENDLAND: Right. From our perspective, the 21 way we would look at that, we have a finite resources pool 22 as well. We would prefer that the utility take the 23 initiative to address that whole thing. If they do that, 24 then that's something that we don't have to look at. If it 25 is something that they don't do, then we might want to

stimulate them to take a look at some of those kinds of things. We do use the PRA's, where those are available. In some cases, those are the more reliable we would use.

MR. MICHELSON: Do you have in-house expertise to sit down and reformulate a PRA? 5

MR. WENDLAND: I would say no. In-house, no. 6 What we would do is, we would hire a --7

MR. MICHELSON: Consultant or something to do 8 9 that. If you have questioned the outcome, then you might get somebody to check it. 10

MR. WENDLAND: Right. Inen, probably hire another 11 12 one to get --

1.3

1

2

3

4

MR. MICHELSON: To check him.

MR. WENDLAND: An independent review, to see 14 whether he was right. That was an example back in the days 15 of IGSCC, which was of great concern to us. We hired a 16 fellow that you all might know, Roger Staley to work with 17 us, and then we hired some other people to kind of look over 18 his shoulder to guide us through that whole thing. 19

This particular process, in our mind, is a major 20 refinement in risk-making ability by utilities. If you 21 22 think back to the graphs that Ken showed earlier where he showed the influence diagram and the decision tree, those 23 things are very complex and difficult to understand. I am a 24 layman to this whole thing, and I look at them and 25

1 understand probably a lot more than others. It is still a 2 bit boggling to me.

One thing it does do that I have come to know is, 3 as you participate in developing those particular things, 4 you become much more knowledgeable about the uncertainties 5 associated with what you are doing and the significance of 6 the input to the people that are making the decisions. What 7 you gain is, you gain a substantial amount of buy~in 8 throughout the whole utility. At least that's our 0 experience in the kind of work that we have been involved 10 11 with.

MR. MICHELSON: What is your association with Factory Mutual?

MR. WENDLAND: They are a part of us.

14

25

MR. MICHELSON: They are actually are a part of your corporation?

MR. WENDLAND: They are a part of us. We are a 17 pool -- American Nuclear Insurers is just basically two 18 United States poc.s. There is about 200 companies worldwide 19 that contribute assets to us, that we kind of manage the 20 21 money and also manage the engineering resources and risk 22 that they have. Allendale is a piece of us, Hartford Steam Boiler is a piece of us, most insurance companies that you 23 know of in the United States and many of them in the world. 24



MR. MICHELSON: Factory Mutual was the people that you go ' ' ' you have more detailed questions on certain hazarda

1

2

3

4

5

MR. WENDLAND: Actually not. Factory Mutual has some specialties in areas that we would tap in some areas.

MR. MICHELSON: I was thinking of fire protection,
 for instance.

MR. WENDLAND: Actually, we would use people from 8 9 IRI. We have a fire protection staff. Most all of those people were trained at industrial risk insurers, their 10 11 mainstay being fire protection in the country. It's kind of a rivalry between Factory Mutual. We utilize that expertise 12 13 that is available to us, Factory Mutual being a piece of it. In fact, Factory Mutual, we are involved with this whole 14 process for several reasons. One is the nuclear part, and 15 that's the obvious one. The other one is not so obvious, is 16 17 the fossil part.

We see most of our risk shifting as the nuclear 18 industry is kind of shifting, shipping most of its focus to 19 the operational aspects of the nuclear envelope. We see 20 21 less of our exposure there because somebody is already looking at it. We see more of our exposure shifting over to 22 23 what we broadly define as a balance of plant, things like 24 turbine, transformers, erosion/corrosion, structures. 25 The work that Dimitri is kind of focusing in that

1 area is -- we want to tap into that to gain a better perspective on where we can focus our resources to look at 2 3 risk. This particular tool also is in my mind, is a major benefit in terms of communicating not only to the utility 4 management about where it is you want to inspect -- somebody 5 like Chuck, where he wants to spend his time, where he 6 7 recommends his time. Also, when you talk to the PUC. 8 Instead of having some things that they -- issues that they consider to be abstract because they are coming from 9 10 technocrats -- you have now this decision making model which is really bona fide and accepted by the business community 11 12 and has been for years. Say hey, look, this is the reason 13 why we are doing what we are doing.

You have now an effective tool from which to 14 15 debate. You have a quantitative and a pictorial process for that whole thing. It's a living process. That is something 16 17 that we sometimes don't talk about very much when we get in 18 our group. The living process is something that Vic Chapman is a champion of, where you factor in results of what you 19 found. If you found some faults or you didn't find some 20 results, you factor that back in the original analysis and 21 22 fine tune it where you are going to look next time.

You might find -- if you think about it, there's a graph in your handout that kind of illustrates this -- where you have a constant risk line. The objective is to find out

where your risk tolerance is, and those things are about your risk tolerance. You increase the inspections to reduce the probability or likelihood of occurrence. The more knowledge you have about that, the more confidence you have that you can reduce it. That's the living part of the whole process, as far as we are concerned.

1

2

3

4

5

6

Enhances strategic inspection focus. This was 7 graphically exemplified in Truong Vo's slide, where he had a 8 curve where he had the bullets that went from one to 37 I 9 think they were, and you had the plateau up here. If you 10 think about it, I think it was item 18. Those items and 11 beyond, you don't get a lot of return on your investment in 12 doing inspections. Those items below -- yet those items 13 above are required by codes and by various regulatory 14 requirements or jurisdictional requirements, meaning state 15 boiler. You don't get a lot of bank for it, so why spend 16 your time doing it. You don't really get much feedback. 17

18 If, on the other hand, you spend your time on the 19 lower end you get much more return on your investment. That 20 was shown in his slide. The bottom line is --

21 MR. WARD: Are any of those required by American 22 Nuclear Insurers?

23 MR. WENDLAND: They are, indirectly. Every state 24 has boiler jurisdictional inspections of Pressure retaining 25 components. Some of those things are actually required by

the local jurisdiction as well. That inspection is either done by one of our people at a plant or somebody that they hire by themselves. It would be an authorized inspector under the definition of the code.

5 There are also other things that are required to 6 be inspected --

7 MR. WAPD: Is your company reacting to this new 8 technology?

MR. WENDLAND: As a matter of fact, yes. We have 9 taken a derivative of this process more in a qualitative 10 sense right now. We have now implemented that within our 11 own organization. We have our staff -- as I mentioned, the 12 fire inspectors, and we also have a staff of pressure 13 systems machinery inspectors. It's an extension of the 14 boiler inspectors and authorized inspectors that you are 15 familiar with. 16

Those people, we subcontract from Hartford Steam 17 Boiler and from Factory Mutual to do our inspections of our 18 insurers. This particular process is being utilized to 19 focus those people and tell them where to go and look. 20 Instead of walking into the plant and saying where do I go 21 22 and look, I look at a turbine today or go and look at a transformer. If you go and look at reactor pressure vessel 23 integrity -- only because today is Thursday and this is 24 where I ought to look. 25

We now have a tool from which we can focus where we want to look. We have to have that, because we don't have -- as I said, we don't have any actuarial data. The business has actually been good to us. But when it's been bad, it's been real bad. That is actually with people in IRI and Factory Mutual -- you don't have data from which you can really be like an automobile insurer for example.

8 MR. MICHELSON: Let me be sure that I understood 9 what you just said. Are you saying for instance in the case 10 of fire protection inspections, that you are approaching it 11 from a risk-based viewpoint?

12

1

2

3

4

5

6

7

MR. WENDLAND: That's correct.

MR. MICHELSON: Have you developed that concept in some kind of written documents that one might read?

MR. WENDLAND: Yes, I have. I am not sure that I am at liberty to give you one. I am presenting a paper at an upcoming ANS conference that talks of it. I can check with my people and if that's available, I will forward a copy.

20 MR. MICHELSON: If we could get a copy, that would 21 be interesting to read about. I have a particular interest 22 in risk-based inspection for fire hazard purposes.

23 MR. WENDLAND: Again, it is interesting to note --24 I talked of change earlier. IRI has been around for 50 or 25 60 years, Hartford Steam Boiler 100 years. The insurance
1 company has been around for a long time. I am not from the 2 insurance industry, I am from an NSSS vendor prior. Change 3 doesn't come easy in the insurance business. They are used 4 to doing it the way they are used to doing it.

As times goes on, we are finding that you just 5 can't afford to do it that way anymore, it costs too much 6 money. More than that, it's how effective is it. Many 7 inspections that you do you do because you have been doing 8 them for a long time, but you don't really see anything. 9 Much like the ISI people, they have been doing inspections 10 for a long time because it's required. How come you do it, 11 because the code says it. 12

Do I get anything from it? Sometimes I do, and sometimes I don't. We believe that --

MR. MICHELSON: It's looking in the right places. MR. WENDLAND: That's right. This technology, in our mind, allows you to focus into those areas. When I talk about the insurance industry adopting this, they are adopting it but a bit slow, I guess is a fair way to say it. Even my colleagues, it takes a bit of time.

In our mind, this is also -- this is very readily adapted to non-ASME Section XI areas, something that Chuck touched on.

24 MR. MICHELSON: Excuse me. Could I follow up on 25 my other question, just one more step. To your knowledge,

is there any part of the fire business that is working actively on risk-based inspections for fire protection purposes.

MR. WENDLAND: I have to be careful. There was an organization that does fire protection inspections and specializes in that. An individual who is very well versed in this technology had developed some models and wanted to introduce those, that concept into his inspection from a presearch ==

10MR. MICHELSON: Which organization is that?11MR. WENDLAND: It's one of our member companies.12I am not sure that I could really tell you.

MR. SHEWMON: He didn't say.

MR. MICHELSON: I know he didn't. We are having a meeting on fire tomorrow, and some people from Factory Mutual will be here.

17 MR. WENDLAND: It has to do with the issue of 18 That organization has been around for years and change. years, and that's the way they do business, and they don't 19 know how to do it any other way. As the economic times come 20 about -- and they are all starting to see that as we are, we 21 22 are laying off people as are they -- the economic pressures come about you have to be more thoughtful and more strategic 23 24 on how you do business.

MR. MICHELSON: That's what --

68

25

1

2

3

13

MR. WENDLAND: That's what this is doing. This 1 2 allows you to be that way.

MR. MICHEISON: Thank you.

3

4

MR. WENDLAND: This particular technology, in our mind, could be used very well for things like -- I didn't 5 put them up there -- surveillance requirements, technical 6 specifications, electrical components, balance of plant 7 areas, erosion/corrosion, turbines, transformers, very 8 9 readily used.

10 Again, you can factor in -- we, as engineers and scientists like to think of numbers, ten to the minus fifth, 11 12 for example. We will spend all afternoon arguing bout ten to the minus fifth. Think about ten to the minus fifth with 13 a couple of whiskers on it that Truong is famous for where 14 it has a large amount of uncertainty, and let's deal with 15 that. Let's see where that band is, and let's go after the 16 inspection based on the uncertainty that we know and build 17 up the confidence as we continue to inspect. 18

19 Finally, it can be used in management of agerelated degradations. Fred Simonen's slide I think 20 illustrated that most graphically, where he talked about the 21 large benefit from inspections; where he had the two curves. 22 He had one talking about the benefit of doing inspections 23 where you had a crack that would grow early in life and it 24 25 wasn't very much benefit where you did the inspection. But

then, he had another curve where you had the effect of agerelated degradation starting to manifest, where inspections played a very large component in reducing the risk.

1

2

3

I guess that is very important to us. As I said, 4 we as insurers aren't quite sure where we are in the bathtub 5 curve, or if there is a bathtub curve. But the challenge of 6 7 the business community worldwide has been to us, are we going to start to see an increase in insurance loss as 8 9 plants continue to age. We will be damned if we can answer that question. We can generate a few histograms, but we 10 can't answer the guestion. 11

We do know this; we do know, based on the technology hand based on the things that I have seen these fellows do, that this is a very strong tool that will help us and help the industry in total, to be able to gage and to benchmark where they are in terms of age-related degradation mechanisms before they begin to manifest and before they become catastrophic.

With that, that's the business community or at least part of the insurance community.

MR. SHEWMON: Thank you very much.
(Slides.)
MR. BALKEY: I am just going to very quickly

24 summarize where we are going from here on our research. I 25 think you have heard that the work is already well underway



to complete Surry, the structure reliability and the decision analysis calculations. Then, there's the intent to take a look at other PWR's and go into a BWR in the same level of detail that has been done at Surry for a good recommendation to be made for both the PWR and BWR designs.

2

3

4

5

10

We have an action plan that the team developed. I 6 am not going to read through this. I think the most 7 important development is number eight. As we continue to 8 work with this, we feel that a recommendation was made to 9 Section XI and was accepted guite well on Monday afternoon, 10 that they consider forming a group within the actual code 11 body that would work with the subgroup here; so that, as we 12 do our research work they know it's coming, they can see how 13 it would be very beneficial of use in actual revision or 14 addition to codes itself. 15

I think the last slide I have summarized our 16 efforts and has been said by many already. Some large 17 benefits, of course, are the insights you gain in going 18 through these processes that you don't get any other way. 19 20 think we do have a very unique team here, where we have people who are representative of private industry, 21 government and academic institutions and across many 22 industries This is just not a nuclear project. There have 23 been many things of great value learned from folks like Dr. 24 Ayyub from the University of Maryland on civil engineering 25

applications and Herb Smith on Aircraft applications that we have considered and folded back in the work and is considered even in the nuclear case.

1

2

3

We feel that's a very strong case. The other thing, too, are the disciplines. We have everybody from the NDE engineers through the PRA, all communicating together which doesn't happen right now.

8 Volume 1 is out and you folks have a copy of it. Volume 2 will be out very shortly. We are already starting 9 10 work on the additional volumes, and the interest in the technology is growing very fast. With that, I would like to 11 12 speak on everybody's behalf, that we are very appreciative of the opportunity to be with you today. We hope you found 13 value in our presentations and have a good feel for where we 14 15 are going in the future. Thank you.

16 MR. SHEWMON: Thank you very much. Are there any 17 other comments?

18 MR. MICHELSON: I, for one, would like to say that 19 I thought this was a very interesting and beneficial, 20 particularly from the viewpoint of where else it might 21 ultimately, the same approach might ultimately be --

MR. BOSNAK: We hope the Committee would find it very valuable. Speaking fr m wearing my NRC hat, we are looking at this as a leverage group contributing time, resources. It is being multiplied, and we think we are

getting good value for the resources spent. It's a status report to the Committee, and we would like to know what you would like to do with respect to the Full Committee. Are you going to make a report, or would you like us to participate?

MR, SHEWMON: I thought I would give a Subcommittee report, and just tell them of the work. I think we look forward to the second volume. When it gets down to where -- it will be interesting to talk to you again when the second volume is out and you have started to use it some, I think.

We are adjourned.

[Whereupon, at 2:55 p.m., the Subcommittee adjourned.]



REPORTER'S CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission

in the matter of:

NAME OF PROCEEDING: ACRS Joint Material Metallurgy/ Maintenance Practic & Procedures DOCKET NUMBER:

PLACE OF PROCEEDING: Bethesda, Maryland

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.

Mary C. Zarkin

Official Reporter Ann Riley & Associates, Ltd.

BRIEFING

ASME RISK-BASED INSPECTION GUIDELINES RESEARCH PROJECT

U. S. NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE ON METAL COMPONENTS

BETHESDA, MARYLAND FEBRUARY 13, 1992



AGENDA

U. S. NUCLEAR REGULATORY COMMISSION ADVISORY COMMITTEE ON REACTOR SAFEGUARDS SUBCOMMITTEE ON METAL COMPONENTS

Phillips Building Bethesda, Maryland February 13, 1992

BRIEFING: ASME RISK-BASED INSPECTION GUIDELINES RESEARCH PROJECT

	TOPIC	TIME	SPEAKER
0	CHAIRMAN'S OPENING REMARKS	8:30 - 8:40 AM	Dr. Paul Shewmon
0	INTRODUCTION		
	-ASME/Research Project	8:40 - 9:00 AM	Mr. Ray Art/ Mr. Robert Bosnak
	-Overview of NRC Research Efforts	9:00 - 9:15 AM	Dr. Joseph Muscara
0	OVERVIEW OF TASK FORCE AND OVERALL RISK-BASED INSPECTION PROCESS	9:15 - 9:30 AM	Mr. Ken Balkey
0	APPLICATION OF PROCESS TO LWR NUCLEAR POWER PLANT COMPONENTS		
	- Risk-Based Priorities for	9:30 -10:30 AM	Mr. Truong Vo
	BREAK	10:30 -10:45 AM	
	- Target Failure Probabilities	10:45 -11:10 AM	Dr. Bryan Gore
	- Inspection Program Development		
	+ NDE Reliability/Structural Reliability Assessment	11:10 -11:40 AM	Dr. Fred Simonen
	+ Decision-Risk Analysis	11:40 -12:15 PM	Mr. Ken Balkey
	LUNCH	12:15 - 1:15 PM	
0	APPLICATION OF RELIABILITY METHODS TO FOSSIL FUEL-FIRED POWER PLANTS	1:15 - 1:45 PM	Mr. Lloyd Smith
0	INDUSTRY PERSPECTIVES		
	- Nuclear Utility	1:45 - 2:01 PM	Mr. Charles Tomes
	- Nuclear Insurer	2:00 - 2:15 PM	Mr. Bill Wendland
¢	FUTURE WORK PLAN AND SUMMARY	2:15 - 2:30 PM	A11



ROBERT BOSNAK RAY ART

SUBCOMMITTEE ON METAL COMPONENTS

US. NUCLEAR REGULATORY COMMISSION

BRIEFING: ASME RISK-BASED INSPECTION GUIDELINES RESEARCH PROJECT

INTRODUCTION

4

+

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS



CENTER FOR RESEARCH AND TECHNOLOGY DEVELOPMENT









- Promote the Art and Science of Mechanical Engineering and the Allied Arts and Sciences 1
- Encourage Original Research
- Foster Engineering Education
- Advance the Standards of Engineering
- Promote the Exchange of Information Among Engineers and Others 1
- Broaden the Usefulness of the Engineering Profession in Cooperation with Other Engineering and Technical Societies 1

ASME CENTER FOR RESEARCH AND TECHNOLOGY DEVELOPMENT



*Research task forces may be established by any permanent unit within the Center.

ASME RESEARCH PROJECT RISK BASED INSPECTION GUIDELINES NEED FOR PROJECT

- O COMPLEX STRUCTURES, SYSTEMS, AND COMPONENTS REQUIRE PERIODIC INSPECTION TO DETERMINE THEIR CONTINUING ABILITY TO FUNCTION AND TO ASSESS REMAINING LIFE.
- O CODES AND STANDARDS TO COVER PERIODIC INSPECTION PRACTICALLY NONEXISTENT EXCEPT FOR SECTION XI OF THE ASME CODE WHICH IMPLICITLY RECOGNIZED RISK THROUGH ENGINEERING JUDGMENT AND QUALITATIVE METHODS.
- O ASME CODES AND STANDARDS RESEARCH PLANNING COMMITTEE, THE BOARD ON RESEARCH AND TECHNOLOGY DEVELOPMENT, AND THE COUNCIL CODES AND STANDARDS ENDORSED A PROJECT TO DEVELOP A METHODOLOGY FOR INSPECTION WHICH EXPLICITLY AND QUANTITATIVELY CONSIDERS THE LIKELIHOOD OF COMPONENT FAILURE UNDER SPECIFIED CONDITIONS AND THE CONSEQUENCES OF SUCH FAILURE.

CIRISKRAST ROB

ASME RESEARCH PROJECT

RISK-BASED INSPECTION GUIDELINES

INITIAL OBJECTIVES

- TO DETERMINE APPROPRIATE RISK-BASED METHODS FOR DEVELOPING INSPECTION GUIDELINES, AND 0
- FOR CERTAIN APPLICATIONS, TO DEFINE RISK-BASED INSPECTION PROGRAMS FOR RECOMMENDATION TO ASME AND OTHER CODES AND STANDARDS BODIES 0

君具 秋

ASME RESEARCH PROJECT RISK BASED INSPECTION GUIDELINES PROJECT HISTORY

1985-86	RISK ANALYSIS TASK FORCE CODES AND STANDARDS RESEARCH PLANNING COMMITTEE RECOMMENDED A RESEARCH PROGRAM TO DETERMINE HOW PROBABILISTIC METHODS (PRA AND PSM) COULD BE USED
	TO ESTABLISH INSPECTION REQUIREMENTS OF INTEREST
	TO ENGINEERING COMMUNITY.
1986-87	CRTD FORMS RESEARCH TASK FORCE.
	MANAGES DEVELOPMENT OF RESEARCH PLAN.
LATE 1987	APPROVAL BY ASME BOARD ON RESEARCH AND COUNCIL
	CODES AND STANDARDS
1988	RESEARCH TASK FORCE MEMBERS DEVELOP DETAILED WORK PLAN
LATE 1988-89	FUNDING BY SPONSORS COMMENCES, WORK BEGINS
LATE 1990	VOLUME I GENERAL METHODOLOGY DOCUMENT COMPLETE
LATE 1991	VOLUME 2 PART 1 ON NUCLEAR POWER FACILITIES TO PRINTER

C:Roger3-28.vus

ASME MANAGEMENT STRUCTURE



PROVIDE POLICY, MANAGEMENT,

PROVIDE AND MAINTAIN CODES AND STANDARDS, PERFORM NEON TNEMENT WORK



ASME RESEARCH PROJECT RISK BASED INSPECTION GUIDELINES PROGRAM OBJECTIVES

PHASE 1

- TO PROVIDE A DOCUMENT THAT RECOMMENDS AND DESCRIBES APPROPRIATE METHODS FOR ESTABLISHING RISK-BASED INSPECTION GUIDELINES FOR FACILITIES OR STRUCTURAL SYSTEMS. 0
- METHODS FOR DEVELOPING RISK-BASED INSPECTION PROGRAMS FOR NUCLEAR POWER FACILITIES THAT CAN BE INCORPORATED INTO SECTION XI OF THE TO PROVIDE A DOCUMENT THAT RECOMMENDS AND DESCRIBES SPECIFIC ASME CODE. 0
- WHERE STRUCTURAL FAILURES PRESENT SIGNIFICANT RISK FOR CONSIDERATION TO PRIORITIZE OTHER AREAS WITHIN (OR RELATED TO) ASME JURISDICTION IN PHASE 2. 0

C-Roger3-28, wus

PHASE 2

ú

TO PREPARE ADDITIONAL DOCUMENTS THAT RECOMMEND AND DESCRIBE SPECIFIC RISK-BASED METHODS FOR USE IN PREPARING NEW CODES AND STANDARDS FOR ESTABLISHING INSPECTION GUIDELINES FOR INDUSTRIAL FACILITIES OR OTHER STRUCTURAL SYSTEMS. 0

C:Roger3-28.vus





DOCUMENTS:

VOLUME 1 - GENERAL METHODOLOGY VOLUME 2, PART 1 - LIGHT WATER REACTOR NUCLEAR POWER PLANT COMPONENTS

- O THE TASK FORCE DEVELOPED GENERAL METHODOLOGY DOCUMENT (VOL. 1) IS APPLICABLE TO ANY INDUSTRY. IT DESCRIBES GENERAL RISK-BASED METHODS THAT CAN BE USED TO DEVELOP APPROPRIATE INSPECTION PROGRAMS. VOLUME 1 IS AVAILABLE. DOCUMENT (VOL. 2, PART 1) FOR SPECIFIC APPLICATION TO NUCLEAR POWER PLANTS BEING PUBLISHED.
- O THE GENERAL METHODOLOGY USES APPROPRIATE EVALUATIONS FOR RANKING STRUCTURES, SYSTEMS AND COMPONENTS WITH RESPECT TO SAFETY AND ECONOMIC IMPACT, AND A STRUCTURED DECISION-TYPE PROCESS TO EVALUATE ALTERNATIVE INSPECTION PROGRAMS FOR METHOD, FREQUENCY, SAMPLING (HOW MUCH AND WHERE), AND CRITERIA FOR CORRECTIVE ACTION APPROPRIATE TO MAINTAIN AN ACCEPTABLE LEVEL OF RISK.

RISK BASED INSPECTION GUIDELINES COMPLETION OF PHASE ONE (CONT.)

O VOLUME 2, PART 1 APPLIES THE GENERAL METHODOLOGY TO THE SPECIFIC APPLICATION OF LIGHT WATER NUCLEAR REACTOR POWER PLANT COMPONENTS TO CONSIDER COMPONENT RANKING, COMPONENT PROBABILITIES OF FAILURE, THE CONSEQUENCES ASSOCIATED WITH AN ASSUMED COMPONENT FAILURE, AND THE SELECTION OF A SUITABLE COMPONENT INSPECTION STRATEGY TO ACCEPTABLY MANAGE RISK, INCLUDING COST-BENEFIT CONSIDERATIONS.

RISK BASED INSPECTION GUIDELINES-COMMENCING PHASE TWO

- O PHASE TWO WILL APPLY THE GENERAL METHODOLOGY TO OTHER APPLICATIONS, INCLUDING POWER AND PROCESS FACILITIES.
- SPONSORSHIP FOR PHASE TWO, CURRENTLY 10 ORGANIZATIONS INCLUDING FEDERAL GOVERNMENT BODIES, INSURERS, TRADE AND INDUSTRY ORGANIZATIONS. ADDITIONAL SPONSORS BEING SOUGHT.
- o DOCUMENTS TO BE DEVELOPED:
 - VOLUME 3 FOSSIL FUEL-FIRED ELECTRIC GENERATING STATION APPLICATIONS
 - VOLUME 4 PETROLEUM REFINERY PROCESSING AND STORAGE APPLICATIONS
 - VOLUME 5 NON-COMMERICAL NUCLEAR FACILITY APPLICATIONS
 - VOLUME 2 PART 2 RECOMMENDED INSPECTION PROGRAM FOR LWR NUCLEAR POWER PLANT COMPONENTS FOR ASME SECTION XI CONSIDERATION.

o FUTURE PHASES UNDER CONSIDERATION:

CHEMICAL PROCESS FACILITIES, GAS PIPELINES, PETROLEUM INDUSTRY TANKERS AND OFFSHORE FACILITIES, AIRCRAFT, BRIDGES AND DAMS.

RISK-BASED INSPECTION GUIDELINES PROJECT STATUS OF SPONSORSHIP

O DIRECT SPONSORS- U.S. NUCLEAR REGULATORY COMMISSION

NATIONAL BOARD OF BOILER & PRESSURE VESSEL INSPECTORS

NATIONAL RURAL ELECTRIC COOPERATIVE ASSOCIATION

INDUSTRIAL RISK INSURERS

AMFRICAN NUCLEAR INSURERS

HARTFORD STEAM BOILER INSPECTION & INSURANCE CO.

AMERICAN PETROLEUM INSTITUTE

U.S. DEPARTMENT OF ENERGY

OIL INSURANCE LTD.

EDISON ELECTRIC INSTITUTE

O INDIRECT SPONSORS -

WESTINGHOUSE ELECTRIC CORPORATION

FAILURE ANALYSIS ASSOCIATES

BATTELLE PACIFIC NORTHWEST LABORATORIES

UNIVERSITY OF MARYLAND

MCDONNELL AIRCRAFT COMPANY

FACTORY MUTUAL RESEARCH CORPORATION

ROLLS-ROYCE AND ASSOCIATES LTD. UNITED KINGDOM

EXXON RESEARCH AND ENGINEERING CO.

NIAGARA MOHAWK POWER CORP.

WISCONSIN PUBLIC SERVICE CORP.

O POTENTIAL SPONSORS - ALLENDALE GROUP

AMERICAN GAS ASSOCIATION AMERICAN PUBLIC POWER ASSOCIATION EMPIRE STATE ELECTRIC ENERGY RESEARCH CORP. FEDERAL AVIATION ADMINISTRATION GAS RESEARCH INSTITUTE GENERAL DYNAMICS, ELECTRIC BOAT DIVISION JAPAN POWER ENGR. & INSPECTION CORP. U.S. DEPARTMENT OF INTERIOR U.S. DEPARTMENT OF TRANSPORTATION

J. L



INITIATION OF A NEW ASME RELIABILITY METHODS FEASIBILITY STUDY PROJECT

- O THIS IS AN INTERNAL ASME FEASIBILITY STUDY UNDERTAKEN TO EXAMINE THE USEFULNESS OF DECISION-ANALYTIC RELIABILITY METHODS IN ASME CODES AND STANDARDS WORK AND IN THE SOCIETY ACTIVITIES. MANAGED BY CODES AND STANDARDS RESEARCH PLANNING COMMITTEE.
- O THREE MEETINGS HAVE BEEN HELD SINCE JULY 1991 AND A FINAL REPORT IS SCHEDULED FOR COMPETION BY DECEMBER 31, 1992.
- O DECISION ANAYSIS PROVIDES A STRUCTURED APPROACH FOR INTRODUCING RELIABILITY METHODS, INCLUDING COST-BENEFIT INTO AN ACTIVITY. DECISION ANALYSIS METHODS PERMIT COMPARING SPECIFIC OBJECTIVES WHICH MAY CONFLICT, SUCH AS SAFETY VERSUS COST.
- O FOR THE CODES AND STANDARDS ACTIVITY, IF FOUND FEASIBLE, THIS METHODOLOGY MIGHT BE USED TO DETERMINE WHETHER TO INITIATE A NEW STANDARD, OR WHETHER A SPECIFIC REVISION SHOULD BE MADE.





0

Overview of NRC Research Efforts

Briefing: ASME Risk-Based Inspection Guidelines Research Project U.S. Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards Subcommittee on Metal Components

Dr. Joseph Muscara

Bethesda, Maryland February 13, 1992

NRC RESEARCH EFFORTS

PROGRAM TITLE:

Evaluation and Improvements in Nondestructive Examination (NDE) Reliability for Inservice Inspection of Light Water Reactors

Program Initiated in Fiscal Year 1977

Program Objectives:

- Determine the effectiveness and reliability of ultrasonic inservice inspections (ISI) performed on commercial, light water reactor pressure vessels and piping
- Recommend Code changes to the inspection procedures to improve the reliability of ISI
- Based on the importance of components to safety, material properties, service conditions and NDE uncertainties, formulate improved inservice inspection criteria (including sampling plan, location, frequency and reliability of inspection) to achieve suitably low failure probabilities for the inspected components

BACKGROUND INFORMATION

EVALUATION OF NDE RELIABILITY

- Conducted extensive parametric studies on important inspection variables - 6000 measurements
 - Developed recommendations for improvements in procedures
 - -- RIL #113 in 1981
 - -- ASME Code Case N-335 in 1982
- Conducted two round robin tests to quantify POD as a function of crack size, false call rate, and sizing accuracy
 - Piping Inspection Round Robin in 1982
 - 6 ISI teams that conducted 1500 inspections
 - Mini Round Robin in 1985
 - 12 individuals and 3 automated inspection teams



BACKGROUND INFORMATION

IMPROVEMENTS IN NDE RELIABILITY

- Results of these studies showed that the ASME Code prescriptive UT procedures were unreliable
- Performance demonstration would provide the solution to achieving improvement in NDE reliability
- PNL and NRC staff began working in 1981 on developing the basis for NDE system qualification criteria. Several documents were developed including the drafting of a Regulatory Guide.
- Two industry meetings were held in 1983-84 to discuss concepts, discuss the documents developed, and obtain input on NDE qualification criteria
- Consensus from the 1984 meeting was that ASME
 Code should develop requirements using the PNL
 document as the basis
- ASME set up 3 special task groups with participation from industry, PNL, and the NRC to develop the requirements and resulted in Section XI Appendices VII and VIII (pub. in 1988 and 1989 Addenda, respectively).



IMPROVEMENTS IN INSPECTION PROGRAM

- Having addressed the reliability problem, now addressing improved criteria for the scope of the inspection program of what to inspect, the extent, frequency and how reliably to inspect
- The objective of such an inspection program is to maintain/achieve a suitably low component failure probability for systems and components
- In 1986-87 the PNL work began to explore a risk based methodology as the best means to develop improved inspection programs
 - Selection based on existence of information (good PRAs) and direct means for including safety (economic) goals as basis of the inspection program
- Methodology provides a structured means for generically ranking reactor systems, selecting components to be inspected, the frequency required and the inspection reliability required.



IMPROVEMENTS IN INSPECTION PROGRAM (contd)

- NRC reviewed a proposal in 1988 from the ASME Center for Research and Technology Development on risk-based inspection guidelines that closely matched the goals of PNL's risk-based task.
- Membership of the ASME task force represented a recognized broad based expertise for continuing peer review of the PNL risk-based work.
- Cooperation with the ASME Center for Research and Technology Development would facilitate the transfer of the methodology and results to ASME code groups for updating requirements for ISI programs.
- NRC decided to support the ASME Task Force through a research grant, and to promote close cooperation between the two efforts.
- The methodology has been jointly developed and research results and evaluations from PNL work are being used by the task force.

CONCLUDING REMARKS

- The NRC is supporting the research work at PNL and by the ASME Research Task Force on Risk-Based Inspection Guidelines. PNL's work has been used directly by the ASME Research Task Force.
- A methodology for developing risk-based inspection programs has been jointly developed by PNL and the ASME Task Force
- PNL has performed pilot studies to demonstrate the feasibility of various aspects of this methodology
- The methodology has been published in ASME and NUREG/CR reports
- In the future, the above methodology will be used to develop recommendations for risk-based ISI programs to improve code requirements. These recommendations will ensure that risks due to structural failures are maintained at acceptable levels.

OVERVIEW OF TASK FORCE AND OVERALL RISK-BASED INSPECTION PROCESS

ASME RISK-BASED INSPECTION GUIDELINES RESEARCH PROJECT

U. S. NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE ON METAL COMPONENTS

KEN BALKEY

BETHESDA, MARYLAND FEBRUARY 13, 1992



Research Task Force on Risk-Based Inspection Guidelines

Kenneth R. Balkey - Westinghouse Electric Corporation, Chairman Dr. Lee Abramson - U. S. Nuclear Regulatory Commission Dr. Bilal Ayyub - University of Maryland at College Park 0. J. Vic Chapman - Rolls Royce & Associates Ltd., United Kingdom Dr. Bryan F. Gore - Battelle Pacific Northwest Laboratories Dr. David O. Harris - Failure Analysis Associates, Inc. Dr. Dimitrios Karydas - Factory Mutual Research Corporation Jerry H. Phillips - Idaho National Engineering Laboratory Dr. Fredric A. Simonen - Battelle Pacific Northwest Laboratories Dr. Herb Smith, Jr. - McDonnell Aircraft Company Lloyd G. Smith - Niagara Mohawk Power Corporation Charles A. Tomes - Wisconsin Public Service Corporation Truong V. Vo - Battelle Pacific Northwest Laboratories (Honorary Member) Bruce A. Bishop - Westinghouse Electric Corporation (Contributing Member) Guido G. Karcher - Exxon Research and Engineering Co. (Contributing Member) Dr. Robert K. Perdue - Westinghouse Electric Corp. (Contributing Member) A. T. Radhakrishnan - ESSO Singapore Private Ltd. (Contributing Member) P. A. Stavrianidis - Factory Mutual Research Corp. (Contributing Member)
Research Steering Committee on Risk-Based Inspection Guidelines

Raymond J. Art - ASME Center For Research & Technology Development John D. Boardman - Southern California Edison

Robert J. Bosnak - ASME Council on Codes & Standards, ASME Codes & Stds Research Planning Committee, ASME Board on Research & Technology Dev.
Dr. Spencer J. Bush - Consultant, past Chairman - ASME Section XI
Robert N. Hill - Hoosier Energy Rural Electric Cooperative
David A. Osage - BP Oil (American Petroleum Institute representative)
Ray Davies - Det Norse Veritas Industrial Services, Inc.
Theodore A. Meyer - Westinghouse Electric Corporation
Evangelos Michalopoulos - Hartford Steam Boiler Inspection & Insurance Co.
Dr. Joseph Muscara - U.S. Nuclear Regulatory Commission
Michael E. G. Schmidt - Industrial Risk Insurers
Earnest W. Throckmorton - Virginia Power
William G. Wendland - American Nuclear Insurers

Independent Peer Review Committee

Volume 1 - General Document

Steven W. Pullins - Pullins Engineering Company
Dr. C. (Raj) Sundararajan - EDA Consultants
Paul J. Torpey - Empire State Energy Research Corporation

Volume 2 - Part 1 Nuclear Power Plant Document

Dr. Vicki Bier - University of Wisconsin
John D. Boardman - Southern California Edison
T. N. (Bud) Epps - Southern Nuclear Operating Company



ASME RISK-BASED INSPECTION GUIDELINES INDIVIDUAL RESPONSIBILITIES FOR PHASE II (1991-1992)

PROJECT/TECHNICAL INTEGRATION - K. BALKEY

ER	2	V	5	٤.	1											
FO	S	5	I	L		F	U	E	l.	F	I	R	E	D		
EL	E	C	T	R	1	C		G	EN	E	R	A	T	11	N	

STATION

D. HARRIS * (R) D. KARYDAS (R) M. SCHMIDT (R) L. SMITH (R) R. HILL

TASK FORCE

PETROLEUM PROCESSING PRESSURE VESSELS

K. BALKEY * (R) D. OSAGE (R) B. AYYUB (R) D. HARRIS (R) D. KARYDAS (R) R. DAVIES (R) ** G. KARCHER/ A. RADHAKRISHNAN (R) (CONTRIBUTORS) OTHER API TASK FORCE MEMBERS

- STEERING COMMITTEE
- E. MICHALOPOLOUS (R) P. STAVRIANIDIS (CONTRIBUTGR) T. MEYER
 - E. MICHALOPOLOUS (R) M. SCHMIDT (R) S. BUSH

NUCLEAR APPLICATIONS

F. SIMONEN * (VOL 2-PT 2)(R) J. MUSCARA (R) J. PHILLIPS* (VOL 5)(R) W. WENDLAND (R) B. GORE (R) V. CHAPMAN (R) K. BALKEY (R) L. ABRAMSON (R) C. TOMES T. VO (HONORARY) (R)

E. THROCKMORTON (R) J. BOARDMAN S. BUSH **

GENERALIST/ADVISORS

- B. AYYUB
- H. SMITH
- R. PERDUE (CONTRIBUTOR) (R)

B. BISHOP (CONTRIBUTOR) (R)

R. ART R. BOSNAK

* LEAD

** LIAISON WITH PVRC

(R) CURRENTLY CONDUCTING RELATED RESEARCH ON RISK-BASED INSPECTION



** USING DECISION-RISK ANALYSIS AND STRUCTURAL RELIABILITY/RISK ASSESSMENT METHODS

ASME SECTION XI ISI REQUIREMENTS IMPLICITLY INVOLVE RISK-RELATED CONCEPTS -

- o CLASS 1, 2, AND 3 CATEGORIES
- o EXEMPTION FROM EXAMINATION OF SMALL LINES
- o DECISION PROCESS WHEN FLAW INDICATIONS ARE FOUND
- o EXEMPTION FOR CLASS 3 COMPONENTS WITH PRESSURE < 275 PSIG AND TEMPERATURES < 200 F</pre>



FIGURE 2-4 INTEGRATION OF TECHNICAL INFORMATION INTO FMECA FOR RISK-BASED INSPECTION OF NUCLEAR POWER PLANT COMPONENTS



* EXPERT OPINION CAN ALSO BE USED HERE





Briefing: ASME Risk-Based Inspection Guidelines Research Project U.S. Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards Subcommittee on Metal Components

T.V. Vo

Bethesda, Maryland February 13, 1992

S9201045.1

Highlights

29

- Overall Methodology
 - System Prioritization
 - Component Prioritization
- Pilot Applications
 - Oconee-3 Pilot Study
 - Representative LWR Study
 - Surry-1 Study
- Concluding Remarks







- Two-step approach:
 - 1. System Prioritization
 - 2. Component Prioritization
- PRA information in combination with FMEA techniques are used to identify and prioritize the most risk-important systems and components

System Prioritization

- Core damage frequency is used as the risk measure
- Two criteria method for setting prioritization
 - 1. <u>Birnbaum Importance</u> conditional probability for core damage given system failure
 - 2. Inspection Importance defined by PNL to rank systems for inspection



Inspection Importance

- Inspection importance, I^w is defined as the risk measurement of the accident sequences involving system failures due to pipe break
- Calculation of inspection importance

$$_{i}^{\mathsf{w}} = \mathbf{I}_{i}^{\mathsf{B}\star} \mathbf{P}_{i}$$

where I^B_i = Birnbaum importance of system i; it is the change in core damage risk that is associated with a failure system i

P_i = estimated rupture probability of system i

Component Prioritization

- Core damage frequency is used as the risk measure
- Failure Modes and Effects Analysis (FMEA) technique is used to identify and prioritize the most risk-important components within the identified systems
- FMEA results are used to calculate the <u>Importance Index</u> or <u>Relative Importance</u> for each component within the systems
- FMEA results represent core damage frequency due to component failures



Component Prioritization (cont'd)

In mathematical terms, the core damage frequency due to component failure is

$$\mathcal{P}_{cd} = \mathbf{P}_{f} * \sum_{i} \mathbf{P}_{cd|s_{i}} * \mathbf{P}_{s_{i}|p_{f}} * \mathbf{R}_{i}$$

- where P_{cd} = forequency of core damage resulting from the component failure
 - P₁ = failure (rupture) probability of the component of interest
 - P_{cd|s1} = conditional probability of core damage given the failure of system i
 - P_{s_i|p_f} = conditional probability of system i failing given the component failure
 - R_i = probability that the operator fails to recover given a system failure

Component Prioritization (cont'd)

- Need probability of failure for each component
- Because of lack of an adequate data base on failure probabilities for components, Expert Judgment Elicitation Workshops were conducted

S9201045.5 7



Pilot Applications

The overall methodology has been tested

- Oconee-3: System prioritization; limited component prioritization
- Representative LWRs: System prioritization
- Surry-1: System prioritization; detailed component prioritization

Oconee-3 Results







Representative LWR Study - Objective

Established generic system rankings among the U.S. nuclear power plants

S92010455 9

Plant Selection Criteria

The criteria used for selecting include the:

- Reactor vendor
- Plant type
- Architect engineer
- Availability of PRA





Plant Name	Ve		
Surry-1	W/		
Zion-1	W/		
Sequoyah-1	W/		
Oconee-3*	B8		
Crystal River-3	B8		
Calvert Cliffs-1	CE		
Peach Bottom-2	GE		
Grand Gulf-1	GE		

Vendor/Type/A-E/Containment N/HP/S&W/Subatmospheric N/HP/S&L/Large, Dry N/HP/Utility/Ice Condenser B&W/-/Bech-Utility/Large, Dry B&W/-/Gilbert/Large, Dry CE/-/Bechtel/Large, Dry GE/BWR4/Bechtel/Mark I GE/BWR6/Bechtel/Mark III

*Completed (NUREG/CR-5272)

\$9201045.1 4

Inspection Importance Ranking for Various PWR Systems Based on Core Damage Frequency



Inspection Importance Ranking

Surry-1 Study

 The Surry Power Station, Unit 1 (Surry-1) was selected for detailed study due to the high quality of the PRA information available, and because it has been selected for several ongoing NRC research programs

System Importance Analysis

- Results of recent system prioritization (Representative LWR Study) for the Surry-1 were used to selected systems for further analysis:
 - 1. Reactor pressure vessel
 - 2. Reactor coolant system
 - 3. Low pressure injection system, including the accumulators
 - 4. Auxiliary feedwater system

S9201045.2 0

Component Importance Analysis

- Core damage frequency was used as the risk measure
- FMEA methodology was used to identify and prioritize the most risk-important components within the selected systems for inspection
- Need probability of failure for each component
- Because of lack of an adequate data base on failure probabilities for components, the Expert Judgement Elicitation process used for NUREG-1150 was employed

S92010456 1

Component Importance Analysis (cont'd)

- Plant system drawings, plant-specific video information management system (VIMS), and system walkdowns were performed to identify the potential targets (vital electrical buses, etc.)
- Guidance in the Standard Review Plan (SRP) 3.6.2 will be used in determining the indirect effects, e.g., jet impingement effects on systems nearby

\$920104523

Component Importance Analysis -PRA Data to Rupture Considerations

- Pipe ruptures are generally excluded from PRAs, since they make small contributions to risk compared to failures of active components
- Consequences for ruptures of pipe segments have been estimated from PRAs by considering failures of adjacent active components (e.g., lack of flow due to pump or valve malfunctions)
- PRAs generally provide no information on probabilities of pipe rupture (except for LOCA events)
- Therefore, rupture probabilities have been derived from available literature and expert judgement elicitation, and then combined with consequences from PRAs to calculate risk contributions

S92010452 1

Expert Judgment Elicitation Process

- Except for some minor modifications, the process is generally adapted from the recent method developed for use in the NUREG-1150 PRAs
 - 1. Selection of Parameters
 - 2. Selection of Experts
 - 3. Familiarization of Issues
 - 4. Training of Experts
 - 5. Elicitation of Experts
 - 6. Recomposition and Aggregation of Results
 - 7. Review and Revision by the Panel of Experts

S92010452 9

8. Documentation

Process for Estimating Failure Probability Using Expert Judgement



S9201045.76

Estimates of Failure Probabilities for Surry-1 Reactor Pressure Vessel Components



\$9201045.77

6

Summary of Results for Surry-1 Study

For the 4 selected systems

- Contributions of component failures to core damage frequency range from 1.60E-06 to 1.60E-14 per plant year (based on the median values excluding potential floodings within the plant)
- Cumulative risk contribution is estimated to be about 2.10E-06 per plant year
- The total estimated risk is dominated by failures of
 - Reactor pressure vessel components (86%)
 - Low-pressure injection system components (10%)
 - Auxiliary feedwater and reactor coolant system components (4%)

S920104524

Cumulative Risk Contributions of Surry 1 Components (Showing Decreasing Contributions of Lower Ranked Components)



S9111028.8

Comparison of Residual Risk with Component Rankings

Residual Risk (Core Damage Frequency) If Inspections Eliminate All Risk from Components Ranked Higher than Component



\$9201045.6 6

Sensitivity and Uncertainty Analyses

Two basic types of uncertainty were addressed:

- Parameter Value Uncertainty: component rupture probability, conditional probability ofcore damage, human recovery action and core damage frequency for component failure
- <u>Modeling Uncertainty</u>: treatment of the indirect effects (excluding potential floodings within the plant) of component failures in the model

S92010452 5

Hisk-Based Rankings of Surry 1 Components with Uncertainties in Estimated Rupture Probabilities



R9111050.3



R9201040.2

Concluding Remarks

- A methodology for developing risk-based inspection plans has been proposed
- Pilot studies have been performed to demonstrate the feasibility of the methodology
- The methodology has become part of the recommendations of the ASME Research Task Force on Risk-Based Inspection Guidelines
- Detailed ISI requirements will be developed in the future. These requirements will ensure that risks due to structural failures are maintained at acceptable levels

S920104527





TARGET FAILURE PROBABILITIES

Briefing: ASME Risk-Based Inspection Guidelines Research Project U.S. Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards Subcommittee on Metal Component

B.F. Gore

Bethesda, Maryland February 13, 1992
Objective of Inspection Program

To maintain plant risk due to ruptures at an acceptably low value

 Namely, a small fraction of the risk due to failures of active components and human operating errors

Risk Measure Selected

Core damage frequency due to internal events, as determined by PRA analysis

- Same measure as used for component risk prioritization
- Allows the most direct comparison with risks due to active failures

Target Risk Concept

ISI program should be designed to hold the total risk of core damage due to component ruptures below a value which is a small fraction of the risk determined by PRA analysis of internal events.

 5% is an initial recommended target risk value, but this may not be achievable



Objective of Component Inspections

To maintain component rupture frequency below a target value

 Determined from a component target risk and the conditional risk given rupture of the component

Component Target Risk

Determined by apportioning total target risk among the components

Recommended

Apportion larget risk in proportion to estimated risk

May result in unachievable inspection requirements

Surry Results

- Total estimated rupture risk is about 5% of PRA risk
- Then target risk, both total and component, equals estimated risk
- Then the target rupture frequency, to be maintained by inspections, is just the estimated opture frequency used in the prioritization analysis

Comparison of Residual Risk with Target Risk from Structural Failures





s.

SURRY-1 RISK RESULTS



R9201040.2

Alternative Strategies for Risk Apportionment

- Apportion target risk equally among risk dominant components
- Apportion target risk to alleviate hardest-to-meet inspection requirements
- More information is needed to evaluate need for or appropriateness of these alternatives



Surry-1 Components Risk Importance Parameters

				Core	
		Cond. Core	Ruplure	Damage	
	System-Component	Dam, Freq.	Frequency	Frequency	Rank
ALIA	- Belline Welds	1.0	1.58E-06	1.58F-06	-
RPV	- Beltiine Plate	1.0	1.00E-07	1 DDF-D7	- ~
NdH	- Lower/Bottom Shell	1.0	7.32F-08	7 325-08	4 0
AFW	- CST, Supply Line	1.70E-02	4.03F-06	R REF. DR	
APV	- Cir. Flange to Nozzle Course,	1.0	6.16E-08	6 16F-08	r 14
	Upper Shell, Outside Beitilne Welds				5
LPI-A	- Pipe Segment Between Acc. Discharge	1.80E-02	2 595-06	A G7E DD	c
	Header and RCS Isolation Valves			1.01	0
D	- Pipe Segment Between Containment	1.60E-02	2.60F-06	A 16E.00	٢
	Isol. Valve (Inside) and Cold Leg Injection			1.101-70	•
[b]	- Pipe Segment Between Containment	3.04E-02	1 25F-06	1 BUE OB	c
	Isol. Valve (Inside) and Fot Leg Injection			00-7000	D
LPI	- LPI Sources (RWST, SUMP), Supply Line	3.64E-02	1 005-06	3 GAE OD	c
DI	- Pipe Segment Between Pump discharge	2.00E-02	1.38F-06	9 76E.00	2
	and Containment Iso. Valve		1	00-701-17	2
LPI	- Pipe Segment Belween Containment	1.20E-02	1 22F-DG	1 ACE NO	
	Isolation Valves		00.4477	00-304-1	-

G

Surry-1 Components Risk Importance Parameters (cont'd)

			Cond. Core	Rupture	Damage	
		System-Component	Dam. Freq.	Frequency	Erequency	Rank
DDV		CIIDMe	5.00E-04	1.00E-05	5.00E-09	71
ALU	5	trottermont I hose	5.00E-04	1.00E-05	5.00E-09	13
NAH	1	MSIIUIIIeiii Liica		0 775 06	0 32E.00	14
AFW	1	Pipe Segment Between Containment	4.00E-04	0.32E-00	0.305-03	
		Isolation and SG Isolation Valves		1	ou lor o	U.T
AFW	1	Main Stearn to AFW Pump Turblne	1.64E-04	1.28E-05	Z.10E-09	0
		Drive		1	00 100 1	0
ACS		Pine Segment Between Loop Stop	1.13E-02	1.42E-07	1.60-2-04.1	0
		Valve and Rpv (Cold Leg)				ļ
101		I DI Dumn Suction Line	1.36E-03	1.10E-06	1.50E-09	11
LAT		the transportation constrained	1.00E-04	1.00E-05	1.00E-09	13
HCS	9	Pressuriter opray time	o nor na	2 NUIC N7	5 72F-10	10
ACS	. 1	Pipe Segment Between HPV and	CU1200.2	10-100 V	01 444 100	
		Loop Stop Valve (Hot Leg)			100 100 1	00
ACW		AFW TD Pump Discharge Line	2.29E-04	2.29E-06	5.26E-10	70
AA IW			1 ANF-DA	2 98E-06	4.18E-10	21
AFW		Pipe Segment from Unit 2	10-101-1			
		AFW Pumps			1 201 40	00
AFW	-	. AFW Isolation Valve to SG	2.60E-04	6.15E-07	1.006-10	K K

Core

]

.

Conclusion

This provides a logical, quantitative methodology for addressing the question:

"How much inspection is enough?"



Inspection Program Development NDE Reliability/Structural Reliability Assessment

Briefing: ASME Risk-Based Inspection Guidelines Research Project U.S. Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards Subcommittee on Metal Components

F.A. Simonen

Bethesda, Maryland February 13, 1992

Topics

- o Objectives of inspection programs
- o NDE reliability
- o Structural reliability assessments
- o Development of improved inspection programs

Elements of Inspection Program

- o What to inspect
- o How many components to inspect (sample size)
- Extent of inspection (surface, volume, etc.)
- o How often to inspect
- Method of inspection (visual, UT, ET, etc.)
- o Reliability of inspection method

Benefits of Effective ISI

- o Increased confidence in structural reliability (defense in depth)
- o Decreased failure probabilities

Benefits can be achieved only if NDE reliability and ISI programs are effective







Discovery Method	Number of Reports
Ultrasonic (UT) as part of ISI program	50 (52%)
Surface penetrant (PT) as part of ISI program	11 (12%)
Visual as part of ISI program	3 (3%)
Leakage detected as part of ISI program	9 (9%)
Leakage Detected as part of other systematic program (e.g. hydrotest, alarms, etc.)	2 (2%)
Leakage detected as incidental observation (e.g. walkdown inspections)	21 (22%)
Cracks detected as incidental observations	0 (0%)

Five most important systems only Wall thinning and cracking only Excluding vibrational fatigue Pipe diameters 3.0 inch or greater

NDE Reliability - Recent Trends

- Data on NDE reliability have increased dramatically (from round robins and performance demonstrations)
- Codes and standards have improved and more reliable NDE is practiced in the field
- Impact on plant safety requires inspections at proper locations and frequencies
- Risk-based methods will use NDE reliability data as input to develop improved inspection plans



Plot of POD Versus Crack Depth for Clad Ferritic, Wrought Austenitic and Cast Austenitic Pipe



SRRA Process for Evaluating Piping Reliability





Impact of Inspection on Systems with Decreasing Failure Rate (Case A) versus Increasing Failure Rate (Case B)





Detection of IGSCC in 10-Inch Stainless Steel Pipe from Round Robin



Ð

Predicted Impact of NDE on IGSCC



Next Steps with SRRA Models

- Address high priority components and the failure mechanisms as identified by expert elicitations
- o Develop SRRA models to evaluate alternative inspection scenarios
- o Perform parametric studies (e.g. with PRAISE code)
- o Apply simplified approaches to generalize results
- Quantify benefits of ISI (i.e. factor of improvement, inspection efficiency, etc.) for use in decision-risk analyses



DECISION-RISK ANALYSIS

ASME RISK-BASED INSPECTION GUIDELINES RESEARCE PROJECT

U. S. NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE ON METAL COMPONENTS

KEN BALKEY

BETHESDA, MARYLAND FEBRUARY 13, 1992



. . .

FIGURE 2-17. INSPECTION PROGRAM DEVELOPMENT



* Decision Risk Analysis





0

DECISION ANALYSIS

... A Structured Approach For The Analysis Of Business And Technical Situations Impacted By Uncertainty And Risk.



Probatking Weighted Scienario Cost	1.36	30	991	187	11	255	o	50	55	7	60	IEE	375	0
Scenario Probability 1	5000	0092	5160	0082	#200	8500	0027	\$800	2000	1350	0185	0630	0185	0006
Total * Cost *	27%	3275	5275	20275	x	300	3300	0005	00602	20	3250	5250	20250	٥
Faparite Cost	250	250	250	250	0	250	250	250	250	0	250	250	250	٥
Inspection .	* 25	+ 25	+ 25	8	8	8	8	ş.	93 4	93 4	0 +	0	•	•
Repture Consequential Belove Cost 7 End-of title 7 Lare probabilities)	Fiscer/Fiscelace	0000	Yes 4 5000	(1881)	(00)	() Repair/Replace	3000	Ves (38) Yes 5000 1101	(185)	No (30)	3000	Yes (185) (10) 4 5000 (17)	(185)	No (90)
ction Eletect Reparable Faigue Damage? (numbers in parentheses	Yes 0	loc'l	CUHRENT (W (W)	(05)	Yes	(85)	/	NEW & NO &	(11) (11) (11) (11)		~	No inspection No No (1 00)	(100) Bot ston mode

FIGURE 2-21. ILLUSTRATIVE DECISION TREE FOR CHOOSING AN INSPECTION STRATEGY

 chance node
Bored cost is expected
cost of alternative = sum of probability weighted
contratio costs

Circled number is taking probability sum of probabilities for scenarios leading to failone

0

FIGURE 2-38 INFLUENCE DIAGRAM FOR DEVELOPING AN INSPECTION PROGRAM FOR A LOW PRESSURE SAFETY INJECTION SYSTEM



FIGURE 2-39 CONCEPTUAL DECISION TREE FOR DEVELOPING AN INSPECTION PROGRAM FOR A LOW PRESSURE SAFETY INJECTION SYSTEM



* LIKELIHOOD CHANGES WITH PIPE AGE

TABLE 2-15

LOW PRESSURE SAFETY INJECTION LINE PROBABILITY ASSESSMENTS

Chance Node	Conditional Probability ⁽¹⁾				
Binary Events	(Next 30 Years)				
Flaw Procent	0.10				
ASME Unacceptoni Size Flaw	0.36				
No Repair V. : spair	0.25 no/0.75 yes				
Large Leak	0.04				
Break Before Leak	0.001				
Core Damage	0.015				
Major Radiation Release	0.08				
Detection:					
ASME ⁽²⁾ ISI	0.67				
Improved NDE	0.94				
2 x ASME Frequency	0.90				
Half ASME Frequency	0.50				

(.) Each probability is conditional on prior events in the decision tree

(2) For this example, the term "ASME" refers to the current requirements of ASME BPVC Section XI (1989).

TABLE 2-16 LOW PRESSURE SAFETY INJECTION LINE COST FACTORS

λ.

Variable	Unit of Measure	Assumed Value
ISI Direct Cost	\$K/10 Year Cycle	500
Evaluation Direct Cost	\$K/Indication	80
Repair Direct Cost	\$K/Crack	200
Incremental Outage for Evaluation	Days	2
Incremental Outage for Repair	Days	5
Forced Outage for Leak	Days	40
Forced Outage for Break	Days	120
Incremental Outage for Improved NDE Methods	Days	1
Replacement Power Penalty	\$K/Day	500
Discount Rate	Constant \$, Risk Free (%)	4
Minor Radiation Relea.a	\$M/Release	4000
Major Radiation Release	\$M/Release	10000

FIGURE 2-38. RISK ADJUSTED COST VERSUS RISK TOLERANCE FOR THREE INSPECTION STRATEGIES



(Certain Equivalent)

Risk Adjusted Cost 09890:10/040291
FIGURE 2-39

ANDERSON

KEY:

VALUE OF INFORMATION ON "CRACK PRESENT"



= 14

= \$16 MILLION

TABLE 2-17

EXAMPLE EVALUATION OF INSPECTION STRATEGIES FOR A LOW PRESSURE SAFETY INJECTION SYSTEM USING DECISION - RISK ANALYSIS

Strategy	Large Probat	Leak pility(1)	Expected Strategy Cost (\$M)	Risk Adjusted Strategy Cost(3)(4) (\$M)	RAC/No ISI(4)	
No ISI	21.7	E-5	< 1	603	1.00	
ASME ISI	7.2	E-5	1	401	0.67	
2 x ASME BPVC Frequency	2.2	E-5	-2	217	0.36	
Half ASME BPVC Frequenc	y 10.9	E-5	1	474	0.79	
Improved NDE ⁽²⁾	1.3	E = 5	3	156	0.26	
(W/ASME BPVC Freq.)						

- (1) This terminology represents the conditional probability of a large leak given that degradation occurs. It is assumed that all of the inspection strategies meet the target failure probability for rupture. The rupture or break probabilities can be obtained by multiplying the large leak probability by 0.001.
- (2) Since this case reflects an upper bound on detection probability, a more realistic choice may be 2 x ASME BPVC Frequency
- (3) Risk Adjusted Cost (RAC) is represented as -

RAC = $-R \ln (p_1 e^{-v_1/R} + p_2 e^{-v_2/R} + \dots + p_i e^{-v_i/R})$. (2-7) where: R = risk tolerance $p_i = \text{ probability of the i}^{\text{th}} \text{ outcome}$ $v_i = value (cost) \text{ of the i}^{\text{th}} \text{ outcome}$

 (4) Remember that RAC is not an estimate of out-of-pocket cost. Further, its magnitude, which is a hypothetical construct, is of less interest here than its relative magnitude, which is why the ration "RAC/No ISI" is computed here.





 Ranking, Including Uncertainty, Based on Lines of Constant Risk

Reliability Methods Application to Fossil Fuel Power Plants

Niagara Mohawk Power Corp. by Lloyd Smith

U.S. Nuclear Regulatory Commission ACRS Subcommittee on Metal Components February 13, 1992

Focus

ŝ.

- · Why
- Methodology
- Results
- Benefits







Risk Control

Risk Reduction	Minimize Plant Transients Increase System Reliability Improve Component: Availability Maintainability
	Testing/Inspection Proactive program Inspect Major Items

Recent Projects Probablistic/Reliability

T/G Protection Schemes

Limestone Injection System

Control System Upgrade

Life Extension





Evaluation 1 Imglementation

÷







•

÷



Fossil Generation Failure Data Base #1989, property of Niagara Mohawk Power Company. All rights reserved.

HUNTLEY UNIT 65 MECHANICAL COMPONENT FAILURE DATA November 1, 1981 to November 16 1986

SYSTEM	DATE	RECORD	IDENTIFICATION	COMPONENT	SEVERITY	MODE	CAUSE	
ENDO	12/21/20	415005	SEE DEES CONVER	000000			100	
ACUU	01/02/01	415005	303-U032-CUNYTH	CONVIR	1	1	10	
ASHH	01/04/91	400071	365-000-FLORUT	UAIE	2	2.1	18	
FUEL	01/05/81	ő	365-0651-COALEDO	HODDED	i i	4	20	
FUEL	01/06/81	0	365.0652.COALFOR	HOPPER	6	4.1	14	
SUPTED	01/06/81	414483	300-0012-CONVVD	CONVVD	Ť	4.1	1.4	
BOILER	01/07/81	0	365-0065-ROLLER	TURE	6	÷	17	
FHDG	01/08/81	415260	365-0654-CONVYR	CONVYR	Ť · ·	÷	12	
FHOG	01/08/81	415258	365-0653-CONVYR	CONVYR	î.	÷	13	
FHOG	01/08/81	415257	365-0652-CONVYR	CONVYR	1	Ť	13	
FHOG	01/08/81	415256	365-0651-CONVYR	CONVYR	1	Ť.	13	
BOILER	01/09/81	0	365-0065-BOILER	TUBE	Ó	T. C.	7	
FUEL	01/09/81	405686	365-0654-COALBNR	PIPE	1	T	6	
FUEL	01/09/81	415020	365-0654-COALBNR	PIPE	1	Ť	- 6-	
BOILER	01/10/81	0	365-0065-801LER	TUBE	D	T	7	
FUEL	01/10/81	0	365-0653-MILL	BRKER	C	Τ.	24	
FHOG	01/10/81	0	365-0654-DMPSCL	SCALE	C	T	30	
FMUG	01/10/81	404649	365-0651-CONVYR	CONVYR	1	1	13	
POLLER	01/10/81	415272	365-0653-MILL	BRKER	0	1	7	
FUEL	01/11/01	416274	365-0065-801LER	TUBE	Ô.	1	7	
FUEL	01/12/01	410274	JOD-UCOJ-CUALBNK	BURNER		1	12	
FUEL	01/12/81	4054600	365-0654-00ALBAN	PIPE.	1	4	0	
FUFL	01/13/81	443434	365-0654-COALDAR	DIDE	1	4	0	
FUEL	01/16/81	ő	365-0654-COALFOR	HOPOFR	č	4	26	
FHOG	01/16/81	415281	365-0653-CONVYR	CONVYR	Ĭ	÷	14	
FUEL	01/17/81	0	365-0651-COALFOR	HOPPER	ô	÷	15	
FUEL	01/17/81	- 0	365-0654-MILL	MILL	č	Ť	28	
FUEL	01/18/81	0	365-0654-COALFOR	HOPPER	õ	τ	28	
FHOG	01/19/81	0	365-0654-CONVYR	CONVYR	C.	T	37	
BOILER	01/20/81	0	365-0065-BOILER	TUBE	D	Ť	7	
FHDG	01/20/81	0	365-0654-DMPSCL	SCALE	C.	T	30	
FUEL	01/20/81	415033	365 - 0652 - COALBNR	PIPE	1	T	6	
FW	01/20/81	0	365-0065-DESUPER	ATTEMP	0	T	0	
FW	01/21/81	0	365-0065-DESUPER	ATTEMP	0	1	0	
PW	01/21/81	0	365-0065-DESUPER	ATTEMP	0	T	0	
SUPTED	18/12/10	414496	300-0004-BRADBKR	BRKR	ł	1	6	
SUPTED	01/21/81	414497	300+0020+CONVYR	CONVYR	1	T.	24	
SUPTED	01/01/01	414500	300-0020-APRFDR	CONVYR	1	1	12	
SUPTED	01/21/01	414496	300-0016-CONVY8	CONVYR	4	2	14	
SUPTEO	01/21/81	414493	100-0013-CONVYD	CONVYR	1	1	20	
SUPTEO	01/21/81	414498	300-0013-CONVYP	CONVYR	1	4	1.0	
BOILER	01/22/81	415361	365-6566-SOOTBLD	STRLWR	0	÷.	11	
FHOG	01/22/81	0	355-0651-CONVYR	CONVYR	č	Ť	14	
FHOG	01/22/81	415038	365-0651-CONVYR	CONVYR	Ĩ	Ŷ	13	
ASHHNO	01/23/81	0	365-0065-ASHHPR	HOPPER	Ċ	Ť	12	

Ø .

Year	#ft-1	Hit-2	R11-3	Hil-4	ID-F1	1D-F2	FD-F1	FD-F2	H¥-P1	HW-P2	BF-P1	BF-P2	BF-P3	Ор Иг	i Yr Hr
1981	6455	6549	6626	6237	7371	7331	7358	7274	4,597	2489		15	7266	7296	8760
1982	6896	6785	5848	6923	7597	7585	7586	7570	6491	1123	7311	1580	5926	7587	8760
1983	5479	5508	5317	6262	6562	6284	64.75	6244	3861	2839	5939	2577	4106	6522	8760
1984	4010	5874	6959	6702	7683	7512	7493	7318	2764	5010	7	7284	7420	7502	8784
1985	4379	\$456	5949	6167	7640	7716	7490	7021	141	8057	1585	7302	5175	7812	8760
1986	714	6311	5349	5696	7261	7467	5531	5925	3498	4227	7	5996	5586	7278	\$760
1987	5866	5868	7246	6358	8615	84.90	7868	8030	6268	2420	4290	7914	4470	8454	8760
1988	3116	3344	2719	3189	4823	4022	3972	3650	2171	2822	2475	1146	3899	3830	8784
1989	6230	6408	7192	7081	\$308	8527	7916	7869	60	8506	7861	7	8040	8001	8760
1990	6534	3921	7113	6305	7951	8269	7610	7721	2310	3877	4004	3719	7579	7673	8760
Int	49679	57122	60218	45020	73.762	73:003	40200	48672	THE	(177	10771				
Ave	4968	5712	6022	6092	7379	7300	6930	6862	32401	4337	4077	3751	5947	71955	8765

Exposure Hours Major Components

8

0



0

Number of Demands

Major Components

Year	Nil-1	ait-2	Mil-3	#11-4	1D-F1	10-F2	FD-F1	F0-F2	HU-P1	HU-92	8F-P1	BF-P2	8F-P3	Op Hr	f fr Br
1981	179	139	189	191	11	11	12	11	10	9	12	1	11	7296	8760
1982	119	105	494	109	12	13	10	11	10	3	10	1	12	7587	8760
1983	79	104	221	71	17	17	71	14	8	13	10	11	10	6522	8760
1984	126	83	134	152	21	38	25	35	11	8	z	45	21	7502	8784
1985	245	112	158	199	22	35	39	90	5	6	22	85	113	7812	8760
1986	73	104	197	203	27	21	159	122	8	8	1	104	168	7278	8760
1987	293	89	145	185	15	10	97	63	9	6		19	49	8454	8760
1988	90	86	86	61	19	11	40	17	20	12	13	8	24	3830	8784
1989	73	78	78	63	16	8	25	15	z	9	16	4	17	8001	8760
1990	78	68	68	117	19	11	15	12	7	14	6	47	14	7673	8760
	*15.2	1107											*		
101	1352	1497	1497	1351	179	1/5	433	390	90	88	100	325	439	71955	87648
Ave	135	150	150	*35	18	18	43	39	9	9	10	33	44 1	7196	8765

COMPONENTS WITH HIGHEST CALCULATED UNAVAILABILITIES*

÷

Component	Unavailability (%)
No. 4 Coal Burner	12.6
Boiler Tubes	7.44
Group 2 sootblower	5.28
No. 2 Milli	3.83
No. 1 Coal Burner	3.68
No. 3 Mill	3.18
No. 2 Coal Feeder/Hopper	2.29
No. 1 Mill	3.13
Group 5 Soutblowers	2.2
Group 3 Sootblowers	1.76
No. 2 Conveyor	1.55
No. 3 Boiler Feed Pump	1.44
No. 2 Coal Burner	1.34
Attemperators	1.2
No. 1 High Pressure Feedwater Heater Bank	1.01
Slag Removal System	1.00
Clinker Grinder	0.98
No. 1 Hot Well Pump	0.91
No. 3 Coal Burner	0.73
No. 4 Primary Air Fan	0.418
No. 3 Primary Air Fan	0.402

TOP 15 CUT SETS CONTRIBUTING TO 100 PERCENT POWER UNAVAILABILITY

ż

Cut set/Component	Failure Rate (per hr)	MTTR ^b (hr)	Unavailability (%)
Boiler Tubes	0.00097	76.7	7.44
Group 2 Sootblower	0.033	1.6	5.28
Group 3 Sootblower	0.011	1.6	1.76
Attemperators	0.0013	9.2	.1.2
No. 1 High Pressure Feedwater Heater	6.0023	44.0	1.01
Slag Removal System	0.010	1.00	1.00
Coal Burner No. 4/ Mill No. 2	0.000118	40.7	0.48
Coal Burner No. 1/ Coal Burner No. 4	0.0000322	144	0.464
Coal Burner No. 4/ Mill No. 3	0.0000984	40.7	0.401
Coal Burner No. 4/ Mill No. 1	0.000097	40.7	0.395
Coal Burner No. 4/ No. 2 Feeder/Hopper	0.00575	5.03	0.289
Deaerator	0.00016	15.0	0.24
Group 5 Sootblower	0.0014	1.6	0.224
No. 2 High Pressure Feed Water Heater	0.000046	44.0	0.202
Coal Burner No. 4/ No. 2 Conveyor	0.000459	4.25	0.195

14

Unavailability by Component (Greater than 1%)



1

Unavailability by Component (Greater than 1%)



Summary

- Improved maint./operation
- Focus on weakness/strengths
- Increased plant availability
- Reduced risk
- Improved Decisions Process
- Structural/Mech./Elect./Control
- Task Force Integration

NUCLEAR UTILITY PERSPECTIVE

ASME RISK-BASED INSPECTION GUIDELINES RESEARCH PROJECT

U. S. NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE ON METAL COMPONENTS

CHARLES A. TOMES WISCONSIN PUBLIC SERVICE CORPORATION

> BETHESDA, MARYLAND FEBRUARY 13, 1992



UTILITY PERSPECTIVE REGARDING DEVELOPMENT OF AN INSPECTION PROGRAM

1ST CONSIDERATION

SAFETY

2ND CONSIDERATION

ECONOMICS

EXISTING CHALLENGE

TO APPROPRIATELY CONSIDER ALL INPUTS TO THE INSPECTION PROCESS

SUCH AS

FREQUENCY, METHOD, POTENTIAL FAILURE MODES, HISTORICAL FAILURES, FABRICATION DEFECTS, MATERIAL BEHAVIOR, LOADING, EXTENT OF EXAMINATION, ACCEPTANCE STANDARDS, SCOPE, INSPECTION SCHEDULES, RADIATION EXPOSURE, PERSONNEL HAZARD, RELIABILITY, REPEATABILITY, ETC.

NUCLEAR UTILITY PERSPECTIVE

ASME RISK-BASED INSPECTION GUIDELINES RESEARCH PROJECT

U. S. NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE ON METAL COMPONENTS

CHARLES A. TOMES WISCONSIN PUBLIC SERVICE CORPORATION

> BETHESDA, MARYLAND FEBRUARY 13, 1992



POTENTIAL APPLICATIONS

- o REVISION TO ASME CODE SECTION XI
- o SAFETY SYSTEM FUNCTIONAL INSPECTIONS
- o MAINTENANCE-METHOD, FREQUENCY, AND SCOPE
- O DEVELOPMENT OF NON-ASME CODE SECTION XI PROGRAMS, E.G. -
 - NON-QA-1 SNUBBERS
 - NON-QA-1 COMPONENT SUPPORTS
 - RUPTURE RESTRAINTS
 - VALVE INTERNALS
 - EROSION-CORROSION
 - SERVICE WATER (FOULING, SAND, PITTING)
 - IMPINGEMENT BARRIERS

UTILITY PERSPECTIVE REGARDING DEVELOPMENT OF AN INSPECTION PROGRAM

1ST CONSIDERATION

SAFETY

2ND CONSIDERATION

ECONOMICS



NUCLEAR UTILITY PERSPECTIVE

ASME RISK-BASED INSPECTION GUIDELINES RESEARCH PROJECT

U. S. NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE ON METAL COMPONENTS

CHARLES A. TOMES WISCONSIN PUBLIC SERVICE CORPORATION

> BETHESDA, MARYLAND FEBRUARY 13, 1992



SUMMARY BENEFITS

- O PROVEN TECHNOLOGY
- O PROCESS COMPLEMENTS EXISTING REQUIREMENTS
- o FACILITATES INCORPORATION OF EXTRA-CODE, REGULATORY AND ECONOMIC FACTORS
- O DECISION-MAKING REFINEMENT
- O LIVING PROCESS
- **O** ENHANCES STRATEGIC INSPECTION FOCUS
- O EASILY ADAFTED FOR NON-ASME SECTION XI AREAS
- O CAN BE USEL FOR MANAGEMENT OF AGE-RELATED DEGRADATION

UTILITY PERSPECTIVE REGARDING DEVELOPMENT OF AN INSPECTION PROGRAM

1ST CONSIDERATION

SAFETY

2ND CONSIDERATION

ECONOMICS



.

Roadmap for ASME Task Force Phase II - Nuclear Power Plant Components

Steps

- 1. Establish Safety and Risk Objectives
- 2. Identify High Priority Components
- 3. Identify General Groups of Components/Locations
- 4. Establish Goals for Acceptable Failure Probabilities
- 5. Identify Those Inspection Strategies That Can Ensure Acceptable Failure Probabilities
- Final Selection of Inspection Strategies Based on Cost/Effectiveness
- Identify Generic ISI Requirements (Frequency, Method -Including Probability of Detection Needs) From Trends of Pilot Studies
- 3. Work With ASME Section XI Members to Achieve Enhanced Inspection Requirements
- 9. Prepare Volume 2 Part 2 Document

Supporting Pilot Studies

Steps 2-7 will require the following three activities

- 1. Risk-Based Rankings Including Expert Elicitations for Component Failure Probabilities
- 2. SRRA Calculations
- 3. Decision-Risk Analysis Calculations

NUCLEAR UTILITY PERSPECTIVE

ASME RISK-BASED INSPECTION GUIDELINES RESEARCH PROJECT

U. S. NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE ON METAL COMPONENTS

CHARLES A. TOMES WISCONSIN PUBLIC SERVICE CORPORATION

> BETHESDA, MARYLAND FEBRUARY 13, 1992

