

ORIGINAL

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3
4

5 In the Matter of:
6
7

8
9 DISCUSSION AND VOTE ON FULL POWER OPERATING LICENSE
10 FOR GRAND GULF
11

12
13
14
15 OPEN MEETING
16

17 Location: Washington, D.C.

Pages: 1 - 114

18 Date: Tuesday, July 31, 1984
19
20
21
22
23
24
25

B408130013 840731
PDR 10CFR
PT9.7 PDR

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3 DISCUSSION ON FULL POWER OPERATING LICENSE
4 FOR GRAND GULF
5
6 OPEN MEETING

7 Nuclear Regulatory Commission
8 1717 H Street, N.W.
9 Room 1130
10 Washington, D.C.

11 July 31, 1984

12 The Commission met, pursuant to notice, at
13 11:00 a.m.

14 COMMISSIONERS PRESENT:

15 NUNZIO PALLADINO, Chairman of the Commission
16 THOMAS ROBERTS, Commissioner
17 JAMES ASSELSTINE, Commissioner
18 FREDERICK BERNTHAL, Commissioner
19 LANDO ZECH, JR., Commissioner

20 STAFF AND PRESENTERS SEATED AT COMMISSION TABLE:

21 S. Chilk, Secretary
22 H. Plaine, General Counsel
23 D. Eisenhut
24 H. Denton
25 W. Dircks
J. O'Reilly
M. Malsch
W. Cavinaw
W. Johnston
T. Novac
D. Lewis
B. Wilson
J. O'Shinski
A. Wagner
G. Hollihan
H. Thompson
Dr. Dengy
Dr. Berlinger

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on July 31, 1984 in the Commission office at 1717 H. Street, N.W., Washington, D.C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect the final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

1 Justice, the Commission is withholding the details in
2 the enforcement action at this time.

3 The Commission has not yet determined what final
4 actions it will be taking on any remaining enforcement
5 issues.

6 The NRC staff is here today to provide the status
7 of all Grand Gulf full power operating license issues.

8 Before asking my fellow commissioners if they have
9 any opening remarks, let me note my intention to poll
10 the Commission on full power license authorization for
11 Grand Gulf at the conclusion of today's meeting.

12 Do any commissioners have any other opening
13 remarks?

14 COMMISSIONER ASSELSTINE: No.

15 CHAIRMAN PALLADINO: All right. Then let me turn
16 the meeting over to Mr. Harold Denton.

17 MR. DENTON: Thank you, Mr. Chairman. We are
18 prepared today to summarize for you the results of our
19 review of this plant and describe how it comports with
20 the Commission's regulations.

21 We have a number of consultants here that you might
22 like to hear from in the course of the presentation.

23 We have consultants from Pacific Northwest
24 Laboratories, who have assisted us in reviewing the
25 adequacy of the diesel generator.

1 I understand a representative from FEMA is here,
2 who could go into emergency planning aspects if you so
3 desire.

4 And we have a number of the staff both from
5 headquarters and the regions. Darrell Eisenhut will
6 begin the presentation, and Mr. O'Reilly will describe
7 the experience at the plant in recent times.

8 So Darrell, why don't you begin.

9 MR. EISENHUT: Thank you. If I could have the next
10 slide, please. This slide is provided as way of
11 background.

12 This is Mississippi Power & Light. We as know, the
13 plant is located in Mississippi. It's two units side
14 of BWR-6, Mark 3 containments.

15 It is, in that sense, it's the first operating BWR-6
16 in the United States. The power level is 1250 megawatts
17 electric.

18 On the last part of this slide, we gave you a
19 status outline of the overall situation with respect to
20 emergency preparedness.

21 To go back to the last few years, we did have a
22 finding prior to the low power license to support
23 issuance of a low power license.

24 There have been a number of emergency exercises at
25 this site. The last emergency exercise was in April of

1 this year. We very recently received and transmitted
2 down to the Commission the FEMA interim findings on the
3 April exercise.

4 That is a memorandum from Mr. Dircks to the
5 Commission dated yesterday.

6 That memorandum concludes that the state of
7 emergency preparedness is adequate for full power. As
8 Mr. Denton has mentioned, we do have the
9 representatives from the office of IE and a
10 representative from FEMA here with us today, if the
11 Commission would like to explore in any depth the
12 memorandum that was sent out yesterday.

13 But the bottom line of that was, again, that the
14 overall status of emergency preparedness is adequate,
15 acceptable for full power, as demonstrated by the April
16 1984 exercise.

17 But again I should point out there certainly in
18 that memorandum were follow-up actions which will be
19 taken.

20 To go on to the next slide, then. This is a
21 background chronology that we've tried to put together,
22 hitting some of the high points since the issuance of
23 the low power license in June of 1982.

24 This is a long chronology. I won't really go
25 through it in any depth. An issued criticality was

1 achieved on April 18, 1982, for a short time, as Mr.
2 Chairman mentioned.

3 Other high points on here that I'll mention is that
4 in April 1984, we issued an order on tech specs which
5 were designed to correct tech spec deficiencies in that
6 low power license.

7 In May of 1984, we issued the diesel engine
8 inspection order relating to the deficiencies in the
9 TDI diesels.

10 Listed also on the bottom for reference are the
11 Commission meetings that we've had recently, concerning
12 the Grand Gulf project.

13 On the next slide, we've indicated certain plant
14 modifications that have been performed at the facility
15 since the issuance of the license in June of 1982.

16 First, I need to point out that the heading of Major
17 Plant Modifications is somewhat of a misnomer;
18 certainly the major modification on this list is the
19 first item.

20 That is the dry well cooling system modifications
21 that were performed in something of the order of a
22 nine-month time frame, starting in October of 1982.

23 Very simply, this was a deficiency that was
24 discovered after the plant reached its initial
25 criticality, while it was performing its testing in the

1 non-nuclear heat-up phase. The situation they found
2 was that the containment cooling system just could not
3 handle the heat load.

4 This was discovered, as I said, I believe the
5 realization of it occurred in the time frame of
6 September, October 1982.

7 There was considerable modifications that were
8 required, and that is the only one on that list that
9 I'd characterize as major.

10 The other items were minor modifications, were in
11 the mode of where items had previously--work had been
12 identified and this was, in fact, sort of putting that
13 into effect.

14 The last few items, the replacement of the agastat
15 relays, this is an issue that we've had generically in
16 a number of plants about upgrading relays.

17 You'll notice the item below that is the gas
18 turbine generators that were installed in connection
19 with the review effort on the diesel engines when we
20 required the tear-down of one emergency diesel.

21 Those are the basic items I will just touch upon.
22 I don't plan on going through those in any depth, but
23 again, we do have the staff here if you want to go into
24 any depth on those.

25 The next slide, we put together the key items as we

1 see it that we'd like to highlight in some more depth
2 today.

3 These selected issues we'll now go through item by
4 item. There are no slides provided for the 2.206
5 petition nor the Full Power License Amendment.

6 I'll come back to those in the end. We did provide
7 the Full Power License Amendment, I believe, it was
8 sent down to the Commission yesterday.

9 If I could go to the next slide. The subjects of
10 technical specification reviews, let me try to
11 summarize rather than go through all of these details,
12 because we've had a number of rather lengthy
13 discussions.

14 Perhaps one of the easiest ways to do this is, if I
15 go back to the February 29 briefing of this year, when
16 we had a briefing on technical specifications, the
17 staff summary, I think, still is appropriate, because
18 we now put that in place, so to speak.

19 At that time, we had concluded that there was
20 something over 200 tech specs that needed to be
21 changed.

22 We concluded that there was an inadequate review
23 for various reasons by the applicant, and we concluded
24 that in retrospect, while NRR does not do a detailed
25 review of tech specs on any plant, we concluded that

1 the staff review was not adequate in ...s case. That
2 was our conclusion in February, and that still is our
3 conclusion today.

4 What we've done to--it's our conclusion today with
5 respect...

6 COMMISSIONER ROBERTS: Is your review today
7 complete?

8 MR. EISENHUT: Yes, it is.

9 COMMISSIONER ROBERTS: And adequate?

10 MR. EISENHUT: And adequate. It is our view of the
11 situation at that time.

12 COMMISSIONER ROBERTS: I understand.

13 MR. EISENHUT: And that view remains unchanged
14 today. The reviews that we have put in place is, we
15 have evaluated the tech spec situation from a number of
16 different angles.

17 We had a consultant, the Idaho Nuclear Engineering
18 Lab, do an audit review of sample tech specs, looking
19 at how the tech specs compared to the FSAR and SER
20 analyses.

21 We had Region II do a review of the tech specs
22 against the as-built plant. Granted that was an audit
23 review.

24 We had the technical review branches in NRR, in
25 this case, go back and verify that the tech specs were

1 properly derived from the analysis and evaluation of
2 the SAR and SER.

3 In addition, if you look at these combination of
4 reviews, the other missing link was look at the as-
5 built plant versus the FSER.

6 This is an area that was addressed by the
7 utility's tech spec review program. In addition, MP&L
8 had done a unique plant features review.

9 They looked at the BWR-6 and looked at what is
10 unique in BWR-6 versus a BWR-5 Mark 2, and they did a
11 review of those features.

12 In addition, there was a third party review that
13 was done by a consultant to the utility, was reviewed
14 and monitored by the staff, looking at--which also
15 addressed the FSAR versus the as-built, and in
16 addition, and probably most significant, the pre-op and
17 acceptance test that were done were done in accordance
18 with the REG GUIDE 1.68.

19 REG GUIDE 1.68 has the explicit purpose stated to
20 verify the as-built machinery, in fact, reflects the
21 FSAR and its design.

22 So from a bottom line standpoint, we believe that
23 today, now that the utility has conducted a full-blown,
24 complete review of all tech specs, he has now applied a
25 more rigorous, formalized approach to those tech specs.

1 Third, he has applied his quality assurance program
2 to tech specs. That is something that is not normally
3 done in the full sense of the quality assurance
4 criteria.

5 And the last item that he is presently doing, is,
6 he is going to again recertify that those tech specs
7 adequately reflect his plant.

8 Recall that, in the way of a little bit of
9 background, following the Diablo Canyon situation, we
10 undertook to have utilities verify in writing that the
11 FSAR, the design of the plant, and the tech specs were
12 adequate.

13 We had this utility verify once prior to the low
14 power license, he certified to us that the tech specs
15 were correct in early 1982.

16 We all found that situation not to be correct.
17 Today we are issuing the, or providing to the utility
18 formally, by letter, all of the corrected pages to tech
19 specs from this rather long, exhaustive process.

20 It's a stack of paper on the order of a couple of
21 inches deep. It's our intention we'll send that to the
22 utility, he will recertify all of those aspects back to
23 us by letter, and that process will be completed prior
24 to our issuance of those tech specs in this matter.

25 MR. DENTON: Let me mention two other things that I

1 think are significant, in addition to yours. One, I've
2 added additional resources to this area.

3 We were down to a small number of people handling
4 tech specs because we're trying to standardize tech
5 specs and not permit many departures unless there were
6 different systems.

7 But I have effectively doubled the amount of
8 resources that Darrell now has available to work on
9 this, plus the fact that we're now involving every
10 technical branch that was involved in the review of
11 Grand Gulf has participated in reviewing the tech specs
12 in that area.

13 Another action that utility took that I think is
14 very important, he had the tech specs reviewed by both
15 vendors of this plant, both General Electric and
16 Bechtel, and then he had G.E. look at the entire set of
17 tech specs, since they are very familiar with a plant
18 that's operating outside the U.S. that is the first
19 operating G.E. Mark 6 plant.

20 So I think we are now confident with this set of
21 tech specs, does reflect the application, does reflect
22 the plant, does reflect the safety analyses that are
23 contained in the application.

24 MR. EISENHUT: So in the way of summing up the tech
25 spec issue, I'd propose not going back through all the

1 detailed numbers at this point. But in a way, I think,
2 simply of summing it up, we believe the basic causes
3 have been discussed at some length.

4 In any event, we believe the tech specs today, by
5 the amendment that would be associated with the full
6 power license, will correct the tech specs.

7 And we are reasonably confident that those tech
8 specs are now in order and reflect the application.

9 I say that, one last comment, I doubt if we'll ever
10 go back and be able to straighten all the details out
11 of how the situation transpired.

12 The people in the utilities part and the people in
13 the NRR's part just physically are not here today, and
14 the reason you can't track it, we think, is the major
15 reason why there's a problem in the tech specs, and
16 that is, just the lack or the informality, the lack of
17 a formal process for handling tech specs.

18 CHAIRMAN PALLADINO: Do you think that the
19 situation has been corrected so that we might avoid
20 similar circumstances in the future?

21 MR. DENTON: I think it's gotten everyone's
22 attention in the industry, Mr. Chairman, and as you
23 heard Darrell say, we're taking the actions that
24 Darrell described on all future plants, and not just
25 Grand Gulf.

1 We do have consultants who are assisting us in
2 looking at it, and it's part of our routine readiness
3 review with the plant to go through the tech specs.

4 So you can't say it will never happen again, but
5 we're sure giving it a lot of attention today.

6 MR. EISENHUT: Yeah, I'd put one qualifier on that.
7 There are some plants within the system that are not
8 getting the full treatment because it's something we're
9 phasing into.

10 But again, the industry, I think, has heard this
11 situation and I think the industry's attention has been
12 gotten on this.

13 But again, we do not do 100% review of the tech
14 specs. In fact, we do a far cry from 100% review of
15 the tech specs.

16 CHAIRMAN PALLADINO: Well, then how are you sure
17 that this particular plant tech spec are adequate?

18 MR. EISENHUT: In this particular case, we've done
19 very nearly 100%. I'm sorry. My comment was more
20 generally, following on Harold's.

21 We typically do not. Where we will be trying to
22 focus our attention are first-of-a-kind plants, which
23 I'll term as green utilities, that is, utilities which
24 have their first nuclear plant.

25 But this agency is not set up in staff to do 100%

1 review of tech specs. It never has been. In fact,
2 it's a small fraction of the tech specs, historically,
3 to be reviewed.

4 COMMISSIONER ASSELSTINE: Darrell, before you leave
5 the tech spec issue, you anticipated one of my
6 questions.

7 And that was the relationship between the as-built
8 plant and the FSAR. I gather that in your review, the
9 most comprehensive efforts have been devoted to
10 assuring that the tech specs first matched the FSAR and
11 second, matched the plant.

12 You described some efforts that have been directed
13 towards completing that third base of the triangle, if
14 you will. That is, assuring that the as-built plant
15 meet the FSAR.

16 The sense I had was that those are somewhat less
17 comprehensive than the other two efforts, but I take it
18 you're satisfied that they are sufficiently
19 comprehensive to have identified any problems or any
20 mismatches between the FSAR and the as-built plant?

21 MR. EISENHUT: Yeah, I think I'm confident. And I
22 think, again, one of the key features that go into that
23 is the fact that this utility has now gone back and
24 used the G.E.s and the Bechtels to do a thorough
25 review.

1 They've looked at the unique features in this
2 plant, and as a broad umbrella, they've applied quality
3 assurance program to the process.

4 That gives me a lot more comfort than the previous
5 process.

6 COMMISSIONER ASSELSTINE: Have you required that
7 the licensee certify that the as-built plant matches
8 the FSAR?

9 MR. EISENHUT: Yes, we have. We have asked him
10 sort of the three-way certification of the triangle.
11 That final certification we expect some time in the
12 next couple of days.

13 I think the utility is recognizing the significance
14 of this, is waiting until he sees final typeset of
15 technical specifications, to again review the
16 replacement pages, now about a two-inch thick stack of
17 paper, and just in the retyping process, there is
18 undoubtedly some minor glitches.

19 He will be going through a detailed review process
20 of that informally certified.

21 COMMISSIONER ASSELSTINE: I take it those
22 certifications all around the triangle will have to be
23 made prior to any operation under a full power license.

24 MR. EISENHUT: That is correct.

25 MR. DENTON: It might be instructive just to look

1 at and focus on these numbers just for a moment, not
2 that they are the exact nature of them is that
3 important, but certainly the key ones to focus on are
4 the 34, where there are changes required to reflect the
5 as-built plant.

6 They are the most important out of this 220, and
7 it's important to recognize that the 51 are things
8 which have occurred since they were first issued in
9 1982, such as new reporting requirements, and the
10 utility nor the staff could have been aware in '82 of
11 what was going to happen in the regulatory field.

12 So those 51 shouldn't count as errors, so forth.
13 The 64 to enhance the tech specs, those things are more
14 to--many of those I wouldn't call errors, either, but
15 they make it clear, they either give operational
16 flexibility.

17 For example, I think we had one tech spec that said
18 in order to test a given pump, you have to start it up
19 and let it run.

20 Well, it turned out that pump runs continuously, so
21 you don't want a tech spec in which you'd shut it down
22 and then start it up to show. So you have some things
23 like that there in the tech specs.

24 Then some are administrative changes which have
25 occurred in the management of the utility since they

1 were issued. Others were to clarify what was ambiguous
2 tech spec could be interpreted several ways, and then
3 some were editorial.

4 So I don't think you should look upon the 220 as
5 being totally, that many areas in which the as-built
6 plant didn't reflect the application.

7 COMMISSIONER ASSELSTINE: Right.

8 MR. DENTON: It's more in the 30 or 40 range, and
9 you'll notice I did issue an order earlier in April
10 that made 22 changes.

11 So the total number of changes where the plant
12 didn't reflect the application is a combination of that
13 22 and 34 and there's some overlap in that area.

14 So it's probably more like 40 areas in which in
15 detail, such as the fuel grapple interlock where the
16 plant did not match the application, rather than the
17 220 or the 416 "problem areas" that were initially
18 examined.

19 COMMISSIONER ROBERTS: What size population does
20 the 416 come out of?

21 MR. EISENHUT: Literally thousands. If you start
22 counting with the way you count, you could certainly
23 have a mistake in every line of the page.

24 So it's a set of technical specifications probably
25 on the order of a 500-page document at least. So it's

1 a large number.

2 MR. DENTON: These tend to be areas not in the
3 safety limits part of the technical specifications, but
4 more in the limiting conditions for operation or in the
5 surveillance requirements for operation.

6 CHAIRMAN PALLADINO: But I notice that of the 416,
7 168 were items requiring no change. Why were they
8 included in the first place?

9 MR. DENTON: What we were using in the 406 is the
10 utility's--the number that they've identified as they
11 wanted to look into, and when they had their architect
12 engineer and their reactor vendor supplier do the
13 review, that was the number of problem areas that
14 required a hard look.

15 Then when they looked into them in detail, they
16 found a certain number did not require change, in fact.

17 COMMISSIONER BERNTHAL: I don't want to dwell much
18 on history here, since that's maybe not the principle
19 concern.

20 As a matter of curiosity, I would assume that the
21 architect engineer and the vendor provided considerable
22 assistance to the utility in the preparation of tech
23 specs, or maybe they didn't.

24 That's part of my question. The BWR-6 Mark 3 being
25 sort of the flagship of the new generation, next

1 generation, I should say, of BWRs, how did it happen
2 that we ran into this problem of so many errors in the
3 initial technical spec submittal to us?

4 Was there just insufficient cooperation or little
5 interest on the part of others that should have been
6 assisting the utility?

7 How did this happen?

8 MR. DENTON: I can give you my view on that,
9 Commissioner, and you might ask the utility their views
10 also.

11 But my view is the same as we transmitted back to
12 Congressman Marquee that there was--I don't think at
13 the time the management saw the tech specs as anything
14 more than one more set of paper we're sending the
15 Commission, and they did not treat it with the rigor
16 that they should have.

17 And secondly, it seems to have been handled in the
18 later stages of the review more by the home office than
19 by the operations staff.

20 And the home office just was not that familiar with
21 the details of the plant, as you would expect the plant
22 operations to have.

23 So it was a new utility, new to the nuclear
24 business, and therefore down in the detail
25 specifications, these things occur.

1 Likewise, the staff failed to recognize that this
2 was a first of a kind. We didn't assign it a lot of
3 attention any more then we did other plants, either.
4 And so we didn't catch these.

5 COMMISSIONER ASSELSTINE: Fred...

6 COMMISSIONER BERNTHAL: That speaks for the
7 utility, but it doesn't answer the question on who
8 might have also had an interest, since this was a
9 flagship for the next generation BWR.

10 Was there just very, very little interaction and
11 communication there?

12 MR. DENTON: You mean between the architect
13 engineer?

14 COMMISSIONER BERNTHAL: Architect engineer and the
15 vendor.

16 MR. DENTON: I asked that question, and I got the
17 feeling that the utility deliberately tried to take on
18 as much responsibility for this sort of thing as they
19 could and not rely on G.E. and Bechtel.

20 And in retrospect, that was perhaps not a correct
21 decision. The involvement was nothing like the
22 involvement that they've had in the present review of
23 the tech specs.

24 COMMISSIONER ASSELSTINE: The sense I had was that
25 you had the same kind of informal relationship between

1 the utility, the architect engineer, and reactor
2 manufacturer as you had between the utility and us, in
3 developing the tech specs.

4 I have to say that both the architect engineer and
5 the reactor manufacturer, I think, had valuable
6 experience since they had just completed a very similar
7 plant overseas and had been actively involved in
8 developing the tech specs.

9 I think this whole process would have gone more
10 smoothly if we'd had a set of standard technical
11 specifications for this type of plant submitted earlier
12 on, so that that could have been the basis from which
13 everybody worked, developing the technical
14 specifications for this plant.

15 MR. EISENHUT: I think you're right. There's one
16 other piece you need to remember, is that through most
17 of the 1970s, we had no standard tech specs.

18 The concept of standard tech specs for the very
19 first plant, which was a BWR-4 Mark 1 first came up and
20 was issued in 1978.

21 And remember again that these standard tech specs
22 are a very detailed document. They go through a rather
23 detailed review process, they go through the equivalent
24 of the CRGR.

25 This is not a process where you just adopt it per se.

1 So in the 1978 time frame, the BWR-4 tech specs
2 were being developed, the standard tech specs, on into
3 1979, '80, it was the BWR-5s.

4 And I just venture to guess, again, the people that
5 are doing this aren't here, but I would venture to
6 guess their attention was focusing on the lead plants.

7 But it's just, you look at it in retrospect, when
8 you're looking at a plant from 1982 or '81, whatever
9 time, the LaSalle plant was obviously getting more
10 attention.

11 In retrospect, I think we all agree that there
12 should have been more attention all the way around.
13 Ideally, you would have this thing on the bookshelf...

14 COMMISSIONER ASSELSTINE: Yes.

15 MR. EISENHUT: ...before you ever have to start
16 applying it to any plant down the road.

17 COMMISSIONER BERNTHAL: Well, that's just the point
18 that I wanted to make, that here everyone, I think, has
19 ended up with a little bit of a black eye in this whole
20 process, the NRC, the utility who had the honor and
21 then it turned out to be the misfortune of being the
22 flagship on a next generation plant, and perhaps the
23 architect engineer and the vendor as well.

24 There should be a lesson here that we all learn
25 from for the next time around, I think, on desirability

1 of standardized tech specs plant design.

2 MR. EISENHUT: If I could go on to slide number
3 nine, skip by the next two slides on tech specs, the
4 next issue I'd like to address is Transamerica diesel
5 valve, diesel generator.

6 It's really the diesel. In January of this year,
7 we had a generic meeting with a number of owners, the
8 owners of the TDI Diesels, and we reached the
9 conclusion at that point, we really didn't have enough
10 confidence to go forth in making licensing decisions
11 with TDI diesels without some additional work.

12 Earlier this year, the owners group put together,
13 they had even at that time started putting together a
14 very concerted, major effort to get their hands around
15 this problem.

16 The staff had developed and put together a project
17 group. Let me give you the bottom line, and then
18 I'd like to have the head of our staff project group on
19 the staff here give you a short summary.

20 We believe the progress is developed to date with
21 the programs and inspections and the reworks, we are
22 now confident that these diesels at Grand Gulf satisfy
23 the requirements.

24 With that sort of an overview, I'd like to turn it
25 over to Dr. Carl Burlinger of the staff, who is the

1 staff director of the project group we set up earlier
2 this year to bring this review together in a
3 concentrated effort.

4 DR. BERLINGER: Good morning. The TDI Project
5 Group was formed, as Darrell said, in January. We have
6 several staff members in-house, primary function is to
7 coordinate the review effort, but the primary technical
8 review work is being performed for the staff on the
9 contract with Battelle, Pacific Northwest Laboratory.

10 Battelle has put together a program and a
11 representative of Battelle is here. I'll give him an
12 opportunity to describe his organization and some of
13 the efforts that they have been performing on behalf of
14 the staff.

15 What I'd like to take an opportunity to describe
16 for you at the present time is the inspection which was
17 ordered to be conducted in an order dated May 22nd.

18 The need for the inspection stems from a review
19 conducted by our contractor at Battelle. Their review
20 of information provided by the licensee which built
21 upon what appeared in January and February to be a void
22 of information with regard to reliability of these
23 engines, was conducted in such a way that the owners
24 group had provided some information at a point in time
25 such as April of this year, '84.

1 That information was, in fact, either just recently
2 submitted from the standpoint of eight out of a planned
3 16 technical reports had been received by the staff.

4 But the staff had not had an opportunity to get
5 into the review of those reports to any great degree,
6 and the particular inspections which had been conducted
7 at the Grand Gulf nuclear plant in January and early
8 February of '84 had, in fact, been visual examinations.

9 They had not been detailed, non-destructive
10 examinations. They had not been the type of
11 inspections which had been recommended in some of the
12 reports that the owners group had submitted to the
13 staff for review.

14 In fact, some of the owners group reports which had
15 been submitted in March and early April had
16 recommended inspections be performed which, in fact,
17 were clearly not done on either particular components
18 which we deemed critical or in fact, the methods of
19 inspection that had been used on these inspections of
20 parts had, in fact, been far less than what the owners
21 group or the staff felt was adequate.

22 In addition, there were many parts within the
23 engine which had been operated. They had been operated
24 for a number of--several hundred hours, as a minimum,
25 and to date, some of these components have amassed

1 1,100 to 1,300 hours of operation. Several critical
2 components had never been non-destructively examined
3 since they had been put into operation.

4 These included pistons, connecting rod bearings,
5 connecting rods, wrist pin bushings, the engine block,
6 turbocharger, thrust bearings.

7 These are components which have been identified by
8 the owners group in the Phase I program as critical
9 components for which the potential existed for a
10 generic problem.

11 They are problems that actually have occurred in
12 nuclear facilities, in some non-nuclear facilities,
13 including marine applications and stationary electric
14 power generating units.

15 In addition, there had been inspections which had
16 been performed at both Shoreham and at Kataba. These
17 inspections, if they hadn't been completed 100%, were
18 near completed at the time which we were deliberating
19 with regard to Grand Gulf and the need for further
20 inspection.

21 The deficiencies which have been identified in
22 December and January and specifically discussed with
23 the owners group representatives in January, the
24 deficiencies in the quality assurance and quality
25 control at TDI had, in fact, made it difficult if not

1 impossible for us to say that the inspections performed
2 at other facilities could, in fact, be applied to Grand
3 Gulf.

4 There are just too many deficiencies for us to be
5 able to show that they were equivalent on a design and
6 construction basis to, say, a plant like Kataba, where
7 they have the same V-16 type engines.

8 Okay. At this time, I would like to introduce Dave
9 Dengy, who is with Battelle Northwest Laboratory, and
10 he can give you a description of PNL's involvement
11 since this spring.

12 Dr. Dengy is one of the managing personnel in
13 charge of this contract at Battelle, and he has brought
14 to the meeting today one of our diesel engine
15 consultants, Adam Hendrix, who is employed by Battelle.

16 I'm sure if you have any specific questions during
17 their presentation, they'd be glad to try and answer
18 them for you.

19 COMMISSIONER ASSELSTINE: Just before you do that,
20 I have more of a general question that maybe you can
21 address and then maybe they can follow up on with
22 specifics.

23 As I understood it, the staff response based upon
24 our consultant's expert advice to the owners group
25 report was intended to serve as the basis for interim

1 licensing for plants. I gather that there are still a
2 number of open issues at least as far as our expert
3 consultants are concerned regarding the owners group
4 responses in various areas concerning the diesels.

5 I have a couple of them in particular that I'm
6 interested in. The staff is in the position today of
7 saying, "You can go ahead and license Grand Gulf
8 without having reached a resolution on those open
9 items."

10 And I guess what I'm trying to get a sense for is
11 the basis for that judgment in light of the fact that
12 in some areas, at least, the owners group information
13 that's been submitted so far hasn't proved to fully
14 resolve all the issues to the staff's satisfaction.

15 MR. DENTON: Commissioner, we're on the verge of
16 approving the overall owners group program and the
17 issues that are left, to the extent they apply to Grand
18 Gulf, have been taken into account. But let me ask
19 Carl to answer that.

20 DR. BERLINGER: Thank you, Harold. The owners
21 group program plan has been under review since it was
22 submitted early March.

23 The consultants at Pacific Northwest Laboratory
24 have submitted their report, which addresses the
25 program plan.

1 They have drawn certain conclusions and made
2 specific recommendations. That report is in our hands
3 and we are in the process of finalizing a staff safety
4 evaluation report which will specifically address the
5 adequacy of the overall owners group program plan to
6 solve and address the entire issue in total.

7 But in addition, it also addresses the owners group
8 proposal as a basis for interim licensing, interim
9 meaning between now and when the entire owners group
10 program plan has been completed and implemented, all
11 the recommendations from both the owners group and the
12 staff have been implemented by the utilities.

13 The conclusion that we have drawn at this point in
14 our review, which is basically finished, with regard to
15 program plan, is that although some of the technical
16 reports, we have not completed our review, we feel
17 confident at this stage that we can go forward on the
18 basis of the technical analyses that have been
19 submitted as part of their Phase I program.

20 However, that alone cannot stand by itself. The
21 Phase I technical reports really must be supplemented
22 with the tear-down and inspection of one of the engines
23 at each of the installations, to verify the condition
24 of those engines prior to allowing the plant to
25 operate.

1 In addition, any other diesels at that site which
2 would be depended upon by the utility in the event of
3 off-site power or similar event, would have to be shown
4 to be essentially equivalent in design construction and
5 basically by reviewing the quality assurance records at
6 TDI, the manufacturer and their own quality assurance
7 and quality control records at the utilities, they are
8 being asked to justify that engine B is representative
9 by engine A at a particular site.

10 In addition, there is specific need for enhanced
11 maintenance and surveillance programs. These programs
12 are absolutely necessary to assure that the condition
13 of the diesels is maintained at a level which we are
14 assured of by the inspection throughout, say, the first
15 refueling cycle, 18 months.

16 Basically, we're saying that we can go forward with
17 the licensing of these plants because on the basis of
18 our review and our inspections and maintenance and
19 surveillance programs that have been, especially in the
20 Grand Gulf case, been totally adopted by the utility,
21 that we have an adequate basis that the engines do
22 provide reliable service and satisfy GDC-17.

23 COMMISSIONER ASSELSTINE: So you're basically
24 saying as far as the owners group proposal is
25 concerned, at least you have reached a consensus and

1 our expert consultants have as well, on an interim
2 approach that you believe is satisfactory for a period
3 of time.

4 DR. BERLINGER: That is correct.

5 COMMISSIONER ASSELSTINE: In every area that the
6 consultants have concerns about the owners group
7 proposal.

8 DR. BERLINGER: That is correct.

9 COMMISSIONER ASSELSTINE: And involves not only the
10 material that they've submitted, but also the kind of
11 inspection that is required in this particular case.

12 DR. BERLINGER: Yes. And it's extremely important
13 for us in the area of maintenance and surveillance
14 requirements.

15 For instance, surveillance requirements that we
16 have specified be adopted by all of the utilities is
17 what is called a barring over or engine air roll,
18 and this is conducted prior to planned operation of the
19 engine, which is done periodically in accordance with
20 tech specs, once a month or every 18 months.

21 The requirement for the air roll is to verify that
22 there are no water jacket leaks into the engine, into
23 the cylinders.

24 So that head cracks or cylinder liner cracks or
25 gasket leaks could be detected and corrected prior to

1 running the engine and putting it in an undue stressful
2 situation.

3 As a result of an air roll which was conducted
4 within a last few days prior to some surveillance
5 testing at Grand Gulf, there was water noted in one
6 cylinder, and as a result of this procedure, that
7 cylinder head, which was discovered to have a crack in
8 it, has been replaced so that this is the type of
9 maintenance and surveillance which we're looking at,
10 which is really a hard type maintenance and
11 surveillance, where we monitor lube oil quality to look
12 for problems like bearing wear or look for problems
13 such as water leaks into the crankcase.

14 COMMISSIONER ASSELSTINE: There were two areas, in
15 particular, when I read through the supporting
16 material, that you all had supplied that I was
17 interested in that seemed particularly relevant to
18 Grand Gulf.

19 One of them was the crankshaft cracks, and the
20 other was the cylinder head cracks that I guess you
21 just talked about.

22 Was the cylinder head that you found the cracks in
23 in the diesel that was inspected or in the diesel that
24 was not inspected?

25 DR. BERLINGER: I think it was in the Division One

1 diesel.

2 COMMISSIONER ASSELSTINE: The one that was
3 inspected.

4 DR. BERLINGER: That was inspected.

5 COMMISSIONER ASSELSTINE: Does that mean that
6 that's a new crack that appeared after the inspection
7 was done?

8 DR. BERLINGER: Not necessarily. The crack
9 occurred in a place which has never been found to have
10 failed in the past in any of the TDI engines in nuclear
11 service.

12 And even the records for some of the non-nuclear
13 service, there's no indication that a crack has
14 occurred in a similar location.

15 The location is really not on the surface, the
16 internal surface, within the cylinder cavity. It's
17 back behind in the exhaust port area, behind the valve
18 seat up into the area where the valve stem is located
19 or passes.

20 It's possible, although we don't have any
21 confirmatory information at this time, that that could
22 have been a casting defect or problem which may have
23 existed but which may not have been leaking in the
24 past.

25 COMMISSIONER ASSELSTINE: Do we know enough about

1 why the inspection didn't identify this problem to
2 still have confidence in the accuracy and adequacy
3 of the inspection that was done on the Division One
4 diesel?

5 DR. BERLINGER: For two reasons. The inspections
6 which we requested were looking for specific problems,
7 and most of the non-destructive examinations that were
8 conducted not only at Grand Gulf but at other utility
9 sites were in those areas where we knew that known
10 problems had occurred before.

11 In addition, we are required to do a general
12 inspection, which is more than just visual. The
13 particular crack which occurred in the last few days or
14 has been identified in the last few days, was in fact
15 not in an obviously visible location.

16 In order to observe the crack, you had to use a
17 boroscope techniques to see inside the head.

18 COMMISSIONER ASSELSTINE: Do we know enough about
19 what causes these cracks in the cylinder heads and the
20 crankshafts to be satisfied that just the inspection of
21 Division One diesel is good enough, that having
22 inspected the Division One diesel and not found these
23 problems, and having been able to relate the
24 manufacturing and QA records of Division Two to
25 Division One, that there's not also a need to conduct

1 the same kind of inspection for the Division Two
2 diesel, particularly now in light of the crack you
3 found in the Division One head?

4 DR. BERLINGER: To respond to your comment and
5 question, it would be appropriate for me to ask Dave
6 Dengy to come up.

7 COMMISSIONER ASSELSTINE: Okay.

8 DR. BERLINGER: That was specifically one of the
9 items in which Battelle provided the staff support.

10 COMMISSIONER ASSELSTINE: I have one other
11 question. Let me ask it, and then maybe he can address
12 both of those.

13 I know that another utility went ahead and took the
14 step of replacing all of the cylinder heads on their V-16
15 diesel.

16 When I visited that plant, I was told, "Look, we're
17 just not going to fool with it. We want to make sure
18 that we don't have problems in this area. We're going
19 to replace them all."

20 Why isn't that the preferred course? I gather it
21 was a redesigned, modified, upgraded cylinder head.

22 DR. BERLINGER: TDI has developed over the years, I
23 think, three cylinder head designs. I think they call
24 them Model 1, 2, and 3.

25 COMMISSIONER ASSELSTINE: Yes. These are all ones.

1 DR. BERLINGER: Pardon?

2 COMMISSIONER ASSELSTINE: These are all ones,
3 right? At Grand Gulf I think that's what...

4 DR. BERLINGER: I don't know for sure. I think
5 they are. I think they're early models.

6 COMMISSIONER ASSELSTINE: Yes.

7 DR. BERLINGER: I think at this time, Dave, I could
8 use some details from you.

9 MR. DENTON: I think it would be useful if you'd
10 describe the composition of your review team and the
11 expertise that you've been able to bring to bear on
12 this issue.

13 DR. DENGY: I'm Dave Dengy from PNL. The PNL
14 organization was called into this program in late
15 February, early March. At that time we set up an
16 organization consisting of the technical disciplines
17 that we thought would be needed to support the program,
18 namely, metallurgists, stress analysts, and non-
19 destructive evaluation experts, as well as leading
20 project engineers throughout the organization to take
21 on various elements of the program.

22 The program was guided by the director's office and
23 we have a senior review board, consisting of three
24 members of the director's office, as well as our
25 project manager.

1 I'm the deputy project manager. And our first task
2 was to bring in the consultants or technical expertise
3 in the diesel engines.

4 It's not something that PNL had, nor do I think any
5 other laboratory has on hand.

6 So we went out very aggressively to find
7 consultants both within the U.S. and as far abroad as
8 we felt we should go to get an adequate number of
9 diesel experts.

10 At this time, we have about ten individual
11 consultants and, I believe, four organizations from
12 England, from Norway, from Canada, and organizations
13 here in the U.S., as well as the ten individual
14 consultants, many of whom are retired and have the time
15 available to devote and dedicate to this program on an
16 extended basis.

17 The program was then organized to respond
18 immediately to several tasks at once, one being the
19 owners group plan that was given to us, and we had
20 provided an evaluation of that plan to help NRC provide
21 them a technical basis for establishing an interaction
22 with the owners group regarding that plan.

23 That report was issued recently. It has a section
24 that I think Carl has referred to, that deals with
25 interim licensing.

1
2 That is, plants that we knew were coming onstream
3 or would like to come onstream for licensing action
4 before the owners group had completed its program,
5 which program might take still many months for
6 completion.

7 I think he's alluded to or referred to the areas
8 where we felt we could take interim action and what
9 sort of requirements we would need for that.

10 At the same time, we took on the job of looking at
11 plants' specific requests, such as the Mississippi
12 Power & Light request.

13 We entered that with the February 20th submittal
14 from Mississippi Power & Light, where they identified
15 their inspection program, their proposed testing
16 program, and to some extent, a proposed maintenance
17 program.

18 We responded immediately and interacted with NRC
19 and our consultants at that time. We brought four
20 consultants in from England, from Norway, two from the
21 U.S. to review that program that Mississippi Power &
22 Light had given us.

23 We felt it was inadequate on a number of bases. We
24 told NRC of the inadequacies and that was subsequently
25 communicated.

Over a period of several weeks on interactions, we

1 went to the meetings, attended the meetings between NRC
2 and MP&L and participated as needed to form viewpoints
3 on site at those meetings.
4

5 Subsequently, the order went out to tear the
6 engine down. That was, of course, in accordance with
7 our recommendations as well.

8 We attended the engine tear-down inspection, looked
9 at the results, and formed our own view and provided
10 NRC with our findings relevant to that tear-down
11 inspection.

12 And so that's sort of the technical basis for the
13 kind of organization we have and the technical basis
14 for forming our judgments based on our own staff
15 metallurgists, stress analysts, and consultants, with
16 large emphasis on the consultants' views.

17 CHAIRMAN PALLADINO: Are you satisfied that the
18 surveillance program would disclose any cracks in the
19 head in time enough to prevent malfunctioning of the
20 diesel?

21 DR. DENGY: Yes, I am, and the procedure is that
22 after the engine is run, before the engine or just as
23 the engine cools down until it reaches a steady state,
24 any cracks that have been closed because of the thermal
25 expansion would open up.

So after about four hours, the first time you can

1
2 reasonably get in there and look for cracks, we require
3 the engine barring a roll over, to see if there's any
4 water leaks that have developed.

5 We then ask that that be done within 24 hours, and
6 then there is strong confidence beyond that time if
7 no cracks develop, that it won't develop subsequently.

8 So then before every plant start, you would go
9 through a normal barring over or roll over to make sure
10 that that's true, so it can be--there are three time
11 scales, four hour, 24 hour and then every time before
12 the engine is started.

13 CHAIRMAN PALLADINO: Was the cracked head replaced
14 with a Model 1, 2, or 3?

15 DR. DENGY: I don't know.

16 CHAIRMAN PALLADINO: Do you know?

17 DR. BERLINGER: We haven't been provided with
18 enough information to identify specifically the model
19 head that was put in.

20 CHAIRMAN PALLADINO: I understand that disassembly
21 also disclosed some difficulties with cap screws and
22 turbochargers.

23 Is that significant? I wasn't sure.

24 DR. DENGY: Yes, it was significant, and we had the
25 turbochargers sent back to Elliot for a complete
refurbishment.

1 We recommended that, and MP&L subsequently did that
2 to return the turbochargers to essentially new
3 condition.

4 MR. EISENHUT: Mr. Chairman, that wasn't something
5 that was like this other issue which was found in the
6 last couple of days.

7 CHAIRMAN PALLADINO: I understand that. That was
8 during the disassembly.

9 DR. DENGY: We reviewed their report on that, and
10 it was a stress corrosion or defect or cracking that
11 occurred in the bolts, and we think there's adequate
12 action taken to prevent that.

13 We've recommended to NRC that any licensing action
14 for the first refueling cycle would be appropriate.

15 COMMISSIONER ASSELSTINE: Does the identification
16 of this new crack in any way alter your confidence in
17 the inspection?

18 DR. DENGY: No. The crack occurred in an area, as
19 Carl said, that wasn't normally thought of as an area
20 having any particular stress.

21 And it wasn't part of their original inspection, so
22 not being part of the original inspection, it wouldn't
23 have been found.

24 And it isn't one where we would have expected it.
25 I have not seen a report on the causes or anything else

1 at this point in time.

2 It's relatively new to me.

3 COMMISSIONER ASSELSTINE: What's the basis for your
4 confidence that the inspection from the Division One
5 diesel is sufficient as far as the Division Two diesel?

6 I noted in particular, for example, you talked in
7 your report about the crankshaft failures.

8 One of those you couldn't identify the cause of
9 previous crankshaft failures. So to what extent can
10 you draw confidence that having inspected Division One,
11 that's good enough, as long as you can also trace the
12 quality assurance records and the other records for
13 Division two as well?

14 (Note: Commissioner Roberts leaves the meeting at this
15 time.)

16 DR. DENGY: Well, the basis for accepting Division
17 Two without tear-down inspection was basically it had
18 fewer hours under comparable maintenance and
19 surveillance procedures as engine one, so engine one
20 would have had the most damage, if you will.

21 And there was nothing on engine one tear-down
22 inspection that seemed to suggest that there was a
23 problem, that engine two should be torn down or
24 inspected.

25 So that provided we didn't get anything suspicious,

1 that is, something that looks like, gee, this is a
2 problem peculiar to that particular engine or peculiar
3 to MP&L's maintenance, surveillance procedures, and
4 they could show the adequacy of the records to convince
5 us that engine two and engine one were built to the
6 same specs, had the same material, quality control,
7 manufacturing, installation quality control, which they
8 provide us with a report on that, we felt that that
9 tear-down would not be necessary.

10 COMMISSIONER ASSELSTINE: Given the fact that most
11 all the cracks in the heads have occurred in the group
12 one heads, why isn't it just a prudent thing to do to
13 replace all of the group one heads with the upgraded
14 heads that haven't had the same kind of significant
15 problems?

16 DR. DENGY: I feel that the group one heads have
17 had a reasonable positive survival in other
18 applications, so it's reasonable to expect that they
19 might be acceptable in this application as well.

20 Other utilities have replaced them. It wasn't a
21 requirement.

22 CHAIRMAN PALLADINO: Any more? Okay.

23 MR. EISENHUT: I'd like to go to the next slide. I
24 put this slide in for consistency. You will recall
25 that in May, there was a Shoreham order, and it turns

1 out a couple of days later than that, we informed
2 Mississippi Power and Light of the need for an
3 exemption in connection with the diesel inspection,
4 that we had determined they did not meet GDC-17.

5 We sort of cast that upon them. We also told them
6 at that time to address exigency and as-safe-as. They
7 did file the exemption as we requested. They filed it
8 on June 4, 1984.

9 The staff shortly after starting that review until
10 up until last Wednesday was engaged in a very detailed
11 review of as-safe-as, which, to give you an idea on the
12 extreme, we had the utility back redoing those
13 calculations.

14 We're to the point where we think, of course,
15 depending on today's meeting, upon the issuance of the
16 full power license, the need for that exemption is a
17 moot point, and we would propose no further action be
18 taken on that matter.

19 COMMISSIONER ASSELSTINE: You're conclusion, then,
20 is the plant with these diesel generators meets GDC-17.

21 MR. DENTON: That's correct.

22 MR. EISENHUT: That is correct. If I can go to the
23 next slide.

24 COMMISSIONER ASSELSTINE: I have one other related
25 question on diesels. This came out of my visit to the

1 plant. That had to do with the extent of testing that
2 we require these diesels.

3 One of the things I was told by the utility was
4 that the actual load on the diesels at Grand Gulf was
5 about 70%, but that our requirements force them to test
6 these diesels at 110% of capacity.

7 I guess I wondered whether that's something that is
8 being looked at in terms of the overall review of
9 diesel testing requirements.

10 Their point to me was running a diesel engine at
11 110% of rated capacity puts a great deal of strain on
12 the engine itself and may not be necessary, given the
13 lower load for that particular plant.

14 Is that something that you all are looking at as a
15 general matter?

16 MR. EISENHUT: Yes, it is, but as a general matter,
17 though, we recognize that the emergency loads on a
18 diesel may only be something on the order of 70%.

19 As time goes on, following an event where you need
20 those, there are a number of house loads that normally
21 get put on to this, or number of non-essential loads
22 that normally get on, to bring it considerably above
23 the 70%.

24 In fact, pre- the situation I'm told that in the
25 Grand Gulf situation is actually up in the order of

1 90%. For this exercise, on these diesels, with the
2 corrected situation, we are, I believe, by this tech
3 spec amendment, dropping that testing limit to a lower
4 level such that we don't overstress the diesel.

5 MR. DENTON: This has been the subject of a lot of
6 discussion between the industry and ourselves, because
7 obviously if you don't push it toward its nameplate's
8 rating, the survival and the stresses are much lower
9 than you'd get from running it high.

10 So I think that whole area is under examination,
11 and in fact, we have recently concluded we should relax
12 some of our requirements for fast start, full load
13 test, because of that same sort of consideration that
14 we were perhaps wearing them out rather than gaining
15 the confidence of them.

16 MR. DIRCKS: I think generically we are taking a
17 look at all of our testing requirements. We're
18 beginning to take a look.

19 We do have a lot of testing requirements not only
20 in diesels, but across the board. We do have tests
21 required, that people are beginning to wonder whether
22 we might not be reducing safety margins by this
23 constant testing procedure we go through.

24 MR. DENTON: If you'd like, we could come back and
25 talk further about that issue. We don't have a final

1 resolution of it, but it is an important issue.

2 We're looking at it across the board, and will
3 probably be resolved in the course of our completing
4 this overall diesel review.

5 COMMISSIONER ASSELSTINE: I think that would be
6 useful at some point.

7 CHAIRMAN PALLADINO: All right. Maybe that's
8 enough on that for the moment, unless you have more.
9 Okay.

10 MR. EISENHUT: If I could go to the next slide.
11 I'm sorry, this is on shift advisors. This flows from
12 a previous Commission discussion and meetings on the
13 lack of hot operating experience on shift at a number
14 of plants.

15 Recall that on Diablo Canyon, we had a review there
16 of the industry group going in, reviewing the shift
17 advisor program, and the staff went in and also did a
18 review.

19 The situation here is pretty much the same in the
20 sense that the industry go in in April, 1984. I
21 believe it was the same head of the team that was used
22 at Diablo Canyon.

23 They reviewed all aspects of the shift areas,
24 interfaces, between the shift and the advisors, the
25 procedures.

1 They found the program was an adequate program.
2 The NRC went in and also reviewed that training
3 program and came up with similar findings.

4 We find the situation here was an inadequate
5 situation. The next slide...

6 COMMISSIONER ASSELSTINE: Before you leave that
7 one, Darrell, just a couple of questions on shift
8 advisors.

9 The sense I had when I visited the plant and talked
10 to a couple of the shift advisors was that their
11 training had been evolving at this plant, as so many
12 things seemed to have, and had gotten much more
13 detailed and more targeted towards the surveillance
14 requirements, the technical specifications, the
15 knowledge of the plant itself fairly recently.

16 The earlier training had not been as in-depth as
17 the more recent efforts. Is that the same sense that
18 your review teams had?

19 And what confidence do you have in the training in
20 the qualification exams for the earlier shift advisors
21 that were approved, perhaps at an earlier point?

22 I guess I'm particularly concerned about that
23 because I gather that the examinations that were given
24 were oral and weren't written examinations.

25 So how do you base your confidence on the training

1 and qualifications and certification, particularly of
2 the early shift advisors?

3 (Note: Commissioner Roberts returns to meeting.)

4 MR. THOMPSON: Hugh Thompson, of the NRC staff.
5 Commissioner Asselstine, we did look at the training
6 programs, in fact, looked at typical written
7 examinations.

8 You might notice in our evaluation that we did
9 evaluate the written examinations for the emergency
10 assessment, the systems, and the accident management
11 portions for core mitigations.

12 So these were evaluated by the NRC headquarters
13 staff. The Region II audited one of the advisors on
14 the OTEC board examinations and concluded that based on
15 his observations, that the examination was effective,
16 thorough, and provided a sufficient level of
17 confidence.

18 I should note that these advisors in fact were on
19 shift approximately 18 months, which is well before the
20 role of the advisors when the issue really was defined.

21 And so it was reasonable to expect that an
22 enhancement of their training programs would be needed
23 to really ensure that they had the knowledge of the
24 plant systems, procedures, and the tech specs as we
25 approved the overall industry program.

So I think, based on our review of the

1 examinations, the fact that these advisors had actually
2 been on shift and integrated into a crew considerably
3 more than the Diablo Canyon individuals were, the fact
4 that the training program was reviewed for scope and
5 depth by a similar team that looked at Diablo Canyon,
6 gives me more than adequate confidence that their
7 training and the examinations portion was adequate.

8 CHAIRMAN PALLADINO: I gather these individuals
9 also participated in a simulator training program.

10 MR. THOMPSON: Yes, I was going to note that they
11 had.

12 CHAIRMAN PALLADINO: Do they have to pass tests in
13 that area as well? Go ahead.

14 MR. THOMPSON: Remember one of the issues was that
15 if they had a simulator, they were administered a
16 simulator performance exam.

17 They were administered the simulator performance
18 exam. We looked at the areas covered by that
19 examination sheet.

20 We also looked at the oral examination OTEC board
21 for each of the individuals, so they got both a
22 simulator and an oral board examination, which in fact
23 was more than the industry commital.

24 They also had more experience. Each of the
25 operators had at least three years of commercial

1 licensed operator experience, whereas the industry
2 standard is one.

3 So I think they're a good bit more experienced, and
4 we, of course, have found some areas that we
5 recommended that they enhance and improve.

6 The Region II inspection audit identified the
7 reading requirement to make sure they kept current with
8 any plant changes, and that was implemented, as well as
9 the changes to ensure that they were trained with the
10 crew, on a five-shift rotation. So those areas were
11 identified.

12 COMMISSIONER ASSELSTINE: Was this a formal enough
13 training program? I gather a good part of it was self-
14 study as opposed to a more structured training program.
15 Was it formal enough, do you think?

16 MR. THOMPSON: Well, I think the--I guess the
17 formality kind of depends on the level of experience
18 these individuals had.

19 We found it adequate. Whether it's better to be a
20 more formal program, I think it obviously would be
21 better to have a more formal training program.

22 But we found it adequate, particularly in light of
23 the examination portions that gave us the assurance
24 that they knew what they were supposed to be doing.

25 COMMISSIONER ASSELSTINE: I have to say that the

1 two I talked with certainly were very experienced, and
2 also really seemed to be built into the functioning of
3 the shift.

4 MR. THOMPSON: They're probably better integrated
5 than many of the advisors than the other plants that
6 we've seen.

7 CHAIRMAN PALLADINO: I talked to one of them in
8 some depth, and I was similarly impressed. They do
9 work with the shift, and they are part of a shift, and
10 they get to know and participate in all the activities.

11 MR. THOMPSON: Right.

12 CHAIRMAN PALLADINO: With the other members.

13 MR. THOMPSON: In fact, I think there was a period
14 of time where they, in fact, were acting shift
15 supervisors before the plant was licensed.

16 COMMISSIONER BERNTHAL: Hugh, that was precisely
17 the point I wanted to ask about. I'm looking at the
18 memorandum from Bruce Wilson, where he indicates--I'm
19 not sure I've read it all, but that each of these
20 people has had at least one year as an SRO and a
21 supervisory capacity?

22 MR. THOMPSON: That's correct.

23 COMMISSIONER BERNTHAL: And LWR, is that correct?

24 MR. THOMPSON: That's correct. Each of them have
25 had at least one year and in fact all except one have

1 had more than one year.

2 They've had as many as six years license as an SRO
3 with experience level totalling up to 13 years of
4 licensed on an operating BWR.

5 That's excluding the time at Grand Gulf.

6 COMMISSIONER BERNTHAL: Thank you.

7 COMMISSIONER ASSELSTINE: Our inspections, I guess,
8 had identified some concerns or weaknesses in the
9 training, including the continuous training of the
10 shift advisors.

11 Have all those problems now been taken care of? I
12 gather one in particular was, the shift advisors were
13 only participating in the simulator portion of the
14 routine training program where the shift is rotated out
15 in training.

16 MR. DENTON: We're going to address that in our
17 discussions.

18 COMMISSIONER ASSELSTINE: Good.

19 CHAIRMAN PALLADINO: All right. Can we go on?

20 MR. O'REILLY: Yes. If I could go to the next
21 slide, this is a summary report covering a number of
22 subjects.

23 I have brought several of my staff with me today,
24 and the speakers will be three division directors and
25 also our senior resident inspector.

1 CHAIRMAN PALLADINO: Excuse me. For planning
2 purposes, can you estimate about how long?

3 MR. O'REILLY: I estimate that they should
4 complete, the whole discussion should be completed in
5 20 minutes.

6 CHAIRMAN PALLADINO: In 20 minutes. And then there
7 are questions by the Commission.

8 COMMISSIONER ASSELSTINE: Yes.

9 CHAIRMAN PALLADINO: Let me find out from the
10 Commission what its wishes are. I would suggest we
11 continue going to no later than 1:00 o'clock, but I'll
12 leave that up to...

13 COMMISSIONER ASSELSTINE: Fine. That's fine with
14 me.

15 CHAIRMAN PALLADINO: All right. Okay. But if we
16 can finish before that, I think that includes the
17 voting and all the statements that people might want to
18 make.

19 MR. O'REILLY: The staff has concluded that the
20 qualifications of the operating staff at Grand Gulf and
21 find that they're qualified to operate the plant
22 safely.

23 Aggressive inspection on the part of Region II and
24 the operator examination program identified significant
25 deficiencies and raised substantive questions regarding

1 the effectiveness of MP&L's management of their
2 nuclear-operated programs.

3 However, lengthly, costly, and effective actions
4 have been taken by MP&L to address these problems. As
5 a result of these actions, route causes have been
6 eliminated and managerial changes have been made to
7 minimize the likelihood of their recurrence.

8 I would like to go through quickly and I'd like my
9 staff to address the major issues that have come up
10 before the Commission for substance to the material.

11 MR. LEWIS: Okay. Gentlemen, my name is Dick
12 Lewis. I'm director of projects, Region II, and since
13 issuance of the low power license to Grand Gulf, there
14 have been major improvements at the facility in keeping
15 with corporate level changes that you're aware of from
16 discussions, there have been extensive changes in
17 management personnel at the site during this period of
18 time.

19 Mr. Jim Cross is the general manager at the Grand
20 Gulf facility. He has previous operations management
21 experience with TVA.

22 We evaluate him to be a valuable asset to the MP&L
23 organization. In addition to that, there have also
24 been three management positions created during this
25 period of time.

1 The operations manager has previous SRO BWR
2 experience and is a degreed individual. The other two
3 managers, the manager of maintenance and manager of
4 support, are new individuals in this position, of whom
5 we evaluate to be capable of bringing about improvement
6 in both of these areas.

7 There is also a new training superintendent that
8 has reported in at Grand Gulf and has experience with
9 another facility before coming in to Grand Gulf.

10 With these site and corporate management changes,
11 we have noted that there is improvement in the quality
12 of plant performance.

13 There is improvement in the adherence to facility
14 procedures. There is improvement in morale in the
15 operating organization with accompanying positive
16 attitudes.

17 We note this in the appearance of the plant and in
18 the responsiveness to NRC's suggestions and
19 initiatives.

20 Since the issuance of the low power license on June
21 16, 1982, Region II has conducted about 11,300 hours of
22 inspection, which represents about 200% over that which
23 was budgeted.

24 Our inspectors did witness the low power testing
25 program at this facility and we evaluated the low power

1 testing activities to have been conducted in a safe,
2 deliberate and professional manner, and we considered
3 them to have been completed very successfully.

4 In a previous Commission briefing, we discussed the
5 SELP, and at that time you asked that we update you
6 before the full power license.

7 Let me reiterate that the SELP is the Systematic
8 Assessment of Licensee Performance Program, is a
9 snapshot of a licensee's performance for a specific
10 period of time of their performance in the past.

11 In most cases, if improvement is required, this
12 improvement has already been taken by the time that the
13 SELP process is completed or is in the process of being
14 completed.

15 To quickly go through this, a category one is a top
16 performer. Top licensee performer means they're doing
17 everything right.

18 And for category one at Grand Gulf during that
19 evaluation period which was for the period of September
20 '82 through September '83, which was the last formal
21 SELP, there were considered in emergency preparedness
22 to be a category one.

23 A category two is where licensee activities are
24 considered to be fully satisfactory. In the area of
25 category two, we considered radiological controls, fire

1 protection, and security to fall into this category.

2 Category three is defined by our program as where
3 licensee activities are adequate to assure safe
4 operation of the facility, but the licensee is not
5 achieving at the level we think they're capable of
6 achieving.

7 In other words, we think that corporate plant
8 management personnel need to focus attention in this
9 area to bring about improvement in the performance.

10 But it is still satisfactory to assure protection
11 to the health and safety of the public.

12 Areas that we evaluated to be category three during
13 this SELP period were plant operations. And let me add
14 here that we believe that we are tougher raters in the
15 area of licensee performance than any of the other
16 regions.

17 (Laughter.)

18 COMMISSIONER ASSELSTINE: With all due respect, you
19 might get an argument on that in some places.

20 MR. LEWIS: I have statistics.

21 (Laughter.)

22 MR. LEWIS: Okay. In the area of plant operations,
23 we considered them to be a category three, but we also
24 consider 26% of our other plants in Region II to be a
25 category three.

1 The other two major regions, one has no category
2 three, and one has 10% category three.

3 COMMISSIONER BERNTHAL: Are you suggesting that
4 we've got a grade inflation within this agency?

5 (Laughter.)

6 MR. LEWIS: No, sir. We believe that if there is
7 need to improve, that we're quick to point it out, and
8 the licensee, we believe, is quick to respond to that
9 improvement.

10 In the area of maintenance, we evaluated that to be
11 a category three, 27% of our other plants in Region II
12 in maintenance we considered to be category threes.

13 That is for this time period, the same time period
14 that we evaluated Grand Gulf.

15 In the area of surveillance, we consider that to be
16 a category three, and 20% of our other facilities are
17 considered to be category threes.

18 Quality assurance we consider to be a category
19 three at Grand Gulf. 38% of our other facilities are
20 also considered to be a category three in this area.

21 In the area of licensing activities, we consider
22 that to be a category three. 20% of our other
23 facilities are considered to be a category three.

24 Since this self-evaluation program was for a time
25 period of September '82 through September '83, I'd like

1 to give you a quick update on those category three
2 items, as our inspectors and our supervisors have
3 evaluated the performance since that time period.

4 CHAIRMAN PALLADINO: Can I ask a question with
5 regard to the SELP for the period ending September
6 30th?

7 The report says that the "implementation of the QA
8 program at Grand Gulf is inadequate to identify
9 problems and/or ineffective in bringing about adequate
10 corrective actions."

11 What is the basis for determining the problems not
12 identified or resolved as a result of QA shortcomings
13 during this period as subsequently has been identified
14 and/or resolved?

15 MR. LEWIS: The bases for coming up with that type
16 of categorization and when I get to QA, I would state
17 that they have what we consider to be an above average
18 QA program.

19 The problem falls in...

20 CHAIRMAN PALLADINO: I thought you said that...

21 MR. LEWIS: ...implementation.

22 CHAIRMAN PALLADINO: In the SELP period, you said
23 it was three, if I heard you right.

24 MR. LEWIS: Yes. Overall, it is the category
25 three, and it is considered to be a category three

1 because they did not properly implement the program.
2 They did not identify the problems in the technical
3 specifications.

4 They did not identify the procedure inadequacies.
5 They did not identify the surveillance deficiencies and
6 so forth.

7 Whereas, we identified them and their QA program
8 should have, had it been a functioning organization.
9 That's why they were considered to be a category three,
10 sir.

11 CHAIRMAN PALLADINO: So have they improved? How do
12 we know that?

13 MR. LEWIS: Yes, sir. If I might, I'll go through
14 those areas that we evaluated to be a category three.
15 In the area of reactor operations, MP&L has completed
16 the major operator recertification program.

17 They have completed an extensive operational
18 enhancement program. They have completed simulator
19 training for all operations personnel.

20 They have replaced line supervisors. They have
21 recruited extensively for experienced managers. They
22 did complete an excellent low power test program.

23 And overall, we conclude since the completion of
24 that SELP, that there has been significant improvement
25 in this area.

1 In the area of maintenance, the mechanical and
2 electrical maintenance supervisors have been changed.
3 They have conducted specialized training in the area of
4 maintenance.

5 We have observed good performance in specific
6 maintenance-related activities.

7 There have been no recent violations identified in
8 the area of maintenance, and we expect in this area
9 that on the trend they're on, that there would be
10 improvement in the SELP during our next formal SELP.

11 In the area of surveillance which was considered to
12 be a category three, the completed review and extensive
13 revisions to the surveillance procedures in conjunction
14 with the management stressing, meticulous compliance
15 with procedures is evident by the improved performance
16 in this area.

17 In the area of quality assurance, as I stated
18 earlier, we evaluate MP&L and did at that time to have
19 a better than average QA program, but implementation
20 was not adequate, in that they were not identifying the
21 problems, and if the problems were identified, they
22 were not bringing corrective, timely solution to those
23 problems.

24 We have noted that their QA program does more
25 direct observation in the field. We have also noted

1 that their audits are in greater depth than what they
2 used to be.

3 We believe the changes will bring about the
4 improvement that we expect from a licensee, and we will
5 continue to place inspection and manage emphasis in
6 this area of quality assurance.

7 In the area of licensing activities, upper
8 management involvement in handling the licensing
9 activities has been observed by our people.

10 An example of the improvement in licensing
11 activities is evident in the extensive work that has
12 gone on and submittals in the area of diesel generators
13 and technical specifications.

14 In conclusion, we have completed the defined
15 inspection program, and the open items at Grand Gulf
16 and verified that those activities that are identified
17 in Attachment 1 of the low power license as requiring
18 completion prior to going above 5% power have been
19 satisfactorily resolved.

20 That concludes my presentation. Thank you.

21 CHAIRMAN PALLADINO: Any questions?

22 COMMISSIONER BERNTHAL: Yes, I have one question,
23 and I'm not quite sure to whom I should direct the
24 question. I'd like to inquire of someone on the event
25 report record, for the record at Grand Gulf.

1 I believe that the numbers that I have in front of
2 me show that it's been a relatively large rate of
3 reportable events during low power operation as
4 compared to other BWR plants in similar stages of
5 operation.

6 Could you comment on that?

7 MR. LEWIS: Yes, sir, I can. The event reports,
8 there has been a large number of events. I don't have
9 the number right in front of me.

10 The number, however, when looking at other power
11 plants in that same phase of time, a start-up power
12 plant within the first year of operation typically runs
13 somewhere close to that same figure.

14 There is a large number of events that are
15 associated specifically with fire protection, leaving
16 fire doors open and so forth when they run cables
17 through.

18 If those are taken out of the event report, then we
19 find that Grand Gulf does not exceed those other plants
20 that are in the same stage.

21 (Note: Chairman Palladino leaves meeting.)

22 MR. EISENHUT: Yeah. Real simply, we did the same
23 thing by looking at a number of BWRs, looking at LERs
24 per month, and there is a decline in the Grand Gulf
25 numbers.

1 They were historically high but typically on other
2 new plants, and that is coming down.

3 COMMISSIONER BERNTHAL: But you would attribute
4 most of these problems, then, to personnel errors
5 rather than anything that might be attached to the fact
6 that it's a new plant design or special hardware
7 problem that might be associated with the new
8 generation plant?

9 MR. LEWIS: I don't think it is the special plant
10 design. I think they stayed in the area...

11 COMMISSIONER BERNTHAL: New generation...

12 MR. LEWIS: ...longer than other power plants.
13 Typically a power plant goes through in somewhere
14 between three months to six months, and they are
15 through that phase, and they have debugged the plant,
16 whereas this plant stayed in low power operation for an
17 extended period of time and with procedure deficiencies
18 and so forth, they did run into a whole lot of
19 problems.

20 COMMISSIONER ASSELSTINE: Is it in any way
21 significant that for most of the time over this two-
22 year period, the plant wasn't running, that
23 requirements still applied but the plant was not in
24 operation?

25 Does that make this large number of purported

1 events or reportable events any more significant or
2 stand out in any greater way?

3 MR. EISENHUT: We went back and looked at this and
4 had our operating reactors assessment unit go back and
5 look at this and look at the LaSalle plant, the
6 Susquehanna plant, and the Grand Gulf plant.

7 COMMISSIONER ASSELSTINE: Yeah.

8 MR. EISENHUT: And I guess a simple way to put it
9 is, looking at the same kinds of windows at a time, and
10 even averaging by month, you really didn't see a lot of
11 difference between those three units.

12 I'd have to go back to the staff and ask them
13 specifically to try to make more of a detailed
14 correlation in terms of frequency of cause of errors,
15 but the data came out, in fact, remarkably similar for
16 those two other units when compared to this one.

17 (Note: Chairman Palladino returns to meeting.)

18 MR. DENTON: But I think our basis for confidence
19 is not really the decline in the LERs; it's the other
20 changes that we've described which have taken place.

21 MR. EISENHUT: One of cause and effect.

22 COMMISSIONER ASSELSTINE: You mention that there
23 has been a decline, although I gather that if you look
24 back over the past six months or so, there still has
25 been a higher number of reported items for this plant

1 than for most other plants, I gather something like 30
2 or so since February.

3 Given the fact that that is after the period where
4 many of the management changes have been made here,
5 what can you tell me in particular about what those
6 reported events show?

7 Do they show what kinds of problems, operator
8 errors, maintenance problems?

9 What do they tell us about the understanding of the
10 plant that these people have?

11 MR. DENTON: We'll have Gary Hollihan, who looks at
12 this routinely for all plants, comment.

13 MR. HOLLIHAN: This is Gary Hollihan, Division of
14 Licensing. I think what I would say is, there is a
15 noticeable decline in the number of reports made, prop
16 reports made under 50.72 of the regulations.

17 And I think the number that we're currently seeing
18 over the last few months, although it's higher than
19 what you would say is average plant, it's quite typical
20 of a new plant or a plant with less than, say, two or
21 three years of operation.

22 COMMISSIONER ASSELSTINE: Typical even for a plant
23 that was shut down for most of the time?

24 MR. HOLLIHAN: The only real comparison we have on
25 that basis is we did compare low power operation was

1 the period where plants were licensed for low power
2 operation, for Grand Gulf and for other plants.

3 I think what we found is that initially the number
4 was considerably higher, but that both hardware and
5 management improvements have brought the number down.

6 One example is, I believe, over the last year or
7 so, there were approximately 20 isolations of the shut-
8 down cooling system.

9 And that was traced back to difficulties in the
10 power supplies to the reactor protection system.

11 But having made improvements in that system, we now
12 see that number is dramatically reduced, and it's had
13 an effect on reducing the number of total reports.

14 So I think the plant is clearly becoming typical of
15 a new plant.

16 COMMISSIONER ASSELSTINE: Do the reported events
17 tell you anything in terms of the capabilities of the
18 operating and maintenance crews and their understanding
19 of the plant and their understanding of what they're
20 doing?

21 MR. HOLLIHAN: That's always very difficult to
22 determine from the reports.

23 COMMISSIONER ASSELSTINE: i know.

24 MR. HOLLIHAN: What some people call human errors
25 are called equipment problems by other plants, so it's

1 very difficult to compare one plant to another. I
2 would say this plant has a mixture of human errors and
3 equipment problems typical of a new plant.

4 It doesn't appear to be overwhelmingly human
5 problems or overwhelmingly hardware and design
6 problems.

7 MR. DENTON: There have been several new plants
8 started up in Region II. Maybe the staff could
9 compress that.

10 MR. O'REILLY: Well, this operation, I think,
11 Commissioner, you are well aware of the fact that
12 there's been a considerable amount of instruction,
13 there's been a large number of procedure modifications,
14 and a set of tech specs for a large number of
15 requirements that must be maintained.

16 Also one of the comments Mr. Hollihan made related
17 to the RHR system, which has been the operating system
18 at this unit for the last two years.

19 So I consider them to be, today, equivalent to or
20 in better shape to start up than other units that
21 have started up, because of the situation that they've
22 been so well trained, their tech specs are at this
23 moment better than others, and their surveillance
24 procedures are superior.

25 COMMISSIONER ASSELSTINE: Jim, have you looked in

1 your various inspections over the past couple of years
2 at the Plant Safety Reviews that have been conducted
3 for various operational items at the plant?

4 And how would you characterize their performance
5 there? Do you find there's a rigorous discipline,
6 carefully managed, safety reviews?

7 Do you find that there's a trend in that area as
8 well?

9 MR. O'REILLY: I could be corrected by my section
10 chief or my senior resident, but I did talk personally
11 to the safety review board for MF&L purposely, back, I
12 don't recall, I think in November of '82, relative to
13 their performance, which I was not particularly
14 overjoyed with.

15 The Plant Safety Review group has been headed for a
16 considerable period of time now by the current plant
17 manager.

18 The information I have on that is that he has
19 performed in an outstanding manner. Do you want to add
20 anything to that?

21 MR. WAGNER: My name's Al Wagner. I'm the senior
22 resident inspector. I'd like just to comment briefly
23 on the change in the performance of the Plant Safety
24 Review Committee as of about a year ago when management
25 changed and we did extensive reviews in preparation for

1 operations. In the course of these reviews, it had
2 come to our attention that there were certain events
3 and occurrences that were happening on-site that were
4 not being brought to the attention of the Plant Safety
5 Review Committee.

6 And the result of our review in preparation for
7 operations, we made recommendations which were
8 implemented by the utility which puts a more thorough
9 emphasis on all events and occurrences or even
10 questions of events and occurrences that happen at the
11 facility in a documented form and brings them to the
12 full Plant Safety Review Committee rather than an
13 appointed individual or person that looks over them and
14 makes individual subjective judgments.

15 So there is considerable improvement in the amount
16 of information that goes to the Plant Safety Review
17 Committee.

18 I see an improvement in their handling of these
19 types of occurrences and events.

20 COMMISSIONER ASSELSTINE: Are you fairly
21 comfortable with their level of performance in the
22 Plant Safety Review area and making sure that it's a
23 discipline process now, or is this an area that they
24 still need to devote a fair amount of attention to?

25 MR. WAGNER: My original concern was that the Plant

1 Safety Review Committee was being shielded and not give
2 all the information, but that concern has been
3 alleviated by the implementation of revised and new
4 procedures which require all those types of events
5 which affect safety to be routed to them for their
6 review and disposition.

7 I have a very high level of confidence that they're
8 doing a thorough job. While I'm here, I'll just
9 comment briefly that it's my opinion, based on the
10 observations that I've made in the conduct of low power
11 testing and the recent critical operations, that I have
12 a high degree of confidence in the operators to operate
13 the facility in a competent, deliberate manner.

14 I have a high degree of confidence in the current
15 management staff, and in their communications with the
16 NRC, which is myself and Region II, which has been open
17 and very candid in exchanging information concerning
18 problems that have occurred at the facility, and it's a
19 significant improvement.

20 If maintained at the current level, it should not
21 present a problem for safe operation of that facility,
22 in my opinion.

23 (Note: Commissioner Roberts leaves meeting.)

24 COMMISSIONER ASSELSTINE: Thanks, Al.

25 COMMISSIONER ZECH: My review of--my visit to the

1 plant about two weeks ago would certainly agree with
2 that evaluation we've just heard.

3 As I reviewed the previous problems and history of
4 the operator training, it was clear to me that previous
5 management had not perhaps given the attention to
6 operators and to training that one might expect.

7 I believe there's a direct involvement in operator
8 improvements with the new management.

9 It seemed to me that the new management is more
10 involved, is quite dedicated to operator training, and
11 I believe that there is a definite correlation there
12 when management devotes not only their resources but
13 their time to the operators.

14 It's been my experience that the operators respond
15 to that, and I felt that there was a rather significant
16 change in the operator level of experience and operator
17 formality, operator overall performance with the new
18 management team.

19 I think that certainly was a rather strong
20 impression that I had from my visit.

21 CHAIRMAN PALLADINO: I might add that with regard
22 to that word formality, one of the concerns I've had in
23 other utilities has been the failure to give and
24 acknowledge orders in a very formal way.

25 I observed at least in the crew that was in the

1 simulator that in handling this situation, they did
2 have very formal ways of presenting, giving
3 information, acknowledging its receipt and giving
4 orders and acknowledging the orders.

5 And I think that's very important in making sure
6 the communications are effective in a control room.

7 COMMISSIONER ZECH: May I support that, Mr.
8 Chairman, very briefly, because formality is something
9 I'm going to look for in every visit to every plant I
10 go.

11 It reflects a great deal more than just giving
12 orders and having them repeated and so forth. It
13 reflects paying attention to business, operating these
14 plants in a very business-like and serious manner.

15 And so formality is something that I think is very
16 important. It's indicative to me of many other indexes
17 of performance and certainly it's something that I
18 intend to look for in my visits to the plants.

19 MR. O'SHINSKI: I'm John O'Shinski, the director of
20 the Division of Reactor Safety in Region II, and I just
21 wanted to talk on a couple of issues very briefly, one
22 of which you've already talked about, and that's the
23 training of the operators.

24 As you know, over the last three years, we've paid
25 an awful lot of attention and evaluated in quite some

1 detail the training qualifications of Grand Gulf
2 operators. We identified problems in the training
3 program and problems in the documentation of the
4 training program.

5 It was as a result of that that the recertification
6 program for the Grand Gulf operators came about, and
7 we've talked about that before.

8 It was a very extensive program, and I'm not going
9 to repeat those details, but I'd like to kind of bring
10 you up to data on what's happened since then.

11 Twenty-six of the licensed operators at Grand Gulf
12 went through the recertification program given by the
13 utility.

14 We, NRC, decided to reexamine these previously
15 licensed operators. Twenty-three of those 26 operators
16 passed that reexamination.

17 Since that time, four more people have been
18 licensed, so today there are a total of 27 licensed
19 operators at Grand Gulf, 15 SROs and 12 ROs, and
20 they've all been examined very recently.

21 In addition, there are three more ROs who have
22 passed their exams and are now awaiting the issuance of
23 their licenses.

24 With the minimum required shift complement of two
25 SROs and two ROs, there are more than enough operators

1 to assume a five-shift rotation.

2 This is in addition to a shift technical advisor, a
3 shift advisor, and a G.E. operations engineer and a
4 G.E. design engineer that are being assigned to each
5 shift during power engine testing. We talked a little
6 bit about the experience.

7 I really want to emphasize the significant
8 involvement we had in this program. We basically spent
9 close to a man year in inspector and examiner time
10 associated with the identification of the deficiencies
11 that led to the recertification program and to our
12 evaluation of the adequacy of that program.

13 I believe that that more detailed look that we have
14 taken there in fact lends a much higher level of
15 confidence to our conclusions that the operators are
16 well-qualified for their licensed duties at Grand Gulf.

17 We believe that in the future the licensees'
18 training pipeline should enlarge the initial cadre of
19 qualified people.

20 Through an aggressive training program, the
21 licensee hopes to evolve into a shift rotation and
22 plans to have 49 licensed operators by January of 1987.

23 The plans at that time are to assign approximately
24 14 of these individuals to the training department
25 which will reduce the dependency on contractor

1 resources and should allow for continuing improvement
2 in the integration of operational experience into the
3 training program.

4 As Dick Lewis mentioned, we've also looked at the
5 non-licensed training, specifically in the area of
6 maintenance.

7 We have concluded that this training meets
8 regulatory requirements. I'd like to add that it's our
9 feeling that the maintenance facility that's been added
10 at Grand Gulf is one of the better ones we've seen in
11 the region.

12 So we believe there will be continued improvement
13 in that area.

14 One other area I'd like to touch on very briefly
15 that was also of some interest, and that was the RHR
16 pipe crack.

17 Two pipe cracks were discovered in a system
18 connected to the RHR system in April of 1984, basically
19 the three-inch line connected to the RHR system.

20 We conducted a special investigation, special
21 inspection of this event.

22 In addition to the two resident inspectors, we
23 dispatched a test engineer, a metallurgical engineer,
24 and a mechanical design engineer to this site to
25 evaluate the licensee's actions and follow with this

1 event. Our conclusions were that the system was build
2 according to design, the design met regulatory
3 requirements, and that the licensee's investigation of
4 the matter was comprehensive, and that the corrective
5 actions that were taken were appropriate.

6 In summary, I'd like to note...

7
8 CHAIRMAN PALLADINO: What corrective actions did
9 they take on this pipe crack?

10 MR. O'SHINKSI: There was a change in procedures,
11 basically that particular line, that mode of operation,
12 the RHR, is not going to be used as far as the actual
13 pipe section that was cracked.

14 That has been removed. That section is capped.
15 They've done inspections of the remainder of the ECCS
16 systems.

17 They're doing additional vibration monitoring, they
18 did thorough walk-down of the system.

19 So it's quite a lengthy list, but basically
20 operator training and operation of the system.

21 CHAIRMAN PALLADINO: And replacement of...

22 MR. O'SHINSKI: And removal of the damaged section,
23 yes, sir.

24 In summary, I'd like to note that the region has
25 paid a lot of attention to Grand Gulf. We've looked at
issues earlier and we've looked in more detail than has

1 been the case at other plants.

2 We have found problems. We believe the problems
3 have been fixed appropriately. As Dick has said, we
4 have seen significant improvement.

5 As a personal observation, I'd like to note--and I
6 think Al Wagner referred to this--that in my many
7 interactions that I've had with the plant manager, Jim
8 Cross, that I've always found him to react in a very
9 conservative direction on any identified problems.

10 (Note: Commissioner Roberts returns to meeting.)

11 MR. O'REILLY: I had planned to have Phil Store,
12 another division director, discuss radiological
13 controls, environmental monitoring, security, but his
14 conclusion I'll just state, that he finds them--to save
15 you time, unless you'd like to hear them--"the program
16 has been properly conducted and we have no problems of
17 note in those areas."

18 His is of the view that they're ready to proceed.
19 I was going to have our senior resident make a
20 statement, but I think he has already made it. That
21 was basically his concluding statement.

22 My concluding statement is that we do find that
23 MP&L has the capability and the controls in place that
24 if properly implemented, will result in safe operation
25 of the facility in accordance with license, and the

1 rules and regulations of the Commission. However, like
2 always, Region II will continue to implement the
3 inspection program which is continuing.
4

5 We also plan and have planned since we originally
6 received the low power license, to conduct a full
7 scale, broad operational readiness inspection before
8 they exceed 50% power.

9 We did it before they went critical, and we in
10 effect did that before they went to 5% power.

11 Also, I had planned, and you discussed that earlier
12 this morning, I plan to visit, like I have twice
13 already, the chairman of the board of Middle South
14 Utilities and with the president of MP&L, to go over
15 all the lessons that we have learned and the problems
16 that we have to be certain are going to continue to
17 receive the proper attention over the next year.

18 That would be the end of my statement.

19 COMMISSIONER ASSELSTINE: I have a couple of
20 questions in the operator training area for John. I
21 gather that when the operators were originally licensed
22 for this plant, the basis for their training and even
23 for our examination was not the present design of
24 the plant, the present FSAR, the present technical
25 specifications.

I gather there have been literally hundreds, if not

1 thousands, of changes in all of those documents,
2 procedures, tech specs, the FSAR, the design, from the
3 original training and licensing of these operators.
4

5 What gives you confidence that these people now
6 have a strong grounding, that is, the basic knowledge
7 and basis for their ability to now operate the plant
8 and to understand all of those things are they are
9 right now, even to the many changes that Darrell and
10 Harold have described, are being made in this license
11 to the tech specs to the plant.

12 MR. O'SHINSKI: Your statement is correct. The
13 initial licensing and training of the operators was
14 done on the FSAR and the tech specs as it existed at
15 that time.

16 In fact, when the initial operators got licensed on
17 the plant, the tech specs were in the proof and review
18 stage, and that's in fact what they got examined on,
19 was the proof and review copy of the tech specs at that
20 point in time.

21 The recertification program that took place
22 basically took the tech specs as they were in existence
23 that day in the systems in the FSAR in existence that
24 day.

25 Our examinations, in fact, that we conducted in, I
believe it was February of this year, were based on

1 that information.

2 We have since looked very carefully and frequently,
3 even though we've gone in and given our exams to see
4 that in fact all new information or any changed
5 information is being incorporated into the training of
6 the operators.

7 And we feel that's being done on a continuing
8 basis. We're going to continue to look at that very
9 closely, both the residents look at that as well as my
10 examiner people and instructor people that go down
11 there.

12 So we see it being incorporated.

13 COMMISSIONER ASSELSTINE: Is there an augmented
14 training program for this particular program that's
15 particularly aimed at the early operators, the ones
16 where when you think about it now, the basis is
17 somewhat the basis for their training and their
18 licenses, for that matter, is somewhat different than
19 the plant they'll be operating.

20 MR. O'SHINSKI: I believe that augmented training
21 program that we're talking about was really that
22 recertification program.

23 When it comes down to it, when we're talking about
24 examination training of the operators, the operators
25 are not expected to memorize the technical

1 specifications. Of the issues of the technical
2 specifications changes that were made, there were some
3 key significant items in there and they have been
4 trained on those.

5 Our thrust and I think the thrust of the training
6 program is to enable the operators to understand th
7 bases of the technical specifications and to be able to
8 use the specifications and follow them.

9 And so we feel comfortable that the recertification
10 program and our reexamination program has done that,
11 and we're monitoring very carefully to see that any
12 significant changes that happen to the tech specs, that
13 happen to the plant are being factored into the
14 continuing operator training.

15 MR. O'REILLY: Also, Commissioner, I have been
16 assured and will verify that there is an extensive
17 training program of the operatives once the new
18 technical specifications are reviewed and their
19 procedures are updated to reflect the changes that have
20 been made.

21 COMMISSIONER ASSELSTINE: Is there a problem with
22 doing that at the same time they're going to start full
23 power operation of the plant, or should that be done
24 first?

25 MR. O'REILLY: That's going to be done first.

1 COMMISSIONER ASSELSTINE: Okay.

2 MR. O'SHINSKI: I think, in fact, the operators or
3 the operations department, as a matter of fact, played
4 a key role in going through the tech specs and at this
5 point in certifying the tech specs.

6 I'm sure that will be factored in.

7 MR. O'REILLY: We had two other items, just briefly
8 to mention, one was we had before us the 2.206
9 petition.

10 The technical aspects are being reviewed by the
11 staff, and the staff intends to issue a denial to that
12 2.206 on the aspect that's before the staff.

13 The second matter that I'll mention is that we sent
14 down to the Commission the proposed full power license
15 amendment.

16 And we noted in that transmittal that on this
17 plant, we will be granting exemptions to Appendix J and
18 to general design criteria.

19 We plan on doing that by separate, stand-alone,
20 formal exemption documentation similar to what we do
21 routinely and have been doing routinely for a number of
22 years in operating reactors.

23 That is, there will be a separate document with the
24 bases in it, rather than what I'll call the abbreviated
25 form we've been using on OL licenses in the past, since

1 Three Mile Island, where we just put a statement in
2 that says exemptions to GHJ whatever they are are
3 hereby granted, and the conclusion from 50.12, they
4 will be issued by separate, stand-alone parts.

5 That's the last item.

6 MR. DENTON: In conclusion, Mr. Chairman, we think
7 that they have fully satisfied all the license
8 conditions in the low power license that restricted
9 them to low power operation.

10 They fully comply with all the regulations that
11 govern full power, and they're ready for issuance of a
12 full power.

13 CHAIRMAN PALLADINO: All right. Then I guess we're
14 open for Commission questions.

15 I have two, one of which is for general counsel.
16 We have received in the last few days a letter from Mr.
17 Gusty in the Attorney General's Office in Louisiana,
18 asking that we not go forward with this case.

19 And then we have a telegram from the Governor of
20 Louisiana, that says it's up to NRC to decide what to
21 do.

22 Incidentally, also, I got a call from Governor
23 Edwards while I was at Grand Gulf last Friday, and I
24 circulated a note this morning highlighting that.

25 I asked him to put in writing whatever he had to

1 say. Must we take action on these either before or as
2 part of our action?

3 MR. PLAINE: It now appears, Mr. Chairman, that
4 while the Attorney General did file a letter with the
5 Commission, it was dated several days ago and didn't
6 arrive until late yesterday.

7 He has nevertheless been contacted and has given us
8 the text of a letter indicating that he has made a
9 decision not to file.

10 I have the text of the letter here, which I will,
11 for the time being, treat as the letter itself. We
12 will receive actually the letter from the Attorney
13 General's Office.

14 His final conclusion is "Accordingly, I have
15 decided against filing any formal decision at this
16 time.

17 I do, however, request that you take all
18 appropriate steps within your jurisdiction to ensure
19 that the health and safety of the public is adequately
20 protected.

21 Thank you for your assistance in this matter.
22 Sincerely, William J. Gusty, Jr., Attorney General."

23 I think the matter is probably closed, and there is
24 no reason to believe that this letter will not be
25 followed up by this telephone letter, followed by the

1 letter itself.

2 CHAIRMAN PALLADINO: So you're saying we need no
3 action.

4 MR. PLAINE: No action.

5 CHAIRMAN PALLADINO: The other question I had was,
6 we have a statement from the EDO with regard to
7 emergency planning and the results of the exercise.

8 I understand we do have a representative from FEMA
9 here. I wonder if we might hear a brief statement from
10 that representative with regard to FEMA's stance on the
11 results of the exercise.

12 MR. WILSON: Mr. Chairman, members of the
13 Commission, my name is Bob Wilson. I am the chief of
14 the technological hazards division of FEMA.

15 Based on the results of the exercises held in
16 April, it was the finding of FEMA that there was a
17 satisfactory status of all cycles of preparedness as of
18 this date.

19 We did identify in the exercise report what we term
20 a Category A deficiency dealing with the operation
21 of the emergency news center, jointly by the utility
22 and the State of Mississippi.

23 Corrective action has been taken. We're continuing
24 to monitor the corrective action and both the utility
25 and the state have agreed to fully demonstrate that new

1 emergency news center capability at the planned
2 exercise in February.

3 We also identified an area of concern with regard
4 to the technical support center and the emergency
5 operating facility.

6 We were assured by your staff that corrective
7 actions have been taken and a demonstration in August
8 will clarify that issue as well.

9 So based on those situations, we did report to you
10 that we had a reasonable assurance of all site
11 capability as of this date.

12 CHAIRMAN PALLADINO: All right. Thank you. Any
13 questions? All right. Thank you.

14 COMMISSIONER ASSELSTINE: I have a couple. On the
15 extent to which this plant meets the requirements of
16 regulations, could you outline any areas in which the
17 plant does not meet the requirement of our regulations?

18 I gather there are at least three.

19 MR. DENTON: They are the ones in which we
20 mentioned the exemption. One is Appendix J, which
21 we've granted on a number of plants.

22 COMMISSIONER ASSELSTINE: Containment.

23 MR. DENTON: Yes. And then the other two, I
24 believe, are diesel-related issues. Tom Novak of the
25 staff will try to give you a short summary of what the

1 substance of that is.

2 MR. NOVAK: Briefly, sir, the exemptions relating
3 to the on-site power supply are not with respect to the
4 TDI diesel itself but to auxiliary equipment.

5 There will be a requirement to be a hydrostatic
6 test of auxiliary systems which support the diesel
7 itself.

8 We consider this to be an exemption to general
9 design criteria one.

10 Also, there is some electrical requirements that
11 need to be added to the buses themselves and this would
12 come under GDC-17.

13 We think that there is a basis to consider these
14 exemptions at this time in terms of safe operation.

15 MR. DENTON: And these are schedular exemptions.

16 MR. NOVAK: That's correct.

17 COMMISSIONER ASSELSTINE: Have you examined those
18 three exemptions not only in terms of the present
19 standard that's applied by the Commission but also in
20 terms of the alternate standard that I had recommended?

21 MR. DENTON: We've not issued the exemptions. We
22 are looking at them that way. Let's see if anyone
23 can comment.

24 MR. EISENHUT: Yes. To the extent, we are trying
25 to address--I've asked the utility to address two

1 aspects. One is, particularly the as-safe-as. I
2 really didn't ask for that so much, the as-safe-as to
3 the fullest extent they can and in the time we've got.

4 The second thing I asked them to address was a
5 related matter of don't look at these exemptions on the
6 electrical system in isolation; look at them somehow in
7 unison and in that area we will continue to explore
8 with the utility for the next couple of days,
9 finalizing our paperwork.

10 MR. DENTON: Once our actions are completed, we'll
11 have an answer to the question of what difference in
12 the criteria would be.

13 But I haven't acted on those exemption requests yet.

14 COMMISSIONER ASSELSTINE: All right. So we don't
15 have the exemption decisions today.

16 MR. DENTON: That's right.

17 MR. EISENHUT: No we've developed them to the point
18 where, and we've gotten the submittals from the utility
19 and we develop them to the point where we are confident
20 we can grant those on a technical bases.

21 The formal documentation has not been obtained.

22 COMMISSIONER ASSELSTINE: Okay. But at least at
23 this point, you can't give me a judgment on whether you
24 could grant them applying my standard as opposed to
25 other standard?

1 MR. DENTON: No, sir.

2 MR. EISENHUT: Not until it's finalized.

3 COMMISSIONER ASSELSTINE: Could you tell me where
4 the plant stands in comparison to Appendix R?

5 Are there any particular items with respect to fire
6 protection that stand out for this plant, any license
7 conditions that deal with fire protection?

8 And how would they measure up against Appendix R if
9 we were applying Appendix R to the plant?

10 MR. EISENHUT: There was a license condition. Let
11 me take the first piece. License condition 31 was in
12 the low power license which states in effect that they
13 shall maintain and effectively implement all provisions
14 of the approved power protection plant, and MP&L shall
15 maintain the fire protection program to meet the intent
16 of Appendix R, Part 50.

17 COMMISSIONER ASSELSTINE: Okay.

18 MR. EISENHUT: That's it, except for the oil
19 collection system. I'm sorry.

20 MR. NOVAK: Specifically this requires that the
21 licensee provide a design which would permit the
22 disabling of all the electrical systems from the
23 control room, then to be operated from a remote
24 shutdown panel.

25 By the license condition Harold talked about, they

1 were to provide a design to us by the first of January
2 of this year.

3 They've done that. It will be an extensive
4 change to the design of the plant and it is scheduled
5 to be implemented at the first refueling.

6 That's the major area in terms of fire protection
7 in Appendix R.

8 COMMISSIONER ASSELSTINE: what's the problem that's
9 involved with that in terms of the present design? I
10 guess I don't understand....

11 MR. NOVAK: Generally this is an upgrading of what
12 we believe should be available. That is, a specific
13 well-thought-out electrical design which permits you to
14 in effect disable the electrical system from the
15 control room and then pick it up in the remote shutdown
16 panel with the confidence that you've gone through all
17 of the circuits and broken them where you have to and
18 then pick them up in the remote shutdown panel.

19 MR. DENTON: The intent so much is not to disable
20 a control room, but to be sure that shorts and open
21 circuits don't go back through the system.

22 So it's to be sure that the transfer of the control
23 from a control room the remote shutdown panel is truly
24 effective.

25 COMMISSIONER ASSELSTINE: Is there a problem in

1 terms of the present design? If there were a fire in
2 the control room, in sending spurious signals?

3 MR. DENTON: Well, that's what you worry about, when
4 you go through the design. Let's see if any of the
5 staff people who review that area could elaborate on
6 it.

7 MR. JOHNSTON: My name is William Johnston from
8 the Division of Engineering. That part of the review
9 is done by another group, and I'm not there.

10 But the point of it is that there are two trains
11 which they have to be able to isolate.

12 This particular change is to isolate in an
13 independent way the first train, train one.

14 We have compensatory measures that they are putting
15 in in the interim that take care of that. They have
16 met our requirements and they made the submittal.

17 The submittal is still under review by the staff,
18 and they do have the commitment to complete the changes
19 by the end of the first shutdown.

20 MR. EISENHUT: That is correct. That is by license
21 condition also for the isolation switches.

22 CHAIRMAN PALLADINO: Commissioner Bernthal?

23 COMMISSIONER BERNTHAL: Yes, I had a question or
24 two and a comment or two.

25 First, let me just comment that there may not be

1 unanimity at the table here. I think that your
2 application of the "as-safe-as criterion for
3 evaluation" that the Commission set forth is now at
4 least in the spirit of the Commission's intent in that
5 respect, and at least I think that's what I'm hearing
6 you say here.

7 I had asked a question or attempted to earlier in
8 the closed meeting which I was informed by counsel was
9 more appropriately asked in the open meeting.

10 So I intend to ask that at this point. And I would
11 like you to respond to the extent that you can in an
12 open meeting.

13 And those questions relate to the ongoing
14 investigations that we heard about this morning.

15 First of all, I'd like to ask Harold, you or anyone
16 else here, whether in your judgment the ongoing
17 investigations and information that's been revealed in
18 those should, in your judgment, or could, in
19 your judgment, affect your confidence in the technical
20 aspects of the operation of this plant from the plant
21 hardware or its suitability technically for operation.

22 MR. DENTON: Nothing that I'm aware of would affect
23 my recommendation to you, although I am not privy to
24 the information you receive from OIA.

25 COMMISSIONER BERNTHAL: I understand. Yes, I

1 understand that. I am speaking in this case now of the
2 information from OI.

3 MR. DENTON: Yes.

4 COMMISSIONER BERNTHAL: Does anyone else want to
5 comment on that?

6 MR. EISENHUT: No. I'd agree with Harold.

7 MR. DENTON: This is not making any prejudgment
8 about what might have gone on in the past.

9 COMMISSIONER BERNTHAL: I understand.

10 MR. DENTON: But looking at the people here today
11 and the activities in which they might have been
12 associated...

13 COMMISSIONER BERNTHAL: I understand.

14 MR. DENTON: I don't have a problem with integrity
15 with the present management there.

16 COMMISSIONER BERNTHAL: Well, that's a separate
17 question. In fact, I first wanted to ask you, in your
18 judgment, is the plant technically qualified to run,
19 even in view of what we have heard from OI?

20 MR. DENTON: Yes.

21 COMMISSIONER BERNTHAL: Is there any reason for you
22 to doubt the technical preparation of the plant?

23 MR. DENTON: I don't have any problem based on what
24 I've heard from OI.

25 MR. EISENHUT: I agree with Harold.

1 COMMISSIONER BERNTHAL: Okay. The second question,
2 then, does touch on the other issue, that of management
3 integrity.

4 And again, without prejudging any issues here, I'd
5 like your comments. Is Dick DeYoung here? I'm not
6 sure that...

7 COMMISSIONER ASSELSTINE: It doesn't look like it.

8 COMMISSIONER BERNTHAL: I would hope he would be
9 here as well, but Jim, maybe you at least should give
10 your comments on that respect.

11 In your judgment, is there anything that you have
12 heard relating to the ongoing investigations by OI that
13 would reflect adversely on a decision with respect to
14 plant management?

15 MR. O'REILLY: No. I have had extensive dealings
16 with the corporate offices of MP&L, and my staff has
17 had extensive dealings with the current management at
18 the plant site.

19 I have heard nothing different than they are very
20 impressed and that their communications, the exchange
21 of data, have been at a very high level, and we have
22 high confidence that it will continue that way.

23 COMMISSIONER BERNTHAL: Thank you.

24 CHAIRMAN PALLADINO: Any other questions?

25 COMMISSIONER BERNTHAL: I have one last comment,

1 really. I think in the interest of fairness, John had
2 made a number of presentations a short time ago on
3 operations personnel, having earlier called into
4 question the attentiveness of the vendor and the
5 architect engineer here in the initial submittal to
6 the plant technical specifications.

7 Maybe I should give some credit where credit is due
8 and that is that in this case, the vendor, I think, and
9 this particular vendor, at least, makes the practice,
10 and certainly in this case has designed an operations
11 engineer during start-up.

12 I think that's taking appropriate responsibility
13 for your product.

14 I'd like to encourage that, whatever sweaty palms
15 the vendor may give their lawyers, I think,
16 nevertheless, that's the appropriate procedure for
17 vendors to take in assuming responsibility for their
18 product.

19 That's all I want to say.

20 CHAIRMAN PALLADINO: Thank you. Any other
21 questions?

22 COMMISSIONER ASSELSTINE: No.

23 CHAIRMAN PALLADINO: Then I suggest that we
24 proceed to poll the Commission on whether or not the
25 Commission ...

1 COMMISSIONER ASSELSTINE: I thought we were going
2 to hear from the licensee.

3 CHAIRMAN PALLADINO: Only if you have some specific
4 questions that you wanted to ask.

5 COMMISSIONER ASSELSTINE: Oh, gee, I thought we'd
6 agreed that they were going to make the presentation to
7 us.

8 CHAIRMAN PALLADINO: I didn't recall. I didn't
9 recall that.

10 COMMISSIONER ROBERTS: In the interest of time, do
11 we need that to make our decision?

12 COMMISSIONER BERNTHAL: Are they...

13 COMMISSIONER ASSELSTINE: They're there.

14 COMMISSIONER BERNTHAL: I don't think it would hurt
15 a bit.

16 CHAIRMAN PALLADINO: Let's see. Who is here
17 representing the licensee?

18 MR. DENTON: The corporate structure is here.
19 Cavenaw.

20 COMMISSIONER BERNTHAL: We like to do these things
21 unannounced.

22 (Laughter.)

23 CHAIRMAN PALLADINO: Mr. Cavenaw?

24 MR. CAVENAW: Good morning, gentlemen. I promise
25 you that this will not take long.

1 My name is William Cavenaw, III. I am the
2 president and chief operating officer of Mississippi
3 Power & Light Company, MP&L.

4 I appreciate the opportunity to appear before you
5 this morning and to present this statement of the full
6 power licensing for the Grand Gulf nuclear station.

7 As you know the Grand Gulf nuclear station Units 1
8 and 2 is owned 90% by Middle South Energy, Inc., MSE,
9 and 10% by South Mississippi Electric Power
10 Association.

11 The facility will be operated by my company,
12 Mississippi Power and Light Company, MP&L.

13 Let me spend a few moments on the nuclear
14 experience of both our corporate headquarters
15 management and our plant operating staff.

16 First of all, I came to MP&L in early April of this
17 year. Previously I spent eight years in the Navy,
18 seven of which were in nuclear power, and 15 years in
19 various nuclear management capacities with the Arkansas
20 Power & Light Company, AP&L.

21 AP&L has in operation Arkansas Nuclear 1, Units 1
22 and 2.

23 I was actively involved with the construction, the
24 licensing, and the operation of both of those units.

25 My last position at AP&L was senior vice president

1 energy supply, directly responsible for those two
2 nuclear units and the other generation facilities which
3 the company had.

4 Last year, I was on loan to Louisiana Power & Light
5 Company for five months as senior vice president of
6 nuclear, with the direct responsibility for three
7 nuclear plants.

8 Mr. Richard, on my left, our senior vice president
9 in charge of nuclear production, has been with us a
10 year and a half.

11 He's served 26 years in the Navy, 20 of which were
12 in nuclear power.

13 Grand Gulf general manager, Jim Cross, on my right,
14 is an alumnus of the TVA organization and has over 11
15 years in commercial nuclear power experience.

16 The three plant managers for operations,
17 maintenance, and support report to Mr. Cross.

18 Each have 11 or more years of commercial nuclear
19 power experience.

20 Throughout the plant management staff, we have
21 extensive Navy and/or commercial nuclear experience.
22 Our plant operators are well-trained, have gained
23 valuable experience both on our plant-specific
24 simulator as well as during low power operation.

25 Additionally, many have Navy nuclear operating

1 experience. In short, our senior nuclear managers are
2 plant operating staff and our engineers comprised of
3 a qualified and well-trained team to operate Grand
4 Gulf.

5 We are proud of the progress we've made in this
6 area, and now we are all ready to proceed with the
7 power ascension and commercial operation of this unit.

8 I would now like to take the opportunity to say a
9 few words about our company's philosophy regarding
10 Grand Gulf.

11 First of all, I'd like to assure you that our first
12 and our foremost priority is safe and reliable
13 operation of this facility.

14 As you know, our road since the issuance of the low
15 power license has been at times a bumpy one.

16 But I think we have learned valuable lessons in the
17 past two years since receiving our low power license,
18 and I assure you that we have profited from these
19 experiences, and we are a much stronger organization.

20 You have been briefed on the specifics, so I'll not
21 revisit these problems.

22 What I would like to emphasize is that while we
23 have encountered some setbacks, we have in each
24 instance taken the time and have devoted the resources
25 necessary to analyze and resolve the issue and make the
modifications as needed.

1 We have not brushed problems aside and rushed
2 ahead, but instead, have taken a deliberate, careful
3 approach to resolving them in an orderly manner.

4 The plant itself is well-designed and well-
5 constructed. Our people have learned how to operate in
6 a closely-regulated environment.

7 We have made considerable progress in being more
8 responsive to the NRC staff.

9 Furthermore, we have sought to convey to our
10 employees at all levels the importance of safety as
11 well as responsiveness to regulatory requirements.

12 This has been and will continue to be our approach
13 to the management of Grand Gulf Unit 1.

14 Since we have long since completed our low power
15 test and more recently completed the technical
16 specification review and the inspection of our diesels,
17 Grand Gulf Unit 1 is now ready for full power
18 licensing.

19 We are prepared to meet your requirements for power
20 ascension and for operation.

21 Our people are ready to take on the weighty
22 responsibilities of safely and successfully operating
23 this nuclear power plant.

24 We respectfully request your approval for power
25 ascension and full power operation. If there are any

1 questions, I will be pleased to respond or have one of
2 our people provide the details.

3 I would also like for you to briefly hear from Jack
4 Richard on my left and Jim Cross, the people directly
5 responsible for the operation of Grand Gulf regarding
6 their opinions regarding the readiness of this
7 facility.

8 Jack?

9 MR. RICHARD: Good afternoon, gentlemen. My name
10 is Jack Richard. As Mr. Cavenaw mentioned, I am the
11 senior vice president of Mississippi Power & Light
12 Company.

13 I've got the overall responsibility for the nuclear
14 production which at the present time means Grand Gulf
15 nuclear station Unit 1.

16 I would like to affirm what Mr. Cavenaw has said
17 regarding our safety first and commitment to excellence
18 philosophy and our intentions to be responsive to
19 regulatory requirements.

20 If, as we hope, you will act favorably on our
21 application for full power today, that would be in
22 recognition of the hard work and devotion and
23 dedication and professionalism of our people.

24 It will also be a vote of confidence and a charge
25 to maintain it.

1 Credit is also due to the NRC staff in this matter.
2 The staff of both the NRR staff and Region II
3 organization seldom receive the due recognition for the
4 long hours of hard work and review and inspection
5 efforts, many meetings, and the dedication with which
6 they carry out their duties entrusted to them.

7 In conclusion, I'd like to emphasize that we think
8 our plant is ready, our people ready for power
9 ascension and full power operation.

10 Thank you. Jim Cross?

11 MR. CROSS: Good afternoon. My names is James E.
12 Cross, general plant manager of Grand Gulf nuclear
13 station Unit 1.

14 It is my responsibility to assure operation and the
15 safety of the public and our employees above all else,
16 and we take this responsibility very seriously.

17 I am proud of our plant, our people. All of the
18 principle managers of the plant organization have at
19 least four-year degrees in engineering disciplines, so
20 all have substantial nuclear power experience, and one
21 was previously SRO licensed on a commercial BWR.

22 Every one of our licensed operators and senior
23 operators are well-trained and well-qualified.

24 Many have previous Navy nuclear operator
25 experience. As required by the NRC, we have formerly

1 licensed advisors with BWR experience for each shift,
2 whose function it is to provide a resource to the
3 licensed operators who are intimately familiar with the
4 unique features of our plant.

5 It is not the function of the advisors, of course,
6 to direct the manipulation of the plant controls. That
7 is the function of licensed operators.

8 Our licensed personnel gained valuable experience
9 both on our plant-specific simulator and during low
10 power operations.

11 We have made intensified retraining efforts to
12 assure that our operators are completely familiar with
13 the plant systems and components important to safe and
14 reliable operation.

15 We are confident they can do the job and do it
16 well. We have made a successful transition from a
17 construction mode to an operational readiness mode, and
18 I am confident that the plant and my entire operating
19 organization are equal to the challenging task of
20 safety and reliably operating Grand Gulf nuclear
21 station Unit 1.

22 Thank you.

23 CHAIRMAN PALLADINO: Thank you. Any questions by
24 the commissioners? All right.

25 COMMISSIONER BERNTHAL: May I just make a brief

1 comment that if, in fact, you weren't informed that you
2 would be expected to present statements here today, at
3 least you should get credit, then, for being prepared
4 for an unanticipated event.

5 (Laughter.)

6 CHAIRMAN PALLADINO: Now is the Commission prepared
7 to consider voting? All right. I propose to poll each
8 commissioner so that each one of you has the
9 opportunity to make whatever statement you'd like to
10 make with regard to your vote.

11 I thought I'd start off. I cast my vote to
12 authorize the issuance of full power operating license
13 for Grand Gulf Unit 1 nuclear power plant because after
14 a careful examination of the issues, I am convinced
15 that the plant can operate safely and in accordance
16 with NRC's regulations.

17 Although this plant first licensed to operate up to
18 5% in June 1982, it has experienced a number of
19 problems.

20 I believe that these problems have been resolved.
21 The NRC staff has advised the Commission that all
22 remaining full power issues have been satisfactorily
23 addressed by the utility, specifically operators have
24 completed a recertification program and have passed NRC
25 tests.

1 The technical specifications is corrected, have
2 been determined by the NRC staff to provide assurance
3 that the plant can be operated safely.

4 Additionally, the NRC staff has determined that the
5 emergency on-site diesel generators are reliable to
6 perform their intended function if needed.

7 Particularly relevant to MP&L's successful
8 resolution of identified problems have been their
9 efforts to upgrade management capability.

10 Since the discovery of the problems at Grand Gulf,
11 the utility has made a number of significant management
12 and personnel changes and these changes have been made
13 at levels including the plant manager, the president
14 of MP&L, the senior vice president, the nuclear
15 operations supervisor of training, and special
16 corporate consultants.

17 Lastly, I would note my firm belief that the
18 regulatory licensing process has worked in this case.

19 Many of the plant's problems were identified during
20 the shakedown period associated with low power testing.

21 Such problem identification is a fundamental reason
22 for carrying out such testing.

23 Now, in my view, Grand Gulf's problems have been
24 resolved by the utility and confirmed by the NRC staff
25 review.

1 My vote today underscores my studied determination
2 that the plant can operate safely at full power.

3 Now let me turn to Commissioner Roberts.

4 COMMISSIONER ROBERTS: I would accept the
5 recommendation of the regional administrator of the
6 director of licensing, the director of nuclear reactor
7 regulation, that this plant is safe and I would let it
8 begin power ascension leading to full power and
9 commercial operation.

10 And good luck in your endeavor.

11 CHAIRMAN PALLADINO: Commissioner Asselstine?

12 COMMISSIONER ASSELSTINE: I think that, as Mr.
13 Cavenaw said, this utility has had a rough time in its
14 low power program.

15 I think there are lessons that all of us can learn
16 from that. We didn't do as well as we should, they
17 didn't do as well as they should during the low power
18 program.

19 We ought to be more careful in the future to make
20 sure that these kinds of problems don't reoccur.

21 I have to say that there has been, in my view, a
22 strong response to those problems, key to the principle
23 weakness that was involved, weakness in management of
24 the company.

25 I have been impressed both in what I've heard today

1 and over the past week or so in my visit to the plant,
2 that the progress and improvements have been made in
3 restructuring the organization, changing the attitudes
4 and commitments to safety on the part of the utility,
5 and generally, I'm satisfied with what I heard today
6 and with the staff's recommendation.

7 There is one problem I have, and that's a problem
8 that was not created by the utility or the staff, but
9 by my colleagues on the Commission.

10 Last week, the Commission decided that it was
11 going to change the position that it had outlined in
12 the Shoreham decision just about a month or so ago on
13 what would be required in terms of issuing exemptions
14 from our regulations for new license applicants.

15 I disagreed with that change by the Commission. I
16 think that the standard that's set forth in Shoreham is
17 the right standard.

18 I don't see any reason for differentiating between
19 Shoreham and this or any other new plant that's
20 applying for a license.

21 Unfortunately, the staff hasn't completed its
22 review of those exemption requests, and therefore I'm
23 going to abstain from the vote today on this license
24 issuance.

25 I want to see what the staff has to say in terms of

1 whether the exemption requests for this plant meet the
2 kind of rigorous safety test that I think ought to be
3 applied in all of these cases.

4 So until that work is done, I'm going to abstain,
5 although I have to say that in the other areas that we
6 have discussed today, I'm generally satisfied with the
7 changes that have been made and the improvements that
8 have been taken by the utility and in their general
9 readiness to operate the plant.

10 CHAIRMAN PALLADINO: Commissioner Bernthal?

11 COMMISSIONER BERNTHAL: I hesitate to use the term
12 lessons learned from an experience here, because that
13 has come to be a rather chilling phrase since it's so
14 often been used in other contexts.

15 But I think that everybody in this case has learned
16 some valuable lessons in the case of the Grand Gulf
17 experience.

18 The NRC has learned some lessons of its own.
19 Certainly the utility has evidenced in part by the
20 significant and important management changes they've
21 made over the recent past, learned a number of lessons
22 the hard way, I might add.

23 I think the AE itself and the vendor probably
24 learned some lessons from the advent of this new
25 generation plant.

1 Whatever the difficulties of the past, we're
2 required to deal today with what the current situation
3 is and in my judgment, today, Mississippi Power & Light
4 is the utility and this plant has the first of a next
5 generation BWR prepared for operation, and I'm prepared
6 to cast my vote in favor of that operation today.

7 CHAIRMAN PALLADINO: You do so?

8 COMMISSIONER BERNTHAL: I do so.

9 CHAIRMAN PALLADINO: Commissioner Zech?

10 COMMISSIONER ZECH: I had had a chance to review
11 the history and the problems of Grand Gulf. I must
12 admit I would have liked to have had more time to do
13 that.

14 But I have given it, I believe, considerable
15 attention. I have visited the plant, and talked to
16 the senior management, talked to the operators, looked
17 at the plant from many different angles.

18 I have given considerable thought to the
19 possibility of voting for full power operations. In my
20 view, Grand Gulf is ready for full power operations,
21 and I so vote.

22 CHAIRMAN PALLADINO: This is the result that you've
23 all heard is four in favor, authorizing the staff to
24 permit full power ascension up to full power, and one
25 abstention.

1 I think that completes the business we have on the
2 agenda for the morning, but let me do one piece of
3 housekeeping.

4 Our next meeting is scheduled for 2:00 p.m., and I
5 think we need a little more time than that for lunch.

6 I offer you two options, and you're open to give me
7 another one. Either delay the meeting 'til 2:30 or
8 2:45. I would prefer the 2:45.

9 COMMISSIONER ASSELSTINE: Fine with me.

10 CHAIRMAN PALLADINO: 2:45? Fine. We stand
11 adjourned then.

12 (Whereupon, the meeting adjourned at 1:20 p.m.)
13
14
15
16
17
18
19
20
21
22
23
24
25

COMMISSION BRIEFING

GRAND GULF, UNIT 1

FULL POWER AMENDMENT

JULY 31, 1984

SLIDE 1

LICENSEE/PLANT BACKGROUND

° LICENSEES:

- MISSISSIPPI POWER & LIGHT COMPANY (OPERATOR)
- MIDDLE SOUTH ENERGY, INC.
- SOUTH MISSISSIPPI ELECTRIC POWER ASSOCIATION

° PLANT:

- LOCATION: PORT GIBSON, MISSISSIPPI
- VENDOR/TYPE: 2 UNITS: GE BWR 6/MK III
- AE/CONSTRUCTOR: BECHTEL
- POWER LEVEL: 1250 MWE

° EMERGENCY PREPAREDNESS:

- ONSITE EP ADEQUATE - MAY 1983
- OFFSITE EP ADEQUATE (INCLUDING FEMA FINDINGS) - MAY 1983
- 44 CFR 350 SIGNOFF FROM FEMA - JUNE 29, 1983
- LAST EMERGENCY EXERCISE - APRIL 10-12, 1984
- FEMA (INTERIM) FINDINGS ON APRIL EXERCISE - JULY 30, 1984

BACKGROUND/CHRONOLOGY

JUNE 16, 1982	LOW POWER LICENSE ISSUED
JULY 1, 1982	COMMENCED FUEL LOADING
AUGUST 8, 1982	COMPLETED FUEL LOADING
AUGUST 18, 1982	INITIAL CRITICALITY
SEPTEMBER 16, 1982	NON-NUCLEAR HEATUP TESTING COMMENCED
OCTOBER 25, 1982	STARTED MAINTENANCE OUTAGE - DRYWELL COOLING SYSTEM MODIFICATIONS
SEPTEMBER 25, 1983	RECRITICALITY AND COMMENCED LOW POWER TESTING
NOVEMBER 8, 1983	COMPLETED LOW POWER TESTING
APRIL 18, 1984	TECH SPEC ORDER ISSUED
APRIL 22, 1984	LOW POWER OPERATION RESUMED
MAY 2, 1984	PLANT SHUTDOWN - RHR PIPE PROBLEMS
MAY 6, 1984	PLANT RESTART
MAY 8, 1984	PLANT SHUTDOWN - RHR PROBLEM RECURRENCE
MAY 11, 1984	PLANT RESTART
MAY 22, 1984	DIESEL ENGINE INSPECTION ORDER
JUNE 1, 1984	PLANT SHUTDOWN BY MP&L PENDING RESOLUTION OF STANDBY SERVICE WATER SYSTEM DESIGN

COMMISSION MEETINGS SINCE OL ISSUANCE

DECEMBER 8, 1983	STATUS REPORT
FEBRUARY 29, 1984	STATUS REPORT
MARCH 20, 1984	TECHNICAL SPECIFICATIONS
MAY 24, 1984	TDI DIESEL ENGINE ORDER
JUNE 1, 1984	TDI DIESEL ENGINE ORDER

MAJOR PLANT MODIFICATIONS

SINCE OL ISSUANCE

MODIFICATIONS OCTOBER 1982 TO JUNE 1983

- ° DRYWELL COOLING SYSTEM MODIFICATIONS
- ° REACTOR PROTECTION SYSTEM MODIFICATIONS
- ° PLANT SERVICE WATER SYSTEM MODIFICATIONS
- ° ISOLATION VALVE STATUS BOARD INSTALLATION
- ° ADDITION TO PLANT AIR SYSTEM
- ° SOLID RADWASTE SYSTEM MODIFICATION

MODIFICATIONS JUNE 1983 TO PRESENT

- ° REPLACEMENT OF AGASTAT RELAYS
- ° GAS TURBINE GENERATORS INSTALLED (INTERIM MEASURE)
- ° STANDBY SERVICE WATER BASIN MODIFICATION
- ° PIPE SUPPORT MODIFICATIONS DUE TO SOIL STRUCTURE INTERACTION ANALYSIS

SELECTED ISSUES

- TECH SPECS
- TDI DIESEL INSPECTIONS
- TDI DIESEL (GDC 17) EXEMPTION
- SHIFT ADVISOR QUALIFICATIONS
- MANAGEMENT/OPERATING EXPERIENCE
 - MANAGEMENT
 - SALP
 - RECERTIFICATION/TRAINING
- 2.206 PETITION
- FULL POWER LICENSE AMENDMENT

SUMMARY OF GRAND GULF TECHNICAL SPECIFICATION REVIEW PROGRAM

INITIATED MARCH 1984

BY MAY 1, 1984, MP&L HAD SUBMITTED 416 TECHNICAL SPECIFICATION PROBLEM SHEETS (TSPS).

PROBLEM SHEETS DEVELOPED BASED ON COMPARISON OF TS WITH:

- FSAR
- AS-BUILT PLANT
- SER
- OTHER DOCUMENTS
- BWR/6-STs

OF THESE 416:

• ITEMS REQUIRING CHANGES TO TS	220
• ITEMS REQUIRING NO CHANGE	168
• CHANGES IMPLEMENTED BY ORDER 4/18/84	22
• CHANGES ISSUED WITH AMENDMENT 12	<u>6</u>
TOTAL	416

OF THE 220 REQUIRING CHANGES:

• TO REFLECT AS-BUILT PLANT	34
• TO COMPLY WITH NEW REGULATORY REQUIREMENTS	51
• TO ENHANCE THE TS	64
• THAT ARE ADMINISTRATIVE	6
• TO CLARIFY ORIGINAL INTENT OF TS	45
• THAT ARE EDITORIAL	<u>20</u>
TOTAL	220

GRAND GULF TECHNICAL SPECIFICATIONS

NON-REPRESENTATIVE PLANT ITEMS

- REQUIRED IN TS, NOT SPECIFICALLY DESCRIBED IN FSAR, NOT ACTUALLY IN PLANT
 - EXPLOSIVE VALVES IN THE TIP SYSTEM
 - TEMPORARY RADWASTE HOLDUP TANKS
 - OFFSITE AC POWER CIRCUIT AUTOMATIC TRANSFER FEATURE
 - VOLTAGE INSTRUMENTATION ON MCC PANELS

- REQUIRED IN TS, CONSISTENT WITH FSAR, FSAR INCORRECTLY DESCRIBED ACTUAL PLANT
 - FUEL GRAPPLE INTERLOCK
 - LOAD SHEDDING AND SEQUENCER AUTOMATIC FUNCTION
 - LOW CONDENSER VACUUM BYPASS

- ACCURATELY DESCRIBED IN FSAR, INCORRECTLY DESCRIBED IN TS
 - HYDROGEN RECOMBINER PENETRATIONS
 - DRYWELL HYDROGEN RECOMBINER

- REQUIRED IN TS, NOT SPECIFICALLY DESCRIBED IN FSAR, TS INCORRECT WITH RESPECT TO ACTUAL PLANT
 - FUEL TUBE TRANSFER SYSTEM

- REQUESTED BY MP&L AS TS CHANGE, NOT ACTUALLY IN PLANT
 - LEVER ARM ON VACUUM BREAKERS

TECH SPEC CONCLUSION

TECH SPEC DEFICIENCIES IDENTIFIED - ALL CORRECTED WITH FULL
POWER LICENSE AMENDMENT

TDI DIESEL GENERATOR

GENERIC EVENTS

- MAIN CRANKSHAFT BROKE ON TDI AT SHOREHAM
- TDI OWNERS GROUP FORMED
- STAFF TDI PROJECT GROUP FORMED
- OWNERS GROUP PROGRAM PLAN SUBMITTED

GRAND GULF EVENTS

- D/G OPERATING EXPERIENCE REPORT SUBMITTED
- INTERIM AND UPDATED D/G INSPECTION REPORTS SUBMITTED
- ONSITE/OFFSITE POWER ENHANCEMENT PROGRAM AND RELIABILITY
SUBMITTED
- STAFF EVALUATION OF D/G RELIABILITY
- ORDER ISSUED FOR TEARDOWN INSPECTION
- STAFF OBSERVED ENGINE INSPECTION
- INSPECTION AND SURVEILLANCE TEST REPORT SUBMITTED
- STAFF EVALUATION OF INSPECTIONS, SURVEILLANCE PROCEDURES
AND ENGINE RELIABILITY

STAFF CONCLUSIONS

- GRAND GULF TDI DIESELS SHOWN TO HAVE ADEQUATE RELIABILITY; DIESELS
MEET GDC-17

GDC-17 EXEMPTION
FOR LOW POWER

MAY 16, 1984	SHOREHAM ORDER
MAY 18, 1984	MP&L INFORMED OF NEED FOR EXEMPTION (INCLUDING ADDRESSING EXIGENCY AND "AS SAFE AS")
JUNE 4, 1984	MP&L FILES EXEMPTION REQUEST
MID-JUNE 1984 TO PRESENT	STAFF REQUESTED INFORMATION TO EVALUATE: <ul style="list-style-type: none">• "AS SAFE AS"• "EXIGENCY"

REVIEWS OF
SHIFT ADVISOR (SA) PROGRAM

INDUSTRY REVIEW

- ° APRIL 24-26, 1984 - SIX MEMBER UTILITY ADVISOR EVALUATION TEAM
- ° REVIEWED ALL ASPECTS BETWEEN SHIFT AREAS AND SA'S, PROCEDURES AND EXAMINATIONS
- ° FINDINGS
 - EFFECTIVE PROGRAM
 - QUALIFIED INDIVIDUALS
 - APPROPRIATE TRAINING

NRC REVIEW

- ° REVIEWED SA TRAINING PROGRAM, JOB DESCRIPTIONS, QUALIFICATIONS
 - FINDINGS:
 - ° PROGRAM; EXAMINATIONS ADEQUATE
 - ° PROGRAM MEETS WORKING GROUP STANDARDS
 - ° PROGRAM MEETS INDUSTRY RECOMMENDED QUALIFICATIONS
- ° OBSERVED OTEC BOARD EVALUATION; INSPECTED SA TRAINING, EXPERIENCE, DOCUMENTATION

EXPERIENCE REPORT REGION II

- MP&L MANAGEMENT CAPABILITIES
 - CORPORATE REORGANIZATION
 - CORPORATE EXPERIENCE OF POWER REACTORS
- ASSESSMENT OF FACILITY PERFORMANCE
 - PLANT MANAGEMENT CHANGES
 - PLANT OPERATION DURING LOW POWER TESTS
 - SALP EVALUATION (SINCE 1/84)
 - *INSPECTION @ 200% BUDGET
 - *PLANT OPERATIONS
 - *MAINTENANCE
 - *SURVEILLANCE PROCEDURES
 - *QUALITY ASSURANCE
 - *LICENSING ACTIVITIES
 - COMPLETION OF LICENSE REQUIREMENTS FOR LOW-POWER TESTS
- LICENSED OPERATOR QUALIFICATIONS
- RHR PIPE CRACK
- EMERGENCY PREPAREDNESS
- RADIOLOGICAL AND SECURITY PREPAREDNESS
- REGION II CONCLUSIONS


12/82

TRANSMITTAL TO:



Document Control Desk, 016 Phillips

ADVANCED COPY TO:



The Public Document Room

DATE:

8/2/84

cc: OPS File

FROM:

SECY OPS BRANCH

C&R (Natalie)

Attached are copies of a Commission meeting transcript(s) and related meeting document(s). They are being forwarded for entry on the Daily Accession List and placement in the Public Document Room. No other distribution is requested or required. Existing DCS identification numbers are listed on the individual documents wherever known.

Meeting Title: Dis/pose Vote on Fuel Paver

Operating License for Grand Gulf

Meeting Date: 7/31/84 Open Closed

DCS Copies
(1 of each checked)

Item Description:

Copies
Advanced
To PDR

Original
Document

May
be Dup*

Duplicate
Copy*

1. TRANSCRIPT
When checked, DCS should send a copy of this transcript to the LPDR for:

1

1

w/ newgraphs

2. _____

3. _____

4. _____

(PDR is advanced one copy of each document, two of each SECY paper.)

*Verify if in DCS, and
Change to "PDR Available."