

# ORIGINAL

## UNITED STATES OF AMERICA NUCLEAR REGULATORY COMMISSION

In the matter of:

COMMONWEALTH EDISON COMPANY

(Byron Nuclear Power Station,  
Units 1 & 2)

Doc:st No. 50-454-OL  
50-455-OL

Location: Rockford, Illinois

Pages: 10,932-11,139

Date: Thursday, August 23, 1984

*TR. 01  
Orig to E. Pleasant, H-1149  
Add 2 copies to ASLBP*

*d*

### TAYLOE ASSOCIATES

Court Reporters  
1625 I Street, N.W. Suite 1004  
Washington, D.C. 20006  
(202) 293-3950

8408280153 840823  
PDR ADDCK 05000454  
T PDR

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

----- x  
: In the Matter of: :  
: COMMONWEALTH EDISON COMPANY : Docket Nos. 50-454 OL  
: (Byron Nuclear Power Station, : 50-455 CL  
: Units 1 and 2) :  
: :  
----- x

U.S. District Courtroom  
Second Floor  
Federal Building  
211 South Court Street  
Rockford, Illinois

Thursday, August 23, 1984

The hearing in the above-entitled matter was  
reconvened, pursuant to recess, at 9:00 p.m.

BEFORE:

IVAN W. SMITH, Chairman  
Atomic Safety & Licensing Board

A. DIXON CALLIHAN, Member  
Atomic Safety & Licensing Board

RICHARD F. COLE, Member  
Atomic Safety & Licensing Board

## 1 APPEARANCES:

2 On Behalf of the Applicant, Commonwealth Edison Company:

3 MICHAEL I. MILLER, Esq.  
4 MICHAEL GOLDFEIN, Esq.  
5 MARK FURSE, Esq.  
6 Isham, Lincon, & Beale  
7 Three First National Plaza  
8 Chicago, Illinois 606039 JOSEPH GALLO, Esq.  
10 VICTOR G. COPELAND, Esq.  
11 Isham, Lincoln & Beale  
12 1120 Connecticut Avenue, N.W.  
13 Suite 840  
14 Washington, D.C. 20036

15 On Behalf of the NRC Staff:

16 STEPHEN LEWIS, Esq.  
17 MICHAEL WILCOVE, Esq.  
18 Office of the Executive Legal Director  
19 U.S. Nuclear Regulatory Commission  
20 Washington, D.C. 2055521 On Behalf of the Joint Intervenors, DAARE/SAFE and  
22 Rockford League of Women Voters:23 DOUGLASS CASSEL, Jr., Esq.  
24 TIMOTHY WRIGHT, Esq.  
25 VICTORIA JUSDON, Esq.  
Business and Professional People for the  
Public Interest  
109 N. Dearborn  
Chicago, Illinois 60602DR. EUGENE P. ERICKSEN  
Mathematical Policy Research  
Box 2393  
Princeton, New Jersey 08540  
(Appearing as Expert Witness)

I N D E X

<u>WITNESS</u>	<u>BY</u>	<u>DIRECT</u>	<u>CROSS</u>	<u>BOARD</u>	<u>REDIRECT</u>	<u>RECROSS</u>	<u>VOIR DIRE</u>
3 E.P. Ericksen	Ms. Judson	10,949					
	Mr. Miller						10,965
4	Ms. Judson				11,009		
	Mr. Miller		11,049				
5	Ju. Cole			11,078			
	Ju. Callihan			11,101			
6	Ms. Judson				11,106		
	Mr. Miller				11,117		
7	Ms. Judson				11,118		
8 M.R. Frankel	Mr. Miller	10,119					
	Judge Cole			11,122			
9	Judge Callihan			11,128			
	Ms. Judson		11,132				
10	Dr. Ericksen		11,133				
11	<u>EXHIBITS:</u>			<u>IDENTIFICATION</u>	<u>RECEIVED</u>	<u>REJECTED</u>	
12	Intervenors' R-11 (Chronology of Edison's						
13	Responses to INTERrogatory 12)		10,940		--	11,116	
14	*Intervenors' R-1 (Teutken Safety Classification		--		11,033		
15	<u>LAY-INS</u>			<u>FOLLOWING PAGE:</u>			
16	Testimony Dr. E. Ericksen		11,045				
17	Rebuttal Testimony M. Frankel		11,120				
18							
19	<u>RECESSES:</u>		<u>Page</u>				
20	Morning		10,965				
	Luncheon		11,019				
21	Afternoon		11,064				
22	Afternoon		11,106				
23	** Intervenor's R-1 not supplied to the Court Reporter.						
24							
25							

P R O C E E D I N G S

1  
2 JUDGE SMITH: Good morning. Is there any prelimi-  
3 nary business, other than welcoming Ms. Wicher back to  
4 the courtroom. She is here, I understand, not as a counsel  
5 but as an observer and a gopher.

6 (Laughter.)

7 MR. CASSEL: Senior counselor.

8 MS. WICHER: Senior parther and coffee retriever.

9 JUDGE SMITH: Any other preliminary business?

10 MR. CASSEL: Just in reference to Mr. Stokes'  
11 testimony, Judge. But if there are any other matters before  
12 that?

13 MR. GALLO: There are none for the Applicant.

14 JUDGE SMITH: All right. Would you proceed, please?

15 MR. CASSEL: Yes, Judge.

16 Following the question from Judge Cole and Mr. Gallo  
17 yesterday afternoon, concerning various documents testified  
18 to by Mr. Stokes, and at the Board's suggestion, counsel for  
19 Intervenors and Mr. Stokes met, at some length, last night  
20 with representatives of Sargent & Lundy and again conferred  
21 briefly this morning with the Sargent & Lundy people, and  
22 counsel for the Applicant.

23 Based on those discussions, we have agreed upon  
24 a three point stipulation which we have not had typed out, so  
25 I will simply state it for the record.

mm11b2

1           The first point of the stipulation is that, based  
2 on Mr. Stokes' review of the calculations, in his discussions  
3 with the Sargent & Lundy personnel, he has found no Hatfield  
4 or Hunter calculations which show stress exceeding the code  
5 allowable based on the design criteria used by Sargent & Lundy.  
6 Is that an accurate statement of the stipulation?

7           MR. GALLO: Yes.

8           MR. CASSEL: Secondly, he did find, in his review  
9 of Hatfield and Hunter calculations, a few instances in which  
10 the 10 percent overstress factor was utilized at some point  
11 in the calculation, but in each of those instances it was  
12 not -- that is, the 10 percent overstress factor was not  
13 relied upon for the ultimate conclusion in the calculation  
14 that the code was not exceeded.

15           Is that an accurate statement, Joe?

16           MR. GALLO: That's an accurate statement, Your  
17 Honor.

18           MR. CASSEL: And the third point is that Mr. Stokes  
19 has searched through the documents which he has here with  
20 him and has been unable to locate any documents indicating  
21 the source of Attachment 7. Is that an accurate statement  
22 of the stipulation, Joe?

23           MR. GALLO: Yes, it is.

24           MR. CASSEL: I don't know what the procedure is,  
25 with regard to such stipulations before a Licensing Board, if

1 I need to ask that it be approved or admitted, or whatever?

2 JUDGE SMITH: I believe that is acceptable to the  
3 Board. Not only that, but we are pleased that you were able  
4 to work out the stipulation. It's quite reliable and  
5 certainly is more efficient.

6 MR. CASSEL: Thank you, Judge.

7 With that, we will be prepared to call our next  
8 witness.

9 JUDGE SMITH: Wasn't there one other matter that  
10 Mr. Stokes was to attend to overnight? My memory is incorrect.  
11 All right. Proceed.

12 MR. GALLO: I believe we ought to have the assent  
13 of the Staff on the record, to this stipulation.

14 MR. LEWIS: We have no objection.

15 MR. CASSEL: Our next witness, then, will be --

16 JUDGE SMITH: There is no need for anything  
17 further. It is in the record, on the transcript.

18 MR. CASSEL: Fine, Judge.

19 Our next witness will be Professor Ericksen,  
20 and I apologize again but I will need to go retrieve the  
21 witness and his counsel from his preparation.

22 JUDGE SMITH: Shall we send Mr. Wright along to  
23 make sure you get back?

24 (Laughter.)

25 (Pause.)

T2  
mmLMM

1 Whereupon,

2 DR. EUGENE P. ERICKSEN

3 was called as a witness on behalf of the Joint Intervenors,  
4 and having been first duly sworn, was examined and testified  
5 as follows:

6 MR. CASSEL: Thank you, Judge. The last-minute  
7 preparations had to do with compiling various exhibits,  
8 Judge. That was the reason for the delay.

9 JUDGE SMITH: You may proceed, Ms. Judson.

10 MS. JUDSON: Yes.

11 Good morning, your Honors. Dr. Eugene Ericksen  
12 is a senior sampling statistician at Mathematical Policy  
13 Research, Inc. and a Professor at Temple University.

14 Dr. Ericksen has reviewed the Byron Reinspection  
15 Report and the testimony of various witnesses. He has  
16 analyzed the ways in which Edison used statistics and  
17 probability theory to support his conclusions concerning  
18 inspector qualifications and work quality.

19 Dr. Ericksen concludes that Edison's sampling  
20 design and statistical analysis suffer from four major  
21 flaws.

22 First, Edison failed to distinguish elements based  
23 on their safety significance when establishing its statistical  
24 criteria. The company did not properly select confidence  
25 levels and acceptable reliabilities, and failed to properly



mm2

1 stratify its samples.

2 Second, Edison overgeneralized offering conclusions  
3 about inspectors and elements that had no chance of being  
4 included in the reinspected sample, without an adequate  
5 basis for drawing inferences to these elements.

6 Third, Edison used an inappropriate formula in  
7 calculating reliabilities. Two assumptions of the formula  
8 were violated; first, inspectors were not randomly selected;  
9 and second, inspectors were not homogeneous.

10 Fourth, Edison did not account for the added  
11 uncertainty created by clustering of inspections by  
12 inspectors.

13 For these reasons, Dr. Ericksen concludes that  
14 the sampling design of the Reinspection Program and the  
15 statistical analysis for the Reinspection Report are inadequate  
16 to support Edison's conclusions about work quality and  
17 inspector qualifications.

18 In addition to making these points, Dr. Ericksen  
19 will also be supplementing his testimony based on changes  
20 in responses to Intervenor interrogatories, and based on  
21 new data that was received after Dr. Ericksen filed his  
22 testimony.

23 He will comment on Edison's data collection and  
24 compilation and on assumptions made by Edison.

25 Your Honors, as to the supplement, I would . . .

mm3

1 like to make one representation for the record, and to do  
2 so, I wish to provide the Court and the Parties with  
3 Intervenor Exhibit R-11.

4 (Document distributed to Board and Parties)

5 (Intervenor Exhibit R-11 was  
6 marked for identification.)

7 JUDGE SMITH: We are following the practice that  
8 you only mark exhibits that you intend to offer.

9 MS. JUDSON: We do intend to offer it, your  
10 Honor.

11 Your Honor, before I proceed as to this exhibit,  
12 I also want to note that I believe I misspoke in my summary  
13 in discussing the use of an inappropriate formula. I should  
14 have said the first assumption of the formula that was  
15 violated was "inspections" were not randomly selected, so  
16 everyone here is clear.

17 As to this exhibit, your Honor, I am introducing  
18 it for two purposes: Initially, it is for information  
19 purposes, to let you know why we have not prefiled written  
20 testimony, and the problems we have had in getting correct  
21 responses to Interrogatory 12.

22 As you all may remember, when Dr. Singh was being  
23 cross-examined, Edison came back in and said there was a  
24 mistake in that response. Since then we have had three additional  
25 corrections to that response. We only got a correct answer

xxx

mm4

1 after we compiled the breakdowns provided and gave Edison  
2 the accurate answer.

3 We determined that there were errors based on  
4 breakdowns provided to us when we asked for supplemental  
5 Interrogatory 12. This is important partly just procedurally  
6 for you to know why we are asking for oral supplement of his  
7 testimony.

8 It is also important and relevant to this case,  
9 because Dr. Ericksen plans to make comments about Edison's  
10 pattern of compiling data and the accuracy in providing  
11 certain data.

12 And therefore, at this time I offer it as  
13 Intervenor Exhibit R-11.

14 JUDGE SMITH: As I understand, there is a dual  
15 purpose. One is to explain why you did not have an opportunity  
16 to prepare testimony. The other is actual direct evidence of  
17 a corporate inability to provide accurate information?

18 MS. JUDSON: That's correct, your Honor.

19 MR. MILLER: Judge Smith, I object to the  
20 introduction of the exhibit. Indeed, what Ms. Judson ought  
21 to say is that perhaps this reflects not just the inability  
22 of Commonwealth Edison Company to compile data, but also  
23 that of Isham, Lincoln & Beale, because we certainly had a  
24 hand in getting this information together.

25 As the Board will recall, the original

mm5

1 Interrogatory responses were acknowledged by Commonwealth  
2 Edison to be inaccurate when Dr. Singh was testifying, and  
3 we undertook to provide corrected responses in a very short  
4 period of time, and we did so.

5 The attorneys who were to have supervised that  
6 effort were engaged in this hearing room, and that has sort  
7 of been the pattern of our efforts to obtain as accurate  
8 information as we are able to in somewhat short timeframes.

9 For example, the response to the supplemental  
10 interrogatories was asked for within, I think, four days after  
11 it was served. And the data collection and compilation was  
12 entrusted to individuals who did the best they could. But  
13 we were unable to check it as carefully as we wished.

14 I had told Ms. Judson on more than one occasion  
15 that if she will tell me what numbers it is that she wants to  
16 use, I would probably stipulate to them because what we are  
17 talking about are changes of one or two or ten or a hundred  
18 out of 15,000. And I don't believe they are consequential.

19 I have also told Ms. Judson that I can't verify  
20 that the latest numbers are totally accurate. What is  
21 involved is a person sitting down and counting individual  
22 items from documents and writing down a number. There are  
23 many items, there are many documents, and people make  
24 mistakes.

25 I don't believe that the exhibit is necessary for

mm6

1 the first purpose that is offered, because procedurally we  
2 have been trying to be diligent in our obligation under the  
3 NRC's Rules of Practice to provide correct information when  
4 we know that the information that we have provided previously  
5 in Interrogatory responses was inaccurate.

6 As far as the second purpose goes, that, too, is  
7 irrelevant unless there is some materiality. The fact, that  
8 given a period of some months -- not even months, really  
9 weeks--in which to go over extremely detailed records and  
10 pull this data out, we have made errors.

11 Now when I say "we" I mean people at the company  
12 who are responsible for this, and the attorneys at Isham,  
13 Lincoln & Beale who are also responsible for that, and that  
14 includes me. I think that we probably would have been  
15 justified in answering the original Interrogatory by saying:  
16 "There are documents out at the site that contain this  
17 information. You come and look at it. Make your own data  
18 compilation."

19 We didn't do that, and I don't think that there  
20 should be any inferences drawn about the overall data  
21 compilation by Commonwealth Edison Company on the basis of  
22 these answers to Interrogatories.

23 If the Exhibit is admitted, it seems to me it  
24 raises an extraneous issue. I don't know. Perhaps we have  
25 to have rebuttal testimony on the circumstances under which

mm7

1 this data was compiled.

2 MS. JUDSON: Your Honors, may I add just one  
3 point to clarify. The Interrogatories where we have had  
4 these numerous revisions and mistakes was not the  
5 Supplement which is the breakdown, but was the total that  
6 was provided first in final form in June 25, 1984. There was  
7 some initial revisions of that data request even earlier  
8 than that.

9 What we are going to show is that some of these  
10 errors reflect problems not only in answers to the  
11 Interrogatories, but also tied into the data in the  
12 Reinspection Program itself. And we think that it is relevant  
13 in this proceeding whether the people who are compiling data  
14 on this Reinspection Program did their job right.

15 As Intervenors, we are entitled to correct answers.

16 It is true it is only because we insisted on  
17 the breakdown, that we found the errors. However, those  
18 breakdowns were the inputs used to generate tables in this  
19 Reinspection Program.

20

21

22

23

24

25

End T2

sy31b1

1 MR. MILLER: I don't know that that inference  
2 can be drawn from anything that's going on, with respect  
3 to the answers to interrogatories.

4 JUDGE SMITH: That does not comport with  
5 Mr. Miller's statement. What is your basis for your statement?

6 MS. JUDSON: Well, that these -- my understanding --  
7 we asked for the inspector by inspector breakdowns for  
8 certain elements and attributes reported in the Reinspection  
9 Program. And Dr. Ericksen is prepared to testify about the  
10 fact that the answers provided, in interrogatory 12, when  
11 added together do not conform with some of the data provided  
12 in the Reinspection Program.

13 And we believe that it's inaccurate and there are  
14 errors.

15 MR. MILLER: I'm sorry.

16 MS. JUDSON: If you wish to reserve a judgment  
17 on the admissibility of this document until after Dr. Erickse  
18 supplements his testimony, we would be quite willing to agree  
19 to that.

20 JUDGE SMITH: Well, let's first address the first  
21 purpose for which it is offered, and that is justification for  
22 supplemental testimony. Is there an objection to supplemental  
23 testimony?

24 MR. MILLER: No, and I told Ms. Judson many times  
25 that I recognize the difficulties that she and the witness are

1 laboring under, with respect to this data. I have no  
2 objection to that.

3 JUDGE SMITH: So you don't have to offer it for  
4 that purpose. Now to offer it for the substance that you  
5 suggest, that is that it demonstrates a corporate inability  
6 to collate accurate information in the Reinspection Program,  
7 if Mr. Miller objects to that, he can put you through many,  
8 many, many hoops and putting you through proof of the  
9 summary and conclusions that you would have us draw.

10 I just wonder if, having obtained that, if it was  
11 going to have a probative value that would be of any worth.  
12 Just what exactly -- what finding would we make from Intervenor  
13 Exhibit R-11? How do we plug that in to our decision?

14 MS. JUDSON: Finding that Edison has not adequately  
15 kept records and compiled data relating to the Reinspection  
16 Program?

17 JUDGE SMITH: Okay, tear down the plant, that's it.  
18 And then just decommission it.

19 MS. JUDSON: Your Honor, this is clearly one point,  
20 but it's a point that we have a right to make. And I also  
21 think that it is grossly unfair for Edison to refuse to  
22 accurately answer interrogatories.

23 JUDGE SMITH: Well, that's another matter. That's  
24 an entirely other matter. There could be inferences that  
25 could be drawn from a refusal to accurately respond to



sy31b3

1 interrogatories, a negative inference rule, for example. That  
2 you are offering this as evidence that the reinspection data  
3 is inaccurate.

4 MS. JUDSON: I'm offering it as evidence that there  
5 is a corporate problem in providing accurate data. And  
6 we have seen repeated circumstances --

7 JUDGE SMITH: A corporate problem in providing  
8 accurate data?

9 MS. JUDSON: Relating to the Reinspection Program.

10 JUDGE SMITH: Are you offering it as evidence that  
11 there is a corporate problem of using accurate data in the  
12 Reinspection Program?

13 MS. JUDSON: No. There will be additional evidence  
14 provided on that point, but this has not been offered at this  
15 time.

16 MR. MILLER: Judge, I just have one further comment  
17 to make. Frankly, I feel a little bit as if I have been  
18 sandbagged and I will tell you why. When Ms. Judson said  
19 look, we've done our own compilation. I want you to stipulate  
20 that those numbers are accurate. And I said, you know, tell  
21 me what numbers you want to use and I will stipulate that they  
22 are accurate because I believed that Dr. Ericksen needed  
23 these numbers to make statistical calculations and did  
24 not want to be subjected to cross-examination by me that he  
25 hadn't used the right number.

sy31b4

1 I just wanted to get that issue behind us. It  
2 was never my intent and perhaps I wasn't as careful as I should  
3 have been to say that. These numbers are accurate for all  
4 purposes. And to the extent they are different from the  
5 numbers in the Reinspection Program Report. The Reinspection  
6 Program Report is therefore inaccurate and reflects an  
7 inability, on the part of Commonwealth Edison, to compile  
8 accurate data.

9 I think this is really just reaching --

10 MS. JUDSON: Your Honor, respectfully I beg  
11 to differ. I repeatedly asked for correct answers to his  
12 interrogatories. It was Mr. Miller who suggested the  
13 stipulation when, after repeated attempts, he couldn't provide  
14 an answer that seemed to conform with the disaggregated data.

15 But I really feel that we've been placed at an  
16 extreme disadvantage --

17 JUDGE SMITH: Well, let's say that that's true.  
18 Let's say that you were treated unfairly and bad. Let's just  
19 accept that for argument. What do we do with that information.

20 MS. JUDSON: I think you can use it as evidence  
21 that the Company has difficulty in keeping records and compiling  
22 data.

23 JUDGE SMITH: Well, I think we will take advantage  
24 of your invitation to defer ruling until you have established  
25 something. Now we are under one -- not inconsiderable burden

sy31b5

1 here. And that is we don't know what kind of data you're  
2 talking about. But other than that, let's proceed.

3 MS. JUDSON: Fine, Your Honor.

4 JUDGE SMITH: I mean, at least I don't know what  
5 kind of data you're talking about. Should we know? I mean,  
6 is there something that's been missed here? What type of  
7 figures are you talking about?

8 MS. JUDSON: These are --

9 JUDGE SMITH: You see we -- I have not, and by  
10 design, followed discovery requests. We do not monitor  
11 interrogatories and interrogatory responses. We don't choose  
12 to do that, even if we had time to do it, you see. So we  
13 don't know just what's involved in this.

14 So if you're going to make your case on this exhibit,  
15 you're going to have make a deminstration of materiality of it  
16 and just make your case.

17 MS. JUDSON: Fine, Your Honor. We'll do that.  
18 Thank you.

19 (Pause.)

20 MS. JUDSON: Your Honor -- strike that. I  
21 will start the cross examination -- I mean, excuse me,  
22 direct examination.

23 DIRECT EXAMINATION

24 BY MS. JUDSON:

25 Q Please state your full name and business address

1 for the record.

2 A My name is Eugene P. Ericksen. My business is  
3 Mathematical Policy Research, Box 2393, Princeton, New Jersey,  
4 08540.

5 Q Do you have, before you, a document entitled  
6 Testimony of Dr. Eugene P. Ericksen, consisting of 17 pages  
7 preceded by a two page summary and with attachments consisting  
8 of Appendix 1, Table 1 and Attachments A and B?

9 A I do.

10 Q Was this document prepared by you or at your  
11 direction, for this proceeding?

12 A It was.

13 Q Are there any corrections, changes, or additions  
14 that you would like to make to this testimony?

15 A Yes, there are some.

16 JUDGE SMITH: We'll go off the record for these.

17 (Discussion off the record.)

18  
19  
20  
21  
22  
23  
24  
25  
end3

sy41b1

1 JUDGE SMITH: Back on the record.

2 BY MS. JUDSON:

3 Q Dr. Ericksen, do you have any changes or additions  
4 to make, based on the data that has been supplied to you by  
5 Commonwealth Edison since the time when you filed your  
6 initial testimony?

7 A Yes, I do.

8 Q And what is that?

9 A Well, I think that I would like to first of all note  
10 that Table B.3 is incorrect. In Table B.3, for example,  
11 under attribute number 1 -- .

12 Q Excuse me, Dr. Ericksen, is that Table B.3 from  
13 where?

14 A From the Reinspection Report.

15 Q Thank you.

16 A For Inspector A there were 51 reinspections and  
17 47 of them had no discrepancy. And of the additional three  
18 discrepancies, there was no evaluation made for design  
19 significance.

20 Q Do you refer to this in any table of your own?

21 JUDGE SMITH: Table 3?

22 MS. JUDSON: Right.

23 BY MS. JUDSON:

24 Q It's Table 3 and Attachments D and E.

25 A That's right.

sy4lv2

1 JUDGE SMITH: Ms. Judson, before you proceed,  
2 I am somewhat concerned that the record may be confused on  
3 the point, at least it misled me. I thought that he was  
4 beginning to testify as to errors in his own work, but he's  
5 actually testifying as to errors he has found in Commonwealth  
6 Edison's work, or perceived errors.

7 MS. JUDSON: Your Honor, I think that's correct  
8 and maybe I can give the witness a bit of guidance because  
9 we have had to add these --

10 JUDGE SMITH: Yes, I just wanted to clear up  
11 the threshold at which we entered this line of questioning.

12 BY MS. JUDSON:

13 Q Dr. Ericksen, first we were going to go through  
14 your substitution of Attachment B and your Table 2 to  
15 explain to everyone how the data has changed. Why don't we  
16 do that first?

17 A Oh, I jumped the gun. This new Table 2 --

18 Q First, why don't you discuss the new Ericksen  
19 Amended Attachment B, so everyone knows that it is being  
20 supplemented or replaced.

21 A That is right. And I believe that there are  
22 17 elements where changes were made. And in 15 of those  
23 elements, the proportion of the original inspections that  
24 were reinspected went down. In one it stayed the same and  
25 in one it went up.

sy4lb3

1           In addition, there were three elements in which  
2 it turned out that there were no reinspections at all. The  
3 company previously reported that there were reinspections but  
4 I believe that they now say that those elements were not  
5 reinspectable.

6           So that changes -- I have to find the page --

7           Q     I believe it's Ericksen Attachment B which is  
8 the number that would be changed.

9           A     I was looking for the place where it was changed  
10 in the actual body of the testimony.

11          Q     I can ask you a direct question about that later.  
12 Why don't we just get the amended testimony in first.

13          JUDGE SMITH: Ms. Judson, I don't think there  
14 would be any objection, at this preliminary stage, if you  
15 were to perhaps join Dr. Ericksen at the table and just help  
16 him organize. I mean, if you think it would be helpful.

17          MS. JUDSON: I think it would be, because of the  
18 delays in getting --

19          JUDGE SMITH: Right. Why don't you just do it  
20 whatever way would be most helpful.

21          (Pause.)

22          BY MS. JUDSON:

23          Q     Dr. Ericksen, would you like to make any changes  
24 to your Attachment B, based on changes in Edison data?

25          A     Yes, I would like to submit this Table 2. If

sy41b4

1 you look in my Attachment B --

2 JUDGE SMITH: This is amended Attachment B?

3 THE WITNESS: Yes, I think I got confused by  
4 the proceeding off the record. I thought we had already  
5 done that. In my Attachment B, starting on page two of six,  
6 I give names of inspection elements and indicated the total  
7 inspections performed, the total reinspections performed,  
8 and so on. And a lot of those numbers are now different.

9 To give you an example of one that's different,  
10 if you turn to page five of six, where it says "Finished  
11 weld inspection for piping and whip restraints" there were  
12 4,395 and the new number is 10,981. So that's an example  
13 of the change that should be made.

14 JUDGE SMITH: Well, what are your long term  
15 intentions, with respect to these changes? I mean, how  
16 do you intend, if you do, to get them into the record?

17 THE WITNESS: Well, I felt that since I had  
18 testified in terms of the shortcomings of the sample, that  
19 I should make some comment, given that the numbers were  
20 changed. And the change in the numbers, in 15 cases,  
21 indicates that a smaller proportion of the population was  
22 sampled than I originally thought. In one case, there was  
23 no change and in one case the proportion went up.

24 JUDGE SMITH: I guess my question is more of a  
25 mechanical one, rather than a substantive one.



sy41b5

1 MS. JUDSON: Perhaps I can help. The mechanical  
2 changes that Ericksen Amended Attachment B will replace  
3 the former Attachment B and Table 2 is being introduced  
4 to show how the numbers have changed to support -- to show  
5 that the changes do not alter Dr. Ericksen's conclusion.  
6 And in fact, they are even stronger because of those changes.

7 JUDGE SMITH: All right. I understand.

8 MR. MILLER: Judge, I have no objection to  
9 simply physically replacing --

10 JUDGE CALLIHAN: Attachment B is correct, is it not,  
11 from what you just said? I will repeat. Ericksen Amended  
12 Attachment B, received today, page five of five, Item 29, is  
13 the correct number of total inspections performed, namely  
14 10,981. Is that a true statement?

15 THE WITNESS: That's right.

16 JUDGE CALLIHAN: Thank you.

17 MR. MILLER: Your Honor, I have no objection to  
18 simply replacing the original Attachment B with this amended  
19 Attachment B. Can't that be done?

20 JUDGE SMITH: I thought that's what we did.

21 MR. MILLER: Is that what we have done? Then I  
22 don't understand why we are --

23 JUDGE SMITH: Well, there are errors in Amended  
24 Attachment B, also.

25 MS. JUDSON: No, there are not. The witness was

sy41b6

1 merely trying to explain that the statements he made about  
2 inadequacy of sample size still hold true and may even be  
3 stronger. And that is the purpose of showing Table 2.  
4 Because he already filed testimony, he wants the judges and  
5 everyone here to understand that even though the numbers  
6 changed, those conclusions didn't have to change.

7 And in fact, they're a bit stronger than they were  
8 before.

9 JUDGE SMITH: I understand. Okay.

10 So Attachment B -- Amended Attachment B will be  
11 the one that's received into evidence.

12 MS. JUDSON: Right. And Table 2 will show the  
13 changes that were made between the first answer and --

14 JUDGE SMITH: All right. All right.

end4

15

16

17

18

19

20

21

22

23

24

25

1 BY MS. JUDSON:

2 Q Dr. Ericksen, do you wish to make any other  
3 changes based on the changes in Edison's response to  
4 Interrogatory 12?

5 A Well, if you look on page 7 in Answer All, I  
6 gave an example of out of 4,321 original inspections of  
7 piping and whip restraints, only 4 reinspections were done.  
8 The 4,321 is now 10,509, and the 4 is now 0.

9 And again, my conclusion has not changed  
10 substantially.

11 Q Do you wish to add anything to your Answer 11?

12 A Yes. The justification for the statement that  
13 Edison did not disaggregate Hatfield data by inspection  
14 element on page 8 -- the support for that is Attachment C.

15 JUDGE SMITH: Should we make a physical change  
16 in that testimony?

17 MS. JUDSON: Yes, you can add, See Ericksen  
18 Attachment C at the end of the last paragraph in Answer 11.

19 JUDGE SMITH: Following the word "element."  
20 And you're going to make that change in the copy you give  
21 the reporter. Everything that we do has to be made in the  
22 copy given to the reporter.

23 MS. JUDSON: Yes, that's right.

24 MR. CASSEL: That was "see Ericksen what?"  
25 Attachment C, was it?

1 MS. JUDSON: Attachment C.

2 BY MS. JUDSON:

3 Q Dr. Ericksen, do you wish to supplement your  
4 testimony in any way? And if so, why?

5 A Yes, I would like to supplement my testimony  
6 based on new information that has been provided by  
7 Commonwealth Edison. I think it will help me make my  
8 points somewhat stronger.

9 Q Do you wish to offer any comments concerning  
10 the changes in the data provided by Edison in response to  
11 Interrogatory 127

12 A Well, I think I've already commented on the  
13 record concerning the error in Table B.3. Do I need to go  
14 through that again?

15 Simply that there were three additional  
16 discrepancies which do not appear to have been evaluated for  
17 design significance.

18 Secondly, --

19 MR. MILLER: Excuse me. I'm going to move to  
20 strike because there's not anything that I'm aware of in the  
21 record -- certainly nothing in Dr. Ericksen's testimony --  
22 that says anything about the evaluation of discrepancies.  
23 Unless there's some foundation laid for his assertion that  
24 the discrepancies he has found were not evaluated for  
25 design significance, I object.

1 MS. JUDSON: I would like to respond to that.  
2 Table 3 of Dr. Ericksen's testimony is a reproduction of  
3 Table -- parts of Table B.3 for Hunter attributes. It  
4 lists the results of inspections by inspector.

5 Ericksen Attachments D and E show the breakdowns  
6 for individual inspectors for this reinspection attribute  
7 number 1. When you add up the total for Inspector A of  
8 the sample elements reinspected -- that is, 24 and 27 --  
9 it turns out that there were 51 elements reinspected.  
10 Table B.3 shows only 48.

11 In the testimony of Mr. Singh, he indicated that  
12 109 discrepancies were evaluated. That's a part of the  
13 record. Mr. McLaughlin indicated that he reviewed 60  
14 Hunter weld discrepancies to determine design significance.  
15 Mr. Branch indicated that he reviewed 49, which gives a  
16 total of 109.

17 However, this disaggregated data shows that there  
18 were 112 discrepancies. Dr. Ericksen is not providing any  
19 opinion about whether these discrepancies were or were not  
20 design significant. He's merely trying to show on the  
21 record that there were recordkeeping errors, and it seems  
22 that there's no evidence in any evaluation for certain  
23 discrepancies.

24 MR. MILLER: Based on that explanation, I  
25 withdraw my motion.

1 THE WITNESS: Okay. Secondly, I am not sure  
2 if I have the right numbers even now. This seems to have been  
3 an extremely haphazard, sloppy data collection --

4 MR. MILLER: Excuse me. If the witness will  
5 testify as to fact rather than characterizing this, I  
6 think that the record will be useful to the Board. The Board  
7 will undoubtedly draw its own conclusions about data  
8 collection, and I don't think it adds anything to the record  
9 to have Dr. Ericksen call it sloppy or haphazard or anything  
10 else.

11 THE WITNESS: Well, let me simply state that my  
12 expectation was that these numbers, given the investment  
13 that's been made in the plant and the investment that's been  
14 made in these hearings, would have been readily accessible  
15 in a printout, and it would just be a matter of finding  
16 them.

17  
18  
19  
20  
21  
22  
23  
24  
25  
end 5

mm61b1

1 MR. MILLER: Judge Smith, I move to strike.

2 I don't know what, in Dr. Ericksen's background,  
3 qualifies him to state what should and shouldn't be on  
4 computer printouts at a nuclear power plant.

5 JUDGE SMITH: Okay. Now did you move to strike  
6 the "sloppy and haphazard?"

7 MR. MILLER: Yes, that's right.

8 JUDGE SMITH: So we have two motions, with  
9 respect to the computer printout opinion. Dr. Ericksen,  
10 do you really feel qualified to make that observation?

11 THE WITNESS: Well, in my background, in the  
12 survey and data collection business, at Mathematical Policy  
13 Research, and before that, any time we get involved in any  
14 large-scale data operation in this day and age we find it  
15 necessary to computerize and mechanize the procedure.

16 Therefore, any correction that comes up, assuming  
17 the computer programs are correct, we can get the answer  
18 simply by programming the computer to provide it.

19 JUDGE SMITH: Well, I think the better disposition  
20 of your objection is not to strike it but to understand the  
21 context in which he is making a judgment. And it's appropriate  
22 for cross examination, of course.

23 With respect to his characterization, he is making  
24 that not as an expert witness, but as an observer of certain  
25 facts, and he is describing what he inferred from those facts.

mm61b2

1 And you can cross examine him on that. So your objection is  
2 overruled.

3 I do believe, however, Dr. Ericksen, that your  
4 testimony might flow somewhat more smoothly if you select your  
5 words more for accuracy rather than for perjorative impact.

6 THE WITNESS: Okay.

7 BY MS. JUDSON:

8 Q Dr. Ericksen, what new data have you received since  
9 your testimony has filed?

10 A I have received data from the Hunter Company giving  
11 the discrepancy rates for individual elements and individual  
12 inspectors.

13 Q Have you formed any conclusions, based on this  
14 data?

15 A Yes, I have. An example of the data I've given  
16 in my Table 4. In Table 4 I have selected, for an example  
17 two elements. Element number one is finished weld inspections  
18 for piping and whip restraints. Element number two is  
19 finished weld inspections for component supports. And  
20 the inspectors who are listed are the nine inspectors who  
21 inspected both elements.

22 There are some other inspectors who inspected one  
23 but not both and these inspectors, most of them, also inspected  
24 other elements.

25 I am simply trying to indicate a result for the nine



1 inspectors who inspected both of these elements. Now what  
2 this table shows me, first of all there is variation between  
3 elements for the same inspector. If you look at Inspector  
4 A, his discrepancy rate was 12 percent for the second element  
5 and 4 percent for the first element.

6 Inspector E was 68 percent for the second element  
7 and 1 percent for the first element.

8 If you look within the element, you can see that  
9 there are also variations in the discrepancy rates among the  
10 inspectors, 12 percent, 0 percent, 68 percent, to give you  
11 an example.

12 I think that this is the best evidence that we  
13 have that indicates that inspectors and elements are not  
14 homogenous, that individual inspectors had error rates which  
15 were unique to them. Some were higher than average, some  
16 were lower than average.

17 It also shows that elements vary according to their  
18 difficulty of inspection. Some were more difficult to  
19 inspect, some were less difficult to inspect. These data  
20 also show that there were particular combinations of element  
21 and inspectors where the discrepancy rate was particularly  
22 high or particularly low.

23 Given that there was variation among inspectors  
24 and among elements, it is difficult to generalize to those  
25 elements where no inspections were done, to those inspectors

1 who did not come into the sample. Now the problem goes  
2 beyond just the Hunter Company. In Table 5 I have compared  
3 the discrepancy rates for the five companies who reinspected  
4 visual welds. And you can see that there was variation among  
5 the companies for this same attribute.

6 Now the Hunter Company was the one where the  
7 discrepancy rate was lower. For the Hatfield Company, I  
8 think it would have been very instructive to have seen the  
9 same kind of table by element and by inspector. I think that  
10 this issue capsulizes the disagreement between the two sides  
11 here.

12 My position is that any time a sample is selected  
13 and a person wishes to make a generalization to the population,  
14 that person is making a statistical statement. Now I have  
15 read that the assumption was made that inspectors and  
16 elements were homogenous and that those were made on the  
17 basis of engineering judgment.

18 It is my position that the data show that the  
19 engineering judgment is incorrect.

20 Q Do you have any further additions or changes that  
21 you wish to make to your testimony?

22 A No, I don't.

23 Q With these corrections, changes, and supplementary  
24 testimony, is this testimony true, accurate, and complete to  
25 the best of your knowledge?

mm61b5

1 A It is.

2 MS. JUDSON: Your Honors, I now move to have  
3 this testimony, as corrected, changed and supplemented,  
4 received into evidence and bound into the transcript of these  
5 proceedings as if read.

6 JUDGE SMITH: Are there objections?

7 MR. MILLER: Judge Smith, I would like to conduct  
8 voir dire examination of Professor Ericksen before stating  
9 my objections.

10 JUDGE SMITH: All right.

11 Ms. Judson, perhaps -- if you would return to your  
12 counsel table, please.

13 (Pause.)

14 JUDGE SMITH: I think this would be a good time  
15 to take our morning break.

16 (Recess.)

17  
18  
19  
20  
21  
22  
23  
24  
25  
end6

1 JUDGE SMITH: If you are ready, you may  
2 proceed, Mr. Miller.

3 MR. MILLER: Thank you, Judge Smith.

4 VOIR DIRE

5 BY MR. MILLER:

6 Q Dr. Ericksen, it's correct, is it not, that you  
7 are not an expert in structural, mechanical, or electrical  
8 engineering?

9 A That is correct.

10 Q And it is also correct that you do not know what  
11 quality assurance is, in the nuclear industry?

12 A I have an idea of what quality assurance is, in  
13 the nuclear industry.

14 Q Dr. Ericksen, were you deposed by me, on July  
15 19th, 1984?

16 A Yes, I was.

17 Q And at page 14 of that deposition, were you asked  
18 these questions -- and did you give these answers?

19 "Question --" I'm sorry. Page 14, line 17.

20 A This is the first one?

21 Q Yes, sir.

22 Were you asked these questions and did you give  
23 these answers?

24 "Question: Do you regard yourself as an expert  
25 in Quality Assurance techniques?"

1 "Answer: Could you be more specific about what  
2 do you mean by Quality Assurance techniques?"

3 "Question: Do you know what Quality Assurance  
4 is in the nuclear industry."

5 "Answer: Not in the nuclear industry."

6 Did you give those answers?

7 A I did.

8 Q Thank you.

9 A I would like to say --

10 Q Excuse me. Your counsel can, if she wishes, elicit  
11 questions from you when her time comes.

12 MR. MILLER: He has answered the question, Judge  
13 Smith, and I would like to proceed.

14 JUDGE SMITH: Dr. Ericksen, there will be times  
15 during your cross examination when you will be invited to  
16 explain your answer right at the time and there will be times  
17 when counsel will exercise his prerogative simply to get yes  
18 or no answers. And I will leave it to your attorney to develop  
19 your explanation. That is his right.

20 If, after the end of your testimony, you believe  
21 that you have been denied an opportunity to explain everything  
22 that you wish to explain, you may seek leave of the Board  
23 to do it.

24 In the meantime, Mr. Miller does have a right to  
25 have a strict type of cross examination.

1 BY MR. MILLER:

2 Q Dr. Ericksen, it's also correct that you have not  
3 been involved in the design, engineering, or evaluation,  
4 of a nuclear power plant?

5 A That's correct.

6 Q You have never worked as a Quality Control  
7 Inspector at a nuclear power plant?

8 A That's correct.

9 Q And it's also correct that none of your previous  
10 consulting assignments involve nuclear power plants, is  
11 that correct?

12 A That's correct.

13 Q You were first contacted by the Intervenors in  
14 this proceeding in early July?

15 A That's correct, to the best of my memory.

16 Q Could you tell us about how much time you have  
17 spent on this assignment since you were first contacted by  
18 the Intervenors?

19 A I would say somewhere between five and ten days,  
20 five to ten eight-hour days.

21 Q You are an expert statistician, is that correct?

22 A I am.

23 Q Now, I would like you to turn to answer 10 to your  
24 prepared written testimony, Dr. Ericksen.

25 MR. CASSEL: Judge, I'm at something of a

1 disadvantage here. I haven't seen a cross plan. If the  
2 Board is confident that this is appropriate voir dire, I'm  
3 not going to raise any question. It does seem to me that this  
4 is appropriate cross examination on the merits, as opposed  
5 to a preliminary decision on the admissibility of the  
6 document.

7 JUDGE SMITH: I don't see anything that matters.

8 MR. CASSEL: Fine.

9 JUDGE SMITH: I think it's his choice and if he  
10 chooses to go this way, it's all right. I don't see any  
11 problem.

12 BY MR. MILLER:

13 Q Dr. Ericksen, in the first sentence of answer 10 --  
14 first of all, right in the first line, you say we. That is,  
15 the sentence reads "In order to assure that a plant can be  
16 operated safety, we are primarily concerned --" and so forth.

17 Is that the royal "we" sir or are you talking about  
18 yourself?

19 A I think that "we" refers to society in general.

20 Q Of course, that's why we're all here, to get  
21 the assurance that the plant is operating safely, correct?

22 A I think that your "we" is the same as mine, in  
23 that question.

24 Q Now in the third line of Answer 10, you referred  
25 to inspection elements, correct?

mm71b5

1           A     That's correct.

2           Q     And then you, in the following sentence, analogize  
3 those inspection elements to the parts of an automobile. And  
4 the analogy is that it really doesn't do us very much good  
5 to know that 99.5 percent of the parts of the automobile  
6 were inspected if the 5 percent that were missed are the  
7 brakes and the steering. That's the analogy that you  
8 draw, right.

9           A     It's 0.5 percent.

10          Q     0.5 percent, correct. That's the analogy that  
11 you're drawing?

12          A     That's right.

13          Q     It's a fact, is it not, that brakes and steering  
14 in the automobile, those aren't inspection elements, those  
15 are safety systems, aren't they?

16          A     Well, I think that the point is that if there is  
17 a critical part of an overall mechanism, that if that is  
18 incorrect, the entire mechanism is unsafe. Then you want  
19 to be absolutely sure that that particular component is  
20 correct.

21          Q     Right. And a brake system in an automobile is  
22 composed of tubing, piping, and the electrical system that  
23 goes to the brake lights and the assembly of the brake pedal  
24 and the brake discs or drums, isn't that right.

25          A     Well, the idea there -- that is certainly the case.



1 The idea there is that if you take all of those elements and  
2 put them together, and they're 0.5 percent of the parts of  
3 the car, that each one of those needs to be inspected properly.

4 As it happens, I once had a car that was supposed  
5 to have been properly inspected and it turned out that the  
6 only thing that had not been put in there was the brake  
7 fluid. I got out driving the car and the brakes didn't  
8 work. So that was one element. That's one part of the  
9 brakes.

10 Certainly I'm quite confident less than 1/2 of  
11 1 percent of the things in the car that need to be inspected.

12 Q What do you understand the term "inspection  
13 element" to mean, as it's used in the Reinspection Program?

14 A It's my understanding that an inspection element  
15 is a unique part of the plant.

16 Q Of the --

17 A Is a unique part of the nuclear power plant, that  
18 has unique characteristics. There may be several of them, but  
19 I guess you would think of it as an indivisible grouping that  
20 would not have subparts.

21 Q Aren't inspection elements related to inspection  
22 tasks, rather than to specific systems within the nuclear  
23 power plant?

24 A I'm afraid I don't understand that question.

25 Q Let me try it again. Inspection elements are, for

mm71b7

1 example, visual weld examinations, correct? Aren't visual  
2 welds an attribute?

3 Well, let's take one of your amended supplemental  
4 tables here, Dr. Ericksen. If we look at Ericksen Attachment  
5 E supplement, finished weld inspection for component supports.

6 A Okay.

7 Q Does that indicate what system, within the nuclear  
8 power plant, the finished weld inspection is going to cover?

9 A Component supports.

end7

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

T8 MM/mml 1

2 Q Do you know whether component supports are  
unique to specific systems within a nuclear power plant?

3 A Well, to answer what I understand the point  
4 of your questioning to be --

5 Q Don't answer the point of my question. Please,  
6 just answer my question.

7 Do you understand that component supports are  
8 unique to a specific system within a nuclear power plant?

9 A No, I don't.

10 Q Okay.

11 Now, I would like you to turn, if you would, to  
12 the last paragraph of answer 10. Now, once again in this  
13 sentence, the second sentence of that last paragraph it  
14 starts out: "Even if we are 95 percent certain. . ." and  
15 so on.

16 Once again, who is the "we" that you are referring  
17 to there, sir?

18 A I suppose that would be anybody who wants to make  
19 a comment on the safety of a nuclear power plant.

20 Q Well, do you include those persons who are  
21 entrusted by the laws of the United States with the regulation  
22 of the construction and operation of nuclear power plants  
23 within the word "we"?

24 A Let me make sure that we have the same sentence.  
25

mm2

1 We are talking of the sentence, "Even if we are 95 percent  
2 certain that 99 percent. . . ."

3 Q Yes, that's the second sentence.

4 A And your question again?

5 Q My question is, do you include within the word  
6 "we," those individuals who were entrusted under the laws  
7 of the United States with responsibility for regulating the  
8 construction and operation of nuclear power plants?

9 A That's right, because such a person would have to  
10 have some kind of statistical basis for making that statement  
11 and none has been proffered.

12 Q I see.

13 Do you know of any regulatory requirement by  
14 the NRC which says that in order for a nuclear power plant to  
15 receive an operating license, the Nuclear Regulatory Commission  
16 must be more than 95 percent certain that 99 percent of all  
17 inspections that had a chance of being included in a sample  
18 met design requirements?

19 A I'm not a lawyer, so I don't know the law.

20 Q You have never looked at the regulations, have  
21 you?

22 A No.

23 Q Do you know of any NRC -- I'm going to move down  
24 to the third sentence in that paragraph.

25 Do you know of any NRC regulatory requirement

mm3

1 that says that the NRC wants to be more than 95 percent  
2 certain that more than 99 percent of very important safety  
3 elements met design requirements?

4 A No.

5 Q In your judgment, Dr. Ericksen, do the words  
6 "reasonable assurance" mean that you want to be more than 95  
7 percent certain that more than 99 percent of the very important  
8 safety elements meet design requirements?

9 MR. CASSEL: Objection.

10 Is he referring to reasonable assurance in the  
11 sense that those terms are used in the law?

12 MR. MILLER: Just a second. Excuse me. I object  
13 to counsel's interposing at this point in time, because what  
14 we are testing here is Dr. Ericksen's knowledge of the  
15 regulatory process. And Dr. Ericksen is perfectly capable  
16 of picking up from his counsel the thrust of my question.

17 I believe I am entitled to his answer based on  
18 his knowledge as he sits there. The words "reasonable  
19 assurance" are perfectly straightforward English words.

20 JUDGE SMITH: May I have the question? Could  
21 you reread the question, or should I have the reporter read  
22 it?

23 MR. MILLER: The question was, do the words  
24 "reasonable assurance" mean that one wants to be more than  
25 95 percent certain that more than 99 percent of very important

mm4

1 safety elements met design requirements.

2 MR. CASSEL: And the objection, Judge, is to the  
3 absence of a definition of the term "reasonable assurance."  
4 It has a lay meaning, and it is a legal term.

5 JUDGE SMITH: Where does it derive? Where did  
6 you get the term? Is it in his testimony?

7 MR. MILLER: No, sir. I am testing his knowledge,  
8 frankly, of the NRC regulatory approach, as he purports to  
9 make statements about what it is that the NRC ought to be  
10 judging the safety of this plant by.

11 MR. CASSEL: If that is what his purpose is, then  
12 he should make clear in his question that he is asking the  
13 witness whether the term "reasonable assurance" as used in  
14 NRC Regulations, means what Mr. Miller is asking, rather than  
15 just saying "reasonable assurance."

16 MR. MILLER: I'll accept that amendment.

17 BY MR. MILLER:

18 Q Now, Dr. Ericksen --

19 A Now could we have the question?

20 Q Sure.

21 Do the words "reasonable assurance" used in NRC  
22 Regulations mean that the NRC wants to be more than 95  
23 percent certain that more than 99 percent of very important  
24 safety elements meet design requirements.

25 A I don't see how I could answer that question

S2BU

mm5

n

1 without knowing what -- As I understand the question you are  
2 asking me what the NRC means by "reasonable assurance."

3 Q Yes, sir.

4 A You are asking for factual --

5 Q I am asking you whether it means that the NRC  
6 wants to be more than 95 percent certain that more than 99  
7 percent of very important safety elements meet design  
8 requirements.

9 A Oh, I would expect that the NRC's concern with  
10 the safety of the elements would be based on their assessment  
11 of the risks of the elements not being properly inspected.  
12 And those elements, where the consequences of an error were  
13 great, they would want to have much greater assurance.

14 I think Three Mile Island in Pennsylvania is an  
15 example of that.

16 MR. MILLER: I don't believe the witness has been  
17 responsive to my question.

18 JUDGE SMITH: I always have trouble with the  
19 word "reasonable" anyway. When you are going to introduce  
20 that into a question, you are inviting that type of answer.

21 MR. MILLER: Judge, I put a context on it at  
22 counsel's suggestion, which is NRC Regulations. What I  
23 want to know, basically, Dr. Ericksen, are you aware of any  
24 aspect of the NRC Regulation which quantifies the regulatory  
25 term "reasonable assurance" in terms of a confidence interval

mm6

1 and a reliability calculation?

2 JUDGE SMITH: That is a good question, and that  
3 is a question as to which counsel is entitled to a yes or  
4 no answer.

5 THE WITNESS: No.

6 BY MR. MILLER:

7 Q Thank you.

8 Now, Dr. Ericksen, are you familiar with the  
9 scope and coverage of the quality assurance program at the  
10 Byron Nuclear Power Plant?

11 A I have reviewed the Reinspection Reports, so I am  
12 familiar to the extent that it was described in the  
13 Reinspection Report and in the testimony which has been  
14 given by certain Edison witnesses.

15 Q And are you familiar with the Nuclear Regulatory  
16 Commission's resident inspector program?

17 A No.

18 Q Are you familiar with the scope and coverage of  
19 routine Nuclear Regulatory Commission Staff inspections of  
20 the Byron Nuclear Power Plant?

21 A You mean in addition to those which were part of  
22 the Reinspection study?

23 Q Yes, sir.

24 A No.

25 Q Are you familiar with the NRC so-called CAT



mm7 1 team inspection in 1982?

2 A Well, let me state in terms of all the questions  
3 you have asked me, I was aware that programs existed. I  
4 don't think that's what you mean by familiar.

5 I think what you mean by familiar is am I aware  
6 of how they are done and that sort of thing, and the  
7 answer is no.

8 Q Do you know whether or not -- have you ever  
9 heard of the initials ACRS?

10 A Certainly, I have heard the initials ACRS.  
11 (Laughter)

12 Q As an acronym for a body?

13 A No.

14 Q So you don't know what function, if any, the  
15 ACRS, which stands for Advisory Committee on Reactor Safety  
16 performs with respect to analysis of the safety of nuclear  
17 power plants?

18 A No. All that has been beyond the scope of my  
19 evaluation testimony.

20

21

22

23

24

25

1           Q     I take it, from your previous answers, that  
2 you have never looked at Appendix A to 10 CFR Part 50?

3           A     I don't know my titles.

4           Q     Those are general design criteria for nuclear power  
5 plants.

6           MS. JUDSON: Can you show it to the witness?

7           MR. MILLER: I want to know if he can remember it.  
8 I'll be glad to show it to him.

9           MS. JUDSON: He said he doesn't remember his  
10 titles. I think it would be helpful for him to see the  
11 document.

12                     (Document handed to witness.)

13           BY MR. MILLER:

14           Q     It goes on for about seven or eight pages, in  
15 the bound volume of 10 CFR that I have tendered the witness.  
16 I don't ask that you read it all. I just want to know  
17 whether, scanning it, you can tell us whether you've ever  
18 seen it before?

19           A     Yes, I have seen it.

20           Q     When did you first see it, Dr. Ericksen?

21           A     Sometime in July.

22           Q     Did you read it from front to back?

23           A     I read it in sections. I did find a sentence  
24 in there that I've seen before.

25           Q     All right. Now in your answer to Question 10 at

1 page 7, the sentence we've been looking at, you talk about  
2 wanting to be more than 95 percent certain that more than 99  
3 percent of the very important safety elements met design  
4 requirements.

5 I would like to ask you if you could identify for  
6 us what the very important safety elements are, in a nuclear  
7 power plant?

8 A This is an example of where the statistician relies  
9 on subject matter expertise. I believe Mr. Teutken provided  
10 a categorization of the safety significance of elements.

11 Q Well what does the word safety elements, as used  
12 in that sentence mean? Does it mean safety systems, like the  
13 brakes in a car, or does it mean inspection elements?

14 A It means the component parts.

15 Q And where, in Mr. Teutken's testimony, did he  
16 classify the component parts by safety significance?

17 A It's my understanding that Mr. Teutken was taking  
18 categories of things which are inspected and assigning them  
19 the safety significance. And I have simply taken all of the  
20 elements which would be part of that to have the same safety  
21 significance in grading.

22 Q From whom did you get that understanding of  
23 Mr. Teutken's testimony?

24 A That was my own.

25 Q Did you review Mr. Teutken's deposition?

mm91b3

1           A     I don't recall.

2           Q     I think your counsel will stipulate, Dr. Ericksen,  
3 that Mr. Teutken was not asked to rank component parts in  
4 terms of their safety significance, but rather to rank  
5 inspection elements, all of which Mr. Teutken said were  
6 safety related.

7                   MR. CASSEL: We will so stipulate.

end9

8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 BY MR. MILLER:

2 Q Now, outside of your understanding of what  
3 Mr. Teutken said, is there any basis that you know of for  
4 differentiating a particular component part as a very  
5 important safety element?

6 A Well, I think it's simply a matter of common  
7 sense that the paint on the side of the pipes may not  
8 have the safety significance at the same level that the  
9 welding would have inside the center of the nuclear reactor.

10 And as a statistician, a question that I would  
11 routinely ask an engineer would be to make a classification  
12 of the risk of failure of every element of a nuclear power  
13 plant.

14 Now, what Mr. Teutken provided was an  
15 approximation to that. And given that all I had was an  
16 approximation of that, I simply had to go with it. What  
17 that approximation told me was that there were variations in  
18 the safety significance of parts of the nuclear power plant;  
19 whether you call them elements, components or whatever.

20 Q Well, in other words, it doesn't make a  
21 difference to you whether he was talking about inspection  
22 elements or component parts?

23 A That's right.

24 Q They're interchangeable, as far as you --

25 A No, they are not interchangeable. But I think

1 that every subpart that could be inspected, there is a  
2 classification. One can assess the risk of error.

3 Q Well, would you agree, Dr. Ericksen, that the  
4 very important safety elements include those safety systems  
5 that would be called upon in the event of a LOCA?

6 A You'll need to define your last term.

7 Q You don't know what a LOCA is?

8 A No.

9 Q It's a loss of coolant accident. Have you ever  
10 heard that term before?

11 A A loss of cooling -- ?

12 Q Accident.

13 A I may have.

14 Q Are those systems that would be called upon to  
15 operate in the event of a loss of coolant accident a part  
16 of the ECCS?

17 A I don't know.

18 Q Do you know what ECCS stands for?

19 A No, I don't.

20 Q It stands for emergency core cooling system.

21 Now let me just ask you one more question along this line.  
22 Which, if any, of the systems that I am going to name are  
23 a part of the emergency core cooling system at Byron?

24 MR. CASSEL: Objection. The witness has already  
25 testified he doesn't know what the ECCS is. If Mr. Miller's

1 point is that the witness does not know the engineering  
2 components of a nuclear power plant, we will so stipulate.  
3 This is simply beating a dead horse at this point.

4 MR. MILLER: Well, maybe. But I think I'm  
5 entitled to one more try at this. If the Board wishes me  
6 to move on to something else, I will be happy to.

7 JUDGE SMITH: Dr. Ericksen, I believe, has been  
8 quite candid in admitting to you that he has little  
9 knowledge of the operation of a nuclear plant. I don't  
10 think he's trying to inflate his expertise in that area.  
11 I think you have made your point.

12 MR. MILLER: All right. Let me just move on.

13 BY MR. MILLER:

14 Q Dr. Ericksen, with respect to any of the  
15 component systems that make up the emergency core cooling  
16 system at Byron, do you know what the scope of work of Hatfie.  
17 or Hunter is?

18 A If I understand your question, what you are  
19 asking me is, do I understand what the systems are that were  
20 inspected by Hatfield, and what are the systems that were  
21 inspected by Hunter. I believe the answer was that they were  
22 listed in the Inspection Report.

23 Q Which inspection report, sir?

24 A There is only one.

25 Q I'm sorry, the Reinspection Program Report?

1 A Yes.

2 Q You have a copy before you, do you not?

3 A I do.

4 Q Would you point out for me where the safety  
5 systems that were inspected by Hatfield and Hunter are  
6 listed in this document? Unless your counsel wants to  
7 stipulate that they are not there.

8 MR. CASSEL: If the reference is to safety  
9 systems, I think we can stipulate that the safety systems  
10 are not listed in the Reinspection Report.

11 THE WITNESS: I misunderstood your question.  
12 I thought you were asking me what were the attributes which  
13 were inspected by those three companies.

14 BY MR. MILLER:

15 Q Okay, fine. Now turning back one page in  
16 Answer 10 to page 6, the sentence that begins at the top  
17 of the page talked about -- and you may have to read the  
18 preceding sentence to get the context of that sentence,  
19 but you talk about certain sample sizes that should have  
20 been taken, and that this would have enabled the Reinspection  
21 Program to establish acceptable confidence levels.

22 Acceptable to whom, sir?

23 A Would you give me --

24 Q It's the third line on page 6.

25 A Oh, I misunderstood you. Not to be difficult,



1 but could you repeat the question?

2 Q I'd be happy to. My question is, the statement  
3 in your prepared testimony says that if certain sample  
4 sizes and other statistical criteria had been followed,  
5 this would have enabled the Reinspection Program to  
6 establish acceptable confidence levels. And my question is,  
7 acceptable to whom.

8 A Okay. My answer to that is that in the document  
9 which you showed me there is a statement that you need to  
10 have assurance of the safety in the inspection of the plant.

11 Now, as a statistician, I come into it because  
12 a sample was taken and inferences are being made to a  
13 general population. And one of the things that a statistician  
14 requires for a proper statistical analysis to be done is  
15 a statement of a loss function. And a loss function has to  
16 do with the risk of error.

17 If you incorrectly assume that the plant is safe --  
18 correct that, not the plant. If you incorrectly conclude  
19 that the safety element or the component or the attribute  
20 is safe and it is not, then you establish your confidence  
21 interval based on the risk of error.

22 And my point here is that it was incumbent, from  
23 the point of view of Edison, to have its engineers classify  
24 the things that were being inspected according to the risk  
25 of error in order for a statistician to make a reasonable

1 evaluation of what was done.

2 And my criticism is that that engineering  
3 judgment was not applied and stated in the report, which  
4 made it impossible to make a statistical evaluation. And  
5 given that a correct statistical evaluation could not have  
6 been made, it's impossible to support and verify the  
7 statistical procedures followed by Commonwealth Edison.

8 Q Well, so acceptable means acceptable to  
9 a statistician?

10 A No, it means acceptable -- the engineer is  
11 required to state -- let me back up. When an engineer wishes  
12 to make a statistical statement which -- or any statement  
13 where generalizations are made from a sample to a population  
14 of a statistical statement -- that person is required to  
15 state the costs of being wrong.

16 Q So you're also required to state a confidence  
17 interval and a reliability number?

18 A Yes, because you need to be able to make a  
19 statement that we are this much certain, and our statement  
20 takes into account the risks of error.

21 Q I see. But you can't tell me where in the  
22 Code of Federal Regulations that requirement is found, can you,  
23 that there be a statistical statement?

24 MR. CASSEL: Judge, I've got the same objection  
25 here. He said he is not a lawyer, he is not familiar with

1 the legal requirements --

2 MR. MILLER: That is certainly clear, but what  
3 his testimony purports to do is to establish certain  
4 standards.

5 THE WITNESS: Could we go off the record for  
6 a minute?

7 JUDGE SMITH: You don't have to be off the  
8 record for a request of help.

9 (Witness reviewing document.)

10 THE WITNESS: The sentence that I'm referring to  
11 is Part 50, Appendix A under Criteria. "A quality assurance  
12 program should be established and implemented in order to  
13 provide adequate assurance that the structures, systems  
14 and components will satisfactorily perform their safety  
15 functions."

16 Now, Edison chose to do this on the basis of  
17 sampling. It may not have been a proper sample, but nonetheless,  
18 they chose to do it on the basis of sampling.

19 BY MR. MILLER:

20 Q Chose to do what, sir?

21 A The Reinspection Program.

22 Q Is that the same as the quality assurance program,  
23 as used in that sentence from the General Design Criteria  
24 that you just quoted?

25 A That's what I'm taking that to mean.

1                   And in order to do that, it's necessary to  
2 state the risks of error and a statement of the risks of  
3 error informs the confidence interval, and when the risk  
4 of error is greater, the confidence interval is to be more  
5 stringent; where the risk of error is less, the confidence  
6 interval can be less.

7                   Now, 95 percent is not a particularly stringent  
8 confident interval, given the obvious risks of a failure of  
9 a nuclear power plant.

10                  Q       Can you find anywhere in the General Design  
11 Criteria a statement that a confidence interval of 90 percent,  
12 95 percent, 99 percent, or any other number is the  
13 regulatory standard by which reasonable assurance is to be  
14 measured?

15                  A       I found a general statement. I didn't find  
16 any statement that contradicts it in terms of giving specific  
17 standards. And it's only reasonable that when you're going  
18 to be provided a safety assurance on the basis of a sample,  
19 that you state criteria by which you're stating confidence  
20 intervals and reliabilities.

21                  Q       All right. Now, at the bottom of page 7, you  
22 differentiate among four elements -- critical to safety,  
23 very important to safety, somewhat important to safety --

24                  A       What page?

25                  Q       I'm sorry. Page 6 again. Do you have those?

                  A       Yes.

1 Q Is there anything in the Nuclear Regulatory  
2 Commission regulations, to your knowledge, which makes this  
3 four stage differentiation?

4 A That is only a reasonable thing to do, based on  
5 the sentence that I read you.

6 Q Well, Dr. Ericksen, I would like you to read the  
7 first paragraph of the introduction to the General Design  
8 Criteria, Part 50, Appendix A. Just read it to yourself and  
9 then I have a few questions.

10 (Pause.)

11 A I have read it.

12 Q It's a fact, is it not, that that paragraph makes  
13 one differentiation between items that are important to safety  
14 and those that are not, isn't that correct?

15 A I believe you are referring to the sentence that  
16 reads "The principal design criteria establishes the necessary  
17 design, fabrication, construction, testing, and performance  
18 requirements for structures, systems, and components important  
19 to safety. That is, systems and components will provide  
20 reasonable assurance that the facility can be operated without  
21 undue risk to the health and safety of the public."

22 I find that entirely consistent with my answer.

23 Q It doesn't break it down into four categories of  
24 safety significance. It is either important to safety or it's  
25 not, correct?

1           A     That is a very general statement that needs to  
2 be specified for operations.

3           Q     What is a very general statement, the General  
4 Design Criteria?

5           A     Yes.

6           Q     It could be, but it's all we've got.

7                     Now, Dr. Ericksen, for the critical to safety  
8 element --

9           A     You are referring to my testimony?

10          Q     Yes. Your listing there. 100 percent reliability  
11 at a 100 percent confidence level, that's not a statistical  
12 evaluation. That is a complete, 100 percent reinspection,  
13 isn't it?

14          A     That is exactly right.

15          Q     Okay, thank you.

16                     MR. MILLER: Judge Smith, at this time, I would  
17 move to strike answer 10 in its entirety and the first  
18 conclusions of Dr. Ericksen that are found in answer 9 and  
19 answer 20.

20                     JUDGE SMITH: The first conclusions in answer 9?

21                     MR. MILLER: Yes, sir. I think -- they are  
22 identified in the answer. It's the one that begins in  
23 answer 9 "First --" and so on. And it talks about failing  
24 to distinguish elements and so on.

25                     And then, in answer 20, the first conclusion about

sy111b3

1 "The company did not properly select confidence levels and  
2 acceptable reliabilities --" and so on.

3 I think that my voir dire examination of  
4 Dr. Ericksen has demonstrated that he is an expert  
5 statistician and that he has simply no basis, in his expertise,  
6 or in anything in this record, or in the discovery that  
7 has preceeded it, which enables him to give opinions about  
8 what the regulatory requirements are for showing reasonable  
9 assurance, because that is what this answer 10 purports to do.

10 JUDGE SMITH: How much of answer 20?

11 MR. MILLER: I'm sorry. It is that first conclusion.  
12 The one that starts "Yes, first, Edison did not --" and so on.

13 MS. JUDSON: Your Honor, I have two things to say.  
14 First, procedurally, since we are in voir dire and this  
15 has not been admitted into the record, I assume the argument  
16 isn't to strike, but whether to allow it in.

17 Second, I would like to say that this witness has  
18 made clear, in the initial questions, that he is not an  
19 expert as to the NRC regulations or any legal requirements and  
20 that what counsel has done is he has converted a "we" and tried  
21 to press it to be more encompassing and then said we should  
22 strike all of his answer.

23 If he wants to limit it, the "we", to a general  
24 statement as opposed to NRC requirements, that is fine. But  
25 I think to strike this entire answer is inappropriate.

sylllb4

1 MR. MILLER: Judge Smith, I specifically asked  
2 Dr. Ericksen whether the "we", who did those people who have  
3 the responsibility for regulating the Byron Station? And  
4 he said yes.

5 And what he has purported to do here is to  
6 express an opinion, as an expert, when there is simply nothing  
7 in his background as a statistician or indeed in the 40  
8 to 80 hours that he has spent looking at the Reinspection  
9 Program which entitles him to give that opinion.

10 This is the same sort of situation that we faced  
11 with Dr. Bleuel. Indeed, Dr. Fleuel had perhaps some greater  
12 degree of qualification, in terms of being an engineer and  
13 being involved with hardware inspections of one sort of  
14 another.

15 Dr. Ericksen comes before this Board really as  
16 a statistician and is purporting to establish, by this answer  
17 10, what a quantification of regulatory requirements is.  
18 I believe that if his testimony is not stricken, we can  
19 look forward to proposed findings from the Intervenors which  
20 say that Commonwealth Edison Company has not demonstrated  
21 reasonable assurance because for systems critical to safety,  
22 whatever they are -- and this witness certainly can't tell  
23 us what they are -- we didn't show 100 percent confidence --  
24 100 percent reliability and 100 percent confidence level.

25 Now the law is just to the contrary. We do not have



sy111b5

1 to quantify. There is a deterministic approach to regulation  
2 which involves the engineering judgment of the NRC Staff,  
3 the Applicant and -- on specific issues -- this Board.  
4 And to convert that into some sort of a numbers game would  
5 both be contrary to law and, I don't believe, would add to  
6 the safety of the public at all.

7 MS. JUDSON: Your Honor --

8 MR. LEWIS: I assume the Staff will be heard on  
9 this, although counsel for the Intervenor apparently is  
10 responding now. I would like to get my views on the record  
11 and perhaps she can then respond not only to the motion, but  
12 to the Staff's views as well.

13 JUDGE SMITH: Well, she has even greater options  
14 than that, too. She can redirect -- I mean, she can direct --  
15 or whatever you call it -- in response to voir dire.

16 Everybody will have a chance to express views.

17 MS. JUDSON: I would like another opportunity to  
18 speak.

19 JUDGE SMITH: Certainly. Go ahead, Mr. Lewis.

20 MR. LEWIS: I think, Your Honor, that in question  
21 and answer 9 of the witness's testimony, there are three  
22 problems identified with the sampling design and statistical  
23 analysis. I approached this in much the same way I did the  
24 testimony of Mr. Stokes, trying to see that the impact is of  
25 an exclusion of certain portions and what the redeeming

sy111b6

1 value -- or whatever the word would be -- is of the sections  
2 that are not the subject of a motion to exclude.

3 It would seem to me that the second and third  
4 elements in answer 9 -- let's look at the second element first  
5 of all --

6 JUDGE SMITH: Well, these would survive under the  
7 motion.

8 MR. LEWIS: It's my understanding there's been no  
9 motion made as to them.

10 JUDGE SMITH: All right, fine.

11 MR. LEWIS: I am proceeding on the assumption that  
12 they would.

13 JUDGE SMITH: All right.

14 MR. LEWIS: At least in terms of an exclusion, on  
15 a preliminary basis.

16 The second one deals with the questions as to  
17 whether or not inferences can be drawn based upon the way the  
18 inspection program was put together, and speaks about lack  
19 of sufficient statistical basis for making inferences.

20 And the third one specifically addresses a formula  
21 used by Dr. Singh and criticizes it. To the Staff's way of  
22 thinking, those are matters that we understand to be within  
23 the area of expertise of a statistician.

24 By contrast, when we look to the first point,  
25 namely that the program fails to distinguish elements most

sy111b7

1 important to safety from elements less important to safety  
2 and to distinguish elements which are easy to inspect from  
3 elements which are difficult to inspect. We are unable  
4 to find any relevant expertise on the part of Dr. Ericksen,  
5 or perhaps any statistician to speak to those points.

6 Now conceivably, that information could have been  
7 imparted to a statistician by consultation with some subject  
8 matter expert. But I believe that the voir dire has  
9 established that that did not occur. Rather, what the voir  
10 dire seemed to establish was that Dr. Ericksen is relying upon  
11 a characterization made by Mr. Teutken of inspection  
12 attributes.

13 And we don't -- the Staff does not view that as  
14 providing, to Dr. Ericksen, relevant and necessary subject  
15 matter knowledge to be offering expert testimony as to whether  
16 or not matters important to safety were -- whether or not the  
17 program should have been designed, or was properly designed  
18 with levels of safety systems in mind.

19 In the same way, the question of whether or not  
20 something is easy to inspect, whether or not an element of  
21 the inspection program is an easy to inspect item, as opposed  
22 to a difficult to inspect item, I've heard nothing from  
23 Dr. Ericksen which indicates he has any expertise to offer  
24 an opinion on that subject.

25 I did hear something earlier in which he pointed

syll1b8

1 out that there seemed to be, within a particular inspector  
2 even, some difference as to the percentage of discrepancies  
3 identified in one inspection element, as opposed to another.  
4 But I am unable to find that that is a material piece of  
5 information to enable Dr. Ericksen to offer expert testimony  
6 as to whether or not the elements of the inspection program  
7 failed to distinguish inspection elements on the basis of their  
8 difficulty.

9           It is for that reason that the Staff has also been  
10 of the view that, insofar as this testimony has sought to  
11 offer expert opinion as to acceptable -- as the term was used  
12 by the witness -- levels of confidence and reliabilities  
13 and to try to correlate those with some categories which he  
14 includes in his testimony, as to levels of importance to  
15 safety, that the witness is not qualified to testify on that  
16 point.

17           It seems to me that Mr. Miller has correctly  
18 identified the portions of the proposed direct testimony that  
19 are affected by his motion and we would support it.

endl1

20  
21  
22  
23  
24  
25

1 THE WITNESS: May I speak?

2 JUDGE SMITH: Just a moment.

3 (Pause.)

4 MS. JUDSON: Your Honor, I would like to make  
5 several points. First, Dr. Ericksen is not relying on his  
6 expertise to classify any elements by safety. There has  
7 been a stipulation that Teutken classified elements by  
8 safety; he is relying on those.

9 Second, as to the issue of the difficulty of  
10 doing various tasks, Dr. Ericksen did present supplemental  
11 testimony on the discrepancy rates that provides evidence  
12 that there really are differences in difficulties of tasks.

13 Third, as to the arguments of Mr. Miller on  
14 application of these regulations, they go to legal judgments.  
15 This witness is not offering a legal opinion about the  
16 NRC regulations; he is not offering expert testimony about  
17 the engineering differences of various components, elements  
18 or attributes. He is testifying as to what someone should  
19 do in establishing a sampling program to verify quality of  
20 work.

21 That is what Edison did here in this case,  
22 because of various problems with initial quality assurance.  
23 He then reviewed that reinspection -- Edison then put  
24 together a program. That program did use samples. Inferences  
25 were made from those samples, and there has been testimony

1 about those inferences, both by engineers and by one  
2 witness, Mr. Singh, who applied reliabilities, established  
3 confidence intervals and reliability levels.

4 Dr. Ericksen's testimony not only rebuts  
5 Mr. Singh's testimony, but it also gives some evidence of  
6 what can be done to properly design a sampling plan.  
7 And I therefore think that it is relevant and admissible.

8 Mr. Miller attempted to push the witness in  
9 a definition of "we" to be saying that he is providing a  
10 legal opinion about applications of these regs, and we are  
11 willing to stipulate that that is not true. If you would  
12 like us to do more redirect on what a definition of "we" is,  
13 we can do that. But if you want us to change it to "one"  
14 or "I", I think we're prepared to do that. But I think it  
15 is inappropriate to strike all the testimony on that basis.

16 The witness has been very honest --

17 JUDGE SMITH: I think that tends to be a little  
18 bit of a quibble as to how he expressed it. However,  
19 I thought Mr. Miller was entitled to make a point.

20 MS. JUDSON: I believe he is entitled, as cross  
21 examiner, to make a point, but I don't think it's a basis  
22 for striking the testimony.

end 12

23

24

25

1 JUDGE SMITH: My reopened concern is twofold, I  
2 guess. One is on page 6. Where does he get this 99.5?  
3 Where does he get the 99? Where does he get the 100? Where  
4 does he get these classifications? Where do they come from.  
5 I think he does grab them out of the air.

6 MS. JUDSON: We can ask Mr. Ericksen.

7 JUDGE SMITH: Let's ask him.

8 Then my second concern, refresh our memory as to  
9 what is the basis for him making the statement that Edison  
10 failed to distinguish elements and that the elements did  
11 indeed fall into categories of most important and less  
12 important. Refresh our memory. Where did you get that?  
13 What is the basis for that testimony? Where did he get these  
14 99 and 100 and these four classifications, and things like that?  
15 Where did he get them?

16 MR. CASSEL: Those are two very different questions  
17 Judge. One, the question of where the classification comes  
18 from, we have a stipulation on the record which simply  
19 supports the earlier --

20 JUDGE SMITH: What is the stipulation? I'm just  
21 asking. I'm not saying it does not exist. I just want to  
22 be reminded about it.

23 MR. CASSEL: The stipulation is that in his deposition  
24 Mr. Teutken classified the inspection elements and  
25 attributes performed by Hunter and Hatfield and PTL in four

1 categories of safety significance. We offered that document  
2 earlier.

3 JUDGE SMITH: What are they?

4 MR. CASSEL: They were labeled, by Mr. Teutken,  
5 1, 2, 3, and least important. And in his deposition  
6 he explained that by Category 1 he meant those inspection  
7 elements and attributes which were most important to safety  
8 of those done by Hatfield, Hunter and PTL.

9 In Category 2, he meant those which were second  
10 most important to safety. In Category 3, he meant those  
11 which were third most important to safety. And in the  
12 category of least, he put items such as housekeeping and  
13 documentation which he regarded as least important to safety  
14 of the elements inspected.

15 JUDGE SMITH: But my difficulty I had then, and  
16 I have now, you're talking about relativity in a vacuum and  
17 that's where I couldn't pick it up. I mean it was  
18 relativity -- here's a little capsule of relativity with  
19 respect, yes. 1 is related to 2 and 1 is related to 4. But  
20 how are 1 through 4 related to the universe? That's my  
21 problem.

22 MR. MILLER: I believe Mr. Teutken answered that  
23 in his deposition by saying remember, Mr. Cassel, all of these  
24 are safety related.

25 JUDGE SMITH: See, that's my problem.



mm131b3

1 MR. CASSEL: There are degrees of safety  
2 significance. They may not be formally recognized in the  
3 NRC regulations. I was about to give the same answer  
4 Mr. Miller just gave. They are all safety related.

5 But as the witness indicated from the stand, as  
6 a matter of common sense, and in the case of Mr. Teutken  
7 as a matter of his expertise as an experienced engineer  
8 and the startup manager for Byron, he specified which of those  
9 procedures done by Hatfield, Hunter, and PTL, were most  
10 important to safety.

11 MS. JUDSON: Your Honor, I think I can make one  
12 comment which may make this a bit easier to understand. I  
13 don't think that this witness is offering other categories  
14 set in stone. What the witness is saying is that there was  
15 a failure to make these judgments and set up these categories  
16 before the program was started. And that that is something  
17 that should be done in establishing a Reinspection Program.

18 And I think everyone is trying to push this  
19 witness beyond his expertise to tell you and not to the  
20 point being made in this question and answer.

21 JUDGE SMITH: I understand.

22 MR. MILLER: Judge Smith, with all due respect,  
23 I certainly didn't intend to push Dr. Ericksen. What I  
24 was trying to do was to establish just what it was, in  
25 his experience, in his education, in his training, that would

1 enable him to tell this Board that in order to have -- he  
2 says that we want to be more than 95 percent certain that  
3 more than 99 percent of the very important safety elements  
4 met design requirements. And when I asked him who the "we"  
5 was, it's everybody in this room. It's society at large,  
6 including the NRC.

7 And there is simply no basis, in the regulations  
8 or in his expertise, and I don't know about common sense.  
9 I think that reasonable minds could differ about the common  
10 sense of attaching numerical values to safety. But there is  
11 simply nothing that entitles Dr. Ericksen to express the  
12 very opinions that Ms. Judson says he should.

13 The other point I would like to make is that  
14 Mr. Teutken was asked about inspection elements. That's what  
15 the Reinspection Program is about. Dr. Ericksen is here  
16 talking about his analogy to braking systems. He's talking  
17 about the components of the nuclear power plant. We're back  
18 to Dr. Bleuel. That's what he is saying.

19 And I don't believe you've had an answer to your  
20 second question, as to where these numbers came from.

21 JUDGE SMITH: That's right. We don't have any  
22 answers to that. That's the thing that troubles me most. Where  
23 do those figures come from?

24 MS. JUDSON: Your Honor, before I ask that, I would  
25 like to just read one portion of this answer, which I think

1 does put in in context. And that's on page 6, where  
2 Dr. Ericksen states "In order to determine the amount of  
3 certainty and perfection required for each element, choices  
4 should have been made using engineering judgments. These  
5 judgments, along with their rationale, should have been  
6 determined when establishing the program and clearly  
7 stated in the Reinspection Report."

8 Then he offers some suggestions. He says "A  
9 reasonable Reinspection Program might have required --."  
10 So he's not saying this is set in stone, either. But what  
11 he's saying -- and this is the whole point of his answer-- is  
12 that before they started, they should have sat down with the  
13 engineers and figured out what was important to safety and  
14 categorized it and built up to your program on that basis.  
15 And that is the point of this answer.

16 He's talking about what was missing from the  
17 report. His criticism is this was missing. Then people are  
18 moving to strike because we haven't provided it. This  
19 witness is not providing that missing gap. This witness is  
20 merely saying that gap exists and that's the problem.

21 JUDGE SMITH: I think perhaps the Board has been  
22 somewhat remiss, in this reopened proceeding, in not insisting  
23 on the parties drawing up issues somewhat more precisely.

24 The Intervenors have taken a persistent approach  
25 that the Reinspection Program was faultily designed and

1 implemented to verify work quality. And this is the tenor.  
2 It's the tenor of Bleuel. It's the tenor here. And I  
3 may be crudely stating it, but that is the tenor of your  
4 position.

5 Now you certainly have a right to come in here  
6 and attack the validity of the inferences that Applicant  
7 draws from the inspection program. But we are arguing the  
8 whole nuclear power plant everytime a witness comes in here.  
9 And it's not of great value to the Board.

10 What the Board needs is more precise joining of  
11 the issues. That's what we need. We need guidance. We don't  
12 need lectures. We know something about nuclear industry.  
13 We need guidance as to the precise issues that we are here  
14 to decide.

15 Now I don't think it matters one way or the other  
16 whether your motion is granted or sustained. It really  
17 doesn't matter. You know, I don't fault you for making the  
18 motion. As a careful lawyer, you have to do it. But we know  
19 what his expertise is. We know what it isn't.

20 We have a firm memory of the events of last summer  
21 and our decision. We spent a lot of good time on it. We  
22 know why we're here and no one is going to confuse us about  
23 that. And we are not going to be confused. And we're not  
24 going to be confused by his idea of 100 percent critical to  
25 safety. We know he doesn't have any idea of what he means,

mm131b7

1 critical to safety. What does that mean? You don't know,  
2 with respect to a pressurized water reactor.

3 This is just something that you think would be nice.

4 We recognize that. I don't care whether it's  
5 in or not, we recognize that.

6 What really would be helpful if we had a very  
7 careful -- very careful. You have a witness here who is  
8 fully qualified to attack Dr. Singh's testimony and we hope  
9 that you do, you know, and then we will read it very carefully.  
10 But we recognize Mr. Miller is entirely correct, and he  
11 has established that.

12 And to his credit, Dr. Ericksen freely concedes  
13 that is not competent to tell the nuclear engineers what's  
14 important and what isn't important.

15 And I don't really think there is any major dispute  
16 here. However, let's hear your arguments and we will decide.

wnd13

17  
18  
19  
20  
21  
22  
23  
24  
25

T14 MM/mm 1

MS. JUDSON: Will you give us a moment?

2

(Counsel for Intervenors conferring)

3

4

5

6

7

MS. JUDSON: Dr. Ericksen, I would like for you to explain to the Board generally what the value is in using statistical judgment in an area about which you may not have subject matter expertise, and some of your experience in doing that in the past.

8

9

10

11

12

13

MR. MILLER: I think I have to object. I don't believe that that is appropriate redirect on this voir dire, because I am not quarreling with Dr. Ericksen's statistical expertise. He has already told us that he doesn't have the expertise necessary to enable him to draw judgments about the matters that you have stated. It is irrelevant.

14

15

16

17

18

19

MS. JUDSON: Your Honor, I got the impression that the Court was a bit frustrated and didn't understand why Dr. Ericksen was making some of these suggestions. And I think Dr. Ericksen can testify in his practice to what his role is. And he will admit both its limitations and its usefulness. And I am just trying to do that to respond to --

20

21

JUDGE SMITH: Go ahead, do whatever you choose to do. I think we want to be informed.

22

23

24

25

THE WITNESS: Will you repeat the question?

MS. JUDSON: Can you read it back?

JUDGE SMITH: If you could possibly rephrase it, it would be much better.

1 MS. JUDSON: Let me rephrase it.

2 REDIRECT EXAMINATION ON VOIR DIRE

XXX

3 BY MS. JUDSON:

4 Q Dr. Ericksen, can you tell the Board why you  
5 feel that it is useful to apply your statistical judgments  
6 in this area in which you do not have subject matter expertise  
7 and any past experience you have in providing such judgments  
8 in areas in which you do not have subject matter expertise?

9 A I think it is a very common situation in which  
10 subject matter experts make statistical statements either  
11 without realizing that they are making statistical  
12 statements, or without understanding what the implications  
13 of their statistical statements are.

14 An example of that, which is not related to this  
15 case, in my past experience, has to do with a study I did  
16 in New York City hospitals concerning the proportion of  
17 patients who were undocumented aliens.

18 I went to one hospital to try to set up the  
19 study and the director of the hospital said, "You don't need  
20 to do the study here, we have no undocumented aliens among  
21 our patients."

22 It turned out the basis of his statement was that  
23 very few of the patients had Spanish surnames. It turned out  
24 the undocumented aliens in that hospital were from places  
25 like Haiti and Jamaica, that we found out on the basis of our

mm3

1 sample.

2 That was an example of a statistical statement  
3 made on the basis of a non-probability sample.

4 Now, getting into the point, one of the most  
5 important things that a statistician does with subject matter  
6 experts, is help them to assess the implications of their  
7 uncertainty. Now, uncertainty exists whenever you take a  
8 sample and you want to make a generalization to a population.

9 Now, in order to rationally deal with the uncer-  
10 tainty, you need to evaluate for yourself what the costs are  
11 of making an error. Now, that is something that a statistician  
12 should look for in evaluating any statistical estimate.

13 Now I read -- I am not certain if it is in  
14 Dr. Singh's deposition or Dr. Singh's testimony. He said  
15 that I used the 95 percent confidence interval because that  
16 is what statisticians always do.

17 Now that is simply not -- that is simply an  
18 incorrect statement.

19 So, what I was looking for was some kind of  
20 evaluation of the components or the elements being inspected  
21 that would do one of two things: Either it would say that  
22 all the elements have the same safety significance and they  
23 should be evaluated at the same level of risk.

24 If they said that with justification, that would  
25 have been fine. I would have considered my concern to have



mm4

1     been taken care of.

2             Or, they would have given the classification such  
3     as I gave an example of at the bottom of page 6.     Now what I  
4     gave at the bottom of page 6 was simply an example of what  
5     they might have done.

6             Now, my position is that they should have done  
7     this.     They should have supplied the reliability percentages  
8     and the confidence level percentages with justification.  
9     It is the justification that I was looking for, and that is  
10    the basis for my criticism.

11            MR. MILLER:   Excuse me, have you concluded?

12            MS. JUDSON:   Yes.

13            MR. MILLER:   What Dr. Ericksen has just explained  
14    to us is again very reminiscent of Dr. Bleuel's approach.  
15    Here is a man who has substantial expertise in an area  
16    but he is totally ignorant of the panoply of analyses,  
17    programs and other means by which the safety of the Byron  
18    station is established.

19            And what Dr. Ericksen is saying, "By golly, if we  
20    just had a proper statistical program here, then we could be  
21    sure."

22            That is where -- the regulations don't suggest  
23    that, the statistical inferences that are drawn in the  
24    Reinspection Program are the tip of the tail of what is a  
25    very long dog in terms of analyses and so on.     Even if we

mm5

1 just look at the Reinspection Program itself -- I'm not talking  
2 about all the other programs -- I believe this Answer 10 is  
3 totally without merit in terms of expressing expert opinion  
4 that is going to be of any use to the Board. I ask that it  
5 be stricken because I believe otherwise the Board will find  
6 itself confronted with findings, proposed findings that will  
7 lead it inevitably back to this answer, notwithstanding the  
8 Chairman's comments.

9 JUDGE SMITH: Do you agree with his characterizati  
10 of Dr. Singh's testimony?

11 MR. MILLER: Dr. Singh's testimony. Well, I  
12 would have to go and check, but Dr. Singh certainly did --

13 JUDGE SMITH: He said Dr. Singh picked out a 95 --  
14 he says all statisticians always do that.

15 I don't believe that that is --

16 MS. JUDSON: I could help the Court by reading  
17 that answer provided by Dr. Singh.

18 MR. MILLER: Is this his deposition or his  
19 testimony?

20 MS. JUDSON: This is his testimony, on page 9059  
21 of the transcript. He was asked:

22 "Mr. Singh, did you decide to use a 95 percent  
23 confidence level, or did someone else make that  
24 decision?

25 "Answer: The decision to use a 95 percent

mm6<sup>1</sup> confidence level" --

2 I believe it says computer, but it believe it  
3 means compute.

4 "-- compute reliabilities of the data which came  
5 out of the reinspection program was made by me.  
6 However, that has been a standard practice to  
7 computer reliabilities of 95 percent confidence  
8 for application. So it is consistent with our  
9 practice."

10 JUDGE SMITH: Yes, but aren't you overlooking  
11 testimony to his references to his colleagues on the panel  
12 and their use of it, and their input into their acceptance  
13 of it. And that is the thing that I think the characterization  
14 is incomplete.

15 MS. JUDSON: He said that is their general  
16 practice. I can always -- I can look through here further.  
17 He made statements that they use the 95 percent confidence  
18 level.

19 JUDGE SMITH: In the general context. He uses  
20 that level in concern with the specialists and engineers that  
21 were on the panel with him and it was sufficient for their  
22 purpose.

23 JUDGE COLE: Dr. Ericksen, are you saying  
24 standard practice for engineers doing this type of work is  
25 to use something other than a 95 percent confidence level?

nm7  
1 THE WITNESS: What I am saying is, that there is  
2 no standard practice. And that what a statistician does  
3 is establish a confidence interval based on the risk of  
4 being wrong.

5 JUDGE COLE: We were talking about what engineers  
6 do in their work, and in the context of what Dr. Singh is  
7 saying.

8 THE WITNESS: What engineers making statistical  
9 statements would do if they are going to make proper statistical  
10 statements, is that they would select a confidence interval  
11 based on the risk of error.

12 JUDGE COLE: Do you know what engineers do in their  
13 standard practice?

14 THE WITNESS: I have looked at one textbook on  
15 engineering statistics, and I don't find any statement in  
16 there that says that the 95 percent confidence interval should  
17 be used. I am referring to the Miller and Freund book that  
18 Dr. Singh relied upon.

19 JUDGE COLE: I guess I am thinking more in terms  
20 of consulting engineering practice, and the standard  
21 techniques that they use in manipulating their data or  
22 interpreting their data.

23 I seem, personally, to recall that of all those  
24 confidence intervals that might be used, the ones most  
25 frequently used that I have personally observed, has been

1 95 percent confidence interval.

2 THE WITNESS: I would agree with you, that that  
3 is probably used more often than any other. But that does  
4 not follow from that statement that it is correct to use it in  
5 this instance. I think that is a statement which pertains to  
6 the risk of error.

7 If the 95 percent confidence interval is used most  
8 of the time or the majority of the time, that simply states  
9 that a majority of the time the risk of error are mild  
10 enough that we can deal with the 5 percent risk.

11 JUDGE COLE: But the context of the question that  
12 was asked of Dr. Singh was, where did you get the 95 percent.

13 And his response was, it is our standard practice.

14 THE WITNESS: Right. And my statement is that  
15 should have been based on extensive conversation with engineers  
16 classifying the inspection elements according to the risk of  
17 error. Housekeeping is not the same as are welds inside  
18 the core of the reactor.

19 JUDGE COLE: I understand.

20 MR. MILLER: I think Dr. Ericksen has made my  
21 point again. That is, he persists in wanting to talk about  
22 the statistical statement as the only basis on which a  
23 reasonable assurance finding can be made.

24 And the risk of error, the cost of being wrong  
25 is not one that can be reduced to a statistical estimate. And

mm9

1 it is not the basis on which a contrary finding is made.

2 JUDGE SMITH: I don't think there is need  
3 for anything further. I think we all understand the  
4 importance of his testimony, what his expertise is, what he  
5 knows and what he doesn't know.

6 I think we are ready to go ahead.

7 Anything else we haven't heard on this?

8 You realize, you persuade us -- either party,  
9 you persuade us over our better judgment to delete or to  
10 accept testimony. What do you gain? You know --

11 MR. CASSEL: We are in part --

12 JUDGE SMITH: We are going to have to make this  
13 decision.

14 MR. CASSEL: Exactly. In part, this is a formal  
15 argument of whether the testimony is technically in or  
16 technically out, and the outcome of that form. ' argument is  
17 not necessarily going to make a big difference on the larger  
18 issue which is being debated here.

19 And that larger issue is the extent to which  
20 the statistical inferences have relevance to the overall  
21 judgment on whether the plant is reasonably safe.

22 Now, Professor Ericksen has not come in and  
23 testified that the only way to ever find that that plant is  
24 safe is to do a reinspection program and to set it up in a  
25 statistically proper way. Rather, he is responding to the

mm10 1 fact that Edison did set up a reinspection program and did  
2 draw certain statistical inferences from it, which he is  
3 critiquing.

4 He is not addressing the whole area of this case.

5 JUDGE SMITH: All right, if his testimony is  
6 limited to that, and understand it to be limited to the  
7 critique of the inferences drawn from the Reinspection  
8 Program, I think we could save a lot of trouble. But, he  
9 makes statements which go beyond that and I think that is  
10 what Mr. Miller is worried about.

11 That is what I meant about we were remiss in  
12 not requiring the parties to get together and address each  
13 other's issues head on, rather than zing the way you have  
14 been doing it.

15 However, we will rule. We understand.

16 If you will concede that the purpose of this  
17 testimony is to bring into question the validity of the  
18 inferences drawn from the Reinspection Program by the utility, I  
19 think maybe you can make an accommodation with Mr. Miller on  
20 this.

21 MR. MILLER: Judge Smith, I believe that  
22 Dr. Erickson's other criticisms of the inferences that are  
23 drawn, are well within his expertise, and obviously I made  
24 no Motion. But this -- as you pointed out, this goes well  
25 beyond any criticism of the inferences that are drawn.

1 MS. JUDSON: I don't want to beat a dead horse  
2 here, but I believe it doesn't go beyond the inference,  
3 because Mr. Singh chose a reliability level and a confidence  
4 level, and he did not make certain distinctions, and he  
5 did not specify in certain ways.

6 MR. MILLER: Judge Smith, if the Intervenors  
7 will stipulate that they will draft no findings, proposed  
8 findings, for this Board which attempt to argue that the  
9 reasonable assurance finding needs to be based on some sort  
10 of statistical statement expressed in Dr. Ericksen's  
11 testimony, then perhaps I can withdraw my motion. I doubt  
12 they will do that.

13 MR. CASSEL: Judge, I'm not sure about the  
14 phraseology of Mr. Miller's suggestion, but as I indicated  
15 before in connection with Dr. Bleuel, there are several  
16 asserted bases in this case for you to reach a conclusion  
17 that the plant is safe.

18 One of them is the Reinspection Program and  
19 inferences drawn from that program about the quality of the  
20 work. Those are statistical inferences, and those are  
21 being critiqued by this witness.

22 Another asserted basis is the contention that  
23 one can infer from the fact that the Reinspection Program  
24 showed that most of the -- or purported to show that most of  
25 the inspectors were qualified, that the inspectors as a



1 whole were qualified and therefore, did not miss issue  
2 items of safety significance.

3 We have a separate critique, unrelated to this  
4 witness' testimony, to that.

5 Another asserted basis for the safety of the  
6 plant is Edison's overall quality assurance program and  
7 inspections by the NRC, and we have responses to that.  
8 No single piece of evidence needs to take on all of those  
9 theories in one piece, and we're not suggesting that this  
10 witness is doing that.

11 MR. MILLER: The only thing I can say is  
12 Dr. Ericksen told us anytime somebody generalizes in making  
13 a statistical statement, we've got to contend with that.

14 JUDGE SMITH: All right, I think that's good  
15 enough. We will consider it during lunch, and we will  
16 return at 1:30.

17 (Whereupon, at 12:15 p.m., the hearing in the above-  
18 entitled matter was recessed for lunch, to reconvene at  
19 1:30 p.m. the same day.)  
20  
21  
22  
23  
24  
25

AFTERNOON SESSION

(1:40 p.m.)

1 JUDGE SMITH: Let's go on the record.

2 Whereupon,

3 EUGENE P. ERICKSEN

4 resumed the stand and, having been previously duly sworn,  
5 was examined and testified further as follows:

6 JUDGE SMITH: Dr. Ericksen, the Board has a  
7 couple of questions that we would like to have answered before  
8 it rules on the motion.

9 With respect to your answer A9, the first point,  
10 you state "In structuring the Reinspection Program and  
11 Report, Edison failed to distinguish elements which are most  
12 important to safety from elements which are less important."  
13 And then you go on.

14 Our question is what do you know about the structu-  
15 ring of the Reinspection Program and the history of it?

16 THE WITNESS: Well, I know that there was a  
17 previous -- I guess you would call it trial or hearing before  
18 the NRC and a decision was made that the inspections program  
19 had not been satisfactory.

20 JUDGE SMITH: Do you know in what respects it was  
21 unsatisfactory?

22 THE WITNESS: I believe that one of the problems  
23 was that there wasn't sufficient documentation of inspections  
24 and that -- the insufficient documentation of the qualifications  
25

syl5blb2

1 of inspectors.

2 JUDGE SMITH: Do you know how that came about,  
3 the Reinspection Program? What the history of it was? What,  
4 let's say, the chronology was? Or are you going from our  
5 Initial Decision? Or just what is your take-off point?

6 THE WITNESS: My understanding was that on the  
7 basis of -- I suppose the fact that there was a hearing,  
8 the litigation, that the Reinspection Program was put into  
9 place. What I don't know is whether it was put into place  
10 before or after the decision was made.

11 JUDGE SMITH: You don't know, then, that the  
12 inspectors of Region III required a response to a finding  
13 that the personnel files of some of the contractors did not  
14 demonstrate the qualifications and on the job training and  
15 testing of certain inspectors?

16 THE WITNESS: I think you have said it in more  
17 detail than I thought I had said it. It was my understanding  
18 that the qualifications of the inspectors had not been  
19 properly certified. I didn't know what the details of that  
20 finding were.

21 JUDGE SMITH: So you do recognize, however, that  
22 the Reinspection Program was a result of a finding of inadequate  
23 evidence of qualification?

24 THE WITNESS: That's right. I mean, like I tried  
25 to say earlier, I have not really focused on the legal aspects

syl5blb3

1 of the situation.

2 JUDGE SMITH: No, we're talking factually.

3 THE WITNESS: Fine.

4 JUDGE SMITH: You also suggested that there was  
5 inadequate inspection documentation.

6 THE WITNESS: Right.

7 JUDGE SMITH: Is that your belief? Was that  
8 one of the driving factors behind the Reinspection Program?

9 THE WITNESS: I believe so, yes.

10 JUDGE SMITH: I suggest that you are wrong about  
11 that.

12 THE WITNESS: I base that on my -- I have read a  
13 section of the finding that was -- well, I can't remember  
14 the exact paragraphs of the decision, but I do remember  
15 seeing something about the Hatfield documents not being in  
16 order. But the main thing had to do with the certification  
17 of the inspectors.

18 JUDGE SMITH: That was the reason why the  
19 Reinspection Program was initiated?

20 THE WITNESS: Right.

21 JUDGE SMITH: Do you know what the purpose of it  
22 was?

23 THE WITNESS: My understanding of the purpose of  
24 the Reinspection Program was to determine whether the work was  
25 correct and whether the inspections that they had made were

1 correct.

2 JUDGE SMITH: You made the statement on voir dire  
3 that you feel that your comments, in answer 10 and part of  
4 answer 9, was appropriate because when Sargent & Lundy make  
5 a statistical statement, they have to make it in context of  
6 statistics. What statistical statement were you referring to?

7 THE WITNESS: Well, I think that the conclusions  
8 that they come to -- if I could back up a moment. The document  
9 that I was evaluating was the Reinspection Report and there are  
10 statements at the end of -- I believe it is Chapter 7, which  
11 make conclusions based on statistics, in my judgment.

12 JUDGE SMITH: Could you point them out, please?

13 THE WITNESS: Sure.

14 (Pause.)

15 Okay, I point out to you that on page 7-9 there  
16 is a section entitled Section D, inference of work quality  
17 from the Reinspection Program. And on page 7-11 is where  
18 the reliability results are presented. Then you turn the page  
19 and it says conclusions. Following directly after that --

20 JUDGE SMITH: Number one?

21 THE WITNESS: Number one, number two, and number  
22 three. And number one, as I read it, could or could not  
23 be interpreted as being derived from Section D. Number two,  
24 "With limited exceptions, the Reinspection Program verified  
25 the effectiveness of QC inspector certification programs

sy151b5

1 prior to September 1982."

2 I interpret that as following directly from  
3 the reliability calculations that are shown in the preceding  
4 sections. Also, point three.

end15

5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

syl6lb1

1 JUDGE SMITH: You also had familiarity with  
2 Dr. Singh's testimony?

3 THE WITNESS: Yes, I did.

4 JUDGE SMITH: And you realize that Dr. Singh  
5 was expressing -- well, let's get actually what he said --  
6 "that he has applied principal statistics and probability  
7 theory to the results of the engineering evaluations discussed  
8 in the testimony of Messers. McLaughlin, Leone, and French."  
9 He concludes with a 95 percent confidence level that, in  
10 general, the work performed by Hatfield and Hunter meets the  
11 original design basis with a greater than 99 percent  
12 reliability. You were aware of that, you say?

13 THE WITNESS: That's right.

14 JUDGE SMITH: And more specifically, his conclusion  
15 that it's the original design basis to which he is addressing  
16 his opinion. You know that?

17 THE WITNESS: That's right.

18 (Board conferring.)

19 JUDGE SMITH: Dr. Ericksen, if you were to accept  
20 the fact that has been established in this hearing earlier, that  
21 the reason for the Reinspection Program was because of  
22 Region III's concern that there may be failures in inspector  
23 training, testing, and on the job training -- I mean on the  
24 job training and testing and qualification, and nothing else.

25 Would you change any aspect of your question and

1 answer in the first part of 9 and question and answer 10;  
2 that the only thing that was being responded to by the  
3 Reinspection Program was the NRC's concern about the personnel  
4 files of the inspectors?

5 THE WITNESS: I think I would have amended it.

6 JUDGE SMITH: I beg your pardon?

7 THE WITNESS: I was trying to answer your question.

8 JUDGE SMITH: Would you just give me a moment,  
9 please? Wait.

10 (Board conferring.)

11 JUDGE SMITH: The qualifications of inspectors.

12 THE WITNESS: Right. I will confess to some  
13 vagueness about the objective of the Reinspection Program.  
14 Had I made the assumption that you have asked me to make, I  
15 would probably have restructured my testimony to say that  
16 special emphasis should be given to those elements which are  
17 both safety significant and more difficult to inspect.

18 JUDGE SMITH: All right. The Board grants the  
19 motion in its entirety. Dr. Ericksen does not have sufficient  
20 factual understanding of the history and purposes of the  
21 Reinspection Program to express an opinion as to how it should  
22 have been designed. Nor does he have the expertise to make  
23 the judgments that he has about the initial design of the  
24 Reinspection Program.

25 Despite Intervenor's disclaimers, the tenor of these



syl61b3

1 questions and answers, as was the case with Dr. Bleuel, was  
2 how the program should have been originally designed. And it  
3 is not formulated to attack the inferences that Commonwealth  
4 Edison draws from the results.

5 Now again, I want to just place into perspective,  
6 for the rest of the afternoon, what the Board has previously  
7 observed and ruled on. And we might go a little bit more  
8 smoothly. Let's remember what happened. Bill Forney goes  
9 down, goes into the plant. He starts going through personnel  
10 files. And he sees that there are problems with documentation  
11 of on the job training and documentation of testing and  
12 maybe some high school diploma evidence isn't there. And  
13 there are some problems with the ANSI standards of inspectors.

14 And as a consequence, in part of the CAT, there  
15 is a Category 4 violation. The response is okay, we will  
16 try to validate the inspector's qualifications by a  
17 Reinspection Program to look at what the inspectors did.

18 The inspectors, that is the whole purpose.

19 Now, when the Reinspection Program was completed,  
20 the results as to the inspectors appeared in the Reinspection  
21 results -- I mean the Reinspection Report. As I understand  
22 the testimony we have received, Sargent & Lundy has a body  
23 of data which was produced for the purpose of the inspector  
24 qualification and inspection. They said well, let's take a  
25 look at this data and see what it tells us.

sp?

syl61b4

1           Now that is something that any responsible person  
2 would do. They may not feel that they need it. It may not  
3 be the basis upon which the safety of the plant is assured  
4 or determined, but data exists. And a responsible person  
5 will look at it.

6           Having looked at it, it was not only the Applicant's  
7 prerogative to bring to our attention the way they looked at  
8 it, what they did with it, but it was their duty under the law  
9 to tell us about it. And the way they went about it.

10           That's what brings us here today. You have  
11 every right to attack the inferences they drew. They are  
12 indeed telling us about it as one of the reasons why we  
13 should decide this case in their favor. And they have every  
14 right to attack it, tear it apart.

15           But let's understand that that is what it is and  
16 stop mischaracterizing the Reinspection Program as a work  
17 validating thing. We are not going to buy that.

18           MR. CASSEL: Judge, I wouldn't buy it either. We  
19 have taken the position, and perhaps we have not communicated  
20 it clearly enough to the Board, but our consistent position  
21 throughout this rehearing has been that the purpose of it  
22 was one thing. But then it was later used in the very way  
23 that you just explained for another purpose.

24           Dr. Ericksen's testimony is responding, is  
25 critiqueing the use for that other purpose. He is not saying,

1 in the body of his testimony, that for its original purpose  
2 it was deficient, for the reasons -- the principal reasons  
3 that he is raising.

4 JUDGE SMITH: That's exactly what he says in  
5 A-9. However, we have already ruled on that. "In structuring  
6 the Reinspection Program they failed --." And that's what  
7 gets him into trouble.

8 MR. CASSEL: Well, there are two ways to interpret  
9 that, Judge. And I think his testimony should be received  
10 in this light. The same question and answer came up in the  
11 context of Dr. Bleuel, for the use of validating work quality  
12 or for the use. You distinguished earlier between purpose  
13 and use. We're not suggesting that it was an initial purpose.

14 Mr. Del George, I believe, has testified that they  
15 didn't even consider that use until after the program was  
16 already underway. But for the use of validating work quality,  
17 the program was not designed in a way that would have  
18 effectively met that use. Understandably so, given the  
19 purpose they had in mind.

20 We are not, and we never have. And Dr. Bleuel  
21 didn't and Dr. Ericksen's testimony does not purport either  
22 to say that they were wrong in designing it the way they did  
23 for the purpose they had in mind, with some minor exceptions.  
24 Because both Dr. Bleuel and Dr. Ericksen have raised issues  
25 about the design, even with respect to inspector certification.

1           For example, he just mentioned, from the stand,  
2 the fact that they didn't distinguish among difficulties of  
3 inspections. But that's really a subsidiary element of his  
4 testimony. But the rest of his testimony, and the thrust  
5 of Dr. Bleuel's testimony, is clearly aimed at responding to  
6 the inference of work quality.

7           And Intervenors do not suggest any disagreement  
8 whatever with the history and purpose of the program, as you  
9 just described it.

10           JUDGE SMITH: All right. Our ruling remains. And  
11 I'm going to let you begin cross examining, but there is one  
12 question that I'm sure if it is not put to you, the individual  
13 Board members will put to you. And we might take this  
14 opportunity to do it. And that is, given your critique of  
15 the use of the data, and assuming that you are correct, what  
16 use could you put the data to? What can you learn from it?  
17 Anything?

18           THE WITNESS: Yes, yes. I learned that making the  
19 assumption that the discrepancy rates are correctly presented  
20 and that the statements concerning design significance are  
21 correct, I have some certainty that the inspections -- original  
22 inspections -- were mostly correct, that the discrepancies  
23 are not of design significance.

24           I think that there are perhaps three other  
25 conclusions. One is that I have some certainty about all

syl61b7

1 all elements taken together. I have less certainty about  
2 certain categories of elements that may be important. And  
3 I am quite uncertain about inspections that took place after  
4 the first three months and about the work of inspectors who  
5 did not have a chance to be selected.

6 So from the point of view of a statistician, one  
7 solution to the impasse that we have is simply to direct  
8 Commonwealth Edison to expand their sample and increase our  
9 certainty.

10 MR. CASSEL: Judge, before we proceed to cross --  
11 and I would be happy to defer it until later, but I do want  
12 to raise one matter concerning an exhibit. As you may recall,  
13 when Mr. Teutken was on the stand, Intervenor's Exhibit R-1,  
14 I think it was, was offered in evidence. And I asked  
15 Mr. Teutken whether this was a correct description of the  
16 categorizations of inspection elements he had made in his  
17 deposition and he replied that it was.

18 And I offered it into evidence and the objection  
19 was made that it wasn't clear for what purpose. And I  
20 indicated that I would, rather than try to argue in the  
21 abstract, reserve it until the first opportunity for its  
22 use arose.

23 Well, a couple of opportunities for its use arose  
24 in testimony, which has not yet made it into court, and I  
25 will pass by those. But in this testimony, you will note that

1 on answer 11, page 7, Professor Ericksen -- at about the  
2 seventh line down there, in answer 11 -- relies on  
3 Mr. Teutken's safety categories, which were Attachment B  
4 to Mr. Bleuel's proposed testimony.

5 Now this instance is for a particular use of it,  
6 more broadly during Mr. Miller's voir dire. Professor  
7 Ericksen, when he was asked what is your basis for suggesting  
8 that the statistical analysis was not grouped according  
9 to safety significance, he indicated that he, of course, has  
10 no basis for making that engineering judgment. He was  
11 relying on Mr. Teutken's categories.

12 I would suggest, at this point, that the use to  
13 which those categories will be put by this witness is clear.  
14 The proper foundation for the document was laid during my  
15 cross examination of Mr. Teutken. I understand that Mr. Miller  
16 has reservations or disagreements with the weight to which th  
17 might be put, but I believe the admissibility of Mr. Teutken's  
18 safety classifications, in Intervenor Exhibit R-1, is not  
19 at this point something which should be subject to dispute.

20 And I ask that Intervenor's Exhibit R-1, Mr.  
21 Teutken's safety classifications, be admitted into the record.

1 MR. MILLER: Judge, I don't have any objection  
2 to that. Certainly, in Answer 11 in Dr. Ericksen's testimony  
3 it will provide a convenient reference point for the basis  
4 for some of the statements that are made in that answer.  
5 And I suspect that for the convenience of the Board, or the  
6 appeal board, it would be useful as a reference to  
7 Dr. Ericksen's responses to my voir dire, so I have no  
8 objection to its admission at this time.

9 MR. LEWIS: Staff has no objection.

10 JUDGE SMITH: So Intervenor's Exhibit R-1 is  
11 received.

12 (The document referred to, pre-  
13 viously marked for identification  
14 as Intervenor's Exhibit R-1,  
15 was received in evidence.)

16 MR. CASSEL: Thank you, Judge. For purposes of  
17 clarification, I didn't quite catch which part of  
18 Answer 20 was subject to Mr. Miller's -- oh, I'm sorry.  
19 It was the first paragraph of 9?

20 MR. MILLER: The first paragraph of 20.

21 MR. CASSEL: And the first paragraph of 20.  
22 And that was the entirety of the testimony that was subject  
23 to your motion?

24 MR. MILLER: And Answer 10.

25 MR. CASSEL: And Answer 10. Could I have a

1 moment, Judge?

2 (Pause.)

3 MR. CASSEL: Judge, if I could inquire of the  
4 Board if I understood your discussion of the first paragraph  
5 of Answer 9. In other words, the Board seemed to be saying  
6 that he was criticizing them for doing something when really  
7 they were designing the program for another purpose?

8 JUDGE SMITH: Well, the use of the word "failed"  
9 suggests a duty to do it the way that they failed to do it.

10 MR. CASSEL: Well, it is conditional on the use,  
11 but is the Board of the view that simply because of the use  
12 of the word "failed" -- well, let me withdraw that.

13 Is Answer 10 really something which ought to be  
14 excluded? I mean, it's not based on the purpose of the  
15 program; it's a response to the use of the program.

16 JUDGE SMITH: Well, we heard arguments all  
17 morning on this. Now it seems to me that you want us to  
18 revisit it.

19 MR. CASSEL: If you look at the last two sentences  
20 of Answer 10, it says, -- you raised the point that Mr. Singh  
21 testified about meeting design requirements. On page 7,  
22 the second to the last sentence, or the next to the last  
23 sentence in Answer 10 is, "We, of course, want to be more  
24 than 95 percent certain that more than 99 percent of very  
25 important safety elements met the design requirements."



1 JUDGE SMITH: That is the one statement --

2 MR. CASSEL: And the conclusion relies on that  
3 statement because the conclusion says in order to make the  
4 next statement -- which is the next sentence there -- and  
5 that is the whole point of that answer.

6 MR. MILLER: Excuse me, Judge Smith, you never  
7 got an answer to the question you posed as to where these  
8 four categories of safety significance came from, and you  
9 never got an analog of that question. An analog of that  
10 question is, if you will, where the more than 95 percent  
11 certainty that more than 99 percent of the very important  
12 safety elements is. They're just floating around in the air  
13 somewhere.

14 JUDGE SMITH: Well, I don't think we have to  
15 revisit this. If we're wrong, okay. I mean, your basic  
16 problem is you disclaim and disclaim and you disclaim. But  
17 the fact remains that the tenor throughout is that they  
18 designed the program wrong.

19 Now go ahead, attack Singh, and attack those  
20 people on their conclusions, and tell us what they should  
21 have done with the data. Okay. That's fine.

22 MR. CASSEL: I wonder if we -- we can get into  
23 this orally if you will permit later, but first of all,  
24 Answer 9 in the first line refers not only to structuring  
25 the program, but also to structuring the report. If the

1 motion to strike were limited to the words "program and"  
2 in that first line --

3 JUDGE SMITH: "report," too. If he doesn't  
4 know or understand sufficiently the Reinspection Program,  
5 then how can he have the competence and information to attack  
6 the report?

7 MR. CASSEL: Because the report, in the pages  
8 which he quoted to you -- and specifically conclusion 3 at  
9 the end of Chapter VII on work quality -- draws inferences --

10 MR. MILLER: Excuse me, Judge Smith, I believe  
11 that's immaterial. The report is not in evidence, it has  
12 not been offered into evidence. The structure of the report  
13 itself is totally immaterial to the issues before this Board.

14 MR. CASSEL: It is not in evidence, and it is  
15 broader than the Hunter and Hatfield issue. But the same  
16 inferences are drawn in the report in paragraph 3,  
17 Chapter VII; namely, that without regard to the qualifications  
18 of the inspectors just looking at the inspections themselves,  
19 one can infer work quality.

20 That is an argument that has been in the report,  
21 it's an argument that's in Ericksen's testimony with respect  
22 to Hatfield, Hunter and PTL; it is parallel to the inference  
23 in the report; it's just more limited as to contractors.

24 Now, if one were to strike the words "program and"  
25 in the same structuring -- and even if he wanted to say

1 in reaching conclusion 3 at the end of Chapter VII of the  
2 Reinspection Program Report, everything else in the answer  
3 would support that statement. That would merely --

4 JUDGE SMITH: Look. Mr. Miller made the  
5 argument this morning. You are persisting on this point.  
6 You are not going to prevail. We know what the inspection  
7 program is with respect to our hearing, our issue, our  
8 Hatfield and Hunter issue. We know what it did. We know  
9 what it was intended to do, and I am not going to make any  
10 finding on item 3. We are not asked to make a finding on  
11 item 3. We don't even know who wrote the item 3. It is not  
12 something that we are requested to grant a license on.

13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
end 17

mm181b1

1 MR. CASSEL: Judge, I think you have not been asked  
2 to reach or authorize -- maybe you've been authorized --  
3 you haven't been asked by the Appeal Board to make a finding  
4 on Item 3. That is true only because Item 3 covers all the  
5 contractors and the scope of the rehearing -- unless you  
6 choose to broaden it -- is limited to the Hunter and  
7 Hatfield hardware and the SCC hardware.

8 But the Appeal Board clearly gave you the  
9 authority, and I have the Appeal Board decision behind me,  
10 not to limit your inquiry concerning Hunter and Hatfield  
11 to inspector qualifications, but also to the quality of the  
12 work.

13 Edison has recognized that by offering testimony  
14 to that effect. And it seems to me that we are entitled,  
15 through Dr. Ericksen, to respond at least to that point.

16 JUDGE SMITH: Respond to what?

17 MR. CASSEL: To the testimony offered by Edison.

18 JUDGE SMITH: All right, respond.

19 MR. CASSEL: I'm talking about responding through  
20 the evidence offered by Dr. Ericksen, including his answer  
21 to question 10.

22 JUDGE SMITH: You are succeeding in one thing,  
23 you are succeeding in confusing me. Because honestly, I  
24 just lost track of what you're talking about.

25 MR. CASSEL: Let me try to back up.

1 JUDGE SMITH: Let's go back to the Appeal Board.  
2 Do you want to do that, or do you want to go on to another  
3 point? We discussed the Appeal Board decision at great  
4 length when Ms. Wicher was up here before and you were not.  
5 We issued a memorandum on that.

6 MR. CASSEL: My copy is in the witness room.

7 JUDGE SMITH: Then I guess I'm in the driver's  
8 seat because I have it and you don't.

9 (Laughter.)

10 MR. CASSEL: All right. If you look at the section  
11 that discusses the scope of the rehearing, if memory serves  
12 correctly -- and I stand to be impeached on this, but I  
13 have been relying on this. If memory serves correctly, the  
14 Board indicates -- and I'll cite you the sentences as soon  
15 as Tim gets it from the witness room -- the public interest  
16 calls for a full evidentiary hearing on the Reinspection  
17 Program and its results.

18 Now the results, as they were put in the  
19 Reinspection Program Report, it is true, included some  
20 inferences about the qualifications of inspectors. But  
21 that report also included -- and Dr. Ericksen cited you  
22 the specific paragraph, paragraph 3 at the end of Chapter 7 --  
23 the whole chapter is entitled work quality which draws an  
24 inference directly from the results of the inspections to  
25 the work quality.

mm181b3

1           To show you the specific sentences I have in mind,  
2 if you look at page 27, footnote 62, the portion that  
3 carries over to page 28, of the Appeal Board opinion says  
4 -- and I'll just read the part on page 28 -- "It seems to us  
5 that the public interest would be ill-served were final  
6 judgment to be passed on the operating license application  
7 without a full evidentiary consideration of the Reinspection  
8 Program and its results."

9           Immediately above that, on page 28, the Board --  
10 the Appeal Board indicates -- this is the first full  
11 paragraph -- "At noon the following questions must be  
12 addressed in deciding whether the methodology, implementation,  
13 and results of the Reinspection Program were adequate to  
14 resolve the concerns about one, the capability of the  
15 inspectors --" and that's the purpose of the program, as  
16 you indicated -- "and two, the quality of the work performed  
17 by these two contractors."

18           JUDGE SMITH: With all due respect to the Appeal  
19 Board -- and if you're right and I'm wrong, they are not shy,  
20 they will reverse us quite quickly. With all due respect  
21 to the Appeal Board -- I don't want to state it that way.

22           (Laughter.)

23           MR. CASSEL: The chances of not being reversed  
24 just increased 75 percent from that comment.

25           JUDGE SMITH: The Appeal Board found we were in

mm181b4

1 error in only one respect, and that is -- well, two respects.  
2 One was Systems Control, but they didn't put an error in  
3 there. And that is knowing -- having found that a  
4 Reinspection Program could be -- this is what we found. A  
5 Reinspection Program could be an empiric demonstration of  
6 -- I don't remember the exact words, but of the qualification  
7 of the inspectors, and we may even have said the quality  
8 of the work.

9 The only error that they found that we made was  
10 having found that, then we should have awaited the results  
11 before we turned down the license. Everything else we were  
12 right. We should not have granted it.

13 We understand why we decided the way we decided.  
14 I think that the Appeal Board did understand why we decided  
15 what we did. They returned it to us to finish the decision  
16 and that's what we're doing.

17 I don't care how eloquent you are or how forceful  
18 you are or how reasonable we are. You cannot change the fact  
19 that the Reinspection Program was designed, from the very  
20 first day, to answer the problem of the qualifications of  
21 inspectors.

22 MR. CASSEL: I have never, I hope, tried to  
23 disagree with that.

24 JUDGE SMITH: You say time and time again that you  
25 agree with that and you understand it and then you consequently

mm181b5

1 that fact in your argument.

2 MR. CASSEL: Judge, Mr. Del George -- I'll just  
3 cite one example. I believe Mr. Laney is another one.  
4 In their prefiled testimony draw inferences about the  
5 quality of work by Hatfield and Hunter.

6 JUDGE SMITH: Indeed.

7 MR. CASSEL: Not just the qualifications of the  
8 inspectors, but also by a separate route. And they are  
9 labeled as separate paragraph points one, two, and three,  
10 is in Mr. Del George's testimony?

11 JUDGE SMITH: Right.

12 MR. CASSEL: One of the points they made is that  
13 from the body of inspection data, they inferred that the  
14 Quality of Hatfield and Hunter work was good.

15 JUDGE SMITH: That's right.

16 MR. CASSEL: What I am suggesting is that  
17 Dr. Ericksen's testimony, in which he says you cannot  
18 draw the inference to the extent that Edison has attempted  
19 to draw it in the form of Mr. Singh's testimony, which  
20 parallel's the Reinspection Program Report, and which  
21 reaches a conclusion as well about design requirements, is  
22 perfectly appropriate provided it understood that that's what  
23 it's responding to.

24 And we tried to say, as clearly as we can, that  
25 we are not attacking the program design for the purpose



mm181b6

1 which you have accurately identified.

2 JUDGE SMITH: Right, and that is why we are eager  
3 to hear, if we are ever given the opportunity, what he has  
4 to say about the rest of the testimony and what he has  
5 to say about their analysis. But you are not going to change  
6 the fact that he answered A-9 and A-10 on an inadequate  
7 appreciation of what the program was about, how it was  
8 designed. And he went outside his expertise.

9 Now Mr. Cassel, I suggest that we have been  
10 very cooperative in listening to your motion for reconsidera-  
11 tion. I questioned, if you ever appeared before a tribunal  
12 where you have had such an opportunity to move a motion of  
13 reconsideration to the extent that you have.

14 I would like to give you one last opportunity to  
15 summarize your motion for reconsideration and then we will  
16 move on.

17 MR. CASSEL: Thank you, Judge.

18 First of all, you are absolutely correct. I have  
19 rarely, if ever, encountered a tribunal which has been as  
20 patient to all parties and permitted all of us -- sometimes  
21 perhaps more than ample opportunity to make our point.

22 All I am suggesting, in summary, is that if one  
23 reads the answers to questions 9, 10, and 20, in light of  
24 what we have indicated and what Dr. Erickson can indicate,  
25 if you were to ask him, or we were to ask him, is his point,

1 namely that the program cannot be used to validate work  
2 quality directly in the way that Edison has attempted to use  
3 it. It failed to do the things that you would need to do  
4 in order to accomplish that purpose.

5 If you were to read the testimony in that light,  
6 then the testimony would be proper within the scope of the  
7 Appeal Board's opinion and relevant, and that is the purpose  
8 for which it is being offered.

9 JUDGE SMITH: Okay, that's fine. Unfortunately,  
10 I simply can't resist having the last word. I don't always  
11 have that opportunity. So collectively, we are going to take  
12 it.

13 We think that your message comes across. The  
14 rest of your testimony, had A-9 and A-10 been structured in  
15 the first instance the way you were describing it, perhaps  
16 you wouldn't have had any trouble. But it wasn't and it's  
17 too bad. You made a mistake.

18 So with that, you may proceed, Mr. Miller.

19 MR. MILLER: Thank you.

20 BY MR. MILLER:

21 Q Dr. Ericksen, would you turn to your prepared  
22 testimony, page 7, answer 11.

23 JUDGE SMITH: Wait a minute. Now we have not  
24 received the testimony.

25 MR. MILLER: I'm sorry.

mm181b8

1 JUDGE SMITH: Do you have any further objections?

2 MR. MILLER: I have no further objections.

3 JUDGE SMITH: All right. Then we will receive the  
4 testimony and would you follow the customary method. You  
5 may draw a line so that the part not accepted is still  
6 visible, but it indicates -- in the transcript -- that it  
7 is not available for findings.

8 (The testimony of Dr. Eugene Ericksen follows:)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Date: August 13, 1984

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of )  
COMMONWEALTH EDISON COMPANY ) Docket Nos. 50-454-OL  
(Byron Nuclear Power Station, ) 50-455-OL  
Units 1 & 2) )

SUMMARY OF THE TESTIMONY OF  
DR. EUGENE P. ERICKSEN  
ON CONTENTION 1  
(REINSPECTION PROGRAM - INSPECTOR  
QUALIFICATION AND WORK QUALITY)

- I. Dr: Eugene P. Ericksen is a senior sampling statistician at Mathematica Policy Research, Inc. and a professor at Temple University.
- II. Dr. Ericksen has reviewed the Byron Reinspection Report, the testimony of Anand K. Singh, and portions of the testimony of Louis O. Del George, Robert V. Laney, and John Hansel. Dr. Ericksen has analyzed the ways in which Edison used statistics and probability theory to support its conclusions concerning inspector qualifications and work quality.
- III. Dr. Ericksen concludes that Edison's sampling design and statistical analysis suffer from four major flaws:
  - A. Edison failed to distinguish elements based on their safety significance when establishing its statistical criteria. The company did not properly select confidence levels and acceptable reliabilities and failed to properly stratify its samples.
  - B. Edison over-generalized, offering conclusions about ~~inspectors and elements~~ that had no chance of being included in the reinspected sample.

- C. Edison used an inappropriate formula in calculating reliabilities. Two assumptions of the formula were violated: inspections were not randomly selected and inspectors were not homogeneous.
- D. Edison did not account for the added uncertainty created by clustering of inspections by inspectors.

For these reasons, Dr. Ericksen concludes that the sampling design of the Reinspection Program and the statistical analysis of the Reinspection Report are inadequate to support Edison's general conclusions about work quality and inspector qualifications.

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of: )  
COMMONWEALTH EDISON COMPANY ) Docket Nos. 50-454 OL  
(Byron Nuclear Power Station, ) 50-455 OL  
Units 1 and 2) )

TESTIMONY OF DR. EUGENE P. ERICKSEN

Q1: Please state your full name for the record.

A1: Eugene P. Ericksen.

Q2: Please provide your job titles and business addresses.

A2: I am a Senior Sampling Statistician for Mathematica Policy Research, Incorporated, Box 2393, Princeton, New Jersey 08540. I am also an Associate Professor at Temple University, Philadelphia, Pennsylvania 19122.

Q3: Please describe your job responsibilities at Mathematica Policy Research, Incorporated and list some of your clients.

A3: I am responsible for sample design of surveys and statistical evaluation projects. My work includes construction and evaluation of samples, including the computation of sampling errors.

I have done work for many federal agencies including the Bureau of the Census, the Department of Labor, the Department of Justice, the Social Security Administration and the Department of Health and Human Services.

I have also worked for various corporate clients such as AT&T, GTE, Metromobile, Inc., Blue Cross of Maine, Blue Cross of Massachusetts, and IMS America, and for private organizations such as the American Medical Association.

In addition, I have done work for New York City and for agencies of the States of New York, Pennsylvania and New Jersey.

Q4: Please describe your educational background and work experience.

A4: I hold a Ph.D. in Sociology and an M.A. in Mathematical Statistics from the University of Michigan and a B.S. in Mathematics from the University of Chicago. These degrees were awarded in 1971, 1965 and 1963 respectively.

In 1970, I joined the Institute for Survey Research and worked as a sampling statistician. From 1974 through 1981, I also worked as a Study Director at the Institute. I left the Institute in 1981 to become a Senior Sampling Statistician for Mathematica Policy Research, Inc. I have also taught courses in general statistics, survey sampling, and research methodology while working at Temple University as an Assistant Professor of Sociology from 1974 to 1978, and as an Associate Professor from 1978 through the present.

I have been an active member in many professional organizations for a number of years. Since 1975, I have served as a Proposal Evaluator for the National Science Foundation (NSF). I have consulted with the Center for Measurement

Methods and Data Resources of NSF on the development of standard procedures to evaluate surveys. I have served as the Chair of the Subcommittee to Review Proposed Internal Surveys of the American Statistical Association (ASA) since 1978, and was a member of the ASA Executive Committee Sub-section on Survey Research Methods from 1975 through 1977. In 1978, I was appointed by the National Academy of Sciences to a committee evaluating the Census Bureau's method of estimating post-censal population size and per capita income of local areas.

I have published numerous technical papers relating to application of statistics and sampling methodology. A selected list of these publications is included in my resume, Erickson Attachment A.

Q5: Are you familiar with the Byron Reinspection Program?

A5: Yes. I have reviewed the Report on the Byron QC Inspector Reinspection Program (Reinspection Report), the Report Supplement, all testimony of Mr. Singh, and portions of the testimony of Messrs. Tuetken, Del George, Hansel and Laney.

Q6: What is the purpose of your testimony?

A6: The purpose of my testimony is to evaluate Edison's use of statistics and probability theory in reaching conclusions concerning inspector qualifications and work quality. I also identify the limits on conclusions which can be reached because not all work elements, work attributes and inspectors had a chance of being selected for reinspection.



Q7: Is it useful to apply statistics in this context?

A7: Yes. Where a 100 percent reinspection is not possible or practical but we wish to make a judgment about inspector qualifications and plant work quality, we can use statistics to draw inferences concerning many plant items and inspectors from inspections of selected items and inspectors. We must be very careful, however, to properly choose the sample and properly determine the population about which inferences can be drawn.

Q8: Have you formed an opinion on the adequacy of the samples chosen in the reinspection program and the statistical bases of Edison's determinations of inspector qualifications and work quality?

A8: Yes. The Reinspection Program's sampling design and statistical analysis is sufficiently flawed that it does not provide adequate support for Edison's general conclusions and inferences about work quality and inspector qualifications.

Q9: What are the major problems with the sampling design and statistical analysis?

A9: ~~First, in structuring the Reinspection Program and Report, Edison failed to distinguish elements which are most important to safety from elements which are less important, or to distinguish elements which are easy to inspect from elements which are difficult to inspect. By lumping these elements together and failing to apply different criteria depending~~

(Rejected)

~~on the safety importance of the elements, Edison has not provided adequate assurance of work quality.~~

(Rejected)

Second, in stating conclusions concerning all inspections at Byron, Edison has seriously over-generalized, making inferences to inspections, work attributes and work elements that had no chance of being selected for reinspection. Edison lacks sufficient statistical basis for making such inferences.

Third, Edison's statistical methodology was faulty. The Company used an inappropriate formula in reaching its statistical judgments.

Q10: Why should Edison have distinguished elements based on their safety significance?

A10: In order to assure that a plant can be operated safely, we are primarily concerned that proper inspections are made of those inspection elements which pose serious risks if not properly inspected, especially those which are hard to inspect. To give a simple analogy, it does us little good to know that 99.5 percent of the parts of an automobile were properly inspected if the 0.5 percent that were missed are the brakes and the steering.

To provide assurance that each type of element is properly inspected, Edison should have designed a stratified sample of elements. The strata would be groups of elements categorized by attribute, type of task, difficulty of inspection, and safety significance. In each stratum, we would

(Rejected)

want to be assured that sample sizes were sufficiently large to be confident of the results. This would have enabled the Reinspection Program to establish acceptable confidence levels and reliabilities based on the importance of the element. Confidence levels indicate how certain a statistician is that his or her results are correct. Reliabilities reflect the percentage of inspections which are correct. For inspection elements where the risks caused by a poor quality are great, we might want to be certain that all were correct and, therefore, reinspect all elements. For inspection elements where the risks are not as great, but still substantial, we might want to be quite sure that 99.9 percent were correct. For other inspection elements which are less safety significant, we might be satisfied if we were reasonably certain that 99 percent were correct. In order to determine the amount of certainty and perfection required for each element, choices should have been made using engineering judgments. These judgments, along with their rationales, should have been determined when establishing the program and clearly stated in the reinspection report. A reasonable reinspection program might have required the following reliabilities and confidence levels for the following types of elements.

<u>Type of Element</u>	<u>Reliability</u>	<u>Confidence Level</u>
Critical to safety	100%	100%
Very important to safety	99.9%	99%
Somewhat important to safety	99%	95%
Least important to safety	90%	95%

(Rejected)

By aggregating data, i.e., lumping elements together, Edison failed to provide adequate assurance of safety. Even if we are 95 percent certain that 99 percent of all inspections that had a chance of being included in our sample met design requirements, this does not allow us to state that we are 95 percent certain that 99 percent of the more safety significant elements met design requirements. We, of course, want to be more than 95 percent certain that more than 99 percent of very important safety elements met design requirements. In order to make such a statement, the sampling plan should have incorporated special procedures for the more safety significant elements and should have disaggregated data, breaking it down by attributes and elements.

Q11: Can you give us an example of a situation where a reliability was inflated because of aggregation?

A11: Yes. In the Reinspection Program, Table VII E-3, Edison lumped all Hunter "hardware" elements together and reported their reliability to be greater than 99.9% at a 95% confidence level. However, the sample size for the "component inspections for piping and whip restraints", which Mr. Tuetken classified in his second most important safety category (Bleuel Attachment B) is too small to provide any meaningful basis for reporting a reliability. Out of <sup>10,509</sup>~~4,321~~ original inspections of piping and whip restraints, only <sup>0</sup>~~8~~ reinspections were done. (Ericksen Attachment B.) This is

far below the 200 minimum number of inspections required by Military Standard 105D, the standard which Mr. Singh applied in assessing the adequacy of sample size. (See tr. 9079.)

It is not possible to give an example for Hatfield because Edison did not disaggregate Hatfield data by inspection element. *(See Erickson Attachment C.)*

Q12: In what way has Edison "over-generalized" in drawing conclusions about work quality and inspector qualifications?

A12: Statisticians are able to make generalizations to all population elements having a known, nonzero chance of being selected into the sample, and generalizations must be limited to this population. In the Byron reinspection program, numerous work elements and attributes had no chance of being included in the sample reinspected. Table 1, attached to my testimony, lists these items. In addition, in general, only inspections performed in the first three months of an inspector's employment were eligible for sample selection, and the sample provides an inadequate basis for statements concerning inspections in the second three-month period or later. Edison has not provided a statistical basis from which to draw inferences about the quality of work excluded from the sample.

Certain inspectors also had no chance of being included in the sample. Edison has not provided an adequate statistical basis from which to draw inferences about these inspectors.

Q13: Is it possible to use inspectors' performance in reinspecting those elements and attributes which had a chance of being in the sample as a basis for generalizing to elements and attributes that had no chance of being in the sample?

A13: Mr. Singh seemed to indicate during cross-examination (tr. at 9105-9106) that such inferences could be drawn because inspectors were homogeneous. However, actual data from the reinspection program show that inspectors were not homogeneous.

Q14: Why did you conclude that the Company's statistical methodology was faulty?

A14: Much of the important work in generating a statistical estimate should be done in advance. Decisions must be made concerning the reliability sought, the confidence with which the reliability must be demonstrated, and the populations and subpopulations for which generalizations are needed. Once these decisions have been made, the sample can be planned and selected. The statistical planner should determine how large the sample must be to provide the desired confidence intervals, and whether or not the sample should be stratified to provide estimates for important subgroups. Contrary to the Company's assertions, Edison failed to take large enough samples to even assure 90% reliability at a 95% confidence level.

Q15: What was the major problem with the Company's application of statistics in estimating reliabilities for work quality?

A15: Edison, in its analysis, applied a statistical methodology that assumes selection of a simple random sample of inspections (Reinspection Report, page VII-9), but the Reinspection Program did not take such a sample. Edison may have made this error because the Company designed its program to test initial qualifications of inspectors rather than quality of work.

In calculating reliabilities, Edison used the formula

$$R = 1 - \frac{2.9955}{n}$$

where R = reliability at 95% confidence level

n = number of inspections in the random sample.

This formula was derived from page 246 of Probability and Statistics for Engineers by I. Miller and J.E. Freund (Prentice Hall, 1977).

According to Miller and Freund, the formula is an approximation that can be used, when no discrepancies are found, if the following assumptions are met:

- "1. There are only two possible outcomes for each trial ....
2. The probability of a success is the same for each trial.
3. There are n trials, where n is a constant.
4. The n trials are independent."

Id. at 54-55.

It was inappropriate for Edison to use this formula in calculating reliabilities in the Reinspection Report because assumptions (2) and (4) were violated.

Assumption (2) was violated because inspectors were not homogeneous; different inspectors had different probabilities of success. Assumption (4) was violated because inspections were not randomly chosen; the selections of inspections were not independent from each other.

Q16: What is the basis for your conclusion that inspectors were not homogeneous?

A16: Where inspectors are not homogeneous there will be similarities between inspections made by the same inspector. This creates a commonality within the cluster which can be measured by the "intraclass correlation." The intraclass correlation can range from a value slightly less than zero to +1.0. If the intraclass correlation is equal to zero, it means that inspectors are homogeneous and there is no increase in variance associated with cluster sampling. If the intraclass correlation is greater than zero, then inspectors are not homogeneous.

We can use data from Appendix B of the Reinspection Report to compute intraclass correlations. The computations show that for Hatfield, Hunter and Pittsburgh Testing Laboratory, each contractor's overall intraclass correlation was greater than zero. These positive intraclass correlations indicate that inspectors were not homogeneous.

Another indication of the lack of homogeneity among inspectors is seen from the results of "F tests." The F test is a common statistical tool that can be used to



determine whether observed variation in reliability among inspectors for a given attribute is greater than one expects by chance alone. For a sufficiently high F, we can conclude that inspectors are not homogeneous, at a particular level of significance.

Applying the F test to the data from Appendix B from the Reinspection Report, we reach the following conclusion: For Hatfield, Hunter and Pittsburgh Testing Laboratory, the F results for each contactor is sufficiently high to warrant rejection of the homogeneity hypothesis. In fact, the F results are so high that we are not only justified in rejecting the homogeneity hypothesis ~~at~~<sup>at</sup> the 10% level of significance and the commonly used 5% level of significance, but also at the particularly stringent 1% level of significance.

Q17: What is the basis for your conclusion that the Program did not select a simple random sample of inspections?

A17: When a simple random sample is taken, the selection of each item is independent. The inclusion of any one item in the sample should not affect the likelihood that any other item will be included. In the Reinspection Program, the selections of inspections were not independent.

A simple example will make this clear. Assume Inspector A makes inspections numbered 1, 2, 3, 4 and 5 during his first three months of work. Assume that Inspectors B, C, D and E make inspections numbered 6 through 25 during their

first three months of work. If a simple random sample of inspections is taken, the fact that inspection 1 is included in the sample will not affect the likelihood that inspection 2 will be included. In the Reinspection Program, however, if inspection 1 was chosen to be included in the sample, there would be a 100 percent chance that inspections 2, 3, 4 and 4 would be included in the sample. Statisticians call this "clustering." In the example, inspections are clustered by inspector.

Q18: What is the effect of clustering?

A18: Clustering almost always increases the uncertainty with which statistical estimates can be evaluated.

Let me illustrate with a simple example. Let us assume that we have a population of four inspections with two inspectors, Mr. Short and Mr. Long, each making two inspections of a pipe that is three inches long. Inspector Short's measurements are both 2 inches, while Inspector Long's measurements are both 4 inches. The average of all inspections is  $1/4(2 + 2 + 4 + 4) = 3$  inches. Now let us consider all possible samples of size 2 (i.e., that include two different inspections), where no one inspection can be chosen more than once. For clarity, we will call Short's first measurement  $2_A$  and his second measurement  $2_B$ ; likewise we will call Long's first measurement  $4_A$  and his second measurement  $4_B$ . There are six possible ways in which the inspections can be selected, disregarding the

order in which selections are made:

<u>Sample</u>	<u>Sample Mean</u>
2 <sub>A</sub> , 2 <sub>B</sub>	2.0
2 <sub>A</sub> , 4 <sub>A</sub>	3.0
2 <sub>A</sub> , 4 <sub>B</sub>	3.0
2 <sub>B</sub> , 4 <sub>A</sub>	3.0
2 <sub>B</sub> , 4 <sub>B</sub>	3.0
4 <sub>A</sub> , 4 <sub>B</sub>	4.0

In four out of six cases one would expect to pick a sample that yields the average inspection for the entire population. \*/

Now let us consider a second type of sample, a clustered sample where the inspector is the unit of selection. In other words, we take our sample of size 2 either by selecting Inspector Short's work or Inspector Long's work. Now there are two possible samples, namely:

<u>Sample</u>	<u>Sample Mean</u>
Short: 2 <sub>A</sub> , 2 <sub>B</sub>	2.0
Long: 4 <sub>A</sub> , 4 <sub>B</sub>	4.0

\*/ In statistical terms, the sample mean is exactly equal to the population mean in four of the six samples, but differs by one inch in two of the six samples. Statisticians measure these discrepancies by a concept known as the standard error, which is the square root of the average of squared deviations of sample means from the population mean. It is approximately:

$$\text{Standard error } (\bar{x}) = \sqrt{\frac{\sum (\bar{x}_i - \mu_x)^2}{n}}$$

where  
 $\mu_x$  = population mean  
 $\bar{x}_i$  = mean of sample i  
 $n$  = number of samples.

For the example just described, the standard error is:

$$\sqrt{(1 + 0 + 0 + 0 + 0 + 1)/6} = 0.57735.$$

We have only two possible samples, and they happen to be the two whose values for the sample mean are farthest from the population mean. In no cases could we pick a sample that yields the average inspection for the entire population. The sample average would either be one inch too short or one inch too long. \*/

Hence, the uncertainty associated with the sample estimates generated from a clustered sample is greater than the uncertainty associated with the sample estimates generated from a simple random sample, in which all selections are independent from all other selections. Edison should not have used a formula that assumes simple random sampling in determining the reliabilities of samples that were clustered by inspector.

Q19: Can you give us an example from the Reinspection Program of a situation where a reliability was overstated because of the effect of clustering?

A19: Yes. A good example can be derived from data on the Hunter inspection element "Documentation on component inspections for piping and whip restraints." There were 37,230 original inspections of this element and 1,476 reinspections. (Ericksen Attachment B.) The 1,476 reinspections, however, are clustered.

---

\*/ The standard error is larger, namely:

$$\sqrt{(1 + 1)/2} = 1.0.$$

To determine inspection reliability for a clustered sample, the statistician must first calculate the "design effect," the quantitative measure of the extent to which a reliability estimate is reduced by the effect of clustering. When the actual sample size is divided by the design effect, we obtain the effective sample size, which should be used in computing reliability.

In the case of "documentation on component inspections for piping and whip restraints," the design effect is ~~5.2257~~ <sup>5.2728</sup>. This yields an effective sample size of ~~282~~ <sup>280</sup> reinspections. Correcting for the effect of clustering, the effective sample size of this inspection element falls from 1,476 to ~~282~~ <sup>280</sup>. (See Appendix 1.) ~~282~~ <sup>280</sup> reinspections out of 37,230 original inspections is far below the sample size of 500 reinspections required by Military Standard 105D. Edison, therefore, cannot assert a meaningful reliability for this element.

Q20: Can you summarize the major problems, with the Reinspection Program?

A20: Yes. ~~First, Edison did not establish adequate criteria for its statistical analysis. The Company did not properly select confidence levels and acceptable reliabilities, and failed to stratify the sample taking account of safety significance.~~

*(rejection)*

Second, Edison over-generalized, offering conclusions about inspectors and elements that had no chance of being included in the reinspected sample.

Third, Edison used an inappropriate formula in calculating reliabilities. Two assumptions of the formula were violated: inspections were not randomly selected and inspectors were not homogeneous.

Fourth, Edison did not account for the added uncertainty created by clustering of inspections by inspector.

For these reasons, the sampling design of the Reinspection Program and the statistical analysis of the Reinspection Report are inadequate to support Edison's general conclusions about work quality and inspector qualifications.

TABLE 1\*

ATTRIBUTES AND ELEMENTS THAT HAD NO CHANCE OF  
BEING SELECTED FOR REINSPECTION

HATFIELD

Embedded conduit  
Underground duct runs  
Material and equipment receiving  
Cable installation  
Non-seg bus duct  
Material handling  
Stud welding  
Limit switch gasket replacement  
Removal of heat shrink tubing on conax penetrations  
Housekeeping  
All welds for which the original inspector could  
not be identified \*\*

HUNTER

Visual inspection of valves  
Ferrite inspection  
Piping hydrostatic test  
Piping weld interpass temperature inspection  
Joules test inspection  
Code name plate change  
Inspection of weld defect removal cavity  
Whip restraint - fitup and tack weld  
Buried pipe covering inspection  
Piping - pre-heat inspection  
Whip restraint - pre-heat inspection  
Pipe weld - Shield gas verification  
Component support - snubber stroking  
Bolting - turn-of-nut

\* Source: Written testimony of Richard B. Tuetken,  
Attachment B, tr. at 8408.

\*\* Source: Report on the Byron QC Inspector Reinspection  
Program, at IV-5, discussing Hatfield second  
audit.

TABLE 1 (cont'd)

Documentation

Ferrite inspection  
 Joules test  
 Code name plate change  
 Weld defect removal cavity  
 Component support - snubber stroking  
 Bolting - turn-of-nut

PITTSBURGH TESTING LABORATORY

Rebar detection  
 Bolting - turn-of-nut (connections)  
 Calibrations (torque wrenches, thermometers, feeler  
 gauges, scales, gauges)  
 Cadwelds (rebar coupling)  
 Soils (back fill)  
 Concrete field (placement)  
 Concrete lab (aggregate)

ATTRIBUTES AND ELEMENTS WHICH WERE  
 REINSPECTABLE BUT WERE NOT REINSPECTEDHATFIELD

Cable pan covers  
 Cable pan identification

HUNTER

Component support final inspection (type 3)  
 Component support final inspection (type 4)  
 Equipment installation

Documentation

Component support - final inspection (type 3)  
 Component support - final inspection (type 4)



## APPENDIX 1

### Calculation of Design Effect and Effective Sample Size

The design effect associated with a clustered sample can be calculated by using the following formula:

$$\text{deff} = 1 + \text{roh} (B-1)$$

where

deff = design effect  
roh = the intraclass correlation  
B = the average cluster size

Below, this Formula is applied to the Hunter inspection element "Documentation on component inspections for piping and whip restraints".

Roh is the estimated intraclass correlation for Hunter inspectors and is equal to ~~0.0172477~~  
0.01744.

B equals the total number of reinspections divided by the total number of clusters (i.e., reinspectors). In this case, B equals 1,476 divided by 6, which is 246.

$$\begin{aligned} \text{Therefore, deff} &= 1 + \text{roh} (B-1) \\ &= 1 + \text{0.01744} (246-1) \\ &= \text{5.2257} \quad \text{5.2728} \end{aligned}$$

To calculate the effective sample size, and thereby adjust the actual sample size to reflect the effect of clustering, we use the following formula:

$$\text{effective sample size} = \frac{\text{actual sample size}}{\text{deff}}$$

In this case, the effective sample size is:

$$\begin{aligned} \frac{1,476}{\text{5.2728}} &= \frac{279.93}{\text{5.2257}} \\ &= \frac{280}{\text{282.45}} \end{aligned}$$

or approximately ~~282~~ 280 reinspections.

ERICKSEN ATTACHMENT A

EUGENE PENNELL ERICKSEN

EDUCATION:

1971 Ph.D., Sociology, University of Michigan  
 1965 M.A., Mathematical Statistics, University of Michigan  
 1963 B.S., Mathematics, University of Chicago

POSITIONS:

1981 - Senior Sampling Statistician, Mathematica Policy Research, Inc.  
 1970 - 1981 Institute for Survey Research  
     1974 - 1981 Study Director  
     1970 - 1981 Sampling Statistician  
 1978 - Department of Sociology, Temple University  
     1978 - 1981 Associate Professor  
     1974 - 1978 Assistant Professor  
 1969 - 1970 Student Fellow, University of Michigan  
 1967 - 1968, Student Associate, Institute for Social Research, University of Michigan  
     1964 - 1966  
 1966 - 1967 Lecturer, Balham and Tooting College of Commerce, London

EXPERIENCE:

At Mathematica Policy Research, Dr. Ericksen has had responsibility for the sample design of surveys on diverse populations including households in the United States, industries using data communications equipment, physicians, social security recipients, and emergency rooms in hospitals. He has also conducted statistical evaluation projects including several which were the basis for expert testimony in courtroom litigation. He is currently the chief technical advisor for plaintiffs in several suits concerning the adjustment of the 1980 Census.

At the Institute for Survey Research, Dr. Ericksen worked on virtually every major project as Sampling Statistician. His duties included designing and constructing a national sample of households, adapting this sample to the sampling from lists, constructing national samples, and evaluating the samples with respect to computing sampling errors. He also designed, constructed, and evaluated subnational surveys for particular states and local areas. As Study Director, Dr. Ericksen conducted studies under three joint contracts with the Bureau of the Census. The objective of these studies was to develop a methodology for using regression analysis with sample data to compute postcensal estimates for local populations, and they were conducted from 1972 through 1974. He was also co-principal investigator on the studies "Ethnicity and Community in a Metropolis," supported by the National Institute of Mental Health, Center for Metropolitan Studies, 1975 through 1979, and "Fertility of an American Isolate Subculture (The Old Order Amish)," supported by the National Institutes of Health, 1976 through 1978.

At Temple University, Dr. Ericksen has taught courses in general statistics, survey sampling, research methodology, family sociology, ethnic groups, population, and human ecology. In the spring of 1980, as part of the Experimental Student Intern Program of the Bureau of the Census, he taught a special course whereby undergraduate students were trained to become enumerators in the 1980 Census.

At the Population Studies Center, University of Michigan, Dr. Ericksen, under a joint contract with the Bureau of the Census, wrote a Ph.D. dissertation to develop the methodology for using regression analysis and sample data to compute postcensal population estimates for local areas.

Dr. Ericksen is also a research associate for the Center for Philadelphia Studies, University of Pennsylvania. He is also a member of the American Statistical Association, the Population Association of America, and the American Sociological Association.

EUGENE PENNELL ERIKSEN  
Page Two

PROFESSIONAL ACTIVITIES AND OFFICES:

Member, Executive Committee, Subsection on Survey Research Methods, American Statistical Association, 1975-1977.

Member, Board of Review, American Statistical Association Project on the Assessment of Survey Research Practices, 1976 and 1977. The Committee evaluated the following report: "Developing of Survey Methods to Assess Survey Practices," by Barbara A. Bailar and C. Michael Lanphier, and published by the American Statistical Association, 1978.

Publications Liaison, Section on Survey Research Methods, American Statistical Association, 1978.

Proposal Evaluator, National Science Foundation, 1975 to present. He has also consulted on the development of standard procedures to evaluate surveys with the Center for Measurement Methods and Data Resources of the NSF.

Chair, Subcommittee to Review Proposed Internal Surveys of the ASA (American Statistical Association), 1978 to present.

Member, committee appointed by National Academy of Sciences to evaluate Census Bureau method of estimating postcensal population size and per capita income of local areas.

SELECTED PAPERS AND PUBLICATIONS:

- "Voting Patterns in Pennsylvania Judicial Primaries: 1983" report to Judiciary Committee of the Pennsylvania State Senate. Presented November 30, 1983 (with Christena E. Nippert).
- "Using Administrative Lists to Estimate Census Omissions: An Example," (with Joseph B. Kadane) 1983, presented at Meetings of American Statistical Association.
- "Using the 1980 Census as a Population Standard," (with Joseph B. Kadane) 1983, presented at Meetings of American Statistical Association.
- "Estimating the Population in a Census Year," presented to the Federal Court of the Southern District of New York, 1982, and to conference on "Data Needs for America in Transition," sponsored by the Congressional Research Service, Library of Congress, 1983 (with Joseph B. Kadane).
- "Can Regression Be Used to Estimate Local Undercount Adjustments?" Proceedings of the 1990 Conference on Census Undercount, July 1980, pp. 55-61.
- "The Cultivation of the Soil as a Moral Directive: Population Growth, Family Ties, and the Maintenance of Community Among the Old Order Amish." Rural Sociology, vol. 45, Spring 1980, pp. 49-68 (with Julia A. Erikson and John Hostetler).
- "Fertility Patterns and Trends Among the Old Order Amish." Population Studies, vol. 33, July 1979, pp. 255-276 (with others).
- "The Division of Family Roles." Journal of Marriage and the Family, vol. 41, May 1979, pp. 301-313 (with Julia A. Erikson and William Yancey).
- "Antecedents of Community: Economic and Institutional Structure of Urban Neighborhoods." American Sociological Review, vol. 44, April 1979, pp. 253-262 (with William L. Yancey).
- "Work and Residence in Industrial Philadelphia." Journal of Urban History, vol. 5, March 1979, pp. 147-162 (with William L. Yancey).
- "~~Minimum Criteria for Evaluating Local Estimates: Discussion of Papers by Gonzalez and Fay.~~" In Synthetic Estimates for Small Areas: Statistical Workshop Papers and Discussion, National Institute on Drug Abuse Research Monograph 16, 24, February 1979, pp. 185-191.
- "A Tale of Three Cities: Blacks and Immigrants in Philadelphia, 1850-1880, 1930, and 1970." The Annals, vol. 441, January 1979, pp. 55-61 (with others).

EUGENE PENNELL ERICKSEN  
Page Three

SELECTED PAPERS AND PUBLICATIONS: (continued)

- "Immigrants and their Opportunities: Philadelphia, 1850-1936." Presented at a symposium on immigration held at the meetings of the American Association for the Advancement of Science, Houston, Texas, January 1979 (with William L. Yancey).
- "Report of the Conference on Economic and Demographic Methods for Projecting Population: Summary and Recommendations." The American Statistical Association, April 1978 (with Richard Engels).
- "Reply to Levine and Bergesen." American Sociological Review, vol. 42, October 1977, pp. 825-827 (with William L. Yancey and Richard H. Juliani).
- "Some Lessons Learned from Conducting Federally Sponsored Surveys." Proceedings of the Social Statistics Section, American Statistical Association, August 1977, pp. 183-185.
- "Sampling a Rare Population: A Case Study." Journal of the American Statistical Association, vol. 71, December 1976, pp. 816-822.
- "Emergent Ethnicity: A Review and Reformulation." American Sociological Review, vol. 41, June 1976, pp. 391-403 (with William L. Yancey and Richard Juliani).
- "Outliers in Regression Analysis when Measurement Error is Large." Proceedings of the Social Statistics Section, American Statistical Association, August 1975, pp. 412-417.
- "Population Estimation in the 1970s: The Stakes are Higher." Report to Bureau of the Census, May 1975.
- "A Regression Method for Estimating Population Changes of Local Areas." Journal of the American Statistical Association, vol. 69, December 1974, pp. 867-875.
- "Recent Developments in Estimation for Local Areas." Proceedings of the Social Statistics Section, American Statistical Association, December 1973, pp. 37-41.
- "A Method for Combining Sample Survey Data and Symptomatic Indicators to Obtain Population Estimates for Local Areas." Demography, vol. 10, May 1973, pp. 137-160.
- "Test of a Statistical Procedure for Computing Estimates for Local Areas." Report to Bureau of the Census, January 15, 1973.

11c. Edison's Amended Response to Interrogatory 11(c)  
and Third Amended Response to Interrogatory 12(c)

I.	II.	III.	IV.	V.
<u>Inspection (by attribute)</u>	<u>Total Inspections Performed through 8/31/82</u>	<u>Total Reinspections Performed</u>	<u>Number of Inspectors Inspecting Attribute</u>	<u>Inspectors Reinspected</u>
class I cable pan hangers	26,230	4,776	9	2
class I cable pans	1,643	80	10	1
cable terminations	78,548	7,784	16	5
equipment modifications	628	27	4	3
class I exposed conduit	30,210	2,793	15	6
A-325 bolt installation	14	8	3	1
conduit "as-built" program	180,000	44,777	28	8
visual weld inspection	312,000	27,844	17	8

Notes: The numbers in Column II are estimated and exclude inspections performed after September 1, 1982. The number of total inspections and total reinspections shown for attributes 4 and 6 refer to the number of items on an individual inspection report and inspection reports respectively. All other numbers in columns II and III refer to individual inspections of various components. The numbers in Column IV are the number of inspectors who, on their first date of certification, were certified in the inspection attribute and actually performed inspections of that attribute between the date of first certification and September 1, 1982. The total number of Hatfield inspectors employed between 1976 and September 1, 1982 is 86. Many inspectors are certified in more than one inspection procedure. For the objective inspections, inspection attributes 1, 2, 5 and 7 require similar inspection skills as do inspection attributes 3 and 4.

Inspection (by inspection element)	Total Inspections Performed	Total Reinspections Performed	Number of Inspectors Inspecting Inspection Element	Inspectors Reinspected
1. Documentation for piping mechanical joint witness of torque-initial, intermediate and final	9,745	247	12	1
2. Documentation of piping hydrostatic test	430	120	3	1
3. Documentation on piping inter pass inspection	5,896	321	13	4
4. Documentation on name plate inspection	25	5	2	1
5. Documentation on finished weld inspection of piping and whip restraints	187,129	14,584	16	11
6. Documentation on finished weld inspection for component supports	29,272	963	10	6
7. Documentation on component inspections for piping and whip restraints	37,230	1,476	16	6
8. Documentation on fit up and tack welds for piping and whip restraints	98,861	3,609	16	9
9. Documentation on piping field bonds-final visual, ovality and radius	2,434	41	10	1

Inspection (by inspection element)	Total Inspections Performed	Total Reinspections Performed	Number of Inspectors Inspecting Inspection Element	Inspectors Reinspected
10. Documentation on review of type a inspection for type 3 inspection final reivew	168,815	21,161	6	6
11. Documentation on mechanical joint inspection for piping preassembly inspection (component)	5,929	82	11	1
12. Documentation on piping mechanical joint inspections line up inspections (fit up)	4,355	29	8	1
13. Documentation on location acceptance between component support and item being supported	3,219	86	5	2
14. Documentation on component support inspection checklist	9,230	158	4	1
15. Documentation on location of field welds for piping inspections	5,707	353	8	4
16. Documentation on piping holiday jeep test	60	10	2	1
17. Documentation on component supports concrete expansion anchors	2,589	782	5	4

<u>Inspection (by inspection element)</u>	<u>Total Inspections Performed</u>	<u>Total Reinspections Performed</u>	<u>Number of Inspectors Inspecting Inspection Element</u>	<u>Inspectors Reinspected</u>
18. Documentation on piping and whip restraints pre-heat inspection	2,483	231	6	2
19. Documentation on piping verification of shield gas	685	10	4	1
20. Documentation on piping and component supports temporary attachments inspection	401	122	4	2
21. Small bore type 3 final hardware inspection reports	3,503	3,014	5	5
22. Small bore type 4 final documentation inspection reports	47	35	2	2
23. Whip restraints type 3 final documentation inspection reports	185	176	1	1
24. Whip restraints type 4 final documentation inspection report	12	6	1	1
25. Equipment type 3 final documentation inspection report	13	7	1	1
26. Documentation on large bore piping types final inspection	401	395	2	2



<u>Inspection (by inspection element)</u>	<u>Total Inspections Performed</u>	<u>Total Reinspections Performed</u>	<u>Number of Inspectors Inspecting Inspection Element</u>	<u>Inspectors Reinspected</u>
27. Piping mechanical joints witness of torque initial, intermediate, and final	9,034	626	13	9
28. Component supports torques	423	150	7	2
29. Finished weld inspection for piping and whip restraints	10,981	2,291	17	17
30. Finished weld inspection for component supports	15,844	1,437	15	9
31.* Piping and component supports temporary attachments inspection	373	0	11	0
32.* Component inspections for piping and whip restraints	10,509	0	16	0
33.* Fit up and tack weld for piping and whip restraints	26,572	0	16	0
34. Piping field bends inspection final, visual ovality and radius	1,032	417	10	9
35. Verified location acceptable between component support and item being supported	1,996	254	10	4
36. Component support inspection checklist	52,273	13,894	9	4

	<u>Inspection (by inspection element)</u>	<u>Total Inspections Performed</u>	<u>Total Reinspections Performed</u>	<u>Number of Inspectors Inspecting Inspection Element</u>	<u>Inspectors Reinspected</u>
37.	Dimensional on location of field welds for piping inspections	2,934	567	9	8
38.	Component support concrete expansion anchors inspection	4,882	772	9	4
39.	Small bore type 3 final hardware inspection reports	31,917	10,515	9	5
40.	Small bore type 4 final hardware inspection reports	1,312	43	3	1
41.	Large bore type 3 final inspection report	34,801	5,187	8	3
42.	Whip restraints type 3 final hardware inspection report	6,556	876	4	1
43.	Whip restraints type 4 final hardware inspection reports	134	22	1	1

NOTES: The Total Inspections Performed are those performed by the inspectors whose work was reinspected in the reinspection program. The total number of inspections is unknown. Inspections conducted after August 31, 1982, are excluded. The Number of Inspectors Inspecting Inspection Element is the number of inspectors who, were certified to perform inspections for the inspection element and whose inspections were reinspected. Information on the total number of inspectors inspecting each inspection element is not available. The total number of Hunter inspectors employed at Byron between 1976 and September 1, 1982 is 84. The certifications of these inspectors permit them to conduct inspections of more than one inspection element. Inspection attributes 1-26, 27-28, 29-31, 32-38, 39-41 and 42-43 require similar inspection skills.

\* Portions of these attributes were nonrecreatable and thus were not reinspectable.

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of )  
COMMONWEALTH EDISON COMPANY ) Docket Nos. 50-454-OL  
(Byron Station, Units 1 ) 50-455-OL  
and 2) )

COMMONWEALTH EDISON COMPANY'S  
RESPONSE TO INTERVENOR'S FIRST SET  
OF SUPPLEMENTAL INTERROGATORIES

Interrogatory 11 Supplement: Separately, with respect to each "inspector reinspected" listed in Edison's First Amended response to Intervenor's Interrogatory 11(c), please list all inspection elements and for each inspection element, please provide:

- (a) a description of the inspection element;
- (b) total number of inspections performed;
- (c) total number reinspections performed;
- (d) the number of inspectors who inspected this element;
- (e) the number of inspectors of that element who were reinspected and separately for each inspector reinspected: (i) the number of reinspections performed that agree with initial inspections and (ii) the total number of reinspections performed. (The tabulation for (e) should provide the same type of information provided in Table B-5 of the Reinspection Program disaggregated by "inspection element" rather than "attribute").

Answer (a)-(b). Commonwealth Edison Company ("CECo") objects to Interrogatory 11 Supplement on the grounds that it would be unduly burdensome to obtain this information and that the information is neither relevant nor calculated to lead to discovery of admissible information. Notwithstanding the foregoing objection, CECo further answers Interrogatory 11 as follows: Hatfield Electric Company has not maintained its inspection records by inspection element. Accordingly, answer to this interrogatory requires the analysis of tens of thousands of inspection reports and an identification of inspection elements. At Intervenors' request, documents containing information responsive to this Interrogatory will be made available for inspection and copying.

## 1 FINISHED WELD INSPECTION FOR PIPING AND WHIP RESTRAINTS

			Total		Sample		Sample Rejects	
			Subjective	Objective	Subjective	Objective	Subjective	Objective
1284	P. PEPITONE (A)	(NRC)	195	n/A	27	n/A	1	n/A
	Level II							
9208	R. STURGES (B)	(1st)	237		14		0	
	Level II							
1211	J. OOTEN (C)	(2nd)	48		34		0	
	Level II							
1354	P. KILPATRICK (D)	(NRC)	135		31		0	
	Level II							
1714	W. TUCKER (E)	(3rd)	2175		279		3	
	Level II							
1515	R. CANTLEY (F)	(4th)	798		214		6	
	Level II							
9076	O. YOUNG (G)	(5th)	898		122		13	
	Level II							
1529	W. MADILL (H)	(6th)	159		55		6	
	Level II							
1980	S. BURSTEIN (V)	(6th and next)	914		8		1	
	Level II							

1 FINISHED WELD INSPECTOR FOR PIPING AND WILP RESTRAINTS

18293

		Total		Sample		Sample Rejects	
		Subjective	Objective	Subjective	Objective	Subjective	Objective
9446	E. SAUNDERS (I) (7th) Level II	1327	N/A	319	N/A	4	N/A
1605	J. CAMPBELL (K) (8th) Level II	1060		344		10	
1946	L. GEURTSSEN (L) (NRC) Level II	1117		273		0	
1130	T. KELLEY (P) (9th) Level II	1061		182		1	
1533	R. MILROY (Q) (10th) Level II	53		33		1	
1562	J. BAKER (R) (NRC) Level II	413		237		5	
1313	M. WELLS (S) (11th) Level II	318		114		0	
1782	C. WIEDEMAN (U) (12th) Level II	11	↓	5	↓	0	↓

1 FINISHED WELD INSPECTION FOR PIPING AND THIP RESTRAINTS

	Total		Sample		Sample Rejects	
	Subjective	Objective	Subjective	Objective	Subjective	Objective
9357 G. FERRIGAN (J) (MRC) Level I	N/A	N/C	N/A	N/A	N/A	N/A
1958 W. BAKER (O) (13th) Level I						
1078 P. PEASLEE (14th) Level I	See Speed Letter from R. Klingler CECo 4-8-83					
1041 M. PELIKAN (N) (14th and next) Level I						
1867 B. WYATT (M) (15th) Level I						
1705 L. LINDGREN (I) (16th) Level I						

18 FINISHED WELD INSPECTION FOR COMPONENT SUPPORTS

			Total		Sample		Sample Rejects	
			Subjective	Objective	Subjective	Objective	Subjective	Objective
1284	P. PLATTONL	(A)	549	N/A	24	N/A	3	N/A
	(NRC)	Level II						
9208	R. STURGES	(B)	8		0		0	
	(1st)	Level II						
1211	J. OOTEN	(C)	3		0		0	
	(2nd)	Level II						
1354	P. KILPATRICK	(D)	17		2		0	
	(NRC)	Level II						
1714	W. TUCKER	(E)	1336		22		15	
	(3rd)	Level II						
1515	R. CANTLEY	(F)	0		0		0	
	(4th)	Level II						
9076	O. YOUNG	(G)	14		7		0	
	(5th)	Level II						
1529	W. MADILL	(H)	0		0		0	
	(6th)	Level II						
1980	S. BURSTEIN	(V)	6712	↓	58	↓	3	↓
	(6th and next)	Level II						



18 FINISHED WELD INSPECTION FOR COMPONENT SUPPORTS

	Total		Sample		Sample Rejects	
	Subjective	Objective	Subjective	Objective	Subjective	Objective
9446 E. SAUNDERS (I) (7th) Level II	686	N/A	0	N/A	0	N/A
1605 J. CAMPBELL (K) (8th) Level II	3		0		0	
1946 L. GEURISEN (L) (NRC) Level II	478		0		0	
1130 F. KELLEY (P) (9th) Level II	1517		81		13	
1533 R. MILROY (Q) (10th) Level II	1902		359		8	
1562 J. BAKER (R) (NRC) Level II	693		0		0	
1313 M. WELLS (S) (11th) Level II	88		67		0	
1782 C. WILDEMAN (U) (12th) Level II	1832		817		19	

18 FINISHED WELD INSPECTION FOR COMPONENT SUPPORTS

			Total		Sample		Sample Rejects	
			Subjective	Objective	Subjective	Objective	Subjective	Objective
9357	G. FERRIGAN (NRC) Level I	(J)	N/A	N/A	N/A	N/A	N/A	N/A
1958	W. BAKER (13th) Level I	(O)						
1078	P. PLASLEE (14th) Level I	See Speed Letter from R. Klingler CECO 4-4-83						
1041	M. PELIKAN (14th and next)- Level I	(N)						
1867	B. WYATT (15th) Level I	(M)						
1705	L. LINDGREN (16th) Level I	(T)	7	↓	↓	↓	↓	↓

TABLE 2  
Changes from Edison's Original  
Response to Interrogatory 12 to Final Response

	<u># of Inspections</u>	<u># of Reinspections</u>	<u># of Inspectors</u>	<u># of Inspectors Reinspected</u>
<u>Original</u>				
<u>Final</u>				
Finished weld inspection for piping and whip restraints	4,395	2,291	17	17
	10,981	2,291	17	17
Component inspection for piping and whip restraints	4,321	4	16	1
	10,509	0	16	0
Fit-up and tack weld for piping and whip restraints	9,395	5	16	2
	26,572	0	16	0
Dimensional on location of field welds for piping inspections	967	567	8	8
	2,934	567	9	8
Piping field bends, final visual, ovality and radius	729	417	10	9
	1,032	417	10	9
Piping mechanical joints witness of torque initial, intermediate and final	2,714	606	12	10
	9,034	626	13	9
Finished weld inspection for component supports	3,282	1,437	11	9
	15,844	1,437	15	9
Component support location inspection	472	254	5	4
	1,996	254	10	4
Component support checklist inspection	18,378	13,932	4	4
	52,273	13,894	9	4
Component support torque	405	150	5	2
	423	150	7	2
Component support CEA inspection	1,154	772	5	4
	4,882	772	9	4
Piping and component support camp attachment inspection	27	13	4	2
	373	0	11	0
Small bore type 3 final hardware inspection reports	22,762	10,515	5	5
	31,917	10,515	9	5
Small bore type 4 final hardware inspection	155	75	2	1
	1,312	43	3	1
Whip restraints type 3 final hardware inspection	4,684	876	1	1
	6,556	876	4	1

	<u># of Inspections</u>	<u># of Reinspections</u>	<u># of Inspectors</u>	<u># of Inspectors Reinspected</u>
	Whip restraints type 4 final hardware inspection			
<u>Original</u>	134	22	1	1
<u>Final</u>	134	22	1	1
	Large bore type 3 final hardware inspection			
	1,535	195	2	1
	34,801	5,187	8	3
	Large bore type 4 final hardware			
	-- NO --	DATA	-- PROVIDED --	
	490	0	5	0

TABLE 3

Table B-3  
Detailed Inspector Results  
Hunter

Attributes

<u>Inspector</u>	<u>Reinsp. Program</u> <u>No. 1</u>	<u>Int. Interrog. 12 Supp.</u> (when differer
A	47/48	47/51
B	14/14	
C	34/34	
D	33/33	
E	283/301	
F	208/214	
G	116/129	
H	49/55	
I	315/319	
J	-	
K	334/344	
L	273/273	
M	-	
N	-	
O	-	
P	249/263	
Q	333/392	
R	232/237	
S	181/181	
T	-	
U	303/322	
V	62/66	
<b>TOTAL</b>	<b>3616/3725</b>	<b>3616/3728</b>
<b>DISCREPANCIES</b>	<b>109</b>	<b>112</b>
<b>DISCREPANCIES EVALUATED FOR DESIGN SIGNIFICANCE</b>	<b>109</b>	<b>109</b>
<b>DISCREPANCIES NOT EVALUATED FOR DESIGN SIGNIFICANCE</b>	<b>0</b>	<b>3</b>

(Erickson Supp.)

TABLE 4

Percent of Discrepancies on Reinspection  
by inspector and element

<u>Inspector</u>	<u>Element</u>		<u>Average percent discrepa across all elements</u>
	<u>1</u>	<u>2</u>	
A	4	12	2
D	0	0	0
E	1	68	6
G	<del>3</del> (11)	0	10
P	1	16	5
O	3	2	2
S	0	0	0
U	0	2	2
V	12	5	6

Average percent  
discrepancy  
across all  
inspectors

2

4

3

Element 1 - Finished weld inspections for piping and whip restraints  
Element 2 - Finished weld inspections for component supports

(Erickson Supp.)

TABLE 5  
Percentage of Discrepancies on Reinspections  
for Visual Welding by Contractor

Visual Welding

Contractor

Johnson  
Controls

4

Hunter

3

NISco

0

Hatfield

7

Pittsburgh  
Testing

15

Peabody

24

Average percent  
discrepancy  
across all  
contractors

8

T19 MM/mml 1

2 MS. JUDSON: I just wanted to report to the  
3 Judges that Table 2 has now been reduced to the appropriate  
4 size.

5 JUDGE SMITH: Thank you.

6 MR. CASSEL: Courtesy of Ms. Ethel McGreavy.

7 JUDGE SMITH: You may tell the Marshalls,  
8 never mind.

9 MR. MILLER: May I proceed, Judge Smith?

10 JUDGE SMITH: Yes.

11 CROSS-EXAMINATION

12 BY MR. MILLER:

13 Q Dr. Ericksen, you are aware, are you not, that the  
14 Reinspection Program broke down the inspections into two  
15 main categories; objective inspections and subjective  
16 inspections, correct?

17 A Yes.

18 Q And the subjective inspections were only visual  
19 weld examinations, right?

20 A That's right.

21 Q Now, in answer 11, you refer to component  
22 inspections for piping and whip restraints. Do you know,  
23 Dr. Ericksen, what the characteristics of that inspection are?

24 A I think to save time I will say no.

25 You can infer from the words, but --

Q Do you know how, if at all, that inspection differs

XXX



mm2

1 from component support concrete expansion anchor inspections?

2 A No, I will simply state that since the  
3 engineers saw fit to characterize them as a different type  
4 of inspection element, that I went along with that judgment.

5 Q Okay.

6 Is it because you were relying on the engineering  
7 judgment of whatever individual set out these separate  
8 inspection elements as separate elements, that you conclude  
9 that it is -- it would not be proper to aggregate elements  
10 in calculating a reliability statistic?

11 A I think there are two parts to answer your question.

12 Q Okay.

13 A The first part -- and this applies really to any  
14 kind of data that you might be working with. It doesn't have  
15 to apply to a nuclear power plant. It could apply to testing  
16 drugs, it could apply to crops, it could apply to quality  
17 control of various products in a factory. That there are  
18 different ways of aggregating and combining things which are  
19 somewhat the same in some characteristics, and are different  
20 in other characteristics.

21 And the way in which the smallest components are  
22 aggregated is an important issue of statistical judgment.  
23 And one should indicate how those aggregation decisions were  
24 made.

25 The second part of my answer is that when you

mm3

1 look at different elements that are combined in the same  
2 attribute, the error rates do seem to differ.

3 Q I think the first part of your answer was that  
4 the way in which the smallest components of the element --  
5 I'm sorry, my notes -- I wasn't able to keep up with my  
6 notes. I think you said that the smallest component of what,  
7 sir?

8 A Well, if we agree that there is a term to define  
9 the smallest unit that is inspected -- I think we have been  
10 referring to them as inspection elements.

11 Q All right, sir.

12 A Now, at one extreme, one could argue that every  
13 single inspection element, the results and the reliability  
14 should be presented separately.

15 At another extreme, one would argue that they  
16 should all be put together into one large category.

17 And what I am saying is that that is a substantive  
18 decision which requires justification. And the criterion on  
19 which that judgment should be made really would have to do  
20 with the difficulty of inspection and likelihood of  
21 discrepancy.

22 Q And that is something that an expert in the  
23 subject matter --

24 A Well, there are two ways in which that could have  
25 been done. An expert in the subject matter could have made

mm4

1 that judgment a priority. And the rationale for that  
2 judgment in normal statistical circumstances would be included  
3 in part of the report for evaluation.

4 Secondly, with hindsight one could look at the  
5 data and make the judgment based on inspection of the data.

6 Q I would like you to turn to answer 19, please.

7 Actually, I want to go all the way to the last  
8 paragraph of answer 19, which is found on page 16.

9 This is the calculation of the design effect  
10 that is described in your testimony, is it not?

11 A Yes.

12 Q And Appendix 1 to your prepared testimony gives  
13 some of the details of that calculation, correct?

14 A Yes.

15 Q You made some, what a non-statistician would  
16 regard as essentially small changes in the numbers. But with  
17 those changes do you believe that the calculation is correct  
18 as you have reported it here?

19 A Yes. The calculation is necessarily an approxima-  
20 tion given the equation that was used. To the best of my  
21 judgment, the calculation is correct.

22 Q If we turn to Appendix 1, it is correct, is it  
23 not, that the calculation of the design effect itself is  
24 based on the calculation of intraclass correlation?

25 A Yes.

mm5

1 Q That's the necessary part of the calculation for  
2 design effect, right?

3 A Well, I presented it this way.

4 What I actually did was, I calculated the  
5 variants; estimated the design effect from the variants  
6 calculation; inserted the average cluster size into the  
7 design effect, and calculated intraclass correlation from  
8 that.

9 Q Returning to, for ust a second, to answer 16 on  
10 page 11, that is the same intraclass correlation measurement  
11 in the first paragraph of answer 16 that is a part of the  
12 equation for your calculation of the design effect, correct?

13 A I must apologize, I was reading the first  
14 paragraph. I didn't pay attention to your question.

15 Q Are you finished, I will reask the question.

16 A Please.

17 Q The question is, is the calculation of the intra-  
18 class correlation that is described in the first paragraph  
19 of answer 16, the same intraclass correlation which is used  
20 as a part of --

21 A Yes.

22 Q You have to wait until I am finished, I'm sorry.  
23 -- which is used as a part of the calculation of  
24 design effect in Appendix 1, and in your answer 19?

25 A Well, in answer 16 I am really telling you about

mm6

1 the intraclass correlation. And it is a concept that is  
2 described in my answer 16.

3 In Appendix 1 I tried to estimate what the  
4 intraclass correlation might be for one example.

5 MR. CASSEL: Excuse me, just a minute.

6 Are the Judges having any difficulty hearing the  
7 witness? Does he need to speak into the mike?

8 JUDGE SMITH: No, I heard him.

9 JUDGE COLE: I heard him, thanks.

10 MR. MILLER: Dr. Ericksen commented before we  
11 started that it is difficult to speak to both the questioner  
12 and the Board.

13 JUDGE SMITH: No, I have no problems.

14 BY MR. MILLER:

15 Q Now, returning again to answer 19 -- I'm sorry  
16 to jump around like this-- but the calculation of the design  
17 effect is used, is it not, to take account of the clustered  
18 sampling of inspections?

19 A Yes.

20 Q And a clustered sample by definition is not a  
21 random sample as defined in the formula that Dr. Singh used  
22 and that you discuss in answer 15 on page 10?

23 A That's right.  
24  
25

end T19

1           Q       As a result of your calculation of the intra-  
2           class correlation and the conclusion that this is a  
3           cluster rather than random sample, it is your judgment that  
4           assumptions number 2 and 4 that are the predicate, if you  
5           will, for use of the formula, have been violated. Is  
6           that right?

7           A       No, that's not correct.

8           Q       Okay. You conclude that inspectors are not  
9           homogeneous. Is that correct?

10          A       Yes, I do.

11          Q       And you do that on the basis of your calculation  
12          of the intraclass correlation; correct?

13          A       This is one example. There are other intraclass  
14          correlations that were calculated for Hatfield and for  
15          Hunter.

16          Q       Oh, I understand.

17          A       This is one example.

18          Q       Yes, I understand it's an example, but it is  
19          your calculation or calculations of intraclass correlations  
20          that lead you to conclude that inspectors are not homogeneous.

21          A       I think that there are two or three questions  
22          embedded in here. Let me see if I can take them apart  
23          and answer them, because the thing that confused me is that  
24          you referred me to assumptions 2 and 4 in the Miller and  
25          Freund book, and assumptions 2 and 4 are violated because

1 we know that a clustered sample was selected. Now, what  
2 the calculation of intraclass correlation does is give us  
3 some indication of whether or not that matters. And if the  
4 intraclass correlation is larger than 0, then it probably  
5 matters.

6 Now, a third point to be made is that the  
7 reliability calculation, the R equals 1 minus 2.9955 over N,  
8 which is a particular approximation based on the chi-squared  
9 distribution, the effects of cluster sampling on that, to  
10 my knowledge, have never been studied. And it could be that  
11 the effects of clustering on that formula are far greater  
12 than the calculation that I have shown would indicate.

13 Q But in any event, the starting point for your  
14 analysis is your calculation of the intraclass correlation,  
15 correct?

16 A Intraclass correlations.

17 Q Correlations, thank you. Now, I think you state  
18 in your answer 16 that you used data from Appendix B of the  
19 Reinspection Program Report in order to calculate these  
20 intraclass correlations.

21 A That's right.

22 Q If you would turn to Appendix B, perhaps the  
23 easiest table to look at is Table B-3 on page B-4, which  
24 is the detailed inspection results for Hunter. And just  
25 taking the column that's labeled number 1, there were 3,725

1 visual welds that were reinspected, and of those, 3616 were  
2 found to be without discrepancies; correct?

3 A Correct.

4 Q Dr. Ericksen, do you know the difference between  
5 an observed discrepancy, a valid discrepancy, and a design  
6 significant discrepancy as those terms were used in  
7 describing discrepancies reported in the Reinspection Program?

8 A I used the term "discrepancy" to mean whatever  
9 was meant in the preparation of B-3. And I understand that  
10 a design-significant discrepancy involves some kind of  
11 engineering judgment applied to the individual discrepancies.

12 Q Yes, sir. I think you stated that you had  
13 reviewed the prepared testimony of Mr. Del George, Mr. Teutken,  
14 Mr. Laney, Mr. Hansel. Did you look at the testimony of  
15 any of the Sargent & Lundy witnesses? Prepared testimony.

16 A Could you suggest a couple of names?

17 Q Well, the one I'm specifically referring to is  
18 the testimony of Mr. Branch.

19 A I did look only at one point in Mr. Branch's  
20 testimony when I was trying to put the 109 and 112 together.

21 Q Well, I would like to show you Question and  
22 Answer 11 from Mr. Branch's prepared testimony and ask you  
23 to just read it to yourself and then I have a question or  
24 two.

25 (Document handed to witness.)



1 A Could I ask you a question?

2 Q Certainly.

3 A Can I assume that the term "discrepancy" in  
4 Question 11 is the same as the "discrepancy" that was used  
5 in preparing Table B-3?

6 Q Wait, I've got to read that.

7 (Pause.)

8 Yes, sir.

9 A Okay.

10 Q Okay. Now, that indicates, does it not, that  
11 there were certain observed discrepancies that were  
12 determined, after looking at current design parameters and  
13 tolerances, not to be discrepancies at all. Is that right?

14 A I found that a little bit murky. I wasn't sure  
15 if they were trying to -- they could have been doing one of  
16 two things. Perhaps you could educate me on this. Either  
17 he was giving testimony that said Table B-3 should somehow  
18 be altered, or he was giving testimony to say that a  
19 discrepancy -- say, the four discrepancies for Inspector D  
20 and attribute 1 were not of design significance.

21 Q I think maybe we can clear it up if we look  
22 at Appendix D of the Reinspection Program. And I think the  
23 simplest one is Table DE-3, Exhibit D-1, page 3 of 12. And  
24 if you look at the --

25 MR. CASSEL: Would you give us a minute.

DE what?

1 MR. MILLER: D-1, page 3 of 12.

2 BY MR. MILLER:

3 Q If we look at the conclusion of that table we  
4 find of 441 discrepancies, all of them were found to be  
5 within parameters.

6 Now, having in mind what Mr. Branch said about  
7 the discrepancies being first compared with current design  
8 parameters and tolerances or other documentation to determine  
9 whether they were acceptable on that basis, can we agree  
10 that there's a difference between an observed discrepancy  
11 and a valid discrepancy. Is that how you believe, based on  
12 what I have shown you, the Reinspection Program --

13 A I believe that engineers are making some judgments.  
14 After this morning, I'm certainly not going to profess  
15 to expertise in the field of engineering. But let's assume  
16 for purposes of discussion that there's a distinction that  
17 can be made by engineers.

18 Q All right. Wouldn't the statistic that one would  
19 want to use in calculating an intraclass correlation be the  
20 statistic that was based on valid discrepancies as opposed  
21 to observed discrepancies?

22 A It depends on the purpose to which you wish to  
23 apply the intraclass correlation.

24 end 20

25

sy211b1

1 Q If the purpose was to -- assume with me that  
2 valid discrepancies and actual discrepancies and observed  
3 discrepancies may have resulted from the fact that the  
4 reinspector made a mistake.

5 A Yes.

6 MR. CASSEL: Is that assumption that some of them  
7 may have, or all of them did?

8 MR. MILLER: Some of them may have.

9 BY MR. MILLER:

10 Q And let's assume that what we were trying to  
11 establish is how well those original inspectors performed  
12 and whether they missed anything that they should have  
13 caught in their inspections. And for that purpose, what  
14 we are interested in is not observed discrepancies but the  
15 valid discrepancies. Wouldn't you agree that in that case,  
16 you would want to use the statistic associated with valid  
17 discrepancies, in calculating your intraclass correlations?

18 A Well, I think that one normally has -- I shouldn't  
19 has. One has an intraclass correlation for every variable  
20 that you are considering. And variable one would have an  
21 intraclass correlation and variable two would have an  
22 intraclass correlation.

23 Q You have calculated your intraclass correlations  
24 on the information in Appendix B, which is the observed  
25 discrepancies?

sy211b2

1           A     That's right.

2           Q     If you are willing to accept my assumption one more  
3 time, with respect to the objective discrepancy evaluation  
4 table for Hunter, with respect to documentation. If in fact --

5           A     This is attribute two?

6           Q     Yes, it's pages 3 and 4 of 12 of Exhibit D-1,  
7 the Reinspection Program. Would it be possible to calculate  
8 the intraclass correlation and design effect for the  
9 documentation, the subparts of the documentation attribute,  
10 if you were calculating it on the basis of valid discrepancies  
11 and that statistic was zero?

12          A     Yes, that would simply be another calculation for  
13 another variable. I only did this to give an example, so  
14 I suppose it could have been another example.

15          Q     But Dr. Ericksen, if you have a zero in the  
16 formula that you use, doesn't that result in the answer  
17 necessarily being zero?

18          A     You mean if all the results are identical?

19          Q     They are all identical because they are all zero.

20          A     Right, for that particular variable, that is  
21 correct, that the intraclass correlation would show that the  
22 inspectors were homogeneous with respect to that particular  
23 variable, but only that particular variable.

24                 To make a statement that inspectors were homogeneous  
25 overall, it would be necessary to do that for all the variables.

sy211b3

1 Q Correct. And as we have established, for all  
2 the variables you use the information in Appendix B, which  
3 is the observed discrepancies, and I think if you now  
4 continue on in Exhibit D-1, Table DE-3 --

5 A Moving on to hardware?

6 Q Yes, but let me get one thing straight. In terms  
7 of your formula on the documentation attribute, that's the  
8 formula that we find in Appendix 1 to your prepared testimony.  
9 If we are calculating intraclass correlation --

10 MR. CASSEL: He's looking for it. Just a moment.

11 MR. MILLER: I'm sorry. Take your time.

12 BY MR. MILLER:

13 Q If we are calculating the intraclass correlation for  
14 the documentation variable on the basis of valid discrepancies,  
15 is it correct that R-O-H, or ROH, would be zero?

16 A I believe that is correct.

17 Q All right. Now getting back to the next Hunter  
18 objective discrepancies, if we look at Table DE-3, pages  
19 5 and 6 of 12 of Exhibit D-1, and accepting the assumptions  
20 that I asked you to accept about the difference between  
21 observed discrepancies and valid discrepancies, can we agree  
22 that if we were calculating the intraclass correlation based  
23 on observed discrepancies, we would be calculating it based  
24 on the total number of 684 discrepancies, correct?

25 A Define the variable.

1 Q It is the total quantity of hardware discrepancies  
2 reported in the second column of Table DE-3.

3 A Okay.

4 Q You agree that if one is calculating the intra-  
5 class correlation on the basis of observed discrepancies,  
6 that the number of discrepancies would total 684?

7 A Right.

8 Q If we were calculating it on the basis of valid  
9 discrepancies, the total number of discrepancies would drop  
10 to 70, isn't that correct?

11 JUDGE COLE: I don't know how you got to that.

12 MR. MILLER: You subtract 614 from 684.

13 JUDGE COLE: Oh, I thought you said 7.

14 MR. MILLER: No, I'm sorry. I swallowed my words.  
15 It was 7-0, 70.

16 JUDGE COLE: Okay, fine.

17 THE WITNESS: That is right.

18 BY MR. MILLER:

19 Q You haven't made any calculation of that intraclass  
20 variable?

21 A No.

22 Q You haven't made any calculation of that intraclass  
23 correlation based on valid discrepancies?

24 A No.

25 Q As the total number of discrepancies goes down,

sy211b5

1 is it likely that the intraclass correlation that is  
2 calculated will get closer to zero, or do you know until  
3 you do the calculation?

4 A There is no necessary relationship.

5 Q Now there were two supplementary tables that you  
6 have talked about.

7 A Are we leaving Table DE?

8 Q Yes, for the time being. And we are going to  
9 Supplementary Tables 4 and 5. And just so we are clear,  
10 Dr. Ericksen, these calculations, these percentages of  
11 discrepancies are based again on the information in --

12 A Are we looking at Table 4?

13 Q Yes, sir. That's based on the information in  
14 Appendix B to the Reinspection Program Report, or does it  
15 have some other source? Well, perhaps it's the Ericksen  
16 Attachments D and E that is the source for Table 4. Is that  
17 right?

18 A This is where they all came from, yes. I believe  
19 that element one --

20 Q This is on Table 4?

21 A Yes. I can find the attachment for finished weld  
22 inspections for piping and whip restraints. I just can't,  
23 at this moment, put my hands on the other one.

24 Q All right. Do you know whether these finished  
25 weld inspection or piping whip restraint tabulation is a

1 tabulation in the column entitled sample rejects are  
2 observed discrepancies or valid discrepancies?

3 A I simply took them as discrepancies.

4 Q In where, sir?

5 A I simply took them as discrepancies.

6 Q I see. While we are on Table 4, Dr. Ericksen,  
7 under the column headed one opposite Inspector G, there  
8 is a 3 percent discrepancy rate reported, correct? On Table  
9 4, is that right?

10 A Right.

11 Q And if we look at Inspector G on Ericksen Attach-  
12 ment D, that's Mr. Young and we find that he had 122  
13 sample inspections and 13 sample rejects, correct?

14 A Yes. You have spotted a transcription error.  
15 That 3 should be an 11. I think what must have happened is  
16 the number for Inspector F, which is 6 divided by 214, which  
17 is equal to 3 percent.

18 Q And does that change the average percent discrepancy  
19 across all inspector figure at the bottom of the calculation?

20 A No, because the figure at the bottom refers to  
21 all of the inspectors who inspected element number one. There  
22 was another set of about eight inspectors who inspected  
23 number one who did not also inspect number two.

24 Q I'm sorry. It's just a matter of my not under-  
25 standing the arithmetic. Doesn't the --



sy211b7

1 A No, what you think is --

2 Q Oh, I see. In other words, the calculation at  
3 the average percent was correct; it was just the calculation of the --

4 A What I was simply trying to do is make an  
5 illustrative calculation for those 9 inspectors who were part  
6 of both.

7 JUDGE SMITH: I didn't follow that recent exchange  
8 very well, which is all right. But I don't know if there  
9 is a need to change the written testimony. Did you make  
10 a correction to your testimony?

11 THE WITNESS: Yes, perhaps -- what I would like  
12 to do is the next time we take a break I would like to check  
13 each one of these numbers and correct them all at once.

14 JUDGE SMITH: Well, my concern is that the copy  
15 in the transcript be conformed.

16 MR. CASSEL: Following the next break, if you will  
17 permit us to simply conform the reporter's copy, we will  
18 do so, Judge.

19 BY MR. MILLER:

20 Q Turning for a second to Table 5, Dr. Ericksen,  
21 this is another example by contractor of showing a lack of  
22 homogeneity, correct?

23 A That's right.

24 Q And what is the source of this information that  
25 is tablated here?

sy211b8

1           A     Table B.

2           Q     And once again, that is observed discrepancies,  
3 correct?

4           A     Right.

5           Q     So we don't know what the calculation -- what  
6 these percentage numbers would be if we, instead of using  
7 observed discrepancies, used valid discrepancies?

8           A     That's correct.

9           MR. MILLER: Could I have just one second please?  
10           (Pause.)

11          JUDGE SMITH: Mr. Miller, would this be a good  
12 time for our afternoon break?

13          MR. MILLER: Yes, sir. It probably is. I really  
14 don't have a whole lot more.

15          JUDGE SMITH: All right. We'll take a ten minute  
16 break.

17          MR. CASSEL: Judge, before we all leave --

18          JUDGE SMITH: Off the record.

19                (Recess.)

20

21

22

23

24

25

end21

sy221b1

1 JUDGE SMITH: On the record.

2 BY MR. MILLER:

3 Q Dr. Ericksen, I believe over the break you were  
4 going to look over Table 4?

5 A The only error I could find was with respect to G,  
6 which should be changed from 3 to 11.

7 Q Dr. Ericksen, in answer 19, you make the  
8 correction to the sample size for that specific inspection  
9 element from 1,476 to 280?

10 A Right.

11 Q Do you know what the calculated reliability at  
12 a 95 percent confidence level is for that inspection element?

13 A This is the question you asked me at my second  
14 deposition?

15 Q Yes, sir. The same one.

16 A Then the same answer applies. And that is, that if  
17 I make the very strong assumption that the intraclass  
18 correlation in design effect that applies for the estimate of  
19 discrepancies applies to the reliability coefficient,  
20 then the reliability would be about 99 percent.

21 Now I say that's a very strong assumption because  
22 the intraclass correlations and design effects from the  
23 same body of data that apply to one statistic do not  
24 necessarily apply to another statistic. So we really don't  
25 know what the reliability is.

1 Q Of course if the inspectors were, in fact,  
2 homogeneous, then we would have met the requirements for  
3 the application of Dr. Singh's formula, correct?

4 A Under that hypothetical, I suppose that would  
5 be true.

6 Q And if we base the intraclass correlation  
7 calculation on valid discrepancies for documentation, as  
8 opposed to observed discrepancies for documentation, ROH  
9 has a value of 0 and we can conclude that on the basis of  
10 that calculation the inspectors are homogeneous, correct?

11 A That would not be a good thing to do, though,  
12 because that is only an intraclass correlation for one  
13 variable and we're really talking about many companies, many  
14 attributes --

15 Q I'm limiting myself to this calculation that is  
16 found or this example that is used in answer 19. That's  
17 the documentation on it?

18 A Yes, what you're really doing is substituting  
19 another variable. For your variable, the answer is yes.  
20 And for my variable, the answer is no.

21 MS. JUDSON: To make the record clear, are you  
22 referring to your Table B-3, in the inspection report, or  
23 Table B-3 that appears in Dr. Ericksen's supplemental  
24 testimony?

25 MR. MILLER: I don't know that I referred to Table

sy221b3

1 B-3 at all.

2 THE WITNESS: We started off with Table B-3 and  
3 the document that you showed me, there was the denominator  
4 of 3,725 and it really should be 3,728.

5 MR. MILLER: Oh, I see. That's because of --  
6 of Inspector A and that is the one that is reflected in your  
7 Table 3 of the Ericksen Supplement?

8 THE WITNESS: Yes.

end22

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           Q       Let's turn to that Table 3, the Ericksen  
2 supplement. Dr. Ericksen, as I recall your testimony, this  
3 was an example of sloppy recordkeeping by Commonwealth  
4 Edison Company, and sloppy data management; correct?

5           JUDGE SMITH: I think he used two adjectives,  
6 but I think you've captured the thought.

7           (Laughter.)

8           THE WITNESS: To set the record straight, they  
9 were really -- I think I had two bases for that statement.  
10 One was the large number of changes that have been made  
11 that are reflected elsewhere in my testimony, and this is a  
12 very small example illustrating the problem with recordkeeping.

13           But I think that this does indicate that there  
14 are three discrepancies that, according to the testimony  
15 that I read, were not evaluated for design significance.

16           So I think the objective was the second rather  
17 than the first.

18           BY MR. MILLER:

19           Q       I see. Dr. Ericksen, did counsel for the  
20 Intervenors show you a letter from Mr. Del George to  
21 Mr. Keppler dated January 12, 1984 to which was attached  
22 the draft reinspection report?

23           A       Not to my recollection, but if you show me the  
24 document, it might refresh it.

25           MS. JUDSON: I can state for the record that

1 we did not.

2 BY MR. MILLER:

3 Q Dr. Ericksen, if you would turn to the first  
4 clipped page.

5 For the record this was, I believe, served on  
6 the Board and all the parties as a Board notification. I  
7 have turned to page 36 of the attachment to the letter,  
8 which is labeled Table B.3-Hunter.

9 (Counsel handing document to witness.)

10 A I have done so.

11 Q And there is an Inspector A whose results are  
12 recorded there; is that correct?

13 A That is correct.

14 Q And what are the results that are recorded?

15 A 47 out of 51.

16 Q Do you have any reason to believe that that  
17 Inspector A for Hunter is any different than the Inspector A  
18 for Hunter who was shown on Table B-3, Detailed Inspector  
19 Results for Hunter, in the Reinspection Report?

20 A I have no reason to believe that they're  
21 different.

22 Q I think you also stated that based on this  
23 difference that you observed that there were three discrepan-  
24 cies that had not been evaluated, and I am now going to turn  
25 your attention to page 42 of the attachment to the

1 January 12, 1984 letter and ask you whether that indicates  
2 the number of discrepancies that were evaluated for  
3 Hunter Corporation.

4 MS. JUDSON: I'd like to object. It's not  
5 clear whether this document is in the record. It's fine if  
6 we just want to clarify for the Board, but Dr. Ericksen was  
7 referring to testimony in the record, and the number used  
8 by Mr. Singh said that 109 discrepancies were evaluated.  
9 And Mr. Branch and Mr. McLaughlin -- Mr. Branch said he  
10 evaluated 49; Mr. McLaughlin said he evaluated 60.

11 It's on that basis, based on written testimony  
12 in the record and interrogatory answers that Dr. Ericksen  
13 made his determination.

14 MR. MILLER: I'm not questioning the basis on  
15 which Dr. Ericksen made his determination, and once again,  
16 I have to apologize to the Board and parties because some  
17 of this probably, the fault rests with me. But there will  
18 be a rebuttal witness to explain this apparent difference  
19 between the numbers that are shown in the third column on  
20 Ericksen Table 3 Supplement, and the numbers that appear in  
21 the Reinspection Program Report.

22 What I'm trying to establish through Dr. Ericksen  
23 at this point is that from the documents before him, did  
24 he concede in January of this year that Commonwealth Edison  
25 Company was aware of the different tabulation for Hunter



1 Inspector A. There will be a witness who will sponsor --

2 MS. JUDSON: It's unclear why this is rebuttal  
3 since Dr. Ericksen's point is that there were errors in the  
4 various numbering systems and inconsistencies between the  
5 report and the testimony, which is still true. And it's those  
6 errors that created his concerns.

7 JUDGE SMITH: He has charged carelessness and  
8 I think Mr. Miller is entitled to demonstrate that there  
9 was no carelessness, or little carelessness or whatever.

10 MS. JUDSON: It's unclear to me how a document  
11 outside the record which has a different number rebuts the  
12 idea that there was carelessness in presenting the testimony  
13 filed in this proceeding, in the Reinspection Report.

14 JUDGE SMITH: Well, we don't know yet. We're  
15 not done. Overruled.

16 BY MR. MILLER:

17 Q Dr. Ericksen, you did say that one of the things  
18 that concerned you was the fact that there were three  
19 apparent discrepancies that hadn't been evaluated for  
20 Hunter; is that right?

21 A That's right.

22 Q And how many discrepancies are reported on that  
23 page of the January 12th version of the Reinspection Program  
24 reported as Hatfield evaluated for Hunter?

25 A 112.

1 Q And that's three more than 109.

2 A Right. Now I have two documents. Which one do  
3 I believe? I have no basis for a choice.

4 Q I'm not asking you to believe either one, or  
5 neither, at this point.

6 I would like you to turn, Dr. Ericksen, to  
7 question and answer 12 in your prepared testimony.  
8 Dr. Ericksen, the first sentence in Answer 12 describes what  
9 is referred to by statisticians as a probability sample;  
10 does it not?

11 A That's a reasonable characterization of a  
12 probability sample.

13 Q And it's your opinion, is it not, that a  
14 probability sample is necessary, that it's a requirement in  
15 order to enable one to draw inferences to the remainder of  
16 the population using mathematical statistical theory?

17 A What I stated here is that statisticians are  
18 able to make generalizations if they have this probability  
19 sample.

20 Q Well, Dr. Ericksen --

21 A Which one, one or two?

22 Q Second deposition, August 16, page 19, line 12.  
23 You were deposed on that date by me, correct?

24 A That is correct.

25 Q And were you asked this question and did you

1 give this answer? "Question: Is a probability sample  
2 necessary; is it a requirement to enable one to draw  
3 inferences about the remainder of the population from which  
4 the non-probability sample was drawn? Answer: Yes."

5 Dr. Ericksen, if one is not drawing inferences  
6 on the basis of mathematical statistical theory, but simply  
7 on the basis of experience, judgment, based on all the  
8 data that one has at one's disposal, the science of  
9 classical statistics doesn't tell one anything, does it,  
10 about the population from which those inferences can be drawn?

11 A You inserted the word "classical statistics."

12 Q Yes, sir, I did.

13 A Statistics enables you to make generalizations  
14 to the population from which a sample is selected. Now, if  
15 you have a probability sample, then you can make a  
16 generalization simply based on a rather straightforward  
17 procedure that you weight the data by the inverse of the  
18 probability of selection, and complete your estimate.

19 Now, in the absence of a probability sample,  
20 one makes estimates on the basis of some model or view of  
21 what the real world is. That model or view of what the  
22 real world is requires assumptions. Those assumptions need  
23 to be stated clearly with justification.

24 Now, if it should occur that data exist which  
25 contradict those assumptions, then they need to be changed

1 and a different estimate needs to be made. At the same time  
2 that one presents an estimate, one needs to present some kind  
3 of indication of the uncertainty associated with that  
4 estimate.

5 Now, it's my position that anytime one  
6 generalizes to a population from a sample, one is making a  
7 statistical statement. It may or may not be a correct one.

end 23

8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

T24 MM/mm

1 Q Isn't it a fact, Dr. Ericksen, that the only  
2 thing that a statistical statement enables one to do is to  
3 express the amount of that uncertainty numerically?

4 A No. I think I would have to go back to my  
5 answer. A statistical statement has at least two parts to  
6 it:

7 One is a statement of what you believe the world  
8 to be like, and the other part is your evaluation of the  
9 uncertainty which is associated with that depiction of the  
10 real world.

11 Q And typically that is expressed as a reliability  
12 calculation at a certain confidence interval, correct?

13 A Well, there are different terms that are used for  
14 that, depending on your perspective in statistics. Some  
15 statisticians would do it that way.

16 Q Is it your opinion that one must have a  
17 probability sample in order to draw inferences on the basis  
18 of experience and judgment?

19 A I have thought a lot about that particular question  
20 that you asked me at the second deposition, and I believe that  
21 the answer that I gave you at the second deposition was in  
22 the context of the reinspection report, in that no attempt  
23 was made to provide a model, except to state the assumption  
24 that the inspectors were homogeneous.

25 Now, if one can have a model of estimation with

mm2

1 justification, then inferences can be made on the basis of  
2 that model with some statements of uncertainty. But, that  
3 requires a much more rigorous set of mathematical statements.

4 Q Suppose one doesn't wish to make a mathematical  
5 statement at all, but simply to express a generalization?

6 A That is a statistical statement.

7 MR. MILLER: If I might have just a minute.

8 (Pause)

9 BY MR. MILLER:

10 Q I know I asked this question before. Have you  
11 reviewed the testimony of the NRC Staff on Remanded Issues  
12 With Respect to the Reinspection Program?

13 A I'm not very good on these titles. I know I did  
14 review something by the NRC Staff.

15 (Document handed to witness by counsel for  
16 Applicant)

17 Q Let me show you that document that bears that  
18 title and ask you if you have had an opportunity to look at  
19 it?

20 (Witness examining document)

21 A I reviewed pages 21 through 25.

22 Q In your judgment, Dr. Ericksen, is the Staff  
23 making a statistical statement in its prepared testimony  
24 that we have just been reviewing here?

25 A I am going to have to be difficult. You are

mm3

1 going to have to show me a sentence and I will tell you if  
2 that is a statistical statement.

3 Q Look at question and answer 19 on page 22.

4 A How much of answer 19 do you want me to read?

5 Q I was looking at actually the first paragraph,  
6 but continue on to the next page as well.

7 A So, you want me to read all of answer 19?

8 Q Yes, please.

9 (Witness reading document)

10 A I would prefer not to have to respond to this  
11 entire section, because there are a number of statements that  
12 are made. If I could give you one example of a statement?

13 Q Surely.

14 A It says:

15 "To the extent that nonreinspectable attributes  
16 are similar to the reinspectable attributes, the  
17 sampling of the reinspectable attributes can be  
18 readily applied to the nonreinspectable attributes.  
19 With respect to Hatfield and Hunter, the nonreinspec-  
20 table attributes are highly similar to the reinspec-  
21 table attributes."

22 Q And those two sentences that you have just read  
23 into the record are, in your judgment, a statistical statement?

24 A That is stating an assumption. It can be taken in  
25 two ways. Either one can take it as an assumption that they

mm4

1 are similar, or that could be taken to be the result of  
2 someone making the evaluation of the characteristics of the  
3 inspectable and reinspectable attributes.

4 I cannot tell from what you show me, which it is.

5 Q In either of the alternatives that you posed in  
6 your preceding answer, is Mr. Muffett who is sitting right  
7 there at the counsel table, making a statistical statement  
8 in those two sentences?

9 A Well, if you apply my first characterization,  
10 then you would say that this is an assumption which would be  
11 part of a statistical statement.

12 But, if you take the second characterization then  
13 you would say that this was a result of some kind of analysis  
14 comparing the characteristics of inspectable and reinspectable  
15 attributes.

16 Q And that sort of analysis, that is something that  
17 would have to be carried out by a knowledgeable professional  
18 in that field, correct?

19 A Yes.

20 MR. MILLER: I have no further questions.

21 MR. LEWIS: Staff has no cross examination.

22 EXAMINATION BY THE BOARD

23 BY JUDGE COLE:

24 Q Dr. Ericksen, just a few questions.

25 You apparently had some problems with the way

XXX



mm5 1 the Reinspection Program was designed and carried out from a  
2 statistical viewpoint. Is it correct to say that?

3 A That is correct.

4 Q Now with respect to the selection of inspectors,  
5 are you familiar with the manner in which the inspectors  
6 whose work was reviewed in the inspection program, were selected?

7 A Yes, I am.

8 Q I get the impression that that is a considerable  
9 departure from a random sample, do you agree with that, sir?

10 A Well, my understanding of how the inspectors were  
11 selected is, that someone started with the first inspector  
12 on the list and took every fifth inspector thereafter.

13 After that was done, somebody on the NRC Staff  
14 decided that certain inspectors should be added.

15 Q Okay. Why would we use a random sample, or why  
16 should we use a random sample?

17 I don't really want a long answer to that, but  
18 let's say is it so that you get a reasonable estimate of the  
19 population?

20 A You mean a random sample of inspections?

21 Q Of inspectors.

22 A Well, I think that there are three reasons.

23 Q All right, sir.

24 A The first reason is that we want to make sure  
25 that nobody has stacked the deck. So, it is conceivable that

mm6

1 if everybody knew in advance that the second inspector was  
2 a terrible inspector, and you say well, I am going to start  
3 with number one, that way you are sure to avoid the second  
4 inspector. So random -- if you selected a random number  
5 between one and five, then you will be giving everybody their  
6 fair chance of coming in, and there would be no basis to make  
7 an allegation that somebody stacked the deck.

8 Q Sir, do you know how the program was originally  
9 proposed?

10 A You mean how the sampling --

11 Q Yes.

12 Was it originally every fifth inspector, and then  
13 somebody said start with one and then every fifth?

14 A I really don't know who decided it should be  
15 every fifth inspector.

16 Q Well, if somebody said let's just take every  
17 fifth inspector --

18 A Right.

19 Q -- would that be random?

20 A Well, I think that for mathematical precision, it  
21 would be random if you had a random number between one and  
22 five to start with. The fact that there was not a random  
23 number between one and five to start with, if nobody has  
24 any evidence that somebody has fiddled with the deck, it is  
25 probably of no practical importance. So, I didn't see the

mm7

1 point of putting that into my testimony.

2 It is a problem that occurred to me without any  
3 reason to think that there might have been some kind of --

4 Q All right, sir, I understand that point.

5 A So that is one reason.

6 Q That's one, okay.

7 A The second reason to have a random sample of  
8 inspectors, is that a random sample is an example of a  
9 probability sample and we know the rate at which everyone  
10 had a chance to be selected and that makes it possible for us  
11 to make various kinds of statistical estimates.

12 And the third reason for having a random sample  
13 as opposed to another kind of sample is simply mathematical  
14 convenience.

15 Now I should also point out that strictly speaking  
16 a systematic sample is not a random sample because once you  
17 have picked that first person, then every fifth one thereafter  
18 is determined -- it is like a clustered sample. But in most  
19 practical applications that I have ever seen, one either  
20 improves the precision by taking systematic sample, or it  
21 doesn't make any difference.

22 So, for all practical purposes, most statisticians  
23 would treat a systematic sample as if it were random.

24 JUDGE COLE: All right.

25 Now with respect to the first one about stacking

mm8

1 the deck, are you aware of what happened after a decision  
2 was made to select every fifth?

3 A Yes.

4 Didn't I state that the NRC wanted to add certain  
5 inspectors that they had, presumably that they thought were  
6 problematic?

7 Q So what would this do to the reliability of the  
8 results with respect to getting some index of the qualifications  
9 of the inspectors?

10 A Well, the one very interesting analysis would be  
11 to compare the inspectors that the NRC picked with the ones  
12 that came in every fifth. That would be -- I have read  
13 somewhere an indication that the sampling procedure was  
14 partly to put a conservative bias into the results. It would  
15 be interesting to see if there really was a difference, was  
16 the NRC really able to pick out which ones were bad.

end 24

17  
18  
19  
20  
21  
22  
23  
24  
25

sy251b1

1           Q     That would be interesting. Thank you, very much.  
2                     I guess I had a little different idea, as to  
3 why we would want to random sample. And I think it's contained  
4 within your answer. But isn't it really to get the best  
5 estimate that we have of the population and work with that  
6 so that the results that we get would be representative of  
7 the population? Isn't that the bottom line?

8           A     That's a reasonable way of saying it, yes.

9           Q     Now how far do you think the Applicant departed  
10 from getting that best estimate of the population? Is there  
11 a serious departure here, with respect to the way they  
12 expected the inspectors to be participating, to be incorporated  
13 into the program?

14          A     Well, I think there are really two parts to the  
15 problem. One is that there are certain categories of  
16 inspectors and inspections that didn't have a chance to be  
17 included, such as those which occurred after the first three  
18 months, such as those inspectors who did less than a certain  
19 amount. And we just don't know what or how they did.

20                     Secondly, the fact that they had such a heavily  
21 clustered sample, makes it mathematically impossible to apply  
22 the reliability equation that Dr. Singh relied upon. So we  
23 don't have a mathematical way of expressing our uncertainty.

24          Q     All right, sir. You indicated, in your testimony,  
25 that clustering was a serious problem. Could you tell me again

sy251b2

1 what clustering is and why it's such a serious problem?

2 A Well, if you can imagine that you have 1000  
3 inspections and they were done by 10 inspectors. Each  
4 inspector did 100, well those inspectors are going to vary  
5 in their likelihood of making errors. So if you only pick  
6 two inspectors, you really don't have the same information that  
7 you would have if you had had a simple random sample of 200  
8 inspections, because you're only finding out about two  
9 inspectors.

10 And you have less confidence in the estimate that  
11 you would make for all 10 inspectors than you would have if  
12 you had samples from all 10 inspectors who worked.

13 Q All right, sir, but we can handle that statistically,  
14 can't we?

15 A Yes. Well, there are two parts to that. One is  
16 that we really don't know how to apply that reliability  
17 formula that Singh used. So we don't actually have a way  
18 of calculating our confidence interval.

19 The second thing, though, is that it is quite likely  
20 that we had more uncertainty than the formulas used by Singh  
21 implies.

22 Q All right, sir. The particular formula that  
23 Dr. Singh used, the input to that formula was just the number  
24 of observations because you had zero design significant  
25 discrepancies?

sy251b3

1           A     That's right.

2           Q     So when you have zero out of 200 or 400 or 600  
3 or 1000 observations, in a situation like that how much  
4 does statistics tell you?

5           A     Well, the problem is that we don't really have a  
6 way of knowing what the clustering effect for that particular  
7 variable is. We get some kind of idea about what it might  
8 be by looking at the clustering effects for similar variables  
9 and we find that the clustering effect for a related variable  
10 is rather pronounced.

11                     That indicates that we should probably draw back  
12 a little bit from the statements of uncertainty we would make,  
13 assuming random sampling. But we don't know how much to draw  
14 back, is the problem.

15           Q     But if you have zero observed design significant  
16 discrepancies, how important then does the impact of clustering  
17 have on that equation? How much can you change zero by?

18           A     It has some impact. I don't have a way of  
19 calculating what the impact is, that's the problem.

20           Q     Okay. Now, on page 8 and on page 12, you referred  
21 to two different numbers that are associated with Military  
22 Standard 105D. I believe on page 8 you talk about a  
23 minimum of 200, referring to Dr. Sing. And at page 12 --  
24 I believe it's 12 -- someplace -- no, page 16, I'm sorry.

25                     On page 16 you refer to a Military Standard 500.

1 What is the difference there?

2 A As I understand the Military Standard 105D,  
3 the sample size is partly determined by the population so if  
4 it had a larger population, indeed a larger sample, than  
5 when you have a smaller population.

6 Q Okay, but you're not talking about the same  
7 population sizes that Singh is talking about?

8 A That's right. Well, I'm not sure if that's right.  
9 On page 16 I'm talking about the population which had  
10 37,230 inspections. I believe on the other page I was  
11 referring to something Dr. Singh was talking about.

12 Q Okay. With respect to the two assumptions in  
13 Dr. Singh's equation, I will call it -- I don't know the  
14 name of the equation, but the equation that Dr. Singh used.  
15 With respect to the two assumptions that were violated, do you  
16 have any feel for how much relaxations of these assumptions  
17 or standards exist? I mean, because it's not a perfect world  
18 and I know in any statistics that I have used you rarely wind  
19 up with ideal data.

20 A Absolutely.

21 Q And that is when you need statistics to help you  
22 to manipulate this data.

23 A That is correct.

24 Q Not it seems to me that -- well, in order to better  
25 evaluate the data, it seems to me that you are taking a very



1 hard line on relaxation of standards. Now can you provide  
2 me with a little better feel on just how much relaxation you  
3 could use with that equation? Obviously if you take a look  
4 at the standards that are imposed before, that you list there,  
5 and particularly the two that were violated, it would be  
6 relatively rare to get data that would perfectly comply  
7 with those standards.

8 A Well, I could point out that it would have been  
9 possible for Edison to make simple random sample of the  
10 inspections, assuming that they have a list of which all the  
11 inspections were included.

12 Secondly, most of the work -- certainly not all  
13 of the work -- but most of the work that I do in statistics  
14 involves the selection of clustered samples. A very good  
15 example of that would be a national survey of the American  
16 population. We select clusters of people in the same county,  
17 the same block, and so forth. So we also have a clustered  
18 sample there.

19 And there are standard statistical procedures that  
20 our company uses and that companies and university centers  
21 like us use to take the clustering into account when  
22 calculating those variances. And I consider that to be a  
23 standard procedure.

24 I cannot imagine letting a contract from the Federal  
25 Government in areas that typically contract out this kind of

1 survey work that would allow us to get away with not  
2 taking the clustering into account. There are computer  
3 programs that allow you to make these calculations.

4 I would also say that in the standard statistical  
5 textbooks on sampling, and here I'm referring to a book such  
6 as Survey Sampling by Leslie Kisch, which I saw on the table to  
7 my right an hour or two ago, a Sampling Techniques by  
8 William Cochran, Sample Survey Methods and Techniques by  
9 Hansen, Horwitz, and Meadow.

10 I think it's not unfair to say that those are the  
11 three standard textbooks in the field. All of those books  
12 tell you about the importance of taking the clustering into  
13 account in calculating variances.

14 Q I believe you indicated that the effect of  
15 clustering has not been -- the effect of clustering on the  
16 equation that Dr. Singh used has not been studied. Did I  
17 hear you say that, sir?

18 A That is correct. If I could just say, I am not  
19 aware of it having been studied. I've done a fairly extensive  
20 review of the literature. It probably hasn't.

21 Q Could it be that because of the nature of that  
22 equation that you would enter in that equation with numbers  
23 of observations that are perfect in sample population in order  
24 to draw inferences about the population, that the effect of  
25 clustering could be very, very slight?

1           A     It's possible. I'm not sure I understood your  
2 question but I think what you're asking me is is it possible,  
3 is it conceivable that the effect of clustering might have  
4 been slight?

5           Q     That it might not make any difference, using that  
6 equation?

7           A     It's possible but I don't think it's very likely  
8 given that there are fairly extensive clustering effects  
9 found in the discrepancy rates. And it's hard to imagine  
10 that you would have clustering in the discrepancy rates  
11 and not have clustering in extrapolating to a design  
12 significance of those discrepancies.

13          Q     Yes, how did you measure clustering in the inspector  
14 population, sir?

15          A     What I did was I calculated the variance of certain  
16 estimates according to the standard equation and then I  
17 calculated the variance that you would get from the same  
18 data if you assumed simple random sampling. That told me  
19 what the design effect was and from that I could extrapolate  
20 the intraclass correlations.

21                 The design effect is the increase in variance  
22 due to clustering.

23          Q     All right, sir, and what sort of a result did you  
24 get?

25          A     Well, it varied depending on the variable I was

sy251b8

1 looking at. But the design effects tended to -- some of them  
2 went as high as 40. Some were as low as 5.

3 Q 40 what, sir?

4 A What that means is that the actual variance of  
5 the estimate of discrepancies is 40 times larger than would be  
6 the case had there been the same sample size from the simple  
7 random sample?

8 Q 40 times larger?

9 A Yes.

10 Q That seems like an awfully large difference.

11 A It does.

12 Q Are you talking there about a very small sample  
13 size?

14 A Well, I think that that particular case, the sample  
15 size was about 27,000.

16 Q And you expect a difference of 40 times?

17 A No, what it meant was that the variance that you  
18 would calculate, based on that sample of 27,000, was about  
19 the same as you would have gotten from a simple random sample  
20 with approximately 680 cases. So the cluster sample of  
21 27,000 was about as good as the simple random sample of 680.

22 Now what I would do with that would be to make some  
23 kind of conservative adjustment to the reliability equation  
24 and it may turn out that it would have been a simple matter of  
25 expanding the sample to increase our belief in Dr. Sing's

sy251b9

1 results.

2 Q All right, sir. Is there -- are there other  
3 statistical techniques that, given the data that Dr. Singh  
4 had in his hands, are there other statistical techniques or  
5 tools that you would have used, rather than the tool or  
6 tools that Dr. Singh used?

7 A Yes. Yes, there are.

8 Q Could you tell me about them?

9 A Well, I would have to think about the details of  
10 this, but the general procedure that I would follow would be  
11 to try to estimate a model in which I was able to measure or  
12 estimate the influence of discrepancy rates for individual  
13 inspectors and also take the effect of the individual inspec-  
14 tion element on the discrepancy rate. And to try to fit  
15 the matrix of inspector by element cells and I think that  
16 if I had done that, I would have been able to reduce the  
17 uncertainty beyond or below that which Dr. Singh had.

end25

18

19

20

21

22

23

24

25

sy261b1

1                   There is a paper, published in the Journal of  
2 American Statistical Association in June 1983 which gave me  
3 ideas on how to proceed. I haven't actually tried to  
4 do so.

5           Q       Even with the limitations of the design of the  
6 program and the kind of data --

7           A       That is correct.

8           Q       In answer 16, sir, you indicated that you  
9 calculated some intraclass correlations and you indicated  
10 that if the intraclass correlation is equal to zero, it  
11 means the inspectors are homogeneous?

12          A       Yes. I should have, perhaps, expressed that a  
13 little better. What I mean by that -- I tried to use the  
14 meaning of homogeneous that Dr. Singh used and that was  
15 used in the Inspection Report. It means that all the  
16 inspectors were the same.

17          Q       Well, that was my understanding of the word,  
18 also, sir. But in the sentence that follows, after the  
19 last sentence in that paragraph, you say "If the intraclass  
20 correlation is greater than zero, then inspectors are not the  
21 same."

22          A       That's right.

23          Q       Now greater than zero can be a very small number.  
24 Surely there is some flexibility there.

25          A       Oh absolutely.

sy261b2

1 Q So what do you mean by greater than zero?

2 A By greater than zero it would have to be enough  
3 greater than zero that the design effect would be substantially  
4 greater than one.

5 Q Is it similar to the correlation coefficient,  
6 between zero and one? Is the range --

7 A Well no, the intraclass correlation can go for a  
8 number that's a little bit less than zero, to one.

9 However, the intraclass correlations can be very  
10 small, about .01 or .02, and have a very substantial impact  
11 on the design effect if the clusters are large. And I refer  
12 you to Appendix 1.

13 Q So, all right. So --

14 A So you see it says "Design effect F is equal  
15 to 1 plus ROH times B minus 1." And the DEF is the design  
16 effect, the increase in variance due to cluster sampling.  
17 And just to give a hypothetical example, if ROH is equal  
18 to .01 and the cluster size B is 500, then 499 times .01 is  
19 4.99 and you add that to 1 and the design effect is about 6.

20 Q So the significance of it is highly dependent upon  
21 the average cluster size?

22 A That's right.

23 Q Now how do you calculate the cluster size?

24 A It would simply be the average number of inspections  
25 done by an inspector.

sy261b3

1 Q What if all the inspectors did a lot of inspections?

2 A Well, another strategy would have been to select  
3 a sample of each inspector's work. So let's assume that  
4 you have 100 inspectors. One way of doing it would be to  
5 take 20 inspectors and look at all their work. Another thing  
6 you could have done would have been to take 40 inspectors  
7 and inspect half the work of each.

8 Your overall sample size would have been the same,  
9 but your average cluster size would have been half as big  
10 and the design effect would have been half as large.

11 (Board conferring.)

12 Q If all the inspectors inspected the same number  
13 of items, would clustering be important?

14 A Yes.

15 Q Why?

16 A Because -- that's assuming you have a cluster  
17 sample.

18 Q Well, you say cluster sample. I guess I'm not  
19 quite sure what that means.

20 A Well, we have a cluster sample because we  
21 selected inspectors. But statements are made about inspections  
22 and we talk about the proportions of inspections that had  
23 discrepancies. And we have a confidence interval around  
24 the proportion of inspections that had discrepancies. Now  
25 the question is, how do you calculate their confidence interval.



sy261b4

1           Now if you had a clustered sample and a confidence  
2 interval is wider than it would be if the same sample of the  
3 same size had not been clustered. Now it really doesn't  
4 matter all that much if each inspector inspected the same  
5 number of items because if you take all of the inspector's  
6 work then that's going to determine the cluster size.

7           Q     But you're giving the impression that cluster  
8 size is going to have a highly significant effect, impact, on  
9 the statistics, the reliability of the statistics that we  
10 might use.

11          A     Right. And the way to get around that is to select  
12 your sample in a way that you have more inspectors but a  
13 smaller proportions of every inspector's work. Instead of  
14 looking at all of the inspector's work you would only look  
15 at half of the work of each of the inspectors picked in the  
16 sample. That would have been a better way to do it.

17          Q     You're talking about already existing data?

18          A     No, I'm talking about what you would do when you  
19 originally explained the sample.

20          Q     No, I'm talking about looking at the data that  
21 we have collected.

22          A     Okay, not looking at the data that we've collected,  
23 then you can make certain statements with a certain amount of  
24 uncertainty, when your variance calculations take the  
25 clustering into account.

sy261b5

1           Now if it turns out that the results don't give  
2 you the certainty that you require, the only answer is either  
3 to try to incorporate some kind of statistical model or the  
4 easiest thing to do is simply to go out and do some more  
5 sampling and expand the sample size.

6           Q     Okay, I might have missed the whole boat on the  
7 impact of clustering. Let me try to briefly restate the  
8 question or pose a situation.

9           Let's say we have 10 inspectors that are included  
10 in the Reinspection Program. We are going to inspect the  
11 first three months of work of those 10 inspectors. Let us  
12 say that those 10 inspectors did approximately the same number  
13 of inspections.

14          A     Fine.

15          Q     I guess I do not understand why the number of  
16 inspections that each one of those has done, which is directly  
17 included in your calculation of cluster, is going to have a  
18 significant statistical impact on the results. Now could you  
19 explain to my why that is so?

20          A     Okay. I think the best way to do that would be to  
21 refer you to page 10 of my testimony.

22          Q     All right, sir.

23          A     Now you see the formula is R is equal to 1 minus  
24 2.9955 divided by n. So you can see that the sample size is  
25 what really determines reliability of that formula. The number

sy261b6

1 n in the denominator.

2 Now what clustering does is that it effectively  
3 changes that number n to a smaller value. And therefore,  
4 the reliability is less than you think it is. So if the  
5 design effect is 40, then the effective sample size is  
6 n divided by 40 and reliability is somewhat greater.

7 Q Well, you tell me how that applies in the formula,  
8 but the number of inspections -- why would the number of  
9 inspections change because of a cluster effect?

10 A Because this formula assumes that the information  
11 that you get from one inspection is completely independent  
12 of the information that you get from all other inspections.  
13 And what I'm telling you is that the likelihood of finding  
14 a discrepancy or not finding a discrepancy, in one inspection  
15 done by the same inspector, is related to the chance of  
16 finding a discrepancy in another inspection done by the same  
17 inspector.

18 Q Okay, well, let's talk about specific numbers, now.  
19 We have 10 inspectors. Each one of those has done 1000  
20 inspections?

21 A Right.

22 Q Why can't I put 10,000 in here?

23 A 10 times 1000 is equal to 10,000.

24 Q That's the number of inspections that were done.

25 A This formula assumes that you have 10,000

sy261b7

1 independently selected inspections and you don't.

2 Q All right, so how many do you have?

3 A Well, how many you have depends on what your  
4 design effect is. If your design effect is 40 then you have  
5 1000 over 40. That would be about 25 for each inspector.  
6 If you have 10 inspectors, the number would be 250.

7 Q Okay. Now the reasons why you would make that  
8 correction are what, sir?

9 A The reason why we make --

10 Q What is the effect that will reduce that number?

11 A It is the similarity in the likelihood of making  
12 a discrepancy from two inspections done by the same  
13 inspector. Some inspectors are more careful than others,  
14 and so the careful inspector on his first inspection is likely  
15 to be a careful inspector on his second inspection. The  
16 careless inspector on his first inspection is likely to be  
17 a careless inspector on his second inspection.

18 There's a relationship between different inspections  
19 done by the same inspector.

20 Q Okay, I understand what you mean by cluster effect  
21 now. I don't necessarily agree that the effect would be that  
22 large, but that's your area.

23 A Well, what I'm trying to tell you is that we're  
24 in a position where we have to speculate on what the clustering  
25 effect might be. We're pretty sure that there is one.

1           Q     All right, sir. At page 12, I just want to make  
2     sure that I understand your result in question 16. The  
3     last part of your answer to question 16, you're talking  
4     about the results of the F test. And you set up a  
5     hypothesis that the inspectors are the same and then you  
6     put in the appropriate data and found out that the hypothesis  
7     failed, is that correct sir?

8           A     That's correct.

9           Q     Did you reverse that hypothesis and see if it  
10    also failed that they are not the same?

11          A     I don't know how I would do that.

12          Q     Couldn't you just set up a hypothesis that they are  
13    not the same and then test that?

14          A     Well, we could set up a hypothesis that they  
15    differed by certain amounts and test those. I did not do  
16    that.

17          Q     Yes, I guess I don't have a feel for the 1, 5, or  
18    10 percent level of significance for rejection in that I  
19    don't know exactly data you inputed to that. So subsequently,  
20    I don't have a feel for the statement that the level of  
21    significance was 10 or 5 percent when you said that they  
22    are not the same.

23          A     Essentially what I did was to compare the  
24    discrepancy rates of all the inspectors who were working for  
25    a certain company and you start with a null hypothesis that

sy261b9

1 for all the inspectors they are the same. What you would  
2 observe in the sample would only be very minor, random  
3 types of fluctuations and the data indicate that the  
4 variation in discrepancy rates is greater than that.

5 Q Okay, now I guess I don't have a feel for what  
6 the 10 percent means. Does that mean that -- well, what  
7 does the 10 percent level of significance mean? Am I looking  
8 at a bell-shaped curve, at some tail of the bell-shaped  
9 curve, to get this 10 percent?

10 A That's right.

11 Q Should that mean that 9 times out of 10 they would  
12 be the same?

13 A Well, no. It means that if you start with the  
14 hypothesis that they really are the same and that if we'd  
15 been able to look at the results for all of the inspectors,  
16 let's say for Hatfield, that there would have turned out to  
17 have been roughly the same.

18 Then based on the inspectors that we did see, we  
19 rejected the 10 percent level of significance. That means  
20 if the probability is less than 10 percent that they really  
21 are the same.

22

23

24

25

end26

T27 MM/mm ,

1 Q The probability is less than 10 percent that  
2 they really are the same, okay.

3 A That's right.

4 JUDGE COLE: Thank you, that's all I have.

5 BY JUDGE CALLIHAN:

6 Q As I say, Dr. Ericksen, just one topic. I am  
7 sure you feel the day is lengthening.

8 We have sort of beaten this to death, but there  
9 is a little life left. As was said earlier this afternoon,  
10 the original intent of the Reinspection Program -- at least  
11 I have adopted the terminology here that we had inspections,  
12 and then we had reinspections -- the original intent of the  
13 aim of the Reinspection Program was to reinspect the inspectors.  
14 And we had reinspectors who reinspected original inspectors.

15 Well, for a number of reasons, some good, some  
16 bad probably, and because of the interest this aim drifted  
17 over into hardware, because maybe that is what some of us  
18 think most of. And there has been a lot of evidence  
19 everywhere on a hardware aspect and the goodness or badness  
20 thereof.

21 Suppose this drift had never occurred. Suppose  
22 that those responsible and ourselves, for that matter, had  
23 considered only the reinspection of the inspectors and not  
24 saying how that was done, parenthetically we have got to  
25 bring the hardware in, of course, but that is just a modus

XXX

mm2

1 operandi.

2           Suppose we had done nothing but talk about the  
3 reinspection of the inspectors, would your testimony have  
4 been materially altered, or your conclusions materially  
5 changed?

6           A       Well, I think that I would have to think a little  
7 bit about how I would define my criterion of judgment. But  
8 one criterion that I might look at would be how many inspectors  
9 made important errors.

10           And I would have to think about how I would define  
11 an important error. And I think that I would probably still  
12 say that they did not select enough inspectors to really say  
13 something with sufficient certainty about the population of  
14 inspectors.

15           It would have been better if they had looked at  
16 more inspectors, and perhaps looked at less of each inspector's  
17 work. For example, there is one case where they looked at  
18 over 7000 inspections that was done by the same inspector of  
19 the same element. And it would have been better to have  
20 perhaps looked at 500 of his inspections and used the other  
21 6500 to look at another part of the plant.

22           So, I think the answer to your question is that  
23 I think for that objective it would have been better to  
24 include more inspectors in the sample. And, if you want to  
25 keep the number of reinspections constant, to have looked at



M3t

1 a smaller proportion of each inspector's work.

2 JUDGE SMITH: Would that not then have required  
3 a change from the acceptance criteria? If you had designed a  
4 plan and you selected your inspectors on a systematic  
5 basis, and you found out that you came to one that had a  
6 very large inspection sample, and you said, "What, we don't  
7 want to use this acceptance criteria," aren't you doing  
8 exactly what you cautioned us not to do?

9 THE WITNESS: By acceptance criteria you are  
10 referring to Military Standard 105-D?

11 JUDGE SMITH: I am talking about, start with the  
12 first and the fifth and every fifth thereafter, and then  
13 you started. And then you find that one of these inspectors  
14 has 7000 or 12,000 inspections. You say, "Oh, we don't want  
15 that. That is going to be too many inspections for one  
16 inspector, so let's change the acceptance criteria and let's  
17 do something else."

18 THE WITNESS: No, what I am saying is, that I  
19 would probably divide the inspectors perhaps into two groups.  
20 And those inspectors whose total amount of work was less than  
21 a certain amount, perhaps I would reinspect all of their work  
22 or a high proportion of their work.

23 And those inspectors who did a very large number  
24 of inspections, I would perhaps review a smaller proportion  
25 of their work. But I would still include such an inspector

mm4

1 in the program.

2 BY JUDGE CALLIHAN:

3 Q In your discussion to which there has been  
4 considerable reference already, on page 10, in your answer 15,  
5 where the Miller and Freund equation appears, just preceding  
6 that is a remark -- perhaps this is out of context. Nonethe-  
7 less, for identification, the final sentence in the first  
8 paragraph of answer 15 says:

9 "Edison may have made this error."

10 It has to do with random sampling.

11 "Edison may have made this error, because  
12 the company designed its program to test initial  
13 qualifications of inspectors rather than quality  
14 of work."

15 Now, are your remarks that you have made in  
16 answer to the Chairman's question and mine, related to that  
17 situation there?

18 A Yes. I think so.

19 Now, I have been trying to -- in answer to your  
20 question, probably the sample of inspectors was not optimal  
21 for the objective of evaluating the inspectors.

22 Q So, this implies that at the outset when one was  
23 looking at inspectors only, that implies that the error on  
24 randomness of sample was not an error in that original  
25 design of the program?

mm5

1 A I don't understand.

2 Q Well, let me say it again a different way.

3 This sentence to which I just referred, the  
4 final sentence in the first paragraph of answer 15 alludes  
5 to an error in the selection of the sampling. Is that  
6 correct thus far? And I admit I may be missing out.

7 A What I am really saying is that the error is to  
8 assume a simple random sample. And the reason why they are  
9 in a position to have to assume a simple random sample is  
10 that the original sample was clustered.

11 And, the reason why the original sample was  
12 clustered, I speculated as to what that might be.

13 Q Would that selection therefore fall, any  
14 results of inspector reinspections, to a degree different  
15 than it would fall, results of hardware inspections?

16 A It would probably be different.

17 JUDGE CALLIHAN: Thank you.

18 JUDGE SMITH: Ms. Judson?

19 MS. JUDSON: Can we have a minute to confer?

20 JUDGE SMITH: Surely.

21 (Counsel for Intervenor conferring.)

22  
23  
24  
25

end T27

1 JUDGE SMITH: Would you like to have a break,  
2 Ms. Judson?

3 MS. JUDSON: Maybe a short break.

4 JUDGE SMITH: Five minutes.

5 (A short recess was taken.)

6 REDIRECT EXAMINATION

7 BY MS. JUDSON:

8 Q Dr. Ericksen, first I'm going to ask you some  
9 questions to be sure that the Board understands some  
10 issues that they raised. Why was clustering a problem in  
11 the Reinspection Program Report?

12 A Clustering was a problem because the sample  
13 was selected of inspectors rather than of inspections, and  
14 if they had selected a sample of inspections, there would  
15 have been no problem with clustering.

16 Q Now, at one point Judge Cole asked you to  
17 explain cluster. Do you have an example in your testimony  
18 that does this in a simple manner?

19 A Well, I believe I could give a very simple  
20 example on page 13.

21 Q Would you like to explain that example a bit?

22 A Sure. We have a population of four inspections,  
23 one of which involves a measurement -- two of which involve  
24 measurements of two inches which were done by a Mr. Short,  
25 and two of which involve a measurement of four inches, which

index

INDEX

1 were done by Mr. Long.

2 Now, if the sampling had been of inspections  
3 and we didn't allow any particular inspection to be picked  
4 more than one, then there would be six possible samples.  
5 And you can see that those six samples are listed at the  
6 top of page 14. And you can see that in four out of the six  
7 cases, the average of the sample is equal to three inches,  
8 which is the population average. And in one case, it's  
9 two inches and in one case it's four inches.

10 So your chances of getting a precise estimate  
11 are pretty good from that sampling plan.

12 Now, if you take a clustered sample where you  
13 pick one inspector or the other, then you're either going  
14 to get both measurements of two inches, or you're going to  
15 get both measurements of four inches and you can see that  
16 the only possible sample means that you can get are two  
17 inches and four inches.

18 So by taking a clustered sample you have a much  
19 lower chance of a sample mean being close to the population  
20 mean. This is an extreme sample just meant to illustrate  
21 the problem of clustering. What you had in the Reinspection  
22 Program was a problem not as extreme as this but still an  
23 important problem.

24 Q Now, at one point Judge Cole also asked you why  
25 in Answer 11 you listed a different number as the minimum

1 required under military standard 105D than you listed in  
2 your answer A19. Can you explain for the Judges and the  
3 parties how that military standard works and why the  
4 number was different?

5 A Well, there was a table indicating how to use  
6 military standard 105D on page 506 of the Miller and Freund  
7 book. In the lefthand column it gives lot or batch size,  
8 228914 all the way up to 500,000 and over. And the inspection  
9 level 1, inspection level 2, inspection level 3.

10 Now, one would choose an inspection level  
11 according to the risk of error. Now, I believe -- it's my  
12 understanding that inspection level 2 was selected. So where  
13 the population size is 4000, look at the row that says  
14 3,201 to 10,000. You go over to the letter L, and the  
15 letter L indicates that the sample size should be 200.

16 Now, for the other case where it's about 37,000,  
17 you would go over to the letter N, and the letter N on the  
18 chart on the next page indicates that the sample size should  
19 be 500. So military standard 105D, the sample size depends  
20 in part on the population size.

21 JUDGE COLE: I thought you had answered that  
22 question before.

23 THE WITNESS: Okay.

24 MS. JUDSON: It wasn't clear to me whether it  
25 was clear to everyone else that he was using the same

1 methodology as Dr. Singh but the number is different because  
2 of the different --

3 JUDGE COLE: That was my understanding.

4 BY MS. JUDSON:

5 Q Fine. Now, at various point, Mr. Miller asked  
6 you questions about aggregation of data, aggregating elements  
7 of data.

8 A That's right.

9 Q How can a statistician help determine a certain  
10 aggregation was appropriate?

11 A Well, one could create a table along the lines  
12 of Table 4 in my testimony. Table 4 presents the discrepancy  
13 rates among different inspectors for the same type of  
14 element. It also presents variations in discrepancy rates  
15 for different elements for the same inspector. And you can  
16 inspect these discrepancy rates to determine whether or not  
17 they are sufficiently similar that the elements should be  
18 aggregated.

19 Q So you're basically using data to test the  
20 assumptions made by the people who decided to aggregate or  
21 disaggregate?

22 A Yes. I would consider it -- let me put it this  
23 way. Every statistical estimate involves assumptions, and  
24 almost every statistical estimate that I have ever seen  
25 involves assumptions that cannot be tested. Statistics is

1 the science of dealing with uncertainty, and that is part  
2 of the uncertainty that we have to deal with.

3           However, it is incumbent upon the person making  
4 a statistical statement to bring any available information  
5 to bear in evaluating those assumptions. And this lays out  
6 the kind of analysis that could be brought to bear to  
7 evaluate whether it's reasonable to aggregate elements to  
8 create attributes.

9           Q       So this is a way that a statistician can  
10 help an engineer determine if the decision was appropriate?

11           A       Yes.

end 28

12

13

14

15

16

17

18

19

20

21

22

23

24

25



mm291b1

1           There are tests of significance that could be  
2 based on these. There are various procedures that could be  
3 used.

4           Q     Now at one point you were asked about Staff's  
5 testimony concerning the extent that non-reinspectable  
6 attributes are similar to reinspectable attributes. Can a  
7 statistician help determine the appropriateness of making  
8 certain assumptions about similarities of reinspectable  
9 attributes and non-reinspectable attributes?

10          A     As I recall -- I really should have a copy of --  
11               (Document handed to witness by counsel for  
12 Intervenors.)

13               Now I'm reading a sentence that says "To the  
14 extent that non-reinspectable attributes are similar to the  
15 reinspectable attributes, the sampling of reinspectable  
16 attributes can be readily applied to the non-reinspectable  
17 attributes."

18               Now there has to be an understanding of what we  
19 mean by similar and whatever the criterion is for saying  
20 that the reinspectable and non-reinspectable attributes are  
21 similar, it should be possible to apply that same criterion  
22 to evaluate the similarity of reinspectable attributes.

23               In other words, if you have attribute A and  
24 attribute B and you are saying to non-reinspectable attribute  
25 C, then in order to evaluate whether that's a reasonable

1 thing you should at least be able to demonstrate that  
2 attribute A is like attribute B. And those data are available  
3 and statisticians have procedures for carrying out that  
4 kind of analysis.

5 Q Is there anything in your Table 4 and the analysis  
6 that you did relating to that table, which could assist  
7 engineers in evaluating their assumptions about similarities  
8 among elements or inspectors?

9 A Well, I did do something very similar. I looked  
10 at all of the results for element one and for element two.  
11 In other words, I believe there are 17 inspectors who  
12 inspected element one and 9 inspectors who inspected element  
13 two. And I used the F test to determine whether they were  
14 significantly different.

15 And the results of the F test indicate that they  
16 are significant at the 1 percent level, significantly  
17 different. This significance test was made a little bit  
18 more complicated by the fact that there was clustering. Making  
19 reasonable adjustments for clustering effects, you still get  
20 significance at the 1 percent level and conclude, therefore,  
21 that the inspectors who inspected element one differ from one  
22 another. And you conclude that the inspectors who inspected  
23 element two differ from one another.

24 Now one could also test whether the one versus two  
25 were similar.

1 Q What, if any, problems exist with the way in  
2 which Mr. Singh shows his reliability and confidence level --  
3 his confidence level and determined acceptability --  
4 acceptable reliability level?

5 MR. MILLER: I'm sorry, could I have the question  
6 repeated, please?

7 BY MS. JUDSON:

8 Q What, if any, problems exist with the way in  
9 which Mr. Singh chose his confidence level and determined  
10 the appropriate reliability level?

11 MR. MILLER: I'm going to object. I believe  
12 that's beyond the scope of any cross examination or board  
13 questions.

14 MS. JUDSON: I will be frank with the Board.  
15 I understood that part of the problem with our previous  
16 objection to the issue of choice of confidence level and  
17 adequate reliabilities was due to our phrasing of the  
18 question and the answer. And it was an error of counsel,  
19 and I was going to attempt to provide the witness an  
20 opportunity to share this information with the Board.

21 MR. MILLER: Well, Judge Smith, it seems to me  
22 that the Board has ruled not just on the basis of  
23 phraseology that was used in the questions and answers --  
24 which I find kind of startling since the testimony is  
25 supposed to be that of Dr. Erickson and not that of his

1 counsel -- passing that question for a second, my under-  
2 standing of the Board's ruling striking the answers and  
3 portions of answers that we referred to earlier was that  
4 they were also outside the scope of his expertise.

5 And at this point in time to simply rephrase  
6 the questions and go at this again I think is improper.

7 JUDGE SMITH: Yes. The phraseology comment  
8 was in response to Mr. Cassel's request that we construe  
9 all the stricken testimony as being something that it  
10 clearly was not.

11 But I am missing the relevance of the question  
12 to begin with. Could you state the question once again?

13 MS. JUDSON: What, if any, problems exist with  
14 Mr. Singh's choice of confidence level and acceptable  
15 reliabilities in his determination of the quality of work  
16 for Hunter and Hatfield?

17 MR. MILLER: Judge Smith, the only questions that  
18 were asked along that line were asked by, I believe, Judge  
19 Cole prior to the time that the Board made its ruling.

20 JUDGE SMITH: What type of answer would you  
21 expect to get? I don't know where you're going. Is the  
22 answer well, that's not good enough? You know, -- for  
23 important to safety things? Is that where you're going?

24 MS. JUDSON: I would expect him to say that it  
25 is not appropriate to always choose a 95 percent confidence

1 level and a set reliability and that one should make  
2 determinations based on the potential risk, if one is wrong,  
3 and set confidence levels accordingly and require higher  
4 reliabilities.

5 JUDGE SMITH: Sustained.

6 MS. JUDSON: Fine. I have no further questions,  
7 Your Honor. However, we have not had a ruling on  
8 Intervenor Exhibit R-11 as to whether it's being admitted  
9 into evidence.

10 JUDGE SMITH: In the first place, I don't  
11 understand R-11, so -- I mean, I understand the chronology,  
12 but I don't understand what we're supposed to infer from it.  
13 Let me see. Let me read it.

14 (Pause.)

15 JUDGE SMITH: This document has no probative  
16 value whatever. There's no finding for the Board to make  
17 on that document.

18 MS. JUDSON: Your Honor, I think it shows a  
19 pattern of errors in providing certain information, and I  
20 think this becomes even more important given the cross  
21 examination we heard from the Applicant regarding this  
22 documents of January 12, 1984, which certainly precedes  
23 these dates.

24 And even though that information was in their  
25 possession, from what I gather incorrect answers were being

1 constantly provided to questions about number of discrepancies  
2 and reinspections. And we show here a pattern of the  
3 company being unable to come up with any answer and then  
4 a correct answer.

5 JUDGE SMITH: Part of the problem is there's no  
6 quantity. There's no quantitative information here.

7 MS. JUDSON: Well, the quantitative information  
8 is provided in Table 2, and what this shows is the  
9 chronology of the attempts that we have made to get the  
10 accurate information and the number of times that it has  
11 been erroneously provided.

12 JUDGE SMITH: All right, we will consult.

13 (Board conferring.)

14 JUDGE SMITH: Objection sustained. It will be in  
15 our rejected exhibit file.

16 (The document referred to, pre-  
17 viously marked Intervenor's  
18 Exhibit R-11 for identification,  
19 was rejected.)

20 JUDGE SMITH: Is there anything further for  
21 Dr. Ericksen?

22 MR. MILLER: I just have two brief questions.

23 JUDGE SMITH: Make them careful questions.

24 MR. MILLER: I will try to be, Judge Smith.  
25

Index

## 1 RE CROSS EXAMINATION

2 BY MR. MILLER:

3 Q Dr. Ericksen, I believe you said the greatest  
4 design effect you observed in the calculations you did was  
5 approximately 40?

6 A I don't believe I said that. What I had tried to  
7 do was to indicate to Judge Cole what the range was, and at  
8 that moment I can think of design effects that range from  
9 5 to 40. I really don't recall how big they got, but I  
10 think they probably got larger than that.

11 Q I think you said that the design effect of 40  
12 was applied to a sample size of 27,000. Correct?

13 A That's right.

14 Q Is that the visual weld attribute for Hatfield?  
15 That's a sample size that's about 27,000.

16 A It could be.

17 Q Do you know -- the calculated reliability  
18 reported in the Reinspection Report for that attribute is  
19 greater than 99.9 percent. Do you know what the effect on  
20 the calculated reliability, using the Freund and Miller  
21 formula, would be if you reduced the sample size from  
22 approximately 27,000 to 680?

23 A Assuming for purposes of argument that that is  
24 correct, which it may well be, then I believe it would be  
25 about 99.5 or 99.6 percent.

1 MR. MILLER: Thank you, I have no further  
2 questions.

3 JUDGE SMITH: Ms. Judson, do you have a question?

4 MS. JUDSON: Yes, I do, Your Honor.

5 FURTHER REDIRECT EXAMINATION

6 BY MS. JUDSON:

7 Q Were you provided with any data on results by  
8 inspector for Hatfield by elements as opposed to attributes?

9 A No, I wasn't. That would have been a very  
10 useful document to have because the discrepancy rates for  
11 Hatfield, as I recall, were higher than they were for Hunter.

12 MS. JUDSON: No further questions.

13 JUDGE SMITH: All right. Now, on your Exhibit 11,  
14 it goes into the Rejected Exhibit file, but what you have  
15 to do is you have to provide the copies of the exhibit as  
16 if it's been received in evidence. Do you understand that?

17 MS. JUDSON: I'll be glad to do that, Your Honor.

18 JUDGE SMITH: Anything further?

19 (No response.)

20 JUDGE SMITH: All right, Dr. Ericksen, you may  
21 step down. Thank you very much, sir.

22 (Witness Ericksen was excused.)

23 MR. MILLER: Judge Smith, I forgot my manners.  
24 At the beginning of the day I should have introduced  
25 Dr. Frankel who has been sitting at counsel table with me.

INDEXXX



1 He is our next witness, and our first rebuttal witness.  
2 Whereupon,

3 MARTIN R. FRANKEL

4 was called as a rebuttal witness by counsel for Applicants  
5 and, after being first duly sworn, took the stand and was  
6 examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. MILLER:

9 Q Would you state your name for the record,  
10 please?

11 A Martin Frankel.

12 Q And what is your current business address,  
13 Dr. Frankel?

14 A Current business address is Bernard Baruch  
15 College, City University of New York, 17 Lexington Avenue,  
16 New York, New York.

17 Q Dr. Frankel, do you have before you a 9-page  
18 document which is titled, "Rebuttal Testimony of Martin R.  
19 Frankel," to which is attached a curriculum vitae?

20 A Yes.

21 Q By whom was that document prepared?

22 A By myself with help from counsel.

23 Q And are there any changes or additions you wish  
24 to make to your testimony at this time?

25 A Not to my knowledge at this time.

INEX

1           Q       Is the testimony true and correct to the best  
2 of your knowledge and belief?

3           A       Yes.

4           MR. MILLER: Judge Smith, at this time I ask  
5 that the Rebuttal Testimony of Dr. Frankel be bound into the  
6 transcript as if read.

7           JUDGE SMITH: Any objections?

8           MS. JUDSON: No objection.

9           MR. LEWIS: No objection.

10          JUDGE SMITH: The testimony is received.

11          (The Rebuttal Testimony of Martin R. Frankel  
12 follows.)

13

14

15

16

17

18

19

20

21

22

23

24

25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In The Matter of )  
 )  
COMMONWEALTH EDISON COMPANY ) Docket Nos. 50-454-OL  
 ) 50-455-OL  
(Byron Nuclear Power Station, )  
Units 1 & 2) )

Rebuttal Testimony Of Martin k. Frankel

Q.1. Please state your full name for the record.

A.1. Martin R. Frankel

Q.2. Please describe your present positions and your job responsibilities.

A.2. At the present time I am Professor of Statistics, Bernard Baruch College, City Univeristy of New York, 17 Lexington Avenue, New York, New York, 10010. I am responsible for the teaching of all graduate and undergraduate courses in survey sampling. In addition I teach courses in general statistics and in computer languages. I have been at Baruch College since 1971 with the exception of a two year period when I was an Assistant Professor of Statistics in the Graduate School of Business of the University of Chicago.

I also serve as Technical Director of the National Opinion Research Center, University of Chicago. In this position I am responsible for the statistical and technical quality of all contract survey research conducted by the Center.

Q.3. Please describe your educational and professional background.

A.3. I hold an AB degree in Mathematics from the University of North Carolina. I hold an MA degree in Mathematical Statistics and a Ph. D. degree in Mathematical Sociology from the University of Michigan. My doctoral dissertation was in the area of inference from complex probability samples. This dissertation, which was published by the Institute of Social Research of the University of Michigan under the title Inference From Complex Samples, is currently in its fifth printing.

I have been actively involved in the use of probability sampling techniques for a period of 19 years. Over this time period I have been involved in the design, selection and implementation of more than 100 different large scale samples. This work has been carried out for Federal Government agencies, Universities, International Organization and Business Firms.

The major professional organization for applied statisticians in the United States is the American Statistical Association. I was elected a Fellow of the Association in

1979 for my work in the area of probability survey sampling. I have served as Chairman of the Association's Section on Survey Research Methods and its Advisory Committee to the U.S. Bureau of the Census. I also served as an Associate Editor of the Association's Journal for a period of 8 years.

In addition to the title mentioned above, I am coauthor of 2 books in the area of survey sampling. I am coauthor and author respectively of the chapters on probability sampling in The Handbook of Marketing Research (McGraw Hill, 1974) and the Handbook of Survey Research (Academic Press). I have published articles on survey sampling in various scientific journals. I am one of the four members of the Editorial Board of the 8 volume Encyclopedia of Statistical Sciences (John Wiley and Sons).

I was elected to membership in the International Statistical Institute in 1983. A copy of my curriculum vitae is attached to my testimony as Attachment A.

Q.4. Are you familiar with the Byron Reinspection Program?

A.4. Yes, I have reviewed the Report on the Byron QC Inspector Reinspection Program (Reinspection Report), the Report Supplement, the testimony of Mr. Singh, Mr. Ericson and portions of the testimony of Messrs. Tuetken, Del George and answers to certain written interrogatories.

I have also held in person discussions with Messrs. Singh, Del George, Tuetken, Laney and counsel for Commonwealth Edison Company.

Q.5. Can you define some of the technical terms that you will be using in your subsequent testimony?

A.5. Yes. Four of the basic terms that I will be using in my testimony are probability sample, non-probability sample, random sample and systematic sample.

A probability sample is a sample that is selected by a procedure that gives each element in a defined population a known, calculable, non-zero probability of being included in the sample

A non-probability sample is any sample that does fall under the definition of a probability sample.

The term random sample is often used three different ways.

In the formal theory of probability sampling it is used to describe a type of probability sample in which all combinations of elements of a given size in the population and all subsets of this size have an equal chance of being selected into the sample. In this context, random samples of elements may be defined as "selected without replacement" or "with replacement".

In general statistical theory, the term random sample is used to describe a sample from a population that may be treated mathematically as the product of independent,

identically distributed random variables. As I will discuss later, there are numerous instances where samples which do not satisfy the probability sampling definition of random samples are treated as random samples in various analytical and inferential procedures.

The term random sample is also used by the general population and the media that serve this population. In this contest the term does not seem to have any clearly defined meaning.

The term systematic sample is used to describe a type of probability sample that is selected using a constant skip interval or pattern after a random start.

Q.6. Can you describe the role of probability and non-probability samples in drawing inferences from a sample to a larger population.

A.6. The use of probability sampling methods generally assure that objective statistical inferences may be drawn about the larger population from which the sample was selected. More specifically, support for one of the assumptions that must be made in order to apply various theories of mathematical statistics may be directly linked to the sample selection process.

However, it is important to recognize that the lack of a probability sample does not mean that inferences can not be made from the sample. When a non-probability sample is used in making statistical inferences, support for

assumptions contained within the mathematical theory of statistical inferences must come from other sources. Typically the source for this support is an individual or individuals who possess relevant substantive knowledge. In these instances, the inference is supported on the basis of subjective judgment.

The methods and techniques of probability sampling were first introduced in the late 1930's and early 1940's. While the use of probability sampling has generally increased over time, there are many areas involving both the public welfare and safety in which policy decisions are made on the basis of non-probability samples.

Examples of the use of non-probability samples in this context include the approval of drugs for general distribution and testing of products for the satisfaction of safety standards. The benefits and effectiveness of various social programs are often evaluated on the basis of small scale experiments or demonstration programs which involve individuals. Most often, neither the selection of geographic sites for these programs or demonstration projects, nor the selection of individuals for program enrollment is carried out on a probability sampling basis.

In general, the use of probability sampling can often simplify the process of drawing inferences from sample to the larger population. But, the lack of a probability sample does not preclude this inferential process in either theory or practice.



Inferences may be accomplished from non-probability samples if substantive subject matter experts provide subjective support for assumptions linked to the general statistical definition of random sampling. For persons who do not rely on mathematical statistical theory for making inferences from samples, the use of a probability or non-probability sample is immaterial. In such a case the adequacy of the sample is a matter of judgment on the part of the subject matter expert.

Q.7. What is your evaluation of the procedures used to select inspectors for the Byron QC Reinspection Program?

A.7. In my discussion of the sampling procedures used to select the sample of inspectors, I would separate the procedure used to select the initial sample which was based on every fifth name from the ordered list of inspectors, and the procedure for the addition of certain inspectors by the NRC staff.

Within the formal definition applied in the context of probability sampling, the initial sample does not qualify as a simple random sample. It more closely resembles a systematic sample with implicit stratification by contractor and date of certification. It should be noted that systematic samples do qualify as probability samples and in certain instances may be more reliable than simple random samples.

The addition of names to the sample by the NRC staff does transform the resulting total sample into what

is best described as a judgment sample. Judgment samples of this type are often used by auditors in order to subjectively maximize the chances of uncovering discrepancies that might be missed in simple random or systematic samples.

Judgment samples do not satisfy the requirements to be classified as probability samples, and thus, the use of this type of sample in drawing inferences must be supported by the judgments of individuals with appropriate substantive knowledge.

Q.8. Can you describe the role of the sampling statistician in determining whether or not inferences may be drawn from probability samples versus judgment or other non-probability samples.

A.8. A sampling statistician can evaluate a sample selection process and determine whether or not a sample qualifies as a probability sample, then the sampling statistician is generally able to determine the type of inferential statements that may be supported for the sample data.

If the sampling statistician determines that the sample selection process does not produce a probability sample then the role of the sampling statistician becomes much more limited. The sampling statistician can not, within the boundaries of his or her sphere of expertise, draw inferences from the sample. At the same time, however the sampling statistician can not, acting within the boundaries of his or her sphere of expertise, conclude that the sample

is incapable of supporting inferential statements based on the subjective evaluation of experts. The sampling statistician can work together with subject matter experts in determining whether certain assumptions required for sample inferences are satisfied, but the sampling statistician must depend on subject matter experts for the required subjective judgments.

The sampling statistician has no role to play when the individual drawing inferences to a population on the basis of observations of a sample does not purport to base these inferences on mathematical statistical theory.

1 MR. MILLER: Would you like me to provide a  
2 brief oral summary of Dr. Frankel's testimony?

3 JUDGE SMITH: Yes, please.

4 MR. MILLER: Dr. Frankel is a Professor of  
5 Statistics at the City University of New York, and Technical  
6 Director of the National Opinion Research Center, University  
7 of Chicago.

8 He has reviewed the Byron Quality Control  
9 Inspector Reinspection Program and conducted certain other  
10 research into it, and after defining certain terms such that  
11 are used by statisticians, such as probability sample, random  
12 sample, systematic sample, he describes the role of  
13 probability and non-probability samples in drawing  
14 inferences to a larger population.

15 He then discusses his evaluation of the procedures  
16 used to select inspectors for the Byron Quality Control  
17 Reinspection Program, and concludes by describing the role  
18 which a sampling statistician can play in determining whether  
19 or not inferences may be drawn from a sample to a larger  
20 population.

21 end 30  
22  
23  
24  
25

1                   With that, Dr. Frankel is available for cross  
2 examination.

3                   MS. JUDSON: We have no questions of this witness.

4                   MR. LEWIS: Staff has no questions.

5                   JUDGE SMITH: Okay.

6                                   EXAMINATION BY THE BOARD

7                   BY JUDGE COLE:

XXXX  
8                   Q       Page 7 of your testimony, Dr. Frankel, the second  
9 line of the bottom paragraph, the last word, "qualify" rather  
10 than "quality?"

11                  A       I'm sorry, the second-to-the-last one?

12                  Q       I'm sorry, the next-to-the-last paragraph on that  
13 page, the second line.

14                  A       Qualify is correct. Thank you very much.

15                               (Discussion off the record)

16                  BY JUDGE COLE:

17                  Q       I just really have one question, Dr. Frankel,  
18 and it has to do with -- you have studied, or at least read  
19 the Reinspection Report?

20                  A       Yes, I have.

21                  Q       And you have looked at some of the inferences  
22 that have been made by certain of the witnesses that have  
23 appeared before us. And your comments here are quite  
24 helpful in our evaluation of the value of the statistics  
25 that have been used.

mm2±

1 Is there anything you would want to tell us  
2 about how much confidence should we have in the kind of  
3 data that has been presented to us?

4 Can you speak in more quantitative terms rather  
5 qualitative? Most of your response here is of a qualitative  
6 nature as to how certain kinds of data can be used and  
7 received.

8 A Yes.

9 Well, maybe I can help out in adding some  
10 information about this effect of clustering as it impacts  
11 on the design significant discrepancies, the so-called design  
12 significant discrepancies which -- I am certainly not an  
13 engineer, but I understand that to mean that there is some  
14 departure from the way the building took place or the  
15 installation took place or something of that sort.

16 I find rather persuasive the fact that apparently  
17 with all of the inspections that were done, zero design  
18 significant discrepancies were located. One of the problems  
19 that I had in correcting for this potential clustering, the  
20 potential of clustering is definitely there in the sample of  
21 inspections, which is derived from the sample of inspectors.  
22 The potential for this clustering effect is there. However,  
23 when I look at the variable, that is the key variable, namely  
24 the number of design significant discrepancies, I find all  
25 zeros.

mm3

1 But, if I plug that into a standard formula I  
2 get an answer that is either zero or indeterminate.

3 If I then use the traditional correction factor  
4 that Dr. Ericksen started to use in his design effect  
5 formula, I basically conclude that the effective end doesn't  
6 have to be reduced at all. It doesn't have to be reduced  
7 at all, because if you take a look at Dr. Ericksen's formula,  
8 you will see that if you make ROH equal zero, then the design  
9 effect is one.

10 If the design effect is one, and you take the  
11 actual end --

12 Q Let me get that page. That is Appendix 1 of  
13 Dr. Ericksen's testimony?

14 A Yes. Here it is.

15 Appendix 1. The formula is  $DEFF$  equals one  
16 plus ROH times B minus one.

17 Now, you can let B, which is the average cluster  
18 size be as large as you want. If ROH is zero, design  
19 effects is equal to one. Now, when you get the so-called  
20 effective sample size down at the bottom, effective sample  
21 size is actual sample size divided by  $DEFF$ , that would  
22 indicate that in terms of the reliability statements which  
23 are made about the potential proportion or percentage of  
24 design significant discrepancies that might exist in the work  
25 that was uninspected, you get an effective sample size which

mm4 1 is equal to an actual sample size.

2 In other words, it is not reduced by this factor  
3 of six or seven, if you actually look at the intraclass  
4 correlation on the base of the sample data.

5 Now, quite frankly, I think that the truth is  
6 probably not that it is quite an intraclass correlation of  
7 zero, but it looks like it is very, very close to zero.  
8 So I guess what I am saying is that given that we didn't  
9 really start out with a probability sample, taking the data  
10 that we have, being somewhat subjective in applying statistics  
11 which we have to be in this case, those reliability calcula-  
12 tions seem pretty reasonable to me simply because when I  
13 apply my standard corrective procedures, my corrective  
14 procedures don't change the ends.

15 Q Yes, but the average cluster size can be very  
16 large here, sir. Wouldn't that increase the effect even if  
17 ROH is small?

18 A Sure, sure. But unfortunately, when I put in  
19 the actual data -- now this is looking at design significant  
20 discrepancies -- the calculation that Professor Ericksen  
21 did when he calculated two variances and divided one by the  
22 other, you get zero over zero. That is what you get. It is  
23 indeterminate.

24 Now, he gave the answer that the intraclass  
25 correlation coefficient would be zero.



mm5

1 Q That is for the documentation section.

2 A Well, in fact it is my understanding that if we  
3 take a look at the design significant discrepancies that  
4 were found in the whole inspection program, my understanding  
5 was, and I may be wrong, that there was zero of them, total.

6 Q That's correct.

7 A Okay. If there was zero of them, total, the same  
8 kind of calculation applied to anything we were talking about  
9 design significant discrepancies is going to give you the same  
10 result.

11 The cluster size could be five million, for all  
12 we knew. But if the ROH was zero, the design effect would be  
13 one.

14 And that is one of the problems I have as a  
15 statistician in trying to quantify it. But this, I think,  
16 adds credibility to the quantitative statements that have  
17 been made. Although again I have got to say that they were  
18 made subjectively.

19 This is not a probability sample. This is not  
20 intended to be a probability sample.

21 Q All right, sir.

22 I want to make sure I understand what you just  
23 said. It is in the record of this case that they found zero  
24 design significant discrepancies.

25 And you just testified that if we use that value

mm6  
1 and take that value that the intraclass correlation value  
2 would then be zero.

3 A Well, I think Professor Ericksen stated it would  
4 be zero if we had zero design discrepancies.

5 I get an answer that is indeterminate. But, for  
6 the moment, if we assume -- let me assume it is zero for the  
7 moment.

8 Q I want to make sure I understand. I can see  
9 if RHO is zero -- I can see where the design effect would  
10 be -- there would be no design effect.

11 A Right.

12 JUDGE COLE: All right, thank you. That is  
13 very helpful, sir.

14 MS. JUDSON: I would like to move to strike a  
15 part of that answer in which the witness said that he  
16 was impressed with the fact that there were no design  
17 significant discrepancies, as being beyond his expertise.

18 He has no basis for determining whether the  
19 discrepancies are design significant or not.

20 JUDGE SMITH: As a hypothesis he has to accept --  
21 are you talking about Dr. Cole's question?

22 MS. JUDSON: In the initial answer to Dr. Cole's  
23 question.

24 JUDGE SMITH: He has to accept that. That is  
25 not based upon his evaluation or his analysis. That is

mm7

1 based upon the evidentiary record of this hearing, which he  
2 has to accept in his answer.

3 BY JUDGE CALLIHAN:

4 Q Dr. Frankel, I think I have the same questions  
5 as my colleague here, but I would like to put it in my  
6 own words.

7 First, do you characterize your analysis as  
8 evidenced by your filed testimony as being sort of a combina-  
9 tion of statistical luck with a strong flavor of practical  
10 judgment and practical application and experience in the  
11 field?

12 Is that some sort of a characterization?

13 A To characterize my prepared testimony?

14 Q Yes.

15 A Yes.

16 What I was trying to do was to indicate what  
17 I felt statistics, formal statistics and statisticians might  
18 have to appropriately offer in these situations, and what the  
19 bounds were where they could make judgments.

20 I feel very strongly that -- if a sample is  
21 designed as a probability sample of a certain type, as long  
22 as the numbers are not -- getting the numbers, getting the  
23 basic data are not the responsibility of the statistician,  
24 but the statistician was handed the numbers, the  
25 statistician can project those numbers to what would have

XXX

mm8

1 occurred had the whole population been examined.

2 That is under some very, very tightly-defined  
3 circumstances, namely when we have a probability sample.

4 In situations where we don't have a probability  
5 sample, then the statistician has to be very careful because  
6 the statistician is not really qualified to make inferences  
7 from that sample. The statistician can assist the subject  
8 matter expert in making inferences from that sample.

9 But the statistician has to be very careful that  
10 he doesn't overstep his bounds.

end 31

11 That is what I was trying to get across.  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

sy321b1

1 I guess that characterizes practical experience  
2 as well as statistical fact. I think it does.

3 Q As a result of, or a combination if I may use the  
4 term, of approaches which I have defined -- I think you  
5 mildly concurred in it -- did you say that -- or within a  
6 judgmental sample -- can the reliability really be quantified  
7 with such and such confidence level?

8 A The number of assumptions that have to be made  
9 when you're dealing with a non-probability sample is greater  
10 than the number of assumptions you have to make with a  
11 probability sample. I would like to be able to characterize  
12 this as being black and white, with a probability sample  
13 you can do it and with a non-probability sample you can't,  
14 or it's more difficult.

15 It's really -- it's a gray distinction, rather than  
16 black and white. You can, and in fact people work with  
17 non-probability samples all the time. It is silly to deny  
18 that they do.

19 A lot of important decisions are made with them.

20 There are some statistical theories which address  
21 the question of how can you make quantitative statements  
22 from judgmental, non-probability samples? My general  
23 feeling, and this summarizes it, I am more comfortable if I  
24 can, if I have a probability sample to work with.

25 But that doesn't prevent me from making

sy321b2

1 inferences from non-probability samples.

2 Q Do your most recent remarks have a bearing on  
3 the application of what I will characterize the Miller-Freund  
4 formula, which is the reliability of 1 minus a fraction,  
5 which I'm sure we all recognize? Does your most recent  
6 remark have some bearing on applicability of that formula?

7 A I think the applicability of that formula can  
8 be determined by a statistician acting solely as a  
9 statistician. The applicability of that formula has to be  
10 determined by a subject matter expert, possibly with help  
11 from a statistician. But a statistician is really not  
12 capable of determining whether or not that formula is  
13 appropriate or not.

end32

14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 Q And consequently whether or not the results  
2 are descriptive?

3 A That's so.

4 JUDGE CALLIHAN: Thank you very much.

5 JUDGE SMITH: Any further questions?

6 CROSS EXAMINATION

7 BY MS. JUDSON:

8 Q Dr. Frankel, is there any evidence of homogeneity  
9 and the likelihood of making discrepancies?

10 A I'm sorry, Ms. Judson, is there any -- would you  
11 repeat the question?

12 Q Have you seen any evidence of homogeneity in  
13 the likelihood of making discrepancies?

14 JUDGE SMITH: Something's wrong with the question,  
15 I believe. Ms. Judson, if you prefer, Dr. Ericksen can  
16 ask questions directly.

17 MS. JUDSON: I was just about to do that, Your  
18 Honor.

19 JUDGE SMITH: Do you object to that, Mr. Miller?

20 MR. MILLER: I don't know --

21 JUDGE SMITH: It is provided by the rules.

22 MR. MILLER: It's probably going to expedite things  
23 if we have the experts communicate directly, although  
24 Dr. Frankel probably wishes that he had had the opportunity  
25 to cross examine Dr. Ericksen.

331b2

1 THE WITNESS: Nobody may be able to understand --

2 JUDGE SMITH: I observed Dr. Frankel. He was  
3 mentally doing it anyway.

4 BY MR. ERICKSEN:

5 Q I just wanted to ask you, have you evaluated  
6 the data indicating that there was a relationship between  
7 the likelihood of an error for the same inspector on different  
8 inspections?

9 A I have evaluated it and, in fact, you have -- when  
10 I turned over my work on those two, you saw my calculations.  
11 I evaluated -- I made several kinds of evaluations in  
12 homogeneity. One involved simple discrepancies.

13 Again, I'm not exactly sure what that means, but  
14 I have been told that it means that the reinspection was, in  
15 some way, different from the original inspection and I made  
16 calculations on the basis of the data that was provided in  
17 the report and I asked for some supplemental data.

18 And indeed, there is an indication of intraclass  
19 correlation, which is different from zero. When one tries to  
20 make that calculation on not just discrepancies in general but  
21 design significant discrepancies, which I understand are  
22 really the important ones to someone, then I'm in a situation  
23 where I've got zero and I've got zero over zero. So for  
24 one variable, as we statisticians say, I'm seeing intraclass  
25 correlation. For another variable, which I'm told is the

index



1 important one, I'm seeing either an indeterminate answer  
2 or answer of zero. There is no intraclass correlation.

3 Q Your calculations indicate a design effect of  
4 557.69 for subjective attributes and 36.1161 for objective  
5 attributes. Is that correct?

6 A I don't remember, quite frankly -- what I don't  
7 remember is whether or not those values are correct. I  
8 wrote them down and ran them through once. And before I  
9 agreed with them I want to have a chance to recalculate them.

10 (Document handed to witness by Intervenor.)

11 Q Have you done any other calculations for any  
12 other variables of that nature?

13 A As I said, I tried to reproduce your calculations  
14 and I believe I was able to come close to your calculation.  
15 I couldn't hit it exactly.

16 Q Are there any other?

17 A Was there another work paper that was handed to  
18 you -- let me just answer the question. My impression was I  
19 may have done one or two more in my computer. And I don't  
20 think I wrote the results down, but I saw numbers that were  
21 different from zero.

22 Q Do you agree that there are inspection elements  
23 where there were no reinspections in the Reinspection Program?

24 A I'm sorry. You're asking -- is that a statistical  
25 question. Is it a question about reading the report?

mm331b4

1 Q It's a question about reading the report.

2 MR. MILLER: Judge Smith, I realize that when an  
3 expert is doing the examination that perhaps there ought to  
4 be some leeway, but I don't know that there was any examination  
5 by any of the Board members with respect to the question of  
6 whether or not there were zero elements or zero reinspections  
7 in a particular element.

8 JUDGE SMITH: That's correct. This is something  
9 that should have been done on the original cross examination,  
10 but if it was overlooked -- if you had intended -- we will  
11 accept it being done.

12 MR. MILLER: Let me try and be helpful and save  
13 the witness's time. I think we established, as part of  
14 what we had with Dr. Ericksen's testimony, that there are,  
15 in fact, inspection elements --

16 MS. WICHER: I believe it may be a foundational  
17 question.

18 THE WITNESS: Yes, okay.

19 BY MR. ERICKSEN:

20 Q How would you advise the engineers at Commonwealth  
21 Edison to evaluate the reliability of those elements?

22 MR. MILLER: Excuse me, but the question is evaluate  
23 the reliability and really, for the sake of -- I'm sure the  
24 two statisticians are communicating perfectly. But for the  
25 sake of the record, I think we ought to have a definition of

mm331b5

1 when you talk about "evaluate the reliability" does that mean  
2 a reliability calculation or something else?

3 MR. ERICKSEN: Perhaps I could rephrase the question.

4 MR. MILLER: Okay.

5 BY MR. ERICKSEN:

6 Q How would you advise the engineers at Commonwealth  
7 Edison to draw inferences concerning those elements?

8 A I think, from what I've heard today, just sitting  
9 next to Mr. Miller, what I heard the panel talk about, this  
10 data was collected in conjunction with a study that never  
11 was designed to make determinations on an inspection element  
12 by element basis. We were in a situation where some data  
13 came up through a program and I believe I heard someone say  
14 that they would have been speaking about Edison, they would  
15 have been remiss had they ignored the data and not analyzed it.

16 So there is nothing there. There is nothing there,  
17 in terms of reinspections. What can they do about it? That  
18 specific 10,509, I don't know if they can make inference about.  
19 They might view it -- and again, this is where a statistician  
20 would have to work with a non-statistician. If it were  
21 felt, by a subject matter expert -- I presume an engineer --  
22 or perhaps someone else. If it were found appropriate to group  
23 these inspection elements with other inspection elements, then  
24 it might be possible to aggregate.

25 Q And would you have suggestions to make, as to how

mm331b6

1 that aggregation might be done?

2 A I think that had I -- if I were asked the question,  
3 I would ask them what kind of elements are similar, in terms  
4 of what you normally do in your profession, what you know  
5 about and what the operation is. I don't know what a  
6 piping or whip restraint is. I have no idea.

7 Q Would you look at discrepancy rates among the  
8 elements that they consider to be similar?

9 A Among what different elements? Among the ones --  
10 in other words, they would come up and say these are similar  
11 and then I would examine the rates?

12 Q I'm asking if you would do that?

13 A I'm not sure. I might. I might not. You know,  
14 I can't say that everytime someone wants to group things  
15 together, I say let's do a test to see if they're similar.  
16 For example, in the survey work, that you and I do, which  
17 involves household sampling, there are nine census divisions  
18 that the Census Bureau has chosen to break up the United  
19 States, into nine divisions.

20 Now typically, because of sample size considerations,  
21 we take samples of 1500. Typically, people don't use those  
22 full nine divisions because you get the mountain states  
23 may only give you 50 observations. So things are grouped in  
24 an aggregate unit, where we have four regions. Now the four  
25 regions are another way of geographically dividing the United

1 States, northeast, south, north central, and west. That's  
2 an aggregation of either individual states, it's certainly  
3 an aggregation of people, but it's an aggregation of individual  
4 states. It's also an aggregation of the so-called census  
5 divisions.

6 Now how often have we asked people, have you  
7 tested to see if the pacific and the mountain, which then form  
8 the west, are similar? We usually say well, you know,  
9 you're doing the analysis. You're the subject matter expert.  
10 You decide what's appropriate for your analysis. Very  
11 rarely does a statistician get involved in that decision.

12 Q Dr. Frarkel, have you participated in the selection  
13 of households based on the 1980 census?

14 A I certainly have.

15 Q Did you stratify that sample?

16 A The sample was stratified, yes.

17 Q Did you participate in that decision?

18 A Yes.

19 Q Did you stratify on the basis of census divisions?

20 A Did I stratify on the basis of census division?

21 I can't remember if it was based on division or it was based  
22 on region.

23 Q Did you make any -- do any kind of analysis to  
24 determine the best way of stratifying that sample?

25 A No. We know that samples are stratified certain

mm331b8

1 ways because people traditionally do it. We are as bad as  
2 we accuse people of doing. We say you always take 95 percent  
3 or 5 percent. We are creatures of habit, as well.

4 MS. JUDSON: We have no further questions.

5 JUDGE SMITH: Dr. Frankel, thank you.

6 (Witness excused.)

7 JUDGE SMITH: Anything further this evening?

8 MR. MILLER: No, sir.

9 JUDGE SMITH: Do we have a report then on what  
10 tomorrow looks like? I don't think we need to be on the  
11 record for it.

12 MS. JUDSON: No, we don't need to be on the record,  
13 but we'd like a one minute break to call one of our other  
14 attorneys.

15 JUDGE SMITH: All right. We are adjourned.

16 (Whereupon, at 5:30 p.m., the hearing was adjourned,  
17 to reconvene at 9:00 a.m. on Friday, August 24, 1984.)  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE OF PROCEEDINGS

1  
2  
3 This is to certify that the attached proceedings before the  
4 NRC COMMISSION


5 In the matter of: COMMONWEALTH EDISON COMPANY  
6 Date of Proceeding: (Byron Station, Units 1 & 2)  
7 Place of Proceeding: Thursday, August 23, 1984  
Rockford, Illinois

8 were held as herein appears, and that this is the original  
9 transcript for the file of the Commission.

10  
11 Mimie Meltzer  
12 Official Reporter - Typed

13   
14 Mimie Meltzer  
15 Official Reporter - Signature

16 Suzanne Young  
17 Official Reporter - Typed

18   
19 Suzanne Young  
20 Official Reporter - Signature