

424

RELATED CORRESPONDENCE

HUNTON & WILLIAMS

2000 PENNSYLVANIA AVENUE, N.W.

P.O. Box 19230

WASHINGTON, D.C. 20036

TELEPHONE 202-955-1500

'84 AGO 30 P12:21

August 30, 1984

DOCKETING & SERVICE
BRANCH

707 EAST MAIN STREET P. O. BOX 1535
RICHMOND, VIRGINIA 23212
TELEPHONE 804-788-8200
TWX 710-956-0081

333 SOUTH GRAND AVENUE
LOS ANGELES, CALIFORNIA 90071
TELEPHONE 213-617-8200
TELEX 754709

FIRST VIRGINIA BANK TOWER
P. O. BOX 3889
NORFOLK, VIRGINIA 23514
TELEPHONE 804-625-5501
TELEX 755628

299 PARK AVENUE
NEW YORK, NEW YORK 10171
TELEPHONE 212-960-8200
TELEX 754708

BB & T BUILDING P. O. BOX 109
RALEIGH, NORTH CAROLINA 27602
TELEPHONE 919-828-9371

FIRST TENNESSEE BANK BUILDING
P. O. BOX 951
KNOXVILLE, TENNESSEE 37901
TELEPHONE 615-637-4311

FILE NO. 24566.3
DIRECT DIAL NO. 202 955-1564

**In the Matter Of
LONG ISLAND LIGHTING COMPANY
(Shoreham Nuclear Power Station, Unit 1)
Docket No. 50-322-1 (OL)**

BY HAND

Hon. Lawrence Brenner, Esq.
Administrative Judge
Atomic Safety and Licensing
Board
U.S. Nuclear Regulatory
Commission
Washington, D.C. 20555

Hon. Dr. Peter A. Morris
Administrative Judge
Atomic Safety and Licensing
Board
U.S. Nuclear Regulatory
Commission
Washington, D.C. 20555

Hon. Dr. George A. Ferguson
Administrative Judge
School of Engineering
Howard University
2300 - 6th Street, N.W.
Washington, D.C. 20059

50-322 OL

Dear Administrative Judges:

I sincerely regret that the attachments to LILCO's Supplemental Motion To Strike were omitted yesterday. Here is a set for each of you and service is being made today on everyone else. I apologize for this inconvenience.

Very truly yours,
E. Milton Farley, III
E. Milton Farley, III, Esq.

8408310218 840830
PDR ADOCK 05000322
PDR
Q

EMF/jlf

cc: Alan Roy Dynner, Esq. (By Hand)
Richard J. Goddard, Esq. (By Hand)
Entire Service List

add. down
FOCA

DS03

ATTACHMENT 1

OFFICIAL TRANSCRIPT PROCEEDINGS BEFORE

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of:)
)
LONG ISLAND LIGHTING COMPANY) Docket No. 50-322-OL
)
(Shoreham Nuclear Power Station)
)
Unit 1))

DEPOSITION OF ROBERT N. ANDERSON

Washington, D. C.

Wednesday, May 16, 1984



(202) 628-9300
440 FIRST STREET, N.W.

1 A It may be one of them. I don't know.

2 Q Do you consider yourself an expert or
3 qualified in the mechanics of finite dynamics?

4 A Finite dynamics. No, I seldom work in that
5 area.

6 Q Who did you talk to at ANAMET?

7 A Gordon Laxell, and the other name escapes me
8 at the moment, but he is the President of ANAMET.

9 Q Did you observe any shot peening of any of the
10 components or parts that you observed at the TDI
11 facility?

12 A No, I saw no shot peening operation, nor did I
13 see, though necessarily you wouldn't be able to
14 recognize it without careful inspection, any shot-peened
15 parts.

16 Q You don't know whether or not they do in fact
17 have a shot peening capability, process or facility at
18 TDI?

19 A I did not see one. It was not inspected.

20 Q Now, did Schaegi focus solely on connecting
21 rods?

22 A The bearings, yes.

ATTACHMENT 2

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

-----x

In the Matter of : Docket No.
LONG ISLAND LIGHTING COMPANY : 50-322 O.C.
(SHOREHAM NUCLEAR POWER STATION, UNIT 1) :

-----x

Deposition of DENNIS ELEY, held at
the Shoreham Nuclear Power Plant, Shoreham,
New York, on the 3rd day of May, 1984,
at 9:50 o'clock a.m., before Thomas R.
Nichols and John Ianno, Jr., Notaries Public
of the State of New York.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Q. Is that the only -- is what you have read about the Holzer method in the FaAA report, again, the only knowledge you have about the Holzer method?

A. That is correct.

Q. Do you know anything, Mr. Eley, about finite element analysis?

A. I do not.

Q. Have you read anything about the finite element analysis?

A. I have read the finite element analysis reports.

Q. Where did you read that, sir?

A. In various reports that are being made available to me.

Q. Do you understand finite element analysis?

A. I would not have the capability of completing a finite element analysis myself.

Q. Why is that, sir?

A. I do not have that capability. I have not done this task before.

Q. Is it because you have some limitation in mathematics or physics or solid mechanics or --

A. I don't --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. That makes that impossible?

A. I don't really know. I have not investigated it. I have not researched it far enough.

Q. You are not saying you couldn't do it if you spent the time to research it?

A. That's right.

Q. You are saying you just can't do it today?

A. That's right.

Q. Because you don't have a full understanding of it?

A. That's correct.

Q. Do you know what a torsigraph is?

A. Yes.

Q. Have you ever seen a torsigraph?

A. Yes.

Q. What is it?

A. Things that measure torsion.

Q. Have you ever had occasion to do a torsigraph yourself?

A. I have not done one myself.

Q. Did you ever have occasion to have someone do one for you?

A. I have seen the results of torsigraph

ATTACHMENT 3

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

: UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

----- x
In the Matter of: :
LONG ISLAND LIGHTING COMPANY : Docket No.
(Shoreham Nuclear Power Station : 50-322-01
Unit 1) :
----- x

Washington, D.C.
Tuesday, May 15, 1984

Deposition of RICHARD B. HUBBARD, called for
examination by counsel for Long Island Lighting Company
in the above-entitled action, pursuant to notice, at the
offices of Hunton and Williams, 2000 Pennsylvania
Avenue, N.W., Washington, D.C., commencing at 10:08
a.m., on Tuesday, May 15, 1984, the witness being first
duly sworn by SUSAN HARRIS, a Notary Public in and for
the District of Columbia, and the proceedings being
taken down by Stenomask by SUSAN HARRIS, and transcribed
under her direction.

1 defect, based on a report?

2 A In general, that would be the case. But also
3 working with Dr. Anderson to analyze the various service
4 reports.

5 Q What qualifications do you have in terms of
6 casting? Have you ever worked in a foundry?

7 A No, I have not.

8 Q Have you ever studied the foundry process, the
9 casting process?

10 A No.

11 Q Do you have any background in metallurgy?

12 A I've taken courses in metallurgy?

13 Q Do you have a degree in metallurgy?

14 A No, I don't.

15 Q A bachelor's degree in metallurgy?

16 A No.

17 Q We have identified two areas in which you have
18 -- I'm not going to use the words "preliminary opinion"
19 every more, because every time I ask you that you say
20 it's not really a preliminary opinion -- but areas that
21 you're going to examine further. You indicated one was
22 the DRQR and the second was the manufacturing process.

1 A: I don't have an opinion on that.

2 Q Do you know how to do a finite element
3 analysis, Mr. Hubbard?

4 A No.

5 Q I'd like you to look at page 5-8 of the
6 report, please. Section 5-3 discusses fatigue crack
7 growth analysis. The first paragraph in Section 5-3,
8 in the middle of the paragraph states, "The presence of
9 a crack in the piston skirt does not necessarily lead to
10 unsatisfactory performance of the piston because the
11 initiated cracks may not grow. Even if they do grow,
12 they may arrest as they grow out the localized region of
13 high stress. The behavior of any cracks that do not
14 initiate can be analyzed by use of" -- I'm sorry -- "The
15 behavior of any cracks that do initiate can be analyzed
16 by use of fracture mechanics principles."

17 Do you agree with the statements that I just
18 read, sir? And we can take them one by one if you want.

19 A Well, we ought to go through them one by one.
20 I would agree that the cracks may not grow. You have to
21 get into a time period and in an environment and lots of
22 other things, and really, you know, what caused the

1 cracks, whether they are a manufacturing defect or as a
2 result of operation. So the word "may" there, you know,
3 it's conceivable that they might not grow. They also
4 may stop growing. The "may" there is also true. That
5 may happen. It also may not happen, and again, it has
6 to do, you know, with all the things I mentioned before,
7 what caused the cracks initially.

8 Q Are you familiar with fracture mechanics?

9 A No. I would rely on Dr. Anderson for that.

10 Q So then you would not be prepared to comment
11 on a conclusion that was reached in this report based on
12 the application of fracture mechanics analysis?

13 A Yes. Other than that the behavior of any
14 cracks -- I mean it seems to me that it is an infinite
15 number of types of cracks and locations, so one of the
16 first questions I would have of Dr. Anderson is is it
17 true that this analysis would really go to any cracks or
18 just some cracks.

19 Q Mr. Hubbard, have you done any work on push
20 rods that are in the TDI emergency diesel generators at
21 Shoreham?

22 A No, other than the general gathering of field

ATTACHMENT 4

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28

BEFORE THE ATOMIC SAFETY AND AND LICENSING BOARD

---o0o---

In the matter of)
LONG ISLAND LIGHTING COMPANY,)
(Shoreham Nuclear Power)
Station, Unit 1))
-----)

COPY

DOCKET NO. 50-332-OL

DEPOSITION OF STANLEY G. CHRISTENSEN

MAY 9, 1984

VOLUME IV, Afternoon Session

REPORTED BY:
DANUTA WARNOCK, C.S.R. NO 4782

TOOKER & ANTZ
CERTIFIED SHORTHAND REPORTERS
681 MARKET STREET, SUITE 925
SAN FRANCISCO, CALIFORNIA 94105
415/392-0650

**COMPUTERIZED
TRANSCRIPT**

1 torsionographs in connection with your analysis of
2 replacement crankshafts?

3 A. I did look at them, yes.

4 Q. Do you recall what you determined, if anything,
5 from looking at them?

6 A. No, I just looked at them. It was some time
7 ago now since I looked at them and as I had come up with
8 these values and as they had shown what they had come up
9 with later on, I didn't take that thing any further. I
10 can't exactly say how I would view that now because I am
11 going back now to the early days of the receipt of the
12 first report or second report on the crankshaft.

13 Q. Did you have occasion, Professor Christensen,
14 to review the FAA finite element analysis of the
15 replacement crankshafts?

16 A. I did look at that, yes.

17 Q. What if anything, sir, did you determine after
18 you had looked at that?

19 A. Well, I will be quite frank. I went back to
20 my textbooks on finite element analysis because it is not
21 an area in which I would consider myself as an expert,
22 not in any way.

23 Q. When you went back to your textbooks on finite
24 element analysis were you able to gain an understanding
25 so that you could analyze the methodology --

26 A. Yes.

27 Q. Let me finish the question.

28 A. I thought you had finished.

1 MR. DYNNER: The record should show Professor
2 Christensen is not attempting to interrupt but because of
3 the phraseology of the questions from time to time it's
4 difficult to tell whether Mr. Stroupe has finished
5 phrasing the question.

6 MR. STROUPE: Thank you.

7 If Professor Christensen would give me ten
8 seconds or so after I start a question I don't think we
9 will have that problem.

10 MR. DYNNER: There is, of course, no intention
11 here to interrupt you, Mr. Stroupe, and it's important
12 that be on the transcript because someone reading the
13 transcript cannot listen to the phrasing of your
14 questions.

15 MR. STROUPE: Let me see if I can repeat the
16 question.

17 Q. Professor Christensen, after going back to your
18 textbooks on finite element analysis, were you able to
19 gain an understanding as to the methodology utilized by
20 PaAA in applying finite element analysis to replacement
21 crankshafts?

22 A. Yes. I wondered -- we will, the first thing we
23 had in the book -- I can't quote the book but it's from
24 the McGraw Hill Engineers' Section, library books on
25 engineering, Mechanical Engineering Series, I think the
26 first thing that hit me there was finite -- I'm not
27 condemning finite element analysis -- when I say this,
28 please let me get that straight.

1 First thing it said there was it was an art and
2 not a science, and this is obvious to any engineer
3 because the locations of the various points around the
4 system would require a considerable amount of knowledge
5 to locate correctly.

6 The next thing I would comment on would be that
7 if you are using a standard computer program for this
8 analysis, then you would have to see that the dimensions
9 of the crankshaft coincided with the basic parts on what
10 that computer program was based on. This is relative to
11 size.

12 The next thing that would be required is a
13 knowledge of the various stresses that a crankshaft is
14 subjected to during its 720 degrees of rotation. As I
15 mentioned earlier, I'm not an expert on finite element
16 analysis, three dimensional finite element analysis, but
17 I think I know enough of it to be very cautious in its
18 usage. And where I would comment further is it could be
19 an ideal thing perhaps to be used as a comparative, but
20 not something to be used to find the definite figure for
21 a stress value.

22 Q. Do you recall, Professor Christensen, the title
23 of the publications, or if they were in fact plural in
24 number, the publications that you looked at to gain an
25 understanding of finite element analysis?

26 A. I again --

27 MR. DYNNER: Let's not characterize his
28 testimony. It wasn't to gain an understanding, was it?

1 If you want to ask him which books he was referring to,
2 if he remembers the title, fine. Let's not characterize
3 incorrectly his testimony.

4 MR. STROUPE: I did not mean to characterize
5 your testimony. Mr. Dynner obviously has a photographic
6 memory. So I do the best I can based on the memory I
7 have.

8 MR. DYNNER: Thank you.

9 MR. STROUPE: And I will ask the questions
10 based on the memory that I have and not Mr. Dynner's
11 memory.

12 Q. And I will ask you if you can recall the name
13 of those textbooks.

14 A. I think the name of the series was McGraw Hill
15 Mechanical Engineers' Series of books. We might call
16 them textbooks because that is virtually what they are.
17 The name of the book within the series, I think, was
18 Introduction to Finite Element Analysis. The preface of
19 the book, which is the reason that I bought the book, it
20 is not a methodology to be able to carry out a finite
21 element analysis of calculations, it is a book which is
22 more or less telling you the whys and wherefores of it,
23 as the book says in the introduction.

24 I wanted this to review certain ideas that I
25 had about this from reading stuff earlier in technical
26 journals, mathematical journals and various place where
27 one acquires knowledge. Here I had most of the things
28 together in one book, that is why I went to that book.

1 Q. Do you know the author of that book, Professor
2 Christensen?
3 MR. DYNNER: Personally?
4 MR. STROUPE: No.
5 Q. Sir, are you acquainted with his name?
6 MR. DYNNER: Thank you.
7 THE WITNESS: I'm not acquainted with anybody's
8 name. I cannot remember the name of the man, but I will
9 certainly give it to the lawyer here if you desire me to
10 give it to him.
11 MR. STROUPE: Q. Do you recall, Professor
12 Christensen, the year of publication of that book?
13 A. It's a very, very recent publication. I
14 couldn't give you the exact year. I think finite element
15 analysis has only been out over the last ten or 15 years,
16 and then it was only used in very limited areas in the
17 first instances.
18 Q. Did you have occasion, Professor Christensen,
19 to, in reviewing the FaAA report, to compare the finite
20 element analysis of torsional stress upon the crankshaft
21 with the experimentally obtained data?
22 A. I don't quite understand your question. I'm
23 sorry.
24 Q. Do you recall, Professor Christensen, a
25 reference in the FaAA report to strain gauge testing of
26 the replacement crankshafts?
27 A. I remember reading about the strain gauge
28 testing, yes.

1 Q. Do you recall having made any comparison
2 between the results produced by the strain gauge testing,
3 e.g., experimental testing as opposed to the figures
4 obtained through the use of finite element analysis?

5 A. Yes. There was some inaccuracy there, I
6 believe, because if my memory serves me correctly there
7 was a correlation factor used which I thought introduced
8 some further doubt about one or the other sets of figures.
9 What the correlation factor was, I cannot remember now.
10 I got a feeling it was in the order of maybe seven
11 percent, but again, I am using my memory which may be
12 playing tricks with me.

13 MR. STROUPE: Let's take a break.

14 (short break from 5:00 until 5:20.)

15 MR. STROUPE: Q. Professor Christensen, are
16 you aware of any requirement that the Nuclear Regulatory
17 Commission has which says that either Lloyd's rules,
18 ABS's rules or DEMA's rules have to be complied with?

19 A. I am not aware of anything in their rules that
20 says that.

21 Q. Are you generally familiar with the NRC
22 regulations as they apply to emergency diesel generators
23 in nuclear service?

24 A. I won't say I know those regulations down to
25 the last cross on the "T" and dot on the "I," but I think
26 I have a broad idea of them. One of the things that I
27 have noted is that most of those regulations are directed
28 to safety, and I thought that they were good regulations

ATTACHMENT 5

COPY

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

--oOo--

:
In the Matter of)

LONG ISLAND LIGHTING COMPANY)

(Shoreham Nuclear Power)
Station, Unit 1))

Docket No. 50-322-OL

DEPOSITION OF ROBERT NEIL ANDERSON

MAY 10, 1984

Reported by:

KEMBLE ANTZ, CSR 669

TOOKER & ANTZ

CERTIFIED SHORTHAND REPORTERS

681 MARKET STREET
SAN FRANCISCO 94105
(415) 392-0690

FREDERIC R. TOOKER

KEMBLE ANTZ

1 Q What type of work did you do for them?

2 A In the past, I have worked in the nuclear area,
3 principally availability of uranium. Some problems on
4 extraction of uranium. New techniques for extraction of
5 uranium.

6 Q Extraction of material is your principal expertise
7 in the field of metallurgy, isn't it?

8 A Chemical, temperature, chemical thermodynamics of
9 metals.

10 Q Were any of these publications that you list in your
11 Exhibit 3 submitted for review prior to publication or were
12 they just sent to particular magazines?

13 A Most of those that are there were sent for profes-
14 sional review and were accepted.

15 Q What else had you done in connection with the diesel
16 generators at Shoreham prior to the end of 1983 that you
17 haven't already told me about?

18 A I can't think of anything else.

19 Q How did 1984 start out?

20 A It was a good year. I got an invitation to go to
21 India and work on the Taj Mahal. And then came back and
22 I had more boxes of material on this case to read.

23 Q When did you come back?

24 A Toward the end of February.

25 Q Okay. And you received this material from either
26 Mr. Dynner or Mr. Miller?

27 A Or Mr. Scheidt.

28 Q Have you reviewed all that material?

ATTACHMENT 6

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

---o0o---

In the Matter of
LONG ISLAND LIGHTING COMPANY
(SHOREHAM NUCLEAR POWER STATION, No. 50-322 O.C.
UNIT 1.)

Deposition of
ROBERT N. ANDERSON

August 4, 1983

Reported by ADELE I. NOLAN, CSR No. 1641

1 received, approximately July 19th, do you know how many hours
2 you spent reviewing that package?

3 You said you received it in Hawaii?

4 A Yes, I did.

5 Again, without the notes that I have made, I may not be
6 exact, but it would be on the order of three or four hours.

7 Q And with respect to the final package of documents
8 that you received from Mr. Avery, can you just estimate how much
9 time you spent on that?

10 A Okay. Now this presumes that I have only -- I only
11 stay with the documents once and never reread them, or refresh
12 my memory, so that I would say on the package I received from
13 Mr. Avery, I believe there was about two, two and a half hours
14 in that package, in the initial reading.

15 Q Professor, would you consider yourself an expert in
16 foundry practices?

17 A No.

18 Q Have you ever been employed by a foundry?

19 A No.

20 Q Have you ever done any consulting work for a foundry?

21 A Yes.

22 Q And could you describe that work, please?

23 A Well, let's see.

24 There was one business that had a small casting
25 operation -- I mean small compared to what you have. I believe
26 they were in belt buckles, and I straightened up their
27 procedures, developed mold washes, and extended the life of the
28 molds that they were using.

1 I have had -- let's see -- I have had a number of
2 casting problems, and it's not clear to me that I was working
3 for the plaintiff or the defendant in those cases.

4 If it was the plaintiff, I was clearly working for the
5 company as a consultant.

6 I can recall one -- there's a neat little casting firm
7 back East that makes the Harley-Davidson handles -- brake
8 handles -- and they had a problem, and one of them broke, and
9 when it breaks, there's no way you can put a brake on, and it
10 was a fatal accident, and I had to go through their casting
11 procedures and characterize what they were doing compared to
12 all the other motorcycle castings that are currently on the
13 market, and that was for the manufacturer.

14 [Mr. Pratt entered the deposition room.]

15 MR. EARLEY: Q So let me review.

16 You have done consulting work for a foundry that dealt
17 in small castings, and you have indicated that you have been
18 involved in a number of casting problems.

19 Could you estimate the number of times you have had --
20 given consulting services dealing with casting problems?

21 A That's difficult.

22 I would say I have had over 500 cases, independently
23 consulting for corporations, and I just don't keep track of it.

24 There have been a number of casting problems.

25 There have been some spring hangers on trucks, White
26 Truck -- Trucking Company -- there was some failures there that
27 I had to look at, and examine the casting procedures.

28 Q Well, would you estimate that it is more or less than

1 10 percent of those 500 cases?

2 A You must be reading my mind.

3 I was going to say it would probably, if I had to make an
4 estimate, not going back through my files, 10 percent might be
5 reasonable of the 10 percent of the metallurgical consulting
6 work associated with the casting failures.

7 This would be ferrous base and nonferrous, too.

8 Q So have you dealt with casting problems relating to
9 steel castings?

10 A Yes.

11 Q Have you ever dealt with a case involving steel
12 castings of cylinder heads?

13 A As represented in this case here?

14 Q This case is the limit of your experience in dealing
15 with steel casting -- steel cylinder heads?

16 A No. I can't recall any similar case.

17 MR. DYNNER: Off the record.

18 [Discussion off the record.]

19 MR. EARLEY: Q Professor, have you ever conducted a
20 failure analysis?

21 A Failure analysis?

22 Q Yes.

23 A Yes, I have -- lots of them.

24 Q And have you conducted failure analysis on a steel
25 casting?

26 A Yes.

27 Q Can you estimate how many failure analyses on steel
28 castings you have performed?

1 A Well, let's see.

2 If I had about 500 metallurgical cases, roughly 10
3 percent, my most honest guess, were castings, and if you'll
4 look at the market, most of the castings are, I'm afraid,
5 nonferrous, that have problems.

6 Ferrous is fairly reliable.

7 I would say that I would have to say -- I would say about
8 a third of those castings would be of ferrous material.

9 Q Do you remember the precise subject matter of any of
10 that -- the number of steel casting failure analyses you have
11 done?

12 A I can tell you wonderful war stories --

13 Q Just -- due to the lateness of the hour, can you give
14 me a list of those you can remember?

15 A I can remember Bigfoot. [phonetic]

16 I think I had developed a hernia carrying that casting
17 around.

18 There was a truck that was working, I believe it was a
19 logging truck, and it was working up in the hills, and apparently
20 went out of control.

21 It was a brake failure or something. The driver said his
22 brakes didn't work, but this big truck went out of control, and
23 I believe hit another car, innocent car, and big truck, small
24 car. Small car had severe injuries.

25 There was a failure in a very large casting associated
26 with the rear end of that vehicle, and there was a question,
27 because of its location so close to the stress point.

28 In other words, there is curvature problems --

1 Q If I could -- if you could just give me a list, for
2 example, a large casting in the rear of the truck, so we can
3 expedite -- can you recall the -- just the general subject
4 without going into the description of any others?

5 A Okay. There has been some -- there is a cast part
6 which is associated with spring hangers on large trucks, and
7 that failed, dropped the truck down so it went out of control,
8 went across the road, killed somebody.

9 That was ferrous base.

10 There has been some really -- and I believe those are
11 the two most recent. I just can't recall.

12 I do extensive aircraft, automobile investigation, and
13 also some nonmetallic investigation, like breast implants.

14 Q Professor, have you -- are you familiar with hot tears
15 in a casting?

16 A Yes.

17 Q Have you ever seen a hot tear?

18 A Yes.

19 Q Would it be fair to say that someone who is familiar
20 with hot tears and has seen a number of hot tears can recognize
21 a hot tear in a casting when they see one?

22 A Yes. I think that's a fair statement, as long -- in
23 order to keep it totally fair, we say that it's a clean -- it's
24 close to -- it has been used, in other words, it's close to the
25 time of manufacture, so that there is nothing obscuring the
26 surface.

27 No corrosion products, no debris of any type. If it's
28 on the casting floor, then certainly you should have a clear