

ORIGINAL



UNITED STATES NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:

DOCKET NO:

MEETING ON TMI STEAM GENERATORS
WITH GPU

LOCATION: BETHESDA, MARYLAND

PAGES: 1 - 86

DATE: TUESDAY, FEBRUARY 19, 1985

ACE-FEDERAL REPORTERS, INC.

Official Reporters
444 North Capitol Street
Washington, D.C. 20001
(202) 347-3700

8503140002 850305
PDR ADOCK 05000289
P PDR

NATIONWIDE COVERAGE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
MEETING ON
TMI STEAM GENERATORS
WITH GPU

Nuclear Regulatory Commission
Room P-114
7920 Norfolk Avenue
Bethesda, Maryland

Tuesday, February 19, 1985

The meeting with GPU on TMI Steam Generators convened at
1:00 p.m., Mr. Harley Silver presiding.

PRESENT:

- MARY JANE GRAHAM, GPU
- BRUCE CHURCHILL, ESQ., Shaw, Pittman, Potts & Trowbridge
- SCOTT GIACOBBE, GPU
- STERLING WEEMS, GPU
- RICHARD F. WILSON, GPU
- DON K. CRONEBERGER, GPU
- RALPH E. NEIDIG, JR., GPU
- SHELLEY KOWKABANY, GPU
- CONRAD McCracken, NRC
- HARLEY SILVER, NRC
- BERNARD TUROULIN, NRC
- FRANCIS YOUNG, NRC
- JOHN STOLZ, NRC
- C. Y. CHENG, NRC
- B. D. LIAW, NRC
- MARY WAGNER, ELD/NRC
- JOSEPH GRAY, ELD/NRC
- JIM VAN VLIET, NRC
- HERB CONRAD, NRC
- GUS LAMAS, NRC
- WILLIAM JOHNSTON, NRC
- J. RAJAN, NRC
- O. THOMPSON, NRC

1

P R O C E E D I N G S

2

3

4

5

6

7

8

9

10

MR. SILVER: My name is Harley Silver. I am one of the project managers on TMI 1 at NRC. This meeting was essentially requested by GPU to discuss their requested change in the steam generator repair limits. That being the case, I would like to turn the meeting over to Dick Wilson who presumably will tell us of his agenda and so forth. Perhaps before we do I can introduce the NRC people who are here.

I think perhaps, Dick, you ought to do the same. I would also like to request anyone who speaks to identify himself prior to his words so that the reporter can note who who the speaker is. This is Mary Wagner, one of our attorneys. Joseph Gray. Gus Lainas, who is assistant director for operating reactors. Skip Young, resident inspector, Jim Van Vliet, the project manager for TMI 1, Conrad McCracken, B.D. Liaw, J. Rajan, Mr. Cheng. Bernard Turoulin. And in the corner is Bill Johnston. Owen Thompson next to him.

20

MR. STOLZ: I'm back here.

21

22

23

24

25

MR. WILSON: I am Dick Wilson, the technical director of GPU. Let me introduce the people here from GPU. In the back Shelley Kowkabany and Mary Jane Graham, both from your licensing department. Mr. Neidig. Sterling Weems from MPR Associates, who is a consultant to

1 GPU. Scott Giacobbe of GPU, who was in our materials
2 group. Don Croneberger, who is here who is the design
3 engineering design director. Bruce Churchill from our
4 attorneys, Shaw, Pittman, Potts & Trowbridge. I think
5 that is all of the GPU people.

6 MR. SILVER: Is there anyone who has not been
7 identified?

8 (No response.)

9 MR. WILSON: Are we all set with the
10 introductions?

11 As most of you know, we had the tech spec examination
12 of the TMI steam generators in roughly September of 1984.
13 We picked up a number of eddy current indications. We
14 spent the last two or three months looking at those
15 indications, and have come to certain conclusions about
16 them. I think we have given you the data pertaining to
17 those indications, but predominantly the indications are
18 running between 20 or 30 percent through wall to about 70
19 percent through wall as measured on an absolute probe
20 which measures arc length of the indications.

21 They are predominantly, I think 85 percent or so, a
22 single coil, which is a maximum of about a little less
23 than 2/10ths of an inch in the circumferential extent.
24 Some of them were two coils. They seem to be
25 characterized pretty much like the indications we had seen

1 two and a half years ago, although a much, much fewer
2 number. In evaluating what to do about the indications,
3 we have examined the plugging criteria, and we wrote you a
4 letter, I think on January 31 of this year, suggesting
5 that under the tech specs that we modify the technical
6 basis for the plugging criteria; the technical basis not
7 being the underlying margins or performance requirements
8 for plugging tube, but really examining the question of
9 what the current technical specifications allow, which was
10 up to 40 percent through wall with either an unlimited
11 axial extent or a 360-degree circumferential extent of
12 defect. And based upon our examination of the basis for
13 the plugging criteria and the resultant margins between
14 failure and design basis accidents, we think there is a
15 sound technical operational logic for trading off through-
16 wall extent versus circumferential extent of the defect.

17 It is summarized in a report which was enclosed in the
18 January 31 letter which examined that question of
19 mechanical serviceability of the tubes for various
20 combinations of through-wall extent of defects vis-a-vis
21 circumferential or axial extent. We came here today to
22 try and discuss that, to try and answer questions about it.
23 And since, we gather in phone conversations, there are
24 some questions or uncertainty on the part of the Staff
25 what the exact intent is and what we want to do, we will

1 try and have that kind of a dialog and see where we end up.

2 We have a small presentation, a very brief presentation
3 by Don Croneberger, which is nothing more than three or
4 four viewgraphs, which kind of reviews what we think is
5 the licensing basis of the generator and reviews in a
6 broad sense what we have done in terms of examination and
7 analysis. It summarizes our conclusions, which again were
8 pretty well summarized, we thought, in the transmittal of
9 January 31.

10 So we have a technical presentation. I guess from
11 there we would like to, I guess, take that on first, and
12 then later on, when we are either through with that or
13 gone as far as we can, we would like to then maybe take on,
14 try to discuss some of the ways and means by which such
15 approval could be gotten or what it would require in the
16 way of modification to tech specs or otherwise arrive at a
17 conclusion.

18 So that is why we are here. Maybe with that, I would
19 introduce Don Croneberger. I would assume a number of the
20 Staff here have looked at the report. Is that a fair
21 characterization?

22 MR. SILVER: The report is under review, Dick.
23 I think that is quite right. A significant number of the
24 people in the room have looked at it, studied it to
25 various extent. We are not finished with that review.

1 MR. LIAW: Mr. Wilson mentioned something about
2 the inspection report.

3 MR. SILVER: Inspection report?

4 MR. LIAW: Was he talking about -- the one thing
5 I got is the package coming with January 31.

6 MR. WILSON: The package that came with the
7 January 31 letter was basically the mechanical analysis of
8 the two. The inspection report and inspection data has
9 been made available, I am sure, to the region 1 people on
10 the site. I thought -- Mary Jane, correct me if I am
11 wrong, I thought --

12 MS. GRAHAM: The TDR that was sent in there was
13 written by John Janiszewski and Scott Giacobbe. This came
14 in, I think, approximately January 10.

15 MR. SILVER: I wasn't sure you were talking
16 about that. That is B.D., the report that mostly deals
17 with the cause of the current indications.

18 MR. WILSON: But it does summarize the type of
19 eddy current indications and their interpretation.

20 MR. LIAW: In either case, current indication or
21 the cause of it obviously would have some impact as far as
22 the --

23 MR. SILVER: The document that we have in hand,
24 perhaps you do not. I don't know. It has been
25 distributed to mechanical branch and chemical engineering

1 branch and so forth.

2 MR. CHENG: We didn't get it?

3 MR. SILVER: I can't say for sure whether you
4 did or not. Herb Conrad. Connecticut PDR 645.

5 MS. GRAHAM: It accompanied our response to the
6 motions to reopen our hearing.

7 MR. SILVER: And was submitted separately after
8 that.

9 MR. CHENG: We will have to check.

10 MR. SILVER: Okay.

11 MR. CRONEBERGER: My name is Don Croneberger.

12 Mr. Wilson mentioned the letter of January 31 which
13 submitted the results of the mechanical analysis that was
14 performed to establish proposed acceptance criteria for
15 determining need for plugging a tube to take it out of
16 service. What I propose to do is go through a very brief
17 summary of the logic that went into that evaluation and
18 analysis.

19 As far as the basic analysis and understanding of the
20 applicable general design criteria that we attempted to
21 satisfy in that analysis, it goes back primarily to GDCs
22 14, 15, and 31, with 14 being on the subject of reactor
23 coolant pressure boundary which requires a design with a
24 low probability of rapidly propagating or gross failure,
25 GDC 15, which deals with the reactor coolant system design,

1 is that which requires sufficient margin when dealing with
2 GDC 14, and then finally GDC 31 which deals with fracture
3 prevention of reactor coolant pressure boundary. Again,
4 which requires that these design margins remain sufficient
5 through the life of the components, with consideration
6 taken on the effects of the environment and any indwelling
7 flaws.

8 MR. LIAW: Why GDC 32 is not there?

9 MR. CRONEBERGER: The intent of putting those up
10 was that these are the primary ones that lead into the
11 ASME code section 3.

12 MR. LIAW: 32 governs the abnormal leakage.

13 MS. GRAHAM: We are not concerned with leakage .
14 here. Basically we are talking about less than through
15 wall defects. And so we addressed here those which could
16 be used in discussing whether or not you would plug
17 something less than through wall. If it is not through
18 wall, it won't leak.

19 MR. LIAW: Fundamentally, you are talking about
20 a defense-in-depth concept, and you have leakage limit and
21 everything else.

22 MR. WILSON: We are not asking for any change in
23 leakage limit. We have now the tightest leakage limit.

24 MR. LIAW: What I am saying is, whatever defects
25 or form of degradation might contribute to the frequency

1 of normal leakage during normal operation.

2 MR. WILSON: A lot of things might have
3 contributed to that frequency. We can't really address
4 those things very well. All I can tell you is, based on
5 the plugging criteria and what we intend to discuss, we
6 are not talking about anything which involves leakage. We
7 have the tightest -- I think the issue of leakage is
8 important, because it is one of the defenses, and the
9 kinds of defects that we see clearly are going to, if they
10 propagate, are going to propagate through wall almost to
11 the exclusion in my mind to radial extent of propagation.
12 So it is important that we have the tightest leakage spec
13 or are about to have it, I think, of any plant in the
14 country. That may be being turned into a tech spec limit.

15 MR. CRONEBERGER: In addition to the leakage
16 question, we do have the requirement for an additional
17 eddy current test after 90 days of full power operation as
18 being a commitment.

19 MS. GRAHAM: Our present limit is a 10th of a
20 gallon a minute.

21 MR. WILSON: Our present limit is one gallon per
22 minute with an obligation, if we see a 10th of a gallon
23 per minute change over a base line, to shut down and
24 examine and correct. So in effect, it is a 10th of a gpm.

25 MR. CHENG: It is not the tightest, one 10th of

1 gpm.

2 MR. SILVER: Tied for first.

3 MR. CRONEBERGER: Again, I was going through the
4 general design criteria, as they had a bearing on the
5 standards which we are using to both perform the
6 evaluation for mechanical analysis and to establish what
7 their acceptance criteria is. With 10 CFR 50 requiring
8 the application of the ASME codes, with section 3 rules
9 being instituted to satisfy GDC 14 and 15 and the section
10 11 rules to satisfy GDC 31.

11 MR. LIAW: Are you saying that GDC 31 has been
12 satisfied through section 11?

13 MR. CRONEBERGER: To the extent that we were
14 performing mechanical analyses to evaluate the potential
15 for crack extension, the rules of section 11 were used.

16 MR. LIAW: You used not necessarily GDC 31 is
17 only being addressed by 31.

18 MR. CRONEBERGER: We used the section 11 rules
19 to try to evaluate the protection against fracture.

20 MR. LIAW: You trust that you are going to tell
21 us which section you are going to use?

22 MR. CRONEBERGER: I can give you the background
23 as to what was done.

24 MR. LIAW: Later on?

25 MR. CRONEBERGER: Yes.

1 What I am discussing now does not represent original
2 work which was performed as a basis for that January 31
3 submittal. What I am talking about now are the various
4 analyses which have been performed most of which were
5 geared towards establishing the adequacy of the repair
6 program originally implemented for -- during the expansion
7 forming of the new joints in the steam generator, the
8 issues which have been previously litigated. As far as
9 the section 3 fatigue analysis is concerned, the original
10 work was done in B&W report 10146 that was dated in 1980.
11 It represents a basic reference we continue to use.

12 This employed section 3 methodology. This report was
13 conservative in that it used generic loadings which
14 bounded all the B&W plants. From a fatigue standpoint it
15 used a fatigue strength reduction factor of 5, which
16 apparently was a question that was asked internally by the
17 Staff here. And this report was both referenced by us and
18 also referenced by the NRC in evaluating GPUN, TMI 1 and
19 other plants.

20 GPUN employed section 3 calculations also in evaluating
21 ID imperfections. Again, the analysis that was performed
22 to support the original repair of the steam generators was
23 conservative in that the same B&W numbers for tube
24 loadings were used in the analysis.

25 Again, it used the same fatigue strength reduction

1 factor of 5 which was employed by B&W back in 1980, and
2 the results were consistent with that report. This was
3 used by us to support what we called TR 008, which was the
4 fundamental safety evaluation which was prepared in
5 support of the original repair of the steam generators.

6 Again, in the context of the technical basis for the
7 original repair of the steam generators, there was a
8 section 11 fatigue strength evaluation which was
9 documented in TDR 388 which is our internal technical data
10 report. This used linear elastic fracture mechanics
11 techniques. We had developed stress intensity solution
12 appropriate for a thin tube. The material properties were
13 used for the Inconel 600 actually in the steam generator.
14 This report which was made available to the Staff was a
15 reference in the basic safety evaluation, and we did
16 submit this basic report back in 1983 as background
17 information supporting our safety evaluation. The NRC did
18 engage Brookhaven to review this report, and their
19 evaluation is contained in the TER which was in support of
20 new reg 1019.

21 MR. LIAW: Did Staff make a specific evaluation
22 with regard to TDR 388?

23 MR. CRONEBERGER: Yes.

24 MR. LIAW: Could you tell me in what section
25 that was referenced?

1 MS. GRAHAM: The Staff SER?

2 MR. LIAW: Yes.

3 MS. GRAHAM: The TER was its own attachment. I
4 believe it was attachment 7.

5 MR. LIAW: I am talking about SE.

6 MS. GRAHAM: Your SER, that TER was an
7 attachment to your SER supplement 1. It is not in
8 supplement 0. It is the supplement that was published in
9 November of that year. It was a letter sent to us, I
10 believe the date is November 24, 1983. It sent supplement
11 1 and a copy of the Brookhaven TER.

12 MR. LIAW: Brookhaven?

13 MR. CRONEBERGER: Yes.

14 MR. LIAW: Thank you.

15 MR. CRONEBERGER: Again, referring to that same
16 technical report, 388, it did include an evaluation of one-
17 time-only loads, with governing load being the same as
18 that addressed in that previously referenced B&W document,
19 which was the main steam line break being the limiting
20 accident load. B&W did develop that again, generically to
21 bound all of their plants. It was documented in B&W
22 report 10146. In evaluating that load for a whole
23 spectrum of defect configurations, we had performed solid
24 mechanics evaluation of that spectrum of defect sizes
25 which were reported in this TDR.

1 Again, this portion of our analysis which was
2 supporting the original repair basis was evaluated by the
3 NRC in that Brookhaven TER. When we were talking about
4 the previous application of this TER 388, the principal
5 application was to verify the application of current
6 detectability. We are talking about using that same
7 methodology, the same results in establishing a repair
8 criteria which is based on a uniform margin of safety
9 rather than a uniform through wall reading.

10 What I would like to do is to simply review the results
11 of the analysis and how we had presented these in that
12 previous TDR 388.

13 Again, the action cease on this chart are extent of
14 through-wall thickness and the arc length. And in this
15 particular case, which is a little bit different than is
16 shown in that TDR, I have only shown it up through 180
17 degrees arc length of the tube.

18 Again, for the entire spectrum of depth versus arc
19 length an analysis was performed using section 3
20 methodology to determine for what defect dimensions
21 section 3 fatigue rules were satisfied considering the 40
22 years of load cycling which the tubes would be anticipated
23 to -- the upper bound of what the tubes would be
24 anticipated to experience.

25 That is this plot here, which wasn't shown in the TDR.

1 Again to get some sort of a feel for the sensitivity of
2 fatigue damage using the section 3 rules, as a function of
3 service life, I have plotted here a line which represents
4 the same kind of an evaluation if one were looking only at
5 five years of service in lieu of the 40 years of service
6 which was our basis for evaluating the adequacy of our
7 repair program.

8 This line here represents again an evaluation of a
9 spectrum of defect geometries, uniform defect depth versus
10 defect arc length. And what was shown on this evaluation,
11 again, was not an evaluation where a crack would grow to a
12 critical crack size, but one which was performed to
13 evaluate what the defect size would have to be which, if
14 interacted with the design cycles, would propagate to
15 through wall. And what it says here is, if I would be
16 looking at a line which is roughly 6/10ths of an inch arc
17 length and something like 70 percent or a little bit
18 greater than 70 percent through wall extent, this line
19 which was included in that little evaluation suggested
20 such a defect during the cycling over 40 years would
21 simply propagate to through wall, at which point the
22 defect should be detectable via leakage.

23 MR. CHENG: You know the section 3 fatigue
24 doesn't take into account environmental effect, so how are
25 you going to factor the environmental effect in your

1 analysis?

2 MR. CRONEBERGER: As I understand the rules that
3 were used in section 3 -- in fact, I believe Bill Cooper
4 prepared a writeup recently which he was distributing to
5 some of the section 11 committee members, talked in terms
6 of a correction factor which was applied to the test data
7 which was built in originally to the section 3 rules, a
8 factor of 20 on cycles and a factor of 2 on stress, which
9 was intended to take into account both uncertainties from
10 a residual stress standpoint as well as from an
11 environment standpoint.

12 MR. CHENG: That was done for the size, because
13 you are talking about the smallest measurement. The
14 environmental effect, maybe you can say it could be
15 covered by that. But we know from experience some of the
16 environmental effects are considerably much greater than
17 what you can account for by that factor. That is well
18 known.

19 MR. LIAW: Procedurally, this is not the basis
20 for licensing evaluation. Number two, let me ask you one
21 more comment or one more question here.

22 The mechanism of degradation, recognizing I have not
23 seen your report that I was asking for earlier, what was
24 the form of degradation, what have you accounted for in
25 this chart, the rate of degradation?

1 MR. CRONEBERGER: Scott Giacobbe can talk about
2 the original form of the mechanism for the corrosion
3 attack.

4 MR. LIAW: What about procedurally?

5 MR. WEEMS: The more accurate calculations are
6 the fracture mechanics calculations, and these do take
7 into account the effect of hot water on the parameters.

8 MR. CHENG: Temperature effect.

9 MR. WEEMS: Hot water.

10 So there is some effect due to environment, and that is
11 accounted for by the fracture mechanics calculations. A
12 separate issue, the code calculations do not specifically
13 account for environment. However, the strength reduction
14 factor that GPU has chosen to use, namely this value of 25,
15 is -- was chosen specifically to be as conservative as
16 they could get. That is about the maximum factor that is
17 used in the code, and I believe that is one notch higher
18 than the highest factor used by anybody else.

19 In other words, we have the more accurate calculations,
20 the fracture mechanics calculations. And then as a
21 further check and as a separate check with a somewhat
22 wider approximation involved, an estimate for very
23 conservative strength reduction factor, this is what was
24 used in the code.

25 MR. LIAW: The strength reduction factor was for

1 the fatigue. Back in 1979, at that time the mechanism was
2 identified to be the fatigue or vibration mechanism. Not
3 a stress and corrosion cracking.

4 MR. WEEMS: That was a different steam generator.
5 Different deal.

6 MR. LIAW: You didn't choose a reduction of 5.
7 I thought that was B&W did at that time.

8 MR. WEEMS: I understand from Mr. Croneberger
9 that that is what B&W used. I am not as closely familiar
10 with that report. I know that the factor of 25 is the
11 factor that was used in all of the recent submittals by
12 GPU for these code calculations.

13 MS. GRAHAM: You spoke about stress corrosion
14 cracking. Is it -- are you asking your questions under
15 the assumption that we have ongoing stress corrosion
16 cracking?

17 MR. LIAW: Yes.

18 MS. GRAHAM: Because we do not. I think if
19 Scott Giacobbe will address the questions that you asked
20 originally, that we may be back to the question that all
21 we are dealing with is fatigue.

22 MR. LIAW: What mechanism are we dealing with
23 today?

24 MR. CRONEBERGER: What we are talking about
25 today is having the presence of some defects, a mechanical

1 analysis, an evaluation to determine the susceptibility of,
2 for fatigue damage.

3 MR. LIAW: I don't understand. Somewhere or at
4 some point in your mind you must have determined fatigue
5 is the damaging mechanism to cause the defect.

6 MR. CRONEBERGER: It is simply a parameter that
7 has to be evaluated.

8 MR. WILSON: He is going to talk about two or
9 three kinds of mechanical damage of the tube. Fatigue is
10 one. Direct tensile loading from main steam line rupture
11 is one. It is those mechanisms we understand to be the
12 mechanisms which would cause rupture or severance of the
13 tube under design basis accidents and which we have to
14 protect against. That is why he is talking about that.

15 MS. GRAHAM: We are attempting here to
16 extrapolate and make predictions about future behavior of
17 tubes that have small indwelling cracks or pits or some
18 other kind of eddy current indication. We are not here to
19 today to talk about what originally created the
20 indications that were assigned in the eddy program.

21 MR. LIAW: You are talking about establishing
22 new criteria which inherently has the term in there which
23 includes the eddy current uncertainty and degradation
24 rates. Therefore, one talks about degradation rate, you
25 have to know what form of degradation you are talking

1 about. You are not talking about that subject today.

2 MS. GRAHAM: That is because it was already
3 closed, because we had made an earlier submittal on this
4 back in the beginning of January in response to the motion
5 to reopen the record. It was reviewed by the Staff and
6 they also responded to the motion to reopen. That is the
7 document that you haven't read which says that we found we
8 did not have ongoing stress corrosion cracking. We don't
9 feel we have any ongoing corrosion mechanisms.

10 MR. CHENG: Maybe you don't have an ongoing
11 stress corrosion cracking problem. You used section 3,
12 which is stress. If you read the section 3 code, they
13 advised the owner to take into account the environmental
14 effect.

15 MR. WILSON: I think we responded that we did do
16 that by the factor of 5.

17 MR. CHENG: Which I am not sure is sufficient,
18 because the strength factor of 5 was there not intended to
19 cover environmental effect.

20 MR. WEEMS: The code did not intend a factor of
21 5 to cover environmental factors. We used that as a
22 concern, but separately from that, we calculate with
23 fracture mechanics and we use the data for crack growth
24 rate that does account for the exposure to hot water.
25 That is our calculation which covers the effect of

1 environment.

2 I believe Scott can talk separately with regard to any
3 other corrosion effects from other chemical PCs, but for
4 the environment that this is intended, the fracture
5 mechanics calculations cover the effect of environment.

6 MR. CHENG: We are not questioning the fracture
7 mechanics. I am asking the question on fatigue. We will
8 have more questions on the fracture mechanics.

9 MR. WEEMS: The fracture mechanics is one way of
10 calculating the fatigue character of this. What
11 Mr. Croneberger is showing is that if you continue to run
12 the plant under the various cyclic loading that it would
13 be exposed to, that these are the largest size defects
14 that would not fail the tube. We have both the fracture
15 mechanics calculations and the code fatigue calculations
16 to support these curves.

17 MR. CHENG: Do you have the experimental results?

18 MR. WEEMS: We have the --

19 MR. LIAW: EADN in terms of the fracture,
20 increase in fracture toughness.

21 MR. WEEMS: Not fracture toughness. Crack
22 growth rate.

23 MR. LIAW: Growth is measured based on fracture
24 toughness you have at the tip of the crack, right? It is
25 just an intensity factor, right?

1 MR. WEEMS: The --

2 MR. LIAW: Your crack growth rate is based on --
3 is measured as a function of the toughness or the stress
4 intensity factors. Fracture mechanics is a phenomenon for
5 a stress condition. But for a thin tube like that, you
6 have a plain stress condition. How do you reconcile that?

7 MR. WEEMS: We simply have in these reports --
8 the details that you need to go through to cover those
9 issues, I believe, have been addressed, but they take
10 longer than I think we could get into today.

11 MR. CRONEBERGER: I would like to reiterate that
12 the data that I am talking about here and the subject for
13 the discussion was that which was in that TDR 388 and was
14 the subject for the review by Brookhaven.

15 Do you have any other references for them that might be
16 helpful in their review of the history?

17 MS. GRAHAM: I think that our work is summarized
18 briefly in topical report 8 in chapter 9, roughly pages 82
19 through 89. The TDR 388 then was our basis document for
20 that.

21 Do you have a copy of that? Have you had a chance to
22 look at that? A lot of our work in there of how we
23 developed the crack growth rate and all that sort of thing
24 is in here.

25 MR. WEEMS: It does consider that, yes.

1 MR. WILSON: One other way of getting at this is
2 intellectually not very satisfying. Currently the tech
3 specs allow the crack 39 or 40 percent through wall, 360
4 degrees circumference. We are talking about a crack of a
5 different shape, but in terms of environmental effects and
6 so forth, I don't know any difference between those two
7 cracks.

8 MR. LIAW: That is true. I don't want to
9 disagree with you. You continue to go through your
10 presentation. I have -- my staff has just come back from
11 Palm Springs this week and it was not settled on that
12 issue. Here I guess you try to ask us to use that as a
13 basis to approve the new piping criteria, which is up to
14 70 percent, in essence. If you look at this curve,
15 nothing more than of the --

16 MR. WILSON: I will make the assertion, although
17 it does not appear in this PDR, that any mechanical basis
18 one wants to accept and use, regardless of what it is, you
19 will find greater margins with limited circumferential
20 extension, if you will, at 40 percent.

21 MR. LIAW: No disagreement there. Therefore,
22 the remaining question is, what is the form of degradation
23 and what is the rate of degradation.

24 MR. SILVER: Why don't we let Scott answer that
25 question. I think it would be helpful.

1 MR. GIACOBBE: The form of degradation that we
2 have found in this last eddy current examination clearly
3 is the same form of degradation that we detected back in
4 1982. If you recall back then, we found numerous
5 circumferential-oriented in-ground stress corrosion cracks.
6 Along with that we found a number of other defects which
7 we described to you as IGA islands or IGA pits. Clearly
8 these were the small patches of intergranular attack that
9 may or may not have had any appreciable axial or
10 circumferential extent to them. They were small patches
11 of IGA.

12 Having gone through all the plugging and removed all
13 the cracks from service, we believe what has happened here
14 is that as a result of going through hot functional and
15 loading of the tubes, these very small patches of IGA
16 which -- in a sense, you look at IGA, which is nothing
17 more than the grain boundaries around the grains having
18 been dissolved due to a corrosion process, you can have
19 the grains remain intact. You just dissolve the
20 boundaries and leave the grains. Hence this provides a
21 very difficult signal for eddy current detection because
22 it is such a small amount of volume lost.

23 We have stressed these tubes. You find that you can
24 actually have grains drop out or you can expand the grain
25 boundaries a little bit due to the straining of tubes,

1 which has a significant impact on the detectability by
2 eddy current. So what we have ended up with is we are now
3 seeing the IGA, because we have increased the volume of it
4 somewhat, that always existed back from the original
5 corrosion mechanism. We have gone through, and I think
6 Staff has gone through with us, all the long-term
7 corrosion test programs and the corrosion testing analysis
8 and we have gone through very stringent layup requirements
9 and have analyzed everything that the tubes have seen
10 since 1981, and conclude, and our data supports, that
11 really nothing has happened from a corrosion standpoint.
12 It is merely the remains of the attack that occurred in
13 1981. So we are ending up with, we are looking at a
14 typical mechanical propagation that might be associated
15 with these defects, because there is no longer any active
16 corrosion mechanism going on. It is residual damage.

17 MR. CRONEBERGER: Would you want to explain what
18 the original form of the attack was and why we think that
19 fact --

20 MR. LIAW: You don't need to go through that. I
21 think what you are saying there, you have two problems I
22 have with it. Number one, your counsel just stated on the
23 record, you don't have any form of degradation. You say
24 you have something started, something going on there.

25 MS. GRAHAM: He said something happened there

1 four years ago.

2 MR. LIAW: And it is gone?

3 MR. GIACOBBE: We have degradation, but it
4 occurred four years ago. I had corrosive attack occurring
5 four years ago. It left some incipient damage known, as
6 we call it, IGA islands or pits. It is now inactive.

7 MR. LIAW: How do you know it is not active any
8 more?

9 MR. GIACOBBE: We went through quite extensive
10 test programs on corrosion, testing long-term exposure to
11 environment that included sulphur, included the very same
12 corrodent we believed was responsible for the damage. We
13 had done periodic eddy current examination of tubes that
14 we called ISI tubes that had no low level damage. We have
15 looked at those and we have concluded that nothing is
16 growing that is causing corrosion damage. There is no
17 change in known existing indications that have gotten
18 bigger due to corrosion damage. There is nothing from the
19 corrosion test program. We stressed the tubes. We put
20 sulfate in some. That did cause some damage. We put
21 sulfate in others. We loaded them. We heated them up.
22 Cooled them down. We pulled out C rings every month to
23 take a look at them to see if anything was occurring to
24 those tubes. Those are actual tubes removed from the
25 steam generator. These were tubes we pulled.

1 MR. LIAW: If you have to, can we see your data?

2 MR. GIACOBBE: You have it. It was the TDR that
3 you didn't get a chance to look at.

4 MR. CHENG: You haven't pulled any tubes since
5 you discovered this new batch of --

6 MR. GIACOBBE: No.

7 MR. CHENG: One question I have is, how do you
8 know? You have discovered now it is simply the old one
9 and just manifested by eddy current testing. I can't
10 believe that. How do you know no progression in the depth?
11 How do you know?

12 MS. GRAHAM: We left a number of approximately
13 85, less than 40 percent, through wall indications in
14 service. None have grown. In addition to that, we have
15 certain information that we are familiar with --

16 MR. CHENG: That is also IGA, too.

17 MS. GRAHAM: Some of it was not.

18 MR. LIAW: You say none of them have grown.
19 Based on what data?

20 MS. GRAHAM: Eddy current.

21 MR. GIACOBBE: The reproduceability of the eddy
22 current signals from previous examinations. One of the
23 reasons why we left those in there was to in fact give
24 ours a base line against which we could go back and say, "I
25 know I have an existing defect, I want to watch and see

1 what happens to it." We did just that. We kept an eye on
2 those indications and nothing has changed on those. We
3 went through two hot cycles.

4 MR. LAJAW: You don't know stress conditions,
5 though.

6 MR. GIACOBBE: We stressed those pretty good.
7 We deliberately applied cooldown stresses to those tubes.

8 MR. CRONEBERGER: What we were trying to do in
9 testing that took place in September of 1983 was to try to
10 cool down the generators to try to apply stresses on the
11 tubes which was substantially beyond that which would be
12 seen during a normal cooldown. We attempted a normal
13 cooldown and saw, as I remember, a delta T, tube to shell,
14 on the order of 30 to 35 degrees.

15 We wanted to see if we couldn't cool it down at far
16 more substantial delta Ts. We wound up to achieve that
17 cooling down using EFW, emergency feed water, and did
18 achieve delta T during those cooldowns of 110 degrees or
19 thereabouts. We deliberately put the generators through
20 as significant a cooldown as we had the capability of
21 doing.

22 MR. JOHNSTON: Let me ask a question in a
23 slightly different way. Let's assume for the moment that
24 the degradation has stopped before you ran the test you
25 just described, your eddy current test couldn't find it

1 because the volume was too small. After you ran this
2 heat-up experiment and cooldown, you are now able to
3 detect them because you opened some grain boundaries up
4 and you lost some grains and stuff like that. Now you can
5 detect them. So you went from practically a zero
6 indication or something in the grass to a 70 percent or
7 whatever you have got; you essentially had a step function.

8 I think you are making the assumption that you have
9 found all of it. Forgetting the argument about whether
10 you are making any more or not, how can you know that you
11 have found all that there is? All you did is find some
12 fraction of what was already there because you enhanced
13 its presence?

14 MR. WILSON: I have to agree with you 100
15 percent. The only thing that you do know is what you see
16 with eddy current. What you don't see, you don't know,
17 but I don't know if the TMI generators are any different
18 than any other generators in that regard.

19 MR. LIAW: I wouldn't say that.

20 MR. WILSON: How do you know what is there when
21 you can't see it?

22 MR. JOHNSTON: It is difficult for you to take
23 the position that there can't be any more of it.

24 MR. WILSON: No.

25 MR. JOHNSTON: You are asking us to make a

1 judgment that says, "Hey, your calculations, which are
2 based upon what you presently have seen, are going to be
3 valid for what you might find after the next cycle."

4 MR. WILSON: We are not suggesting there isn't
5 anything there that we can't see. For all I know, there
6 probably is. There probably is for other generators. But
7 what you are asking us to define is almost like asking
8 somebody, "Why don't you have cancer? You don't have any
9 symptoms, how come you don't have it?"

10 MR. JOHNSTON: We have seen the symptoms.

11 MR. WILSON: All we can see in terms of symptoms
12 is what we see when we eddy current the steam generator.

13 MR. LIAW: More than that. You go to the lab
14 and look at it.

15 MR. WILSON: We have done that.

16 MR. LIAW: Not this time.

17 MR. WILSON: We have before. We have looked
18 extensively.

19 MR. LIAW: You didn't have a symptom then.

20 MR. WILSON: If you do have that extension, you
21 again look at the percent of through wall; and what you
22 are going to do is if it does propagate, you would pick it
23 up on leakage.

24 MR. LIAW: If you don't penetrate, you don't see
25 the leakage.

1 MR. WILSON: You are making the argument it is
2 going to penetrate?

3 MR. LIAW: How could I say that?

4 MR. WILSON: I am lost.

5 MR. JOHNSTON: The point that I was trying to
6 make is that the calculations that you make, assuming
7 single isolated 2/10ths of an inch-long defects, if there
8 are indeed single isolated 2/10ths of an inch-long defects
9 that never get close to one another, your stuff will hold
10 up. But we have the possibility that we have to be
11 considered that there are a bunch of them that are still
12 in there which we cannot detect very well. We don't know
13 what the density of the pits are. We have got an idea now.
14 There is possibly a higher density of pits. We don't know
15 how close they are and how much real load-carrying
16 capability there is at the present time until there is a
17 little bit more experience.

18 That is where I think it makes it difficult for us to
19 simply buy a set of curves that says, yes, if they stay
20 separate, everything is okay. It is probably true. But
21 we have no way of knowing whether they are going to stay
22 separate.

23 MR. WILSON: Then how can you buy what is
24 currently in the tech specs?

25 MR. JOHNSTON: The tech specs say any time you

1 can find 40 percent, fix it.

2 MR. WILSON: It doesn't say there isn't
3 something there you can't see.

4 MR. JOHNSTON: Of course.

5 MR. WILSON: What we are saying is those margins
6 are greater than what is currently in the tech specs,
7 whether they are there or not. It can be there under the
8 current definition of the tech spec. It can be there now.
9 That argument hasn't changed.

10 MR. JOHNSTON: But the ordinary basis of the
11 tech specs is a relatively well-defined system in which
12 you think from the basis of your examination you have a
13 pretty good idea of what the extent of the corrosion is,
14 what the mechanism is. What the density of the pits are,
15 if you like. What the length of the crack is. This kind
16 of stuff. I guess my point is, we don't really have some
17 of that kind of information in this instance because it is
18 of such a nature that it is more difficult to do the eddy
19 current testing because of the volumetric setup of some of
20 this material.

21 MR. WILSON: The current eddy current testing,
22 it is roughly 170 times as sensitive as what was being
23 done for the plant under the tech specs. I don't know how
24 we conclude that. What we know from that testing is less
25 uncertain than what we knew before.

1 MS. GRAHAM: I think it is important to
2 recognize that in TR 008 we presented what we found to be
3 the threshold detectability of the eddy current probe,
4 that we always recognized, both us and the Staff, that
5 there was a size of defect, any number of which we would
6 be unable to detect. And these curves that we are now
7 seeing up here were used to support justification of that
8 threshold of detectability.

9 The indications that we are seeing now, at least 95
10 percent of them, fall right along that line. They are
11 things which we would not have expected to see in the past
12 but now we are seeing, kind of leading us to believe that
13 what we are seeing is this approved threshold of
14 detectability moving downwards.

15 So now our actual threshold is lower. So what we are
16 really proposing here is to say, in the past you agreed we
17 didn't even have to look for these indications; that the
18 eddy current program we had was able to see enough.
19 Because our eddy current program is better for this type
20 of indication, we are now finding things we didn't even
21 have to look for. Now we would prefer not to take those
22 tubes out of service.

23 MR. CRONEBERGER: Maybe just to reinforce that
24 point a little bit, the major eddy current testing was
25 done prior to the expansion repair on the joints. We did

1 on a selected number of tubes perform eddy current testing
2 after the Connecticut expansion of the joints. We have,
3 as a result of the new findings, gone back to that post-
4 Connecticut expansion test data and we see something now;
5 and in fact, where the NDE people were shown where to
6 expect an indication, have been able to go back to the old
7 tapes and identify low amplitude signals, basically in the
8 background noise, which have the same phase angle as that
9 we are finding today.

10 MR. WILSON: I think one thing about the eddy
11 current exam that I would like to give you some feeling
12 for, in terms of the voltage change, when we went sometime
13 before to what it was now, is very, very trivial. It is
14 still just in the 1- to 2-volt range, and 1 volt is kind
15 of like the mud. So it is really people looking still at
16 the mud or something that just pokes its head out of the
17 mud, and then they go back and examine that in detail and
18 conclude it is a defect. There are not, except for things
19 we have plugged, which were just a few, voltage signals up
20 in the 6, 7, 8-volt kind of range.

21 MR. JOHNSTON: Isn't that, what you are saying,
22 is it not that either the defect was there and you are
23 saying you can see some detection of it and it was at its
24 current depth, whatever it was, 40 percent plus, and it
25 didn't grow, but it has got such a -- because of the

1 nature of the crack in there, the pit, you can't see it
2 very well, that is part of our problem? Or you are put in
3 a position of saying the thing was really small and it has
4 grown in the last couple of cycles? I tend to agree with
5 you, that is not the case. You are put in the position of
6 saying the signal was very small and we could hardly see
7 it. Otherwise, you have got to say it was already big but
8 you couldn't see it.

9 MR. WILSON: The signal was small and we could
10 hardly see it. The signal today --

11 MR. JOHNSTON: But the crack was still there.
12 The pit was as big as it is now.

13 MR. WILSON: That is right. With no void.

14 MS. GRAHAM: Our threshold of detectability
15 always acknowledged that there were, that for a short
16 enough arc length we wouldn't be able to see 100 percent
17 through-wall indication. And so we would expect to find a
18 whole range between 40 and 100 percent with decreasing arc
19 lengths that we would not have been able to see in the
20 past. That is what we believe we are seeing now.

21 You might remember this from our past presentations.
22 This is a continually recurring slide. It is in TR 008,
23 figure 9-2. It talks about where our threshold of
24 detectability was. That line just continues straight
25 across through 100 percent through-wall.

1 MR. LIAW: We are talking about degradation from
2 inside?

3 MR. WILSON: Yes.

4 MR. LIAW: Refresh my memory. I was not here at
5 that time. What was the mechanism?

6 MR. WILSON: The original mechanism which caused
7 leakage of the generator four years ago was a sulphur-
8 induced intergranular stress corrosion crack.

9 MR. LIAW: Not because of the tube expansion?

10 MR. WILSON: No. We did the expansion as the
11 repair of the failure.

12 MR. LIAW: How does that relate to the area of
13 transition?

14 MR. CHENG: He is asking the location of the
15 current indication, between the 15 and --

16 MR. WILSON: The original corrosion problem was
17 high up in the tube sheet, but some of them went clear
18 down to 15, 16. The transition of the original expansion,
19 lots of defects there.

20 MR. CRONEBERGER: Originally we had an inch
21 mechanical role and a substantial number of the
22 indications were in the transition on that mechanical role.
23 Now with the Connecticut expansion, we have either a 17-
24 or 22-inch joint rather than the inch or inch-and-a-
25 quarter joint that we had before. To my -- so we are not

1 looking for any defects within the joint. To my knowledge,
2 we don't have a preponderance of defects in the new
3 transition zone.

4 MR. GIACOBBE: There is none to my knowledge.
5 They are all below the upper tube sheet or at the upper
6 tube sheet.

7 MR. CHENG: Earlier, when you did Connecticut
8 expansion, there is a free zone. How many inches free
9 zone?

10 MR. GIACOBBE: Six inches.

11 MR. CHENG: Did you see any change this time
12 after that?

13 MR. WILSON: No.

14 MR. CHENG: I would expect this is before --

15 MS. GRAHAM: There is no consequences anyway,
16 because it is not possible. Even if you have a complete
17 severance there, there is nowhere for the leakage to go.
18 The flow would be shown.

19 MR. WILSON: And secondly, the sensitivity in
20 the tube sheet is way, way less than in the free span.

21 MR. CHENG: So you probably wouldn't detect it.
22 Why only see it in just free span?

23 MR. MC CRACKEN: I don't doubt that there is
24 some pitting up in the tube sheet.

25 MR. YOUNG: From an operational point of view,

1 previous cycles, do you expect to see more indications as
2 time goes on, or do you foresee what that what you have
3 now is going to be a bounding amount of indications with
4 less indications, or will it continue?

5 MR. WILSON: I think the answer to that is
6 clearly speculation. But I would speculate that if you
7 run the plant for some period of time, you would probably
8 see a few more.

9 MR. LIAW: That is where I have difficulty. I
10 am thinking, once the plant goes into operation, what kind
11 of regular degradation may continue? He is saying, he is
12 speculating, may have some but cannot quantify it. He
13 expects few.

14 MS. GRAHAM: We expect some to become visible.

15 MR. GIACOBBE: You have to remember that there
16 are --

17 MR. LIAW: Let's don't draw the line.

18 MR. WILSON: That is the whole issue.

19 MR. LIAW: My boss is correcting me. Either
20 physical or detectable. We don't know. Because I don't
21 think science is that precise in terms of detection and
22 when the thing started. Agreed?

23 MR. WILSON: I don't think you can get a
24 guarantee on anything. We can't give you a guarantee nor
25 can anybody else.

1 MR. LIAW: Therefore, my concern is, when one is
2 talking about some percent out of 36 million, how much
3 more you have left there? You have something going down
4 because of uncertainty or something that we don't
5 anticipate at the moment, that can, very, very fast.

6 MR. WILSON: So it goes. You cover it by
7 leakage in the generator.

8 MR. LIAW: Number 2 involved, though. Number 2
9 involved. If you talk about something that --

10 MR. WILSON: Whether it is one tube or 6000
11 tubes, you are covered by a leakage spec which says a 10th
12 of a gpm.

13 MR. LIAW: In the chapter 15 analysis the steam
14 generator tube licensing basis one tube rupture.

15 MS. GRAHAM: Are you postulating some unspecified
16 failure mechanism occurring in the future?

17 MR. WILSON: The rupture of the tube, which is
18 the licensing basis, as I understand it, has to do with a
19 defective tube which they didn't have, principally a main
20 steam line break which presses the tube and causes rupture.

21 MR. LIAW: You have a defective tube here.

22 MS. GRAHAM: I am an engineer.

23 MR. WILSON: Let's talk about the way a plant is
24 licensed. It is based upon having a tube with some defect
25 in it which then, if the plant sees a main steam line

1 break, ends up in rapid depressurizing and cooling and
2 tensile loading the tube, because the tube is cooled
3 faster than shell, you stretch the tube and you rupture it.
4 Then you get a double-ended tube rupture. That's the
5 licensing basis for the plant.

6 All this work he is describing to you here is that same
7 kind of mechanical analysis looking at rupture of the tube
8 with defects. And the curve showed that with 70 percent
9 through wall, up to 45 degree arc length or whatever it is,
10 2/10ths of an inch or something, the safety margin for
11 that design basis accident is greater than currently
12 allowed in the tech specs. That is what it shows.

13 MR. LIAW: What you are asking us to approve is
14 redefine what are the defective tubes? What "defective"
15 means?

16 MR. SILVER: Yes, that's right.

17 MR. LAINAS: What did you just say about margins,
18 that the margins are more now?

19 MR. WILSON: The margins which resulted from
20 loading applied by main steam line break with the
21 defective tube. Currently the tech spec is based upon a
22 defective tube, 39 percent or 40 percent through wall, 360
23 degree arc length. You get a main steam line break and
24 you stretch it. That has some margin in it. What we are
25 suggesting here as a modification of that is for things of

1 lesser circumferential extent, specifically 2/10ths of an
2 inch or whatever it is, and 70 percent through wall. That
3 margin due to tensile loading from the same dent is
4 greater than what is currently allowed by the tech specs.
5 I think that is irrefutable.

6 MR. LIAW: You know what happens in the pipe
7 crack. They are saying they can measure the length of
8 crack so well, therefore they can realize that part of
9 strength.

10 MR. LAINAS: I can't see how I have increased
11 margin.

12 MS. GRAHAM: We have increased -- we have a
13 greater margin over the licensed margin. The licensed
14 margin is that margin associated with the largest defect
15 allowed in service under the current criteria. The
16 largest defect allowed in service right now is something
17 that is 40 percent through wall and all the way around.
18 And because of the cross section of metal that is left
19 there and everything else, there is a certain license
20 margin associated with that. For a smaller defect than
21 that, you have a greater margin than that. What we are
22 looking at is changing the criteria so we maintain the
23 licensed margin throughout, rather than using an arbitrary
24 value for through wall.

25 MR. CRONEBERGER: Again, looking at it in pieces,

1 what we have shown here is a curve which is the proposed
2 plugging criteria. What I have here, again, is the curve
3 which is the old curve that we had submitted back in '83,
4 I think it was, which are the defect sizes, depth and arc
5 length, which would be our prediction as to the limiting
6 size: Bigger than that would fail during the main steam
7 line break, at least using the generic B&W numbers. So
8 you see that up here, this line which is 360 degrees, our
9 evaluation suggests that the criteria may be a tad
10 unconservative.

11 But if we looked at the more typical 180-degree defect
12 as let's say an upper bound, which is right in here, just
13 a shade under 1 inch, you will find the margin between the
14 plugging criteria and the main steam line break line. You
15 will find that as you proceed down this curve here, you
16 always have at least that margin between the plugging
17 criteria and the prediction of the critical defect for
18 main steam line break. Then you wind up having -- that is
19 one-time loading only, that we are trying to maintain the
20 same margin that the criteria would have permitted if I go
21 no more than 180 degrees. If I go higher than that, we
22 would suggest there is no margin in the existing tech spec.
23 If I look at the fatigue damage as evaluated by ASME
24 section 3, again, using the 40 percent plugging criteria,
25 I see that I have about 10 percent of the wall thickness

1 as margin.

2 MR. LAINAS: If the current tech spec would be a
3 vertical line, straight down, it seems to me that that
4 gives you more margin than what you are proposing now?

5 MR. WILSON: Absolutely not.

6 MS. GRAHAM: It gives you more margin for an
7 individual defect. If you hypothesize a defect at 70
8 percent through wall with a short arc length, certainly
9 you are decreasing its real margin, but you are not
10 decreasing it beyond the licensed margin associated with a
11 licenseable tube.

12 MR. CRONEBERGER: I think in terms --

13 MR. MC CRACKEN: At 40 percent --

14 MR. LAINAS: You are keeping the factor the same,
15 but in fact the margin is decreasing?

16 MR. WILSON: No, sir.

17 MR. LIAW: It has decreased?

18 MR. WILSON: No, sir.

19 MR. SILVER: For a particular crack it will have
20 decreased.

21 MR. LIAW: The actual margin has decreased.

22 MR. LAINAS: The actual capability of that tube
23 is decreased?

24 MR. LIAW: No question about it.

25 MR. LAINAS: That is the question.

1 MR. CRONEBERGER: It is either --

2 MR. MC CRACKEN: Use some numbers. If you have
3 a tube with a 40-degree circumferential defect, 360, that
4 tube, say, fails at a tensile pressure of 6000 pounds --

5 MR. SILVER: You meant 40 percent --

6 MR. MC CRACKEN: 40 percent through wall, 360
7 degrees. It fails at 6000 pounds. If you take a tube
8 beside it which has a 70 percent through-wall defect but
9 only covering 2/10ths of an inch, the other, the remainder
10 of the 360 degrees is still intact; that tube has more
11 metal remaining than about the one that had the 40 percent
12 through-wall defect. Therefore, it will take more
13 pressure to pull that tube apart. That tube will not come
14 apart at 6000 pounds. It will come apart at some amount
15 higher than 6000 pounds. So the margin to tube rupture --

16 MR. JOHNSTON: You don't allow for any cutting
17 to take place?

18 MR. MC CRACKEN: You are assuming it is going to
19 have a hole in it.

20 MR. JOHNSTON: You just said it did.

21 MR. MC CRACKEN: That tube with the 70 percent
22 through-wall indication with smaller arc length has more
23 margin to tube-rupture than did the one at 40 percent, 360
24 circumferential.

25 MR. LAINAS: Suppose I had a through wall of 40

1 percent with only a 20 percent arc length. By previous
2 methods, would that have come out of service? Let's make
3 it higher than 40 percent. 42 percent. Would that come
4 out of service?

5 MR. MC CRACKEN: Yes.

6 MR. LAINAS: Well, the older criteria is more
7 stringent.

8 MS. GRAHAM: That wasn't the limiting indication.

9 MR. MC CRACKEN: The criteria is not 40 percent.

10 MR. CHENG: 360 degree, you cannot make a
11 comparison.

12 MR. LAINAS: In the higher range, there is no
13 change?

14 MR. MC CRACKEN: No.

15 MR. LAINAS: I will talk to you later.

16 MR. WILSON: The minimum margin we are allowed
17 to operate in this generator, and it is the design basis
18 and licensing basis for the generator, is a crack of 360
19 degrees circumference and 40 percent through wall.
20 Whatever that margin is is allowable and is licensed on it,
21 as is every B&W plant and probably every other plant in
22 the country.

23 MR. LAINAS: If you give credit to the
24 detectability of your systems to be able to detect these
25 kinds of different arc lengths.

1 MR. WILSON: And we have demonstrated that and
2 to my knowledge that has been accepted by the Staff.

3 MR. GRAY: This is Gray. Would you today, under
4 today's tech specs, plug a tube which which has 50 percent
5 through wall indications but only 2/10ths of an inch arc
6 length?

7 MR. WILSON: Under the current tech specs
8 without analysis and acceptance of something otherwise by
9 the Staff, we would have to plug that defect.

10 MR. LIAW: On the proposed criterion, they would
11 not have to plug.

12 MR. CRONEBERGER: I would submit for the example
13 cited, I do not believe we or anyone else would have seen
14 that defect. I don't think we would have seen a 2-degree
15 arc defect by eddy current.

16 MR. LIAW: In fact, in early days, when Staff
17 reviewed the Westinghouse, the basic assumption was the
18 tube was uniform thin down to 13 or 22 mils. That was
19 analyzed for the whole spectrum of loading. So what you
20 are saying is that the licensing basis has not been -- it
21 is not quite a true statement.

22 MR. WILSON: I thought you just said -- I don't
23 know what Westinghouse does. Presumably you talked about
24 a 360-degree arc neck down.

25 MR. LIAW: Not neck down. Whole thing down.

1 MR. WILSON: However you wanted to describe it.
2 But a 360-degree kind of thing or whatever. That is right.

3 MR. LIAW: Because of the more sensitive eddy
4 current that you are able to detect any degradation
5 distribution around the circumference.

6 MR. WILSON: It is important.

7 MR. LIAW: You can take credit for that. But
8 even that, I still don't believe you can manage it that
9 close with what you are proposing there.

10 MR. CRONEBERGER: Please understand, on the
11 application which I believe was discussed in the TDR, we
12 have arc lengths shown here which are what the analyst
13 used. But the actual arc length was ascertained by the
14 use of an 8 by 1 absolute probe. So all you really know
15 in your inspection is that on that 8 by 1 absolute probe,
16 I have seen it on one coil or I have seen it on two coils
17 or whatever the number of coils are, and the actual
18 application of this criteria is such that if in fact I see
19 it in one coil, arbitrarily it said that in fact that
20 represents a 45-degree arc length defect. So that you
21 don't really play around down here in the hash, your
22 smallest defect is an eighth of just approximately two
23 inches, which is really down --

24 MR. WILSON: Where that curve breaks, the
25 proposed plugging is two coils.

1 MR. CRONEBERGER: So all you know is the number
2 of coils that you have seen on the probe, which is either
3 one coil, two coils or typically three coils which is up
4 here.

5 MR. WILSON: And there is no uncertainty in that
6 on eddy current. That is absolutely factual. It actually
7 has been demonstrated. We have submitted the results to
8 the Staff. As far as I know, the Staff and your experts
9 at Oak Ridge and elsewhere agree with it.

10 MR. LIAW: I agree, and I believe all experts in
11 the world can agree with you. The question is more
12 fundamental. With thin tube like this, the fundamental
13 crack propagation behavior is what you think is a leak
14 before break. That is why I asked you earlier why you did
15 not address GDC 32.

16 MR. WILSON: I thought we were talking about
17 rupture under design basis accident.

18 MR. LIAW: You talked about leak before break
19 here.

20 MR. WILSON: I would also maintain that if the
21 crack even propagated that one coil, for example, and
22 propagated clear over to 100 percent through wall, it
23 would leak. We would shut down and fix it.

24 MS. GRAHAM: If you wanted to look at the
25 evaluation that was done of our work on that, that is also

1 in that Brookhaven TER.

2 MR. LIAW: Excuse me. I think I will. You
3 don't have to remind me. I think fundamentally you have
4 some problem there. Staff made a mistake, in my judgment.
5 The fatigue crack growth rate is tested as a function of
6 the stress intensity factor. With thin tube, you
7 fundamentally have a stress condition. Therefore, this
8 theory doesn't work.

9 MR. WILSON: You give me any theory you want us
10 to use, we will accept any theory whatsoever or any safety
11 factor; I believe the minimum margin will calculate at 360
12 degrees, 40 percent through wall, which is the design
13 basis of the generator. You pick the theory, you pick the
14 margin, you pick anything you want. That is where it will
15 come out. I haven't proven that, but I believe it.

16 MR. LIAW: That stress criteria is nothing more
17 than a guide.

18 MR. RAJAN: On that ASME section 3 code, that
19 seems to bend up backwards. Is that a sketch --

20 MR. CRONEBERGER: That is really what the
21 analysis resulted in.

22 MR. WEEMS: As you look at different size cracks,
23 you get more and less effects due to bending of the tube.
24 As the crack goes 360, you get less effects due to bending.
25 So you calculate a higher allowable crack size.

1 MR. CRONEBERGER: If you think in terms of the
2 geometric center line of the undamaged tube, that is the
3 defect size. The actual centroid shifts. Sterling is
4 saying that if I have got 360-degree defect, the centroid
5 is the old center line of the tube.

6 MR. LIAW: Is that it or just simply a second
7 biaxial state of stress starting to play? Basically you
8 have something like the failure criteria like that, going
9 like that.

10 MR. CRONEBERGER: I thought what you were trying
11 to say was the difference between the center line of the
12 tube and the geometric centroid of the damaged tube.

13 MR. WEEMS: As the main load is the steam line
14 break load, this is very high load and tension on the tube.
15 If you have a crack only on one side of the tube, and you
16 pull on the tube, the tube tends to displace laterally a
17 little bit and you do get some bending stresses. So as
18 you assume a larger and larger crack in the analysis,
19 approaching 360 degrees, then you begin to get less
20 bending. So the effects of bending wind up, as they
21 decrease, then you can show a higher allowable penetration
22 for that larger arc length of the crack.

23 MR. SILVER: I think we are kind of wandering
24 off the intended subject. Perhaps, Don, if you would
25 finish your presentation.

1 MR. CRONEBERGER: I will do a summary of the
2 license margin. Again the present maximum wall allowed by
3 the tech spec is a 40 percent through wall. Indeed can be
4 applied to 360 degrees circumferential extent. In this
5 TDR we propose a repair criteria which is based upon the
6 allowable percent through wall extent permitted, depending
7 on what the circumferential extent of the defect is. The
8 margin of the calculated curves is either greater than or
9 equal to that for a 40 percent through wall 360
10 circumferential indication. So what we have been trying
11 to say graphically in the preceding curve is that whether
12 one looks at fatigue or whether one looks at the one-time
13 access loading, the new criteria in no case contains a
14 margin which is less than the minimum margin permitted by
15 the original tech spec.

16 MR. SILVER: Let me make a suggestion. Since
17 there are some people here who are not desperately
18 interested in the technical review, perhaps we should get
19 on to the procedural aspects of this thing. We can get
20 back to the technical discussion later, if that is
21 appropriate.

22 MR. WILSON: I think that is a good idea.

23 MR. CHURCHILL: Procedurally, the tech spec has
24 language that is different than any of the other tech spec
25 provisions in that it says right in it that the repair

1 limit is 40 percent or such other limit as the Staff
2 agrees on or reviews and approves.

3 MR. SILVER: That is not 100 percent true. It
4 is generally true.

5 MR. CHURCHILL: I was referring to the other
6 provisions of our tech specs. Generally you don't see
7 that language tacked onto the end of it.

8 I wasn't aware of whether other similar tech specs had
9 that language. What we have done there is we have written
10 you a letter and said if you agree with us technically
11 that the proposed repair criteria makes sense, we think
12 legally it does not require a tech spec amendment. And
13 literally by the words of the tech spec, it doesn't.

14 I am not sure what the Staff's position is on that, but
15 if you read the language of the tech spec, we feel pretty
16 clearly, procedurally it is not a problem. But we do need
17 your approval. Obviously we are submitting our analysis.
18 We need your approval in order for us to go to them. But
19 that approval does not have to be in the form of a tech
20 spec amendment. Consequently, we would not have to go
21 through the normal procedural rigamarole and the time-
22 consuming process that that might require. But we do need
23 your technical evaluation and approval.

24 MR. LAINAS: You said you need our approval. If
25 I wanted to get real specific on that, you don't really

1 need approval, you want the approval. You are requesting
2 it, from your point of view?

3 MR. CHURCHILL: You mean whether or not if we
4 plug these tubes we would be up against a limit, is that
5 your question?

6 MR. LAINAS: Suppose we took no action on it.

7 MR. CHURCHILL: If you took no action, we would
8 have to plug any tubes with a defect exceeding 40 percent.
9 That is specified in here.

10 Let me just read you the provision exactly. It is
11 paragraph 4.19.4 A 6. I will read the last sentence.

12 "This limit is equal to 40 percent of the nominal tube
13 wall thickness unless higher limits are shown to be
14 acceptable by analysis and approved by the NRC."

15 So when I say we need it, in order for us not to plug
16 these tubes we do need your approval. I am not suggesting
17 that your approval is any less or any more than it would
18 be if we needed a tech spec change. Not at all. It has
19 to be technically analyzed by us and by you with the same
20 kind of approval. It just doesn't technically require a
21 tech spec change. I think it solves a lot of problems and
22 saves a lot of trouble.

23 MR. SILVER: Your determination, then, is based
24 entirely on the words themselves in the tech spec and the
25 comparison with the rest of the tech spec or the

1 uniqueness of this particular one?

2 MR. CHURCHILL: Well, logically I guess that is
3 right. I mean the language is there. It doesn't appear
4 elsewhere and it seems to make a certain amount of sense.

5 MR. JOHNSTON: How are you planning to handle
6 this?

7 MR. SILVER: I think certainly --

8 MR. LAINAS: Let me say that first of all, we
9 haven't come to a position yet to be able to give to you.
10 The purpose of this meeting was just to get your views or
11 to have your views clarified from your January 31 letter.
12 So we are not prepared to give you a decision today.

13 MR. WILSON: Didn't expect you to.

14 MR. JOHNSTON: I had a question. I am
15 interested in intent which to me is as important as the
16 words. I am just wondering if in your search you have
17 found any particular reason why we might have for two B&W
18 type plants written anything in their tech specs that put
19 it in the tech specs unless the higher limits are shown to
20 be acceptable. That is a general procedure that we would
21 have for any plant, whether it was B&W or whoever, any
22 utility could come in and propose a change in the tech
23 specs if they, if it is shown to be acceptable by analysis
24 and approved by the NRC. So functionally, it doesn't
25 sound any different than what I would think we would do

1 with anybody that wanted to have their tech spec changed.
2 The only difference is that is there any particular reason
3 anybody can discover why it happened to be written into
4 these particular tech specs at this particular location?
5 Do you have any basis for figuring out why it happened.

6 MR. CHURCHILL: Yes. We did go back and look at
7 that and I think Mary Jane has an answer to that. It had
8 to do with the give and take in the discussions that were
9 going on at the time that the operating license was issued
10 and the tech specs were finalized and whether or not 40
11 percent was even appropriate for B&W tubes as opposed to
12 some higher limit which was our position at that time.

13 Is that correct?

14 MS. GRAHAM: Yes. If you look at the date
15 associated with our tech specs, it is summer of 1978. At
16 that time there was nothing available with the Staff or
17 really anyone else on a plugging limit for B&W plants.
18 The B&W report that discusses compliance with reg guides
19 is the BAW 10146 that we cite in Don's presentation. The
20 the date of that report is 1980. And discussing with the
21 people who are involved with the licensing of TMI in 1978
22 and with the people involved in Metropolitan Edison
23 management that to the best of their recollection,
24 Metropolitan Edison's position then was that there was no
25 technical basis for imposing a Westinghouse limit of 40

1 percent through wall on B&W plants and that bar go such a
2 technical basis, we didn't wanted to have that be our
3 respect.

4 When we reached the point that we were going to startup
5 and that this was a hard place, that this specification
6 had not been resolved, we accepted a compromise position
7 that in the interim we would accept 40 percent through
8 wall, provided this clause was put into the tech spec that
9 would allow incorporation of what was appropriate for B&W
10 plants at a later date.

11 MR. WILSON: Let me try and clarify one thing.
12 You said when you started out, tech specs of 1978.

13 MS. GRAHAM: 1978 is when we received the tech
14 spec.

15 MR. WILSON: But the plant went in operation in
16 1974.

17 MR. CHURCHILL: Then I misspoke.

18 MR. GRAY: That was going to be my question.
19 You may be thinking of TMI 2 which might have been about
20 the time that this kind of a tech spec would have been
21 discussed for that plant.

22 MR. WILSON: I am a little bit confused about
23 the dates.

24 MS. GRAHAM: I don't know. I just got the
25 summary in from other people. Whatever, there was some

1 kind of a deadline that was reached. I was told that it
2 was that.

3 MR. CRONEBERGER: I think I have got a copy of
4 the extract of the pages that have this information. It
5 is discussed in amendment -- the last change is amendment
6 number 47. That amendment was issued 12/22/78. So there
7 obviously were tech specs in place before that time. The
8 only information on that page of the tech specs --

9 MR. SILVER: Not correct. There were no tech
10 specs on the subject prior to that time.

11 MR. JOHNSTON: This was an amendment that
12 imposed the tech specs as far as steam generators.

13 MR. SILVER: I have found a submittal of GPU's,
14 dated November 12, 1976 which is the first time that I see
15 the wording in the -- in your proposal. This is two years
16 before the actual implementation of or promulgation of the
17 tech spec.

18 MR. LAINAS: Was there a 40 percent in there
19 before that? When did the 40 percent come up?

20 MR. SILVER: I think the whole business did not
21 exist prior to amendment 47.

22 The initial --

23 MS. GRAHAM: There was approximately a four year
24 discussion period with a lot of correspondence going forth.

25 MR. SILVER: With the industry in general. And

1 your tech spec change requests 43, dated November 12, did
2 include that language.

3 MS. GRAHAM: That was based on a letter you sent
4 us in the summer.

5 MR. SILVER: I understand.

6 MS. GRAHAM: About that specific language. That
7 was one of the things that was called out in the letter.
8 And I don't have a copy with me.

9 MR. JOHNSTON: This sounds to me like it says we
10 agreed to negotiate further as to what the tech spec would
11 read without settling it and what we are doing now is
12 negotiating what the tech spec ought to be. It sounds to
13 me like it involves a change of the tech spec then.

14 MR. SILVER: I have the letter you are talking
15 about. I don't see a specific reference to that.

16 MS. GRAHAM: You have an attached SER that talks
17 about it.

18 MR. STOLZ: How would you propose to document
19 and enforce the criteria will that you are proposing if it
20 isn't in the tech spec?

21 MR. GRAY: Let me just pointed out one thing.
22 That language, we can all read it in that tech spec,
23 unless higher limits are shown to be acceptable by
24 analysis and approved by the NRC, but what you are
25 proposing are different limits for all tubes, most steam

1 generators, for all time. What happens to that tech spec?
2 What happens to that 40 percent limit in there? It
3 becomes meaningless basically.

4 MR. CHURCHILL: It is superseded by the
5 authorization letter for the new repair limit.

6 MR. SILVER: So you wind up with a tech spec
7 without without the correct reference, the correct
8 criteria or any reference in the tech spec itself to new
9 criteria.

10 MR. CHURCHILL: That doesn't really matter
11 because the licensing basis against which you would be
12 inspected by OI is set out right in the program and easily
13 checked. That is not really a problem.

14 MR. SILVER: I&E, you mean. One step at a time.

15 MR. CHURCHILL: Madam reporter, you made a
16 transcription error there. I think it is just superceded
17 by the authorization.

18 MR. WILSON: I don't know whether it is a
19 correct analogy or not. I am uncertain. But the way I
20 think we are examined or held to things which are not in
21 the tech spec, like bulletins or things of that nature,
22 are not necessarily reflected in tech specs.

23 MR. SILVER: But are there such things that are
24 different from tech specs, that may be in addition to but
25 are they different from?

1 MR. WILSON: I suspect for periods of time they
2 are. I can't cite an example but I would be amazed if one
3 could not find such an example.

4 MR. YOUNG: I can not show you any examples
5 where we have come out against tech specs but we have
6 added to interpretation of things in there that we enforce
7 that came out of tech specs. Like the IFC program is not
8 well defined in tech specs. But we do hold the licensees
9 very accountable to his IST program and his ISI program.
10 If the licensee does not follow that program, we have
11 cited against the IST program.

12 You inspect against any and every commitment we make in
13 writing.

14 MR. YOUNG: We can do that, yes.

15 MR. GRAY: I think you inspect against their
16 following, implementing written procedures which are not
17 in your license but are required to be generated and
18 implemented by your license. I have seen citations for
19 that sort of thing. I am not sure that that is either
20 here nor there.

21 MR. LIAW: I think IST and ISI may not be an
22 appropriate example. Because those items are required in
23 the regulation.

24 MR. YOUNG: Hopefully this meeting, if you do
25 allow them to do something, there will be a definitive

1 criteria that the licensee will commit to. That is the
2 Staff's responsibility to insure that there is a criteria
3 that we can go out and hold the licensee accountable to.

4 MR. CHURCHILL: That is what we intend.

5 MR. WILSON: That is is that curve on the
6 independent of this document. That would be figure 4.

7 MR. YOUNG: I would like to ask a question how
8 we interpret the time approved by the NRC. My impression
9 of that is the Commission, not the Staff.

10 MR. GRAY: I don't know -- it doesn't say the
11 Staff. I don't know where really you get that
12 interpretation.

13 MR. YOUNG: From the way we have interpreted
14 things before when we have gone to the Commission for
15 their approval.

16 MR. SILVER: I missed the front part of it part
17 of it.

18 MR. YOUNG: How do we interpret the term "NRC"?

19 MR. SILVER: You mean as opposed to Staff?

20 MR. JOHNSTON: The period in which it was
21 generated.

22 MR. GRAY: You will take a license amendment.

23 MR. JOHNSTON: Right, the original proof text,
24 do a literary analysis.

25 MR. CHURCHILL: We weren't negotiating with

1 Seaborg at the time.

2 Joe, do you really have a problem with this, because we
3 are not asking for any kind of relief as far as how you
4 analyze this or approve it or anything like that. I am
5 just trying to cut through some read tape which I think is
6 unnecessary. It seems that the language would clearly let
7 us do that?

8 MR. LAINAS: I think I can give you generally
9 that for other plants that have this kind of tech spec
10 that we have followed the amendment procedure. They have
11 provided it by amendment. And you point out that there is
12 at least a couple of plants that have this phraseology.
13 The question that has to be answered is, what was the
14 intent of this phraseology. You are looking it it from
15 your point of view. But I am not sure that the interest
16 tent was that it wouldn't be treated as an amendment.

17 MR. CHURCHILL: But does it matter?

18 MR. LAINAS: Legally it matters.

19 MR. CHURCHILL: Why. Because legally this
20 language will hold up. Legally it says what it says. It
21 is pretty plain.

22 MR. GRAY: Well, true enough except to the
23 extent that you may be proposing to change the licensing
24 basis generally. We think we can make some good
25 arguements that this language wasn't intended to permit

1 that.

2 MR. WILSON: We are not asking, to my knowledge,
3 for any change whatsoever in the licensing basis of the
4 plant.

5 MR. SILVER: I think that is a point worth
6 repeating, I think you have said that certainly the 40
7 percent is not considered in itself to be the licensing
8 basis. The factor of safety is -- margin to rupture -- is
9 inch indeed the licensing basis. Your contention is that
10 your current approach provides at least the same margin or
11 a factor of safety so that you are not --

12 MR. LAINAS: As the minimum margin.

13 MR. SILVER: As the licensing base.

14 MR. LAINAS: As the minimum margin.

15 MR. WILSON: There is no minimum.

16 MR. LAINAS: You said it before.

17 MR. WILSON: No, sir.

18 MS. GRAHAM: The licensed margin is the minimum
19 margin.

20 MR. LAINAS: But you have taken a selective set
21 of conditions, 40 percent, 360 degrees.

22 MR. WILSON: That is what is allowed in the tech
23 specs.

24 MR. LAINAS: That is right. That is the minimum
25 margin that is allowed in the tech spec.

1 MS. GRAHAM: That is the minimum absolute margin
2 and therefore it is equal to the license margin. We are
3 not can look to go change the license margin.

4 MR. LIAW: I don't think you are talking about
5 the same thing here. I think rules for Point Beach, Point
6 Beach one day had a problem with IGA of thickness through
7 sheet. They were plugging every indication. We did not
8 force them to do it. But they proposed that and Staff
9 accepted, to plug at every indication. When one has
10 questions on the ability to quantify the eddy current
11 signals --

12 MR. WILSON: You keep saying that.

13 MR. LIAW: You cannot quantify. Somebody was
14 saying something about this absolute minimum.

15 MR. WILSON: I think what we have done eddy
16 current wise, I don't know for a fact but maybe somebody
17 else here does is totally than what Point Beach did. I
18 think allotted of things have happened since 72 or 3 or 4
19 or 78 when Point Beach did it. One, the eddy currents
20 examination technology is substantially improved. Like I
21 said, we are examining the generators now with a
22 sensitivity exceeding 100 times what we could have and
23 were doing under the tech specs. If we examined under the
24 technique which the plant used for the first five years, a
25 third to half of these things, we wouldn't even see. We

1 wouldn't even be here discussing them.

2 So I don't think it is fair to argue that because one
3 does a better, more definitive eddy current examination,
4 you should necessarily not take that into account in
5 setting repair limits. The more facts you know about what
6 you have got, it seems to me the more precise you can be
7 about repair plugging limits. If you couldn't see
8 anything, I would agree with you. Don't worry about it.
9 But I think there is no question that we have definition
10 now which was just not available five years ago.

11 MR. JOHNSTON: I would like to come back to the
12 intent. I don't know, if I heard it, if what we have in
13 here was a product of a compromise because we wanted to
14 impose a 40 percent limit and you folks didn't wish to
15 receive such a number, and it was simply put in there as
16 an essentially a statement to leave it open for further
17 discussion, you know, subject to agreement and
18 acceptability of analysis, I don't see where there was
19 anything in here that would suggest that we would
20 procedurally do anything different. We were going to
21 negotiate possibly a new number. But if we accept it and
22 approve it, wouldn't the presumption be that the tech
23 specs would be changed then to reflect that new number?
24 Isn't that what you would wish to have happen? That is
25 how I would read it? You really left it open for further

1 negotiates. But once the negotiations are done, you treat
2 it like you treat any other change which would be a
3 regular change to the tech specs.

4 MR. CHURCHILL: As far as our preference as to
5 whether that 40 percent -- assuming that the new repair
6 criteria were in, our preference on whether that 40
7 percent sentence remained in there, we wouldn't care one
8 way or another.

9 MR. JOHNSTON: Sure you would. You would say,
10 let's get the tech specs changed and have it reach 70.

11 MR. CHURCHILL: It doesn't matter to us as long
12 as we are allowed to do it. We don't care whether it is a
13 letter in the file or whether the tech spec is actually
14 amended.

15 MR. WILSON: We would be inspected against what
16 we submit and prove by the Staff. I don't know -- would
17 you inspect against something else.

18 MR. YOUNG: Unless there were a conflict.

19 MR. CHURCHILL: I think that the real issue here,
20 the real important issue here is whether what we are
21 proposing is acceptable, whether or not you call it a tech
22 spec change or not,. If it was technically acceptable, I
23 think it would be a shame and and unnecessary waste of
24 time and regulatory resources to have to go through to the
25 tech spec procedure if it wasn't necessary.

1 The key issue which requires more review obviously
2 based on the discussion here is whether or not you find
3 this an acceptable proposal. There is one aspect of it
4 that we didn't touch on. I don't think I can but I would
5 like to ask somebody here to. That is, we are assuming
6 that the conservative thing and the best thing to do when
7 you have a tube in belt is to plug it. I am not sure that
8 is true. I think there are some pros and cons if you are
9 looking at an overall safety picture whether whether or
10 not you should go and have a knee jerk reaction to
11 plugging a tube that you think is suspect. I think there
12 are some disadvantages to plugging. You were talking
13 about other types of margins.

14 MR. WILSON: I think there are two or three or
15 four down sides to that we see. One is, obviously, as you
16 plugs tubes you remove them from service and the generator
17 capability is less. This has to do with this operation of
18 the plant. Secondly the generators are the prime heat
19 removal device under accident conditions. They are it
20 fundamentally, first past through. The more tubes you
21 plug, the lower that margin becomes.

22 Third thirdly, we have to put people in the generator
23 to plug these tubes. If it is unnecessary, we are
24 accumulating man-rem on people. We have accumulated
25 already in the generators 1600 man-rem. We are not too

1 keen about just running people people through the exercise
2 of picking up radiation. Fourthly we think it is
3 advantageous to leave these kinds of defects in service
4 simply from a diagnostic point of view because we are
5 shutting down already or I guess to be issued under a
6 license amendment 90 or 120 days after restart for a
7 complete reexamination of the generator and these tubes
8 would be part of that inch service inspection. And you
9 get, you get further insight as to exactly what this is
10 and I think confirmation of what we said. So there are
11 down sides to just randomly and unnecessarily plugging the
12 general generator. We don't think sit a good practice.

13 MR. LAINAS: Following your criteria, how many
14 less number of tubes do I have to plug?

15 MR. WILSON: Roughly 2200.

16 MR. SILVER: What is the total number? The
17 number I think has changed since your --

18 MR. WILSON: The total number of plugged now --

19 MR. SILVER: The total number that exceed 40
20 percent?

21 MR. WILSON: I think it is about 300.

22 MR. CRONEBERGER: My recollection was it was
23 about 300. Right now we have 90 in An and 10 in B we
24 would plug using this criteria. I believe the number was
25 something like 50 in B and the other 250 or 260 in A.

1 MR. WILSON: It was about 300 tubes having some
2 measurable greater than 40 percent eddy current indication,
3 which under the old criteria, you would plug them all,
4 under this criteria you would plug approximately 100, plug
5 and or stabilize.

6 MR. LAINAS: Right now, using your criteria, how
7 many have you plugged in A and how many in B?

8 MR. CRONEBERGER: 90 in A, 10 in B. That is in
9 this go around.

10 MR. LAINAS: How many would you expect to plug
11 if this was given approval.

12 MR. WILSON: 90 in A and about 10 in B.

13 MR. YOUNG: Basically the licensee has completed
14 plugging tubes that they would plug under the new criteria.
15 What remains to be done is the tubes that fall under the
16 new criteria that would be allowed to remain in service
17 that have indications greater than 40 percent. There is
18 approximately 240 to 250 tubes in that group.

19 MR. WILSON: I don't remember the exact number --
20 it is most in A.

21 MS. GRAHAM: It is approximately 75 or more in B
22 and the rest of the additional ones are in A.

23 MR. LAINAS: Like 225 in A?

24 MS. GRAHAM: Approximately.

25 MR. WILSON: No, that is too many tubes.

1 MR. LAINAS: Would you take 200. About 200?

2 Something like that. That is not quite important.

3 What I guess I am trying to do is get a feel. We have
4 made some points here about we don't want to plug more
5 than we have to for any number of reasons which you
6 pointed out. This gives me sorted after feel.

7 On a general basis, do you have any idea -- I think
8 there was a total of more than 1100 that are plugged --

9 MR. CRONEBERGER: Originally the plugging was
10 approximately 1200. The 900 in A and 300 in B.

11 MR. LAINAS: So now you are close to 1500, I
12 think total?

13 MR. WILSON: We are close to about 1300 total
14 plus the roughly 200 that this criteria would exempt from
15 plugging.

16 MR. LAINAS: If you used your criteria, do you
17 have any idea how many tubes you wouldn't have had to plug?

18 MR. WILSON: I don't think we have examined that.

19 MR. LAINAS: The significance of this criteria I
20 guess is --

21 MR. WILSON: If we had used this criteria two
22 years ago or three years ago, what would the number have
23 been?

24 MR. CRONEBERGER: I don't know the answer to
25 that.

1 MR. WILSON: I don't think we know.

2 MR. JOHNSTON: How close are you getting to your,
3 say your ECCS number? How many more tubes could be
4 plugged before you began to run into the ECCS problems?

5 MR. WILSON: We have analyzed for 1500
6 informally 1500 -- is that total or per generator?

7 MS. GRAHAM: That was total.

8 MR. WILSON: But informally we have analyzed
9 3,000 with 3/4 of that in any one generator. So we
10 haven't submitted that to you, but it is a number like
11 that.

12 MR. JOHNSTON: So only about a third of that?

13 MR. WILSON: About half in generator A.

14 MR. SILVER: You have a map of the, perhaps we
15 have this on the tubes that have been plugged so far, but
16 I don't recall seeing it, a map of the tubes that have
17 been plugged and of the tubes, the 300 tubes that we are
18 now discussing. I guess I am trying to get a feel for how
19 many -- are there conglomerations of tubes? We think they
20 are pretty uniformly spread around the outer circumference
21 of the generator without any particular angular dependence
22 and into 15 rows deep.

23 MR. CRONEBERGER: We had defined 15 rows deep as
24 the periphery. There were in A, a few scattered defective
25 tubes inside that periphery. The great majority of them

1 were out of that periphery. If there was a bias, it was a
2 bias towards the outer rows. There wasn't any bias as to
3 what the -- conversely in B the only defective tubes we
4 found were in that outer periphery.

5 MR. SILVER: Are these fairly uniformly
6 distributed?

7 MR. WILSON: No angular dependence.

8 MR. CHENG: Do you have the breakdown of 250
9 tubes you are talking about here, how many tubes are in
10 which range, 61 to 70, how many -- something like that?

11 MR. WILSON: We have it but not the details here.
12 Almost all of them are one coil in circumferential extent
13 and they verify 40 percent through wall to 70 percent with
14 with the preponderance, I think 40 to 55 percent.

15 MR. CHENG: Majority in 40 to 55 percent.

16 MR. CRONEBERGER: Yes.

17 MR. CHENG: Mostly you are talking about one to
18 two coil.

19 MR. CRONEBERGER: Yes.

20 MS. GRAHAM: As far as I know we only had one
21 three coil indication in the entire inspection.

22 MR. JOHNSTON: Are we ready to started talking
23 about some other stuff?

24 MR. LAINAS: I would like to pursue the legal
25 aspects. I notice that you made a statement that there is

1 no change in the licensing basis. I guess implicit in
2 your submittal that is true. But I notice that you didn't
3 reference -- I don't have my code of federal regulations
4 here, but you didn't reference any -- there is a section
5 there on tech specs where it defines LCOs and it defines
6 limiting conditions of operation. You didn't refer to
7 that and give a basis as to why this particular change is
8 not needed. There were words which I don't remember
9 exactly on LCO or requirement for an LCO. Maybe I am
10 going beyond my expertise here. Again, I am just looking
11 from a legal point of view to have some common
12 understanding here as to whether it meets the regulation
13 or it does not meet the regulation.

14 MR. CHURCHILL: Our argument is really very
15 simple. It is the wording of the tech spec. I don't know
16 of any requirements anywhere else that would suggest that
17 that is not enough.

18 MR. LAINAS: Like I say, there are certain
19 definite issues. There are certain definitions for an LCO
20 in the regulations.

21 MR. CHURCHILL: 50.36.

22 MR. GRAY: But it doesn't help very much. It
23 says licenses shall have technical specifications in
24 addition to the operation. It says it will have them
25 which defines the --

1 MR. LAINAS: What goes into an LCO?

2 MR. GRAY: In the most general terms. I don't
3 believe so. We have looked at these in the past.

4 MR. SILVER: I don't hear any other discussion
5 on this. I am not sure whether we haven't exhausted it.

6 MR. CHURCHILL: One other point. Maybe this is
7 silly. Was there ever a question of whether these plugs
8 could be removed later. My understand go is that while
9 they are designed to be removable plugs, they are not
10 designed to be removable plugs for the purpose of putting
11 a tube back in service. So if we plug an extra 200 plugs,
12 as far as I know right now, that means those tubes are
13 gone.

14 MR. LIAW: I have refrained myself from asking
15 making technical comments but since you are a lawyer, let
16 me respond to what you say.

17 If we sit down and discuss technical question. across
18 the table right now, we will probably tell you, as you say,
19 put it in plugs now until next reviewing cycle when you
20 have your contractor ready to -- I would not see much
21 objection from the technical Staff to let you do that. So
22 you satisfy concern both for Staff and for yourself. Try
23 to save those tubes. And our position is that actually we
24 have taken with record to arc saw one, same generator like
25 yourself,. We were satisfied with the results. Why don't

1 you consider that instead of coming here arguing about 70
2 percent or funny looking charts.

3 MR. WILSON: I would answer that in a number of
4 ways.

5 MR. LIAW: Let me continue.

6 MR. WILSON: You don't want an answer?

7 MR. LIAW: We have been exchanging information
8 from some major B&W company. The trend seems to go the
9 way that you repair it rather than correct it particularly
10 in your generator, I understand my colleague, Mr.
11 McCracken, told me that once you plug a tube you tend to
12 tend to create a place where moisture rises up to a super
13 hot region.

14 It seems to me to make more sense that to take
15 corrective action earlier and plug it, leave it, and one
16 shot. Have you ever considered that?

17 MR. WILSON: Do you wanted me to talk now?

18 MR. LIAW: Yes.

19 MR. WILSON: Let me go back and philosophize
20 just for a minute though. One of the things that I think
21 licensees in general have been criticized very heavily by
22 the Commission is I don't expect anybody to take
23 responsibility for you. You ought to do what is right.
24 We have heard that time and time again from everybody on
25 the Staff and the Commission. I think it is a correct

1 thing to do. We think we have an obligation to analyze
2 what we have got, to look at it, to come to a technically,
3 operationally and safety sound conclusion and to propose
4 it. That is what we have done. We think it is technical
5 sound.

6 In the long term, as we look down stream, you are
7 indeed correct. We may wanted to shift when we think
8 there is an acceptable sleeving process I am not sure we
9 believe that there is one now. It is experimental, as I
10 understand it, in arc saw. It is a leak limiting sleeve.
11 It is not a leak tight sleeve. So I think as every
12 operator of a PWR looks down towards its license life,
13 they are all asking themselves, what is going to happen,
14 what are we going to go get into and where are we going to
15 go, all the way up until steam generator replacement.
16 Some people have already been driven to that point. We
17 are examining that as well as everybody. But those things
18 are very traumatic. They are very, very expensive in
19 man-rem. They are very, very expensive in other ways.
20 There is no certainty that they are permanent repairs. We
21 would like, you know, to do technically and operationally
22 and safety what is sound as we go and recognize that we
23 may get to exactly what you said.

24 MR. LIAW: You talk about philosophy. What
25 Commission said against you as operator, just like Aurora,

1 I always heard this argument about the as the basis for
2 not doing anything or not inspecting anything. I have
3 never seen anybody come in here saying I am trying to do
4 something so I can save man-rem.

5 MR. WILSON: I want to correct you on that, we
6 do try to save man-rem.

7 MR. LIAW: We have been reviewing this for years.
8 A steam generator, I personally have been involved on this
9 issue since 1975. There always seems to be the type
10 argument used for not doing anything.

11 MR. WILSON: I just take absolute exception to
12 that.

13 MR. LIAW: You are entitled to your opinion.
14 Please also understand that I am entitled to mine.

15 MR. WILSON: I think you are, but in our repair
16 work and what we do inside a radiation areas, we work to
17 minimize exposure to our personnel.

18 MR. LIAW: On the repair, for example, I just
19 saw Robinson number. They completed a job, estimates
20 something like a 2270 man-rem. They complete at something
21 1070. Point Beach unit 1, even less than that. How many
22 man-rem have you spent to repair the thing.

23 MR. WILSON: I told you about 1600.

24 I don't know what Robinson is doing or anybody else.

25 MR. LIAW: Don't tell me that. Industry have

1 certain disease going down and you are not aware of what
2 is going on in the whole industry.

3 MR. WILSON: I don't know if we have the same
4 disease Robinson has.

5 MR. LIAW: Robinson was simply replacement of
6 steam generators.

7 MR. WILSON: We are not replacing steam
8 generators.

9 MR. LIAW: You say replacement of steam
10 generator is costly in terms of dollars and in terms of
11 man-rem. You say something is 1700. I am saying Robinson
12 only spent 1070. Point Beach unit 1 less than that. Five
13 years ago Turkey Point spent 50 or something.

14 MR. WILSON: And if we had to replace ours, I am
15 sure we would spend a 1000 or 1500 also. But we sure
16 wouldn't like to. And we sure wouldn't want to spend
17 3,000 instead of 1000.

18 MR. SILVER: I think there is no point to
19 continue this.

20 MR. LIAW: I know that. But talking about
21 philosophy.

22 MR. SILVER: Is there any other discussion on
23 the -- I forgot what we were talking about. -- on the
24 question of license amendment or no?

25 MR. GRAY: Do I understand that -- I understand

1 your point about desiring not to unnecessarily plug tubes
2 and desire to save whatever it is that you save, whether
3 it be dose commitments or money or margin, thermal margin
4 in some other area, that sort of thing. If on the other
5 hand you were required for the time being to abide by the
6 present tech spec limits, if, for example, the NRC
7 approval were not forthcoming to your proposal, were not
8 forthcoming any time soon, what sorted of situation would
9 you be in with regard to your plant right now? Could you
10 plug without --

11 MR. WILSON: You mean the 200 tubes. The answer
12 is yes. But we don't believe it is a prudent, it is an
13 operationally sound or a safety sound position to take.

14 MR. SILVER: The reasons are the ones that you
15 spoke before about the down sides of --

16 MR. WILSON: Sure. You remove heat transfer
17 capability from the generator. And while it still meets
18 the margin design basis, you are removing them.

19 MR. LAINAS: What brought this whole thing is
20 the improvement.

21 MR. WILSON: Sure. We have an insight from ECT
22 today which I guess if we were smart enough we even would
23 have applied to some degree two years ago. But clearly we
24 have it now and clearly we think it is prudent to apply it.

25 MR. JOHNSTON: What information do you have on

1 the record with your inspection of the density. You
2 mentioned the length of them. How many of these
3 indications per square inch or per circumference or
4 something like that do you have that kind after breakdown
5 of the way you present the information?

6 MR. WILSON: I think we do.

7 MR. SILVER: Within a tube, you mean?

8 MR. JOHNSTON: Yes, within a given tube, what is
9 the density of these things.

10 MR. WILSON: I think there is only one
11 indication per tube. Some of those are --

12 MR. GIACOBBE: Some tubes have multi many
13 indications. They may have two indications. They may
14 have four indications. The majority have one. None of
15 them would be considered clusterable, if you will, if that
16 is what you are trying to get at. We looked at that
17 specifically. I think done may even have some details.
18 That was an issue we looked at, whether or not one should
19 try to cluster defects. The analysis of that said, no,
20 they were sufficiently removed analytically they would be
21 treated as separate indications. So density wise, for the
22 few numbers of minimum defects, you can assume that below
23 the upper tube sheet, in the tube sheet region, that is
24 essentially a different phenomena from the stand pointed
25 of damage, we expanded all that and have taken that

1 portion of the tube out. But below the upper tube sheet,
2 the density is fairly low, on the order of maybe more like
3 one per foot or something, if you wanted to even consider
4 from the top of the tube sheet down to the 15 tube support
5 plate.

6 MS. GRAHAM: We did in our plugging criteria,
7 you might see the section where we talk about treating
8 defects within I think it is a one-inch area as being an
9 cluster. I looked at that data on Friday. There were
10 approximately 11 tubes that were treated that way. What
11 the data tended to show is you would have a 55 percent
12 indication, three quarters of an inch away, totally
13 unrelated you would have a 20 percent indication. What
14 they would do is add up all the coils and treat them for
15 plugging purposes. But for analytical purposes, clearly
16 the two are unrelated and far enough a part not to be a
17 problem.

18 MR. JOHNSTON: Is that in the submittal that you
19 have provided us for review so that we can look at that
20 aspect of it?

21 MS. GRAHAM: It is in Scott's report.

22 MR. LAINAS: Is that TDR 638. Is that the
23 submittal that we have?

24 MS. GRAHAM: In 645 I believe they talk about
25 clustering defects for purposes of plugging. I think that

1 the data on what we have seen hasn't been finalized yet.
2 I would expect that to be part of the submittal to close
3 out this LER. But that hasn't come in yet.

4 MR. JOHNSTON: In terms of generating a list of
5 things that we might need to have or wanted to have as
6 part of our review, I would say that would be an important
7 element that we don't yet have.

8 MR. SILVER: Fine.

9 We would intend to continue our review, this is not by
10 way of shutting off the other discussion, but we would
11 intend to continued our review and I expect we will have
12 questions for you probably within a month, probably not
13 sooner than that or not much sooner than that in any event.
14 And as bill indicated, this would be probably be one of
15 the questions.

16 MR. WILSON: To the extent you could give us
17 those on the phone or otherwise, we could be putting that
18 together right now and it would save a lot of time.

19 MR. SILVER: Well, you may have gotten an
20 inkling of some others. You have one at least.

21 MR. LIAW: I think I could highlight areas, if
22 you want it.

23 MR. SILVER: Let's finish the tech spec change
24 or no discussion first. Are we done with that?

25 MR. LAINAS: What is the general schedule. Do

1 you have a general schedule? We can tell you when we can
2 have additional questions et cetera.

3 MR. WILSON: For what?

4 MR. LAINAS: When do you need this?

5 MR. WILSON: Whether is the commissioning go to
6 lift the restart order?

7 MR. JOHNSTON: Do you wanted it before or after?

8 MR. WILSON: Roughly about the same time.
9 Preferably a few days ahead of time.

10 MR. CHURCHILL: It is obviously tied to that
11 because if we did have to plug more tubes, we would want
12 time to do it without having to delay what might
13 ordinarily otherwise be a restart.

14 MR. WILSON: We could plug the tubes in the same
15 time it takes the plant to go ready to go.

16 MR. SILVER: So that there would be no lost time
17 in effect?

18 MR. YOUNG: Are you still planning on working
19 towards a 3/1 hot functional testing.

20 MR. WILSON: It is my understanding, our
21 licensing people reminded me today, it is my understanding
22 that we have general capability of going hot, at least we
23 had it, of going hot on pump heat before but we did so
24 under the basis that we declared the generators nominally
25 operable in some way. I am not sure how it was done. I

1 am not sure that not having plugged the 200 plugs, the 200
2 tubes we haven't plugged still qualifies under that. We
3 would hope so and.

4 MR. WILSON: Like to take the plant hot on pump
5 heat to run further tests.

6 MR. YOUNG: Our interpretation is the generators
7 are not operable at this time unless you plug the tubes.
8 That is from I&E's point of view.

9 MR. WILSON: I am not sure what happened before
10 in terms of the Connecticut expansion because I don't
11 think the Commission has ever said they are acceptable
12 either.

13 MR. YOUNG: Now that you have new indication
14 that have indications greater than 40 percent, by the
15 definition of operability of the generators, if you do not
16 take the tubes out of service then the generator is
17 considered not operable. That is the reason.

18 MR. LAINAS: You are in for an approval.

19 MR. CHURCHILL: That does that mean we couldn't
20 do hot functional.

21 MR. WILSON: He is saying we would have to get
22 an understanding to do the hot functional test.

23 MR. SILVER: Barring some other agreement or
24 something.

25 MR. WILSON: The question I was raising was not

1 arguing what he said but the issue about we were allowed
2 to go hot after Connecticut expansion. I am not sure the
3 tech specs have been clarified yet totally on that being
4 necessary to be approved before we declare the generators
5 operable.

6 MS. GRAHAM: They gave us a tech spec change in
7 order to be able to do that. What they did is they issued
8 the original tech spec requesting the steam generators in
9 parts so that they basically authorized Connecticut
10 expansion as a repair and as a means of taking things
11 greater than 40 percent through wall out of service only
12 for purposes of hot functional testing.

13 MR. WILSON: We might then ask for that same
14 thing to allow us to go to hot functional testing.

15 MR. CHURCHILL: Is that a safety problem?

16 MR. WILSON: No.

17 MR. CHURCHILL: On your other question, I don't
18 know whether we are resolving that today. Are we going to
19 go talk later?

20 MR. GRAY: I don't think my --

21 MR. SILVER: I think we

22 MR. GRAY: I think my talking to you would be
23 helpful.

24 MR. SILVER: Feel free.

25 MR. GRAY: I have nothing to add.

1 MR. SILVER: I think we would probably want to
2 reconsider -- I shouldn't say "reconsider," but consider
3 our position and I think we could let you know very
4 shortly as to where we feel the proper way to come down on
5 this is.

6 MR. WILSON: In the meantime, any technical
7 issues we would like to get a hold of as soon as we can.

8 MR. SILVER: We can do that.

9 Maybe it is time for a five-minute break.

10 MR. WILSON: We have a flight.

11 (Recess.)

12 MR. SILVER: Could I have your attention, please.
13 Apparently I misunderstood the time demands of our
14 visitors and they do have a plane at 5:00, which pretty
15 much means they have to leave now. What I propose to do
16 is to get a preliminary punchlist of questions or problems
17 that that our reviewers have and discuss this verbally
18 with the licensee as soon as we can and a formal list as
19 quickly as we can. As I indicated, sometime between two
20 weeks and a month. And thank you all for coming.

21 (Whereupon, at 3:35 p.m., the meeting was
22 concluded.)

23

24

25

CERTIFICATE OF OFFICIAL REPORTER

This is to certify that the attached proceedings before the UNITED STATES NUCLEAR REGULATORY COMMISSION in the matter of:

NAME OF PROCEEDING: MEETING ON TMI STEAM GENERATORS
WITH GPU

DOCKET NO.:

PLACE: BETHESDA, MARYLAND

DATE: TUESDAY, FEBRUARY 19, 1985

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission.

(sig) Rebecca E. Eyster/sg
(TYPED)
REBECCA E. EYSTER
Official Reporter
ACE-FEDERAL REPORTERS, INC.
Reporter's Affiliation