

A-179

NUCLEAR REGULATORY COMMISSION

Docket No. 50-424/425-OLA-3 EXHIBIT NO. II-179

65-203-G-90

In the matter of Georgia Power Co. et al., Vogtle Units 1 & 2

GPC EXHIBIT II-179
BOCKHOLD EX. X
DOCKETED
USNRC

Staff Applicant Intervenor Other

Identified Received Rejected Reporter SD

Date 9/7/95 Witness George Bockhold

'95 OCT 20 P3:26

OFFICIAL TRANSCRIPT OF PROCEEDINGS

OFFICE OF SECRETARY
DOCKETING & SERVICE
BRANCH

Agency: Nuclear Regulatory Commission

Title: Telephone Conference: IIT,
Licensee, Region II (CLOSED)

Docket No.

LOCATION: Bethesda, Maryland

DATE: Friday, April 6, 1990

PAGES: 1 - 34

ANN RILEY & ASSOCIATES, LTD.

1612 K St. N.W., Suite 300

Washington, D.C. 20006

(202) 293-3950

9512210044 950407
PDR ADDCK 05000424
T PDR

92 PROJECT
035319

P R O C E E D I N G S

[10:12 a.m.]

1
2
3 MR. CHAFFEE: It's April 6th, at 10 o'clock. This
4 is of IIT Vogtle.

5 Now, what I want to do is talk about a little bit
6 about the diesel generator. I guess maybe the first thing
7 we should talk about is the following:

8 Rick has been trying to pull together, from all
9 the various information sources, what exactly the history is
10 in some of these sensors, and what he is finding is that
11 there is a lot of -- in fact, Rick, why don't you begin the
12 talk?

13 MR. KENDALL: Okay.

14 What I have tried to do is take the different
15 sources of information that we had that discusses the
16 history of the sensors, and there are basically four sources
17 of information.

18 The first source are the notes from the blackboard
19 or dry board, whatever you call it, in the large conference
20 room, that Al wrote up during our meetings on the diesel.

21 The second source was the document that was given
22 to us, I guess, the day before we left. It was called
23 "Global Diesel Generator Sensor History: A Summary". And
24 the first page of that had some information concerning
25 diesel reliability and some other stuff on it.

1 The third source was a telefax that you sent up
2 here, and it was a copy of a note from Mark Briney to George
3 Bockhold. It was dated April 3, 1990.

4 And the fourth source of information was a second
5 telefax that gave us sensor history for the other quarantine
6 sensors.

7 And when you look at all these pieces of
8 information, there is a lot of contradicting information
9 just concerning when it was last calibrated, concerning what
10 maintenance work order was associated with it, differing
11 dates. It's impossible, from all these sources, to try to
12 put together a complete story.

13 So, what I did was I developed a matrix, and I put
14 in one example, on one of the temperature switches, of the
15 type of information that we would like, and we'd just like
16 to telefax you a copy of the matrix, and then have you fill
17 in the holes.

18 MR. BOCKHOLD: That would be good. And in
19 parallel with what you're doing, yesterday I talked to Mark
20 Briney about -- his letter to me is probably the most
21 detailed and most accurate information, and it takes him a
22 period of time to pull that information together, and on the
23 temperature switch items, he was going to work those as a
24 higher priority and pull that information together.

25 The differing dates you saw is the relationship to

1 when the work order was closed, in comparison to when the
2 calibration itself was done. So, I'm sure that caused some
3 confusion. And some of the other words there were the job
4 got changed and assigned to a different person for a period
5 of time, and he started to use different words.

6 So, why don't you telecopy what you want us to
7 fill in? We'll give it to Mark Briney, and Mark Briney will
8 fill that in and supply any information that way.

9 MR. KENDALL: Okay. That sounds great, and we
10 realize it's going to take a couple of days, probably, to do
11 it.

12 MR. BOCKHOLD: Okay?

13 MR. KENDALL: Fantastic.

14 MR. CHAFFEE: Okay. Then let's go on to the
15 diesel generators themselves.

16 Maybe the first thing we should do is talk about
17 this dew point situation and what you guys believe with
18 regard to that, and then I guess -- I thought we'd go in and
19 talk a little bit about what you found on the testing and
20 where you're going with the testing.

21 MR. BOCKHOLD: Okay. On the dew point situation,
22 yesterday afternoon it came to my attention that on the 29th
23 of March we had run a test, and the test on the dew point
24 was unsatisfactory. So, you know, we had some concern about
25 why the test on the A Diesel was unsatisfactory on the 29th,

1 and we're pulling in together a bunch of information.

2 At this point -- and this is speculation on my
3 part -- the evidence is tending to point to a bad
4 instrument, a bad dew-point sensor instrument, and we only
5 have one onsite, and we're getting another one, and other
6 than that, you can speculate seven different dozen ways on
7 this thing, but that's what the evidence is starting to
8 point to, because when we test air at similar conditions, it
9 all appears to be higher right now. Okay?

10 And it's at a significantly different condition,
11 like our instrument air in the turbine building. The
12 instrument does appear to work correctly, but at the diesel
13 temperature pressure dew point, the instrument may not be
14 working correctly.

15 MR. KENDALL: This is a test instrument.

16 MR. BOCKHOLD: So, basically, what happened is we
17 got this information; put the jacket water test, basically,
18 on hold until we could determine what we had; and what we
19 did in the meantime is that the appropriate procedure that
20 the vendors and our experts tell us to use if you have a
21 higher dew point in the diesel storage tanks is basically to
22 do a feed-and-bleed on the tank, and over a day or so, the
23 air will clean up to -- the dew point will clean up to the
24 required quality.

25 We started that. We checked the instrument lines

1 at one of the low points on the A Diesel. We also checked
2 the receiver by blowing it down. We haven't really gotten
3 any real water out of the receiver in blowing it down. The
4 comment was that we haven't seen any water coming out of the
5 bottom of the receiver, and there's a drain valve right --
6 there's a drain pipe right on the bottom. Further, the
7 diesel system engineer blew one of the drain points down on
8 -- and this is the A Diesel -- on the control air system,
9 and he didn't see any moisture come out of that line.

10 And we've run some other tests. Like we ran one
11 test quickly on the B Diesel. That showed bad. We're off
12 to run a test in a few minutes on one of Unit 2's diesels.
13 I expect that's going to show bad, because right at this
14 point, what I believe is that the instrument is bad.

15 In parallel with this, we're going to buy -- we're
16 going to find another instrument, so we can do this test
17 with a different instrument and see what that tells us.

18 In parallel with this, when the Cooper people get
19 in in the morning, which I guess is about 11 o'clock or so,
20 we'll give them a call. Given the indication that we have
21 on the air and the dew point that this instrument is
22 reading, we believe we can probably do the jacket-water test
23 without doing any damage to the control or instrument air
24 system.

25 We believe that even at an elevated dew point,

1 this is a long-term problem and not an immediate problem for
2 -- associated with the controls on the diesel. We believe
3 the diesels are operable right now, for example, and we
4 believe this is -- you wouldn't want to run like this for
5 months, if you had an elevated dew point.

6 So, we want to verify our belief with the Cooper
7 people. If we do verify our belief with the Cooper people,
8 we will go ahead and run the jacket-water test.

9 MR. CHAFFEE: When do you expect to have the new
10 instrument onsite to do the dew point?

11 MR. BOCKHOLD: Don't know. Maintenance was off
12 this morning to go find one from one of our fossil plants or
13 maybe even buy one in Augusta.

14 MR. CHAFFEE: Okay.

15 MR. BOCKHOLD: I'm not sure we can get exactly the
16 same instrument that we have. The one that we have has a
17 radioactive source in it, and you have to be, you know,
18 appropriately licensed to have this instrument.

19 So, we'll get something that's equivalent, but it
20 probably won't be exactly the same instrument.

21 MR. CHAFFEE: But you'll get one that meets
22 whatever the standards are for its readings being -- felt to
23 be correct, one that's calibrated and that's -- I don't know
24 if there's any industry standards in that area for that type
25 of test instrument or not.

1 You will ensure that your test instrument is
2 properly pedigreed.

3 MR. BOCKHOLD: Yes.

4 MR. CHAFFEE: Okay.

5 Well, okay. I guess as far as doing the test
6 before you have satisfied yourself, through a test, that the
7 dew point of the air is within spec or not, I guess you're
8 probably right that it wouldn't cause any damage to the
9 diesel. It obviously would be preferable that you get that
10 thing all resolved and clean up before you ran the diesel.

11 As far as that goes, George, I think what we'll do
12 is, after the call, Region II and we will talk about Cox a
13 little bit and decide what our feelings are on that. I
14 understand where you're coming from.

15 MR. BOCKHOLD: We've basically put the test on
16 hold until we could resolve the issues with dew point.
17 Okay?

18 And one of the parallel paths was that our
19 engineers, our folks believe that the air quality that we
20 are actually seeing in the instrument controls and in the
21 receiver, even if the dew point was a little bit high, would
22 not be of concern for operability of the diesel engines,
23 would not affect the control systems. We are verifying that
24 with Cooper. If Cooper agrees with those opinions, we would
25 be prepared to go ahead and run the test.

1 In the meantime, in parallel, we are doing the
2 appropriate procedure with the air receiver and the air
3 dryer that if the dew point is not correct, we'll go ahead
4 and lower the dew point in the air tank. But we're not
5 seeing the dew point in the air tank getting any better.
6 So, we're starting to believe, more and more, we have a bad
7 instrument, and the instrument has somehow failed.

8 MR. CHAFFEE: I see. Okay. I understand.

9 [Pause.]

10 MR. CHAFFEE: George, Rick is going to talk to you
11 a little bit at Catawba.

12 MR. KENDALL: It's our understanding that Catawba
13 is the only other plant with TDI diesels that has a
14 refrigerant-type dryer, and there were some problems at
15 Catawba with their dew point and moisture affecting their
16 Calcon pressure switches, and we understand that you don't
17 think you have a dew-point problem, and we understand that
18 you've also got a different model of pressure switch that
19 may not be subject to the same types of problems that they
20 had at Catawba.

21 However, when we go back and look at this thing,
22 one of the tests that was run was on jacket-water pressure
23 disconnecting the sense line, and the diesel tripped after
24 80 seconds, which was one of the timeframes during the
25 event, and just putting everything together, one of the

1 things that we would like to either prove or disprove is
2 that the problems that Catawba had are not the same problems
3 that you have or that you don't have the same problem that
4 they had at Catawba.

5 MR. WARD: This is Lewis Ward.

6 We talked to Catawba yesterday afternoon, after
7 this question came up, and the problem that they had was
8 associated -- they also have a desiccant in their dryer
9 system. They attributed their problems to an incident where
10 the desiccant became saturated, and they got desiccant into
11 their air system, and they saw some corrosion on carbon
12 steel surfaces due to the desiccant.

13 MR. KENDALL: Okay. Appreciate that. We had some
14 bad information then.

15 MR. CHAFFEE: So, Vogtle does not use desiccant?

16 MR. WARD: No. We just have a straight
17 refrigeration system.

18 MR. CHAFFEE: And Catawba has a refrigeration
19 system and desiccant?

20 MR. WARD: That's what they told us, yes.

21 MR. CHAFFEE: Okay. We were also told -- I think
22 I was told this -- that the model -- I'm not sure this is
23 right -- that the Calcon switches that you have at Vogtle
24 are a newer model than those that existed somewhere else
25 where problems existed, and I think it was Catawba. Does

1 that make any sense?

2 MR. BOCKHOLD: The pressure switches that Catawba
3 had a problem with and they changed to a newer model, we
4 changed to the same newer model.

5 MR. CHAFFEE: Okay. Do you happen to know what
6 the new model -- you know, what the change was?

7 MR. BOCKHOLD: I believe the change was a
8 clearance change in the switch itself.

9 MR. CHAFFEE: Okay.

10 MR. BOCKHOLD: That comes from a brief
11 conversation that I had with the guy at Catawba -- Wally
12 Greene.

13 MR. CHAFFEE: Okay. The other thing you should be
14 aware of is -- we received from you the Part 21 on Calcon
15 switches dated April '88. We have also been told, but we
16 haven't gotten the document yet, that there was a supplement
17 to that Part 21 that was dated May 12, '88. We'd like to
18 get our hands on that, and I guess we'd also like to make
19 sure that you're aware of it. I would assume that you guys
20 must have it in your records, as well.

21 MR. BOCKHOLD: Yes, we do have the Part 21. I
22 gave copies to Rick Kendall.

23 MR. CHAFFEE: I know we got a copy of the April
24 '88 Part 21, but did you give us the supplement, also?
25 There's a supplement to it that was dated May 12th of '88.

1 MR. BOCKHOLD: I gave you the April one.

2 MR. CHAFFEE: Right. That's my point. Apparently
3 there is not only the April '88 Part 21 but there's a
4 supplement to that Part 21. It's the supplement to the Part
5 21 that I personally haven't seen. I wanted to make sure
6 you guys were aware of it, and we also want to see it.

7 MR. BOCKHOLD: We'll send it to you.

8 MR. CHAFFEE: Okay.

9 Okay. Let's see.

10 Question: On your testing that you've done so
11 far, you've been collecting some data, and we had some
12 questions yesterday, and where we left off yesterday was --
13 well, maybe, at this point, I should just ask you. Can you
14 run through where you are in collecting data -- I would
15 assume that you've continued collecting data over some
16 period of time -- and what you've found, and is there
17 anything new in that regard, lube oil and that sort of
18 stuff?

19 MR. WARD: What are you looking for?

20 MR. CHAFFEE: I want to get a mental picture of
21 things like have you continued to see that the -- okay.
22 First, how long have you been taking data now? Have you
23 continued taking data since you started the test? Has the
24 temperature continued to remain steady at 163 degrees for
25 the sensor? Have you looked into the lube oil system to see

1 how its temperature varies as a function of time? Have you
2 found any new hotter spot than the 170 degrees that existed
3 on the lube oil heat exchanger? Information like that.

4 MR. WARD: We have continued to take the readings
5 since yesterday. That temperature has not varied more than
6 probably a degree and a half.

7 We have monitored the lube oil heater. The lube
8 oil heater turns on and off at about a 50-minute cycle. And
9 if you look at lube oil temperature, the lube oil
10 temperature, in and out, averages about 155 degrees when it
11 turns on. It turns off when you get an inlet temperature of
12 about 167 degrees. Then it stays off for 50 minutes.
13 Meanwhile, the temperature comes down to about 155 or so and
14 repeats the same cycle.

15 MR. CHAFFEE: So, the cycle, as I understand it,
16 is when the temperature gets down to 155 degrees, the lube
17 oil heater comes on. It stays on for about how long?

18 MR. WARD: Fifty minutes.

19 MR. CHAFFEE: It stays on for 50 minutes. And
20 that then heats up the temperature to 167 degrees, and at
21 that point, it turns off, and it remains off for how long?

22 MR. WARD: Almost identical time -- 50 minutes.

23 MR. CHAFFEE: Fifty minutes. And then it repeats
24 the cycle. So, the temperature cycles between 55 degrees
25 and 167 degrees.

1 MR. WARD: Correct.

2 MR. CHAFFEE: And that temperature that you're
3 measuring is the temperature at the inlet to the warmup pump
4 for the lube oil system which takes a suction close to the
5 heater?

6 MR. WARD: Temperatures that we're reading are the
7 temperatures on the engine panel, which is called lube oil
8 in and lube oil out -- lube oil into the engine and lube oil
9 out of the engine.

10 MR. CHAFFEE: Okay. How do those temperature
11 readings relate to the temperature that the jacket-water
12 system sees when the system is in the warmup condition?

13 MR. WARD: Jacket water is used to cool the lube
14 oil.

15 MR. CHAFFEE: Right. I understand that. But with
16 the diesel secured and the warmup systems working -- you
17 know, what we said yesterday was the hottest place you saw -
18 -

19 MR. WARD: Was at the inlet to that heat
20 exchanger, which those two temperatures match up. You've
21 got two thermometers that are next to each other, and they
22 read the same. The inlet jacket water and the lube oil
23 reads about 167.

24 MR. CHAFFEE: I see. Okay. So, where you're
25 reading the lube oil heat exchanger inlet temperature and

1 the jacket-water temperature for -- where you were
2 monitoring that are the same location.

3 MR. WARD: Yes.

4 MR. CHAFFEE: Okay. I understand.

5 Okay. What that suggests, then, is if the max
6 temperature they saw was 167 degrees in the lube oil, it
7 sounds like the lube oil system and the jacket-water systems
8 were both designed to control their temperatures around the
9 same values.

10 MR. WARD: Yes. The jacket-water heater has not
11 turned off at all since that once cycle we seen early in the
12 test. It's been on continuously.

13 MR. CHAFFEE: Okay. Well, this is unrelated to
14 the event, but I guess the one thought that has run through
15 our minds up here was do you have a problem with the
16 strength of that jacket-water heater, in the sense that it's
17 -- if you're in the middle of a very cold period of time,
18 you know, like in the winter or something, that it wouldn't
19 be able to provide the necessary heat to keep the jacket-
20 water system --

21 MR. WARD: Diesel building is maintained at a
22 temperature, so they shouldn't change any. We maintain the
23 diesel building at a temperature. It's not like the diesel
24 building gets colder in the wintertime. We've got heaters
25 in.

1 MR. CHAFFEE: Okay.

2 So, I guess what you conclude from all of that is
3 that at least the initial conditions for the -- okay.

4 The next question is this: Based on all this data
5 you've taken, what do you believe and how confident are you
6 that what you believe is right, in terms of the temperature
7 distribution of the water that exists in the jacket-water
8 system and the lube-oil system, such that what's your
9 expectation that you're going to see when you do a start in
10 the diesel?

11 Have you got a feeling for that yet, from all the
12 data you've taken?

13 MR. WARD: Be a few degrees rise, I, at this
14 point, don't expect much.

15 MR. CHAFFEE: So, your impression is that the
16 temperature of the jacket-water system and the temperature
17 of the lube-oil system is pretty evenly distributed by the
18 warmup system such that there's not much variation in
19 temperature and that when the diesel starts, you should
20 think of it sort of as a homogeneously mixed -- mixture of
21 water from a temperature standpoint in both systems at the
22 time the diesel starts?

23 MR. WARD: It appears like now. Won't know until
24 after we do the test.

25 MR. CHAFFEE: So, you haven't found any hot or

1 cold spots in these two systems relative to the average
2 temperature.

3 MR. WARD: No.

4 MR. CHAFFEE: Okay. Have you taken enough -- you
5 know, looking around the system, taking temperatures on
6 pipes or whatever -- to be satisfied that you'd be very
7 surprised to find a hot or a cold spot?

8 MR. WARD: Only place that I know right now of
9 where we'd find anything warmer is that lube-oil heat
10 exchanger.

11 MR. CHAFFEE: Okay.

12 MR. WARD: That goes up to 167.

13 MR. CHAFFEE: So, basically, it's only about 4
14 degrees warmer than what the sensors are saying.

15 MR. WARD: Yes.

16 MR. CHAFFEE: Okay. I have a question. When the
17 diesel is sitting there and it gets called upon to call a
18 safety function, initially, I guess, as far as ultimately
19 removing heat from the diesel, that's done by this nuclear
20 service cooling water. I guess I have been told that, at
21 least, when the diesel gets its initial start signal,
22 although the nuclear service cooling water system, whether
23 or not the pump is running or not, they don't actually get
24 flow to the heat exchanger because there is some sort of a
25 temperature control that prevents that.

1 The question I have is sort of some of the
2 details. Does that start off, then, with the valves
3 completely shut or are they partially by-passed? How long
4 does it take before those -- is there any kind of a timer
5 that insures that they don't open for a period of time or
6 what temperature do they have to begin to see before they
7 begin to open. How long does it take them to open?

8 MR. BOCKHOLD: What I was told -- and Ken Burr,
9 correct me if I am wrong -- is this is basically kind of
10 like a throttling by-pass valve. It is fully open at 170
11 degrees and fully shut at 152. Is that correct? So, with
12 jacket water at 163 that valve is partially open, or
13 partially closed, at about halfway.

14 MR. CHAFFEE: What's the temperature of nuclear
15 service cooling water?

16 MR. BOCKHOLD: It will vary but anywhere, I guess,
17 from 45 degrees to 85 degrees.

18 MR. CHAFFEE: And at this point, right now, today,
19 it's what?

20 MR. BOCKHOLD: Well, my pool is about 62 degrees,
21 so I would say it's about that.

22 MR. CHAFFEE: Okay. Then let's assume that if the
23 jacket water system is at 168 degrees, then that oil must be
24 flowing through that heat exchanger and right now it must be
25 being cooled, to some extent, by this nuclear service

1 cooling water because it's colder, and there is some flow
2 through there.

3 MR. BOCKHOLD: The jacket water has its own
4 nuclear service cooling water cooler. The low boil has its
5 own separate nuclear service belt.

6 What's your question?

7 MR. CHAFFEE: What I'm trying to understand is
8 what the heat balance is here. It sounds like what we've
9 got is the low boil is cooled by the jacket water, the
10 jacket water is cooled by the nuclear service cooling water
11 and it sounds like if this nuclear service cooling water
12 system is running which it is right now, if the valve is
13 partially open it's going through and cooling off the water
14 that's in the jacket water so one of the things that's
15 occurring right now in terms of heat loss that the jacket
16 water system is trying to make up for is the energy that's
17 being removed due to the nuclear service cooling water
18 system being partially cooling that heat exchanger. I just
19 want to make sure my understanding is correct.

20 MR. BOCKHOLD: It's being mixed up in your head.
21 We've got -- in standby, we have a small jacket water pump
22 that pumps about 90 gallons a minute around the system but
23 it by-passes the nuclear service cooling water. The main
24 shaft pump which pumps anywhere from, let's say, 1200 to
25 1800 gallons per minute, okay, it flows through a large

1 nuclear service cooling water heat exchanger.

2 MR. CHAFFEE: Well probably the coldest point in
3 the jacket water system is the water that's in that heat
4 exchanger because it's probably at 62 degrees.

5 MR. BOCKHOLD: Yes.

6 MR. CHAFFEE: And that cold slug of water, then,
7 will first be introduced into the system when the diesel
8 starts and then that cold slug of water is going to find its
9 way through until it hits these sensors -- unless it's
10 heated up as it goes through the engine -- it hits the
11 sensors once the diesel starts. So, I guess we would expect
12 that we are probably going to see, when the diesel starts
13 up, a dip in temperature before it then goes back up. At
14 least, based on what we just talked about.

15 MR. BOCKHOLD: You might see a dip in temperature.

16 MR. CHAFFEE: Might see one. Okay.

17 Are there any other dynamics of any other portions
18 of the jacket water system or the lube oil system where you
19 have something else going on, it's either hotter or colder.
20 I think it's important that people understand going into the
21 test what they might expect to see. Granted, at this point,
22 it sounds like we may see a cold slug go in. I guess what
23 we said yesterday is perhaps it's not that significant
24 because your testing yesterday showed that the rate of
25 temperature change shouldn't have that much of an impact but

1 it sounds like, from what you just said we shouldn't be
2 surprised to see the temperature of the jacket water
3 temperature probes dip down fairly -- could be all the way
4 down to 62 degrees for a period of time, followed by an
5 increase back up as the engine heats up.

6 MR. BOCKHOLD: I expect a decrease in temperature
7 because most of the flow will be going around that heat
8 exchanger.

9 MR. CHAFFEE: Okay.

10 MR. BOCKHOLD: You know, we are speculating.
11 There is a potential for temperature to drop and then come
12 back up. It really depends on how that three-way valve is
13 going to respond to temperature changes and how fast it is
14 going to respond, and how fast the heat input from the
15 diesel, you know, heats up.

16 MR. CHAFFEE: Say that one more time, George.

17 MR. BOCKHOLD: The shaft-driven pump delivers some
18 by-pass flow around the cooler, some flow to the cooler.
19 Then it comes back together and mixes so that temperature is
20 going to go down. But then that cool water is going to come
21 up and be right next to the cylinders in the diesel and it's
22 going to pick up heat from the diesel at that particular
23 point. Then it's going to come up to the temperature probes
24 where we got it instrumented, okay? So, you know, my
25 reaction is probably the temperature will drop some and then

1 come up but, you know, you have got a good bit of dynamics
2 here working where you have got a control valve working and
3 you have heat input from the diesel cylinders working so we
4 will see what happens.

5 MR. CHAFFEE: Okay. Again, the only thing that
6 I'm pointing out is I think it's important that people have
7 it clear in their minds how all that integrated system
8 activity is going to occur in the start so that people can
9 be looking for expected parameter changes and recognize what
10 kinds of things they should be looking for in terms of
11 something that's abnormal, to make sure that people are as
12 prepared as possible to, you know, look for things going
13 right or going wrong as the test occurs.

14 In addition, what's true is in thinking through
15 some of these dynamics it would -- maybe you guys have done
16 all this, but to the extent you haven't in thinking through
17 the dynamics it then can make it clearer to you what sort of
18 parameters you need to make sure are established so that the
19 test itself will be an effective test demonstrating that you
20 don't have any problems.

21 For example, I understand that there will be a
22 couple of differences between this test and a true
23 simulation of what happened in the event because you are not
24 going to be loading onto the buss and having certain load
25 sequence. What we have been told and I don't necessarily

1 disagree with is that that difference has no impact because
2 it's not going to have any significant impact on the
3 portions of the system that are being tested. And I don't
4 disagree with that but I would think that to reach that
5 conclusion the people that are reaching that conclusion
6 would have to make sure they understood what all the
7 different phenomena that are going to be occurring to make
8 sure that those parameters that aren't going to be the same
9 would have no impact.

10 So, understanding the dynamics like you were just
11 describing of how this cold water or other things, you know,
12 how the water is going through the different components
13 leading to the sensor, in terms of seeing how the inner
14 system interaction is, will be important for them to
15 understand. If they have not fully done that, what we're
16 saying is they need to complete that process because you
17 would be a little concerned, I would think, that if after
18 you did the test and people were studying the results and
19 stuff they found that oh, woops! Actually, it turns out
20 that one of the things we didn't have established was one
21 that was critical to make sure that this was an effective
22 test and, therefore, we need to do the test again.

23 MR. BOCKHOLD: We understand what you're saying.

24 MR. CHAFFEE: Okay.

25 We understand. I guess it sounds like you are

1 probably going to be doing that test sometime late today. Is
2 that sort of your guess, George?

3 MR. BOCKHOLD: I hope to be able to do the test
4 this afternoon.

5 MR. CHAFFEE: Okay.

6 Region II, did you have any comment?

7 MR. BROCKMAN: I've got none from here in the
8 headquarters.

9 MR. MILLER: I understand they will start the
10 first test this afternoon. Assuming that test goes well, do
11 we have any testing beyond that.

12 MR. CHAFFEE: I'm sorry, Ken. Could you say that
13 one more time.

14 MR. BROCKMAN: I understand the first test is to
15 start this afternoon. If things go well on that test, I am
16 interested in any hypothesized schedules for subsequent
17 testing after that so that I can have my resources at the
18 site appropriately marshalled.

19 MR. BOCKHOLD: At this point, Ken, we have no more
20 diesel tests that we plan to do unless something unusual
21 comes out of this test or we think of something in the
22 meantime. The next test being, I believe, on the
23 temperature switches and Lewis Ward will be coordinating
24 that with a lab someplace and probably, Lewis, you might
25 speak to what schedule, if any schedule, you have been able

1 to think about.

2 MR. BROCKMAN: George, you've got a function
3 schedule after you put in the MWO.

4 MR. BOCKHOLD: Yes, but I believe the IAT was not
5 interested in that.

6 MR. BROCKMAN: But I am.

7 MR. BOCKHOLD: That would occur immediately after
8 that.

9 MR. BROCKMAN: After what?

10 MR. BOCKHOLD: After the jacket water test.

11 MR. BROCKMAN: You won't have the MWO in that.
12 You can't do the functional until you've got those trips
13 taken care of with that MWO.

14 MR. BOCKHOLD: We have the MWO. It is
15 approximately four to six hours duration and we would then
16 go do the functional immediately after that.

17 MR. BROCKMAN: So you would anticipate that that
18 is probably an activity to be done this evening, then?

19 MR. BOCKHOLD: Probably, yes. We have already
20 done that on the B Diesel.

21 MR. BROCKMAN: Okay.

22 MR. CHAFFEE: Okay. George, on the one test that
23 you are going to be doing later today. The one thing that,
24 I guess, we are particularly interested that you focus on is
25 making sure that the dynamics of that nuclear cooling

1 service water system is well understood. We know in the
2 event that that thing got cycled on later on and -- the same
3 thing. Just make sure that -- it would be very
4 disappointing to find out afterwards that somehow you had to
5 do it again because the parameters weren't exactly right.

6 Okay. Why don't we go on ahead to Lewis Ward and
7 what his --

8 MR. WARD: Okay. On the temperature switches, I
9 talked to Wyley Labs yesterday and, basically, briefed them
10 on what had happened at the plant and what some of the
11 concerns were. They were, obviously, willing to put
12 together a test program for us. Their approach would be to
13 do a design review of the switches in a paper-type review
14 first. Do a failure-type analysis on materials in the
15 switches that would be most subject to either failure or
16 corrosion or degradation and then examine a new switch
17 destructively, or at least take it apart and look at the
18 inside and confirm that their engineering review was on the
19 right track and then design us a sequence for examining and
20 testing these switches to establish what had happened to
21 them or see what kind of drift or erratic operation we might
22 have seen out of these particular switches.

23 I am getting a proposal. They are faxing a
24 proposal to me this morning to do that. They had indicated
25 if we elected to go that sequence the first part of that,

1 the engineering review and the test sequence they could have
2 in about a three-week time frame.

3 MR. CHAFFEE: Okay.

4 MR. WARD: I did inform them that the NRC and
5 Calcon and several other people would be interested in
6 looking at the test plan ahead of time and probably
7 witnessing the test.

8 MR. CHAFFEE: Okay. Just a second.

9 I think a couple of people just joined in this
10 line. For those people that did just join, we have another
11 conference call on this line at 11:00, so if you will just
12 hold on for a second we will finish. This is Al Chaffee
13 with IAT. We will finish this dialogue we are having here
14 and then go on to that. So if you would just be patient for
15 a few minutes.

16 Okay. I understand, Lewis.

17 Okay.

18 MR. WARD: Was that what you were looking for?

19 MR. CHAFFEE: Yes. I would have been nice if they
20 could have, here in the short term, just done some -- what
21 would you call them? Sort of a repeatability study, where
22 they just take one of these switches and run it through a
23 number of tests. Let me say it differently.

24 It would have been helpful if they could have, up
25 front, before they did a lot of some of this other stuff,

1 simply take a switch or maybe two switches and simply do the
2 following type of testing, to give us some initial
3 information: Do a test where they were to demonstrate how
4 repeatable the switch's performance was. You know, they
5 just took a switch and did like four or five occurrences
6 where they did carefully-controlled temperature increases
7 and see where the switch tripped and see if it repeated
8 itself with good reproduceability.

9 Do the kind of tests that George had his people
10 did onsite, where they varied the rate of temperature change
11 and see how the switch's set-point changes in regards to
12 that. And then maybe do a set of tests where they would try
13 to introduce through the air some particles of different
14 sizes and see if that had any impact on that switch.

15 And if they could do that testing fairly quickly
16 here, like in the next week, then they could see what kind
17 of results they got with that and then follow that up with
18 some of this more exhaustive testing. The advantage of that
19 would be that we could get some quicker-term type of
20 information in terms of these switches, with the more
21 detailed analysis being done later.

22 [Pause.]

23 MR. CHAFFEE: Well, anyway, we're in the process
24 with the agency of contacting some group -- and we're not
25 sure who it's going to be -- to sort of follow on to all of

1 this.

2 Again, what I just said, I recognize that what
3 Wyle is proposing is probably the long, exhaustive thing
4 that needs to be done to get to the bottom line on all this,
5 and for what it's worth, what I'm saying is that if there is
6 some way that they can provide some short-term feedback in
7 terms of some information about these switches, in terms of
8 their reliability, reproduceability of their results, and
9 some information in terms of their sensitivity to certain
10 types of variations of the environment they were in, that
11 would be helpful, to try to get a feeling for how the
12 problems with these switches could have contributed to what
13 happened here at Vogtle.

14 But again, it's not clear to me that we're going
15 to have all these answers before the IIT report is issued.
16 But to the extent we can, the IIT report will be being
17 published, I think, sometime around May 7th. So, again,
18 what our interest sort of is is to try to see what
19 information we can get before that, to have it in the
20 report, but I recognize that some of this stuff isn't going
21 to be worked out until after the report is published, and it
22 will end up being, probably, something generic that will be
23 handled over the longer term.

24 So, do you understand what I'm saying? If there
25 is a way to get some information --

1 MR. BROCKMAN: They are willing to do whatever we
2 want them to do. If you want to release some of these
3 quarantined switches -- and I'd send it to them this weekend
4 or this coming Monday -- they'll be happy to take them.

5 MR. CHAFFEE: What I'm proposing, what I just
6 talked about is propose that they do just some switches off
7 the shelves, because at this point, what I want to try to
8 make sure we put to bed is to what extent are they just
9 dealing with a switch problem?

10 In other words, if you can take a switch off the
11 shelf and just, you know, run it through its paces,
12 repetitively, the same test and you get good
13 reproduceability, that tells you at least one thing. It
14 tells you that its characteristics don't change just as a
15 matter of sitting there in the bath.

16 And then if you do a couple of tests like they did
17 at the site, where they varied the temperature over a bigger
18 range than what they were able to do at the site, then you
19 put to bed the fact of how sensitive the switch is to the
20 rate of temperature change.

21 If you then do a couple of tests with a switch off
22 the shelf where you go through and maybe introduce some
23 varying size particles and get a feeling for to what extent
24 that can cause a problem in a switch, then what you've done
25 is you've then sort of tested the environment for a good

1 switch that you got from the manufacturer in terms of sort
2 of the parameters that it will work with, and then at that
3 point, once that's done, then you can do that with -- in
4 conjunction with the other study that they wanted to do to
5 set yourself up for them going out and looking at what the
6 specific failure mode was on the switches that are
7 quarantined.

8 But at least it puts to bed some of the folklore
9 that exists. I mean, you know, some people have told us
10 that the rate of temperature change impacts the set-point on
11 the switch. The results that George had done at the site
12 tends to repudiate that.

13 We've also been told that if you get some
14 particulate in there, perhaps that could impact the switch.
15 Well, it would be nice to know if that, in fact, is true or
16 not.

17 It would also be nice to know -- we've also had
18 situations where the licensees calibrated the switch, only
19 to find a day later it's not calibrated. Well, it would be
20 nice to know whether or not that is because the switch is
21 just poor repeatability, that it can drift all over the
22 place on its own, or in fact, it's something of above and
23 beyond that. It would be nice to put to bed the fact that a
24 switch does have good repeatability and, therefore, that if
25 the calibration is changing, it must be due to something

1 occurring to that switch from the time it's calibrated until
2 the time it's installed. Another thing might be to see --
3 you know, maybe somehow try to see if there is some way
4 handling could cause problems.

5 So, there's some type of tests that Wyle could do
6 that could be done, you know, sort of leading into some of
7 these detailed material analyses that they want to do, but
8 there's some of the type of tests that they could do, you
9 know, perhaps in the short term, to try to quantify the
10 problems we're dealing with.

11 At this point, from what we saw at the site, you
12 know, we're up here having the suspicion that perhaps a lot
13 of the big problem is just the fact that it turns out that
14 the bottom of that sensor -- you can rotate the bottom of
15 the sensor, and if you can rotate the bottom of the sensor,
16 it has exactly the same equivalent effect as if you were
17 doing a reset in the calibration. By that, I mean one
18 rotation of the sensor bottom is equivalent to 100 degrees
19 change in calibration set-point, which is identical to an
20 action being done at the top.

21 So, you know, sort of almost like a rehearsal of
22 how the things are calibrated might much more quickly lead
23 to what's going on in terms of these sensors than some of
24 the more exhaustive things that may still need to be done.

25 If they find that reproduceability is really bad,

1 then that's when you get into looking at the materials and
2 things of that nature.

3 MR. BROCKMAN: Okay. I will approach them with
4 that today.

5 MR. CHAFFEE: You have the drift of what I'm
6 talking about.

7 MR. BROCKMAN: Okay.

8 MR. CHAFFEE: Okay. We need to have a fax number
9 to send this stuff down that Rick has for the matrices of
10 switch data.

11 MR. WARD: I will call Cherie and give her the fax
12 number.

13 MR. CHAFFEE: Okay.

14 Again, Lewis, if all this stuff I just said -- if
15 you guys don't agree with that -- this has to be your test
16 program, not my test program, and I've only thrown out ideas
17 of things that I think you should consider.

18 You guys, in conjunction with your own
19 organization, need to think through in your own minds what
20 sort of test program you need, and I appreciate the fact
21 that, where you can, it would be the concept of trying to
22 make it responsive to the IIT, and I think you can do that,
23 but still, you know, you need to use your own technical
24 expertise in terms of deciding what sort of testing is
25 appropriate, in discussions with Wyle.

1 MR. WARD: Okay. What's your extension number,
2 Al?

3 MR. CHAFFEE: It's 492-7229.

4 MR. WARD: Okay.

5 All right. I understand what you're driving at,
6 and I'll apply my expertise, but I do want to run it back by
7 you before we go charging off.

8 MR. CHAFFEE: Okay. And I'd like you, when you do
9 that, to talk to Rick Kendall. He is the one on the team
10 who has the lead on the diesel, and his number is 492-7318.

11 MR. WARD: Okay. Sure will.

12 MR. CHAFFEE: Okay.

13 Thanks. That's all we had, unless somebody else
14 has any comments.

15 MR. BOCKHOLD: No comments from the site.

16 MR. CHAFFEE: Okay. Thank you.

17 MR. WARD: Thank you.

18 [Whereupon, at 11:02 a.m., the teleconference was
19 concluded.]

20

21

22

23

24

25

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission


in the matter of:

NAME OF PROCEEDING: Telephone Conference

DOCKET NUMBER:

PLACE OF PROCEEDING: Bethesda, Maryland

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



JON HUNDLEY
Official Reporter
Ann Riley & Associates, Ltd.