UNITED STATES NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:

DOCKET NO:

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE ON HOPE CREEK GENERATING STATION, UNIT 1

LOCATION: PHILADELPHIA, PENNSYLVANIA PAGES: 1 - 151

DATE: WEDNESDAY, NOVEMBER 28, 1984

R-04 of All LPDR, delete B. white and return original to B. white, N-1016

Add Dave Wagner

8412050159 841128 PDR ACRS T-1356 PDR ACE-FEDERAL REPORTERS, INC.

Official Reporters 444 North Capitol Street Washington, D.C. 20001 (202) 347-3700

NATIONWIDE COVERAGE

CR21106.0 CLK/sjg		1
1	UNITED STATES OF AMERICA	-
2	NUCLEAR REGULATORY COMMISSION	
3	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS	
•	SUBCOMMITTEE ON HOPE CREEK GENERATING STATION, UNIT 1	
5	Chaustan University City	
6	36 and Chestnut Streets Philadelphia, Pennsylvania	
7	Wednesday, November 28, 1984	
8	The subcommittee meeting convened at 2:30 p.m.	
9	DDFCFNT.	
10	C FIEPP	
11	J. EBERSOLE M. CARBON	
12	C. MICHAELSON	
13		
15		
16		
17		
10		
10		
20		
20		
- 22		
23		
-Federal Reporters, Inc.		
25		

Lynette

DR. SIESS: The meeting will now come to order. daniels 1 This 2 is a meeting of the Advisory Committee on Reactor Safeguards 3 Subcommittee on Hope Creek Generating Unit. I am C. P. Siess, Subcommittee Chairman. 4 5 The other ACRS members present today are, starting on my left, Mr. Carbon, Mr. Ebersole, Mr. Michelson; and we 6 7 also have a consultant, Mr. Pomeroy. The purpose of the meeting is to review the applica-8 tion filed by Public Service Electric and Gas Company for a 9 10 license to operate Hope Creek Generating Station Unit 1. 11 This meeting is being conducted in accordance with 12 the provisions of the Federal Advisory Committee Act and the 13 Government in the Sunshine Act, and the designated Federal employee for the meeting is Mr. Gary Quittschreiber, at the 14 15 end of the table; and Mr. Med El-Zeftawy, on my right, of the ACRS staff is helping in that respect. 16 17 The rules for participation in today's meeting have been announced as part of the notice of this meeting previously 18 published in the Federal Register on November 9 and November 21, 19 1984. 20 A transcript of the meeting is being kept and will 21 be made available as stated in the Federal Register Notice. It 22 is requested that each speaker first identify himself or herself 23 and speak with sufficient clarity and volume, and I replace that 24 phrase, use the microphone. I don't know if volume is going to 25

help you without a microphone in here, so he or she can be heard, not only by the audience, but by the reporter.

3

We have received no written statements from members 3 of the public. We have received no requests for time to make statements from members of the public. We have the most 5 recently revised agenda. Do all the members of the subcommittee 6 have the most recent one? 7

MR. QUITTSCHREIBER: It is in the book.

DR. SIESS: Okay. I haven't looked at the book yet, 9 which calls for the meeting to start at 2:00 o'clock, and to go 10 this afternoon until about 6:00 o'clock. We are starting about 11 a half an hour late, which suggests on the basis of my exper-12 ience that we will be ending somewhat more than a half hour 13 late today. But we will try to keep within the allotted times. 14 And I use the "we" advisedly because it is usually the sub-15 committee that is responsible for overruns, rather than the 16 presenters. 17

Was there something postponed? I&E was 18 scheduled for this afternoon and had to be postponed or are 19 they scheduled for tomorrow? 20

MR. EL-ZEFTAWY. No, Region I, they will appear 21 tomorrow at 10:25; Item 2-B. 22

DR. SIESS: Okay. So we gain a short amount on 23 Item 2-B, Construction Experience -- Noncompliance During 24 Construction, the report from Region I. I still call them I&E, 25

3

1

2

4

but they are officially a region now. Mr. Starstucky from the 1 region will be in tomorrow to give that report. 2

4

We have tried to include on the agenda those matters 3 that it is customary to look at, as well as those matters which 4 are of particular interest to the ACRS at this time. We may not 5 have succeeded. And occasionally we may need to deviate. I 6 believe that there were some questions posed by members of the 7 subcommittee during the site tour this morning that answers will 8 be provided some time today or tomorrow. If those answers 9 should come at appropriate places within the subject matter, 10 fine. If not, if the applicant will let us know whether they 11 are prepared to present those, we will set aside a sufficient 12 amount of time. And, if there are some that still remain un-13 answered, we can defer answers to the full committee meeting. 14 But I would prefer not to do that because we will obviously 15 have more time today and tomorrow than we will have during the 16 full committee meeting. 17

> Does that take care of your open questions? Max, do you have anything?

DR. CARBON: No.

18

19

20

21

22

23

DR. SIESS: Are there any comments on the agenda from members of the subcommittee? If you look through it and see items you would like to add, just let me know. Equally important, if there are some items that you would personally 24 prefer to delete, or truncate, and if there is any sort of a 25

consensus on that, we will so inform the people that are 1 planning to present it. 2 We should not, however, defer portions to the full 3 committee meeting. Rather, we should try to take care of as 4 many things here as we can that we can eliminate from full 5 committee consideration. We have a good representation here. 6 Did all of you get the staff's SER in time to 7 look at it? One day? 8 DR. EBERSOLE: That was a special case. 9 DR. MICHELSON: I had plenty of time. 10 DR. SIESS: You had plenty of time. 11 Max, did you have plenty of time? I had a good 12 amount of time. 13 So I am going to suggest that people that are 14 making presentations can make an assumption that -- and this 15 applies somewhat to the staff more than the licensee -- I will 16 have to keep calling you an applicant. You are a licensee for 17 another plant. And I think it will apply in particular to the 18 staff's presentation, because that is their document. But you 19 can assume we have at least looked at it, and maybe read it. 20 Or those portions of it. Nobody has read it, I am sure. 21 Have you read it? 22 MR. WAGNER: I have read it. 23 DR. SIESS: You have read it all. That is one 24 person in the NRC that has read the whole thing. 25

MR. WAGNER: But I may not have retained it all. 1 Yes. It is unbelievable, but I will --DR. SIESS: 2 we will start off with the staff. Mr. Wagner is Licensing 3 Project Manager, and I will turn it over to you. And I think 4 we can do this in a lot less than an hour. 5

6

MR. WAGNER: We will try.

Thank you, Dr. Siess.

6

7

15

16

17

18

19

20

21

22

23

24

25

Good afternoon, ladies and gentlemen. My name is 8 David Wagner and I am the Licensing Project Manager for the 9 Hope Creek Generating Station for the NRC. Other staff members 10 with me here today include Mr. Albert Schwencer, Chief of 11 Licensing Branch No. 2 sitting at the table. In the audience 12. we have John Chen, Fred Allenspach, and Phyllis Sobel from NRC. 13

Tomorrow we will be joined by Region 1 personnel. 14 Right now we expect Richard Starstucky and Bill Bateman, the Hope Creek Resident Inspector, to be in attendance.

Many of you may remember the Hope Creek Generating Station as the Newbold Island Nuclear Generating Station. In 1970, Public Service applied for a construction permit for the Newbold Island Nuclear Generating Station. The site for Newbold Island Station was in the top of Bordentown, in Burlington County, New Jersey, which is about six miles south of Trenton on the Delaware River.

Due to population concerns, the physical plant of Newbold Island was relocated to Artificial Island, New Jersey, adjacent to Public Service's Salem Generating Station, which was
 then under construction.

In December of 1982, Public Service announced
the cancellation of Hope Creek Unit 2, which was then about
eight percent completed. With the exception of the containment,
Hope Creek is very similar to other plants recently reviewed by
the NRC, such as Limmerick and Susquehanna.

(Slide.)

8

18

23

9 MR. WAGNER: By the way, all these slides are in10 your handout, the NRC presentation.

Major licensing activities, and whether they were or will be completed are shown on this slide. As indicated, the OL application was docketed in March of 1983. In June of 1984, the draft environmental statement was issued. The final environmental statement is scheduled to be issued within the next couple of days. Of course, the staff's safety evaluation report was available earlier this month.

(Slide.)

DR. SIESS: I think you can skip that slide. ASLB and ACRS are separate distinct entities and we don't usually get involved in their business and they don't usually get involved in ours.

(Slide.)

24 MR. WAGNER: A number of the key design features 25 included the safety auxiliary's cooling system and concrete

1 secondary containment building.

2	Regarding the safety auxiliary's cooling system,
3	which Public Service calls the Sacks, I think it is important
4	to note that the Sack system forms an intermediate closed
5	cooling loop. On one side, you have the station service water
6	system. On the other side of the loop you have plant systems.
7	So regarding brackish water intake, the safety auxiliary's
8	cooling system essentially is a barrier to other plant systems
9	from this brackish water.

In fact, the only components the brackish water from
the Delaware Estuary sees are the four Sacks heat exchangers.

Regarding the concrete secondary containment, some of the other BWR plants are not fully reinforced concrete, as are Hope Creek. On Hope Creek, the lower levels, the upper levels and the roof are reinforced concrete. On some other plants, although the lower levels are reinforced concrete, the upper levels and roof may be comprised of sidings.

18 The staff's safety review is based on the Hope Creek 19 FSAR through Amendment No. 7 and additional reports submitted 20 in support of the FSAR. Additionally, numerous site visits, 21 audits and meetings were conducted in the course of the review.

22 The safety review to date, we have approximately 23 15 open items, 37 confirmatory items, and 7 proposed license 24 conditions.

(Slide.)

25

MR. WAGNER: Could you go up one more slide, please? (Slide.) 9

3 MR. WAGNER: Projected now is a table of the open
4 items. The staff has classified as open items for which a tech5 nical resolution has not been reached at this date.

6 DR. SIESS: What I would ask Mr. Wagner to do is put 7 this list up and let's see which ones the subcommittee would 8 like to hear more about. He has a slide for each of these with 9 a little more detail, if you don't remember it. But, first, you 10 just defined open items, and I still, except for OI initials, 11 I am slightly confused between outstanding issues and open 12 items.

 13
 MR. WAGNER: They are the same, sir.

 14
 DR. SIESS: I use all that plus open issues

 15
 while I am writing it down.

You say there are things for which a resolution
has not been --

MR. WAGNER: Reached.

1

2

18

19

23

DR. SIESS: -- reached.

20 But this list really falls into two categories. 21 There are several of these items where the resolution hasn't 22 been reached simply because you haven't finished your review.

MR. WAGNER: That is true.

24 DR. SIESS: Which could have been said about25 anything a few months ago, and presumably you will finish your

1.11	
1	review. When you finish your review, they may still be
2	unresolved issues at that point. You don't know now.
3	MR. WAGNER: That is right.
4	DR. SIESS: There are others where there is a
5	difference of opinion or position between the staff and the
6	applicant as to whether they have properly met the NRC licensing
7	criteria.
8	MR. WAGNER: Well, we really don't see any differing
9	technical positions on any of these open items as yet.
10	DR. SIESS: Okay.
11	Now I would like to know what the status of the
12	Riverborne missile is, and how it might be resolved.
13	MR. WAGNER: First, would you like the status of
14	what the issue is.
15	DR. SIESS: Well, you can put the next slide up and
16	tell us briefly.
17	DR. MICHELSON: Are we going to leave this one now?
18	DR. SIESS: This is number one.
19	DR. MICHELSON: Just number one, all right
20	MR. WAGNER: All right. I will leave it to you
21	folks to read the summary that has been provided. Basically,
22	during the probable maximum hurricane, the ten percent excedence
23	high tides, the staff and applicant agree that about 12.3 feet
24	of water will flood the site. That is a depth above site of
25	12.3 feet of water. The basis of our concern is standard

1 review plan section 3.5.1.4, entitled "Missiles Generated by 2 Natural Phenomena" in which it states the staff reviews possible 3 hazards due to missiles generated by design basis flood. 4 DR. SIESS: Has that always been in the standard --5 MR. WAGNER: It has since the --DR. SIESS: This is the first time I have seen the 6 7 issue raised. I am not saying it is not a legitimate issue, but missiles generated by natural phenomena has nearly always been 8 9 tornadoes. MR. WAGNER: There is another section about tornadoes. 10 I think this is the first time floating missiles have ever 11 been investigated. I don't know that for a fact. 12 DR. SIESS: Not the first time they have ever had 13 the potential but the first time anybody ever thought of them 14 15 under 5.51. MR. WAGNER: Well, I don't know about that. 16 DR. SIESS: We just went through the SEP plants 17 most of which get flood levels well above grade, and nobody 18 thought of it there. 19 MR. WAGNER: Well, location has a lot to do with 20 this. Specifically, the staff is concerned about Riverborne 21 traffic, either breaking loose in Philadelphia or out in 22 the bay. 23 DR. SIESS: Something that is big enough to damage 24 a plant but small enough to float. 25

1	MR. WAGNER: That is right.
2	DR. SIESS: When you say 12.3 feet above the site
3	grade, how do you define the site grade? Is that ground level
4	outside the building service water building, and somebody
5	said the flood level was up to the top of that concrete
6	structure.
7	MR. WAGNER: I think it is important first to really
8	ize what elevations the plant is at. At the service water
9	intake structure, the plant is elevanted, either surface is
10	at 10.5 mean sea level.
11	Going up to the plant itself, it is at 12.5 mean sea-
12	level. That is the outside.
13	DR. SIESS: So there is only two feet difference?
14	MR. WAGNER: That is right. It slopes up.
15	DR. SIESS: Then whoever told us that was wrong
16	because that building is at least 20 feet high.
17	MR. WAGNER: Well, flood protection doesn't always
18	it doesn't singularly occur. I am talking about the elevation
19	of the soil. Now the service water intake structure is flood
20	protected up to an elevation of 39 feet, which is about 27, 28
21	feet above the level of the site at that point.
22	Flood protection means it is protected against the
23	static and dynamic effects.
24	DR. SIESS: Okay. So your concern here is that
25	something with a draft less than 12.3 feet could float in and

1 hit the building.

2

25

MR. WAGNER: Yes.

3 DR. SIESS: Was it the building or was it the
4 waterproof doors? Which is your principal concern, or both?
5 MR. WAGNER: Right now the principal concern has to
6 do with the door.

DR. CARBON: The doors of the intake structure.
 MR. WAGNER: Floods of the safety-related structure.
 DR. SIESS: To protect the plant against floods of
 this level, they have to be water-tight doors that are normally
 accessed.

What does it take to resolve this, and what -- I will
ask the applicant to tell us what his proposal is. You can
just tell me his proposal if you think you are near resolution.

15 MR. WAGNER: Okay. Right now the applicant has 16 submitted a probability analysis on this event, and the staff 17 is reviewing it. In fact, we have hired a wind engineering consultant from the National Bureau of Standards to look at 18 some of the assumptions Public Service has made. The time line, 19 conclusion of Public Service's report is that the probability 20 of this occurring, a ship or any, really any type debris; a 21 car, some kind of tank floating down the river during PMH and 22 compromising plant safety is of the order of ten to the minus 23 eight. 24

DR. SIESS: Why was a probabilistic approach taken

1 rather than a deterministic approach of seeing what the doors 2 could resist because nobody could decide what force would be 3 on the doors?

MR. WAGNER: For static flood protection -DR. SIESS: No, I mean for the barge or something
that hits a door.

7 MR. WAGNER: We really haven't gotten that far into8 the review.

9 DR. SIESS: That is not in the review if it is
10 probabalistic. Ten to the minus eight, you forget about it.
11 MR. SCHWENCER: Al Schwencer from NRC staff.

At the time the question came up, our review plan does permit another applicant to take a probabilistic approach in this area. We did pose that question and they, at that point, may wish to speak with us further today, but at that point, they -- they did not choose to address what it would take to fix the "what if" that you are asking.

DR. SIESS: Yes. Well, it is not a question that needs to be answered. There are two possible approaches and I think I know why they took the probabilistic one, because somebody would have to define what force that door has to resist. I don't know whether that is any easier or more difficult than a signing probabilities.

24

25

What is that reason or have you got a better one? MR. PRESTON: Bruce Preston, Licensing Manager,

1 Public Service. We plan to have a full presentation on this 2 topic tomorrow.

3 DR. SIESS: We don't really want a real long presen-4 tation, if the thing is -- somthing has been proposed. 5

MR. PRESTON: Okay.

6 DR. SIESS: And the possibility that the staff 7 accepts it, you see, then why should we listen to the argument?

8 MR. PRESTON: Yes. We have done some additional 9 analysis that indicates the doors could withstand the forces of a certain spectrum of missiles. It is the large craft that 10 the probability case rests on. 11

DR. SIESS: Okay. Now you came up with ten to the 12 minus eight. That must be at least in two parts. One is 13 the part the site will be flooded to that depth and the second 14 is the part that there will be a craft that jets loose some-15 where. I guess there could be a third part, that it actually 16 17 hits a particular target.

MR. PRESTON: Yes.

18

19

DR. SIESS: What is the probability for it?

MR. PRESTON: I would like to call Bob Louglas up to 20 discuss the numbers. 21

DR. SIESS: How many of these open issues are you 22 planning to make presentations on because they are open issues? 23 MR. PRESTON: The most specific one was the flood. 24 DR. SIESS: That was the only specific one? 25

MR. PRESTON: We also plan to make a presentation
 on generic material problems.

16

3 DR. SIESS: Yes. Well, that is a generic issue.
 4 MR. PRESTON: In a sense it could relate to the
 5 ISI issue. That is an open item.

DR. SIESS: We want to hear that.

6

22

23

24

25

7 DR. DOUGLAS: Bob Douglas, Manager, Licensing 8 Analysis, Public Service. The probability of the flood level 9 of 12 feet existing on site that could cause the floating 10 missiles to impact on safety-related structures is about ten 11 to the minus fifth per year.

DR. SIESS: So you have got theother ten to the minus three on the missile being there and hitting a certain thing, or did you assume if it was there it would hit the door?

DR. DOUGLAS: We looked at the number of potential missiles that would be within a certain radius of the site and the probability of those ships and other missiles, then, getting on to the site. And then hitting an area which defined all the safety-related structures. The combination of those factors times the probability of the MH condition that gave us the overall factor of approximately ten to the minus eight.

DR. SIESS: At what level does the staff say no problem? Is ten to the minus eight your criterion or ten to the minus seven or six?

MR. SCHWENCER: Dave, help me if I don't remember

this correctly. But if it is a conservative analysis, we have a 1 2 threshold of ten to the minus six. 3 DR. SIESS: Ckay. MR. SCHWENCER: If it is a nonconservative --4 5 DR. SIESS: Let's say realistic. 6 MR. SCHWENCER: Ten to the minus seven. 7 DR. SIESS: They have got a factor of ten, depending on the analysis. You have got a consultant looking at this, 8 you said? 9 MR. WAGNER: Yes. 10 11 DR. SIESS: Who? MR. WAGNER: We have Emil Simiu from the "ational 12 13 Bureau of Standards. Dr. Simiu. DR. SIESS: What is he, a statistician? 14 MR. WAGNER: His official title is wind engineer. 15 DR. SIESS: Well, that is pretty good. Anybody 16 else want to explore this issue? Get the list back up for us, 17 please, the previous slide. 18 (Slide.) 19 DR. SIESS: No. 3, equipment qualification. 20 Yes? 21 DR. MICHELSON: Yes, I have a few questions on it. 22 The difficulty is, as pointed out in the slide to be used, 23 the staff is just getting started, so to speak, looking at the 24 details. I looked at the licensee's presentation, or 25

applicant's presentation, and didn't really find any appropriate
 category comparable to equipment qualification. Maybe I missed
 it. Is there going to be no discussion of equipment -- yes,
 excuse me. 9:15 tomorrow morning, "Environmental Qualification
 of Equipment". I will hold my questions until then.

DR. EBERSOLE: I have a few questions.

7 DR. SIESS: You might want to look through the book
8 at that part of it and see if it is covered.

Jesse?

6

9

DR. EBERSOLE: I read what I could find in the SER 10 11 on that copic and found nothing that satisfies this question. 12 I see no explicit language that says we know in fact that the 13 valves in this plant have dynamic competence to intercept faulted flows. It is the old question, you know, which erupted 14 years ago when we found out the containment butterfly valves 15 used for purging were not even specified to close against the 16 dynamic flows which would emerge from a LOCA, thus the contain-17 ments were nonexistent. 18

19 It is part of 3.10 in the SER. As a matter of20 fact, it is C-E.

DR. SIESS: Yes, but what I was going to say,
Jesse, is that is not equipment qualification in the sense that
it is used here.

24 DR. EBERSOLE: I read it, however -- seismic and 25 dynamic qualification is packaged in one topical area.

1 DR. SIESS: Let me ask the staff. Is that type 2 of qualification included under the equipment qualification 3 review? 4 MR. WAGNER: Yes, I believe it is. 5 DR. EBERSOLE: I found again as I usually find, 6 no explicit --7 DR. SIESS: They haven't done it yet. 8 DR. EBERSOLE: They don't say they are going to do it. 9 MR. WAGNER: We are going to do it. 10 DR. EBERSOLE: Okay. 11 DR. MICHELSON: I assume tomorrow morning at 9:15 12 we will find out what the applicant has done or is doing 13 or intends to do. 14 DR. SIESS: Is that correct? 15 MR. PRESTON: That is correct. 16 DR. SIESS: Fine. 17 There are other items in the same category. Pre-18 service inspection program, you are still reviewing, am I 19 correct? 20 MR. WAGNER: Yes, we are. 21 DR. SIESS: Or you will review it when you get it. 22 MR. WAGNER: They have submitted a preservice 23 inspection program. One of the next slides might state our 24 concern. That is it. Generally the staff believes the preservice inspection plan looks pretty good except for one area 25

1 having to do with some corrosion resistance cladding applied to 2 from recirculating line welds. 3 DR. SIESS: The concern is about being able to 4 detect flaws through the cladding. 5 MR. WAGNER: Yes, they have applied inside and 6 outside diameter cladding to the welds. 7 DR. SIESS: This is unique to Hope Creek. 8 MR. PRESTON: No, sir. Other utilities are 9 utilizing this particular method to protect themselves against 10 intergranular stress corrosion cracking. 11 DR. CARBON: I am puzzled. Why is there a question 12 here? 13 DR. SIESS: I think the question is whether the 14 measure that has been taken to prevent cracking also prevents 15 the ultrasonic testing needed to detect cracking if you didn't 16 take measures to prevent cracking. 17 DR. CARBON: Estuary either it is being done 18 differently here or --19 MR. PRESTON: I can just bring you up to date on 20 this particular issue. We did have a meeting with the staff 21 on Monday of this week, where we made a demonstration to them 22 of our ability to inspect this type of clad pipe. The issue 23 we still have is the staff would like us to demonstrate that we 24 can effectively determine the crack on a piece of pipe that is 25 actually intergranularly stress corrosion cracked. We have

been unable to obtain a piece of pipe that has that type of
 a crack in it, and is also clad the way our pipe is clad. That
 is basically where we stand at the moment.

21

DR. SIESS: There have been tests made of UT techniques on actual cracks, haven't they, in the more recent rounds? Some of the earlier tests were made on artificially formed cracks but they have taken out some actual pipe that had intergranular cracks and tested them.

9 MR. SCHWENCER: But I am not aware of in this
10 configuration.

DR. SIESS: No, but there are none with the clad? MR. SCHWENCER: None I am aware of, no.

DR. SIESS: Is the issue the clad itself or surface of the clad?

15 MR. PRESTON: Sir, I believe the issue we have with the staff is the fact that our pipe is both OD and ID clad. 16 17 The demonstration we did for them on Monday, the only pipe we could get that resembled our pipe was pipe that I believe had 18 what they call a belly band applied to it, or OD. What they 19 would like is a pipe that is OD and ID clad that has cracks in 20 it, and then for us to demonstrate we can adequately see those 21 cracks. 22

> DR. SIESS: What piping is this used on? MR. PRESTON: It is the recirculation piping. DR. SIESS: All the recirculation? There is sort of

2

11

12

23

24

a Catch-22. If the thing really works, you will never find any
cracks in a pipe to test it on. So if you have got a really
good system to prevent intergranular stress corrosion cracking,
you can't use it. The more perfect the system is, the less
chance there is of being able to use it because if it is perfect,
you are never going to find a pipe that was naturally cracked.
So how do we get out of this one?

MR. SCHWENCER: I don't know whether we know today 8 9 how we are exactly going to get out of it. I can conceive ask-10 ing for something as a licensing condition that says we might 11 like to take a look at sample or require some demonstration as 12 he has indicated. We had asked to see if we could get a speci-13 man to demonstrate that it can do it. Whether they can develop 14 a laboratory between now and the time we would consider it 15 timely resolved, they can find a test specimen, that may be one 16 way it gets resolved.

DR. SIESS: It would be nice if they could demonstrate it, but I think before I would want to ask them to do it, would like to be sure it is possible to do it. I hate to ask somebody to do something that is impossible. I wonder if you metallurgists or metallurgical consultants have suggested it is possible to produce an intergranular stress corrosion crack in something like this.

MR. SCHWENCER: I think the safe thing to say is it

25

24

1 is under active discussion and they may convince us on argument 2 that they are okay, but at present, we have a concern, but 3 we are not satisfied yet.

DR. SIESS: You have one obvious approach. That is to let it go as it is, and when it cracks, you will find out. We seem to be accepting the leak-before-break concept.

7 DR. SIESS: Right now I would say there has been enough intergranular stress corrosion cracking in BWR piping 8 system that I don't particularly feel uncomfortable about it 9 being a calamity. It is going to be detected, and it is going 10 to be fixed. A lot of the cracks we found weren't found by 11 UT. A lot were found by water coming out of them. The first 12 we found, if I recall, at Nine Mile Point was the leak detec-13 tion system was it dripped on somebody's head. 14

MR. SCHWENCER: That certainly would be one way
if that became the first specimen to test.

DR. SIESS: It would be a nice way because you
might never get it.

Yes?

19

20

DR. MICHELSON: Clarification.

Is Hope Creek now going to use four injection lines
for LPCI, directly into the vessel slide? I read it two
different ways in two different parts.

24 DR. SIESS: The Newbold Island modification, does 25 it stay for Hope Creek?

1	MR. PRESTON: Yes, sir; that is correct.
2	DR. SIESS: How did you make the attachments to the
3	vessel and what are the materials for the piping system?
4	MR. PRESTON: For that question I would like to
5	bring up Mr. Rogozenski to respond to that.
6	DR. MICHELSON: While he is coming up, you can
7	answer a couple other questions. The HPCI, as I understand it,
8	will inject into the core spray line. Is that still the case?
9	DR. SIESS: The HPCI goes in through four nozzles.
10	DR. MICHELSON: No, that is the LPCI. I read one
11	place it sent through core spray and read another place one
12	of the alternate flow paths would be to the feedwater line. So
13	I am not sure which is which. What is the intention?
14	MR. PRESTON: The HPCI injects into the core spray
15	line.
16	DR. MICHELSON: Core spray sparger. What material
17	are you building the core spray line out of?
18	MR. PRESTON: Mr. Rogozenski will address that.
19	DR. MICHELSON: Another related question, not a
20	materials question, that is, this is a question to the staff:
21	Is there any other plant in operation already that uses HPCI
22	injection into the core spray sparger?
23	MR. SCHWENCER: I don't know. We will have to check.
24	DR. MICHELSON: I will be surprised, but perhaps
25	there is one around somewhere. I would like to know what

knowledge we have of the hydraulic instabilities that you will
 get into when you have a depressurizing reactor flashing steam
 in a core spray sparger and injecting cold water with a HPCI at
 the same time.

5 DR. SIESS: I thought high-pressure core sprays were 6 standard now.

7 DR. MICHELSON: No, but the standard is to inject 8 into the feedwater.

DR. SIESS: No high-pressure core spray.

9

DR. MICHELSON: Yes, but there are none of those in operation. We don't have the experience yet. We don't get accidents --

DR. SIESS: That particular item is of interest
because it was a Newbold item feature intended to make the plant
safer.

MR. PRESTON: I would like to clarify a response 16 17 that I gave you, Mr. Michelson. I think this might clear up some of the discrepancies in the literature. One of the changes 18 we initially made at Newbold Island, Hope Creek, was with the 19 high pressure coolant injection system. It was redesigned to 20 permit injection through the core spray sparger rather than 21 into the down-comer region through the feedwater system. As a 22 result of ATWS considerations, a later change was made such that 23 high pressure injection would be made through both the core 24 spray and feedwater systems. 25

DR. MICHELSON: That is the present arrangement. MR. PRESTON: Yes, sir. 26

3 DR. MICHELSON: So part is going into the core 4 spray sparger. So to the extent it goes into the sparger might 5 question pertains. If you don't inject in the sparger the problem goes away. But I would like to see addressed somewhere 6 7 your understanding and knowledge or test data, whatever, on 8 what happens when you inject cold water into a confined core 9 spray sparger in a reactor which is depressurizing, and therefore the sparger water is also depressurizing, it is partly 10 flashed to steam already, and you are injecting cold water into 11 the system. 12

MR. PRESTON: Sir, that would be from a material
point of view.

DR. MICHELSON: From the -- mostly the hydraulic instability you get into from water hammers, condensing knocks and whatever. That reflects on materials of construction.

DR. SIESS: Let me ask a question. I thought that many of the changes that were made for Newbold Island became standard in subsequent BWR designs. Am I completely wrong on that? I thought the high-pressure core spray was in BWR 5's and 6's.

23 DR. MICHELSON: Yes, but they are not in operation 24 yet. The ones you could get some experience on. You have got 25 to be in operation a while and get a depressurization and an

26

1

DR. SIESS: That was the last of the fours, was it, 2 and Limmerick was done before this, and Susquehanna. 3 DR. MICHELSON: Limmerick, remember, we asked the 4 same questions. 5 DR. EBERSOLE: Carl, I would like to get further 6 into that because I think GE experimentation and testing has 7 shown the actual literal spray function is no longer needed 8 with the countercurrent flow phenomenon. So this would tend 9 to imply that who cares if the spray ring falls down as long as 10 the water goes in. 11 DR. MICHELSON: You do care, of course, if the, 12 if you somehow break the pipe outside the reactor vessel in 13 the process of doing this. 14 DR. EBERSOLE: Oh, yes, outside, I agree. 15 DR. MICHELSON: It is a stainless steel pipe and 16 you introduce a water hammer --17 DR. EBERSOLE: You are talking about the external 18 portion of the cracking? I see that clarifies it. I thought 19 you were talking about the ring itself. 20 DR. MICHELSON: No, I am not too concerned about 21 that. The problem originates from the confinement of the ring. 22 DR. SIESS: You have raised a concern. I am trying 23 to figure how it might be addressed. Obviously Hope Creek does 24

not have any operating experience. I gather from what response

injection before you will ever see the phenomenon.

1

25

1 we have gotten that this isn't something that has come up 2 before that you have thought about, is it, or GE has thought 3 about?

4

23

MR. PRESTON: To my knowledge, no, sir.

28

5 DR. SIESS: Is it something you would like to have 6 them try to address at the full committee meeting, consider 7 it a generic matter we should explore --

B DR. MICHELSON: We have already explored it a little 9 in discussing this potential with core spray systems in general. 10 I just wondered since this is now a specific example of a 11 plant about to go on line, I wondered if they had any experimen-12 tal information or otherwise on it?

13 MR. PRESTON: Sir, we would attempt to provide the
14 additional information before the two days are over in response
15 to Mr. Michelson's questions.

DR. SIESS: Okay. If you can get something at this meeting, if not we will decide whether we want to hear it at the full committee meeting.

19DR. MICHELONS: I would like to get the material20answers which the gentleman was going to give us.

21 DR. SIESS: What materials are used in the piping 22 that leads into the vessel?

DR. MICHELSON: Yes, both the LPCI and HPCI.

24 MR. ECKERT: While he comes up, the other question 25 you asked, if we can't get back to you today or tomorrow, we

1	will certainly try to get to you before the full committee
2	meeting.
3	DR. MICHELSON: I am not trying to trap you or
4	anything. I just wondered what information you might have or
5	what thoughts you have on the matter, whatever.
6	MR. ECKERT: We will get it to you.
7	DR. ROGOZENSKI: Joe Rogozenski, Principal Engineer,
8	Piping and Materials, Public Service.
9	I would like to address the safe-end connections
10	to the reactor pressure vessel nozzles. There are questions
11	regarding the low-pressure injection. That is carbon steel
12	and for the core spray, 304(1) grade. We would have 304(1) grade
13	for the so as far as investigation corrosion cracking, we
14	have applied a remedy through the application of the low carbon
15	grade stainless steel.
16	DR. MICHELSON: The LPCI injection then will be a
17	stagnant leg in a carbon steel system, then, below the water
18	line? Is that right?
19	DR. ROGOZENSKI: Non-flowing, right. It would be
20	stagnant.
21	DR. MICHELSON: Do you have any comments on the
22	water chemistry control for that leg?
23	DR. ROGOZENSKI: Sir, I would have to defer the
24	water chemistry, quality of the water to the
25	DR. MICHELSON: That is all right.

1 DR. SIESS: They are going to address water chemistry 2 tor prrow. 3 DR. MICHELSON: Thank you. 4 DR. SIESS: Max. 5 DR. CARBON: My curiosity is getting the better of me. 6 With regard to item three, why wouldn't it be practical to take 7 a piece of pipe with some stress core errosion cracking in it 8 and then plate it and see if you can detect it ultrasonically? MR. PRESTON: The pipe that is currently available 9 10 that has been stress corrosion cracked and cut out of various 11 plants, they have applied the belly band fix as a temporary 12 measure. We can get that particular pipe to sample. The prob-13 lem is that when they applied the belly band material, or 14 cladding, that the cracks closed up. Therefore, to detect a 15 closed crack kind of defeats the purpose. DR. CARBON: J guess you are saying there is no way 16 17 to take it. MR. PRESTON: We are anxious, of course, to reach 18 resolution on the issue, and we are looking at a way to resolve 19 20 the staff's concerns with an actual specimen. DR. SIESS: Did the question come up in your own 21 mind? Did you plan to do UT on this pipe? 22 23 MR. PRESTON: Yes, sir. DR. SIESS: When you plan it, did this issue come up 24 25

		31
1	in your own minds, effectiveness of going through the plan?	
2	MR. PRESTON: I would like to defer to Mr. Bob	
3	Brandt responsible for our SI programs.	
4	DR. MICHELSON: I have one more question for the	
5	staff.	
6	To your knowledge, are there any boiling water	
7	reactors now with direct LPCI injection in operation? Is	
8	this the first with direct LPCI	
9	MR. WAGNER: Into the core spray spargers?	
10	DR. MICHELSON: No, low-pressure injection.	
11	MR. WAGNER: I don't know.	
12	DR. SIESS: This was a Newbold Island feature again.	
13	DR. MICHELSON: This is the only plant that that	
14	with that feature?	
15	DR. PRESTON: We understand Limmeric has direct	
16	LPCI injection.	
17	DR. MICHELSON: Gee, I missed it somehow.	
18	DR. BRANDT: I am Bob Brandt, Nuclear Plant Services	
19	Engineer.	
20	We have been looking at this problem since 1979	
21	since we first decided to go with the CRC overlay. At that	
22	time it was mutually agreed upon between General Electric,	
23	Bechtel and Public Service that the overlay could be inspected,	
24	rather, that a code inspection could be performed on this type	
25	of joint, based on calibration standards, existing standards.	

•

We had the same problem then we have today, in that we couldn't get a clad specimen with a crack in it. We put the cladding on so we don't get cracking.

DR. SIESS: Of course, in 1979 we were a lot more
optimistic about detecting cracks in anything.

DR. BRANDT: Absolutely. Since there there have been
a couple of changes. We decided ourselves that just the fact
we could see a notch, a code notch in the calibration standard
wasn't acceptable to us, either. We have been working with
Southwest Research, our ISI contractor and EPRI concurrently
on the problem.

Until recently we had seriously considered going to
field X-ray. The Minac approach since then we have decided
against it, because of recent work done on the UT based on
Nine Mile Point and Peach Bottom problems, there have been a lot
of new developments. And as Mr. Preston pointed out, at our
recent demonstration we had Southwest Research demonstrate a
technique that will provide considerably improved sensitivity.

We still have the same problem with the crack. Our demonstration was two pieces. One was a clad mock-up with the cladding on both the ID and OD, but no crack. Also on a specimen that had a crack that was developed for one of a series of specimens developed for EPRI by IHI that has a crack in it. These pieces we are working with now. The NRC Materials Engineering Branch is asking us, though, to go further and try

to demonstrate on some kind of a crack specimen. That is 1 what we are trying to obtain right now. 2 3 DR. SIESS: The one you have from IHI, what was that, a fatigue crack. 4 5 DR. BRANDT: No, an artificially induced stress corrosion crack but it has to cladding on it. 6 7 DR. SIESS: What is the material, 304(L)? 8 DR. BRANDT: 304(L). 9 DR. SIESS: Anything else on this item? 10 DR. BRANDT: Excuse me. I beg your pardon. The recirculation leep is regular grade, solution-treated. 11 12 DR. SIESS: Solution-treated? 13 DR. BRANDT: Right. 14 DR. SIESS: Okay. 15 The next item is the GDC-51 compliance, the drawer 16 prevention criteria. 17 (Slide.) 18 DR. SIESS: As I recall, the only issue there are some feedwater valves, and the solution would be some ISI. 19 20 MR. WAGNER: That is right, augmented ISI. DR. SIESS: Anybody interested in following that up? 21 I didn't think we would be. 22 23 The next item is solid-state logic modules. As I read the staff report, the question really relates to one type 24 of module and demonstrating its reliability. As I recall I 25

didn't really appreciate that 862, but after the visit this 1 morning, I saw Bailey about 500 times. How many of those are 2 there in the plant? 3 MR. WAGNER: Sir, I don't know. 4 DR. SIESS: Can applicant tell me how many 5 Bailey 862 solid-state logic modules there are? Are we talking 6 about hundreds? 7 MR. PRESTON: I would like to call on Mr. Joe 8 Yaworsky up. 9 MR. YAWORSKY: Joe Yaworsky, Chief Control Center 10 Electrical Engineers. 11 The approximate count is around 2,000, slightly 12 higher. 13 DR. SIESS: The issue suddenly got larger, didn't it? 14 Is the concern with the physical reliability or logic? It 15 says common manual and automatic initial capability. Can staff 16 explain that briefly? 17 Go ahead. 18 MR. YAWORSKY: The concern is that manual and auto-19 matic calls for the same module. Now according to -- 1979 20 and according to regular guide 1.62, one should keep the 21 commonality of such manual and automatic initiation to a mini-22 mal. Our position is that we do have redundant circuits which, 23 in case of failure of their module, would still provide a safe 24 operation or shutdown, as the case may be. 25

1 DR. SIESS: In other words, if one of those several 2 thousand modules failed, it would disable both manual and 3 automatic initiation through that module? 4 MR. YAWORSKY: Through that module. 5 DR. SIESS: What is the staff's position with 6 regard to resolution to this? What are the possible resolutions 7 and where do you stand? 8 MR. WAGNER: I hate to use a cliche, but the 9 Instrumentation and Control Systems branch is reviewing this 10 item. 11 DR. SIESS: That is not a cliche, that is a 12 redundancy. 13 MR. WAGNER: Well, that is the status of it right 14 now. 15 DR. SIESS: What are they reviewing, the whole 16 logic to see if they agree with the level of redundancy? 17 MR. WAGNER: Yes. 18 DR. SIESS: I would have thought that would have 19 been the question they raised in the first place. I mean I 20 would have thought this became an issue because the staff looked at it and said, "Gee, that is not redundant." 21 MR. WAGNER: I believe the staff's concern was 22 23 more of a separation concern. DR. SIESS: Is anybody interested enough in follow-24 25 ing this up that we should try to get somebody from the staff
1 | in or should we just leave it to them?

4

5

6

20

21

24

25

2 DR. MICHELSON: I have one question but not related
3 to the particular concern.

DR. SIESS: Can you find another place to ask it? MR. MICHELSON: No, this is the place to ask it. DR. SIESS: Then ask it.

DR. MICHELSON: The question is, of the applicant,
in the environmental qualification of these modules, what
temperature are you qualifying them to?

MR. YAWORSKY: These modules meet the environmental
 qualifications in the mild environment that they are.

12 DR. MICHELSON: Does that mean none of them are 13 located in areas that become -- well, what is your definition 14 of mild environment, temperature-wise?

MR. YAWORSKY: Mr. McGuire will answer thisquestion.

DR. McGUIRE: Tim McGuire, Controls Engineer.
 The equipment of concern here has been qualified
 to 104 degrees.

DR. MICHELSON: One hundred four?

DR. McGUIRE: Correct.

22 DR. MICHELSON: Am I to assume in no location do
 23 you exceed 104 degrees on these modules?

DR. McGUIRE: That is correct.

DR. MICHELSON: Does that mean all the modules are

in the control room or switch gear room. 1 2 DR. McGUIRE: They are all located in the control 3 equipment, elevation 102. 4 DR. SIESS: That is the one two stories below the 5 control room? 6 MR. WAGNER: That is correct. 7 DR. EBERSOLE: Is this equipment in cabinets of 8 some sort? 9 DR. McGUIRE: Yes. 10 DR. EBERSOLE: Do the cabinets, in order to maintain 11 the local temperature low enough, do they have their own 12 little fan systems? 13 DR. MCGUIRE: Yes. 14 DR. EBERSOLE: What happens if I let a painter in 15 some day, and he decides to put drop cloths over everything, including the side-by-side redundant modules, and this equipment 16 is not intelligent enough to know it has got a fever and may do 17 18 things disruptive to the safety logic. 19 DR. McGUIRE: First of all, the fan systems provided do have alarms on them and there is a temperature monitor in 20 the cabin. So if the temperature does rise, the operator in the 21 22 control room is made aware of it. 23 DR. EBERSOLE: I see. So you have, what is it, 24 audible alarm and a drop? 25 DR. McGUIRE: Yes, an ennunciator window, digital

1 logic trunk.

2	DR. MICHELSON: Perhaps I misunderstood your mild
3	environment of 104. Is that actual temperature to which the
4	module was exposed during its test? And then if it is, how does
5	this relate to an all-cabinet situation where the module may be
6	high in the cabinet and must still stay below 104 degrees and
7	what room temperatures are we dealing with?
8	DR. McGUIRE: The cabinet itself would be in a room
9	at a temperature of 104 degrees.
10	DR. MICHELSON: The cabinet is in a room at 104.
11	So you qualified the modules at somewhat higher temperature
12	then?
13	DR. McGUIRE: Bailey has assured us in their design
14	rates testing of the modules that they will operate to 104
15	degrees. Above 104 degrees they will experience some drift.
16	DR. MICHELSON: Wait a minute. Now, 104 room temper-
17	atures or actual module temperature.
18	DR. McGUIRE: I will have to check that.
19	DR. MICHELSON: Because there is quite a difference.
20	The modules may be in cabinets that have heavy heat loads. Is
21	104 the maximum temperature your control room and auxiliary instru-
22	ment room will ever reach?
23	DR. McGUIRE: I believe the 104 figure was arrived
24	at by assuming that the redundant HVAC systems were lost for a
25	period of 24 hours.

DR. MICHELSON: I can't lay my finger on it for a 1 moment because I read so much but I thought somewhere I read 2 3 under certain loss of power and other circumstances that some of these rooms reached 120 degrees. Maybe I misread. You are 4 5 saying none ever reach over 104? DR. McGUIRE: Not the control room or control 6 7 equipment. 8 DR. MICHELSON: All right. DR. EBERSOLE: It is fair to say then that the 9 operation of the plant is in fact dependent on the air condition-10 11 ing system? DR. McGUIRE: Yes. 12 DR. EBERSOLE: Because what is the safety? I have 13 an observation, not necessarily. Is that correct? 14 DR. McGUIRE: Operation of the circuits is somewhat 15 questionable above 104 degrees. 16 DR. SIESS: Are these circuits control circuits 17 or protection circuits, or both? 18 DR. McGUIRE: Control circuits basically. Protec-19 tion circuits are within the GE cabinets. 20 DR. EBERSOLE: If I go to the control center, do 21 they depend upon the circuits to do what they have to do? 22 DR. McGUIRE: Referring to the shutdown valves? 23 No, not at that point. 24 DR. EBERSOLE: So you can achieve safe shutdown 25

1	without the modules?
2	DR. McGUIRE: That is correct.
3	DR. EBERSOLE: So you can argue then that the safety
4	is not dependent on them.
5	DR. MICHELSON: One more clarification. Are your
6	GE modules rated for higher temperatures than Bailey?
7	DR. McGUIRE: I believe GE was given the same
8	temperature.
• 9	DR. MICHELSON: Generally it is 104. I don't
10	disagree. I just want clarification. So you are talking about
11	both protection system and control systems.
12	· DR. McGUIRE: Certainly they are in the same
13	environment.
14	DR. MICHELSON: I think their ratings are probably
15	the same although you have to tell me that.
16	DR. McGUIRE: We will doublecheck.
17	DR. SIESS: Anything else?
18	The next item is Possible Accident Monitoring
19	Instrumentation. Reg. Guide 197, which I have a notice
20	under review.
21	MR. WAGNER: I can elaborate on that, Dr. Siess.
22	The applicant has responded to Reg. Guide 197.2. Just
23	recently the results of the review came back in. Generally,
24	Hope Creek looks okay except for four specific instruments. In
25	fact, I don't even think the applicant knows this.

1 DR. SIESS: That is four out of the entire list? 2 MR. WAGNER: That is right. 3 DR. SIESS: What is a passing grade? 4 MR. WAGNER: Well, I think we will have a meeting 5 to discuss these even further. 6 DR. SIESS: I think we can leave that. I didn't 7 think anybody could get all of them. You don't know what the 8 issues are? 9 MR. WAGNER: The instruments? 10 DR. SIESS: No, the issue. Is it the classification 11 of the instrument, or whether it is there, or range? 12 MR. WAGNER: A little of all issues. 13 DR. SIESS: Okay. 14 The next item, I guess, is the question of minimum 15 separation between non-class 1-E conduits and class 1-E 16 cable trace. I understand there were tests made. Staff wasn't 17 satisfied. I think I heard this morning more tests were being 18 submitted. Is that correct? 19 MR. WAGNER: I don't know if more are being sub-20 mitted. 21 DR. SIESS: Can you bring us up to date? 22 MR. PRESTON: Yes, that is correct. We do plan to 23 make another submission on that particular open item. 24 DR. SIESS: The test will simulate the situation you 25 have.

MR. PRESTON: Yes.

1.0	
2	DR. SIESS: Of a conduit in a cable in a conduit
3	and another cable not in a conduit, is that the issue?
4	MR. PRESTON: That is correct.
5	DR. SIESS: Control of heavy loads.
6	DR. WAGNER: Yes. Regarding control of heavy loads,
7	we have issued our status on phase one and phase two of the
8	control of heavy loads at Hope Creek. We did that in the draft
9	SER. Not SER regarding phase one the applicant recently pro-
10	vided information with which the staff feels we can close out
11	phase one.
12	Now, regarding phase two, I have a report from the
13	Auxiliary Systems Branch who does review this area that there
14	are no problems regarding phase two. We don't anticipate any
15	problems.
16	DR. SIESS: You know, I found the staff's review of
17	that rather interesting. I don't know how many of you read it
18	in detail, but there are conclusions in it, like, these are
19	the legalistic-type things. Design is in compliance with
20	general design criteria, X, Y, Z, but it is not in compliance
21	with the guidelines in regulatory guide, or guideline in a
22	branch technical position.
23	Now, if it is a guideline that it is not in com-
24	pliance with, they are free to argue an alternate way of
25	accomplishing it, right?

MR. WAGNER: As long as the alternate method is
 acceptable.

43

3 DR. SIESS: Has the staff ever accepted an alternate method to their own guidelines? I sort of get the 4 impression that the staff reviewers say, "This is what the SR? 5 says. These are our guidelines. This is what we will accept." 6 And if somebody comes in with something different and staff 7 finally accepts it, do they put that in the SRP as being an 8 acceptable way or do they still make the next guy argue the same 9 10 thing through?

MR. SCHWENCER: I think practically speaking the 11 standard review plan is like changing the constitution. It 12 is very difficult and time consuming to do that. Chances are 13 the review plan will stay consistent. But what I can say is 14 that when the staff has found an approach acceptable generally 15 industry by their NOPAD method or whatever very guickly learns 16 of this new way of getting something done. Once we have done 17 it, a particular way and it is generic in nature, we do pursue 18 that on the next case. 19

20 DR. SIESS: Is it harder to change the standard 21 review plan than it is a rule I presume about the same?

MR. SCHWENCER: No, rules are harder.

DR. MICHELSON: On the control of heavy loads, can
you tell me what is the current situation relative to the cask
drop, potential cask drop accident?

43

DR. SIESS: Which end are you concerned about, the 1 craft or what it drops on? 2

44

DR. MICHELSON: I am concerned about the floor it 3 drops on. To help you along, I thought I read "applicant found that it could not tolerate the cask drop. There weren't details 5 as to why. As a consequence, you are focusing on the unlikely nature of the incident instead of on the consequence. 7

MR. SCHWENCER: I think that is essentially correct. 8 I think we have considered the crane is essentially very high 9 reliability, but I am not sure. Have we completed our review 10 of the area, Dave? 11

MR. WAGNER: No, we haven't.

4

6

12

14

15

23

24

25

DR. MICHELSON: Will there be better information 13 at the time of the full committee meeting on this issue?

MR. WAGNER: We can certainly try, Doctor.

DR. MICHELSON: Yes, I would like to hear why. 16 Also at that time would you tell me what other plants can't 17 tolerate cask drops and, you know, kind of in general why that 18 is okay now? 19

DR. SIESS: What part of the floor can't tolerate a 20 cask drop? Which area? I thought the cask drop into the spent 21 fuel pool was settled ten years ago. 22

DR. MICHELSON: No. This is the cask drop into the truck loading area. The torus is directly below the floor and you wouldn't want it to go through the floor.

1 DR. SIESS: What is below it? DR. MICHELSON: The torus. If you rupture 2 3 the torus, then you lose the torus water and you are in potential difficulty if this all causes an isolation as well. 4 5 DR. EBERSOLE: I would like to comment on that. DR. SIESS: That is an old problem. 6 7 DR. MICHELSON: Yes. I thought it had gone away 8 long ago. DR. SIESS: It went away with the Mark 29. 9 DR. MICHELSON: That would also help, yes. 10 11 DR. EBERSOLE: Let me comment. This plant is, I 12 don't know whether it is unique, but certainly it is not designed to tolerate a loss of water in the donut. If it is 13 true, a cask drop would penetrate the concrete above the torus 14 and knock a hole in the torus. I think the consequences get 15 extremely conplex after that and possibly lead to the loss of 16 the station. I don't know. 17 It seems that is a place where you could easily pack-18 age up a small PRA, but it should involve taking the can off 19 the crane, gear boxes and so forth and examining very carefully 20 what failure modes are within the crane, and coming to a con-21 clusion about a real best estimate of the probability of that 22 accident happening, along with an analysis of what would 23 result from loss of the water in the torus. It is just 24 another, I think, PRA exercise which is well worth your while.

25

MR. PRESTON: Since this particular question did come up on the tour. we do plan to respond in more detail. In a deterministic fashion, I would like to point out we have a failure-proof crane-lifting device to preclude losing the cask on to the floor. But we do plan to look at the consequences and to have some further discussion on this over the next two days, or tomorrow. DR. EBERSOLE: It just proves you will come up with

46

9 low numbers.

DR. SIESS: No. It is single failure-proof. Not quite the same as failure-proof when you start looking at low probabilities.

DR. MICHELSON: That is entirely different. You
 end up with failures that are much higher than you can tolerate.
 DR. SIESS: You said something about the cask going
 over certain areas. Cask has to go over the truck area,
 doesn't it?

18 MR. PRESTON: Yes. What we hope to do is take a 19 look at exactly where on the floor that cask could possibly hit. 20 How much energy it would have coming through the floor area, 21 et cetera. And what proximity that is in relation to the 22 torus; which is really the key point.

DR. SIESS: You might consider having the truck always parked under there when the cask -- I think it would absorb a certain amount of energy and spread some load. Well,

23

24

it would spread some load. How thick is that slab, if a con-1 2 crete man can ask a question? 3 MR. PRESTON: Chuck Churchman, could you respond to that? 4 5 DR. MICHELSON: The same kind of a question is asked which the applicant said he would get information on on the 6 7 dropping of the drier separator into its pool to make sure the concrete floor is adequate. I assume those areas have been long 8 looked at. 9 10 DR. SIESS: We looked at the present fuel pool way back but the other I remember being looked at but I don't 11 || remember what the answer was. If he is in the back of the room, 12 || forget about it. 13 14 DR. CHURCHMAN: Reinforced concrete slab is at a minimum one foot thick. 15 DR. SIESS: That is not very thick for a cask 16 dropping a hundred feet, is it? Let's go on. 17 The next item is alternate and safe shutdown. 18 What is the issue there? 19 MR. WAGNER: The issue here is that the staff has 20 not completed its review yet. 21 DR. SIESS: You haven't found anything wrong, you 22 just haven't finished? 23 MR. WAGNER: That is correct. 24 DR. MICHELSON: One small question. Which 25

1 environmental control system maintains the environment in that 2 area? 3 MR. WAGNER: The safe shutdown panel? DR. MICHELSON: Yes. Applicant would probably have 4 5 to answer. 6 DR. SIESS: Did you hear the question? 7 DR. MICHELSON: Which environmental control system maintains the environment in the shutdown body area? 8 MR. PRESTON: You mean what heating and ventilation 9 10 system? DR. MICHELSON: Yes. How do you keep it cool enough? 11 MR. PRESTON: Mr. Pavincich, will address this. 12 DR. PAVINCICH: There are a number of areas 13 associated with alternate shutdown requirements. The two most 14 significant ones are mode shutdown panel and the second is 15 diesel generator control area. Each of these units is fed by 16 two completely different HVAC units, one is a safety-related 17 unit. The other is a nonsafety-related unit which has power 18 droll that can be hooked up to safety-related systems. 19 It would be possibly triple failure consideration 20 to consider the loss of the areas necessary for us to man the 21 alternate shutdown stations. 22 I think we mentioned earlier those areas would be 23 the cable-spreading room and control equipment room. Fire in 24 this area would not necessarily impinge upon either the two 25

1 necessary alternate shutdown areas, HVAC systems. We did, how-2 ever, go to do a further study and ascertain that temperatures 3 within the remote shutdown panel area would not exceed a hundred 4 degrees Fahrenheit for well over 21 hours if it were to lose 5 all its HVAC system. So we have even under a double contingincy 6 failure, 21 hours to reconnect that power system. 7 DR. SIESS: Is that with the door to the hallway 8 open? 9 DR. SIESS: What is behind the panel in the room? 10 DR. PAVINCICH: There is about two, three more feet 11 of space, sir, and then there is a wall that joins the reactor 12 building wall. 13 DR. MICHELSON: In the diesel generator area, what do 14 you think the temperatures are going to be? 15 DR. PAVINCICH: In the diesel generator control area? 16 DR. MICHELSON: Yes. 17 DR. PAVINCICH: For what conditions, sir? 18 DR. MICHELSON: For the condition wherein you 19 have had to evacuate the control room and go to the shutdown --20 DR. PAVINCICH: They should remain at design 21 considerations. 22 DR. MICHELSON: What do you think that is? 23 DR. PAVINCICH: That is about --DR. MICHELSON: This is with engines running and 24 25 so forth.

1 DR. PAVINCICH: Yes, sir. In that area it is designed 2 about 77 degrees Fahrenheit. 3 DR. MICHELSON: That is the normal temperature. 4 DR. PAVINCICH: Normal, 72 to 77. 5 DR. MICHELSON: With the engines running? 6 DR. PAVINCICH: Yes, sir. They are in a different 7 room. 8 DR. MICHELSON: Then maybe I saw the wrong room. 9 DR. PAVINCICH: Nos, sir. You are looking at, sir, 10 the panels at the end of the diesel --11 DR. MICHELSON: That is right. I was told those 12 had to be manned during this time in order to get to safe shut-13 down. 14 DR. PAVINCICH: No. Pointed out to you on elevation 15 137 the switch gear area, that panels --16 DR. MICHELSON: This is the panel directly in front of the diesel engines. We were told each of those, there 17 is a man down there that could man those. He had a three-way 18 19 telephone --DR. MICHELSON: Maybe I misunderstood. 20 DR. PAVINCICH: You did, sir. 21 MR. SCHWENCER: I overheard that conversation also 22 and that is what you were told, that there were two people that 23 went different directions. One went directly to start a diesel 24 and the other went to the shutdown --25

DR. MICHELSON: I understood --

1

5

18

25

2 DR. PAVINCICH: That is correct, but none of that, 3 sir -- I was the gentleman who told you. I am not likely to 4 change my mind. It was up at the diesel --

DR. MICHELSON: I didn't hear well.

6 DR. PAVINCICH: It was diesel generator area where 7 the switch gear was. I showed you the sequence to one side, 8 diesel generator control panels on the other side and I showed 9 you the key and lock switch that would be necessary from the 10 control room. No one has to be in the diesel generator room 11 proper at all.

12 DR. MICHELSON: I thought he did. That was why he 13 had three ways --

14 DR. PAVINCICH: No, sir. The man communicates with 15 the diesel panel. Immediately joining --

16 DR. MICHELSON: Immediately adjoining the diesel 17 generator.

DR. PAVINCICH: No, sir.

19 DR. MICHELSON: Right in front of it. Kind of the 20 next compartment over.

21 DR. PAVINCICH: It was a very robust tour, sir. 22 You were no doubt confused.

23 DR. SIESS: That was not in the diesel generator
24 room. We wentup on a little platform.

DR. PAVINCICH: Yes.

1	DR. SIESS: No, it was in the room next to it.
2	DR. PAVINCICH: The upshort of your question is
3	it would take a triple contingency failure to jeopardize the
4	FVAC system
5	DR. SIESS: The local
6	DR. MICHELSON: In the room right in front of the
7	engine. I am looking right at it.
8	DR. SIESS: Let's get one thing straight. Local
9	control for the diesel generator is not required to run the
10	alternate shutdown
11	DR. PAVINCICH: Oh, yes, it is part of our plan.
12	An operator may be required; may.
13	DR. SIESS: May have to go there?
14	DR. PAVINCICH: May have to go to the diesel generator
15	control panel which is not the panel that Mr. Michelson thinks
16	is in front of the machine.
17	DR. MICHELSON: Okay. Next floor up?
18	DR. PAVINCICH: It is the next floor up.
19	DR. SIESS: Okay.
20	DR. EBERSOLE: Then the alternate shutdown process
21	involves working the alternate
22	DR. PAVINCICH: It is where the switch gear was.
23	DR. EBERSOLE: Involves working this panel in
24	conjunction with working this other center we were talking
25	about.
	2011년 1월 2011년 전 1971년 1971

1 DR. PAVINCICH: That is correct. DR. EBERSOLE: Using voice transmission in some 2 fashion. 3 DR. PAVINCICH: They have sound-powered phones, a 4 PA system and two-way radios. 5 DR. EBERSOLE: Does this mean the man at the 6 alternate shutdown panel is really sort of a dispatcher, func-7 tion dispatcher by voice control? 8 DR. PAVINCICH: Senior reactor operator would be 9 the --10 DR. EBERSOLE: Can functions eliminate from the 11 alternate shutdown panel by hard wire? 12 DR. PAVINCICH: Yes, sir. 13 DR. EBERSOLE: It is capable if something malfunc-14 tions within it. 15 DR. PAVINCICH: When the shutdown panel is manned and 16 transfer switches are thrown, he is connected hard wire. 17 DR. EBERSOLE: It can also send control signals 18 out by hard wire. 19 DR. PAVINCICH: Yes, sir. 20 DR. EBERSOLE: As well as voice control. 21 DR. PAVINCICH: Oh, yes, sir. He is controlling. 22 The man dispatched to diesel generator is only under hypothetical 23 condition got a fire-induced standing trip, could be on the 24 diesel generator control circuitry. When the gentleman goes to 25

the area, by throwing the area he removes that interface with 1 the main control room. He then starts the diesel, and everything 2 takes off on its own. He doesn't do anything else essentially 3 unless additional problems may come up. 4 DR. EBERSOLE: If I were to hypothetically go blow 5 up the alternate shutdown panel, what would happen? 6 DR. PAVINCICH: Nothing. You would have interfered 7 with the control on one mechanical division. This would have 8 caused the operator in the main control room to bring the unit 9 down. 10 DR. EBERSOLE: On another channel. 11 DR. PAVINCICH: Yes, sir. 12 DR. EBERSOLE: Thank you. 13 DR. MICHELSON: Now that I have got straightened 14 out as to where the diesel control area is, let me ask the 15 question. You say it is about 77 degrees there. Is this with 16 or without normal ventilation, keeping in mind normal ventila-17 tion may or may not be available during a fire? 18 DR. PAVINCICH: That would be with normal ventilation 19 that would normally feed that would be available immediately, 20 assuming even loss of off-site power, the ventilation would be 21 immediately available upon starting of that diesel generator 22 unit. 23 DR. MICHELSON: Okay. 24 DR. PAVINCICH: It would load up automatically and 25

load up its one ventilating system that was supporting --1 DR. MICHELSON: There is no reason to believe the 2 fire and smoke would in any way interfre with that particular 3 ventilation? 4 DR. PAVINCICH: No, sir, not in its origin place. 5 DR. SIESS: Thank you. 6 The next item has to do with the diesel. Staff 7 tells me this has been resolved because applicant has described 8 how he will deliver fuel oil. 9 MR. WAGNER: Yes, sir. 10 DR. SIESS: And it is acceptable to the staff. 11 DR. EBERSOLE: I see no other place to open this 12 topic so I have to do it here. 13 DR. SIESS: Well, no, you don't. Do it at the end 14 of this if it is not on this list. 15 DR. EBERSOLE: You want to relate it to the diesel 16 generator at this time? 17 DR. SIESS: No. This is a particular open item. 18 We will take them up one by one. Then we will go back to 19 general things. 20 DR. MICHELSON: Does this open item include the 21 problem of the diesel storage tanks in the basement of the 22 diesel area? 23 DR. SIESS: This open item dealt only with how fuel 24 oil would be delivered to the site from the flood waters 12 feet 25

1 overgrade.

4

5

17

25

2 DR. MICHELSON: Some other time we will discuss the
3 fire protection problem. Okay.

DR. SIESS: What subject, fire?

DR. MICHELSON: Fire protection.

6 DR. SIESS: 3.6 is the next item, "Filling of Key
7 Management Positions". Staff couldn't sign off because all the
8 positions haven't been filled. They have a description but they
9 don't have the names of the people going into them. Is that a
10 fair statement?

MR. WAGNER: Yes. I think I should set the scene here first. Public Service underwent a rather large corporate reorganization right as --

DR. SIESS: We are familiar with that. Let's just
stick to what the issue is. Assume we know the background.
MR. WAGNER: Okay.

DR. SIESS: Any questions on this?

18 Next is a series of items all relating to the
19 training program. You might just summarize the status on that.

20 MR. WAGNER: Yes. Let me elaborate on some of these. 21 Since the SER was issued, we have had a meeting with the appli-22 cant. And generally, the applicant has satisfied us on most 23 of these concerns. We do have one outstanding concern. That 24 has to do with a response to generic letter 84-10.

To be more specific, Public Service was planning, is

1 calling RO experience at Salem as comparable experience to be 2 used on Hope Creek. 3 In accordance with, I believe 5525(b) of the 4 Commission's regulations. 5 DR. SIESS: Where does that come in on this? That 6 would seem to be operator gualification? 7 MR. WAGNER: I don't know. I would have to look at 8 it. That is essentially the only thing we consider outstanding. 9 DR. SIESS: You are talking about what? 10 MR. WAGNER: Generic letter 84-10. 11 DR. SIESS: Interesting. That related to training? 12 MR. SCHWENCER: Generic letter 84-10 related primarily 13 to the experience that the operating license --14 DR. SIESS: That is what I thought. 15 MR. SCHWENCER: -- would have in initially --16 DR. SIESS: That is my problem. 17 MR. SCHWENCER: I think what Dave was saying, if I understood correctly is, in the process of going through these 18 items with the applicant we learned --19 20 DR. SIESS: Okay. MR. SCHWENCER: The plans to use experience at Salem 21 as qualified filing, meaning this industry guidelines would be 22 acceptable. The concern the staff has, of course, is that 23 Salem is a PWR. 24 DR. SIESS: We have another item on the agenda for 25

staffing somewhere. Current status of staff is on the agenda under nuclear-related operating experience of key personnel. We will hear about that whenever that comes up. We will want to hear a lot about that. So we will get back to that item and you can explain the situation.

Item 13 is a computer model. You must provide a
description and you haven't gotten it yet. Is that the situation?
MR. WAGNER: Yes, sir.

9 DR. SIESS: I know of other plants that have
10 developed this sort of thing. Is the staff reviewing the
11 whole computer model or has industry sort of gotten together
12 on the models and it is just a question of site-specific charac13 teristics?

MR. WAGNER: Dr. Siess, I don't know the details of the model.

DR. SIESS: Let me ask applicant. Have you developed your own computer model for this dose assessment thing or is that say one previous people are using?

MR. PRESTON: I would like to have Mr. Yewdall comeup and respond to this.

21 DR. SIESS: 1 don't want details of the model. Are 22 you doing your own?

DR. YEWDALL: Bob Yewdall, Public Service.

24 We are currently planning to use Pickard, Lowe and 25 Garrick's model. That is I think a well known model and will

23

1	be put on Public Service hardware. Thank you very much.
2	Procedures generation package has not been submitted.
3	MR. WAGNER: That is right. The submission date is
4	January 1985.
5	DR. SIESS: This is all procedures, not just emergency
6	procedures or is it emergency procedures?
7	MR. PRESTON: Dr. Siess, that is emergency procedures.
8	DR. SIESS: Any questions?
9	The last item on my list and your list is human
10	factors engineering, an area in which we are all expert.
11	MR. WAGNER: Maybe a brief summary would help.
12	Chapter 18 of the SER. It is noted the staff does
13	an audit, in this case of Hope Creek, of the control room
14	design, does an audit of the control room design review. We
15	also review the SBDS. Recently the control room design review
16	was performed. And the staff results from that indicate Hope
17	Creek is doing well. They have done a good job of identifying
18	the human engineering discrepancies, and they are on a good
19	course towards resolving these discrepancies. As far as SPDS
20	goes, we are expecting a report on the expecting the safety
21	analysis in December.
22	DR. SIESS: What did the review team think of the
23	extensive use of the CRT? Was that good or bad, or did they
24	ignore it because it is not hard-wired?
25	MR. WAGNER: I don't know what their purposes were

0 0

on the CRT. I will try to find out. 1 DR. SIESS: Is that review done by staff or staff 2 consultants? 3 MR. WAGNER: It is done by the staff. 4 DR. SIESS: Any questions? 5 Staff has a long list of ---6 DR. MICHELSON: Before we leave outstanding items, I 7 do have a question but I thought you meant on the first fifteen 8 items. 9 DR. SIESS: That is exactly what I meant. 10 DR. MICHELSON: I think I would like a clarification 11 on whether or not there are two additional items, or what status 12 is. One is fire protection. By the absence of fire protection 13 as an outstanding item, how do I interpret it? 14 MR. WAGNER: We have addressed it in section nine 15 point five. 16 DR. MICHELSON: No. I mean in the list. I gather 17 there are no more outstanding issues on fire protection; 18 correct? 19 MR. WAGNER: That is right, except for --20 DR. MICHELSON: The next one is, I know applicant 21 used fibrous insulation throughout inside of containment. 22 MR. WAGNER: Yes, they do. 23 DR. MICHELSON: You address this in the SER by saying 24 it doesn't plug the sump, therefore it is a nonproblem. I 25

1 think there is more to it than that. So when will be the appro-2 priate time to pursue the applicant's view on the presence of 3 fibrous insulation on the use of cyclone separators to clean 4 the water for their RHR and core spray pumps? 5 DR. SIESS: Well, there is a place on the agenda 6 we will find and if there is not we will put one there. 7 DR. MICHELSON: Okay. 8 DR. SIESS: We should give the applicants some 9 warning though as to what the subject is. They need to get 10 people in if they haven't already. Did you hear the question? 11 MR. PRESTON: Yes, sir. This morning that was 12 brought to our attention on the tour. We are currently research-13 ing the fiber glass and possible impact on the bearings, et . 14 cetera. We are looking at that. We hope to have some further discussion on it tomorrow. 15 16 DR. SIESS: If you have something, let us know. 17 DR. MICHELSON: Yes, I think if they are not prepared, it would be better just to let it be a five-minute 18 presentation at the full committee or something. 19 DR. EBERSOLE: May I ask a little refinement? 20 These seperators must certainly in the engineering design of a 21 source term for the contaminants which they are suppos to 22 remove. I would like to know what that material is, the con-23 text of what it is and what its concentration is. It is 24 density relative to earth. 25

1 MR. PRESTON: The fiber glass material? 2 DR. EBERSOLE: Not merely that. Dirt. Whatever 3 else you may regard as the integrated contaminant mixed with 4 that little machine must clean up. 5 MR. PRESTON: Yes, we will attempt to provide that 6 also. 7 DR. MICHELSON: That takes care of it. 8 DR. SIESS: Okay. I would suggest that confirmatory 9 items, in most cases they are just that. If there might be 10 some of those somebody would like to know a little more abbut 11 the status of, did any of those come up in anybody's mind? SER 12 did a pretty good job of explaining the status. I looked at the list of license conditions. That is where we find the 13 14 cask drop accident. But that didn't relate to our question. That simply related to how they kept it from going over certain 15 16 areas, I believe. 17 Are there any of those anybody would like to hear 18 more about? It seemed to be an unusually short list. 19 MR. WAGNER: Dr. Siess, I would like to add that there are no differing professional opinions. 20 DR. SIESS: All right. Thank you. Okay. If I 21 find my agenda. It seems that covers staff items A and C. 22 MR. WAGNER: That is right. 23 DR. SIESS: We will have something from I&E tomorrow. 24 From here on out we will be basically hearing presentations 25

initiated by the applicant, but with the staff on a stand-by
basis as needed.

I think without further ado, I am going to go as long as I can stand it without a break. We got started about 2:30 and I am aiming for no later than about 6:30 tonight, I think, though if we are in the middle of something I might stretch it. If anybody has a dinner engagement, that doesn't apply to the committee. They are used to working late.

DR. EBERSOLE: Chet, I have been looking around.
Even in the topical, in the index, I didn't find anything much
in the matter of the mainfeed water analysis. It is not even
listed as a topic. Yet I see in one of these listed there
is an interim, what is it, short-term feedwater analysis said
to be on 6.2.3.

DR. SIESS: These are confirmatory items, Jess?
DR. EBERSOLE: Yes, yet I don't find anything,
as a matter of fact, 6.2.3 is secondary containment. So there
is some kind of misprint or foulup.

MR. WAGNER: I will claim responsibility for that.
DR. EBERSOLE: Mainly I open the topic because I
think we all know the main feedwater system is the most frequent culprit in excessive shutdown frequency. I think we
would like to hear why we can't begin to approach the Japanese
frequency of trips which is one every three years, especially
in the feedwater control area, not invoking SCIC or other main

1 feedwater sources after you get a trip or certainly not 2 inducing trips: In short, I found nothing on what I think is 3 the most critical system in respect to causing spurious shut-4 downs, at a million dollar a crack and challenge to the safety 5 system. 6 DR. SIESS: You said you saw nothing? 7 DR. EBERSOLE: Nothing in the index, nothing in the 8 text. 9 DR. SIESS: Index of what? 10 DR. EBERSOLE: SER. 11 DR. SIESS: Is there a standard review on trips 12 caused by main feedwater? 13 MR. WAGNER: Just a moment, please. 14 DR. SIESS: I think maybe it is not a safety issue. 15 DR. EBERSOLE: Typically the minimal challenges a 16 year has not impressed the staff. That is a linear effect on 17 safety. DR. SIESS: Applicant might be thinking about this. 18 DR. EBERSOLE: It has a linear relationship on 19 safety. Frequently you have to ask it to do what it is to do. 20 DR. SIESS: I think the staff's only concern is 21 22 that it trip. DR. EBERSOLE: Tripping is the first stage of 23 getting into trouble. 24 DR. SIESS: I tell you what, let's go on and let 25

the staff be thinking about this and see -- you understand my question, don't you? I am not sure the staff considers feedwater mismatched trips to be a safety issue.

MR. WAGNER: I will check on that, Dr. Siess.
DR. SIESS: Mr. Ebersole thinks any challenge to
the trip function is something to be avoided, but I don't
think that is in your standard review plan or in the regulations
anywhere.

9 DR. EBERSOLE: We are finding that a little more 10 especially if it involves invoking new emergency equipment 11 response.

DR. SIESS: Yes. The applicant, I am sure, has a concern about this because it affects his availability and reliability. He may want to think about it in the meantime, too, but I believe the general design criteria simply say the plant shall trip when you want it to trip and doesn't care how many times it trips.

DR. EBERSOLE: That is right. I might observe my
feelings are reinforced by recent findings, of course.

20 DR. SIESS: No statements, just questions. Remember 21 the rules.

DR. EBERSOLE: Right.

22

25

23 DR. SIESS: New rules, but I am going to enforce24 them as much as I can.

We will turn this over to Mr. Eckert.

MR. ECKERT: Thank you, Mr. Chairman. 1 Good afternoon, gentlemen. 2 DR. SIESS: I needn't remind you, try not to repeat 3 what we heard this morning. 4 MR. ECKERT: Yes. I do have a couple comments I 5 thought I might make before we started here. 6 DR. SIESS: I know there are some items here on 7 status, plant start schedule. I thought we got that at the 8 training center this morning. 9 MR. ECKERT: You may notice on the agenda that item 10 3.3, "Seismic Design of Plant and Equipment" is scheduled for 11 later on today. We are running late. Our concern is that our 12 consultant who is going to have part of this story can only be 13 here today. So we can't let that carry over until tomorrow. 14 DR. SIESS: Right. We know that. 15 MR. ECKERT: We may try to push things around a little 16 in order to accommodate that situation. 17 DR. SIESS: You can put it on right now if you want. 18 MR. ECKERT: I would propose to go through the first 19 introduction which is pretty short. Then rather than going 20 into organization and management section, we will put him on 21 next and come back later with the organization --22 DR. SIESS: Fine. 23 MR. ECKERT: We will start our presentation with a 24 brief overview of the Hope Creek Plant and its features. 25

Following that, we will move into organizational technical discussion
 in accordance with the agenda. Much of what I will say here
 you have picked up through the course of the tour. We thought
 it would be appropriate to put it on the record at this time.

To start, let me talk briefly about Hope Creek
Generating Station. It is a single unit BWR, net electrical
output of 1,067 megawatts. Public Serivce owns 95 percent of
the plant and Atlantic Electric owns the other five percent.
It will be operated by Public Service Electric and Gas Company.
Bechtel was the architect engineer constructor with a major
assist by Public Service people.

The nuclear steam supply and turbine generator 12 13 manufacturers was General Electric. The plant will be operated 14 by Public Service Electric and Gas Company. The site, as you know, is on the Delaware River immediately adjacent to our 15 generating station and it is a -- Salem Generating Station and 16 it is a cooling turbine installation. Preconstruction ACRS 17 review resulted in a favorable letter in 1974. The construction 18 permit was issued in 1974 but construction did not start until 19 1976, following protracted state environmental reviews. 20

Hope Creek was originally a two-unit plant. The second unit was cancelled in 1981 when our load projections could no longer support the need for the unit. We are scheduled to load fuel on Hope Creek on January of 1986. We are working for a target date, instead of January, December 1st of

1985. We hope to be on the December 1984 ACRS full committee 1 agenda. 2 Very briefly that is my introduction. I would like 3 to now turn the discussion over to Bill Gailey who will give you 4 an overview of the Hope Creek plant. 5 Bill? 6 MR. GAILEY: Thank you, Dick. 7 (Slide.) 8 MR. GAILEY: Good afternoon. My name is Bill 9 Gailey, Chief Project Engineer of Hope Creek for Public Service. 10 I am going to give you a summary of certain Hope Creek design 11 features which are either unique or will enhance the safe 12 operation of the plant. This overview is intended as an intro-13 duction to our technical presentations which will follow this 14 afternoon and tomorrow. 15 Many of the things I intended to give an overview 16 on were touched on either during the tour this morning or in 17 the discussion this afternoon. So I will try to pass over 18 there in the interest of time. 19 Hope Creek is a BWR 4-5 NSSS system. It has a Mark 20 1 containment which is the inverted light bulb and suppression 21 chamber. Ultimate heat sink for the plant is the Delaware 22 River which feeds the service water system. Waste heat from 23 the condenser is dissipated by the circulating water system 24 through the cooling tour.

25

(Slide.)

2	MR. GAILEY: Next I will discuss certain aides
3	which enhance engineering of the plant over the years. First,
4	scaled model of the plant was developed. I believe you saw
5	the drywall model of unit 2 in the training center this morning.
6	PSE&G personnel spent more than 20,000 manhours
7	conducting design reviews which utilized the model. Major con-
8	cerns such as ALARA, studies on maintainability and accessibil-
9	ity, as well as equipment and constructionability were addressed
10	addressed.
11	There is a picture of the model.
12	(Slide.)
13	MR. GAILEY: You can see the blue tag in the front
14	right under, about in the center of the slide. That was put
15	on by our operations people to reserve space for accessibility
16	for the equipment removal.
17	(Slide.)
18	MR. GAILEY: In 1977, we conducted a control room
19	operability review using a full scale control room mock-up.
20	The review team was made up of Public Service Engineering and
21	Operation personnel, General Electric, Bechtel, Bailey Meter
22	Company, and significantly, Peach Bottom Operations personnel.
23	The purpose was to make sure from a human engineer-
24	ing standpoint that the latest industry experience including
25	actual plant operations, were being factored into the Hope

Creek Control Room design.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

(Slide.)

MR. GAILEY: Third is the simulator which you saw this morning which is identical to the control room. I won't dwell anymore on that. 701

I owuld now like to cover certain features of Hope Creek which are unique. First is the reactor building; secondary containment, a cylindrical reinforced concrete structure with a reinforced steel-lined dome. The purpose of this particular design is to provide as low a leakage structure as possible.

FRVS, filtration, recirculation and ventilation system has been included to recirculate and filter the atmosphere in the reactor building. This system has six-25 percent capacity recirculation units which include charcoal filters and provide cooling and filtration to the entire reactor building.

FRVS is designed to collect air-borne contamination released to the reactor building and by mixing, filtering and maintaining negative pressure minimized radio active releases.

DR. MICHELSON: I have a question for clarification. The reactor building appeared originally to kind of be just the cylindrical portion. Later you expanded into the corner rooms to incorporate them as part of the reactor building. Are the corner rooms included as a part of the FRVS system? Its fans


drg-1 fols 1d		- 72
	1	MR. GAILEY: It primarily handles the cylindrical
0	2	portion, certain in the square area of blowout panels.
-	3	DR. MICHELSON: I am thinking of normal ventilation
6	4	which I thought
	5	MR. GAILEY: Normally FRVS would handle everything
	6	within the cylindrical part.
	7	MR. PRESTON: Roger will provide additional
	8	information.
	9	· DR. MICHELSON: This is where you get confusion
	10	between what you call the reactor building and what used
	11	to be the reactor building. What you now
	12	DR. DREWNOWSKI: Ron Drewnowski, supervising
8	13	site engineer. You are correct. We are using the square
	14	section also as the reactor building. That area is serviced
	15	by the FRVS system.
	16	DR. MICHELSON: Does its duct work come through
	17	into the cylindrical portion up to the fans, which I think
	13	those fans are in the top portion of the cylindrical part
	19	of the reactor building?
	20	MR. DREWNOWSKI: They are in the same
0	21	DR. MICHELSON: So the duct work comes back and
ě	22	forth through the concrete wall.
-	2?	MR. DREWNOWSKI: That is correct.
0	24	MR. GAILEY: In addition to the two main normal
- 1 A.S.	25	isolation stop valves, a third valve has been added to each

0000

1rg-2

1

2

3

4

5

6

7

8

9

isolation.

(Slide.)

(Slide.)

main steam line. This was added because of its low leakage characteristics to minimize leakage during shutdown. MR. GAILEY: In addition, a seal air system was added to further reduce leakage during main steam MR. GAILEY: Another unique feature is the main control room. Although not unique to public service, which

has implemented its concepts for the last 20 years, it 10 does differ from the standard BWR plant. Our control room 11 utilizes low voltage, compact layouts, panel arrangements you 12 saw this morning, and computerized display system. 13

The control room provides operators with an 14 15 effective and reliable means for the safe operation of the plant. 16

DR. EBERSOLE: May I ask about the third stop 17 valve and all the investment in it? Is that put in on the 18 thesis that you are trying to stop the flow of contaminated 19 steam from a damaged core? 20

MR. GAILEY: Not necessarily from a damaged core. 21 It was put in, it is a slow acting valve. It was put in to 22 prevent leakage through the normal two fast-acting main 23 steam isolation valves into the turbine area during shutdown. 24 DR. EBERSOLE: For an undamaged core? 25

	74
1	MR. GAILEY: It would apply to both.
2	DR. EBERSOLE: Say again?
3	MR. GAILEY: Pardon me?
4	DR. EBERSOLE: What do you say?
5	MR. GAILEY: It was for an undamaged core, but
6	would apply to both.
7	DR. EBERSOLE: Right. What was the explicit dose
8	problem resulting from a minor leakage in the turbine hull?
9	DR. SIESS: At Newbold Island, it was considerable.
10	These were all Newbold Island features, close in population.
11	The changes made for Newbold Island, most of which has just
12	been mentioned, were to reduce the calculated design basis
13	accident doses.
14	DR. EBERSOLE: That is why, for damaged core.
15	DR. SIESS: No, no damage core. We didn't
16	think of damaged cores ten years ago. It was design basis
17	accidents. LOCA:
18	DR. EBERSOLE: When the reactor is depressurized?
19	DR. SIESS: Yes.
20	DR. EBERSOLE: And these valves aren't pressure-
21	paths from a depressurized vessel to atmosphere?
22	DR. SIESS: Now, the other changes, containment
23	building, it was the same thing. It was designed to release
24	the off-site, reduce off-site releases following a design
25	basis accident. Changes to the high-pressure core spray and

AT AN ADDRESS OF A DESCRIPTION OF

drg-3

0

1 LPCI were in response to ACRS concerns of the period which were improved ECCS. That was one of our major issues at 2 3 that time. Those were changes made to meet our demands for 4 improved ECCS. 5 DR. EBERSOLE: So, Chet, this third valve is a piece of history from the days when the large LOCA predominated, 6 and one was looking at large LOCA core damage in the context 7 8 of having leakage through the main steam lines? DR. SIESS: That is correct. It was simply a 9 result of calculating Chapter 15 accident doses. 10 DR. EBERSOLE: Would it be put in today, do you 11 12 think? DR. SIESS: No, of course not. It wasn't put in 13 any plants then except at Newbold. Newbold Island site was 14 comparable to Indian Point. It was comparable to Indian 15 Point, actually, a little worse than Zion. These were all 16 features put in during extensive review of a large reactor 17 at a very highly populated site. 18 DR. EBERSOLE: Yes. 19 DR. SIESS: Then they were maintained after 20 the plant was moved to the other side to expedite licensing. 21 The staff said if you move it and don't change anything, don't 22

24 I think they did.

23

25

DR. EBERSOLE: I can think of better places to

change too much, we will get you a new SER out in six months.

drg-5

25

1 put that big valve. 2 DR. SIESS: That is the trouble with ACRS designing 3 reactors. ACRS changes by the time they get it built. 4 MR. GAILEY: Next, certain design features later 5 incorporated into other BWR plants. High pressure coolant 6 in vehicles via cool spray sparger, and later through both 7 core spray and feed water systems was discussed earlier. 8 In addition, the turbine-driven HPCI pump was 9 redesigned, provides about an additional 12 percent of flow 10 of water to the core. Direct low-pressure cooling system 11 injection was redesigned so that it was direct to the core, 12 four separate penetrations through the core flowed rather 13 than recirc lines. 14 MR. GAILEY: As briefly mentioned earlier, another 15 feature we consider significant is the safety auxiliary 16 cooling system, that it is closed loop and only its heat 17 exchangers are exposed to the brackish Delaware River water. 18 (Slide.) MR. GAILY: In addressing the subject of ATWS, 19 we have incorporated what is known as the ATWS-3A modifica-20 tions. This provides for automatic initiation of standby 21 control system, tripping recirc pumps, alternate rod insertion 22 and feed water runback. 23 Recently there was an industry concern about 24 blocked walls in nonseismic Class I -- in seismic Class I

	11
1	equipment areas. I would like to point out Hope Creek
2	has no block walls or nonseismically qualified walls in
3	its seismic class I equipment areas.
4	(Slide.)
5	MR. GAILEY: This concludes my presentation. I
6	would like to introduce Pete Landrieu, construction manager,
7	who will present a statement on construction status and start-
8	up.
9	DR. SIESS: Any questions?
10	MR. LANDRIEU: Good afternoon. Since we did go
11	through a lot of similar material this morning, I am going
12	to move rather rapidly unless you want me to change this.
13	So far, as the Hope Creek engineering and construction PSE&G is
14	to interface with Bechtel and GE on the project, we have had
15	a project team which is designed somewhat in the mirror
16	image of the Bechtel typical matrix organization. I would
17	like to simply say that on that team, we have a majority
18	of people with previous Salem experience and the majority
19	have been with the Hope Creek Project since prior to first
20	concrete. So we do have continuity of management in that
21	team and our interface relationships with Bechtel and General
22	Electric.
23	Our fall load data is January 15, 1986.
24	(Slide.)
25	MR. LANDRIEU: Our current schedule analysis,
TO COLOR CLUER	

1rg-6

1	critical path analysis, we have been positive to that date for
2	some time.
3	(Slide.)
4	MR. LANDRIEU: For that reason we have been working
5	for the past several months to a target fuel load schedule of
6	December 1 1995 We are working toward that schedule.
-	The order to build accurance that when things can
1	In order to build assurance that when things can
8	and do go wrong, as they sometimes do during startup of a
9	plant like this, that we will still be able to accommodate
10	that kind of happenstance.
11	Construction status is approximately 93 percent
12	complete.
13	(Slide.)
14	MR. LANDRIEU: Bulk commodity installations, as
15	you can see, are just about complete. Wire and cable
16	terminations being the ones with the majority to go.
17	(Slide.)
18	MR. LANDRIEU: This busy graph simply compares Hope
19	Creek percent complete versus months to fuel load with a
20	number of other similarly sized plants. I simply show this
21	to indicate that we are not out in the woods on the right or
22	left of other people's experience.
23	What we have ahead of us, we feel it is aggressive
24	but attainable. Our startup status is 34 percent complete
25	at this time.

jsl 8

•

1 As you can see, we are slightly ahead on our 2 startup program; the blue line being the January 15 schedule, red line being the schedule that would support the December 1st 3 date. 4 As you can see, we are behind December 1st but 5 ahead of January. 6 7 (Slide.) MR. LANDRIEU: As Roger mentioned, approximately 8 a third of the systems have been turned over to Public 9 Service for operation, maintenance and testing. 10 (Slide.) 11 MR. LANDRIEU: One thing I would like to mention 12 which will allow us to achieve some of the things we have out 13 ahead of us is the control room you did see, which was 14 completed and turned over to Public Service for testing in 15 December a year ago. 16 (Slide.) 17 MR. LANDRIEU: At that time, we began a six-month 18 integrated checkout of the different circuitries in that 19 control complex and completed that integrated checkout one 20 month early, in May of this year. 21 We feel that having that circuitry checked out and 22 behind us as we go into the heavy system turnovers is going 23 to serve us very well in getting through an ambitious program. 24 I would now like to introduce Stan LaBruna, who 25

1 | will speak to maintenance.

js3

2

3

11

23

MR. LA BRUNA: Good afternoon.

(Slide.)

4 MR. LA BRUNA: Stan La Bruna, Assistant General
5 Manager of Hope Creek Operations.

6 Several topics, Planning for Maintenance,
7 In-Service Inspection, and Preoperational Test. I am basically
8 going to be reflecting on these from an operational readiness
9 for the Hope Creek operations team as we are participating in
10 these activities.

(Slide.)

MR. LA BRUNA: The first is Planning for Maintenance.
The maintenance program established for Hope Creek is based
upon our past experience and maintenance enhancement resulting
from our nuclear department improvement programs.

A fundamental aspect of maintenance at all PSE&G facilities during the past decade has been our repair and maintenance procedures systems, better known as RAMPS. This defines requirements for a planned approach to maintenance activities using detailed procedures and all phases of plant maintenance to assure a structured approach to maintainance that results in quality and efficient use of personnel.

(Slide.)

24 MR. LA BRUNA: The managed maintenance program 25 reflected by this Busy display indicates an expanded program

1 and concept to complete an integrated approach to maintenance
2 planning, monitoring and control.

This automated data base approach to maintenance assures the effective control of our corrective, preventive and predictive maintenance activities.

As you can see in this slide, and from the 6 discussions at our planning office this morning, I realize 7 some of these gentlemen didn't have the opportunity to share 8 with our maintenance manager the programs we do presently have 9 in place to take care of our present PM activities and 10 corrective maintenance activities, but this approach provides 11 our personnel with the adequate tools to plan, schedule and 12 control these maintenance activities. 13

14

js4

(Slide.)

MR. LA BRUNA: Obviously the cornerstones of the managed maintenance program are the preventive-predictivecorrective maintenance and integrated spare parts and component data file that we use.

19 Preventive maintenance program, schedule of 20 surveillances and planned inspections and calibrations is 21 based on vendor recommendations in addition to our own 22 experience at other facilities and knowledge of anticipated 23 environment and equipment qualifications.

24 Predictive maintenance program is based on trend 25 analysis of in-service pump and valve performance, including

2		
1	valve signature analysis, to which we are gaining that baseline	
2	through our preservice inspection program.	
3	DR. MICHELSON: What type of valve signature	
4	analysis are you doing?	
5	MR. LA BRUNA: We are going to be using a motor	
6	operator technique, testing rig, which is in calibration	
7	right now. We expect to be using that for our operators to	
8	provide us with a baseline of current versus actual force.	
9	DR. MICHELSON: Who is the supplier of that piece	
10	of equipment?	
11	MR. LA BRUNA: Offhand I don't have that information.	
12	Perhaps our startup manager, Mr. Suconi	
13	DR. MICHELSON: Maybe you could tell me in the	
14	morning.	
15	MR. LA BRUNA: Sure.	
16	DR. MICHELSON: I'm curious because we are very	
17	much interested in signature analysis.	
18	DR. CARBON: In terms of your preventive maintenance,	
19	do you get input from EPRI and other BWR operators, and is it	
20	of any help to you?	
21	MR. LA BRUNA: We	
22	DR. CARBON: I mean do you expect it will be?	
23	Of course, you're not doing it now.	
24	MR. LA BRUNA: Certainly from an NPRDS standpoint,	
25	that some of the concerns have been already in the industry,	
100		6

js5

1 certainly through our programs. I will speak a little about 2 that later on.

js6

25

From our operating experience standpoint, generally that is a reflection of some of the concerns already identified in the industry that we are including in our procedures, whether it be a concern or improved maintenance practice or precaution in performing these activities.

8 So in that respect we are participating and9 reflecting activities of the industry in our programs.

DR. CARBON: I'm still not clear. If there is some type of valve or pump or something on BWRs that is continually giving problems, you will learn that from someone else, or only from your own experience?

MR. LA BRUNA: That is my point. Through the program of SERs, SOERs, operation and maintenance reminders and through the general SILS and TILS program, we feel we have a very firm grasp on things that can protect us.

18 The corrective maintenance program is a prioritized
19 approach to preplanned activities for a responsible manager
20 to assure plant equipment availability.

Essentially we are talking about classifying work
orders as they come in. Those that have to be worked
immediately and those that can be deferred and planned
logically in the best interest of use of personnel.

Spare parts inventory coordination is an important

js7

1 part of our managed maintenance program, assuring adequate 2 inventory levels and shelf-life controls.

Accurate technical and quality classification information. At Hope Creek the component data file, master equipment lists and spare parts data base are integrated to provide a wealth of technical, manufacturer, vendor, documentation and quality classification information for a consistent and reliable source for our maintenance and engineering personnel.

10 All of these programs are supported by computerized
11 inspection order and work order initiation program, as you
12 saw this morning.

This also provides the ability for closing management review and program activities which aid and are historical tracking of work completed on components and systems, as well as complementing our records for preservation and retrieval for future audit or recall for follow-up on review of past work.

19

(Slide.)

20 MR. LA BRUNA: Cur managed maintenance program. 21 Effective procedures. Trained maintenance personnel in the 22 support of our on-site engineering staff of cognizant 23 engineers, all of which are in place functionally during the 24 preoperational test program, provide resources for an 25 effective approach at Hope Creek.

(Slide.)

js8

2	MR. LA BRUNA: I would like to take a few minutes
3	to talk about our planning for in-service inspection.
4	Planning for the Hope Creek in-service inspection
5	program started during design phase of the plant.
6	(Slide.)
7	MR. LA BRUNA: PSE&G, Bechtel Engineering and
8	Southwest Research Institute analyzed ASME code, section 11
9	and 10, CFR 50, Appendix J, to assure that the plant design
10	supported access and instrumentation required for inspection
11	and test.
12	. We see that paying off particularly from the
13	standpoint of accessibility.
14	(Slide.)
15	MR. LA BRUNA: Within the nuclear department our
16	nuclear site maintenance group is responsible for the
17	identification action, direction and conduct of preservice
18	inspection activities as personnel are temporarily assigned
19	to the preoperational program startup manager.
20	It is the same group of nuclear department
21	personnel who will implement the in-service inspection plan
22	for the operating facility. This participation provides the
23	following benefits:
24	Develops personal experience to support operating
25	inspections.
1000	

It optimizes the procedures for future testing and 1 assures the test implementation is suitable for both 2 preservice and future in-service inspections. 3 And in-service inspection problems will be 4 5 recognized and corrected to support future needs. At present our preservice inspection program is 6 in progress and will attain the key baseline 2 ta for 7 volumetric and surface examination of piping system welds, 8 some of which we have already talked about and some of the 9 problems we have currently. 10 Examination of related hangers and supports, 11 valve and penetration leak rate testing, pump and valve 12 testing in accordance with ASME 11. 13 (Slide.) 14 MR. LA BRUNA: During plant operation the nuclear 15 service department will coordinate in-service inspection and 16 surveillance activities, analyze test results with our 17 performance and reliability group of Hope Creek operations 18 technical department. 19 The test data trending and assessment of the results 20 for adherence to section 11 and requirements will also support 21 the predictive maintenance program requirements to assure 22 component reliability. 23 The personnel and procedures supporting these 24

activities for preservice inspection program will assure

js9

25

successful transition to the testing programs for the
operating plant.

(Slide.)

3

4

5

MR. LA BRUNA: Planning for preoperational test. (Slide.)

6 MR. LA BRUNA: Preoperational test program is the 7 integrated effort between engineering construction and nuclear 8 department personnel under the direction of the startup 9 manager. The testing program commences with the jurisdictional 10 system and equipment turnover to PSE&G and ends with initial 11 fuel loading.

First stage of the preoperational test program includes instrument calibration, energized checkout of the electrical power and control systems, piping flushes and isolated equipment operation.

The second stage of the program demonstrates the
capability of systems to satisfy design intent.

All records generated during the testing program will, in accordance with the Reg Guide 168, be retained for the full life of the plant. This includes the preservation of records, microfilming and indexing, using our document retrieval programs.

23 This will support the retrieval for future review
24 and audit or reference for maintenance and modification
25 retest requirements.

To help accomplish these testing activities, the Hope Creek operations staff supports the testing implementation with a permament staff of supervisors and craft personnel trained to perform equipment operation, calibration and test of maintenance and components, some of which you saw this morning in our INC shop.

7 Certainly, I think you saw the capability at our
8 training center to train the appropriate crafts whether it be
9 INC, mechanical or electrical maintenance. We are certainly
10 very proud of the staff we have in place today.

By doing this work ourselves and minimizing use of contractors, the operations staff has the clear advantage of retaining the experience gained during the preoperational testing program.

This integrated support and involvement of the operations personnel and these activities provides the opportunity to develop, exercise and optimize our plant administration, equipment operation and repair and maintenance procedures prior to plant operation.

It also complements the classroom training of
personnel to enhance their qualifications.

(Slide.)

22

MR. LA BRUNA: Our Hope Creek operations planning
 plan is nearing completion. This program of early management
 has assured availability of highly trained and experienced

1 staff who will continue to develop in the unique aspects of 2 Hope Creek during the next year of preoperational testing. 3 Thank you very much. 4 I would like to introduce our next speaker, Bill 5 Gailey, our chief project engineer. 6 DR. SIESS: Mr. Gailey, this item that relates to previous ACRS letters, I would suggest that you need not 7 address anything in a letter that clearly was related to the 8 Newbold Island site, since we are no longer at the Newbold 9 Island site. I am not sure how much that leaves you. 10 MR. GAILEY: Let me explain. There are two letters 11 I was going to discuss. The first was the Hope Creek letter 12 in 1974. And I was going to discuss the three items that were 13 identified as requiring further attention. 14 DR. SIESS: Okay. 15 MR. GAILEY: The second letter was specifically the 16 Newbold Island letter. So I will just not discuss that, if 17 that is what you are saying. 18 DR. SIESS: I don't believe there was anything in 19 the Newbold Island letter as an ACRS concern that in the 20 current context carries over to Hope Creek. If I can find 21

23 Why don't you start, at least, with the Hope Creek 24 letter?

my copy of the letter, I will check that.

22

25

MR. GAILEY: The purpose is to discuss the two

jsl3

previous ACRS letters which identify three items in each requiring attention.

In the '74 Hope Creek letter, the first item
identified was a request to reevaluate core operating limits
as a result of what was then recently promulgated acceptance
criteria for emergency core cooling.

(Slide.)

8 MR. GAILEY: 10 CFR 5046. This is commonly known 9 as the -- case study. This reevaluation was done back in the 10 1974 time frame. Of course, as is consistent with current 11 staff practice and requirements, we are currently redoing that 12 analysis which is normally done about a year prior to fuel 13 load.

.

14

24

25

7

(Slide.)

MR. GAILEY: The second item addressed was although Hope Creek was very close to Salem and was expected to have essentially the same seismological, geological and foundation conditions as Salem, Hope Creek had committed to undertake an extensive soil boring and testing program, and a specific Hope Creek design would be reviewed with the regulatory staff.

The programs were undertaken and completed. They
have been satisfactorily reviewed with the staff. And they
have resulted in no open items in the SER.

(Slide.)

MR. GAILEY: The third concern identified in the

jsl4

12

15

20

letter was a commitment on our part to conduct an analysis,
 probability analysis, of waterborne accidents that could
 affect plant safety. These are accidents on the Delaware
 River.

5 That analysis was completed, and indicated a very 6 low probability of an accident occurring. It was reviewed 7 with the NRC staff, and the conclusion was that because of the 8 low probability waterborne accidents need not be considered 9 as a design basis for Hope Creek.

10 Those were the three items in the Hope Creek 11 letter that required further attention.

DR. SIESS: Okay. Thank you.

In the Newbold Island letter there was oneparagraph in that which has been addressed.

MR. GAILEY: That is correct.

DR. SIESS: Thirteen years ago. There was a paragraph on hydrogen control, and recommendation that the containment should be inerted, which has been followed. In addition to which you have the recombiners.

MR. GAILEY: That is correct.

DR. SIESS: Then there was an item -- that is, a paragraph, that ends up, that the applicant should make design provisions to reduce the quantity of reactor coolant discharged to the reactor building in the event of a process line break. This has to do with instrument lines, which, as I
 recall, were a particular concern of ours in those days.
 Something like 150 instrument lines that went through the
 dry well, and they had flow restricting orifices.

5 Do you remember in particular whether anybody has 6 done anything about that? I think it was fairly standard 7 comment for BWRs, and I don't remember the resolution. It 8 was not a Newbold Island item.

9 It was also mentioned in the Hope Creek Subcommittee 10 minutes. I checked that.

MR. GAILEY: As far as instrument lines are
concerned, the orifices were retained, in addition to excess
flow check valves. I believe it has been concluded the
instrument lines were not a further concern.

As far as process line breaks are concerned, the intent was to provide some features to keep the off-site releases well within the 10 CFR 100 guidelines.

18 DR. SIESS: You are right. It was the process19 lines. That was the concern.

And it said previous to that although the off-site doses from such an accident would be well within the part 100 guidelines, it would be comparable to greater than doses calculated for other less probable accidents.

DR. EBERSOLE: May I comment?

24

25

DR. SIESS: Let's see if we have got response to

this.

1

8

MR. GAILEY: Yes, that has been addressed in our
design. We feel with the combination of the isolation
features in the process lines and pipe whip restraints, which
have been extensively addressed in Hope Creek, we have seen
that the off-site releases are well within 10 CFR 100
guidelines at the Hope Creek site.

93

DR. SIESS: Jesse?

9 DR. EBERSOLE: Yes. That was a period, I guess I 10 will call it an era of darkness, a little bit, because I 11 noticed in particular that one focused on was release of 12 radioactive nuclides in the stream of water which came out.

Yet, the implications of anything beyond just a modest dose was not even looked at at all. Those implications are that you are going to pollute the environments of critical electrical equipment and places where people have to live, and that in the context of direct radiation release is really of no particular consequence.

What is of consequence is you are going to disable potentially large amounts of apparatus which continue to cool the core after it is tripped. So there is sort of a distortion in the rationale in looking just at the dose consequences and not looking at the enviornmental impact on critical equipment and people.

I certainly thing you better look at it in this

new context. It is part of the environmental qualification 1 process. 2 DR. SIESS: You are speaking of environmental 3 qualification? 4 DR. EBERSOLE: Yes. 5 MR. GAILEY: Our qualification for harsh environ-.6 ments takes into consideration these --7 DR. EEERSOLE: These emissions? 8 MR. GAILEY: Radioactive releases. 9 DR, EBERSOLE: I have no interest in the radioactive 10 component. 11 DR. SIESS: Temperature and moisture. 12 MR. GAILEY: That is correct, they are considered. 13 Yes. 14 DR. EBERSOLE: Condensation on surfaces which lead 15 to short circuits, etc.? 16 MR. GAILEY: If condensation is a problem, yes. 17 DR. EBERSOLE: The equipment is normally at ambient 18 temperatures. So you wet down many terminal boards, many 19 stud connectors. 20 DR. SIESS: We have an item tomorrow on environmental 21 qualification. 22 DR. EBERSOLE: Right, but it directly related to 23 the emission problem. 24 DR. SIESS: Among others. That wasn't what we had 25

17

1

2

3

4

5

25

in mind in the letter.

MR. GAILEY: Yes.

DR. SIESS: That was strictly doses.

Thank you, Mr. Gailey.

MR. GAILEY: You're welcome.

DR. EBERSOLE: We would like to move to Mr.
7 Churchman.

B DR. SIESS: Yes. Before he starts, I looked through
9 section 12. I think I need to clarify the concern of the
10 ACRS in the seismic area and to define it somewhat more
11 narrowly, maybe, than it was interpreted to be.

I don't think at this point in time and at this point and at this plant we are particularly concerned about the seismic design basis as it was done at the CP.

We have only a minor interest in comparison with the uniform hazards' curve. I am perfectly happy to accept a statement by the staff that it was done and it compared well with your design spectrum.

In terms of margins, this is a generic issue that we are pursuing with the staff and research and following the industry work. I was in attendance at the EPRI workshop. Right now we don't have any immediate major concerns we could look at at Hope Creek in terms of seismic margins for structures, components and piping.

Not that we are not concerned, but those issues

1 are not the uppermost in our minds.

Margins, of course, many margins for earthquakes larger than the design basis, larger than the SSE, outside of the licensing criteria. Although on the East Coast, once the position of the Geological Survey on Charleston was clarified, is that the word, if there was ever misused, that will go down in history.

8 I will put it my way. Once they unloosed Charleston 9 on us up and down the Atlantic Seaboard, the licensing-10 regulatory implications of an earthquake larger than the SEE 11 that had been previously accepted may loom somewhere in the 12 future.

There are two things we would like to address here. You may have to repeat this for the full committee. One is we are interested in the way the staff has treated more recent information regarding SSE, which in this case I think is the New Brunswick earthquake, which was real, and the unleashing of Charleston, which may or may not be real.

Both of these are addressed in the SER, and weprobably ought to hear briefly from staff on that.

But in terms of the seismic margins, the one concern we're looking at, would like to discuss briefly, would be the soil conditions and liquefaction.

Again, what we're concerned about with respect to margins is whether there is a cliff out there, and how close

to the edge of it we might be. If the cliff is three times the 1 SSE out there, we feel one way. If there is a cliff out 2 there and it is 1.2 times the SSE, we are obviously going to 3 feel very differently. 4 And there is some concern that liquefaction might 5 be the cliff that is most likely for some sites, because we 6 know from history that some of the sites we reviewed met the 7 SSE for liquefaction, but nobody really looked at them for 8 anything higher. 9 So I guess to this plant we would like to know if 10 you have some information from your consultants about the 11 liquefaction possibility at earthquakes greater than the SSE; 12 and if you have not, tell us what you do know about it. 13 And I think I would like to start off by hearing 14 from staff on their treatment of contemporary knowledge 15 regarding earthquakes on the Eastern Seaboard. 16 DR. MICHELSON: Wouldn't this be a good time for a 17 break, before we go into this subject? 18 DR. SIESS: It all depends on whether your 19 consultant has a plane. 20 MR. ECKERT: How are we doing? We could break 21 first. 22 DR. SIESS: We will take 10 minutes. 23 (Recess.) 24 DR. SIESS: We are on the seismic issue, and the 25

20

1	first speaker will be Phyllis Sobel.
2	Are you a geologist, or seismologist?
3	MS. SOBEL: Seismologist.
4	DR. SEISS: That's the best kind.
5	MS. SOBEL: I'm Phyllis Sobel, and I would like to
6	give a brief description of two issues which were treated in
7	the staff's SER: the 1886 Charleston earthquake and 1982
8	New Brunswick earthquake.
9	(Slide.)
10	MS. SOBEL: To set the stage for the New Brunswick
11	earthquake issue, I will use a seismicity figure of the
12	Eastern United States. This is a recent instrumental
13	seismicity, and this figure is from a recent bulletin of the
14	Northeast U.S. Seismic Network.
15	The asterisk in the southwest part of New Jersey
16	is the Hope Creek site.
17	The maximum historic events within about 200 miles
18	of the Hope Creek site were of about epicentral intensity 7,
19	and about maximum estimated magnitude 5. These events
20	occurred in Asbury Park, New Jersey, which is on the northern
21	coast of New Jersey, near New York City, Wilmington, Delaware,
22	and Richmond, Virginia.
23	The January 1982 New Brunswick earthquake, of
24	magnitude 5-3/4, occurred in a cluster of seismicity at about
25	latitude 47 degrees.
Contraction of the	

21

A'though about 700 miles from the Hope Creek site, this New Brunswick event is significant because it occurs 2 in the New England-Piedmont tectonic province. The closest 3 approach to the province is about 18 miles northwest of the site.

6 Now, as I said, the maximum events within about 200 miles of the site were about estimated magnitude 5. The 7 maximum events within about 50 miles of the site were about 8 magnitude 4. This is discussed in the SER, so the staff did 9 not see, did not believe it was possible for a magnitude 10 5-3/4 event to occur within about 200 miles of the Hope Creek 11 site. 12

However, by examining the seismicity, we found 13 that the largest event would probably occur near the fault 14 zone which is about 18 miles from the site. So to be 15 conservative, we looked at the possibility of a magnitude 5-3/4 16 event occurring about 18 miles from the site. 17

(Slide.)

1

4

5

18

MS. SOBEL: As an appendix to the SER, there is a 19 study by Lawrence Livermore of site-specific response spectra 20 for the Hope Creek site. One of the cases they looked at 21 was magnitude 5-3/4 event at about a distance of 18 miles 22 from the site. 23

They looked at strong ocean recordings on sites 24 that were deep soil sites. 25

1 On this figure you see the Hope Creek SSE, which 2 is .2 G, Reg Guide .06 spectra, and you also see the 50 and 3 84 percentile site-specific spectra for the magnitude 5-3/4 4 event at 18 miles.

You can see the SEE envelopes the 84 percentile.
So staff found that the site SSE was adequate for describing
the ground motion effects of the New Brunswick earthquake
at 18 miles from the site.

(Slide.)

23

9

MS. SOBEL: This figure shows seismicity recorded
by the Southeastern U.S. Seismic Network. This may be the
first time you've seen this particular figure. It is from
the latest bulletin of the Southeastern U.S. Seismic Network.

The events that were believed to be reservoirinduced or quarry blasts have been eliminated from the figure. As you can see, I have sketched in the fall zone as a dashed line. It is a boundary between the Piedmont province to the northwest and Coastal Plain to the southeast.

Hope Creek site again is the asterisk. The Coastal
Plain is virtually aseismic except for the area around
Charleston, South Carolina.

As you know, during past licensing decisions the NRC has held to the position that the relatively high seismic activity within the Coastal Plain province in the vicinity of Charleston, including the 1886 intensity 10 earthquake,

was for licensing decisions related to a unique tectonic structure there.

24

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

However, because of the variety of possible source mechanisms that have developed for the Charleston seismicity, the USGS, as Dr. Siess says, clarified their position in a letter to the NRC, dated November, 1982.

The staff's position with respect to that letter is in the SER. The staff's position was presented also to the ACRS in April of 1983. I will be giving you a short update now.

If you remember, the position includes both the deterministic and probabilistic studies. The deterministic study should reduce the uncertainty by better defining the causal mechanism of the Charleston earthquake.

One significant deterministic study has been trenching of liquefaction features in the South Carolina Coastal Plain. Researchers at the University of South Carolina have been trenching a sampler, which is recorded as being due to the 1886 earthquake.

In addition, both the USGS and University of South Carolina have discovered liquefaction features due to pre-1886 events.

As an aside, during the excavation for Hope Creek, the applicant and the staff geologist examined the foundation for evidence of earthquake-induced structures, and they found

no liquefaction features in the faces of the excavation.
 The foundation strata belonged to the Vincentown Formation,
 which is at least 53 million years old.

The second part of the staff's Charleston program is a probabilistic program. This is being done by Lawrence Livermore National Laboratories. It includes the use of expert panels for seismicity and ground motion inputs and sensitivity studies. The basic objective is to identify those sites which have a high hazard with respect to their design.

10 The Hope Creek site is not one of the first 10
11 test sites. In fact, the staff does not know of any uniform
12 hazard response spectra for the Hope Creek site.

Progress to date, the final calculations for the first 10 test sites are in program. There is a NUREG on the interim results for these 10 sites. But the final calculations are in progress now, and a report on them is expected in winter of 1985.

EPRI is running a similar parallel hazard study, and those results should be available in April or May of 1985. Then there will be a comparison period, comparing the two programs, and finally, Livermore will extend their runs to include all of the remainder of the nuclear powerplant sites in the Eastern United Sites.

24 So to conclude that topic, given the speculative 25 nature of th. hypothesis with respect to the recurrence of a

large Charleston-size earthquake and the low probability
 associated with such events, the staff does not see a need
 for any action for specific sites at this time.

26

11

25

We have evaluated the possibility of the recurrence of an event the size of the 1886 earthquake occurring in the vicinity of Charleston and found the effects of the state are less than the SSE.

8 That concludes my presentation. Dr. John Chen, who 9 is the staff geotechnical engineer, is available for any 10 questions on liquefaction.

DR. SIESS: Thank you, Phyllis.

12 I think we will hear from the applicant, first,13 on liquefaction. Then if necessary, we will call on John.

MR. POMEROY: Phyllis, I wanted to explore, first, the logic between, if you will, your using the New Brunswick earthquake, which I understand your position to be that it is not associated with a specific tectonic feature, and therefore should be moved to the nearest point of approach to the plant site of the tectonic province it occurred in.

With your treatment of the Charleston earthquake, which you also have no evidence in my belief, that would associate it with a particular tectonic feature and yet, the staff is choosing to leave it at Charleston. There is an inconsistency in that logic.

MS. SOBEL: First, with respect to the Charleston

earthquake, our position has been based on larrgely statements
 made by the USGS in the past, which have relied heavily on
 the fact that seismicity since 1886 has been concentrated
 in the Coastal Plain in the vicinity of Charleston.

27

17

18

19

20

21

22

23

24

25

And granted, that is not -- there is no known,
definite known source mechanism. But studies are underway.
We are optimistic.

8 In terms of the New Brunswick earthquake, it is 9 still an open issue. Not in terms of this site, but in 10 terms of our generic studies, whether or not New Brunswick 11 is associated with structure.

12 There are after-shocks associated with conjugate 13 fault plains in the area. It seems as if the seismicity is 14 being localized to a structure. It is just a question of 15 whether or not similar structures could exist throughout the 16 Piedmont Province.

MR. POMEROY: I have another question with regard to your seismicity, instrumental seismicity maps.

DR. SIESS: I didn't get the answer there. You referred back to the previous USGS position on Charleston.

MS. SOBEL: Yes.

DR. SIESS: But you sort of ignored the clarification.

MS. SOBEL: The clarification is that we are allowing the possibility of the event occurring in other parts

and the second second	
1	of the Eastern Seaboard by following through with
2	probability studies.
3	DR. SIESS: On a probabilistic basis?
4	MS. SOBEL: Right.
5	DR. SIESS: I see.
6	Go ahead.
7	MR. POMEROY: Then did I understand you to say the
8	staff has no best estimate of the seismic hazard at this
9	site?
10	MS. SOBEL: There is no uniform hazard response
11	spectrum.
12	MR. POMEROY: I guess I'm asking for site-specific
13	seismic hazard curves other than those being, that may be
14	generated in the future by Lawrence Livermore.
15	MS. SOBEL: You're talking about response
16	spectra, probabilistic response spectra?
17	MR. POMEROY: I'm talking about a seismic hazard.
18	DR. SIESS: Seismic hazard. I don't think the
19	staff has done a seismic hazard except Livermore, have they?
20	MS. SOBEL: That's correct.
21	DR. SIESS: Applicants have done them, right?
22	MR. POMEROY: Could I pose the question to the
23	applicant at this time?
24	DR. SIESS: Yes, I think so.
25	MR. POMEROY: Does the applicant have any best
10.000	

()

estimate or any seismic hazard curve for the Hope Creek site? 1 MR. PRESTON: I would like to introduce Chuck 2 Churman, who will address your question. 3 MR. CHURCHMAN: Good afternoon. I'm Chuck 4 Churchman, Southern Engineering Manager for Public Service. 5 We did do a site-specific hazard spectrum analysis 6 for Hope Creek for comparison purposes. Essentially what 7 we have done is following the methodology used by Lawrence 8 Livermore for those 10 other sites. We have engaged Dr. 9 Robin McGuire. I would like Dr. McGuire to further address 10 your question. 11 MR. POMEROY: Thank you. 12 DR. MC GUIRE: My name is Robin McGuire. In 13 order to give the applicant some perspective on seismic 14 hazards associated with Hope Creek, we undertook a study 15 which involved replication of the assumptions used in the 16 Lawrence Livermore study for the Hope Creek side. 17 (Slide.) 18 DR. MC GUIRE: We have elected to consider a 19 subset of all the many options produced by Lawrence Livermore 20 which we feel gives an accurate, reasonable representation of 21 what the Lawrence Livermore study would have produced at Hope 22 Creek had it been run at that site. 23 That subset consisted of using the source zones 24

specified by 11 seismicity experts. The best estimate source

29

25

zones and best estimate seismistic parameters for the source zones. Also, using the best estimate attenuation function specified by each of the four attenuation experts. So in all there were 11 seismicity experts times four attenuation functions, or 44 sets of curves.

6 The parameters we looked at were peak acceleration 7 and spectra velocity at 9 Hz and at 1 Hz. This represents a 8 summary of those 44 assumptions on seismic sources and 9 attenuation functions, showing the 16th, 50th and 84th 10 percentile, which give a reasonable representation of the 11 hazard which would have been produced under the assumptions 12 of a Lawrence Livermore study.

(Slide.)

30

1

2

3

4

5

13

23

24

25

DR. SIESS: Robin, where did -- I'm trying to recall from the Lawrence Livermore study where the experts put Charleston.

DR. MC GUIRE: That varied among the experts. Some of them had relatively small zones in the Southeast. Some of them allowed it to migrate up and down the East Coast.

21 DR. SIESS: They did. And that was sort of 22 factored in on the expert basis.

DR. MC GUIRE: Yes, sir.

DR. SIESS: Were those opinions before or after USGS? And if so, do you think they were influenced by it?
1 DR. MC GUIRE: I'm sure they were influenced by 2 it. 3 (Slide.) DR. MC GUIRE: The next slide shows similar results, 4 being annual probability of accedance versus spectral 5 velocity for the 9 Hz and 1 Hz spectral velocities. Again, 6 this is a summary for each frequency of the 44 hazard runs. 7 DR. SIESS: Would you put the previous slide back 8 on for a minute? 9 (Slide.) 10 DR. SIESS: What do we get at the 50th percentile, 11 2/10 G, about 7 or 8 times 10 to the -4? 12 DR. MC GUIRE: I believe it is about 2 to 3 times 13 10 to the -4. 14 DR. SIESS: That is in the range we've been talking 15 about, isn't it? 1,000 to 10,000 years. 16 (Slide.) 17 DR. MC GUIRE: Using that set of results we 18 constructed an approximate uniform hazard spectrum by adopting 19 the 1,000-year peak acceleration as the high frequency 20 asymptote, amplifying -- using the 9 Hz and 1 Hz 1,000-year 21 spectral velocities to draw quasi-uniform hazard curves. 22 That was done for a 1,000-year return period and for the 23 10,000-year return period. 24 Those are shown here on the third slide. Compared 25

31

to those spectra on this slide are the Hope Creek Reg 1 Guide 160 spectrum spectrum, .2 g, and also the Lawrence 2 Livermore site-specific spectrum, which is for 54 magnitudes 3 at near field distances and small buildings. 4 In this case, the later spectrum at high 5 frequencies is very close to the Lawrence Livermore, what 6 we estimate to be the Lawrence Livermore median 1,000 7 spectrum. The Reg Guide falls slightly below that, but still 8 in the range between the 1,000 and 10,000-year spectrum. 9 DR. SIESS: I would like to ask a question. I'm 10 not sure you are the one to answer it, but I wanted to ask 11 while this is still on the screen. 12 What frequencies are of particular concern in . 13 relation to soil liquefaction? 14 High or low will be a satisfactory answer. 15 DR. MC GUIRE: I'll defer that question to another 16 consultant. 17 DR. SIESS: We can defer the question, but save 18 the slide. 19 DR. DREWNOWSKI: The frequencies that are of 20 interest are in the low frequency range, generally less 21 than 1 Hz. 22 DR. SIESS: Thank you. 23 DR. DREWNOWSKI: If you look at the curve, it is 24 a very good question, because it indicates the --25

109

110 DR. SIESS: Identify yourself. 1 DR. HARSKIL: I'm Harskil, with Dames and Moore. 2 3 The frequencies of interest are generally less than 1 Hz. As you can see from this particular curve, there 4 is an ample safety margin with the use of the Hope Creek 5 response spectra, which corresponds to Reg Guide 160. 6 DR. SIESS: Thank you. 7 DR. MC GUIRE: That concludes my presentation. 8 DR. SIESS: Thank you very much. 9 MR. POMEROY: Is it possible for us to get a copy 10 of those slides, Robin? 11 DR. MC GUIRE: Of course. 12 MR. ECKERT: Now Mr. Churchman will make his 13 presentation on the rest of it. 14 DR. CHURCHMAN: Good afternoon. I'm Chuck 15 Churchman, site engineering manager. This subject of seismic 16 design encompasses an area of many sub-subjects, such as 17 geology, seismology, soil structure interaction, soil 18 sensitivity studies and structural seismic analysis. 19 We realize that the ACRS current review emphasis 20 has been centered on the adequacy of design input notion, 21 seismic design margins and recent seismic developments. 22 Within the limitation of time and your speciric request, we 23 will tailor our overview to that interest. 24 We have engaged Dr. Allin Cornell of Stanford 25

University, Jim McWhorter of Dames & Moore, Richard Holt of Weston Geophysical and Dr. Robin McGuire. They are available for further discussion regarding seismology and seismicity.

Professor Harry Bolton Seed and John Lysmer of the
University of California at Berkeley are also present to
discuss seismic analysis, particularly in the area of soil
structure interaction and soil liquefaction.

8 Our next slide shows the topics to be presented 9 during the overview. We are going to look at earthquake 10 ground motion, seismic design major conservations, New 11 Brunswick sequence, soil liquefaction, site-specific response 12 spectra and seismic margins.

Dr. Siess, we now understand, would like to streamline this more directly to the soil liquefaction area. To do this, I would like a minute concerning the conservatisms inherent in our design SSE.

17 For the earthquake ground motion and location of18 epicenters, we go to the next two slides.

(Slide.)

34

1

2

3

19

25

20 DR. CHURCHMAN: Looking at the next slide, 21 location of the epicenters, we show a 50-mile radius from the 22 site. At the center you see a green-colored circle, which is 23 the site. Elsewhere, you see squares which represent 24 earthquakes.

All known earthquakes within a 50-mile radius

have magnitudes of 4.0 or less. Approximately 15 miles
to the north of the site is a square in the Wilmington,
Delaware area.

(Slide.)

35

4

DR. CHURCHMAN: We have searched the historic record, which is more than 200 years, and have found within the site vicinity the 1871 Wilmington, Delaware earthquate to be the largest event with a modified Mercali intensity of 7.

Based on rather moderate fault area and limited damage, the 1871 Wilmington earthquake was probably no greater magnitude than 4.0. Based on 10 CFR 100, Appendix A, we have arrived at an SSE of intensity 7, which the NRC staff has correlated to a magnitude of 5.3.

This is very conservative, compared to the
Wilmington event, with a magnitude of 4.0. We have used the
Trifunac and Brady correlation, a more conservative
correlation than the other popularly accepted correlation
by Murphy and O'Brien.

Using the Trifunac and Brady correlation we came up with .13 G. If we had used Murphy and O'Briends, the result would have been approximately 10 G. Hence, we are more conservative.

24 While the standard industry practice is to use 25 this mean value, .13 G in our case, we made it more

1	conservative by going more than 1 standard deviation from
2	the mean value, and used .20 G for our SSE input.
3	For the OBE we were following the Code of
4	Federal Regulation, which required us to specify the OBE as
5	one-half the SSE. So the OBE is 1. G.
6	I will move quickly through some of the other areas
7	you have asked me to skip.
8	MR. POMEROY: Before you skip ahead, I really
9	do want to ask you a couple of questions.
10	In the FSAR, in Table 2.5. or -1 I forget which
11	it is you have a list that purports to be all of the
12	earthquakes within a 50-mile radius of the site, I believe.
13	And the last entry on that list is in 1980, I believe.
14	My first question is is that list, in your
15	estimation, a complete list?
16	DR. CHURCHMAN: Yes, it is.
17	MR. POMEROY: There are two events that I am aware
18	of that are February 10th, 1977 and April 28, 1974, with
19	magnitudes w.6 and 2.2, respectively, that occurred in the
20	Wilmington area, according to the Delaware Geological Survey.
21	If you put those points on your seismicity plot,
22	or indeed, if you put them on the seismicity plots shown by
23	the staff, that would begin to change the perception in that
24	Wilmington area to some extent.
25	My other question has to do with, are you aware

1.11	
1	of any significant activity in the Wilmington area more
2	recently than 1977 or so?
3	DR. CHURCHMAN: We have researched the record over
4	the past 200 years and made a recent recheck. What we tried
5	to highlight today was the greatest magnitude in the 50-mile
6	radius, particularly the Wilmington event, 15 miles to the
7	north.
8	MR. POMEROY: That's correct. You did that properly.
9	I'm not objecting to that.
10	DR. CHURCHMAN: Okay.
11	MR. POMEROY: I'm just concerned that there are
12	events in the Wilmington area that are missing from the
13	tabulation and from your maps that I think might change the
14	perceptions somewhat of people looking at the seismicity
15	map.
16	But I don't want to pursue that especially because
17	I'm more interested in the second question, which has to do
18	with the more recent activity in the Wilmington area.
19	DR. CHURCHMAN: Regarding more recent activity
20	I would like to ask Jim McWhorter to answer that question.
21	MR. MC WHORTER: My name is Jim McWhorter, with
22	Dames & Moore.
23	Regarding your first question, Paul, I think many
24	of the events reported in the Wilmington area, especially
25	those noted by the Delaware Geologic Survey, are so small

1

2

4

5

6

25

in magnitude that they are very, very poor epicentral locations.

We did not include those very small magnitude 3 events for that reason. There are several events that have been noted in the Table 2.51 that you referred to that have, you know, essentially fault events, but not located very well.

The most recent events I'm aware of which occurred 7 after the most recent staff review were I guess December of 8 last year, November-December last year. I don't think that 9 would change dramatically our perception of the seismicity 10 within 50 miles of the site. 11

MR. POMEROY: I have a November 17, 1983, 2.9 event. 12 December 12, 1983, 2.4 event. February 15, 1984, 1.5 event. 13 And January 19, 1984, 2.5 event. All of those, with the 14 exception of the 1.5 magnitude, probably would certainly 15 fall on your map if it included that more recent activity. 16 Again, that would change your perception. 17

I guess the question I would pose to you, Jim, 18 although I realize there may not be an answer, is would you 19 attach any significance to the occurrence of a number of 20 earthquakes in the Wilmington area, and at least to the 21 extent possible from intensity surveys, all of those events 22 are occurring in the same general area, which is an area on 23 the Brandywine River. 24

MR. MC WHORTER: Yes. We are well aware the

4

5

6

21

22

23

24

25

39

Wilmington area has been the scene of recurrent activity.

One thing I would like to add is that during the 2 PSAR level at Hope Creek we did extensive mapping in the 3 region -- excuse me -- I mean to say the Delmarva Summit site PSAR, we did extensive geologic mapping in the area of the Summit site. Before that, the Red Lion site.

There are many exposures afforded to us -- Route 7 295, Route 95 exposures -- that cut through the Coastal Plains. 8 We are looking at some linears that -- from the Delaware 9 Geologic Survey had pointed out in one of his studies, 10 Spolarik's studies, that he felt perhaps could be related to 11 seismicity in that region. 12

We also did several deep borings to try to track ' 13 some of the mid-tertiary geologic structures in the area. 14 We did not see any geologic phenomena at the surface that 15 would be indicative of liquefaction phenomena we see in other 16 areas in the Coastal Plain. 17

So we do attach some significance to the fact 18 that Wilmington is the seat of recurring seismicity, but it 19 has been of a low magnitude, as you know. 20

MR. POMEROY: Thank you. I would like to pose the same question to the staff, if I could. Do you attach any significance to this kind of activity in the Wilmington area?

MS. SOBEL: We have been in touch with the people at the Delaware Geological Survey. It seems to be their

impression, and ours, that this is an area of some recurring minor seismicity. There was an event in 1871; we're not too sure about seismicity surrounding that event.

40

1

2

3

4

5

11

12

21

24

25

Then it seems as if there was no record of seismicity until just before the 1973 magnitude 3.8 event at Wilmington, which has been the largest event in the last 6 14 years or so. 7

They are not required to report events below 8 magnitude 3, but they discussed the events near Wilmington, 9 and staff has been looking at it. 10

> DR. CHURCHMAN: Proceeding with soil liquefaction. (Slide.)

DR. CHURCHMAN: Liquefaction potential for 13 Category 1 structures was determined by comparing the shear 14 stresses induced in the soil by the SSE with the cyclic 15 shear strength of the soil in the field condition. . .

The maximum shear stresses at various points in 17 the foundation were obtained from dynamic analysis. The 18 dynamic strengths of the foundation soils were determined 19 primarily by laboratory test data, correlated with field data. 20

The Hope Creek Project has three major Category 1 foundation systems: power block, service water intake, and 22 the service water pipeline. 23

Due to unique schemes and construction methods I will address each separately. The power block extends

approximately 62 feet below grade, and is supported rather directly on -- which extends from Vincentown to the bottom 2 of the concrete foundation. 3

1

4

6

20

21

22

23

24

25

The results of our analysis show that the foundation media of the power block, consisting of engineer 5 backfill and Vincentown formation, have factors of safety against liquefaction in excess of 2 under the postulated 7 condition. 8

Material sloping from the Vincontown elevation 9 up to approximately 150 feet horizontally from the power 10 block have been excavated and replaced with engineered 11 backfill. This further enhanced the stability of the power 12 block against sliding. 13

MR. POMEROY: Excuse me, Mr. Churchman. Can I 14 just ask a question for clarification there? 15

When you say you have a factor of 2, does that 16 imply to me, compared to SSE conditions, does that imply to 17 me that if at something like .4 G that liquefaction might 18 occur? 19

DR. CHURCHMAN: I'll get to that in a minute.

In our elevation of the factor of safety against sliding of the power block structures, we were requested by the NRC staff to conservatively assume the upper 30 feet of soil liquefies under the SSE condition.

Even under these extreme loading conditions, the

analysis proved acceptable, factor of safety, against sliding. 1 We would like to address the intake structure 2 next. It extends approximately 75 feet below grade and is 3 supported on competent Vincentown Formation. The results 4 show the foundation has a factor of safety against 5 liquefaction in excess of 2 under a postulated SSE condition. 6 DR. MIESS: What does a factor of safety mean in 7 this case? Ratio of what to what? 8 DR. CHURCHMAN: Factor of safety is a ratio 9 comparing the shear stresses induced in the soil by the SSE 10 with the cyclic shear strength of the soil in the field 11 condition. 12 DR. SIESS: Can you translate that into a seismic 13 margin and tell me at what SSE level, assuming the same 14 spectrum --15 DR. CHURCHMAN: I'm preparing to get to that in a 16 minute for all three structures. 17 DR. SIESS: Okay. 18 DR. CHURCHMAN: The service water pipelines are 19 located in a trench approximately 95 feet wide. The in situ 20 material was excavated down to Kirkwood Clay Formation and 21 replaced with engineered backfill. The peiplines which are 22 located at approximately 15 feet below grade use only a 23 15-foot wide space near the center of the trench. 24 The foundation of the pipeline consists of 25

42

1	engineered backfill, Kirkwood clay, Basil sand and Vincentown
2	sand.
3	DR. EBERSOLE: Apart from seismic liquefaction,
4	if you were to experience a failure in one of the service
5	water lines, would it scour the region in the vicinity of
6	the failure and simultaneously cause collapse of both pipes?
7	DR. CHURCHMAN: Loss of one of the pipes has been
8	evaluated, and the plant, it would have an acceptable effect
9	upon the others in the vicinity.
10	DR. EBERSOLE: How far apart are the pipes?
11	DR. CHURCHMAN: Approximately 15 feet.
12	MR. POMEROY: I'm a little confused. That is the
13	second time you have used the word "acceptable." 'Could you
14	quantify that for me just a little bit?
15	DR. CHURCHMAN: For instance, with the factors of
16	safety I've been talking about for the SSE event, I've been
17	pointting to, for instance, for sliding conditions, a 1.1
18	factor of safety as required by the Standard Review Plan,
19	3.8.5.
20	DR. EBERSOLE: I guess I didn't get an answer.
21	Did you say you have examined this problem and you don't
22	find any problem?
23	DR. CHURCHMAN: That's correct. The factors of
24	safety against liquefaction we have discussed are in general
25	based primarily upon laboratory test data which tend to

underestimate these values due mainly to sample disturbance.

1

The in situ factors of safety are very likely to
be considerably higher. To assess this, we have retained
Professor Seed from the University of California at Berkeley
for his evaluation of seismic margin against liquefaction.

6 Based on Professor Seed's evaluation using field 7 performance data, it is judged that the foundation of the 8 power block, intake structure and pipelines have ample 9 margins of safety against design acceleration level of .2 G, 10 and also against significantly increased SSE acceleration 11 levels.

DR. SIESS: That is all very interesting, but it hasn't addressed the issue I raised, the one we were interested in.

DR. CHURCHMAN: All right, Dr. Ebersole --DR. SIESS: I would appreciate it if you would get on with it because you're telling us a lot of stuff we're not particularly interested in at this time.

DR. CHURCHMAN: I would like to introduce
 Professor Seed to provide a brief summary review concerning
 the basis for these judgments.

MR. SEED: My name is Harry Seed. And I am professor at the University of California-Berkeley, consultant to Geotechnical Engineering and Earthquake Engineering.

1 I have been retained by the applicant to evaluate the safety margins against liquefaction for the soils at 2 the Hope Creek site. As Mr. Churchman just told you, when 3 the liquefaction factors of safety were evaluated at the time 4 the plant was designed, it was done by comparing the cyclic 5 loading resistance of the soils as measured by laboratory 6 tests with the estimated stresses to be induced in the 7 ground, postulated SSE. 8

That comparison led to a factor of safety of 2. 9 That was done about eight years ago, I think. At the time 10 that was the recognized and accepted method of evaluating 11 liquefiability of sandy deposits. 12

Since that time a number of changes have taken 13 place. One of the major changes has been the recognition by 14 the geotechnical engineering world that when we take samples 15 of relatively dense sands that they were inevitably disturbed 16 in the sampling process. And that disturbance leads to a 17 reduction in the cyclic loading resistance of the sands. 18

I would like to show you a Vugraph to show you a 19 typical example of that reduction in cyclic loading resistance. 20

(Slide.)

21

22

24

25

MR. SEED: The upper line in the plot shows the cyclic loading resistance. That is, the cyclic stress ratio 23 plotted on the vertical action is against a number of cycles required to cause a core pressure ratio of 100 percent, which

is interpreted by some people as being indicative of 1 liquefaction, for a deposited dense sand. 2 That deposit was large enough to be tested in a 3 large, very large-scale cyclic load test. So that is the 4 property of a large block of sand. 5 An identical block of sand was made and samples 6 were extracted from the large block of sand using conventional 7 undisturbed sampling procedures and handled as samples of the 8 parent block. The samples were extruded from the sampling 9 tubes and tested as samples, 2.8-inch diameter samples in 10 conventional cyclic loading tests in the laboratory. 11 The results of that set of tests are shown by the 12 lower curve on the plot. And the comparison between the 13

46

23

24

25

14 properties of the soil after sampling and the properties of 15 the soil as compacted, indicates that the measured cyclic 16 loading resistance of these samples of dense sands were 17 reduced from their actual values by a factor of about 4 in the 18 sampling process.

19 This kind of result has been determined in the 20 United States and also in Japan, and is characteristic of the 21 kind of behavior that occurs in relatively dense sands during 22 the sampling process.

At the Hope Creek site we find ourselves dealing with a lot of relatively dense sands. The properties of these sands in the initial studies were measured by laboratory

loading tests. As such, the results of those tests are
 likely to provide a very, very considerative estimate of the
 true liquefaction resistance of the deposits at the site.
 This problem has been recognized by the geotechnical
 engineering profession.

And to circumvent the problem, new procedures have
been developed which evaluate liquefaction resistance without
resorting to the problems of sampling.

As a matter of fact, it is recognized now, I believe, that the only way that a truly undisturbed sample of sand could be obtained for testing in the laboratory would be to freeze the and in situ, and then extract the frozen soil from the ground, bring it to the laboratory and thaw it. That is extremely expensive, but it is being done in some parts of the world.

An alternative to that is to do an in situ test 16 on the sand. In situ test is usually a penetration test, 17 and usually, the standard penetration test. And by going 18 throughout the world, deserving sites which liquefy during 19 earthquakes and sites which do not liquefy during earthquakes, 20 using actual field behavior and standard products to penetrate 21 the resistance of sands to the liquefaction resistance of 22 sands. 23

A plot showing the present correlation for that purpose which has been developed over a period of about

24

25

1 15 year

2

25

15 years is shown on the next Vugraph.

(Slide.)

3 MR. SEED: This plot shows maybe 150 sites that
4 have been investigated. Sites which have liquefied during
5 earthquakes.

6 Open circles show sites which have not liquefied 7 during earthquakes. Cyclic stress ratio developed during the 8 earthquakes is plotted on the vertical axis and the 9 penetaation resistance of the sands at the sites is plotted 10 on the horizontal axis.

A line is drawn separating liquefiable sites from
nonliquefiable sites. The line is drawn quite conservatively
so that almost -- very few of the solid black points fall
below that line, whereas a lot of the open circles, which
are known liquefiable sites, fall above it.

16 It is a near lower bound line. And that, plots 17 of that type are being used widely nowaways to evaluate the 18 liquefiability of sand products and the factors of safety 19 for those sandy products against earthquake-induced 20 liquefaction.

The particular plot you see is a plot developed
from magnitude 7½ earthquakes. It is possible to extend
plots like that to other magnitude earthquakes. Such a plot
is shown on the next Vugraph.

(Slide.)

MR. SEED: If the magnitude goes down, then the 2 boundary line separating liquefiable sites from nonliquefiable sites moves upwards. 3

Turn it that way.

1

4

22

23

24

25

The plot labeled N = 75 on this plot is exactly 5 the same as the line I showed you on the preceding plots. 6 The other lines on the plot have been developed on the basis 7 of that line, extrapolating to smaller magnitude and 8 slightly larger manitude earthquakes on the basis of the fact 9 that the lower magnitude earthquakes produce smaller numbers 10 of stress cycles due to the shorter duration of shaking. 11

On that basis, the results of the 75 magnitude 12 earthquakes can be extrapolated to smaller magnitude 13 earthquakes. This kind of approach is considered by most 14 people in geotechnical engineering to be the most reliable 15 way of evaluating liquefaction resistance of sand deposits 16 at the present time. 17

Therefore, that is the approach I have chosen to 18 use to evaluate the liquefaction resistance and factor of 19 safety against liquefaction for the soil deposits at the 20 Hope Creek site. 21

Now, if we could go back to the cross-section we showed you earlier, I will discuss with you the factors of safety found for the various soil deposits using that approach. (Slide.)

MR. SEED: And possibly what they mean with regard
to safety margins. The main power block structure, as you
see in this slide, is supported directly on compacted
backfill, shown by the cross-hatched line, and the backfill
sits on top of Vincentown sand.

6 The compact backfill has been densified to a
7 degree of compaction of 98 percent based on the modified
8 compaction test. That is an extremely dense condition.
9 There are very few sands in any projects anywhere that
10 have been placed so densely.

Because of its dense condition it has a very high liquefaction resistance. My evaluation of the factor of safety of that deposit, backfill against liquefaction, for the postulated SSE for the Hope Creek Project, is that the factor of safety is at least 4, and probably larger.

The compacted backfill in turn rests on Vincentown Formation. We know the penetration resistance of the Vincentown Formation. Using the penetration resistance approach, the in situ testing approach, combined with field performance data for previous earthquakes, reached the conclusion that the factor of safety against factor of safety is at least 4, and probably larger.

Thus, the power block sits on two soils, both of which have a factor of safety against liquefaction of the order of 4 or more.

DR. SIESS: Does factor of safety, can I 1 2 translate factor of safety as a ratio of the G value that would cause liquefaction to the design G value? 3 MR. SEED: That's right. What that means, in 4 fact, is acceleration could be 4 times higher than the 5 postulated SSE value, and that would not bring those soils 6 to a condition of failure. 7 DR. SIESS: Assuming the spectrum was the same. 8 MR. SEED: Right. 9 DR. SIESS: Now, on the Vincentown, as I recall, 10 and somewhat confirmed by the staff SER, there was guite a 11 range of density. It says here from 16 blows per foot up 12 to refusal. 13 MR. SEED: That's right. 14 DR. SIESS: Was your evaluation based on --15 MR. SEED: It was based on what I would call the 16 30 percentile value of the penetration resistance values? 17 DR. SIESS: How many blows, do you remember? 18 MR. SEED: Twenty-five, 26, thereabouts. 19 DR. SIESS: Twenty-five, 26? 20 MR. SEED: I could look it up. 21 DR. SIESS: That's all right. 22 MR. SEED: I would rather tell you. Twenty-five. 23 DR. SIESS: Twenty-five. 24 MR. SEED: That brings us to the intake structure 25

which, as you see, sits on concrete which, in turn, sits on
 Vincentown Formation, which we have already discussed. Its
 factor of safety is 4 or more.

That presents no problem and provides a large margin of safety against liquefaction. The service water pipeline actually is surrounded by compacted sand because the hydraulic fill surrounding the service water pipeline has been removed as also has the river bottom sand which you see in this profile.

Those two materials are replaced by compacted sand, the same compacted sand we have under the main structure. That is extremely dense, has a factor of safety of 4 or better. That is underlain by the Kirkwood Formation, which is clay and is simply nonliquefiable, so the issue doesn't arise.

Kirkwood Formation is underlain by a very thin layer of Basil sand. We don't have an awful lot of data with that Basil sand because it is hard to get penetration resistances in the Basil sand because of its very small thickness.

Based on laboratory tests the factor for the Basil sand is 2. It's relatively dense material. We would expect that to be a lower bound value for the same reasons I have discussed with the other sands in the project.

25

We have -- do have some limited penetration test

data for the Basil sand, and that limited data indicates the factor of safety with that layer also is of the order of 3 or 4.

1

2

3

12

13

Thus, all the structures of this project are
supported on soils which have a high margin of safety against
liquefaction. And I don't think -- and I consider personally
that that margin of safety is ample for any earthquake that
we might want to consider for this particular site.

9 DR. SIESS: What about the hydraulic fill in the 10 upper part, there? Nothing is on it. But it can represent 11 a lateral load on the intake structure.

MR. SEED: That's right.

DR. SIESS: Has that been looked at.

MR. SEED: Yes. In analyzing the intake structure the hydraulic fill has been considered to have liquefied during the earthquake and the pressures on the structure are representative of the pressures of liquefied hydraulic fill acting on the structure. That still provides an adequate factor of safety against sliding of the structure due to those pressures.

The interesting thing about that is that while the factor of safety comes out to be a number like 1.25 or thereabouts, since higher accelerations can't do more than cause it to liquefy; doubling acceleration does not reduce that factor of safety hardly at all.

The hydraulic fill only liquefies just the same. 1 DR. SIESS: Yes. 2 Questions? 3 MR. POMEROY: Did you say that the river bottom 4 sand had about the same factor of safety as the engineering 5 backfill? 6 MR. SEED: No, I didn't say that. I said the 7 bottom sands under the surface water pipeline had been removed 8 and therefore didn't have relevance to the issue. 9 MR. POMEROY: Yes. Could you comment briefly 10 on possible differences in frequency content between 11 intraplate earthquakes and interplate earthquakes that might 12 give rise -- does the difference in frequency content and 13 perhaps duration of the signal have any effect on the 14 liquefaction? 15 MR. SEED: Yes. Frequency content has an 16 influence on liquefaction. High frequency content. High 17 frequencies of motion. What really counts in liquefaction is 18 the number of stress cycles induced by the earthquakes 19 regardless of their frequency. 20 To explore that we have over a long period of 21 time examined the number of stress cycles induced by a lot 22 of the accelograms representative of earthquakes of 23 magnitude 5, 5%, 6, 6%, 7, and so on and so forth, and 24

considered that in the whole analysis procedure.

25

54

1	MR. POMEROY: If you had a large number of cycles
2	of, say, 30 or 40 Hz, that would
3	MR. SEED: That would make a large difference.
4	If you get 30 or 40 cycles, you would be talking about a
5	magnitude 8½, 8½ earthquake, actually.
6	MR. POMEROY: We have seen them in the Eastern
7	United States at smaller magnitude: than that. But thank
8	you very much.
9	DR. SIESS: Thank you, Harry.
10	MR. SEED: Thank you.
11	DR. CHURCHMAN: Thank you, Dr. Seed.
12	Based upon Dr. Seed's discussion we have judged
13	that the Category 1 foundations for the Hope Creek Project
14	are not only adequate for the design SSE of .2 G, but also
15	has sufficient seismic margin.
16	(Slide.)
17	DR. CHURCHMAN: Streamlining the remainder of the
18	talk, according to Dr. Siess' request, in conclusion, we have
19	high confidence in our seismic design because we have
20	incorporated many conservative factors.
21	We judge that the final product is truly
22	conservative.
23	I would now like to introduce Joe Yaworksy, Chief
24	Controls and Electrical Engineer
25	MR. ECKERT: We readjusted the schedule, Chuck,
1.1.1	

to put you on this afternoon.

1

DR. SIESS: We are still readjusting schedules. But before we leave the seismic issue I have a question. It is a secondhand question. I won't identify the author. Take it from me, if you want. But I don't expect the staff to be able to answer today. Maybe not ever.

But the question has to do with the NRC taking a
8 look at this plant to get some idea of the seismic risk of
9 the plant as a whole. You know, seismic PFA-type approach.
10 Limerick had a seismic PRA. It has some features similar
11 to this plant.

I think Livermore, in connection with the SSP,
was going to look at a BWR. I think the one they are looking
at is Lasalle, which isn't this plant, but would give some
idea whether BWRs are a little different than PWRs.

The author of the question also mentioned a Brookhaven report on seismic risk. I don't know where in the staff that question goes, but I would appreciate if you could answer any of that. Fine.

20MR. CHEN: Maybe I will want to say something.21DR. SIESS: This is risk, now.

MR. CHEN: My name is John Chen, engineer with
 the NRC.

First I want to make a few comments with regard
to the factor of safety so far in the presentation. We have

this understanding, apparently from the applicant. It seems 1 to indicate the factor is real high values. But from our 2 staff point of view, when that level increase your time 3 duration associated with high escalation earthquakes will 4 be different. The factor on the side will be substantially 5 6 different. Our evaluation so far, we examined the site. All 7 the safety class structures -- containment building, power 8 blocks -- there is no problems. The factor of safety 9 probably in the range of, from our estimate, maybe somewhere 10 about 3. 11 DR. SIESS: You're talking about liquefaction? 12 MR. CHAN: Liquefaction. 13 DR. SIESS: Okay. 14 MR. CHAN: Now, for the pipeline itself, because 15 we have this river bottom stand, at higher levels pour 16 pressure would build up. The pour pressure has been 17 evaluated but only for .2 G. 18 If it goes higher, you would have certain amount 19 of soil sand become liquefied. That effect would affect 20 the pipelines. 21 For the intake structure, we have evaluated 22 certain amount of these sliding stabilities and also the 23 overturning mode for the intake structures. 24 If at the higher levels the sliding of this 25

57

structure could be affected, because there is a lot of sand
 on the south side of the intake structures, we are not able,
 not capable to provide residence, moving into the Delaware
 River.

There is nother thing. On the side of the intake
structures there is a crane with a coffer that was not.
considered as safety class structures. That has a marginal
stability in the current conditions. Means under current
SSE conditions it is above unity, or acceptable to us right
now.

DR. SIESS: This is a crane, you said?
 MR. CHEN: A coffer that encloses the crane next
 to the intake structure.

DR. SIESS: How is that safety-related?

MR. CHEN: If that failed under the seismic condition, especially if that one, liquefaction of the hydraulic fill taking place and river bottom sand taking place, the materials could be washed into the area close to the intake structure. Block the function of the intake structure itself.

21 DR. SIESS: You're going to have river sands 22 flowing into the intake structure or stuff behind it flowing 23 around?

MR. CHEN: Right.

14

24

25

DR. SIESS: Which? Or both?

MR. CHEN. The river bottom sand hydraulic fill 1 all being retained by the coffer. 2 DR. SIESS: That is the sheet pile --3 MR. CHEN: Sheet pile coffer --4 DR. SIESS: At the far end. 5 MR. CHEN: Either end of the intake structures. 6 DR. EBERSOLE: Do I understand you're telling me 7 the suction, uptakes of the service water pumps would be 8 jeopardized by incoming sand? 9 MR. CHEN: I am saying that is a possibility. 10 That means the margin of safety for that cofferdam is 1.1 11 for sliding. 12 DR. EBERSOLE: What is it? 13 MR. CHEN: Steel pile driven down on top of the 14 Vincentown. 15 DR. EBERSOLE: Does it have any --16 MR. CHEN: Very minimal. 17 DR. SIESS: So if the cofferdam slides out into 18 the river because the sand behind it liquefies, your concern 19 is that the sand would go out behind it, fill around and 20 block the intakes? 21 MR. CHEN: Yes. 22 MR. CHURCHMAN: If I could interject --23 MR. CHEN: What we are thinking about is, we 24 envision for this above SSE concern. It should be a 25

59

progressive-type of event occurring whenever you have SSE
 above what the current design for. This is essentially the
 PRA-type of study.

DR. SIESS: Do you have something?

60

4

21

25

DR. CHURCHMAN: Yes. Chuck Churchman.
I would like to add that we have looked at the
cofferdam, sheet pile cofferdam, and looked at the aggregate,
3/4-inch and ½-inch aggregate. It is fully grouted. We
have made an analysis to indicate that pseudo-static
analysis that indicated it would be standing with a factor of
safety of greater than 1.1 under .2 SSE.

DR. SIESS: If you assume it liquefies at 1.1 times 2 SSE, it doesn't make any difference whether it is 4/10 or 6/10, it's liquefied, period. So that is not linear. Right?

But your point is that that factor, 1.1, means
it would liquefy at something not too much above the SSE?
MR. CHEN: Right.

DR. SIESS: If that cofferdam failed, we would then have a problem.

MR. CHEN: Yes.

DR. SIESS: So to avoid the situation, you would say the probability was high that that cofferdam would fail if it was 2 SSE?

MR. CHEN: Yes.

137

DR. SIESS: Why? The pressure on it isn't going 1 2 to be any greater than it was at 1.1 SSE, is it? MR. CHEN: It is not -- the force acting on the 3 cofferdam will be different when you have a higher --4 DR. SIESS: How can it be higher than liquefied 5 lateral -- I mean somebody correct me if I'm wrong, because 6 I haven't been in soil mechanics in 30 years. But I 7 thought once I got something liquefied, it was liquid, I 8 treated it as a heavy liquid. Get the lateral load as a 9 density times the height and now how do I get it any higher 10 than that, than liquid lateral load? 11 MR. CHEN: Let me just remind Dr. Siess, on the 12 dam, when you have a dam retaining a body of water --13 DR. SIESS: You're talking about dynamic effects, 14 then. Dynamic loads transmitted through the soil. 15 MR. CHEN: Yes. This is essentially the same 16 phenomena as retaining water behind a dam. 17 DR. SIESS: You have done some analyses of 18 those, or you just think they are higher than static? 19 MR. CHEN: I think there is a lot of article 20 talk about that, higher than the static, on the dam. There 21 are also some measurements indicate that. 22 DR. EBERSOLE: Did the applicant have any shutdown 23 mode which is effective without the presence of service water? 24 MR. PRESTON: No, sir, that is our ultimate heat 25 sink.

61

dhl	1	DR. SIESS: Has this study you have mentioned appeared
C	2	in any of the documentation?
	3	MR. CHEN: Talk of hydro-dynamic effect on the dam?
	4	DR. SIESS: Well, the thing you are talking about here.
	5	You see, normally in the SER we don't see anything beyond the
	6	SSE.
	7	MR. CHEN: Right.
	8	DR. SIESS: And the study you are talking about,
	9	looking at beyond che SSE, has that been reported in something?
	10	MR. CHEN: No. I think that is based on the judgement
	11	factor, based on the design margins at this point we have.
	12	DR. SIESS: So in your view of Hope Creek, you are
	13	satisfied it is okay at two tenths SSE?
	14	MR. CHEN: Right.
	15	DR. SIESS: But if you were pressed for a margin,
	16	if somebody came along and said Yes, we have got to really move
	17	Charleston up there, somewhere in the neighborhood, and it goes
	18	up to .25, you would have to start over.
	19	MR. CHEN: We have to carry on some additional
	20	studies, yes.
0	21	DR. SIESS: I see.
Ö	22	You think of a seismic PRA was done, this would be
	23	a major thing to be addressed?
C	24	MR. CHEN: Yes, I think PRA would show the ranking,
	25	the overall ranking of these effects.

DR. SIESS: It can happen. Of course, it is quite 1 serious; this is the ultimate heat sink. 2 MR. PRESTON: We would like to provide additional 3 comment on the NRC's statements if we may. 4 DR. SIESS: Fine. 5 DR. CHURCHMAN: Dames & Moore, Dr. Harskil. 6 DR. HARSKIL: My name is Harskil, with Dames & Moore. 7 Dr. Siess, I think the two things that ought to be 8 borne in mind with respect to the numbers that have been bandied 9 about in the discussions that have ensued, factor of safety of 10 1.1, assumes extreme loading conditions. It assumes that the 11 hydraulic fill globally liquifies. The hydraulic fill is 12 composed of irregular and somewhat discontinuous layers of 13 silty clays. Clay silts and silty sands with organics in most 14 parts of the layer. 15 These materials are not liquifiable. Between certain 16 gaps, especially around 10 to 15 feet, there are sporadic thin 17 layers of sand, of fine to medium consistency. These sands are 18 loose to medium consistency with N-values between 2 to 10 blows 19 per foot. 20 We are of the opinion that the hydraulic fill will not 21 globally liquify. If we make the assumption the hydraulic 22

dh2

fill does globally liquify, then the factor of safety against sliding for the intake structure is l.l. So, factor of safety for sliding of the intake structure is considerably higher than

1.1.

1

25

dh3

The second comment was with respect to the buildup of pressure in the Basil sands. It has been said that if a higher seismic design, higher G value for the site was imposed, that there would be higher forward pressure built up in the Basil sands. Right now, using laboratory tests and conservatively associated with sampling, transportation and testing of samples, we have determined a factor of safety in the Basil sands of 2.

9 The pressure built up using thiss very conservative 10 measure of analysis is relatively low. It is my perception, 11 and prior presentation has verified that, using field performance 12 data, factor of safety in the basil sands are higher, which 13 leads me to conclude that the poor water pressure buildup in 14 the Basil sands will be even less than that predicted from 15 laboratory testing.

I think these two very important considerations ought to be taken into account when we consider the potential for liquifaction and consequences of the potential for liquefaction at the site.

20 DR. SIESS: Thank you. Regarding the hydraulic fill, 21 I am reading the SER. It says, it is composed of irregular, 22 sometimes miscellaneous layers of clays, clay silts and silty 23 sands with organics in some places. There are -- 2 to 10 is 24 really loose. That refers to non-granular materials.

DR. HARSKIL: That's correct.

DR. SIESS: I think this has been interesting. It is another issue peculiarly related to licensing because it is beyond the design basis issue. I do believe, though, that the discussion has brought out the fact that there might be some things out there if we have to go to higher earthquakes or if we really ought to start thinking about seismic margins.

dh4

7 What has been postulated by the staff is a very 8 serious thing. If we block another intake structure, that is 9 the surest way to get this plant in really serious trouble. 10 To prove you can't block it involves something I think just 11 he start of the art almost. It is trying to predict 12 liquefaction in a very mixed soil, then worrying about dynamic 13 effects of a heavy liquid.

And a factor of 2 is pretty big in some things. But if what happens out at the end of that factor of 2 is total disaster, it is not very big. I am not sure if even a coffer dam fails it is total disaster. It may not block everything. I would have to think about it. I don't think we will reach a conclusion on this and I am not sure what the full committee will want to do.

They might end up with a paragraph in the letter
suggesting you continue to look at this. And if somebody ever
gets Charleston up there we will all be looking at it.

Any other comments?

24

25

MR. CHEN: I have one more comment, with regard to the

coffer dam stability analysis. For that particular analysis, 1 the staff did not require applicant to assume the hydraulic fill 2 and the river bottom sands liquified for that analysis. 3 The safety factor for that, based upon applicant's 4 analysis for the sliding failure mode is 1.3, but for the over-5 turning mode, it is 1.14. 6 DR. SIESS: Overturning in this case means overturning 7 about that concrete or overturning above that? I mean, there is 8 a column there, a structure. Then there is another equal amount 9 of concrete down below it. Are they tied together so that the 10 whole thing has to overturn or can you just tip over the 11 service water --12 MR. CHEN: Just turning toward the river --13 MR. SCHWENCER: No. 14 DR. SIESS: I am trying to find out what overturns. 15 Have I got something 50 feet high or 100 feet? 16

dh5

17

18

19

24

25

DR. SIESS: Can somebody give us that slide, please? MR. CHEN: I have a slide.

MR. CHEN: The entire coffer dam is 60 feet.

20 DR. SIESS: Do you know what I mean by treatment 21 concrete?

22 MR. CHEN: Yes, but I am not sure there is treatment 23 concrete in that, in the coffer dam.

DR. SIESS: Oh, in the coffer dam area. MR. CHEN: Just to set the record straight --
DR. SIESS: I think we have gone far enough on it. 1 We understand the concern and the possibilities. I understand 2 1.1s and 1.3s, which don't help me very much at this stage. 3 They help me for licensing the plant, but not for determining 4 seismic margin. 5

dh6

6 DR. MC GUIRE: Let me make a parenthetical comment 7 which I should have made during my presentation, which perhaps 8 bears on the committee's consideration of accelerations above 9 That is the results I showed which are derived from the SSE. 10 the Lawrence Livermore study should be considered as conserva-11 tive in terms of the absolute numbers of probability. 12

Yes, do you have something you want to add?

That is based on several conservative assumptions 13 used in the preliminary round by Lawrence Livermore, and I 14 believe is also the stated position of members of the NRC staff; 15 that those results are probably conservative by at least a 16 factor of 3. That may bear on the subcommittee's consideration 17 of the potential effects of accelerations above the SSE level. 18

DR. SIESS: I don't remember -- see, I don't know how 19 to read your curves on that because you had different curves for 20 different Ms. If I put 7 and a half there, that was Charleston 21 I guess, right? Magnitude 7 and a half? 22

DR. MC GUIRE: Charleston earthquake is estimated to 23 have body weight magnitude around 6 and a half. 24

DR. SIESS: Okay.

25

dh7 DR. MC GUIRE: Six and three-guarters. 1 DR. SIESS: You see, I don't know at what probability 2 I am comfortable about shutting off the service water. 10 to 3 minus 4, you know --4 DR. MC GUIRE: I am not sure what probability you 5 should be comfortable with, either. 6 DR. SIESS: This is our problem, you know. We are 7 talking about probabilities, nobody knows what they are worried 8 about. 9 DR. MC GUIRE: My only point was the curves which I 10 showed which you will get a copy of should be considered as 11 conservative estimates of those probabilities. 12 DR. SIESS: Conservative estimate of the probability, 13 I think means a factor of 10. 14 DR. MC GUIRE: I think I said about a factor of at 15 least 3. 16 DR. SIESS: Oh. That's nothing on probabilities. You 17 know. We are dealing with just exponents. 18 DR. SEED: Mr. Chairman, since I started this, could 19 I say a word or two? 20 DR. SIESS: Sure. 21 DR. SEED: I think one of the things that has to be 22 borne in mind, we have to look at the coffer dam problem. But 23 we will do that tonight. The issue about the intake structure, 24 it has to be borne in mind whether we analyze structures like 25

this that liquefaction doesn't happen the instant the earthquake
begins. On a magnitude 5 and three-quarter earthquake, the total
length of shaking is not more than a few seconds. It is going
to take all of those seconds for the soil to liquify.

5 By the time the soil realizes it's liquified, the 6 earthquake is probably going to be over. So it is not always 7 necessary to combine dynamic forces with the pressures on 8 liquified soil at the same time. Soil is likely to liquify 9 at the time the peak acceleration develops during the earth-10 quake if it is going to do it at all.

And by that time the inertia forces produced by the combination of liquified soil and subsequent motions is not going to be the combination of the maximum dynamic effect together with the pressures of liquified soil. These are important considerations and I feel they are being overlooked in the way the staff is examining this problem.

17 And I think the sequence of the evengs going on needs18 consideration in evaluating the factors of safety.

DR. SIESS: You are simply saying it is more complicated than we think it is.

21 DR. SEED: I am suggesting it is not more complicated 22 than I thought it was.

(Laughter.)

23

dh8

24 DR. SIESS: I didn't say that. But when we are 25 what-if'ing, we like to simplify things. It helps.

MR. ECKERT: Can we move to another subject?

h9

1

16

19

20

21

22

23

24

25

2 DR. SIESS: I am going to poll the committee. We 3 have finished the seismic issue for the moment. It is now 6:30. 4 We can go back and talk about corporate organization, which 5 would put us back in order. It seems to me we could do some 6 trimming in there, if you wanted to.

7 I don't know how much of this the committee is inter-8 ested in at this time. I would think that; would you like to 9 work until 7 o'clock on whatever we have got?

DR. MICHELSON: I would like to suggest that in the case of Section 3.2 of the agenda that we simply look over the material tonight and ask any questions we have in the morning. Most of the other handouts seem to be reasonably comprehensive. I assume these are, too. One could simply read through it and ask questions in the morning where it isn't there.

DR. SIESS: How would that do with you?

MR. ECKERT: The only problem with that is, all you have
there are the slides.

DR. MICHELSON: Yes.

MR. ECKERT: There isn't any text at all.

DR. MICHELSON: That's right.

DR. SIESS: Slides give some idea of the score.

MR. MARTIN: There is some text.

MR. ECKERT: Is there text in the book, too?

DR. MICHELSON: We have text in the SER that will also

guide us.

1

6

23

24

25

h10

2 MR. ECKERT: I can make two minutes' worth of comments 3 on it and let it go to that.

DR. MICHELSON: I would like to reserve the right to s ask questions after I look at it.

MR. ECKERT: Of course.

7 DR. SIESS: I think we are about at a point of quitting. BR. MICHELSON: Why don't we suggest they make a five minute summary statement in the morning, followed by questions on that section?

DR. SIESS: Well, those issues, I believe the committee 11 is clearly interested, I think Items A, B and C are for infor-12 mation. They can get a lot of that off the slides. And ask 13 questions. But D and E, I don't see how they can be separated. 14 This is the operating experience of the people in the plant. 15 We want to know what you are doing about qualified operators, 16 the question the staff raised earlier about the six months' 17 experience on Salem. And how many people you expect to have 18 and so forth. 19

20 This has been another issue with the committee over 21 plant. As near as I can tell, that is what D and E addresses; 22 right?

MR. MARTIN: That's correct.

MR. PRESTON: That's correct, yes.

DR. SIESS: It's not so much current status, because

you are a year from full load, as where you expect to be then. 1 MR. ECKERT: You will see those statistics in the book. 2 DR. SIESS: Okay. What is your target on that? 3 Item F, we will see how much interest here is on that. 4 I will propose people take the notebook with them tonight. We 5 will start off tomorrow morning with a brief presentation on 6 that and then questions and answers. 7 MR. ECKERT: Okay, we will give you --8 DR. SIESS: D and E, I think, after I look at what is 9 in the book, I will tell you how much of that we want. It 10 won't be all of it. Okay. 11 MR. ECKERT: We will pick up A, B and C in about two 12 or three minutes in the morning, I think is what you are saying. 13 DR. SIESS: It might end up a lot longer than if 14 people ask questions. 15 MR. ECKERT: Fine. 16 DR. SIESS: Then on the other items, there are a few 17 near the end that we can safe some time on if we have to. I 18 have already looked ahead at some of the content. And things 19 we are interested in, we could easily just skip. In fact, most 20 of it, a lot of the stuff --21 MR. ECKERT: If you see some you would rather see a 22 condensed version, if you could identify those, it would 23 certainly help the people tonight. 24 DR. SIESS: Most of these are pretty condensed 25

h11

dh12

3

23

already. Something we have down for 15 minutes means somebody
planned to present it in about 7.

MR. ECKERT: Exactly.

DR. SIESS: Emergency planning, which is strictly the same as Salem, I am not sure there is any point in listening to it. Fitness for duty and personnel selection; people can look through that and decide whether they want to ask questions about it. I have looked at that. I think we might want to hear something on it.

Training, as I look through that, a lot of it is 10 organization charts which I think we can skip and get into cri-11 teria, selection and things of that sort. 3.16(b) is emergency 12 operating procedures development, and I think there is some 13 interest in that. Communications. I am not sure we can't drop 14 that. And the radiation protection program, the orginal 15 part of it, that is the first part, I think we could skip. 16 And then the second party, absent Dr. Molar, I am not sure. 17 We might want to save something for him to bring up at the 18 full committee meeting 19

20 But I can see some saving in the late afternoon 21 tomorrow. We will have a chance tomorrow to go over that with 22 you so it won't be just cold.

MR. ECKERT: All right.

24 DR. SIESS: So we are going to recess the meeting 25 until 8:30 tomorrow morning in this room.

		151	
dh13	1	I assume you can leave things here. Don't leave too	
	2	much. Thank you very much.	
	3	MR. ECKERT: I think you can leave anything here	
9	4	you want to.	
	5	DR. SIESS: Okay.	
	6	(Whereupon, at 6:40 p.m., the meeting was adjourned.)	
	7		
	8		
	9	동생은 그는 것은 것이 같은 것이 같은 것을 못 하는 것을 하는 것이 없다.	
	10		
	11		
-	12		
•	13		100000
	14		and the second second
	15		
	16		
	17		125.0
	18		
	19		
	20		
	21		
-	22		
~	23		
0	24		
	25		
	-		-

· 2000

.

CERTIFICATE OF OFFICIAL REPORTER

This is to certify that the attached proceedings before the UNITED STATES NUCLEAR REGULATORY COMMISSION in the matter of:

NAME OF PROCEEDING: ACRS SUBCOMMITTEE ON HOPE CREEK GENERATING STATION, UNIT 1

DOCKET NO .:

PLACE: PHILADELPHIA, PENNSYLVANIA

이 같은 것 같은 것 같은 것 같은 것 같은 것 같이 같이 같이 같이 없다.

DATE:

WEDNESDAY; NOVEMBER 28, 1984

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission.

(sigt) CRAIG L. KNOWLES

(TYPED)

Official Reporter ACE-FEDERAL REPORTERS, INC. Reporter's Affiliation