ŧ

.

			Enclosure 1	COVE
	U	NITED STATES OF	AMERICA	
	NUCLE	AR REGULATORY CO	OMMISSION	
		IN THE MATTER	OF.	
		IN THE MATLER	OF:	
		INDIAN POINT 2	2	
		14 C 2		
		•		•
LOCAT	ION:	BETHESDA, MA	ARYLAND	PAGES: 1- 97
DATE :	OCTO	DBER 3, 1984		
	841221005 PDR ADOCK S	57 841012 05000247 PDR		

Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	
4	
5	
6	
7	
8	7920 NORFOLK AVENUE
9	BETHESDA, MARYLAND
10	10.3.84
11	The Panel met, pursuant to Notice, at 1:00 p.m.
12	NRC STAFF MEMBERS PRESENT:
13	STEVE VARGA, Chairman
14	W. JOHNSTON
15	J. P. DURR
16	B. ELLIOT
17	W. HAZELTON
18	C. Y. CHENG
19	
20	
21	
22	
23	
24	
25	
	FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	ATTENDEES	ORGANIZATION
2	STEVE VARGA, Chairman	NRC
	W. HAZELTON	NRC
3	W. JOHNSTON	NRC
	J. P. DURR	NRC
4	B. ELLIOTT	NRC
	DON NEIGHBORS	NRC
5	M. R. HUM	NRC
	HARRY W. KERCH	NRC
6	KEN JOHNSTON	NRC
	J B HENDERSON	NRC
7	FD LANTZ	NRC
	C V CHENC	NRC
8	WARREN BAMFORD	Westinghouse
	B J LEFEBURE	Westinghouse
9	D C ADAMONTS	Westinghouse
	T CASDEDIN	Westinghouse
10	MIMI WEAVED	Westinghouse
	MINI WERVER	westinghouse
11	JOHN D. O'TOOLE	Con Edison
	DONALD A DOMEY	Con Edison
12	JOHN J FOY	Con. Edison
100	S POTHSTEIN	Con Edison
13	G WASTLENKO	Con Edison
	C. W. JACKSON	Con. Edison
14	C. W. JACKSON	Con Edison
	BOB SPRING	- Con Edison
15	LOUIS LIBERATORI	Con Edison
	SAM STNHA	Con Edison
16	MANUEL MAINER	Con Edison
	TRANCED PRETREM	con. Eurson
17	JOHN H. GIESKE	Sandia
	WAYNE T. FLACH	SWRI
18	W. T. CLAYTON	SWRI
	K. V. COOK	ORNL
19		
20		
		이 이 가지 않는 것이 없는 것이 많이 많이 했다.
21		
22		
22		
23		
24		
25		
	EDEC CRASE	
	Court Papart	ing e Depositions
	DC Area 261-1002 +	Ealt & Annan 260,6236

P	R	0	C	E	E	D	I	N	G	S	
-	-	-	-		-	-	-	_	-		

2

(1:20 p.m.)

3

3	MR. VARGA: Well, let's go on the record.
4	Good afternoon, this is a meeting of Indian Point 2,
5	a continuation of the discussion of the Reactor Vessel
6	Indication that was discovered in the summer. A meeting had
7	originally been held, which was also transcribed, subsequent
8	meetings were held, as well as visits to the test facility;
9	questions were discussed and the questions were sent to
10	Indian Point as a result of these discussions. And we are
11	here now to continue our discussion and evaluation of the
12	indication discovered on the Indian Point 2 Reactor Vessel,
13	and we will listen to what Indian Point 2 has to offer in
14	response to the questions we sent.
15	Dr. Johnston, with the Division of Engineering, will
16	have some comments now. I might add that since we are on
17	the record, please identify yourself before you ask a
18	question, or comment, and speak loudly and clearly.
19	Thank you.
20	DR. JOHNSTON: Thank you.
21	I am Bill Johnston. I think you pretty well gave
22	a capsule of what has been going on in the last two months.
23	What I would like to do in just about 30 seconds is tell you
24	where we are in the review. After we did the visit to the
25	site there at Westinghouse we, with our consultants, put out

1 report which I am not sure whether you have seen, or not, 2 but essentially accounting what we did up there.

And we had some additional questions which we gave you at that time, and then some additional questions which believe were telephoned in subsequent to our visit up there, things that we saw on the visit, that we thought we would like to know a little bit more about.

8 We received your document, I think -- I don't know 9 whether it was the 25th or the 29th of September, we just 10 recently received it, in other words. It was sent out 11 immediately to our consultants for them to look at in 12 parallel with what we are doing here. We recognize that 13 we are working on a fairly short schedule to get this 14 review done and get it right, so we can make the decisions.

The purpose of this meeting -- well, I guess, in addition we had some questions which we had already seen from the paper that you sent to us. And I think there was a phone call on Monday, with some clarification questions and other things were asked.

I think what we would like to do this afternoon is let you respond to those kind of questions, see if that will help us to facilitate our review. And then we and the consultants will ask you questions, if that is acceptable to you.

25

MR. O'TOOLE: John O'Toole, Con Edison. I would

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1 like to propose a format which I think will be responsive 2 to your proposal. And that is to rely largely on our 3 consultants, Combustion Engineering and Westinghouse, and 4 about three speakers, to give what will appear to be over-5 views of the areas of interest from your questions the 6 other day.

5

But I think in those overviews you will find the answers coming out, rather than go down a stiff question and answer session. Now, if you have a strong feeling on that, we will be glad to accommodate, but I think it would be best if you heard our story from the experts who did the work, on what their impressions are and reactions to your guestions. I think it might be useful.

Is that all right? Okay.

14

Then what I would propose is I will ask Don Adamonis of Westinghouse to give a capsule summary of where we are, after doing this experimental program and after having a visit from your people and your experts, and having gotten additional questions and answered them -where we think we are.

And then following his brief presentation, we will ask Warren Bamford to cover the concern about the L-top accident at Turkey Point, and some of the work and analysis that we have done, and some of the conclusions we have come to. Then we switch back to Don, and Don will cover, in an

overview fashion, those areas relative to delta technique
 and the pitch-catch and the other aspects of the UT, and
 try to cover all of your concerns.

And then for an independent viewpoint, we will switch to Combustion Engineering, to John Fox, and have him give his overview of the same territory. I don't know whether you want to cover them both togetner, or not, but I would rather see our separate consultant give his separate views on these things, if that isn't too confusing.

DR. JOHNSTON: That's fine.

10

MR. ADAMONIS: Since we met last, I guess it was 11 the 14th through the 17th of August when you were in our 12 facility in Pittsburgh, we have gone ahead with a structured 13 program to address many of the questions that were identified 14 in your request for additional information. This consisted 15 of fabricating another mach up, other than the one you had 16 seen initially, the one you had seen initially we referred to 17 as IPP-1-T block. We fabricated a 2-T block in which we 18 put in many other reflectors, we went ahead and simulated, 19 reconstructed the delta arrangement, using that block, making 20 measurements, numerous measurements on those reflectors 21 and that block; these included notches in the opposite 22 surface, reflectors in the form of side drilled holes and 23 side drilled slots that were just bearing out near the 24 outside surface; compiled the delta information in a format 25

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

that we could look at and compare with our mathematical model that we had put together.

We also reconstructed the pitch-catch arrangement 3 using the same equipment. In both cases we used the same 4 equipment, and collected data off of notches that were on 5 the order of one and a half and two-inches deep. We put 6 that information together in a package, went back to the 7 detection transducers and the detection arrangement in a 8 pulse echo mode for transducers and made the detection, we 9 made numerous measurements on notches of known size, in order 10 to establish some kind of factor with respect to what we 11 could expect to see in the way of exaggeration in the 12 sensitivities. 13

We also made the attenuation checks that you requested, and those results are summarized in the report.

As a result of all of this work, we have identified 16 that using two different approaches -- actually three 17 different approaches; the approach of the exaggeration 18 factor that one could expect to see using Section 11 19 techniques; the delta arrangement measuring total time of 20 flight and a delta arrangement looking at two signals, 21 apparently two signals very close together on the tapes of 22 the delta work. 23

We have essentially confirmed and more clearly identified, we feel the size of that reflector in the vessel.

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

All of the work that we have done at this point only serves
to clarify and substantiate, and more finely tune the
information that we have presented in our discussion here
in August.

And we will go into those results. I understand there are some questions and we are prepared to address those. And we can move in that --

8 DR. JOHNSTON: Yes. Would you prefer -- we have 9 questions we would like to ask, now we would like to 10 facilitate you having an orderly presentation, without 11 a lot of interruptions. But I think also, periodically, 12 perhaps we ought to stop and take some questions, and then 13 let you proceed uninterrupted for another period of time.

MR. O'TOOLE: I have no problem with that. We had kind of hoped to get an overview of all of the areas that we covered first, but if you want to do it that way, we can.

DR. JOHNSTON: If they are all as short as the first group, then Warren would be speaking next. Yes, we could go through that series.

21 MR. ADAMONIS: That's the first series. I do want 22 to clarify that all of this work we was done with the 23 identical equipment, transducers, pulser pre-amp, receiver, 24 all of the equipment was identical with that that was used 25 during the investigation on Indian Point.

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

MR. BAMFORD: I want to show some slides to show
the fracture analysis work that has been done. And most
of this is an overview of the work that was done.

9

4 The analysis work was done early in August, when 5 the indication was first discovered. The analysis work that is contained in the report that we sent you assumes 6 7 a worse case sizing for the indication a 1.2 inch throughwall and two inches long. That was the original characterized 8 9 size of the indication. I think Don has just said that the recent work that has been done over the last two months 10 has led to the conclusion that the indication is not anywhere 11 12 near the original characterized size.

But I want to point out what I am using in my calculations is the original characterized size, and anything smaller than that would clearly be acceptable, too.

To summarize work that was done earlier and reported in the report that we sent in, the hydro test -- the two governing conditions for the vessel are the hydro test condition for the normal upset in test condition, and the small steam line break for the bulk condition.

The hydro test condition, we analyzed minimum temperature of 310 degrees, pressure 3105. The flaw, even though it is 1.25 inches through-wall, is near to the outside surface, so it has to be characterized as a surface indication by the rules of Section 11. So, it ends up being 1.45 inches

in through-wall to two inches long. The applied K-value for
that, for the hydro test condition was 46. Constrast that
with the allowable K-value for either of the materials in
the region of the indication, either the weld where we
think the indication is, the allowable K-value is 63, for
the adjacent plate material the allowable K-value is also
63.

8 So, clearly the indication is acceptable by the 9 criteria for normal upset test conditions.

If you look at the governing emergency fault condition, you reach the same conclusion. Looking at all of the conditions that could exist, including all of the pressurized thermal shock events, we concluded that the most serious challenge to an indication in this region would be a small steam line break. The lowest temperature in a small steam line break in the vessel wall is 240 degrees F.

Again, the applied K for the characterized flaw 17 indication of 1.45 inches depth is 38, which I might add 18 is lower than the maximum applied value for the hydro test. 19 The allowable K-values come from the criteria for faulty 20 conditions, K-1C over the square root of two; the allowable 21 Ks are 141 for the weld; 118 for the plate. If you make 22 the calculation with the Reg Guide draft radiation damage 23 method; it is 114.5 if you use the Guthrie methodology. 24

25

But, again, 38 compared with either 118 or 114.5 is

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

clearly the indication is acceptable by those criteria. And
those are the criteria which we used in the report, and we
feel those are the criteria that need to be used to justify
the acceptability of the indication, because they are the
governing design criteria.

Now, if you ask a question about whether the
indication is acceptable by -- if you postulate that the
low temperature over pressure which occurred at Turkey Point,
I think in 1981, if that were to occur at Indian Point,
would the results still be acceptable.

We have analyzed that condition, there we had a temperature of 110 degrees F., pressure of 1100 psi. Again, the 1.45 inch deep indication gives an applied K of 16.

The results for the allowable K, we have assumed that this is an emergency or fault condition, so we used K-l-A over the square root of two, the allowable K-value for the weld where we think the indication is is 32.9, if you use the Reg Guide draft; or 50.7 if you use the Guthrie method of determining a radiation damage.

Looking at the adjacent plate, the allowables are very similar, whether you use the Reg Guide draft, or the Guthrie method, both about 30, a little more than 30 KSI per inch. So, clearly the indication is acceptable, if such an event were to occur at Indian Point.

25

Now, there are a number of reasons why this kind

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1 of an event is very unlikely to occur at Indian Point. The 2 main reason is that at Turkey Point they have an automatic 3 system which can close off the letdown. That is it can make 4 the system go solid; such a system doesn't exist at Indian 5 Point. That is there is no automatic letdown cutoff, so 6 therefore, there is very low probability that the system 7 could ever go solid. In fact, they operate with a bubble R in the pressurizer and there are many different levels of 9 protection to insure that the system won't go solid and 10 such an event can't occur.

11 In fact, we have calculated with our risk assessment people what the probability of such an event would be for 12 13 Indian Point. And I want to review that just briefly here. 14 Our best estimate of the event -- the probability of an over-pressure event occurring at Indian Point is on the 15 order of 10 to the -7th per reactor year, which puts it in 16 17 a very low probability category. And I can go through the details of the calculations, if you would like. 18

But the main reason for such a low probability -- well, there are two main reasons, one is the operations of the system at Indian Point are different, it makes it very difficult to have a solid system. And the other reason is there is an over-pressure protection system built in to Indian Point, which is in many ways redundant, it has two trains, two redundant trains and there are many redundant

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

10.00	
1	features in that. It is very good protection system, so there
2	is a very low probability of such an event occurring anyway.
3	We also made a probability analysis of the pro-
4	bability of such an event occurring, assuming worse case
5	assumptions, assuming that the over-pressure protection
6	system doesn't operate and making several other worse case
7	assumptions that we feel no one could argue with. And we
8	come up with 10 to the -5th per reactor year, even for
9	that particular case.
10	So, it clearly puts the probability, or puts an
11	over-pressure event, such as happened at Turkey Point, in
12	a very low probability realm for Indian Point. It classifies
13	it in the category of a faulted condition at Indian Point.
14	And, in fact, if you look at the best estimate, you could
15	categorize it as being such a low probability event, that
16	it may not even be worth considering as a possible occurrence.
17	So we concluded that there is really no large
18	possibility that such an over-pressure event could occur
19	at Indian Point, but even if it did, and even if the
20	indication were as large as originally characterized, it is
21	still acceptable. So, from that standpoint the indication
22	is acceptable and there is nothing that should stand in the
23	way of the plant returning to power.
24	Now, some of the detailed questions that were

25 transmitted to Westinghouse and Indian Point earlier in the

1	week are going to be covered by Don Adamonis, who is going
2	to talk in a more detailed overview of the UT work.
3	MR. VARGA: I was just going to ask John and
4	you may not know how did this assessment of the probability
5	compare with the Indian Point PRA that was originally done,
6	was it the same methodology, the same kind of availability
7	figures on the equipment, and that sort of thing?
8	MR. O'TOOLE: We brought Lou along, Lou worked on
9	our PRA study and he is aware of what Warren used here.
10	Do you want to comment?
11	MR. LIBERATORI: Lou Liberatori. The work done
12	by Warren's people was based on generic Westinghouse OPS
13	system and the standard numbers. His people talked with
14	our people and we knew that the generic Westinghouse system
15	analysis system bounded ours, we feel that our OPS system
16	is more reliable to these results. And we concurred on
17	that, that their numbers are probably conservative.
18	As far as the PRA is concerned, we did not address
19	the cold shutdown type accident in the PRA.
20	MR. CHENG: I have one question. On the Turkey
21	Point air top event, you assume the pressure reaches 1100
22	psi, suppose you did not stop, that you go all the way up
23	to 2500. Is that exceeding the fault conditions?
24	MR. BAMFORD: Yes, we checked that.
25	MR. CHENG: Then you have a 16 KSI over there,
	PREF STATE DEPOSITING INC

that is the same factor, but I think we go beyond 30 or 32.

1

15

MR. BAMFORD: It is right around -- if you want to make that worse case type of an assumption, you get very close to the allowable limits. But we don't feel that that is even a consideration that needs to be made here, because of the differences in the two systems, it is just so remote a possibility that something like that can happen, it is just not worth considering.

Now, if we had a different system here, you could 9 argue that question. But I think because of the distinct 10 differences between the Indian Point system and the 11 Turkey Point system, that kind of thing is unlikely. And, 12 also, the Turkey Point system, you know, that over-pressuri-13 zation at Turkey Point occurred when the over-pressure 14 protection system was not operational. Even that wouldn't 15 occur at Turkey Point, because of their over-pressure 16 protection system. 17

18 MR. HAZELTON: Warren Hazelton. I just have a 19 question. This information --

20 MR. VARGA: I thought we weren't going to ask 21 the questions until they got through, and we have already 22 broken our own rule.

23 MR. O'TOOLE: Well, as far as I am concerned --24 and I don't know -- but as far as I am concerned this sub-25 ject is probably one that should be questioned now.

MR. BAMFORD: This is probably the right time to do it.

MR. HAZELTON: These responses to our questions, Are these going to be formally submitted to us, like this discussion he is giving us? This is very good and very useful, we would like to have it on paper.

7 MR. O'TOOLE: I thought that was what this meeting 8 was for. Isn't this going to be right on the record, too? 9 MR. VARGA: Yes, John, but in accordance with our 10 normal practice, if there are pieces of information that 11 we rely upon for our evaluation, the transcript is certainly helpful, but it is not what we say is a regally regulatory 12 enforceable document. So, what we would like to do is 13 where there are significant, at least in the view of the 14 staff, and my view, where there are significant responses 15 that are not contained in the formal submittal, we ought 16 to supplement them. 17

MR. O'TOOLE: I have no problem with that. I take it the objective of the meeting, however, is that you want to make a decision today, is that correct?

21 MR. VARGA: Well, it will depend upon what the 22 concerted and collegial view is of what you have given us, 23 and we certainly will respond to you after we see where we 24 come out. Whether or not there is a decision made today, 25 I think is probably unlikely, but we may be able to give you

1 some indications.

25

2 MR. O'TOOLE: We brought all of these people here 3 to try to answer all of your questions.

4 MR. VARGA: And I think it is going to be very 5 There is no problem in submitting a written conuseful. firmation -- these people have been doing it for the past 6 7 two months. There is no problem in adding a few more, I 8 quess.

9 I guess we would prefer that the MR. BAMFORD: written confirmation, or the written discussion, to repeat 10 what has already been said here, be used as an information 11 item, rather than being something that would be submitted 12 before you make a decision. I think that is what we are 13 feeling for, it is no problem to document this at all. But 14 we prefer that you document it in support of your decision, 15 rather than before your decision. But that is for you to 16 decide. 17

MR. VARGA: Let's see how that comes out. 18 MR. CHENG: Since we are talking about the L-19 top event, I would like to see our system people who have 20 any questions regarding this --21 DR. JOHNSTON: Let's take it the next round. 22 MR. O'TOOLE: This is the only thing on L-top, if 23 you want to Go it now. 24 This ground was L-top fracture mechanics.

> FREE STATE REPORTING INC. Court Reporting . Depositions D.C. Area 261-1902 . Balt. & Annap. 269-6236

U. 103	
1	MR. HAZELTON: And the probability. It is very
2	useful to us and I don't know that I can remember
3	MR. BAMFORD: I can give you copies of the slides,
4	that is no problem at all. The probability numbers are on
5	the slides.
6	MR. VARGA: I think we ought to go through it.
7	If we have questions on L-top, we ought to conclude it and
8	then go through with the detail we need. And I think John
9	seems to be amenable to that, so let's go.
10	But I would just like to say one thing, that the
11	sensitivity of this issue is probably such that a decision
12	from the staff, from NRC, in terms of re-start will have
13	to be accompanied by a rather detailed safety evaluation,
14	which itself is backed up with documented submittals from
15	the licensee. And so while I appreciate the concern, and
16	believe me, we are all sensitive to your re-start concerns,
17	but at the same time, we are very sensitive to the safety
18	implications and the fact that all of the bases upon which
19	our decision is made are clearly visible and clearly avail-
20	able.
21	So, let's continue.
22	MR. ELLIOTT: Barry Elliott. You spoke about a
23	faltry analysis, in your faltry analysis where there was
24	a chance of filing an Appendix G type of curve, did you look
25	and see how long it would take before it could be violated?
	EREE STATE REPORTING INC

Court Reporting • Depositions D.C. Area 261-1902 • Belt. & Annap. 269-6236

1 MR. BAMFORD: Yes, the answer to that is because the system is not solid, it is a much longer time. And I 2 can't give you minutes, or hours, but it is a much longer 3 time than if the system were solid. And we built that kind 4 of a possibility into our faltry analysis. 5 MR. ELLIOTT: Would it be on the order of greater 6 than 10 minutes? 7 MR. BAMFORD: I would think much longer, perhaps 8 the systems guy from Con Ed could answer that better than 9 myself, but I would think much longer than 10 minutes. 10 MR. LIBERATORI: Lou Liberatori, Con Ed. 11 Yes, greater than 10 minutes. I don't know if I 12 could really put a number on the record, since we haven't 13 done the calculation, but on the order of 20-30 minutes, 14 probably. But certainly greater than 10; the original 15 calculation for the water solid case was based on 10 minutes. 16 MR. BAMFORD: Let me try to put this in a little 17 perspective. The first event in our faltry analysis is 18 the probability that an over-pressure condition occur, this 19 OPC is the probability of an over-pressure condition at 20 a temperature below 250 degrees F, because it is the low 2. temperature ones that we are concerned about. 22 We have assumed a best estimate there for one in 23 10, something like that occurring. That is a very con-24 servative number, considering the way Indian Point's system 25

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

is designed.

2	There is another thing that makes this number even
3	smaller than that, is that we assumed that this was the
4	probability that you could have a violation, you could have
5	a pressure of over 1,000 psi at a temperature below 250.
6	In turns out in their operating criteria, when the temperature
7	of the main coolant system is below 310 degrees, they adopt
8	a different philosophy on the size of the bubble they
9	keep in the pressurizer, they increase the size of that
10	bubble, which increases the margin and increases the time
11	that it would take to get to an over-pressure condition.
12	So the numbers that I have here that lead to this

13 10 to -7 number, this number here is probably much more 14 conservative than it needs to be, considering the specifics 15 of their operating plan, and the guidelines that they have 16 that they operate to.

MR. VARGA: Has there ever been a low temperature
over-pressure event at Indian Point?

MR. BAMFORD: There has never been one since the over-pressure system was put on, which is '77 or '78. In fact, looking at the operating history, you are all familiar with the fact that there is almost no overpressure events since these systems were installed nationwide. The only one I know of that was of any significance occurred at Turkey Point, and that was when they were

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

actually working on the over-pressure protection system.
 You know, if that had been operational even that one would
 not have occurred.

So, we are talking about very low probability event
with today's level of protection.

6 MR. HAZELTON: And at Indian Point, you wouldn't 7 be operating when the thing isn't working?

8 MR. JACKSON: I am Charles Jackson, I am vice 9 president of Con Ed, Indian Point station, I am located 10 there, I was also the chairman of the Westinghouse over-11 pressure protection analysis group, the analysis that 12 ended up being the bounding cases that Westinghouse is 13 now using.

We designed our system at Indian Point to be a 14 two out of three, 1-E full safeguard system. I will 15 describe it as the Cadillac system. We also have mentioned 16 in our specs some pretty stringent limits on it, so that 17 when we are in these conditions, if we do not have the 18 OPS, over-pressure protection system operable, we sub-19 stitute either a very large nitrogen bubble in the 20 pressurizer, or we provide an opening in the system, 21 locking open the power operating relief valve to give 22 us sufficient opening size to be greater than the source 23 of water, that would be, let's say, the equivalent of the 24 letdown path. 25

1	We have operated in a very conservative manner,
2	we have had to make significant modifications in the
3	facility to be able to accommodate the nitrogen use, as
4	opposed to cladding models. We installed a nitrogen system,
5	we changed the valves on our pressurizer and their design,
6	so that we were assured that we would have operability
7	to meet the 10- minute criteria for those valves. We
8	changed from air operation to nitrogen operation, so that
9	we have not had an event since the changes were made.
10	MR. BAMFORD: I might add the faltry analysis that
11	we did, based on the worst case scenario, came up with a
12	number of 10 to the -5 per reactor year, assumed that the
13	over-pressure system didn't operate at all, that both
14	trains were inoperable.
15	So, even under that circumstance, you are still
16	at 10 to the -5 and the event is a very low probability.
17	DR. JOHNSTON: Did you
18	MR. CHENG: He says he doesn't have any questions.
19	MR. O'TOOLE: Then we will move on to Don. We are
20	going to move into the ultra-sonic area, and some of your
21	concerns. We are going to go over the program that led
22	to your concerns, and do it in such a manner that we hope
23	to address the things along the way, if we don't, you are
24	going to be free to question.
25	Don.

MR.	ADAMONIS:	Don	Adamonis,	Westinghouse.
-----	-----------	-----	-----------	---------------

2	The initial part of our effort was involved with
3	looking at the delta technique on a series of notches, and
4	reflectors in the form of drilled holes and drilled slots
5	near the outside surface of our mach up. Most of those
6	efforts were concentrated on the what I will refer to
7	as the IPP 2-T mach up, and that was not the one that was
8	available when you visited in mid-August, as we were
9	structuring our program we needed to get more notches
10	in the block. There was some question as to whether that
11	we identified that that particular dropout had come out
12	of the three-loop vessel, or a four-loop vessel, cladding
13	even more typical of the cladding on the Indian Point
14	vessel.

We made multiple delta measurements in both transducer arrangements, that is with what I will refer to as the Transducers 22 and 24, which were the two opposing 45 degree transducers, with 22 as the transmitter, 20 as the receiver, and 24 as a transmitter, and 20 as a receiver.

In total, and we can say that we made at least 70 to 80 measurements on somewhere on the order of 12 to 14 reflectors, combining the total number of transducer arrangements. Those notches and drilled reflectors that we looked at varied in depth from one-tenth of an inch to two inches deep, from the outside surface.

> FREE STATE REPORTING INC. Court Reporting * Depositions D.C. Area 261-1902 * Balt. & Annap. 269-6236

We took that data with, again, all the same equipment that was used on the vessel investigation, and we took the data -- there was another consideration -- with 'nree different operators, the time constraint was such that we manned shifts around the clock, we had three different operators taking data.

7 When one plotted the results on a plot of the 8 mathematical model that we came up with and one bounded 9 all of the data points, we found that our bounding lines 10 were on the order of plus or minus two microseconds in 11 transit time measurement, which translated into a plus or 12 minus two-tenth of an inch in the measurement.

We also looked at information relative to measur-13 ing peaks, double peaks, the time distance between double 14 peaks that we saw from notches. And we found that that 15 gave us a better, a more close approximation than the total 16 time of flight of the depth of those particular notches. 17 We looked at that type of analysis and identified in those 18 cases where we saw two peaks, we were able to identify 19 the depth within plus or minus one and a half microseconds. 20

We used that type of information in viewing the results from the vessel, and in fact one can see two peaks on those results, on the videotaped results, separated by about -- by less than two microseconds, on the order of 1.8 microseconds. And we identified that as indicative

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

of a depth from the tip of that reflector of .18 inches. 1 Now, we went on to the pitch-catch assembly, the 2 45 degree pitch-catch assembly, and when you were in 3 Pittsburgh we showed you the results off of notches that 4 were on the order of one inch deep. In the second test 5 block we put in notches that included depths of two inches, 6 and one and a half inches. 7 When we repeat the pitch-catch measurement on 8 those notches, with the same sensitivity that was used on 9 the vessel, one sees the same types of variations in areas 10 that are un-notched, as we saw on the vessel away from 11 the reflector. When one gets over those one and a half 12 and two inch deep reflectors, there is essentially a 13 total loss, a total loss of signal. 14 MR. CHENG: That is one and a half to two inches? 15 MR. ADAMONIS: That's right. 16 I should clarify that that two inch deep notch --17 we had some difficulty machining it, it is actually stepped, 18 the minimum depth of that notch is 1.8 inches and out at 19 the ends it is two inches. 20 DR. JOHNSTON: A question for clarification. Did 21 you repeat a one-inch notch again? 22 MR. ADAMONIS: Well, we did not put a separate 23 one-inch notch in this new block. 24 I should clarify even further that the block that 25 FREE STATE REPORTING INC.

Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

I am referring to, the second block, we fabricated, is
 more similar in terms of time of fabrication to the Indian
 Point 2 vessel, than was the mach up that we looked at
 during your visit in August.

Now, in terms of -- going back to the delta measure-5 ment, we were able to, on the notch at varying depth, from 6 1.85 to two inches, able to make measurements and actually 7 discriminate that difference in depth. If we were looking 8 at the center of the notch, we got one set of time of flight 9 data indicative of that particular depth; when we moved 10 off to the edges, we could see the time of flight getting 11 shorter, indicating a deeper depth. 12

At no time during the investigation dia we make multiple passes across each particular notch, but in repeating the examinations in sequence, when we got back to the various notches, and in that fashion I would say that we sampled along various lengths of each particular notch. And the results correlated quite well.

Are there any questions up to that point?
MR. GIESKE: I am John Gieske.

You say that the double peaks that you measured are 1.8 microseconds and in the report you said it preceded the primary indication. The primary indication, I take it in the report, is 131 microseconds?

MP. ADAMONIS: 131 to 136.

25

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	27
1	MR. GIESKE: Okay, so you would then be able to
2	subtract 1.8 microseconds from that to get the minimum time
3	possible, if you are going to consider full path lengths
4	now, to get the full depth, is that true? Do you have any
5	objection to that?
6	MR. ADAMONIS: The point is that if one considers
7	that you do see double peaks off of notches, that that
8	could very well be what we are seeing in that particular
9	instance. There is a secondary
10	MR. GIESKE: It is also true that you can consider
11	the full path lengths to be a legitimate way of looking
12	at the
13	MR. ADAMONIS: Well, you have to recognize that
14	whenever those measurements were made on the vessel, they
15	were measured to the front of that pulse, because the
16	separation in them, between them is rather short, two
17	microseconds, or 1.8 microseconds.
18	MR. GIESKE: I am not arguing that. In the report
19	you said 131 microseconds.
20	MR. ADAMONIS: That's correct.
21	MR. GIESKE: And in the report you said that the
22	double peak has a preceding pulse in front of the primary
23	pulse. I am asking you the question do I now subtract
24	the 1.8 or do I add it, to get the difference, that's all
25	I am asking?

1.2.1.1	
1	MR. FOX: I understand his question, do you add
2	the information of the 1.8 to the primary pulse, or do you
3	subtract it? The answer to that question is off of the
4	reactor vessel, to come to the 131 point whatever, the
5	first time of flight information was used, so the first
6	signal that we saw in time was used, so that is the number
7	that is 131 point, and the other number would then have to
8	be added to get to the other I guess you would call the
9	primary pulse.
10	MR. ADAMONIS: The pulse with the largest
11	amplitude.
12	MR. GIESKE: In the report, even though you said
13	preceding, leads you to believe that you would subtract it.
14	MR. ADAMONIS: I understand the confusion, yes.
15	DR. JOHNSTON: I had a question about the attenuation
16	that you found on your I-T 2-T block, compared to your I-T
17	1-T. Do you remember when we were looking at the flat block,
18	and then looked at the 1-T block, your first one, there
19	was a whale of a difference in the attenuation. What did
20	you find when you made up your new block?
21	MR. ADAMONIS: The new block was more like our
22	calibration block and from cur pitch-catch data, and more
23	like the vessel. The 1-T block appeared to be less
24	attenuative, we put drill holes in the 1-T block, we had
25	drill holes in the 2-T block, obviously we had drill holes

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1.	
1	in the original calibration block. And we found the
2	original calibration block to be like the 2-T block, and
3	using the variations in amplitude that we saw from the
4	vessel on the pitch-catch, we were able to identify that
5	those two blocks more closely represent the vessel.
6	And I would have to go back and look at the exact
7	numbers, but I recall numbers on the order of the 1-T being
8	less attenuative somewhere on the order of 8 db, eight to
9	10 I'm sorry, more like 18 to 20.
10	Well, if one considers only the amplitudes from
11	the quarter T holes, at 45 degrees, we are talking somewhere
12	on the order of 8 db.
13	You are just talking about the notch responses,
14	and we feel as though the notch responses
15	DR. JOHNSTON: They were so far off scale you
16	couldn't even bring it back on.
17	MR. ADAMONIS: That's right. And those amplitudes
18	were somewhere on the order of 8 db. But we are saying
19	that at least half of that 30 db is accountable to the
20	geometry, the effect of curvature on the angle of attack
21	in that particular notch, because when we go back and take
22	direct measurements on drilled holes in the block
23	DR. JOHNSTON: IP 2-T is a curved block just like
24	IP-1, isn't it, and I think the degrees of curvature and
25	so forth there, they are the same.

MR. ADAMONIS: They are not identical. 1-T was 78.5 inches -- 86.5 inches.

But what we are saying -- when I talk in terms of 3 the attenuation differences between 1-T and 2-T, for now 4 let's just confine our discussion to those data that we 5 got off of the side drilled holes. And you are correct in 6 your statement, when we went to the notches in the 1-T 7 block, the amplitudes were extremely high. 8 DR. JOHNSTON: Were the notches identical? 9 MR. ADAMONIS: Yes, in terms of cur range, we 10 had a range of depths in the 1-T block and I guess some 11 of the notches were 2 percent of the wall thickness in both 12 blocks. But, again, we were trying to establish what the 13 attenuation difference is. 14 Let's just talk about the drilled holes, and when 15 we set up on the drilled holes on the 2-T block, using the 16

17 calibration that was established on the calibration block 18 that was used for the vessel, the one we refer to as RV-70, 19 the distance amplitude curves were essentially the same, 20 in terms of their amplitude.

21 When we took that same calibration and went over 22 to the 1-T block, where we may have had a Dax curve shape 23 that was 80-40-25, 80-50-30, and when we looked at the 1-T 24 block side holes with the same set up, the amplitude off 25 the quarter T hole was 100 percent screen height, plus 6 db.

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

We are talking in terms of an 8 db difference there. The three-quarter T hole, this was 83 percent, instead of somewhere on the order of between 20 and 30 percent, somewhere around a three-to-one difference.

31

....

MR. HUM: Martin Hum.

5

6 Could you tell us how many data points on the 7 vessel you took with the delta technique?

8 MR. ADAMONIS: Data points on the vessel -- we 9 have on tape at least eight, there were numerous other 10 measurements made during the set up, I would say at least 11 another eight that were recorded. And we saw transit time 12 variations anywhere from 131 to 133.4, or 133.6.

MR. HAZELTON: Is the difference in transit time, is that a function of the vertical location of your transducers? That is, sort of like if you are scanning over the length of the reflector?

MR. ADAMONIS: That's correct, along the lengthof the reflector.

MR. HAZELTON: So, you could infer that the depth of the reflector varied over its length, is that what you are telling me?

MR. LEFEBVRE: I think what you are talking about, it varied with respect that one determined the peak to be and then taking it to the 50 percent points, it varies downward from that point. But the difference of microseconds

1 you are talking about is the difference between two pulses, one of which is identified as a flat surface, and the other 2 one as being called what we call the end of the reflector 3 of interest. It is that time between those two pulses that 4 he is talking about, on the order of 1.8 to two microseconds. 5 That's the vertical plane. 6 MR. HAZELTON: I wasn't talking about the difference 7 between the two pulses -- the shortest time of flight, that 8 9 varied, depending on where you were, vertical location, or did you take all measurements at the same vertical position 10 of your transducer set up? 11 MR. ADAMONIS: On the tapes we stepped across and 12 made multiple measurements. 13 MR. LEFEBVRE: Every half inch across the whole 14 area of interest. 15 MR. HAZELTON: Are you talking across -- it sounds 16 horizontal, I am talking about up and down. This thing you 17 are saying is about .85 inches long and that length is in 18 the vertical direction. 19 MR. LEFEVRE: No, it is vertical on the vessel. 20 MR. HAZELTON: That's what I am talking about. 21 So, I was just wondering, when you are talking about slight 22 differences in the shortest time of flight, whether these 23 were determined at the same exact position as the transducers, 24 or as a function of vertical position of the transducers? 25 FREE STATE REPORTING INC.

Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1 MR. FOX: I understand the guestion, and I think there was as much -- the correlation that you are looking 2 3 for in length, or the disparity between the numbers was attacking the reflector in one direction versus attacking 4 the reflector in another direction, but at the same exact 5 transducer location, speaking vertically. 6 DR. JOHNSTON: Bill Johnston. 7 8 As I understood you went across this way (indicating) and what Warren is asking, did you then go back across, or 9 did you go across, go back, then step down and go across? 10 MR. L. T. VRI : Stepped 11 · TATT zig-zag fashion. Mr. ADAMONIS: There W. 12 MR. LE EBYRE: -- SO YO 13 at the same height. 14 DR. JOHNLION: So, ca .ever a 15 went over the same place twice because you stepped down and went across, 16 and stepped down and went across, right? 17 MR. ADAMONIS: 18 Right. 19 MR. HAZELTON: The number changed as you stepped down and went across, and then went down and went across. 20 The shortest transit time --21 MR. FOX: This information was taken with two sets 22 of transducers, one set of transducers was shooting in this 23 direction (indicating), with zero degree above it, one set 24 was shooting in this direction (indicating) with zero degree 25 FREE STATE REPORTING INC. Court Reporting . Depositions D.C. Area 261-1902 . Balt. & Annap. 269-6236

1	above it. The information was taken as the raster down it,
2	and then raster down it again with the other side. Both
3	of those sets, if you will, were thrown in a bag, shaken up
4	and the low number was this and the high number was this.
5	I just want to make the point that your calculations
6	on the maximum depth of the reflector is based on the
7	assumption that you are getting that the defraction point
8	is the deepest point of the reflector.
9	MR. ADAMONIS: That's correct.
10	MR. VARGA: How do you know that?
11	MR. LEFEBWRE: It is partly that, and it is also
12	because we have no confirmation by other means in which we
13	have looked at it that it would be deeper. It is the
14	absence of evidence by other means that show that it is not
15	deeper than that.
16	MR. HUN: What are the other means?
17	MR. HAZELTON: Excuse our curiosity.
18	MR. LEFEBVRE: Well, some of which we looked at
19	with straight beam transducers, some of which we looked at
20	with the false echo mode, 45s and 60s in both direction,
21	and they tend to indicate that it would not be much greater
22	than that. If it were considerably higher than that, as
23	an example, if it were the heighth that it was originally
24	predicted, we expect that we would get significantly
25	different results from the lower transducers than what we
Sec.	

1	did get.
2	MR. HUN: If it were three-quarter inch deep would
3	you expect to see significant differences with those
4	techniques that you used?
5	MR. LEFEBVRE: Yes, I would.
6	MR. DURK: Jack Durr.
7	If using the 60 degree sheer there is an amplitude
8	value which it will discriminate anymore, I mear, no matter
9	how large the flaw gets you will always have the same
10	amplitude reflection, it will essentially saturate, is
11	there is some value at which 60 degrees is capable of
12	discriminating amplitude-wise, do we know what the value
13	is for this 60 degree?
14	MR. LEFEBVRE: I think we started to see that
15	point with the reflector that we had planned to be two-
16	inches deep, and it turned out to be 1.85. I can't answer
17	your question with absolute certainty, I think we are
18	in that neighborhood with that dimension.
19	MR. DURR: That 60 degree will discriminate
20	amplitude-wise up through 1.8 inches?
21	MR. LEFEBVRE: It tends to indicate that, but
22	I haven't looked at that one in-depth. I would suspect
23	it is in that neighborhood, but I can't say that with
24	certainty.
25	MR. ADAMONIS: I think that is a very difficult one
	FREE STATE REPORTING INC.

Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236
to answer, because only slight changes in the geometry
of the reflector, with respect to being perpendicular can
give you changes in amplitude. If you are just looking at
an amplitude consideration --

MR. FOX: I think we should also point out that 5 there has been a lot of discussion on the delta and the 6 pitch-catch technique, there is a lot of information on 7 pulse echo technique with the 60 degrees transducers that 8 are in question. And essentially, when plotted up there q is no predictor you could tag on to amplitude. By that 10 I mean, you couldn't use amplitude as a basis of predicting 11 -- there is no prediction capability of the amplitude. 12

MR. FLACH: Wayne Flach.

13

17

If I understand the data properly, Don, the notch at three-tenths of an inch deep by one inch long would be approximately the same amplitude as the vessel?

MR. ADAMONIS: That's correct.

MR. FLACH: Would you please address how a flaw could be as efficient reflector as a machined notch? How a flaw which is slightly smaller in both direction could give the amplitude that the machined notch did?

MR. ADAMONIS: I think that one can see that some of the angle notches give similar types of reflections, and depends in large measure on what -- again, what the geometry of that reflector is, what its relationship is,

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

its proximity to the surface, and what its attitude is with respect to the sound beam that is incident on it. I think that in the case of notch A, which is a one-tenth of an inch deep notch, that one had an amplitude of somewhere between 100 percent DAC plus 10 db.

We are talking about rather small notches. Oh, I'm sorry, between 100 percent DAC plus 10 db and 100 percent DAC plus 20 db, indicates the one-tenth of an inch notch in the 2-T block.

MR. O'TOOLE: Has anybody made an interpretation what the origin of the reflector is?

MR. ADAMONIS: We've looked at the data and considered from the standpoint of what it really isn't. I think in terms of a characterization, that one can say absolutely, with absolute certainty, this is what it is. I don't think we have reached that point, and I am not sure that one can.

MR. O'TOOLE: The reason I ask is there has been a lot of discussion -- you know, depending on what the nature of the reflector is, and --

MR. ADAMONIS: I would say if you look at the difference in amplitude response from the two sides of the reflector, one could make an argument for the buttress notches might have been left in there; one can argue that there was a repair in the area, that a local repair, and

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

there might have been an attachment very close where they left in some slack, or undercut. You know, I have seen indications on bottom head to lower shelf seams where it is just a fact that one didn't completely grind out the wall dripple that was left there, we have indications in excess of 100 percent DAC.

7 MR. FLACH: Does it look as though it was machined 8 on the OD?

9 MR. ADAMONIS: I really can't answer that question. 10 I am really not sure.

MR. FLACH: I know in those days they did machine
some of those individually. This one looks as though it is,
but it is not obvious.

MR. FOX: I think what could Le apparently looking like it is is actually some -- there is some protection coating put on the outside of the vessel, and we haven't seen -- we have seen some areas that looked like cosmetic depressions, you know, when you survey all of the photographs. So, I can't say categorically whether it is, or isn't.

21 MR. O'TOOLE: I would like to ask John Fox to 22 answer Martin Hun's question, as well as Don, because I 23 think he has a little different response. Would you like 24 to field that?

25

MR. FOX: Sure. In all of the information that

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

3	vessel, the reflector in the vessel most behaves like a
4	2 percent notch. The amplitudes that we are getting back
5	very much reflect like a flat bottom reflector, meaning that
6	it is flat bottom to the incident sound beams, so therefore,
7	a V-type notch, or buttress notch would behave very much
8	like this.
9	We have seen no information that discounts that
10	from being a candidate.
11	MR. KERCH: Perry Kerch.
12	Your radiographs would show that, wouldn't they?
13	MR. O'TOOLE: No, and the answer is that the
14	end process radiography would have been done as the welds
15	were being fabricated, not necessarily when the subsequent
16	ultrasonic inspection was done.
17	MR. CHENG: Okay, how about the PSI UT, they should
18	have picked that one up.
19	MR. O'TOOLE: The post hydro?
20	MR. CHENG: Yes.
21	MR. O'TOOLE: The post hydro would have been the
22	the inspection that we are referring to as having put
23	that notch in there.
24	MR. ELLIOTT: Barry Elliott.
25	Do any of the techniques are any of the techniques
	FREE STATE REPORTING INC.

I

39

Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236 capable of finding branches in cracks?

1

2

3

4

MR. ADAMONIS: I don't know that we have gone far enough with the technique to be able to identify that and make a category statement.

5 MR. HAZELTON: I would like to ask a question, but perhaps -- in looking at the reflectivity of this particular 6 7 reflector, how would that compare with the reflectivity of the type of cracks that we have been referring to as "hatch" 8 9 type cracks, that Bill discussed in relation to the Pilgrim 10 problem, and so forth, the heat effect at zone type thing? Do you have any feeling for the reflectivity similarities 11 12 or anything?

MR. ADAMONIS: I have not, no. I can't address
that.

MR. KERCH: Can we assume now that we are saying that this indication is not in the weld, but in the plate now?

MR. ADAMONIS: No, that's not correct. The delta results at the location that we find the delta results, the peak amplitudes from the delta indicate that it is 345.45 degrees, it is in the report, but that would indicate that it is at the weld, in the weld.

23 MR. HUN: If there are no acoustical differences 24 between the weld and the base weld, how can you determine 25 it is in the weld?

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	MR. ADAMONIS: Martin, all we can do is use
2	positional information, where we have our peak amplitudes,
3	positional information and information from the drawings
4	on the vessel.
5	MR. DURR: What is the positional tolerances on
6	your fixture?
7	MR. ADAMONIS: Positional tolerances
8	MR. DURR: You can measure within plus or minus,
9	because a degree is about an inch and a half, or so?
10	MR. ADAMONIS: That's right. And our result for
11	that particular access is 100 counts per degree. So, that
12	is .15.
13	MR. DURR: If the drawings that you are going by
14	are correct, you are sure you know where you are, so the
15	only possible error is in the positional information
16	given you, as to where the weld is, in relation to the
17	other locator that you are using, whatever it is?
18	MR. ADAMONIS: That's correct.
19	MR. CHENG: If I hear what you people are saying
20	is correct, you may be thinking that the indication in the
21	vessel is a notch, or something like that. I think in one
22	of the questions that we asked earlier to Con Ed, to back
23	and search the fabrication and its history, do you have
24	any answer
25	MR. ADAMONIS: I think we answered that in our
	FREE STATE REPORTING INC.

Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

report. But I would be glad to summarize that for you. That search was not clear cut with the time that has elapsed since those were compiled, it is not unusual I think. The 4 fabrication records at Combustion could not confirm a 5 trip report by a Westinghouse person that there was a notch used in the shell course for calibration of UT equipment. 6

1

2

3

So, we have the one document that says there was 7 a notch in it, we have no record on the manufacturer's part 8 9 of having put a notch in it. I think there is an acknow-10 ledgement that that practice was used at one time, but it is no longer used. So that leaves that kind of anomalous. 11

The X-ray results, as we told you last time, X-ray 12 film to some calibrated eyeballs show what may be some 13 indication at this location. And we said we were going to 14 enhance the X-rays and we gave you a response in the report. 15 I think the conclusion -- and I think Don Domey might be 16 17 the best one to answer that -- the conclusion of the X-ray enhancement is also an anomaly, and best ought to be ruled 18 19 out as an element in this consideration.

MR. DOMEY: The image enhancement was done by 20 Shonberg Corporation, and looked at by Mel LeFettis (phonetic) 21 in California. The image enhancement showed us an irregular-22 ity of the film. The irregularity was not visible precisely 23 with the naked eye, it wasn't visible, especially, when 24 compared to a 2 percent penetrometer, and so the conclusion 25

> FREE STATE REPORTING INC. Court Reporting . Depositions D.C. Area 261-1902 . Balt. & Annap. 269-6236

1 that they drew that it was an insignificant indication, and that the image enhancement was probably not valid in making 2 3 any measurements. The initial report we got was that it was signifi-4 5 cantly less than 10 millimeters, which is 400,000th of an inch, .400 inches. 6 7 MR. HAZELTON: In length? MR. DOMEY: In depth -- significantly less than. 8 MR. HAZELTON: -- on the basis of density differences? 9 MR. DOMEY: No, not on the basis of any density 10 difference, but based on the knowledge of the capability of 11 the image enhancement as a measuring tool. He just bounded 12 it by the capability of the tool. 13 When questioned further, subsequently to receiving 14 the report, the expert said it is significantly less than 15 -- since you have asked me how much significantly, he says 16 "The best I can do is it is significantly less than the 17 three millimeters", which is about 120,000ths. 18 We asked the question can you make any definitive 19 statement from the image enhancer that would correlate to 20 any of the ultrasonic data that we have told you about; 21 he was not privy to ultrasonic when he did the image 22 enhancement. And as early as this morning, or as late as 23 this morning, he informed me that since he does not know the 24 precise method of how the X-ray was taken, the angle of 25

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Jalt. & Annap. 269-6236

incident of the source, the location of the source, that he can make no statements relative to location.

2

3

4

5

6

And we told him the characteristics of the ultrasonic data, and asked from what he knew of the image enhancement, could he make any statements relative to the two. And he said there is no way to correlate those either.

So we left it that the image enhancement was essentially non-relevant information, which showed something which couldn't be seen precisely with visual, it could not be compared to a 2 percent penetrometer, so therefore, a size could not be put on it visually, and the image enhancement essentially didn't give us anymore measurement data.

MR. HAZELTON: You keep talking about the depth
of it, what about the length of it?

MR. DOMEY: Well, we weren't specifically trying
to measure length, and I have to go on my memory, because
I also saw the films.

MR. HAZELTON: Regardless, it would appear if you see something about an inch long in that location, and specifically in that location, it would seem to be a tremendous coincidence to say that it wasn't somehow related.

MR. O'TOOLE: I am not sure, because the method is so marginal in this case, that I am not sure what you are seeing. And I am not sure what you are seeing is valid. MR. HAZELTON: Not what I am seeing, what somebody

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

is seeing.

1

2 MR. O'TOOLE: What they are seeing. But that is 3 what I concluded, I looked at the results and I just shrugged 4 my shoulders.

5 There is one last thing to complete the answer to 6 your question, and that is ultrasonic data. And there was 7 ultrasonic data from the original vessel, and not only was 8 there rot any correlation between this indication, the 9 present indication and the original data, but there was no 10 correlation between anything and anything.

In other words, the original ultrasonic data was not correlatable with anything that we found during the ISI.

MR. HAZELTON: There was a good bit of discussion 13 about one UT indication that was found that was significantly 14 less than reflection from the _-tenths deep notch by one 15 inch long, in the belt line of the vessel and that would 16 be monitored on the ISI program, and we don't know exactly 17 where that was, but you are telling me, I think, that you 18 have taken a look at the detailed pre-service that was 19 done with the rubber wheel, and all that sort of stuff, 20 and you see no correlation. 21

MR. WASILENKO: George Wasilenko, from Con Edison. We particularly tried to correlate this indication with those results, and we could not locate that. We did a gross correlation, and you couldn't see any obvious pattern.

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	In one case we tried to locate with the tool an indication
2	that was on the early map, and we could not do that.
3	So the conclusion was that in general there is
4	no correlation. We haven't made a specific dimensional
5	check, point by point, we were primarily concerned with this
6	indication.
7	
8	MR. O'TOOLE: Excuse me, maybe just to close this
9	part out, one other item was the photograph, and I think
10	you have seen the photograph, and I think the photograph
11	showed something with a good correlation to position.
12	There was a patch, opitcally that showed as a shiny
13	what appeared to be a shiny patch, it could have been a
14	repainted area, after having local dressing or grinding,
15	or something.
16	There was no obvious depth to that, that any
17	trained eye could find, but it is a coincidence that
18	MR. HAZELTON: And you have definitely been able
19	to show that this UT reflector is in the area of that
20	light colored patch.
21	MR. O'TOOLE: Yes, that is a fairly decent
22	correlation, just by looking at the position of the nozzle
23	and looking at the bottom penetration of the vessel, you can
24	get a very good correlation of that.
25	MR. ADAMONIS: I need to make a clarification,
	FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

on the show UP results. Subsequent to having gone through 1 the quick exercise of trying to locate reflectors that were 2 identified in that report, we got a hold of the procedures 3 that were used. This was going on while the record search 4 5 was going on at CE. And it turns out that the entire vessel belt line region was examined using a wheel transducer, and 6 the wheel transducer is 45 degrees sheer wave and straight 7 beam. 8

9 The circumferencial scan with the angle beam search 10 unit was in the clockwise direction when the vessel was 11 viewed from the top. And the axial scan was done from top 12 to bottom.

There was some question when we had the post UT 13 whether they recorded the position of the indication, the 14 position of the reflector, so that is the kind of information 15 that we were armed with. We had a map, or a large blow-up 16 of the vessel laid out and just some identification of the 17 number of reflectors that were found with a little mark in 18 each particular area, not a great deal of meat with respect 19 to the location. 20

21

22

23

24

25

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 209-6236

MR. O'TOOLE: One other possibility was when they weld the lower shell course to the intermediate shell course together -- there are tie bars that used in fabrication -and tie bars were used on this vessel. They were used at several locations, which combustion in their records apparently has the general location was. None was specified to have been located at this position.

8 However, as I understand it, George, is that still
9 a valid statement that 180 degrees from this position there
10 was one. Is that a correct statement?

MR. JACKSON: Yes.

11

.

MR. O'TOOLE: And that seems like a weak correlation.
There is a 180-degree symmetry at that stage of fabrication,
and so it could be that kind of thing.

MR. CHENG: I have one more question regarding the trip report. The Westinghouse trip report indicates that perhaps the notch was put in over there -- and I have raised this question when I was in Pittsburgh, and I think, either from you or somebody told me that there is another internal report or trip report which has a completely opposite indication, that there was no notch put over there.

MR. ADAMONIS: There were two visits made in the period of a week, I believe, a very short time frame. The report that described the examination of the vessel lower shell course described calibration with 45-degree shear wave on a

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

.240 or a .250 inch deep buttress notch machined on the outside surface of the shell.

2

25

There was a trip report from days later -- and I can't remember the exact time frame -- that described examination of vessel nozzle-to-shell welds, with a different set of examinations.

7 MR. FLACH: Don, I think part of that -- if I remem-8 ber the old '65 Section 3, I think it talked about those but-9 tress notches being placed in the production piece when they 10 were talking about forgings, not in the examination of plates. 11 I may be wrong, but -- and I believe combustion used those buttress notches in their shell blocks as late as '71 or so 12 13 in there, before they went away from the buttress type notches, 14 in addition to the side drill holes.

15 It could be the they used the buttress notch for 16 the nozzle-to-shell weld since that's in the range of forging.

MR. ADAMONIS: No, I'm saying there are two pieces of paper, two different trip reports. One clearly states that the notch was machined in the OD of the shell, and they did it in --

21 MR. HAZELTON: These reports were written by the same 22 person, or different people?

23 MR. ADAMONIS: The second report I don't have the
24 cover sheet for.

MR. GIESKE: If that was a machined notch, you

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

100	50
1	wouldn't expect a real sharp corner on that notch. Wouldn't
2	it be true that you would expect to see that on a zero-degree
3	5 megahertz transducer, straight down?
4	MR. ADAMONIS: We can't see the buttress notches
5	MR. GIESKE: That's right, but if it was a notch,
6	wouldn't you expect to see that tip that quarter of an
7	inch
8	MR. ADAMONIS: You're saying a buttress notch, at
9	an angle, with a straight side and an angle, and I don't see
10	buttress notches in my mockups.
11	MR. GIESKE: That's right, and how would you machine
12	it so that you didn't get a little bit of a curvature right at
13	that point in that vessel that you can't see that with a 5-
14	megahertz transducer, and you'd look with plenty of gain, and
15	you looked with a 5-megahertz zero-degree
16	MR. ADAMONIS: Is it a correct statement that I'm
17	making, that we did not see the buttress notches in the mockups?
18	MR. HAZELTON: You did put buttress mockups and you
19	didn't see them with straight beam?
20	MR. LEFEBVRE: We did put them in. And I'm not so
21	sure I believe we did see them, but I can't see I actually re-
22	member them, but I can't subscribe to your theoretical bit
23	that if that was a machined notch in that vessel and it had
24	the sharp corner, that it would have been left there.
25	MR. FOX: Bernie, let me respond to that. When we
	FREE STATE REPORTING INC.

*

Court Reporting · Depositions D.C. Area 251-1902 · Balt. & Annap. 269-6236

	21
1	were putting the results together for the final report, the
2	question and the data was gone over for the zero-degree informa-
3	tion, and that question was asked at that time, and we could
4	not see the V-notch at that point in time. So, the buttress
5	notch at that point in time could not be seen.
6	MR. ADAMONIS: Nor could the 90-degree reflector,
7	45 degrees on the side.
8	MR. JOHNSTON: You mean a couple of weeks ago, John,
9	when you were putting the final report together?
10	MR. FOX: When this final report was being put to-
11	gether, yes.
12	MR. JOHNSTON: What you are saying is, I presume,
13	that somebody looked in the notebook that the people were using,
14	and the sheets of paper, when they were going through the pro-
15	cess, and they had something on their piece of paper that said
16	in this particular location look for an indication, and they
17	got something that says nothing seen, or something of that sort?
18	MR. FOX: I don't know that that information was put
19	down on a data sheet. That was asked of the operators and that
20	was asked of the people who observed the test.
21	MR. DURR: That seems a simple thing to confirm.
22	MR. HUM: You did see, with the straight beam examina-
23	tion, the rather shallow notch that I think is something like
24	1/8th or something like that?
25	MR. ADAMONIS: The flat bottom?

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

	52
1	MR. HUM: Or the flat notches.
2	MR. ADAMONIS: Yes, we did. The one that was
3	180,000 speed we saw.
4	MR. HUM: How wide?
5	MR. FOX: All the information says an eighth of an
6	inch.
7	MR. HUM: So an eighth of an inch wide.
8	MR. FOX: Three-sixteenths.
9	MR. ADAMONIS: It had to go to three-sixteenths on
10	the deeper ones because of difficulty in maching, but all of
11	the slots 1/10th of an inch, 3/10ths, 5/10ths the 2
12	percent deep were 1/8th of an inch wide. When we went to the
13	1 1/2 inch deep and 2 inch deep, they were 3/16ths of an inch
14	wide.
15	MR. DURR: Was there a rationale for not using a
16	60-degree pitch-catch, seeing as how that was the one that
17	gave you the strongest reflection, back reflection? Is there
18	some rationale for not using a 60-degree?
19	MR. ADAMONIS: From the standpoint of how we would
20	have to locate them on an array and put them pretty far apart,
21	and also considering the amount of spread we see with a 60-
22	degree.
23	We are subjecting ourselves, when we go to the 60-
24	degree, a lot more of the effects of cladding, problems with
25	positioning. Again, now I've got to make an array that is quite
	FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

	53
1	a bit larger, to get those transducers out-board far enough
2	in order to effect the examination. That was the rationale
3	for going 45.
4	MR. DURR: Do you think you would get any more infor-
5	mation from a 60 than a 45, assuming that you could meet the
6	geometry?
7	MR. ADAMONIS: No, I don't believe so.
8	MR. CIESKE: Well, weren't you curious to see if that
9	signal did occur at 60 degrees in the delta technique? Didn't
10	you look for the signal with the 60-degree delta at all?
:1	MR. ADAMONIS: No.
12	MR. GIESKE: You didn't even consider it as being
13	a possibility
14	MR. LEFEBVRE: We weren't prepared for that, no, but
15	a special plate was made for 45s. There were no 60s on that
16	plate.
17	MR. CHENG: I guess he was asking when you made the
18	inspection, did you try to use the 60-degree
19	MR. ADAMONIS: The arrangement of the transducers
20	during the detection mode is such that it won't allow that.
21	This is a special array plate that allowed us to do the delta
22	measurement.
23	MR. HUM: On the actual vessel, on your eight data-
24	points, did you see an indication from both the tip and the
25	base, or are you only seeing the tip?
	FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

ŧi.

6

ł

£

	54
1	MR. ADAMONIS: On at least four, perhaps six, we do
2	see two signals.
3	MR. HUM: What is the wall thickness measurement at
4	the location of the indication?
5	MR. ADAMONIS: 8.9.
6	MR. CHENG: By zero-degree measurement?
7	MR. ADAMONIS: By straight beam.
8	MR. HUM: Were there any measurements above that,
9	I mean, greater than that?
10	MR. ADAMONIS: When we made the scans with the 5-mega-
11	hertz straight beam, we took that information and plotted it
12	up, and we saw variations that and this covered the area
13	that bounded the indication, perhaps a couple degrées on
14	either side and 3 inches along the axis and when we looked
15	at that information, plotted the position of the back wall,
16	8.9 to 9 inches is the only variation that we could see, and
17	that covers the area where the indication was located.
18	MR. GIESKE: Are you saying that a 9-inch depth is
19	possible right where the indication is?
20	MR. ADAMONIS: A 9-inch thickness?
21	MR. GIESKE: Thickness, from what you just said.
22	I mean, in other words, we could say plus-or-minus .1
23	MR. ADAMONIS: I'm going to have to ask Dave Kurek.
24	Right at the indication location we made numerous measure-
25	ments. Those measurements were made up and videotaped. We

7

1

1

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

	made numerous measurements in the area of interest, especially
2	when we were setting up the delta, and we came up with the
3	8.9 at that particular location.
4	The range that I'm talking about is a volume or a
5	surface area that might be 4 degrees by 4 inches that would
6	show that kind of variation.
7	MR. GIESKE: What variation would you put at the
8	exact position where this indication is?
9	MR. ADAMONIS: I have to say, at the indication, all
10	the measurements we made, we came up with 8.9 inches, and we
11	looked at that a number of times.
12	MR. HUM: Are you now assuming that you are establish-
13	ing the depth from a subtraction from the tip from the actual
14	measured wall thickness are you saying that the depth was
15	based on the difference in transit time between the tip and
16	the base of the flaw?
17	MR. ADAMONIS: No, I think we are saying you can
18	look at it both ways and, if you look at it one way you come
19	up with .24, based on total transit time you come up with .24,
20	it you base it on the difference between the two pulses, you
21	come up with .18.
22	MR. FOX: Martin, let me answer that question in a
23	slightly different way. There was a question posed by NRC in
24	the meeting at Pittsburgh. The meeting in the meeting at
25	Pittsburgh, they asked us to establish some uncertainty data
	FREE STATE REPORTING INC.

8

Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236 1 on the delta technique.

9

Numerous measurements were made with numerous operators, with the equipment run in two directions along the length of the indication, and they were all essentially shaken out, and the uncertainty bound that came out of that was 2 microseconds on the delta technique, using what we call the first or total transit time.

8 That technique was considered to be that uncertainty 9 was considered to encompass variations in the angle of the 10 sound beam, the clad thickness, geometry, all of those things 11 which could influence that.

We found that the numbers that we got off would be, if you will, the subtraction of the total time applied to the tip versus the total time applied to whatever is giving us the second indication, and we considered that to be the bottom of the reflector or the intercept between the reflector and the OD surface.

We found that difference essentially subtracted throughout the majority of those variables because it came out consistently to be representative of the number that we got off of the .18 inch notch.

While we saw variations along the length of the reflector on specific indexes, the reflector and the reactor vessel, we found that those two stayed and essentially correlated. As you traveled across the reflector, we found that those two

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	stayed that distance apart. So we found that to be a better
2	correlation, or a more exact correlation that was not subject
3	to the uncertainty bound of the total transit time.
4	So one of the questions regarding that are really
5	coming out about the thickness variations and that type of
6	situation are thrown into that, if you will, uncertainty bound
7	that they put .2 microseconds on the total transit time,
8	however, most of that gets factored out when you start talking
9	about the differences between the two peaks.
10	MR. JOHNSTON: Let me interpose just a second. I've
11	tried to track the questions as we've been going. At one
12	point, we were starting to talk about the calibration work
13	that was done at the Westinghouse place, and then we've drifted
14	now, I think, into discussing the vessel inspection itself.
15	It might be more fruitful if we kept the two separated
16	if we can. We have a line of questions going on now that
17	relate to the inspection that took place at Indian Point it-
18	self and of details of it.
19	Would it be useful if we asked all those kinds of
20	questions and then remember to go back to the questions that
21	are going to have to do with the data that's been taken since
22	that time, as part of our questions that we asked you. I
23	don't want them to get lost.
24	MR. CHENG: One of the questions we were asking was
25	the notch the region has concerns, you know, translated

10

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1 ba 2	ack to the vessel. That's what the whole interest has been. I have a question on this uncertainty band. We're alking here about 2 microseconds? MR. ADAMONIS: Yes. MR. CHENG: Which, I guess, translated to be 2/10ths f an inch, or something like that. That was not added to this inal number you people MR. ADAMONIS: No, nor was that statistically deter- ined. That was just based on putting all the dots on the lot, the plot of actual depth versus predicted depth, with ar ideal model line drawn on it, and just filling in all the pints and saying, okay, those are the upper modes. There as no statistical approach at all. MR. HAZELTON: You don't have a thickness measurement
2 3 4 5 6 0 17 10 9 mi 10 9 mi 10 9 mi 10 9 mi 10 11 00 13 wa 14 15 0n 16 re 17 18 19 th	I have a question on this uncertainty band. We're alking here about 2 microseconds? MR. ADAMONIS: Yes. MR. CHENG: Which, I guess, translated to be 2/10ths f an inch, or something like that. That was not added to this inal number you people MR. ADAMONIS: No, nor was that statistically deter- ined. That was just based on putting all the dots on the lot, the plot of actual depth versus predicted depth, with ar ideal model line drawn on it, and just filling in all the bints and saying, okay, those are the upper modes. There as no statistical approach at all. MR. HAZELTON: You don't have a thickness measurement
3 ta 4	Alking here about 2 microseconds? MR. ADAMONIS: Yes. MR. CHENG: Which, I guess, translated to be 2/10ths of an inch, or something like that. That was not added to this inal number you people MR. ADAMONIS: No, nor was that statistically deter- ined. That was just based on putting all the dots on the lot, the plot of actual depth versus predicted depth, with ar ideal model line drawn on it, and just filling in all the bints and saying, okay, those are the upper modes. There as no statistical approach at all. MR. HAZELTON: You don't have a thickness measurement
4 5 6 of 7 fi 8 mi 10 pl 11 ou 12 po 13 wa 14 15 on 16 re 17 18 19 th	MR. ADAMONIS: Yes. MR. CHENG: Which, I guess, translated to be 2/10ths f an inch, or something like that. That was not added to this inal number you people MR. ADAMONIS: No, nor was that statistically deter- ined. That was just based on putting all the dots on the lot, the plot of actual depth versus predicted depth, with ar ideal model line drawn on it, and just filling in all the bints and saying, okay, those are the upper modes. There as no statistical approach at all. MR. HAZELTON: You don't have a thickness measurement
5 of 7 fi 8 mi 10 pl 11 ou 12 po 13 wa 14 15 on 16 re 17 18 19 th	MR. CHENG: Which, I guess, translated to be 2/10ths f an inch, or something like that. That was not added to this inal number you people MR. ADAMONIS: No, nor was that statistically deter- ined. That was just based on putting all the dots on the lot, the plot of actual depth versus predicted depth, with ar ideal model line drawn on it, and just filling in all the bints and saying, okay, those are the upper modes. There as no statistical approach at all. MR. HAZELTON: You don't have a thickness measurement
 6 of 7 fi 8 9 mi 10 pl 11 ou 12 po 13 wa 14 15 on 16 re 17 18 19 th 	f an inch, or something like that. That was not added to this inal number you people MR. ADAMONIS: No, nor was that statistically deter- ined. That was just based on putting all the dots on the lot, the plot of actual depth versus predicted depth, with ar ideal model line drawn on it, and just filling in all the bints and saying, okay, those are the upper modes. There as no statistical approach at all. MR. HAZELTON: You don't have a thickness measurement
7 fi 8 9 mi 10 pl 11 ou 12 po 13 wa 14 15 on 16 re 17 18 19 th	In a number you people MR. ADAMONIS: No, nor was that statistically deter- ined. That was just based on putting all the dots on the lot, the plot of actual depth versus predicted depth, with ar ideal model line drawn on it, and just filling in all the bints and saying, okay, those are the upper modes. There as no statistical approach at all. MR. HAZELTON: You don't have a thickness measurement
8 mi 9 mi 10 pl 11 ou 12 po 13 wa 14 15 on 16 re 17 18 19 th	MR. ADAMONIS: No, nor was that statistically deter- ined. That was just based on putting all the dots on the lot, the plot of actual depth versus predicted depth, with ar ideal model line drawn on it, and just filling in all the bints and saying, okay, those are the upper modes. There as no statistical approach at all. MR. HAZELTON: You don't have a thickness measurement
9 mi 10 pl 11 ou 12 po 13 wa 14 15 on 16 re 17 18 19 th	ined. That was just based on putting all the dots on the lot, the plot of actual depth versus predicted depth, with ar ideal model line drawn on it, and just filling in all the bints and saying, okay, those are the upper modes. There as no statistical approach at all. MR. HAZELTON: You don't have a thickness measurement
10 pl 11 ou 12 po 13 wa 14 15 on 16 re 17 18 19 th	Not, the plot of actual depth versus predicted depth, with ar ideal model line drawn on it, and just filling in all the bints and saying, okay, those are the upper modes. There as no statistical approach at all. MR. HAZELTON: You don't have a thickness measurement
11 OU 12 po 13 wa 14 15 ON 16 re 17 18 19 th	ar ideal model line drawn on it, and just filling in all the bints and saying, okay, those are the upper modes. There as no statistical approach at all. MR. HAZELTON: You don't have a thickness measurement
12 po 13 wa 14 15 on 16 re 17 18 19 th	oints and saying, okay, those are the upper modes. There as no statistical approach at all. MR. HAZELTON: You don't have a thickness measurement
13 wa 14 15 on 16 re 17 18 19 th	MR. HAZELTON: You don't have a thickness measurement
14 15 on 16 re 17 18 19 th	MR. HAZELTON: You don't have a thickness measurement
15 on 16 re 17 18 19 th	
16 re 17 18 19 th	h that same weld, down about a foot or so from where this
17 18 19 th	eflector is? Is it a different thickness number?
18 19 th	MR. ADAMONIS: I would have to say no.
19 th	MR. HAZELTON: The obvious purpose is to see whether
	is light streak on the photograph might be a blend-out and,
20 be	low that, you might have a thicker wall, but you don't have
21 th	at data that would give us a better handle on
22	MR. CHENG: Excuse me, Don. I thought that you men-
23 ti	oned earlier, within the 4-inch square assumption that you
24 ma	de, it would go up to 9 inch.
25	MR. ADAMONIS: That's correct.
	EPEE STATE DEPORTING INC
	Court Penerting a Depositions
	EPEE STATE DEPORTING INC

MR. HAZELTON: But the mark on the vessel is bigger
than 4 inches, so that's why I was asking the question. You
may not have an answer.
MR. LEFEBVRE: We went outside of that on the arc.
MR. CLAYTON: Don, on your scans with the delta

6 technique, where you picked up the defracted weight, did you
7 always have the secondary pumps? On every one of the scans
8 that you have what you considered the tip pulse, did you always
9 have the secondary or base pulse?

MR. ADAMONIS: I would say on the last one scan, there wasn't any apparent -- but at the lower extreme or the upper extreme, there wasn't any apparent second signal.

MR. CLAYTON: On every other scan, you did have thosetwo signals.

MR. ADAMONIS: Yes.

15

25

MR. CLAYTON: And on every one of those scans, they maintained the same proximity to each other in time?

MR. ADAMONIS: Spacing, essentially. The best youcan tell is from reading the tape.

MR. DURR: If we discount the delta technique and we look at Section 11 and the requirements of Section 11 for the examination and what you do when you find an indication, do you meet today's Section 11 fracture mechanics? Have you satisfied all the requirements of Section 11?

MR. BAMFORD: No question about it. Even considering

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6235

12

1 that the indication is as large as originally reported, which 2 we no longer believe, it still meets all of the criteria of 3 Section 11. 4 MR. VARGA: Let me interrupt for a moment. We've 5 been about two hours, and I would like to give the transcriber 6 at least a little break, and anyone else that might need one. 7 Would this be an appropriate time to take about a ten-minute 8 break? 9 MR. JOHNSTON: Yes. 10 MR. VARGA: All right. Let's meet back here in about 11 ten minutes. 12 (Whereupon, a short recess was taken.) 13 MR. VARGA: I guess we were still in the question and answer stage, and I guess we are going to try to focus 14 attentions on meaningful areas and meaningful responses and 15 move ahead. So now let's get back on the record. 16 17 MR. HUM: Could we perhaps discuss how the length of the indication was adjusted? 18 MR. ADAMONIS: If you recall, there was a 1-T block. 19 The spacing between those -- and there's some data in here 20 that indicates the amplitudes and the sizes of the notches --21 we found that on that particular block, even the spacing be-22 tween notches of 1 1/2 inches wasn't discernible if we tried 23 to make length measurements, so attempts at length measurements 24 were aborted. 25

13

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	We fabricated a 2-T block with more length in
2	between 3 inches between notches on the 2-T block and
3	took information from the notches that were in the amplitude
4	range that we saw from the reflector in the vessel, with TR-27,
5	and determined how much those lengths were exaggerated, looked
6	at the mean and the standard deviation, and applied that kind
7	of analysis to the indication actually a correction factor,
8	a conservative correction factor and applied that to the
9	information that we had off the length of the vessel, * the
10	reflector in the vessel.
11	MR. JOHNSTON: I forgot the detail. What the
12	magnification ratio that you were talking about in this last
	operation. You recall when we were up there, we made some
14	recalculations on what it was from 7-to-1 down to about
15	3-to-1.
16	MR. FOX: 7.79.
17	MR. JOHNSTON: Are you still using 7.79 on this
18	correction?
19	MR. FOX: No. 7.79 was the correction factor for
20	depth. That's the oversizing or the exaggeration in depth, and
21	that's a percentage. By that I mean that it's 779 percent
22	oversized, based on the numbers that we're seeing of the
23	amplitude range that we're talking about for the reflector in
24	the vessel.
25	For the correction factor in length, since that number
	FREE STATE REPORTING INC. Court Reporting + Depositions D.C. Area 261-1902 + Balt. & Annap. 269-6236

	62
1	essentially agreed with the results of the delta information
2	from the reflector in the vessel, it likened that we could
3	also come up with a correction factor for an amplitude for
4	essentially what consists of the size of the sound beam for
5	those amplitudes, for those reflectors which showed an ampli-
6	tude the same as the indication in the vessel, and correct by
7	what we will call the constant K. Constant K was arrived at
8	as taking all the numbers, determining what the cversize was
9	in inches, and taking the mean of that, the standard deviation
10	of that, subtracting the standard deviation and the mean to
11	arrive at a number of inches that could be subtracted.
12	MR. CHENG: Is that a good way to do it because in
13	this you are including all this measurements from the different
14	depths of the notches. And you know the different depths, you
15	know, have different types of modifications.
16	MR. FOX: It showed that it was not dependent on
17	depth. It was dependent on length. The numbers we threw in
18	were from a smorgasbord, and it didn't matter
19	MR. CHENG: No, no. I'm sorry. I'm talking about
20	length. We are discussing the length here.
21	MR. FOX: That's what I'm saying. It did not matter
22	on the depth of the indication.
23	MR. CLAYTON: John, on that table of measured lengths
24	versus actual lengths on notches, we find that the number you
25	used was derived based upon a statistical average and then
	FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

subtracting the standard deviation from that. How do you
support that as opposed to taking the most conservative number
on those pages, or the most conservative number on, say, a
notch of what you feel is the same depth as the indication?

63

5 MR. FOX: If you went with the worst case analysis, the number that would have been used would have been somewhat 6 around, I believe, 8/10ths of an inch whereas the number used 7 was 1.1. That number was way out in left field as well, which 8 means that essentially it was way outside of a standard devia-9 tion away. So, just from a statistical standpoint, it says 10 exactly what is coming back, is that that number is not part 11 of the data set, from that standpoint. 12

MR. CLAYTON: Can you really say that when you know the conditions under which you're examining, which is through cladding? You can hardly throw away anything because deviations like that can occur and can be real, and can be giving you real numbers. It's not like you did not have other variables. That was my question.

We know that there is going to be a significant variation in how a notch or an indication appears relative to what part of the cladding you happen to be going through at that time, and so forth. And so those variations, instead of being errors, might just be how the sound beam happens to be performing at that particular point. I'm wondering how you can just throw that out as an error.

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

16

t

MR. FOX: Bill, let's arrive at the objective of the report, as stated in the report, again. The objective of the report was to try to come up with as accurate a projection of the size of the indication of the vessel as possible, with some degree of conservatism.

17

6 It was felt that taking a number that was way outside
7 of a standard deviation away from a length projection, when
8 the number that had already been shown by the depty projection
9 using the same type of approximation, turned out to be a good
10 predictor of what the delta said.

So, using that analogy, you can say that that is a very good approximation, and also a very conservative approximation, of what the length is. It would have been an error for us to use the mean, even though that turned out to be the best predictor of the depth, was the mean.

So that would not be conservative, so instead we used the standard deviation.

MR. CLAYTON: One last question. On the depth correction that you did, that came out with the 7.79 number, did you also throw out that 13 times number that was on the .3 notch that was way out from a liberal standpoint, when you did that one? Do you know which one I'm talking about? MR. FOX: I'm not exactly --MR. CLAYTON: On the .3 inch deep notch in the plus-

24 AR. CLAITON: On the .3 Inch deep notch in the plus-25 10 to plus-20 dB range, it was a 13 times number.

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

	60
1	MR. FOX: No, because in that situation we were
2	also that number isn't being relied on essentially by itself.
3	MR. CLAYTON: But you used that to determine the
4	7.79 number?
5	MR. FOX: I think so. I'd have to go back to my
6	notes. I can't say exactly because I don't remember exactly
7	which one do you remember exactly which one he is talking
8	about?
9	MR. ADAMONIS: It must be this one here.
10	MR. FOX: So that number was used.
11	MR. CHENG: Yes, you used the number. And all together,
12	you have four points only, only four datapoints. In this
13	measurement, you used ten datapoints?
14	MR. FOX: Yes. If you use essentially all of the
15	datapoints, the number came out 5.74.
16	MR. CHENG: And you only used the four datapoints
17	to come out at 7.79?
18	MR. FOX: Yes, only the information with TR-27.
19	MR. JOHNSTON: I'd like to see if we can come to
20	some kind of closure. Are there other questions regarding
21	that length? No more questions on the length?
22	MR. O'TOOLE: You may have some questions after John
23	gets through with his summary. You know, there is some over-
24	lap because they are doing the same job separately. So maybe
25	we could have John take over.
	FREE STATE REPORTING INC.
	Court Reporting • Depositions
	D.C. Area 261-1902 • Balt. & Annap. 269-6236

H

MR. FOX: Well, a lot of the information I would normally give in a summary, in an overview of where we're at and the types of information that have been processed has already come out in the question and answer period, so I think what I will do is to drop back slightly, not belabor the point, and just kind of summarize.

3

2

3

4

5

6

7

11

I will state the objective of the program, again, 8 was to come out with the most accurate projection that we 9 could possibly give, with some conservatism. The results were 10 taken with the delta technique. Results were taken on two mockups with the delta technique, pitch-catch technique and 12 pulse echo.

13 You've already heard the number of datapoints that we're talking about. You've seen the tables of the datapoints 14 that we're essentially talking about. 15

The conclusion should be restated. Essentially, 16 the conclusion was that we arrived at a reflector that was .26 17 18 inches by .85 inches, that's depth to length.

19 That was the information that came out of the amplitude case criteria, and that was essentially the worst case of 20 the numbers that we ran. That would assume that of the methods 21 that we processed, that's the information that came out. 22

The pitch-catch information essentially supported the 23 fact that it could not be as large as the 1.5 inch or some 24 number that was much bigger than that. The delta technique --25

> FREE STATE REPORTING INC. Court Reporting . Depositions D.C. Area 261-1902 . Balt. & Annap. 269-6236

1 we essentially found that there were two techniques inherent 2 in the delta technique, or two methods of sizing based on the 3 delta technique. One of them, which is the through-transmis-4 sion time, or essentially the first point on the time of flight. showed that the indication could best be described as something 5 6 in the order of .24 inches in depth, as the best predictive 7 value. However, we felt that that was subject to some irregu-8 larity, some uncertainty due to irregularities in thickness, 9 clad, so on and so forth, angle, and that those irregularities 10 did not occur as greatly occur in the differential, the difference between the two peaks, and that number could best be 11 described at the worst case as the same as the 2 percent notch, 12 or .18 inches. That's the best way we could characterize the 13 14 difference between those two reflectors on the reactor vessel.

20

ŧ

The majority of the data that we took, or the statistical information that we took off of the amplitude based information was based on all of the information that we could get. It was processed many times, and we gave you the information that we feel is the most valid for that.

I think as an overview, what we are really saying is that our feeling right now is that the reflector can be no deeper than .26 inches and we are still presenting you with a very conservative number based on the backup that's been given by the delta information from both of the measurement methods. So that would be what I characterize as an overview.

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

	MR. JOHNSTON: You focused most heavily on a depth
2	measurement?
3	MR. FOX: Yes.
4	MR. JOHNSTON: And a second question, among the dat
5	that you gave us in your report, was this all pitch-catch
6	I'm sorry delta technique, I mean, of the successively
7	deeper notches and drill indications that we asked you ques-
8	tions on, had asked you to make measurements on?
9	What I've heard from the staff, I think, was that
10	most of what you gave us is amplitude data, and not delta
11	data. Am I right? In other words, the measurements that you
12	redid
13	MR. CHENG: There is no data on the delta technique
14	measurements on the notches. One of the questions we asked
15	on this past Monday, we asked you people to provide measure-
16	ments. All you have here is depth measurement on how deep is
17	the indication, but the data measurement does not provide that.
18	MR. JOHNSTON: You've been talking about some 80
19	points or something. Was that included in what you sent us
20	previously?
21	MR. ADAMONIS: No, I don't believe it was.
22	MR. JOHNSTON: I guess then there is some information
23	you haven't supplied us yet, which was the specific information
24	that we asked. We asked you to make measurements on what be-
25	came plate 2-T, by the delta technique, looking at indicators

*

68

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	with depths wherever we said. We gave you a list up to 2 inches
2	deep. We don't have that data yet, officially, but you've
3	got it over there?
4	MR. ADAMONIS: That's right.
5	MR. JOHNSTON: How's come? How's come we didn't
6	get it along with the input that came in a few days' ago,
7	since that was a key piece of information we asked you to get
8	us to help us make our decision. Why the delay?
9	MR. WASILENKO: It was never my personal understand-
10	ing that you asked specifically for specific types of data on
11	a delta. You asked us to do measurements, and we summarized
12	these measurements in our report. It was not clear to me that
13	you wanted in-depth data comparable to the type that you did
14	submit in support of our length and amplitude exaggerations.
15	So, I'm kind of surprised that you're saying you
16	asked for something we didn't give you. I don't recall that
17	being
18	MR. O'TOOLE: Can you point out the question?
19	MR. CHENG: I think in Monday's
20	MR. O'TOOLE: Yes, in Monday's questions, 7 under-
21	stand you asked for
22	MR. JOHNSTON: I'm talking about question 1, I thought,
23	of what we transmitted back in August.
24	MR. HUM: It was question 1-A, B and C. And the
25	thrust of this was that the licensee supply the basis of the
	FREE STATE REPORTING INC. Court Reporting • Depositions F.C. Area 261-1902 • Balt. & Annap. 269-6236

H

delta measurements and the pitch-catch measurements and try to simulate the conditions that he observed in the reactor vessel. I would have assumed that this would have included the table of the actual sizes into the notches, the measured values that you derived from your '30 measurements and any deviations from these measurements that kind of indicate what the accuracy of the measurements would be, and the validity of the technique.

70

MR. WASILENKO: I'd like to comment on that. Most
of the question 1 were statements. And our answer was we did
basically have all this stuff, and we described that.

11 MR. JOHNSTON: Question 1, confirmatory testing with basic calibration block and reactor vessel mockup. Additional 12 13 artificial reflectors should be introduced into the vessel mockup to simulate crack degrees, depth of the OD of the vessel, 14 should determine the maximum size crack that would produce 15 an ultrasonic response similar to that observed during reactor 16 17 vessel exam, and normal scanning and the evaluation exams with pitch-catch and delta techniques. They should have a length 18 19 and orientation that is the same as the actual flaw indication. The depth of the artificial reflector should include the allow-20 able flaw signs based upon item 3,000, Section 11, of 1/2, 1 21 22 inch, 1 1/2 inch, 2 inches.

That's a request to make a series of measurements
using the various techniques, particularly the delta. What
the staff told me is they didn't get an answer to this, and

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236 that's the reason for my question of how's come because that was the most -- in one sense, one of the most important pieces that we discussed with you when we gave you the closeout discussion up there. We said that's the data that we really want you to get so we'd know --

24

6 MR. O'TOOLE: We refer to Attachment A as the table, 7 Results and Conclusion in Attachment A. Where is Attachment A? 8 Are we saying -- I don't know what we are saying at this point 9 -- but are we saying, in answer to Bill Johnston's question, 10 that Table I and Table II, all those tables, don't include 11 anything with delta technique?

MR. WASILENKO: It's not obvious from your question
that you needed that information.

14 MR. JOHNSTON: I thought it was pretty obvious from the question what we needed, particularly since we even em-15 phasized it when we closed out up there at Pittsburgh. 16 We said we tentatively felt that the data that you presented us there 17 when we went through the calculation on that block that day 18 looked pretty good, but we wouldn't be able to draw any con-19 clusions until you had made the additional measurements with 20 the additional indicators, using this technique, which was 21 precisely this question. We said that very clearly, I think. 22 MR. O'TOOLE: Do we have the data? Do we have it 23 here, now? 24

MR. ADAMONIS: Yes.

25

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236
MR. O'TOOLE: Why don't we give it to them.

MR. ADAMONIS: Why don't we go over the plots. As
we initially discussed, we had put together a mathematical
model on a delta technique, and we put together the model
based on the reflector depth versus transit time. This line
represents what we would predict.

1

25

7 What I have here are three plots that were made up
8 which summarize all of the measurements from which we started
9 to talk in terms of a plus-or-minus 2 microseconds uncertainty
10 limit.

We had a notch at 3/10ths, at 5/10ths, an inch, 1 1/2 inches -- actually this one was about .875, this was a slot cut in, it was a subsurface slot near the outside on the 1-T block, so the maximum depth from the outside surface was .875 -- 1 1/2 inch deed and a 2 inch deep.

And you will recall that this 2 inch deep actuallystepped between 1.85 to 2 inches deep.

The different figures which represent the actual 18 19 measurements made on the block represent the scan direction and the different transducer arrangements, thus, this dot would 20 indicate TR 22-20 in a counterclockwise direction looking at 21 22 naught, and I've broken these up as far as the various shifts went, but if you took all of this data and put it on one plot, 23 those would represent the datapoints that we were talking 24 25 about previously.

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

MR. JOHNSTON: Don, when you say mathematical model, isn't 'hat just a 45-degree plot? No, I guess that's not a 45-degree plot, it was just a plot of depth versus time.

26

1

21

24

25

MR. ADAMONIS: That's right. Well, you calculate based on the angle and the velocity at shear, to get to the reflector, and then calculate the path back to the transducer based on the longitudinal wave velocity, and you come up with, at this point, at point zero would represent a zero-inch depth on a 9-inch thick standard. This number would change, for an 8.9 inch block.

We made all these measurements on a block which was 9 inches thick, our 2-T block was 9 inches thick in the area of interest, and if you took all that and put it on one figure, you could bound it by essentially 2 microseconds, and that's all the data -- no statistical approach or anything, as far as handling this spread.

MR. JOHNSTON: I was going to ask if you took the reproducability of data to give depth and treated that statistically -- I think you have enough datapoints in some cases to do that --

MR. ADAMONIS: I have not done that.

22 MR. JOHNSTON: -- and get an idea of what the un-23 certainty is in measurement of a given depth.

MR. ADAMONIS: I have not done that.

MR. O'TOOLE: It's not that we didn't -- we tried to

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	evade anything here. We thought we were answering the question.
2	When the question came up when George was making the report,
3	how much data should we put in here, you know? You're asking
4	a question that doesn't need data to answer, but we answered
5	your question with the thing determined from all the tests, and
6	when we did put the data in, we decided to be selective, and
7	we have it. I guess it's a matter of how you want it.
8	MR. JOHNSTON: I think that should be supplemented
9	for the record.
10	MR. FOX: That is the data strictly from the
11	MR. JOHNSTON: 2-T?
12	MR. ADAMONIS: Total transit time measurement.
13	MR. FOX: total transit time measurement.
14	MR. JOHNSTON: How about the delta
15	MR. ADAMONIS: That's it. That's the delta based
16	on total transit time.
17	MR. JOHNSTON: I guess that question had another
18	part in it, about pitch-catch information. That would be the
19	data that, I guess, would show whether the signal disappears
20	or not as you get deeper and deeper in the notch. You men-
21	tioned it this morning, but is that in the record for us, too?
22	MR. ADAMONIS: Only to the extent that we make the
23	statement that for the 1 1/2 inch deep and 2 inch deep notches,
24	you effectively lose the signal for a range as you move across
25	it, and it's very clear.

4

MR. JOHNSTON: Is it still there for the 1 inch?
MR. ADAMONIS: We really didn't repeat any measurements for the purposes of this particular investigation on
the 1 inch when we recognized that the radius of curvature was
different.

28

ŝ.

17

6 MR. FOX: We essentially reviewed -- rereviewed 7 the videotapes from the original data that we ran on 1-T and 8 looked at that again, and renoted the fact that there was a 9 definite drop in the reflector when it ran across the 1 inch, 10 but it was still within, or it could not be huge compared to the variations over the -- the large variations we'd seen over 11 another portion of the vessel, which was a 50 to 90 percent 12 fluctuation. 13

MR. JOHNSTON: The radius of curvature on the 1-T block, was that closer to that of the Indian Point vessel and the 2-T?

MR. ADAMONIS: The 2-T is identical.

MR. JOHNSTON: Oh, the 2-T is the closest. We did this in geometry while we were there, and concluded that you were able to transfer from flat to curved blocks pretty well anyway. There shouldn't be any problem converting back and forth between these two different radii, should there?

23 MR. ADAMONIS: That's correct, but we also had noted 24 the difference in attenuation, at least in the angle of the 25 mode between the two different blocks and the vessel, and we

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	when we went back and made the pitch-catch measurements on
2	the 2-T block, we could use the same gain settings we had on
3	the vessel and see the same kinds of variation. If you use
4	those exact same gain settings on the 1-T block, the amplitude,
5	the through transmission amplitude is higher.
6	MR. JOHNSTON: And your 2-T block did have a 1 inch
7	notch or something in it, didn't it? You said you had every-
8	thing from 1/10th to 2 inches?
9	MR. ADAMONIS: Well, I didn't mean everything, in
10	the range of tenth of an inch. I don't believe there was
11	there was a 1/2 inch, there was a 1 1/2 inch and a 1.85.
12	MR. JOHNSTON: Nothing in between a half inch and
13	1 1/2?
14	MR. ADAMONIS: No.
15	MR. FOX: The reason being we already had two notches
16	that were 1 inch in depth, and we didn't want to overpopulate
17	that block, too.
18	MR. CHENG: We asked you people to docket important
19	information. You say you have a 70 or 80 point on this one.
20	I'd like to see some table submitted on the depth measurement,
21	and including some of this stuff you have you know, what
22	kind of notch size, what kind of numbers you produced from
23	that.
24	MR. DURR: When you did the delta technique in the
25	vessel, when you initially did the scan with the 60 and the 45
	EDEE STATE DEDODTING INC

76

Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	and the array and you ended up with 500 plus percent signals
2	on the 60 and 200 percent plus on the 45, when you did the
3	delta technique in the vessel, did you also end up with a
4	comparable pulse echo signal on the 45 that would compare
5	with the 200 percent DAC signal?
6	MR. FOX: Yes, that's correct. When we were in
7	position to see the delta signal from the reflector, say, with
8	the transducer 22-20 combination, we could go back and look
9	at the switch channels and I could program TR 22 in the
10	pulse echo mode, yes, you could see it.
11	MR. DURR: It was essentially a 200 percent signal,
12	so you were sure you had the same
13	MR. ADAMONIS: Well, when we did the delta work, we
14	did have to increase the gain to get the delta signal over
15	and above that that was used for the examination, but if you
16	re-established all the calibration parameters with TR 22,
17	which was the 45 degree in the counterclockwise direction, yes,
18	that amplitude and location was verified.
19	MR. CHENG: I would like to follow up on one of the
20	questions we asked this past Monday about this crack, the
21	fatigue crack. I don't know if anybody has followed up on
22	that. I was just curious. I think you people responded there
23	are no such signs of crack under the variables. I talked to
24	Bob Spring this past Monday. Have you people looked into
25	everything?

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

MR. ADAMONIS: The ones that you are discussing are
the ones that were made up -- are essentially flat blocks and
have implanted defects within one-half the wall thickness of
the inside surface of the vessel.

In at least two of the cases, those blocks are 11 inches thick, and may be a case where, in fact, it's 9 inches thick, but all the indications are up near the inside surface. There are also some unintentional reflectors in there, in the form of slag and when they were making that particular weld.

There is nothing where we could take the same arrangement and go over and utilize that type of thing. I am aware of the ones that you are talking about.

MR. CHENG: In this case, I'm interested -- you don't 13 have to shoot from inside. I'm interested in the delta tech-14 nique from all the surface. I guess one of the questions is 15 trying to see how good it can measure the fatigue crack because 16 the concern here is, how do you know that the vessel will come 17 from the deepest spot of the indication. That was quite common-18 ly of interest to many people here. There may be one way you 19 measure, say, you have a real fatigue crack over there with a 20 known depth, and you always have a flat block, you can use the 21 delta technique, indeed, you can size the fatigue crack very 22 well, but it may be additional support for the argument that, 23 yes, you did see the tip at the deepest spot of indication, 24 not necessarily from somewhere in the middle. 25

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Are- 261-1902 • Balt. & Annap. 269-6236

	MR. O'TOOLE: This is a meritorious	R&D program
2	that should be done. The problem I have with	that is that
3	using the best techniques we've got, we sized	the indication
4	and we say it's within code allowable.	

Now, I don't know whether this would be a separate program, or whether you are looking to that to justify what we've given you. I don't know if anybody else has done this to justify an indication in a reactor vessel. I don't know, maybe they have, but the question in my mind is, is this a generic question that we'd all like to know the answer to, or is it something that we need to know to get on with this one.

MR. CHENG: I feel this is in support of your argument. You are asking staff to accept the size you come up with based on the delta technique.

¹⁵ MR. O'TOOLE: There's a lot of merit in that argument, ¹⁶ but I think still my argument holds that we used techniques ¹⁷ probably state of the art techniques that many others haven't ¹⁸ even used in justifying indications that they had on vessels ¹⁹ that were acceptable or unacceptable, I don't know which, but ²⁰ they used state of the art type of thing. We did beyond that.

21 And I guess the question is, do we move the state of 22 the art even further? Do any of you gentlemen have any thought 23 on that?

24 MR. CHENG: Let me comment on that. One of the rea-25 sons we are asking so many questions about this, you just

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

mentioned this. You are using the non-code technique, the 1 2 state of the art technique, based on the Section 11 code ob-3 viously is not acceptable. When you try to use this non-code 4 procedure to justify is within the code allowable, and there is nothing wrong with that. Obviously, you know that I will 5 do that, I will try to consider how people are going to accept 6 7 this non-code procedure, and one way to do it, what I would 8 consider a prudent way to do it is to do a couple of similar 9 techniques to support. Although this is a non-code procedure, however, we have looked on this technique, looked on this 10 angle, and this should all support this number. We didn't 11 accept the number, otherwise, you only come in with one tech-12 nique and say, this is the number and it is within the code 13 allowable, so everything is okay. I can see that we would 14 have some difficulty for people to accept this kind of argu-15 ment. 16

MR. O'TOOLE: It's hard to argue with 100 percent 17 assurety. You know, I think that there are two things that 18 can happen, I guess, if you look at fatigue cracks in a block 19 you can prove that, indeed, we can detect them adequately with 20 our method, and that what we are seeing is what we are seeing, 21 and maybe it is a fatigue crack that we have that is .24. 22 The answer then is still acceptable under the code and we should 23 go. 24

25

I guess the only answer that you are suspecting might

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	come out is that there's some fraction or whatever effect that
2	might take place in a fatigue type crack that would give you
3	an underestimate by the methods that we're using. Is that the
4	concern, that we are underestimating what we have?
5	And I kind of thought that all that we've done has

6 exhausted all of the known methods of determining whether we're 7 underestimating or overestimating, and we've determined we've 8 overestimated by factors of 7. And it's kind of hard for me 9 to see how we've got to yo back down and do this fundamental 10 work.

MR. FOX: The only thing I'd like to say is that most of -- or all of the work that has been done has been on -- most of the work that has been done has been done on plane reflectors that have been put in there, which are supposed to be simulating the worst case event in the vessel.

In the event -- you can always -- I think that the 16 results off of the T-crack study may be conclusive or non-17 conclusive because if you -- let's hypothesize that it didn't 18 work, which the literature doesn't support that that will be 19 the answer, but let's say it didn't, then could you categorically 20 say then that if it didn't work, that what you have in the 21 reactor vessel is not a crack since it does behave like the 22 notches in the mockup? That is obviously a tangent that could 23 be -- an approach that could be taken. So I don't know that 24 the results of that would be conclusive. 25

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

I think what has been embarked on here is a reasonable program within the time constraints and with the size of
the program, to prove that the technique has merit and is, if
you will, conservative. And the rest of it we have to essentially rely on what is state of the art literature says
defraction information tells you, and that information is
fairly common, fairly public domain, and is being used.

8 MR. O'TOOLE: I guess the concern I also have is the 9 geometric concern. You know, we found that geometry has an awful lot to do with the results we're getting in here. We 10 are talking about two blocks that, according to Don's descrip-11 tion, don't even simulate their thickness. They are flat 12 and there are cracks in them that I don't know whether they 13 are fully characterized and actually known, but maybe they 14 are, but when you get that result, you know what you do with 15 it. That's what concerned me more than anything. 16

17 MR. ADAMONIS: They were designed to do work from the inside, looking at reflectors essentially within the inner 18 core or the T. There are some reflectors at what you would 19 call a half-T, but they are in the inner core of the T. 20 I don't even know what the condition of the outside surface is. 21 MR. JOHNSTON: My only concern in listening to this 22 conversation is that it didn't take place about three or four 23 weeks ago when we first asked that you make these kinds of 24

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

measurements.

25

	What we got back at that time was a lot of "We don't
2	know what you're talking about, never heard of it, we don't
3	think there are any such samples", and so forth. I would have
4	liked to have had this kind or this quality of discussion back
5	then instead of the quality that we had.
6	I think we could talk techniquely about this kind of
7	thing. It's a little bit late now.
8	MR. O'TOOLE: There was a conversation on the tele-
9	phone, Bill. I wasn't part of this, but on that question, and
10	MR. DOMEY: It was a conference call we had with
11	George and Bob and myself.
12	MR. O'TOOLE: But I don't know what the they
13	talked about that question, and I think we reacted consistent
14	with our reaction today, at that time, at least that was our
15	intention.
16	MR. CHENG: No, no. The conference call was to try
17	to clarify the question. I remember we talked two or three
18	times in a conference call. You people came back saying we
19	don't understand the question, what do you want, and we explained
20	what we wanted. We never came to the discussion we are
21	talking about here.
22	MR. O'TOOLE: This couldn't come out. We didn't
23	have that information at that time. We have all been working
24	on this thing full-time, trying to get it resolved. When this
25	information came out, I don't think that's an applicable

in my judgment, I don't think taking those blocks and doing anything with them is going to shed any light on this problem. I think it's going to confuse us more than help us. That's my judgment. Now, it's one more bit of data that maybe we will all learn something from, but I'm not sure it will focus on what we are trying to get at here.

7 MR. JOHNSTON: Well, I guess what I'm trying to say 8 is that I think you have raised some legitimate technical 9 questions. I think we have some legitimate technical comebacks 10 that I think we would like to have with you, and I would have 11 liked to have this quality of conversation sooner so that we 12 could, if we decided to do it, be able to do it and have the 13 information available to help us make our decision.

There's always a risk on getting more information on any subject. You might an answer you like or you might get an answer you don't like, that's quite true, that's a risk, and that's something to negotiate.

It's a little bit late now for us to be doing much 18 negotiation with you in terms of helping us to get the plant 19 started up right now. I don't think we can get the data informa-20 tion in a short time period. I think we probably could have 21 gotten some of this possibly, if we'd agreed to do it, we 22 probably could have had some indications as to whether this 23 technique can see the cracks or not. If you'd done it sooner, 24 25 I think we think it would have been helpful to us to have had

> FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1 that kind of information, to be able to say, if it came out 2 that way, that we could answer people's concerns that the 3 artificial notches are one thing and real things are something 4 else, and how do you make the bridge, how do you bridge the 5 gap, and if there was any way to do it, I would have like to have had that information available. Apparently the communi-6 7 cation process, it seems like it takes us a long time to find 8 out what we are trying to get.

MR. O'TOOLE: Once the question came in, we addressed
it just like we addressed all the rest of them. We had people
working on the problem. What we determined was that it was
not feasible within any reasonable time frame, within the
outage time frame, to take a nozzle drop-out type of block,
with the curvature of the vessel, and put a real crack in it.
MR. JOHNSTON: We didn't ask for that.

MR. O'TOOLE: We determined that. We spent some time determining that because that, in our minds, would have been a technical confirmation that would have been very useful for this, an outside diameter crack on a curved block 9 inches thick. We looked at that. That, in our mind, would be a valid thing to do, if you had the time and money to do it.

Then this other question of are there any blocks with cracks in them came up, and it took time to determine that. So, I'm sorry if we didn't respond.

25

MR. DURR: On your .26 dimension, does that include

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	arrar? Or if I apply your array hand
2	error: Of it i apply your error band, does that get bigger?
•	MR. ADAMONIS: It includes the first standard devia-
3	tion, one standard deviation of the exaggeration factor. The
4	.24 from the delta does not include any error band because
5	there has not been one statistically developed for it.
6	MR. CHENG: Are you sure that's the correct answer
7	because I asked that same question earlier. I thought that
8	you indicated you did not include it in the error band over
9	there at .26 inch.
10	MR. FOX: Let me clarify that. The .26 number was
11	determined from the mean of the exaggeration factor and depth,
12	the amplitude. The .24 was determined from the mean or is
13	not a mean because we didn't use a statistical number, but
14	essentially the model that was used for the delta so, therefore,
15	it does not consider the uncertainty.
16	The .18 came from the best approximation of what we
17	could get off of the delta differential technique.
18	MR. HUM: There's still one outstanding question on
19	question number 4, about the evaluation of data. It says that
20	we requested that you reassess the relevant and non-relevant
21	indications because you wanted to get some confidence that
22	there were no indications, relevant and non-relevant indications
23	because the staff wanted to get some confidence that there were
24	no flat line indications in the relevant and non-relevant
25	indications.

x

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

I'm not sure that response really addressed that
subject in the sense that it does define certain laminar type
reflectors and certain spot type reflectors which I think
staff understands. The other one, at least the development
ones, indicated that they were acceptable in the code.

I still would like to know whether in your interpretation of the data, when you re-evaluated, whether these
other reflector lenses, whether there were any cracks.

MR. ADAMONIS: When we went back through the report,
Martin, we went through the entire report, reviewed all the
information that was presented, including the 49 indications
that are noted in your report.

Of that 49, 29 were mid-plate laminations; 5 had -- no, 29 were either mid-plate laminations or spot, essentially no measurable length amplitude dropped off as soon as you moved off the indication; 5 we found in nozzle-toshell welds; 5 were reflectors in nozzle-to-shell welds; and there were 15 indications that were left.

We went back through, checked all of our calculations. In all cases, these were indication reflectors that were found in one direction all very small, most of them well within the acceptance criteria. Nothing -- number one, nothing that was suggestive of a condition that we're looking at here, nothing associated with the outside of the vessel, at or near the outside of the vessel, and nothing that was of any great

> FREE STATE REPORTING INC. Court Reporting + Depositions D.C. Area 261-1902 + Balt. & Annap. 269-6236

100 A	
1	concern in that 15 indications for a vessel examination of
2	that scope is not unusual.
3	MR. HUM: I recognize that. I just wanted to make
4	sure that there were no other evidences of cracking in any
5	of these indications from your reassessment of the data.
6	MR. ADAMONIS: Our review of all the data doesn't
7	indicate that there is anything in there that would suggest
8	a crack.
9	MR. VARGA: Well, I sense a kind of a winding down
10	at least on the frequency and intensity of the questions, so
11	perhaps it might be a good time now for us to caucus and then
12	reflect upon what you have presented to us, and then get back
13	with you in like maybe 15 or 20 minutes.
14	Anybody have anything that they would like to say
15	or add or ask before we break?
16	MR. GIESKE: I have one question. As far as Table
17	III is concerned, you have exaggeration of depth and length
18	versus receiver gain. Would you be able to tell me which one
19	of those gains correspond in Table 1?
20	MR. ADAMONIS: 20dB, it's from receiver gain 20 dB.
21	MR. ELLIOT: I have one question, a regulatory
22	question. Information was given here on the fracture mechanics
23	and a probability study. Do we get that information?
24	MR. VARGA: We will discuss that at the end, as to
25	copies.

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1 MR. ELLIOT: Could we also include the table that 2 describes the headings on the probability study? Is that 3 included? 4 MR. BAMFORD: I put that in. Even though I didn't 5 show that as a handout, I put that in with the handout figures. 6 MR. VARGA: Okay. Well, you can all stay here for 7 a while, and we will go up to Bill Johnston's -- or 412, if 8 it's open. 9 (Whereupon, the panel left the room to caucus.) 10 MR. VARGA: Well, first, we want to thank you all 11 for coming, it was rather short notice, and for the depth of the presentation. And based upon what we heard and the 12 13

documentation of three pieces of information that were dis-14 cussed here in the meeting, first, we would like to have documented that fracture mechanics discussion, including the proba-15 bility analysis that we heard today; second, that delta informa-16 tion that Don was presenting here as a result of that misun-17 derstanding, or pernaps misconception of that question 1, the 18 data; third, we would like to have on the record whatever eval-19 uation you used to locate the flaw. You discussed what in-20 formation you used to locate your best estimate of where that 21 flaw is. We would like to have that on the record. 22

Based on that and what we have done so far with the
information that you submitted to us on the 25th of September
and which has in it, I would guess, concluding stages of review

FREE STATE REPORTING INC. Court Reporting + Depositions D.C. Area 261-1902 + Balt. & Annap. 269-6236

1 but not yet finished, and our evaluation of what you have 2 said today, it appears that we are coming out to something 3 like this, that we will find it acceptable probably for 4 restart, however, there will probably be some additional re-5 quirement other than the standard ISI inspection interval for 6 additional inspections of the reactor pressure vessel, the 7 exact timing or the frequency of that we have not yet con-8 cluded.

Q Now, as far as when we will finish our evaluation, 10 I can assure you that everyone is working diligently and extra 11 hours on that evaluation. We had expected to get that somewhat earlier. We recognize the constraints and the resource 12 13 that you all have put on it, but we had expected to get it a 14 few weeks earlier. Consequently, our time is somewhat impacted, but we can assure you that we are going to do every-15 16 thing we can to complete that.

I would, at this point, not want to put a date on 17 18 it, but as rapidly as we can, we are going to conclude that, but I would like to get your submittal of the three pieces 19 of information that we requested as soon as possible. 20 Bill, do you have any comments? 21 MR. JOHNSTON: No. 22 MR. VARGA: John? 23 MR. O'TOOLE: Well, I'd just like to thank you for 24

25 Your prompt response. I think that your conclusions are

1 reasonable. I see no problem. I don't see anybody else 2 wringing their hands here. It appears like the ISI, addi-3 tional ISI, while I understand that approach, I think that's 4 something we ought to have a little bit of interchange on, 5 if you would permit us to. I think, not here, but along the way I think we ought to talk about that because I do think 6 7 that it's over and beyond code, and obviously we do have a 8 feeling that if you accept our evaluation as being acceptable 9 under the code, and you propose to give us additional inspec-10 tion beyond the code, we'd like to participate with you in the rationale for that because we'd all like to know why 11 we're doing it. 12

MR. VARGA: Without speaking for the staff, but 13 14 speaking more as a knowledgeable layman, if I may say, it appears to me that based upon the weight of the evidence and 15 looking at it with some expertise, based upon the weight 16 of the evidence, I think that it's highly unlikely that a 17 reasonable regulator will find acceptable the -- your evalua-18 tion of the crack depth and the crack length. 'That's my 19 impression, that the likel nood of us finding it acceptable 20 within code is unlikely. 21

MR. O'TOOLE: That's the missing link that I didn't
have. Anybody else got anything here on our side? Charlie?
MR. JACKSON: I have one clarification on schedule
and where we are with the outage. We are now at about 170

1000	
1	degrees in rapid cooling system, and around 400 pounds of
2	pressure, and we are estimating a couple more shifts of test-
3	ing work before we are able or ready to proceed. We are going
4	out of cold shutdown to our hydrostatic tests on the rapid
5	cooling system.
6	I don't mean to put words in your mouth, but if I
7	interpret your position of your budget management, that it is
8	acceptable for us to proceed with that testing phase of the
9	outage.
10	MR. VARGA: Well, is there anything in the tech
11	spec that would prohibit you from proceeding to some point
12	beyond cold shutdown?
13	MR. JACKSON: Not anything that I'm aware of other
14	than you know, we have certain prerequisite tests that we
15	must pass, which is the work that we are concluding right now.
16	MR. VARGA: But all of it within a Mode 5 or Mode 6?
17	MR. JACKSON: Yes. We would be proceeding our
18	next step would be to proceed out of cold shutdown to the
19	approximately 340 degree temperature
20	MR. VARGA: On-pump heat?
21	MR. JACKSON: On-pump heat, all sub-critical, and
22	we would be several days of additional testing before we could
23	clear our next position, which is 350 degrees.
24	MR. VARGA: What psi would you be at?
25	MR. JACKSON: For the hydrostatic test, we go up to
	FREE STATE REPORTING INC.

ŧ

Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1 approximately operating just over --2 MR. VARGA: Well, that would be a problem, my guess 3 would be, and I'd have to rely upon some of the staff for 4 that. You're talking about going to operating pressure? 5 MR. JACKSON: Operating pressure for the integrity test. 6 7 MR. VARGA: Well, I couldn't give you a definitive 8 answer at this point. My suggestion would be to inform us 9 of what your plans are, send us a letter as quickly as you 10 can about where your steps are and what the dates are that you plan to get up to those steps, but you must recognize 11 12 that this is a very sensitive area that we're in. Consequently, any stress on the reactor vessel, no matter how in-13 14 significant it may appear, will require some evaluation from us simply because we requested that before you start up we 15 approve it. 16 Now, startup has a definition that is interpretable. 17 My interpretation would be, I think, that you could go to some 18 19 pump heat, to some pressure, some fraction of operating pressure. Perhaps the technical staff would have a perception 20 that it might be acceptable, but that I would have to document. 21 MR. O'TOOLE: Charlie, you are within a day --22 MR. JACKSON: Our current estimate -- of course, 23 that depends upon additional test results, but we are within 24 about two shifts of current estimate before we're ready to come 25

94

1	out of the cold shutdown.
2	MR. JOHNSTON: The stress on the vessel on those
3	conditions is real small in fracture mechanics.
4	MR. ELLIOT: You are going over 310 degrees
5	Fahrenheit on your hydro test?
6	MR. JACKSON: We have to. It would give us a
7	window in our tech specs, which is just between 340 and 350.
8	MR. VARGA: It's a technical question. Except for
9	our letter which we had sent, it said that NRC approval is
10	required before startup. It is our interpretation of what
11	we mean by startup.
12	MR. JOHNSTON: We should have a consistent. It's
13	not any different for this reactor than any other one.
14	MR. CHENG: I think your approach, you probably
15	might want to have them come in with this schedule, when you
16	are going to do, when you are going to reach what kind of
17	pressure?
18	MR. VARGA: I would telecopy something in tomorrow,
19	or at least in the next week
20	MR. JACKSON: Why I'm asking the question was that
21	we had proceeded to a phase of documenting our commitment that
22	we would not proceed without concurrence of your staff, and
23	I don't want to do that if there are any misunderstandings
24	on what that means.
25	MR. VARGA: I appreciate the cooperation and the
	FREE STATE REPORTING INC.

-

and the second second

÷

1

95

Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

	96
1	sensitivity. I think that is well placed, and we will try to
2	respond in kind.
3	MR. JACKSON: But we are close.
4	MR. VARGA: Anything else anyone would like?
5	MR. HAZELTON: When would you expect to go critical?
6	MR. ADAMONIS: Approximately a week. I'm giving you
7	an approximate it could be sooner. We are proceeding in
8	stages cold shutdown, 200 degrees retrocooling system,
9	up to zero, our next full point is when we've administratively
10	put on with an agreement of staff, at 350 degrees, where we
11	must do another series of tests to verify all the remaining
12	safeguards equipment are operable, which includes a consider-
13	able amount of closer maintenance testing, some of which you
14	can't do until you have the indications on temperature and
15	pressure.
16	The next stage would be to move to the heat up
17	to the hot shutdown condition wherein we will hold for a
18	series of tests such as the control rods, we have to do at-
19	temperature tests, then we would go critical, and we would
20	stay at low power for approximately three to four days for
21	physics testing before we begin our power escalation, so the
22	if in there is the time for testing and if there is any leak-
23	age that is unacceptable we find during this testing, of
24	course, we stop and go tighten up.
25	MR. VARGA: In your letter, why don't you just list
	FREE STATE REPORTING INC.
	Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

	97
1	chronologically all the things you are going to be doing and
2	the reactor vessel conditions up to criticality.
3	MR. SPRING: This has been given to the project
4	manager over the phone, by the way, in detail.
5	MR. VARGA: Well, put it in a letter and then
6	MR. JOHNSTON: Steve, there s a tech spec definition
7	that determines when the startup is.
8	MR. VARGA: Right, except that this has a pressure
9	vessel with an indication in it. And you're right, and all
10	I need is for the technical staff to say there is no problem
11	up to this point, and then I have no problem.
12	MR. JOHNSTON: Well, we'll do that officially in a
13	few minutes.
14	MR. VARGA: Very good. Thank you all for coming
15	In.
16	(Whereupon, at 4:45 p.m., the meeting was adjourned.)
17	
18	
19	
20	
21	
22	
23	
24	
20	
	FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236

1	CERTIFICATE OF PROCEEDINGS
2	This is to certify that the attached
3	proceedings,
4	IN THE MATTER OF:
5	
6	INDIAN POINT 2
7	
8	DATE: OCTOBER 3, 1984
9	PLACE: BETHESDA, MARYLAND
10	were held as herein appears and that this is the original
11	transcript for the files of the Commission.
12	
13	
14	
15	
16	
17	REPORTER: PHYLLIS YOUNG
18	SIGNED: Whillin James
19	TRANSCRIBER: NEAL R. GROSS
20	SIGNED: Neal R Group
21	
22	
23	
24	
25	
	FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annap. 269-6236