1	INTTED STATES OF AMERICA
2	NUCLEAR RECULATORY CONVECTOR
	NUCLEAR REGULATORY COMMISSION
	IN THE MATTER OF:
5	TMI-2 LEAKAGE RATE MEETING
6	
1	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	LOCATION, PERUPERA MO
20	DATE: 20 CEDTEMPER 1924
21	DATE: 20 SEPTEMBER 1984
22	
23	
24	
. 25	DATEA TIME
	FREE STATE REPORTING INC.
611.10	D.C. Areo 261-1902 • Bait. & Annop. 269-6236
841017	THEED

,

.

1

UNITED STATES OF AMERICA

1

.

1

2

3

4

5

6

7

8

9

10

25

84-147-

NUCLEAR REGULATORY COMMISSION

TMI-2 LEAKAGE RATE MEETING

NUCLEAR REGULATORY COMMISSION

ROOM P-114 7920 NORFOLK AVENUE BETHESDA, MD

1	The Panel met, pursuant to Notice at 10:00 am.
2	NRC STAFF MEMBERS PRESENT:
3 4 5 6	JIM VAN VLIET, NRC BOB CAPRA, NRC DON KIRKPATRICK, I & E LOIS FINKELSTEIN, ELD BILL RUSSELL, NRC JIN CHUNG, I & E PETE CONNOLLY, NRC
7	UTILITY REPRESENTATIVES:
8 9 0	NOMAN COLE, MPR PAUL DAMERELL, MPR ROBERT WINTER, KF&C EDWIN STIER, ESQ., KF&C DWIGHT HARRISON, MPR JACK WETMORE, GPU NUCLEAR DAVID TAYLOR, TAYLOR & ASSOC. FRED DEVESA, KF&C
1 2 3	OTHER INTERESTED PARTIES: JOANNE DOROSHOW, TMI ALERT
4	

FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Bals. & Annap. 269-6236

1	Present at the meeting:
2	For the Commission:
3	Jim Van Vliet,
4	Bill Russell,
5	Bob Capra,
6	Jin Chung, IEE
7	Don Kirkpatrick, I and E
8	Pete Connolly, NRC
9	Lois Finkelstein, ELD
10	
11	Noman Colo
12	MPR Dwight H. Harrison
13	MPR Paul Damerell.
14	MPR Jack Wetmore.
15	GPU Nuclear
16	David E. Taylor.
17	Taylor Associates Robert Winter
18	KF and C Fred DeVesa.
19	KF and C Edwin Stier, Esquire,
20	KF and C
21	Other Interested Parties:
22	Joanne Doroshow, TMI Alert
23	Jon Sevransty, UCS
24	
25	
	(202) 234-4433 NEAL P

.

*

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

 \Box

2

.

1	P-R-O-C-E-E-D-I-N-G-S
2	MR. VAN VLIET: Good morning. My name is
3	Jim Van Vliet. I'm the NRC project manager for TMI 1.
4	The purpose of this morning's neeting is to provide
5	GPU Nuclear an opportunity to present certain of the
6	technical aspects of their review of the TMI 2 leak
7	rate pattern.
8	We have with us this morning people from the
9	region who are familiar with the current status of the
10	leak rate proceedings and much of the past activity.
11	We don't anticipate providing you with specific
12	comments today and certainly before we provide any
13	comments at all on what you present to us we'll want
14	to encompass.
15	I think that's all I have to say. With
16	that, I'll turn it over to the licensee.
17	MR. STIER: Let me speak, since
18	Pardon?
19	MR. VAN VLIET: You're going to have to move
20	to the microphone.
21	MR. STIER: Okay.
22	Let me respond. As I've previously stated,
23	my name is Edwin Stier. I'm an attorney with the firm
24	of Kirsten, Friedman and Cherin. I'm the one who's
25	responsible for the meeting, although it was arranged
	(202) 234-4433 NEAL R. GROSS

÷

3

.

COURT REPORTERS AND TRANSCRIBERS

1	through the licensee. The licensee acted as an
2	intermediary to arrange for the meeting which was at
3	my request and the licensee, GPU Nuclear, is not going
4	to participate in this discussion.
5	Jack Wetmore of GPU Nuclear is present here,
6	but his role is strictly that of an observer.
7	I have been retained to conduct an
8	independent investigation of leak rate testing at TMI
9	Unit 2. I was retained by GPU Nuclear.
10	We began our preliminary work in March of
11	1984 to collect whatever data was available in
12	preparation for an active investigation. During the
13	course of reviewing what had been collected up to that
14	point, we learned that MPR, a Washington engineering
15	firm, had done a considerable amount of work. They
16	had been retained by a New York law firm which was
17	which had been representing GPU Nuclear in connection
18	with a criminal litigation in the middle district of
19	Pennsylvania concerning the leak rate testing at TMI
20	2.
21	We did some independent checking of our own
22	on MPR. We looked at the work product that had been
23	produced by them up to that point and we made our own
24	judgment that MPR was an independent, reputable,
25	responsible engineering firm and decided to retain
1	

4

.

(202) 234-4433

1 them to continue their work since they were no longer 2 working for the firm that had been representing GPU, 3 continue the work that they had started so that we 4 could review it and use it to the extent that we found 5 it appropriate in connection with our investigation.

6 Since that time MPR has performed a number 7 of additional efforts at our request at refining the 8 work that they had been doing before we began our 9 investigation. They have received data from Unit 2, 10 from GPU Nuclear, from the Department of Justice, the 11 NRC and we've supplied them with additional material 12 for them to review and analyze.

MPR has conducted no interviews and the findings that they've reached up to this point, we consider to be preliminary in nature.

16 At this stage, we have not made our own judgment. That is my staff and I have not made our 17 own judgment about the extent to which their work will 18 19 be incorporated into our final report. Our report will be based not only on technical analysis done by 20 21 MPR, but analysis done by other sources that we determined appropriate in interviews, record reviews, 22 that we will do ourselves. 23

24 We have found that MPR's work has appeared 25 to us to have been complete and thorough and we feit

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 that it was appropriate for reasons that I will 2 indicate in just a moment. We felt that it was 3 appropriate to request or suggest to the NRC that this 4 meeting should take place so that MPR could present 5 its information, the results of its analysis for your 6 consideration. 6

7 The reason that I have made the request is 8 because the NRC OI presently with -- in conjunction 9 with NRR is continuing its investigation of leak rate 10 testing at TMI 2. As an important element in that 11 investigation, it is going to be necessary for NRC 12 representatives to consider plant data.

13 I think it would be beneficial to the NRC to 14 hear the results of an analysis of that data performed 15 by MPR. I think that in making your final judgments, 16 the more information you get, the more points of view 17 you receive, the better the product is going to be and 18 ultimately I think we're all interested in the NRC 19 coming up with a report that is as thorough, complete 20 and enlightened as possible.

I would hope that as we progress and as we come up with additional information that we think is relevant to this investigation, we can forward it to the NRC for your consideration.

The areas that MPR is going to be discussing

(202) 234-4433

25

1 this morning have to do with their analysis of leakage 2 at TMI 2 based on their review of certain information 3 such as sump starts and strip chart analysis and their 4 review of data relating to allegations that they're 5 aware of, of hydrogen or water additions to the makeup 6 tank which may have had an effect on the results of 7 leak rate testing.

8 If anybody has any questions for me at this 9 point, I'll be happy to respond. Otherwise, I'd like 10 to turn the meeting over to representatives of MPR so 11 that they can make their presentation.

MR. VAN VLIET: I would like to just say one 12 thing and that is that we appreciate meeting with 13 people like this so that we can understand as much 14 about a topic as possible. But everyone must always 15 keep in mind the board notif cation responsibilities 16 in this case in particular and I don't think that a 17 meeting like this absolves anybody from the 18 requirement to keep the boards and the commission 19 advised. 20

In this particular case, I will take the transcript and the attendance list and any handouts and I will make a board notification to the commission at this meeting. But, in the future, each party has certain responsibilities that they have to live up to.

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

MR. STIER: Norman?

1

.

.

8

.

1

2	MR. COLE: My name is Norman Cole. I am with
3	MPR Associates and what I think I'd like first to do
4	is run down through the agenda that we plan to cover
5	today and I will then pass that out so that you know
6	where we're coming from and the topics we will be
7	covering.
8	I don't know if you can all see that because
9	it's so close, if we could maybe move this out of the
10	way because the people in the back of the room will
11	not be able to see that.
12	MR. VAN VLIET: Let's see. Do you have
13	handouts?
14	MR. COLE: I only have handouts for the
15	outline. The rest of the things are on view graphs
16	you will not be able to see.
17	In all honesty, if I could sit that right
18	back and scoot it back, I think it would be better.
19	MR. VAN VLIET: Why don't you just take it
20	off the stand.
21	MR. COLE: Right. That's what I'm talking
22	about here.
23	MR. VAN VLIET: Off the record.
24	(Off the record.)
25	MR. COLE: On the record.

(202) 234-4433

[]

The topics that we plan to cover today in 1 2 our discussion and presentation, in our dealings with going over and trying to determine what were the 3 actual leak rates, we ended up finding it very 4 important to define what are the terms and terminology 5 used under the various leakages or determine for the 6 reg guides, a review of the history of the leakage 7 requirements, in particular, the temperature for the 8 unidentified leakage. 9

The next area on specific issues that we 10 11 will cover are the RCIB tests. Then we would like to discuss the actual TMI 2 leakage and we'll do it by 12 several different methods. Basically, one method is 13 by the sump collection method. There are alternate 14 methods and we use the term, "the slope and water 15 addition method." 16

17 Then we would like to review the time 18 periods from this analysis that show that there were potential time periods of high and normal unidentified 19 20 leakage.

The other -- some other related issues 21 concerning this will be the makeup tank level 22 23 instrumentation that we will discuss. And finally, we will discuss the allegations of water and hydrogen 24 additions and then we will try to wrap up and have any 25

(202) 234-4433 NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1	questions or other things we could be of help to you
2	on in understanding how we did this analysis.
3	I would like to make a comment in regard to
4	our work. We did not base any of our work on
5	interviews or any of that type or hearsay by what
6	operators thought they did or may have thought. It's
7	solely on what we could dig out from the hard factual
8	records at the plant and so that is where we're coming
9	from.
10	So, what people have said or interviews, we
11	took no account of that. We only went back, what we
12	could find on the record, and traced back to technical
13	data and various documents.
14	Here's an outline of what we will be
15	covering today. One of the first things when we got
16	into this analysis of what the leak rates were one
17	of the first things obviously you do, is say, what are
18	the requirements and we went first to do the TMI tech
19	spec and I will leave you all a version of this
20	because we have not found a nice easy way to present
21	it, but it was trying to get some of the working level
22	information out. We thought, hey, we'll take this
23	with us and read at least a summary portion of it
24	because this was critical to our understanding and our
25	analysis of the terms we ended up using.

• 5 ... •

.

10

(202) 234-4433

When we went to the TMI tech spec, one of 1 the first things in the basis under the leak rate 2 requirements was that it referred us back to the reg 3 guides, 1.45. In the text of the TMI tech spec, it 4 did have limiting conditions for operation and it did 5 set a limit for identified leakage of 10 gpm. It did 6 not set a surveillance requirement for that. 7 The one gpm leakage rate unidentified, we 8 assume based on the meeting the reg guide which was 9 referred to, we could monitor the sump. For the term 10 "intersystem leakage," there was no definition in the 11 TMI tech spec which, in there, concerning that, 12 however, it did require -- the surveillance required 13 an inventory balance test every 72 hours. 14

11

After reading this, we said we better go 15 back and read what the regulatory guidance that was 16 17 provided by the NRC. The way this chart -- and you 18 all have other times to digest this thing -- is set up where the first top line concerns comments regarding 19 identified leakage. The second column or line across 20 refers to matters dealing with unidentified and the 21 22 third line across regards intersystem leakage and the bottom is basically a series of notes. 23

I know you will have -- may have some trouble. Your eyes aren't this good. I wish we all

(202) 234-4433

1 were. But, I will try to encap -- try to -- so when 2 you get this and have a chance to read it in more 3 detail, you will at least understand where we are 4 coming from on the thing. You'll have a chance to read this in more leisure. 5 6 Identified leakage, basically, as set up by 7 the reg guide, is that which is hard piped to tanks 8 and to sumps where you can actually measure and 9 quantify. Basically, this is for various pumps, valve 10 seals, and things of that nature and the reg guide 11 indicates that septical methods are usually -- pipes 12 -- it's leakage that is piped to tanks or pools where 13 -- and therefore you can call it the identified leakage. That's the nominal definition. 14 15 Unidentified leakage they talk about is the 16 moisture removed from the atmosphere of the 17 containment. Any other leaks to containment are to be known as unidentified leaks and should be collected in 18 19 tanks. 20 They indicate that the preferred way of 21 monitoring unidentified leaks is by the sump. The 22 punch line of both of these is that by -- there are 23 discussions on how you prescribe to monitoring. The pool implies that you're measuring this type of 24 25 leakage at room temperature. By necessity, if you're

12

(202) 234-4433

1	measuring in a sump, it has to be at room temperature.
2	That's the only way you can measure that type of
3	thing.
4	In for a thing called intersystem leakage
5	which is between passive barriers and other valves
6	such as cross steam generator or JD renewal system, for
7	example, the title of that type of leakage,
8	intersystem and the prescribed way to measure that is
9	an inventory balance test.
10	One of the things which we obviously noted
11	right of the bat when we started making this
12	comparison, there was no requirement for intersystem
13	leakage at TMI. We went through the reactive the
14	next thing, we said hey, listen, began to follow this
15	thing up and try to understand where the rates are
16	headed.
17	We then left it in the standard review plan.
18	The standard review plan was very consistent and for
19	all three of these terminologies going on across as
20	far as what identified leakage was, unidentified, and
21	what intersystem leakage. And the prescribed methods
22	clearly prescribed was, as far as the identified, was
23	still fight to tanks. As far as the unidentified
24	leakage, it's still leakage for the containment
25	atmosphere, and it is one of the required methods. It

.

13

(202) 234-4433

	엄마는 김 것은 같은 것을 가지 않는 것 같은 것을 가지 않는 것을 하는 것을 하는 것을 가지 않는 것을 했다. 것
1	had to be the sump level and it had to be modern.
2	As far as the intersystem leakage, the
3	prescribed manner by the NRC was that we use a
4	inventory balance test. We still tried to follow on
5	down through the path and look at the standards and
6	the specs, and the 10 standard text specs, which
7	obviously was where the TMI must have been where
8	the TMI text specs were provided.
9	It originated from, it didn't exactly follow
10	what the rate guys and the basis for which the basis
11	station told us to follow through on. For example,
12	the identified leakage, there was no surveilance
13	requirements. There was no intersystem leakage
14	requirements.
15	Yet, in a way there was, because we looked
16	over here and we can find an inventory balance test.
17	And the only thing we can see that was prescribed for
18	an inventory balance test was intersystem leakage. We
19	could see that the words, as far as unidentified
20	leakage, pretty much tracked what the regulatory
21	history had been up until this time.
22	However, the definitions in the words, some
23	of the definitions in the standard text spec didn't
24	quite jibe with the various other guidance the NRC had
25	put out in the past. We then said hey, let's look
	(000) 004 4400
	NEAL D COOCC

. .

.

.

14

COURT REPORTERS AND TRANSCRIBERS

1	what has happened forward to that time.
2	We then looked at the standard review plan
3	of 1981, and basically, it was still consistent with
4	the guidance that had been back passed, you know, from
5	the 1975, 1983 time period. It was still consistent.
6	It still, unidentified leakage was to be monitored by
7	the sub. Intersystem leakage was to be monitored by
8	the inventory balance test.
9	Then we went to the Instrument Society of
10	American standard, which was published in 1982. And
11	the NRC was eminently involved, and this document and
12	this document, I think, is obviously with express.
13	It's better written. But as far as we can tell, it is
14	clearly very consistent with what the standard review
15	plans and the reg guide, 1.45 put out some years ago.
16	And in this case, they clearly spell out
17	that all leakages have to be at room temperature.
18	Here again, they still define the three types of
19	leakages; unidentified, which is collected by a piping
20	system to tanks, unidentified, which is principally
21	monitored by to the sump of the containment welding.
22	Intersystem leakage is still prescribed by an
23	inventory balance test.
24	So this was the basis of we said hey,
25	knowing this is the regulatory history, we will make
	(202) 234-4433 NEAL R. GROSS

* +

15

. .

COURT

COURT REPORTERS AND TRANSCRIBERS

1 our analysis on that brsis. This does not mean, I 2 don't mean to prescribe the TMI -- followed exactly 3 like this. But I'm trying to make sure we all 4 understand how we did our analysis, and make sure 5 you'll understand what our terms meant.

. .

6 On the reg guide, we concluded there were 7 for the total reactor coolant system leakage, it was 8 made up of three parts; the identified reactor coolant 9 system leakage, unidentified reactor coolant system 10 leakage, and intersystem leakage.

The first thing was what is the reactor coolant system. We went to -- sorry this doesn't -we went to 10 CFR 50, section 50.2B for a definition of the reactor coolant system. And basically, that defines the reactor coolant system as we have laid out here basically as to the first isolation valve.

17 Some people, when you talk about reactor 18 coolant systems, tend to include a lot of other areas. 19 But we were trying to play it right by the book and go right by the definitions. And in all honesty, when we 20 21 played the definitions against what you've done in the 22 new regs and the standard review plans, both before 23 and after TMI and the Instrument Society of America, 24 they all seem to hang together.

As for where you measure these things, if I

(202) 234-4433

25

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 were to take the new regs -- I mean the reg guides -2 the unidentified leakage is to be basically measured
3 in the sump. The identified leakage is to be hard
4 piped. And in TMI it was known as the reactor coolant
5 drain tank.

6 For intersystem leakage, it would be across 7 such things as from the steam -- through the steam 8 generator tubes, through some isolation valves in the 9 decay heat system, another one down through the 10 letdown cooler heat exchanger. Another area would be 11 water that leaks out via the makeup tank.

12 So in running any analysis of what the 13 inventory balance test, we used the following 14 assessment. We said the total leakage would be 15 determined by an inventory balance test. The 16 identified leakage we obtained from measurements that 17 fed from the reactor collant drain tank. So that is 18 an input number to this inventory balance test.

Unidentified leakage, if you measured it from the reactor building sump, plus what you had measured of identified, you only had this number of the test run on the inventory balance test and that would leave you with one unknown, and that would give you intersystem leakage.

The one thing I would like to insure, that

(202) 234-4433

25

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	there's one little number, obviously a number
2	subtleties in a lot of this things. But the reg
3	guides basically prescribe that a couple ways you can
4	reclassify some of this work, the basic requirement is
5	to change leakage classifications from unidentified to
6	identified is if you know the specific location and
7	you can quantify the rate of that leak, and you know
8	that the source is not a flaw within the reactor
9	coolant system boundary; then
10	MS. DOROSHOW: What is that from?
11	MR. COLE: I beg your pardon?
12	MS. DOROSHOW: What is that from, that
13	little block?
14	MR. COLE: Oh, this is from the reg guides.
15	Allows you, say if the guy has a small
16	instrumently of sample life, and he's began to collect
17	water in the sump, you can go in and find it and you
18	can say that is no longer unidentified, that is and
19	now can be classified as identifiedly.
20	Another thing, with the unidentified leakage
21	as collected in the sump, if there are other systems
22	such as various cooling water systems that go into the
23	containment building, that may be a source of leak.
24	It would appear that it's from the reactor coolant
25	system. But if you can show that that is not part of

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 18

.

the reactor coolant system at all, say like a building 1 cooler or chiller, water, then you do not have to 2 3 classify, you can just take that out of the calculations all together, since it's clearly not, 4 5 while it's identified, it's not from the reactor 6 coolant system. I don't know if you all followed all of 7 that, but that is the way you can go and change some 8 of the classifications, because that will become 9 10 important later on when we discuss. MR. VAN VLIET: Let me check my algebra. 11 12 You have an inventory balance test on the right and the left? 13 MR. COLE: Right. No, I have an inventory 14 15 balance test. That gives me, feeds in the data and I get a number. 16 17 MR. VAN VLIET: Say if --18 MR. COLE: That's a total -- that gives me a total leakage. 19 20 MR. VAN VLIET: All right. 21 You subtract from that your drain tank 22 measurement and your sump measurement and that leaves 23 you with intersystem? 24 MR. COLE: Right, you got it. 25 The next thing, as far as the thing that we (202) 234-4433 NEAL R. GROSS

19

COURT REPORTERS AND TRANSCRIBERS

	승규는 승규는 승규는 사람이 집에 가지 않는 것을 하는 것을 하는 것을 가지 않는 것이 같아. 이 집에서 가지 않는 것을 하는 것이 같이 많이 없다. 것이 없는 것이 없는 것이 없는 것이 없는 것이 없다.
1	would like to mention to you again, is after reviewing
2	the history, the regulatory history, there was an
3	unidentified leakage, and our view is pure by
4	necessity from the way it says you're supposed to
5	measure it, it's supposed to be measured cold.
6	And it is finally confirmed, you know,
7	clearly unambiguously stated in the document which the
8	NRC has been eminently involved with of the Instrument
9	Society of America totally states leakage rates
10	expressed and volumetric units per unit of time at 20
11	degrees C and at atmospheric pressure, or STP.
12	So from a regulatory point of view, it was
13	our conclusion that the right way to handle the
14	inventory unidentified leakage was on the basis of
15	cold.
16	Another thing that some people have
17	indicated as well, TMI was uniquely different or
18	something, that it had to be hot. That argument dealt
19	with a critical crack size. And in the FSAR, they go
20	through the analysis of the critical crack size for
21	the cold leg pipe and a reactor vessel.
22	A critical crack size is eight and a half
23	inches long. With the pipe and the vessel, it's
24	almost 11. You run through the analysis of one gpm
25	hot, which at the FSAR, it was done at 557 degrees.

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 20

.

1	The critical crack size was one and a half inch and 1.
2	about one and five eighths.
3	And you can see that this crack size that
4	would give you a one gpm leak hot, was 17 percent of a
5	critical crack, or 15 percent of a critical crack in
6	the reactor vessel. And the reason you go through
7	this type of analysis is to insure that the leak
8	rates, you can continue to use the argument of leak
9	before break.
10	In other words, you've got plenty of margin
11	between the time you began to have a leak, it is your
12	limit, and when you would really be in some kind of
13	more serious trouble.
14	When you run through the numbers on a cold
15	basis, these numbers change something, and this one
16	changes about 190 mils. and this one's slightly over
17	200 mils. And the percent differences are between the
18	crack of a one gpm cold, and the critical crack size
19	still show a very large margin, the numbers change
20	very little.
21	So irrespective of which, you take one gpm
22	hot or cold, the overall conclusion regarding a one
23	gpm minute for unidentified leak with respect to the
24	crack size, critical crack size, remains uneffected.
25	So from the critical crack size and are we have an

21

(202) 234-4433

ŧ

1	adequate margin, it's sort of a no, never mind.
2	And we were interested to find that
3	basically that NRC had also come to that same
4	conclusion. There's an NRC letter report DeYoung to
5	Dircks of November 7th, 1983. It covers the NRC
6	review of the reactor coolant system leak rate test
7	procedures at Davis-Besse and a number of other
8	plants.
9	The NRC report indicated that the NRC
10	concludes that Davis-Besse reactor coolant leak rate
11	test procedure and calculational method used in 1978
12	were sufficiently comprehensive and accurate to
13	determine the leak rates to within the applicable
14	limits.
15	One thing you should note is that Davis-
16	Besse used room temperature. It is a companion pipe
17	plan of TMI 2. They used for 8.25 balance per gallon
18	for the reactor and inventory balance. The Davis-
19	Besse FR has the exact same crack analysis that was
20	run on a hot basis, but as we ran through the numbers,
21	it's sort of a no, never mind where that critical
22	crack analysis comparisons run hot or cold.
23	The Davis-Besse reactor basically reported
24	to be okay, and I guess our analysis would confer with
25	that.
24	
	(202) 234-4433 NEAL R. GROSS

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

.

1 MR. COLE: And looking the next general subject the inventory balance test that was run at 2 3 TMI. At TMI your inventory balance test basically measured the total reactor coolant system leakage. 4 They measured identified reactor coolant system 5 leakage from the drain tanks. That was a no number. 6 I have two no numbers. 7 And in essence what they did is they 8

literally lumped unidentified and inner system leakage 9 into one term, and this, in essence, was the output of 10 the computer program at TMI. And while it was called 11 12 unidentified leakage at TMI, in reality if you go back and look at what the new regs and everything said it 13 should -- what we should be calling it, that really, 14 in fact, was unidentified leakage plus inner system 15 16 leakage.

With regard to the test that was actually run at TMI, we found that there were a number of technical errors. The majority of those errors were small and in most cases under most situations.

However, there was one major error. They did not correct temperatures that was measured in various place to a common temperature. What the effect was on this when there was no more additions were made to the makeup tank, and when the collection

(202) 234-4433 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	rate in the reactor coolant drain tank was low, the
2	error, this error, has little effect.
3	However, when the reactor coolant drain tank
4	collection rate was high compared to the amount of
5	water going amount of water being added to the
6	makeup tank, then there was a significant effect. In
7	other words, it would clearly overstate the leak
8	the unidentified leakage rate.
9	Likewise, when the reactor coolant drain
10	tank collection was low compared to the water that was
11	injected into the makeup tank, then there was also a
12	significant effect but to the opposite direction. It
13	would understate the leakage rate.
14	When both the reactor coolant drain tanks
15	and the amount of makeup tank of water were
16	comparable, say high, then the effect, again, was
17	small.
18	The consequence of this was that the
19	temperature effect was quite different from test to
20	test. There is a large variability in the test
21	results, and from this we can sense this would be a
22	great source of frustration to an operator trying to
23	run a test, particularly if he didn't know all the
24	intermechanics of the guts of that calculation and
25	what was making it go up or down.
10100	

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 24

.

6.11	
1	So I could see how an operator would be very
2	frustrated in various tests that would be run using
3	this technique.
4	There was another major problem which added
5	to the contributed to the concern on the makeup of
6	the RCIB test, and that is the makeup tank level
7	instrumentation. There was a problem with that and we
8	would like to discuss that as a separate issue.
9	The other thing here again is the
10	unidentified leakage limit of 1 GPM that TMI would use
11	the hot basis rather than cold. And I would like to
12	say in that regard all of our analysis further on
13	today will be based on the basis that unidentified
14	leakage is cold based on our review of what the
15	regulatory history of that what identified leakage.
16	How it's suppose to be measured, the terms, and also
17	seeing the own internal NRC documents also indicate
18	that also come to that same conclusion.
19	The by the way, if anybody wants to
20	interrupt, I don't have any I have if I've said
21	something you don't quite fully understand or that
22	type of thing, do not hesitate to interrupt.
23	The next thing I would like begin to get
24	into is the actual leakages. And the first method
25	that we ended up going into was the sump because when

(202) 234-4433 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

you read the reg guides, automatically you see -- if
 you want to check what the unidentified leakage is,
 you're automatically directed to the sump.

4 And to give you an example, we've looked at it several different ways. A couple of things you 5 6 have to know about the TMI sump is that they are two 7 small pumps, A and B pump, that pump out, and there 8 are limit switches that start and stop. And there has 9 been a calibration number of that, and from the data 10 we had picked up, and in all honestly we had one of 11 the NRC people found the latest calibration curve, and that was set at the pump out was arranged at 14 12 13 inches.

And 14 inches is equivalent when you go to the prescribed -- to physically what's built there is 244 gallons per pump out. The -- this curve is applied for the month of March of 1979. What we have plotted here, and this is time and this is the number of pump starts, stops and starts.

Each little vertical step, all right, is equivalent to 244 gallons per each pump out. And we have plotted the pump outs for the entire month of that period. We've done it for many more months but this will give you the example of what we've done. Once we've obtained this type of

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 information, then we plotted the slope of what -- how 2 this increased. This gives us the rate. Also by 3 doing it this way we can see when there's some unusual 4 change rather than smearing it over a long period of 5 time.

6 By knowing the slope that represents a 7 certain leak rate. When you plot it in a -- probably 8 an easier form which you could take a look at is the 1 9 GPM unidentified leakage rate. This is the apparent 10 leakage -- unidentified leakage rate in the sump for 11 the period of March, and toward the end of the 12 accidents it's getting up close to the limit.

13 Also on subsequent charts, because I'll be showing you other ones that go, remember when you get 14 a reactor coolant sump leak rate, it is not 15 16 automatically the reactor coolant unidentified leakage 17 rate because you could have a high number here, for 18 example, and it would still be satisfactory. MR. RUSSELL: May I ask a question? 19 MR. COLE: Yes. 20 21 MR. RUSSELL: Did you have any period of 72hours in which you had more than 18 actuations of the 22 23 pump? 24 MR. COLE: Yes, we did.

MR. RUSSELL: That would indicate that you

(202) 234-4433 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

25

1	had a complete degrade over that 72-hour period
2	granted one gallon per minute
3	MR. COLE: Right, and I've got that.
4	The when you take this analysis and play
5	out for a longer period of time, I'm talking about
6	from we took the period of October through March;
7	here's March, March time period. And I'm sorry that
8	this thing is we found that there were a total of
9	ten time periods over that period of October through
10	March that the sump would indicate that the apparent
11	unidentified leakage rate was in excess of 1 GPM.
12	When I say ten, this is actually we took
13	any ones that were close. And we examined those in
14	detail to see if they were, in fact, truly like
15	I'll give you an example. This one that was up sky
16	high turned out to be they were flushing some reactor
17	coolant mechanisms and it had nothing to do with the
18	reactor system leak, but it shows up in the sump.
19	So you have to examine these ten times, but
20	this is a good screening process to begin to go
21	through and say here are the periods of interest that
22	we want to go back and examine in detail.
23	After we have gone and examined altered
24	the methds which we like to put them all together and
25	tell you our conclusions from this plus alternate

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 28

.

1	methods.
2	MR. KIRKPATRICK: Yes. These are based on
3	72-hour periods?
4	MR. COLE: No. This is, as I prescribed, is
5	on a sump period which is even the way we've done
6	it is even much more sensitive than a 72-hour period
7	because it will that's what I was telling you why
8	we did the slope method was to pick up any really
9	sudden change.
10	So this is more sensitive than a 72-hour
11	period.
12	MR. CAPRA: What was the source of your pump
13	starts?
14	MR. COLE: We that's a good question
15	because one of the reason we got lead off on a
16	number of blind alleys a number of times.
17	We originally went to the logs; then we
18	found that the logs. There were transcribing errors
19	so all of our data is based on the alarm collectors.
20	MR. CAPRA: Could you give me a technical
21	reason as to why you feel that is more sensitive than
22	the 72-hour period, the shorter period?
23	MR. COLE: Because you can see sudden
24	changes. This is
25	MR. CAPRA: But you can see break points?

(202) 234-4433

.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	MR. COLE: Right.
2	MR. CAPRA: How do you smooth the curve
3	also?
4	MR. COLE: Well, I'll show you how the
5	MR. HARRISON: Maybe you ought to explain
6	that in some more detail. I think there's a
7	misunderstanding about what's plotted there.
8	MR. VAN VLIET: Let me say one thing.
9	MR. COLE: Yes.
10	MR. VAN VLIET: Procedurally. When you're
11	speaking from back here, could you just identify
12	yourself for the transcriber so that we can pick it
13	up.
14	MR. HARRISON: I'm Dwight Harrison.
15	Let me explain why we finally got to this
16	kind of method. We tried a number of different
17	techniques, like taking each pump time and trying to
18	plot those, timing between each start. We found that
19	wandered around a lot; it didn't seem to be physically
20	like what we wanted on
21	This is like an intregal curve of how much
22	water if you would have had a big enough bucket, it
23	would have told you how you collected water in the
24	bucket for sump. And so the rate of rising it's
25	like infinite long something like a level rising in a
L	

.

30

(202) 234-4433

1	sump.
2	What we found is that you can look at it
3	this way and if the characteristic of the leak, in any
4	case, suggests to you such that there's need to be a
5	curve. Apparently a lot of the leakage tends to
6	behave that way.
7	And what we did in places where they were
8	built higher, we had to go down in finer and finer
9	plots until we could get a pretty close correlation as
10	to where did the water start to appear in the sump
11	irrespective as to what kind of time period one tried
12	to use.
13	This is the nice thing about the sump. It's
14	kind of small, it's pretty sensitive, and the whole
15	sump collection it doesn't miss anything. You can't
16	be looking the other way when the water going into the
17	sump is sitting down there catching it. On some of
18	the inventory balance tests, for example, you only
19	know it when you ran the tests.
20	The sump collection, you it records it
21	basically for you.
22	MR. COLE: And the other thing that was
23	important to us about this was that the sump is, in
24	essence, is like it's a very rudimentary thing of
25	filling up a bucket. And we can measure the time it
	(202) 234-4433 NEAL R. GROSS

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	takes to fill up a bucket to get a leak rate.
2	The second thing that's important to us was
3	the fact that we could go to a source of data that
4	didn't seem to have as much human error type thing
5	could be put into. Namely, we could go to the alarm
6	printer and get the recordings of when the pumps
7	stopped and started. And there was no one, you know,
8	you weren't depending on transcribing or people's
9	memory to incorporate that.
10	MR. CAPRA: Is there any significant period
11	of time in which the alarm printer was not available
12	during that period?
13	MR. COLE: We found some small number of
14	periods of times, and we tried to compensate for that.
15	We put in what was the rate before, and after that
16	there were very small periods of time.
17	MR. CAPRA: Your sensitivity argument
18	what is it that physically causes the leak rate to
19	decrease? Twice there your slope shows decreasing
20	leak rates?
21	MR. COLE: People fix something.
22	MR. HARRISON: Something changed.
23	MR. COLE: Something changed.
24	The other there are other ways you can go
25	at this time, and this another way we had seen the
L	

.

32

(202) 234-4433

1	NRC had and we'd seen an analysis the NRC had done
2	of the sump. And it looked like rather than a 72-hour
3	basis, but it looked like a NRC apparently in
4	analysis we had that was dated 1/5/84. It appeared to
5	do close to a 24-hour of what the sump leak rate was.
6	We also went and said, "hey, let us take a look at that
7	and go that method." And we did one thing that was
8	slightly different. Rather than we took rather
9	than an exactly 24-hour period we took the closest 24-
10	hour period where there were full pump-downs. In
11	other words, like on this particular day, and this is
12	for the latter part of March, there were a total of
13	three pump-downs and they occurred over a total of a
14	26-hour period. And so all we did by knowing that we
15	had three pump-downs multiplied by the 3 times 244 and
16	divide by the number of minutes and you will get our
17	column E.
18	That period showed that the leak rate was
19	rising. And when we got down we noticed that the NRC
20	had had a number I believe it was around the 20th
21	of March and this analysis was above a 1 GPM by 200.
22	And we think we know what where the difference was.
23	When we went back, it appeared to us, we do
24	not know this for a fact, but it appeared that they
25	must have used the, on this analysis, must have used

(202) 234-4433 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 the logs. And there was a logging error that appears 2 in -- when you put the correct number of pump starts 3 and starts from the alarm printer you will find this 4 number -- both numbers come in pretty close agreement. 5 It may have been they split in the days or split them differently time wise or something. 6 7 But when we go back to the log -- and this 8 is a very -- I think most people can follow it and see 9 the exact times coming off of the alarm printer and 10 you can pick the -- get them in round units so you get 11 full pump-downs and it's easy to see where that number came from. 12 13 MS. DOROSHOW: Which logs are you talking 14 about that were --15 MR. COLE: The -- I beg your pardon. 16 MR. VAN VLIET: Doroshow -- just if you 17 would identify yourself. 18 MS. DOROSHOW: Joanne Doroshow. I am asking 19 which logs --20 MR. COLE: Let me finish and I'll show you 21 what the problem is. 22 If you've ever said, gee, how could somebody 23 miss something in transposing. Here is the alarm data 24 printer. And this just represents two hours so this sheet is massive. So it's -- to me it's very easy for 25

34

(202) 234-4433

13 1

a person to go and miss one of the logs. It turns out 1 -- here's one and here's when it s opped. But when 2 you have a long data sheet yahoo long, it's easy to see 3 how an operator miscounted such a -- and missed one of 4 5 these things. MS. DOROSHOW: Could you -- all right, I'm 6 just curious as to which logs you were --7 MR. COLE: The CRO log was the one or was it 8 9 the --MR. HARRISON: Dwight Harrison with the 10 answer to that. This -- the alarm printers -- say 11 12 it's its own -- the log that he's talking about is the shift in daily surveillance log which is the series of 13 records that the CROs use when shipped to the basis. 14 And that included a -- they entered in that log the 15 sump levels and the number of starts since the last 16 month which put -- which leads to a mechanism to count 17 an extra start because you don't put a start and stop 18 19 very close to the shift change. 20 There is a possibility that the guy before 21 has counted the start and the guy after has counts the 22 start, the only way the guy would have to check that 23 would be to go back to the whole alarm entered from the time before. So it's possible that he will miss 24 25 this and add some starts in this logging process.

35

(2(2) 234-4433
1 That's why we didn't --

2 MR. COLE: Disuse it. We were not 3 interested in trying -- we were trying to avoid 4 transcribing errors and so we went back to the alarm 5 printer.

6 When you take all of the NRC data or the 7 reactor building sump, that's the 1/5/84 data and 8 compare it with our analysis here's how it compares. I'm sorry that we got such a -- the solid line is the 9 NRC data and the dotted line was our technique of 10 11 measuring. And you can see that sometimes on a 24-12 hour basis, like this one, it was high but you didn't pick up -- the slope method did pick up a higher 13 14 temp period.

15 I think in most cases we were pretty much 16 together. Our numbers may have varied of what the 17 actual number -- particularly during the short leak 18 periods. The only one I see that it didn't pick up if you looked at it would have been this period. But 19 what I would -- as I indicated to you earlier we would 20 like to go back and go over the temp periods. 21 22 So I get -- the punch line of this, our

23 technique verses what we had seen of this earlier NRC
24 looks like our technique picks up all of the same
25 things that the NRC and maybe one more. The next

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	analysis of leak rates are by alternate techniques and
2	Dwight, will you take that.
3	MR. HARRISON: Let me say what I'm going to
4	emphasize in this. One of the objectives here is to,
5	you know, is to share methods with you. So I am going
6	to emphasize pretty heavily some of the methods that
7	we used because I think that would be perhaps to the
8	most utility to you.
9	Let me say what we mean by alternate
10	methods. What we're trying to do is say is there some
11	other way that you can look at this to see what might
12	the actual leakage have been. Now, in one of the NRC
13	reports that we have available to us May of '83 the
14	NRC did look at it by two, you know, quite sensible
15	methods to look at what the actual leakage might be.
16	One of these methods was both of these methods were
17	really related to the reactor coolant inventory
18	balance test. One of them looked at how the makeup
19	tank level changed with time.
20	You remember in the reactor coolant system
21	there are two free surfaces basically. One is the
22	pressurizer and the other is the makeup tank. Now,
23	the reactor coolant system when you put the makeup
24	system into it as he necessarily has to do in this
25	case, the pressurizer level is controlled to a certain

.

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

-- it's a actively controlled level. So if you're
 losing fluid from this combined reactor coolant system
 and makeup system, what you see is a loss in the level
 of the makeup tank.

5 Now, we're going to -- you're going to get 6 probably very tired of looking at makeup tank level 7 charts but let me put one up here and we can -- I 8 think you can -- you're going to have to get used to 9 them. This is a typical makeup tan! level chart. 10 This particular one is in March. And what you see in 11 that case is that these particular -- this is the 12 makeup tank level going down. Here water was added. 13 Drops, water was added, drops, water was added, drops.

14 So this gives you one clue to how fast 15 you're losing water from the system. One of the 16 things is that slope of that makeup tank level. And I think you'll find there is some indication that that's 17 18 presented to the operator. This is from a recorder 19 that sits up on a console right in front of the 20 operator and he sees this chart. And this is the record of it. So that -- and that's a very sensible 21 22 way to do it as to how -- to some degree the operator 23 may be doing this in his head; we don't know. 24 Another method that you can look at is kind 25 of like looking at how much money your wife is

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

spending by how much money you're putting into the bank account. If you can take a period of time and look at how much water has been added in this period of time and see that you're about the same place when you started and ended, then you can get some idea of how much water you have lost from the system by how much water you added.

So conceptionaly of two schemes, one is to 8 look at the slope of the makeup tank and the other one 9 to look at how much water you have added over a period 10 11 of time. Now that doesn't give you unidentified 12 leakage though. What that gives you is a total 13 leakage from the reactor coolant system. But as Norman explained to you that's not the whole story. 14 You need to subtract from that at least what's 15 collected in the reactor coolant drain tank. So you 16 17 need to find out how much is going into the reactor coolant drain tank. And I'll explain to you how we 18 did that. 19

We did it the same as the NRC did it. There really is only source of information you can use and that's what's printed out in your reactor coolant inventory balance test print out. You can take those numbers and you can see that they are printed out by the computer. They give you reactor coolant drain

(202) 234-4433 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	tank level and they give you from that an indication
2	of what the identified leakage to the drain tank is.
3	Let me launch into detail here a little
4	now into the slope method. Let me describe how we
5	applied the slope method and then I'll contrast it to
6	what we know about the method that was used by the
7	NRC. We did come up with we did end up with some
8	first trials as usual. We had some pit falls that we
9	here's this method we eventually and words that
10	we eventually came to.
11	The first thing we did, we went to the
12	makeup tank charts and for we took it on a daily
13	basis for simplicity. We selected regular slopes.
14	Well, what do I mean by a regular slope? What's a
15	regular slope? Let's go back to this one. What I
16	mean by a regular slope is more by exception than by
17	these are relevantly regular. That's not a regular
18	slope; that's not a regular slope. We felt very
19	that we shouldn't use those slopes because there was
20	something else going on.
21	You've go to remember that the makeup tank
22	level does respond to things like changes in the
23	pressurizer level, changes in reactor system
24	conditions of various kinds, and it will be reflected
25	in the makeup tank. So there is lots of things to

(202) 234-4433

1

NEAL R. GROES COURT REPORTERS AND TRANSCRIBERS 40

*

.

1 make the makeup tank level move around. You've got to 2 be careful that you haven't ground those into your 3 method and you're finding out something about the 4 pressurized level change. So you try to only do the 5 ones that are regular enough. And that's the only 6 words I can think of that I could use.

MS. DOROSHOW: Can I ask this -- I am Joanne
B Doroshow. When you say you did not use these regular
9 slopes because other conditions may have been
10 occurring, did you seek to determine in your analysis
11 whether the things may have been going on?

MR. HARRISON: Not for the selecting of this 12 out in some other cases we have looked at. It turns 13 out to be quite complicated to get all the 14 information, to find out exactly what has happened for 15 one of those -- in the chart. Many, many, many things 16 could do it. And I suppose if one wanted to spend 17 enough time and effort any one could be pretty well 18 run down but it would be a monumental undertaking it 19 truly would. 20

21 MS. DOROSHOW: So you're basically left with 22 having to guess what --

23 MR. HARRISON: What we're basically left 24 with doing is getting -- is picking some individual 25 slopes that appear to be regular on a day and say that

(202) 234-4433 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	characterizes the day pretty well.
2	Now, what you see is, you know, the thing I
3	said on the slope thing when we were talking about it,
4	that that inherently you may miss peaks in this
5	method. You may miss something going on because it's
6	made the slope irregular. So that these alternate
7	methods they both have that problem in them, in that
8	they may miss what the sump sees. That's why we
9	believe the sump is really the best. Our first
10	discriminator for what time periods there could have
11	been a reactor coolant system leakage that was from a
12	pressure and it doesn't miss anything.
13	MR. RUSSELL: Bill Russell. Is your
14	objective to identify what the actual unidentified
15	leakage was from the plant and that's your basis for
16	selecting only those which are regular and
17	discriminating out from the other slopes?
18	MR. HARRISON: Yes, because another
19	reason is, Bill, is I can't use the irregular slope.
20	I don't know how to draw a curve.
21	MR. RUSSELL: For the purposes of
22	identifying actual leak rate could the irregular slope
23	curves indicate some activity which went on
24	intentionally during the test
25	MR. HARRISON: Of course.

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 42

.

1	MR. RUSSELL: that would cause the change
2	in that? So if your objective is to discover
3	instances of irregular behavior that maybe your
4	operator induced, then it certainly would not be
5	prudent to throw out all of those tests which are not
6	regular?
7	MR. HARRISON: Oh, I'm not throwing out any
8	tests at all, Bill. No, this has nothing to do within
9	the balance test whatsoever.
10	MR. RUSSELL: Well, then I'm not sure I
11	understand what your objective is. Your objective is
12	to calculate as best you can what the real leak rate
13	was from he facility during that period of time.
14	MR. COLE: Correct.
15	MR HARRISON: Right, that's, you know, what
16	we think it really is. Now, let's go back to my
17	one of the things we did was to try to take we did
18	take all of the regular at any day that we could find.
19	No sense throwing out any data that you don't have to
20	but we didn't use ones that were that you couldn't
21	get a good slope from.
22	Now we get the next thing, I would we
23	were talking about discussing it later but I believe
24	that we'd better talk about the makeup tank while
25	we're still at the problem of this because at this

43

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1 juncture because it won't make -- this won't really 2 make good sense.

Norman had said about the -- had talked 3 4 about the makeup tank instrumentation. And this is the -- sometimes is referred to as the loop seal 5 6 problem or what have you but let's step through. How 7 do you measure the level in the makeup tank? You 8 measure the level in the makeup tank as you do with so 9 many tanks in this world. What you really do is you 10 measure the pressure difference between two legs.

Now ideally this shows the condition which may have occurred at sometime in the plant. This is -- and this is -- I think discussed at a number of different places. This is not our invention by any means.

This line is suppose to be dry. That the intent of -- this line is dry. This line is filled with water. And what the pressure transmitter sees is the difference in the height of the water. And it -if you add more water it gets a different pressure signal and it reads out. This is a normal pressure type level indicator.

Now what appears to be -- the configuration of this line is quite complicated. And there are some more valves and things that are simply not shown in

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

Law

(202) 234-4433

1	this	beca	ause	it get	s to	00 00	mpli	icated	to e	xpla	in.	But
2	what	may	have	been	the	case	at	some	times	is	that	this
3	line	got	some	water	in	it,	the	so ca	alled	100p	sea	1.

Now what this does is depending on where 4 this water is and what -- whether it has an elevation 5 difference between one and the other, it acts as if it 6 changes the pressure that the transmitter sees. So 7 you get the wrong level out of this thing. Now take 8 in this case what you would see is you'd think that 9 your level was lower than it actually was in this 10 case. And what this does -- you say why is this 11 important at all? So we're just worried about changes 12 in makeup tank level. 13

It appears that this thing will also screw 14 you up when the level changes. Notice what happens to 15 this thing, if I change the pressure in this tank what 16 happens is it will try to compress the amount to trap 17 part of this thing and will move this slug of water 18 around. Now it will move it in some fashion and it 19 will tend to give you the wrong answer out of the 20 21 changes in level.

22 MR. HARRISON: I've sufficiently confused 23 everyone. And the questions on this. It's been 24 explained, Faegre Benson report explained it, United 25 States reports have explained it. It's not a mystery.

(202) 234-4433 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 There are some things I'd like to point out 2 about it, though. We were aware of this problem with instrumentation. So we said well, we'd like at the 3 4 sloping method. The slope, you know, this has got to have some effect on the slope measurement. And there 5 6 was also some other evidence that the operators 7 consistently -- they get the amount that they put in 8 to the make up tank from a batch controller. A 9 totally different instrument.

They write a number down in their log. They put it 300 gallons. And sometimes you go to the make up tank chart and you look at it and you find, gee, it's not 300 gallons in the make up tank it's 390 gallons in the make up tank or 400 gallons. Is that consistent with this kind of a mechanism and you say yes, it is.

17 If I increased the level in this tank, I 18 increase the pressure in the tank. If I increase the 19 pressure in the tank, this goes down, delta P 20 increases so I get a larger level increased than I 21 thought I had. So I -- there is the evidence from the 22 batched addition that this kind of thing was 23 occurring. So we said, gee, that's pretty reasonable. Let's go see if we can figure out how we take this 24 out. So we said, well, let's try to take it out 25

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	analytically. Let's try to figure out what happens.
2	And you soon come to the conclusion that you simply
3	don't have enough information. You don't know how
4	long the slug was, you don't where it was. You also
5	come to the conclusion that it depends on how much gas
6	you've trapped in here because that's the springiness
7	behind this thing. And that in turn depends on the
8	past history, what was the lowest pressure at which
9	you developed the log, what was the past history.

It seems to us that your chances of ever 10 11 unsnarling this were, you know, to say the least not 12 good. It would even be very difficult to run a test 13 with this thing to be sure that you knew where 14 everything was. So we concluded that the only way we 15 had -- we knew it appeared to be occurring and so we took -- we said, well, pragmacically let's go back to 16 this batch controller, the water additions and let's 17 see if we can find when this effect occurred, find out 18 how much magnitude it is and go correct our slope 19 20 strip on that basis rather than just saying -- I might 21 mention that what this does, of course, is it tends to accentuate the drop. It's going to get too high a 22 23 slope. You tend to believe you've lost more water 24 than you had because in the other direction as you 25 down in level it tends to lower the pressure in the

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	tank.
2	So what we did in conjunction with the slope
3	method is that we went back through
4	MR. RUSSELL: Could I ask a question of the
5	previous graph please, of the previous slide for just
6	a moment?
7	While you may not know the gas volume and
8	the amount of trapped gas in the detector, you have
9	some indication the size of the gas volume in the tank
10	which is acting as a spring on the other end albeit
11	being buried by the heighth of the water column
12	differential is causing it, non-linear indication.
13	Did you evaluate that from the standpoint of
14	the effective gas expansion as treated as a ideal gas
15	on the top of ' a tank and see what kind of a change
16	in pressure you would have?
17	MR. HARRISON: We looked at some of those
18	changes in pressure. They appear to be a sufficient
19	magnitude to get you some significant changes.
20	MR. RUSSELL: Do you give any feel for what
21	kind of magnitude change you would see just do to the
22	pressure change of the gas from pumping down the tank
23	assuming that you did not have that loop sealed? I'm
24	trying to determine whether this pressure change
25	you're talking about is that significant to assume the

(202) 234-4433

7

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 48

.

1	extent
2	MR. HARRISON: Well, I think Paul has an
3	answer.
4	MR. RUSSELL: Just due to the expansion
5	compared to the overpressure on top of the tank.
6	MR. DAMERELL: This is Paul Damerell from
7	MPR Associates. If there were no loop sealed, the
8	density of the hydrogen gas is very, very low compared
9	to the water. And the change of pressure in the tank
10	would only cause a very, very small change of the
11	density in that dry leg. So if you take away the loop
12	seal out of that figure and then you go change the
13	pressure in the tank and you're looking at your metal
14	transmitter and say what's the to the output of
15	that device? It's extremely small and probably
16	smaller than the resolution to that device.
17	MR. RUSSELL: I don't think you understood
18	my question. How much change would you get in the
19	pressure of the tank for just pumping down level in
20	the tank as compared to how much pressure you would
21	get in the tank associated with a hydrogen addition?
22	MR. DAMERELL: Okay.
23	MR. RUSSELL: Just try and understand the
24	effects on change and slope independent of the water
25	sluggish. Is there a small change in the pressure of

49

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	the tank? In other words, simply pumping down the
2	tank, if that causes a small change then the spring
3	force on the other end is going to have a relatively
4	small change. So then it becomes critical as to the
5	size of the volume. If that's not the case, then I
6	don't understand the argument that's being made.
7	MR. DAMERELL: I'll say something about
8	that. The changes in pressure you can get as to the
9	level of changes are significant enough to effect that
10	level.
11	MR. RUSSELL: What kind of change is that,
12	five pounds, ten pounds?
13	MR. DAMERELL: Well, it's
14	MR. HARRISON: This is around 18 pounds of
15	normal
16	MR. DAMERELL: The tank slides 100
17	MR. RUSSELL: Who will change 300 gallons?
18	MR. HARRISON: That's about 10 percent of
19	the volume of tank
20	MR. DAMERELL: That's about 10 inches which
21	is about 10 percent. Say if the tank
22	MR. HARRISON: If the tank is 80 inches, 75
23	to 80 inches, that leaves about 20 percent of It
24	may

.

50

COURT REPORTERS AND TRANSCRIBERS

ĩ

1	be like a third to a fourth. So you're changing the
2	absolute pressure by a third to a fourth. And the
3	absolute pressure in the tank is like 40 ESI. So
4	you'd be changing pipe 10 to 12, ESI.
5	MR. HARRISON: That's a lot of feet of
6	water.
7	MR. KIRKPATRICK: This is Kirkpatrick from
8	NRC. Also I'd like to point out that the head you get
9	from that slug is very small compared to this pressure
LO	change we're talking about. You're talking about
11	maybe 10 times the pressure change. But it only takes
12	a half of a pound to lose water a foot. In this case
13	we're talking about maybe an inch. It makes a lot of
L4	difference.
L 5	So you're talking about one percent, say, of
L6	that pressure out there in that tank will represent
17	a what I'm saying is about one percent of the
18	pressure in the tank is all it takes to move that slug
19	a significant amount.
20	MR. HARRISON: Of course, that depends
21	entirely on what what it's pushing it against. It
22	also depends on what the configuration of a piping
23	system happens to be in. If this were down here and
24	this were on another level leg, it could move it and
25	not make any change at all. This is simplified from

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 what the real situation is as you're are well aware of 2 I'm sure. It's critically dependent on how much 3 you've got trapped but the configuration of the piping 4 is how much water you have, where it is. As I said we 5 kind of concluded we weren't going to ever get an 6 answer that way. 7 MR. KIRKPATRICK: But probably what really 8 happened in most cases was that the pressure change 9 overwhelms the amount of water available and after you 10 get a certain amount shipped and level to the slug 11 effect, the rest of the gas is bubbled by. And so 12 what you have is a chopped --13 MR. HARRISON: We haven't been able to 14 establish the bubble by business. We have not been 15 able to -- If you did that then it would appear to us 16 that you wouldn't -- you'd have a constant offset and 17 not a relatively constant ratio. You'd get a 18 different answer. What it would seem like for 100 19 rather than for a 300 gallon addition. 20 We seem to get irrespective of the size. 21 There are oddball ones, obviously. But we seem to 22 fairly constant ratio and that's why I have a little 23 trouble with it being something that goes and adds a thing. And I can see if you had a very tiny amount of 24 25 water that you get in those kind of things where it

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	would blow through and and flow by. But I don't see
2	how to get a relatively constant ratio out of that.
3	MR. HARRISON: My trouble is how we finally
4	ended up trying to get a correction
5	MR. RUSSELL: One other question. You've
6	indicated or analytically why it's difficult to
7	determine the fact.
8	Did you look at the empirical approach from
9	the standpoint of known hydrogen additions and what
10	the effect was on change in level for various levels
11	in the tank when the tank may have been at the bottom
12	of the normal operating band and at the top of the
13	normal operating band to see if there's an empirical
14	estimation that could be developed?
15	MR. HARRISON: I don't know enough data to
16	do that. The hydrogen and the distance generally are
17	logged if they added hydrogen. I think there's more
18	than one that I remember that where they told us how
19	much pressure they added. That's one of the problems
20	on the whole hydrogen addition business is the guy
21	will write down added hydrogen. Well, you don't know
22	what pressure he ran the tank to, maybe he does.
23	Maybe he remembers or maybe he had some practice but
24	we don't know that. All we know is that hydrogen was
25	added at sometimes.

(202) 234-4433 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 You could, I suppose, in some kind of a 2 pretty carefully controlled test. But in any test 3 what you know is the water slug that's there when you ran the test. That doesn't necessarily mean that's 4 5 the water slug that was there at the time that the 6 plant was operated. So a little bit -- let me show 7 you what we finally concluded. We needed to do 8 something to see what we could get.

9 So what we did, as I said, was to go through 10 and to take the logged addition, take the indicated 11 tank wherever we could -- I got to caution you that as 12 we found later on that sometimes the operator said he 13 had an addition and what he really had was bleeding 14 feed. So you had to not use those because you could 15 get bad answers.

16 What we tended to find was that there was 17 some consistency within a time period. We get some scattered -- it's not too well -- you can't see 18 19 through them. One of the problems with this -frankly, I'll tell you all the problems because that's 20 21 one of the things we're here to do is that in this 22 time period of 2 January of '79, they didn't add very much water to the plant. There wasn't a lot of water 23 addition so the data is kind of sparse. But it also 24 appears to indicate that there wasn't much effect. 25

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

This effect wasn't very strong. This is one - sometimes there was maybe -- it looks like 10 percent
 off then 20, a few out -- sometimes it was even below.

4 However, back here, there is also some 5 indication here that there was a very strong number. After February to March, here we got another fairly 6 7 consistent but it's not consistent around one. It's consistent up here like around 30 percent meaning 8 9 that -- and that's when you look at the data just to compare the logs to the numbers, that's what they tend 10 11 to come out. The guy says I put in 300 gallons of --12 380 gallon will show up as rise in the makeup tank. 13 So that's what we base -- when we went to the slope method what we did was to go and find out on the day 14 we were taking a slope, what this air amounted to and 15 16 correct the slope by that amount.

There's a pragmatic way to take -- to not just ignore the fact there was some possibility there but to do it as best we could because what we were after was to try to get as good an answer as we thought we could get as to what the actual leakage was. That's why we made that correction.

We can come back to the makeup tank level instrumentation anytime anybody wants to because it keeps reappearing in this whole thing. I guess I've

(202) 234-4433 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	determined the ratios average during the day and then
2	you correct the average slope to obtain a leak break.
3	Let me show you what we get out of this.
4	This is February and March of 1979. Each of these is
5	the average of a day's worth of slopes. In some cases
6	in March this may be 10 or 15, you take all you can
7	get. This is total leakage remember. This is it's
8	relatively consistent but there's a data spread in
9	this thing which is about inevitable. This is what it
10	looks like for the period of October through January.
11	There I've got a couple of points on here that
12	we'll come back to later on because in one place in
13	going through the charts you say how did we get a
14	slope method for an hour and 40 minutes.
15	The reason I put that on is because of going
16	through the charts you can see the makeup tank level
17	chart came up to some point and then took off down.
18	The operator had written on the chart NUB 17 packing
19	blew, you've gone along and you find it blew and at
20	the end of that time they had isolated it and fixed
21	it. But if you would have so there are times when
22	if you look at the slope of the makeup tank it really
23	is much greater and it shows up.
24	This we'll come back to. This is a period

of time which turns up as low on the sump collection

(202) 234-4433

1

25

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 56

*

1	and is one of those cases where apparently the sump is
2	showing you leakage from the reactor pump system.
3	We'll discuss that a little bit later on.
4	Let me just comment on our understanding of
5	the NRC slope method. I think I've already as I
6	understand it one regular slope per day was used which
7	probably isn't too bad. It's just too bad to leave
8	out data that's there and not use it. It is as you
9	saw from this other curve, it is not precise science
10	drawing in the slope. Two guys could draw in the
11	slope and get slightly different answers. There
12	wasn't any correction for the makeup tank
13	instrumentation problem. It was just the slope was
14	whatever the maker would assume that the makeup tank
15	level instrumentation was correct.
16	Let me now press onto the water addition
17	method if you're still with me. Now the water
18	addition method, we knew a number of things that
19	what we did was that we selected a period that was
20	relatively steady. We selected a period of time that
21	we felt was not the plant wasn't maneuvering
22	because this is subject to some of the same
23	limitations as on an inventory balance test.
24	You've got to use you got to get the
25	plants steady to make it work very well because you

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 have to -- this is a case for example. This is a
2 typical water addition period. In this case we used a
3 five hour period. I'm sure you're -- why we used the
4 evening periods.

5 The first thing you got to do is find out 6 how many additions you have in the period. You really 7 got -- you have a CRO log which says I added so much 8 water but you find that the operators don't 9 necessarily log all the water additions. And this is 10 -- the end NRC has done a considerable study of this 11 as to how many unlog additions were put in and that 12 sort of thing.

13 Like for example in this case, when you go 14 to the CRO log in this period of time you find that 15 you can't account for these two additions. These all 16 work out nicely but there's just anything in the log 17 for those two additions. I think I have enough 18 confidence in the makeup tank chart to believe that 19 that really is a batched water addition. The batched water addition of around 300 gallons is something that you 20 21 can pretty well believe that it's not some strange thing in 22 the plant except when the plant trips and the makeup 23 tank charts just goes berserk. It goes all over the 24 map.

25

In this case what we would have to do in

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 those cases where we tried to take periods of time
2 that didn't have unlogged additions so you didn't have
3 to mess with them. We also tried to pick these where
4 they didn't have feed and bleed operations. Because
5 feed and bleed operation was really -- feed and bleed
6 operations tend to be -- let me explain what a feed
7 and bleed operation is.

8 They add water to the system and they also 9 take and remove water from the system. Primary reason 10 being the change in borate concentration in the 11 system. Well, this type of an operation sometimes 12 they do it exactly right and get back where they were, 13 sometimes they don't. And the operator -- we try to 14 not have those kind of things.

15 But it's possible that that was a feed and 16 bleed operation. I don't know for sure. But they 17 tend to -- some of them look like that, some of them look the other way around, some of them you can't find 18 19 at all depending on how the operator did it. So we 20 try to -- what if we did have a feed and bleed 21 operation, we try to not do addition through that in 22 the addition method because it would just confuse it. 23 We also did -- okay, that tells you how much

24 water but you do have to make some correction for the 25 beginning and end conditions just like the inventory

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

balance. You have to determine the changes in the
 temperature and the pressurizer level and that sort of
 thing.

But the beauty of the water addition method is is that if you can get the time long enough and the plant is in about the same condition, the water additions tend to be much more important than the changes in the inventory and there's difficulties in knowing the right coefficients to use when the temperature changes go away.

11 Basically what we use there is available to 12 plant computer printout of a 24 hour summary which 13 gives you plant conditions you need on the hour. 14 That's why in this picture it runs from hour to hour 15 because we have enough information in the file records 16 to get the average temperature, makeup tank level and 17 the pressurizer level at those times. And we also use 18 compression --

MR. CAPRA: Can I ask you a question? Most of us we've been using the makeup tank strip charts for both the protective corrections that's done through timing through the makeup tank strip charts --

> MR. HARRISON: A lot. Not so readily --MR. CAPRA: I guess I should have mentioned

> > NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

(202) 234-4433

24

25

1 that when we first started because there are 2 significant differences in --3 MR. HARRISON: Yes, I'm glad you brought it 4 up because -- errors in the strip charts are the -anybody trying to use them which end up having to do 5 when you go into one of these things, the first thing 6 you do as we talk about looking at allegations of 7 additions and what have you. 8 First thing you've got to find out is 9 10 whether the strip chart time is right and it often 11 wasn't. What you have to do is take things like the additions and you see whether they're reasonably 12 13 close, take they're spacing. In this case they're 14 probably pretty close. The guys tend to log it a little bit accurate -- occurred in lots of cases I 15 16 think I saw an NRC -- some work on that too as to how 17 late that they tended to log. 18 But we got some other clues to. Sometimes 19 they write on the chart, the timing. Sometimes they -- and usually it's pretty consistent over a period of 20 time once you get a portion of the chart timed then 21 you can usually find when a man runs out of ink or the 22 23 paper runs out and they may get themselves off again or they may have something wrong with the chart. 24 25 But you have to very careful of the chart

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

T	time you time it and as we will see later on that's
2	a principle way to get a to think something is
3	wrong when nothing is wrong. Because you're at the
4	wrong place on the chart, you've placed inventory
5	analysis doesn't always come out at the right place on
6	the chart. So we have to analysis.
7	MR. CAPRA: There's no theory to conclude
8	an analysis of part-time versus makeup tank time,
9	correct?
10	MR. HARRISON: Yes, as all of these are
11	corrected. We correct the gallons, you make sure that
12	you got to the right place on the chart so you don't
13	get an addition in or leave it out. It's very
14	tedious, I'll be quite frank about it. It can cause
15	you
16	MR. RUSSELL: While we're talking Bill
17	Russell of the staff, we've talked a few minutes ago
18	about the accuracy of the makeup tank level from batch
19	editions for a certain quantity using the 300 gallons
20	of the that would indicate 380 gallons, I believe
21	is the number you mentioned.
22	We've talked about the difficulties with
23	respect to getting timings. How about the accuracy of
24	the batch editions actually made? I mean those 300
25	gallons went in indicate 390 wasn't 320 gallons that
l	(202) 234-4433 NEAL R. GROSS

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	went in you indicate 390. You said what was the
2	source of the data
3	MR. HARRISON: That data.
4	MR. RUSSELL: quantity of the batch
5	edition.
6	MR. HARRISON: The data, the source of the
7	data is control room operator writes in the log and
8	he gets it from his batch controller and we have no
9	knowledge that that is significantly logged.
10	MR. RUSSELL: But it's the duty of the
11	operator to write in the number based on what he
12	MR. HARRISON: That's right.
13	MR. RUSSELL: saw from the batch control
14	or he may have seen 275 gallons and just wrote in 300.
15	MR. HARRISON: He may have. But when you go
16	to many many additions because these ratios are based
17	on in many cases they'll be 10 or 15 additions a day.
18	And the consistency of those for him to do that
19	consistently, write the wrong number, I believe that
20	he rounded them off on many occasions because we have
21	found that sometimes an addition that he puts in a
22	log is, say, 300 gallons if you go to the end of the
23	balance test that that addition was in is recorded
24	in the test it may be recorded as 304 gallons, for
25	example.

(202) 234-4433

.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 But we're faced with the -- which one are 2 going to believe a makeup tank system that you're 3 pretty sure has got a significant potential for a problem or are you going to believe the batch 4 5 controller. So we had to use -- we had to go to 6 either one or the other. 7 MR. RUSSELL: But you did verify that you're 8 using the batch controller as recorded by the operator 9 in log which you've indicated that there's a potential for round off or --10 11 MR. HARRISON: Certainly --12 MR. RUSSELL: -- writes things down. What 13 I'm curious about is to what extent did you attempt to 14 verify the accuracy of the log data versus what was 15 printed out on the inventory test where you may have had that corroborated. In other words, was it simply 16 17 a round off of a few gallons so it's done in -- error 18 or is it up in the range where it can be ten or more 19 percent error. 20 MR. HARRISON: I don't believe there's any 21 as much as ten. There were a number -- 2, 4, along 22 something on that order that you would find. 23 MR. RUSSELL: But from that end concluded --24 associated with makeup tank --25 MR. HARRISON: That's our conclusion, yes.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

(202) 234-4433

MR. CAPRA: On that same line did you 1 compare periods during when that was, when the 2 3 additions were made during the -- test as compared where additions were made during the periods of --4 5 rate tests. In other words if an operator added 300 6 gallons of water and the makeup tank level indication 7 indicated 380 and that happened to be during a leak 8 rate test. If you go and look, maybe, a few hours 9 before the leak rate test or the operator added the 10 11 same amount of water does the makeup tank also indicate 380? 12 13 MR. HARRISON: That's a good thought, we 14 have not done that. That was not, of course, fervent to this -- as far as the -- balance test. It's a 15 16 separate issue. But that's a very good -- do you 17 understand me saying that? MR. STIER: Why don't you explain it -- Ed 18 Stier, why don't you -- because I'm not sure --19 20 MR. HARRISON: What he's saying is is there a difference in or out of an inventory balance test 21 period of what the ratio of logged and unlogged 22 appears? And I'm sure what you're getting is did he 23 24 systematically when he did the inventory balance test put in 80 gallons less than he -- put in. I think 25

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

25	trying to get to, you know, what is the error factor
24	MR. CAPRA: It was random across-the-board
23	independent inventory balance, that was random.
22	them during inventory balance or outside of an
21	MR. STIER: But you didn't just look at
20	bias.
19	MR. HARRISON: We didn't detect any operator
18	any operator bias present?
17	MR. RUSSELL: You don't know whether there's
16	inventory balance tests. It's just
15	that. These are just without reference to
14	MR. HARRISON: No, I have not considered
13	balance tests. And the answer to that question is?
12	show both during and before and after inventory
11	batch water edition to the what the strip chart
10	question he asked whether you compared the ratio of
9	MR. STIER: Ed Stier, as I understand his
8	into the computer any additions that you have made.
7	MR. CAPRA: You have to physically input
6	number that he puts into it.
5	MR. HARRISON: But his calculation uses the
4	would always come up
3	MR. COLE: But the inventory balance test
2	MR. CAPRA: No, 80 galions more in
1	that

66

COURT REPORTERS AND TRANSCRIBERS

1 in the --

2	MR. HARRISON: Basically everyone that
3	appeared not to have some peculiarity we tried to use.
4	Some of them sometimes you have suspicions of them
5	that there's something like this would not use
6	that because it's very hard to define what is the top
7	and the bottom line.
8	You know, that throws out some and you may
9	have something but number one on methodology here
10	is to try to get the best answer we think we can get.
11	And to try to not get distorted by some of the things
12	that just you can look at the chart and see some of
13	the chart gets distorted by a number of things.
14	You try to not get those cranked into this, trying to
15	figure out what's going really going on.
16	MR. RUSSELL: Could you give me some feel
17	for why knowing the actual unidentified five years
18	after the event is perceived to be significant as
19	compared to what the team indicated to the operators
20	and how that may have biased their activities?
21	MR. CAPRA: We can't answer that question.
22	Let Ed Stier answer that.
23	MR. STIER: I had asked them to do it
24	because it was important to me to reconstruct what was
25	going on in order to try to reconstruct what their
	(202) 234-4433 NEAL R. GROSS

67

COURT REPORTERS AND TRANSCRIBERS

perceptions were. I think we're concerned about both, what they believe was happening and what was actually happening. Because we can draw some inferences from what were actually happening. And that is going to be part of the basis in the interview process.

MS. DOROSHOW: Why were operator -- Joanne Doroshow, why were operator and nuclear -- relevant to what was actually happening?

9 MR. STIER: Well, they aren't, they're not. 10 They're high irrelevant. Of course, what you're 11 seeing here is an analysis of Nevada that is necessary 12 as a basis for conducting interviews.

MS. DOROSHOW: But I'm just -- just in terms of some uncertainties which you've explained, would operator interviews have helped him in determining in more certain terms what actually was happening so that your data could be more accurate?

18 MR. STIER: They may because it is one step 19 in the -- investigation. This was the first step. 20 All of your analysis of what actually going on at the 21 plant and what they perceived is going to be based not 22 only on technical analysis but on interviews. And 23 we'll probably going to have to go back and do further 24 technical analysis depending on what we hear --25 MS. DOROSHOW: And then -- will undertake an

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	additional technical analysis after leave to
2	incorporate those interviews into the findings.
3	MR. CAPRA: It depends on what you find in
4	the interviews, it may or may not.
5	MR. STIER: I'll have to make that decision
6	with the report. But by the end of my investigation I
7	want to know as accurately as possible what was
8	happening, what they perceive was happening.
9	MR. HARRISON: Let me show you the results
10	of this. This, for example, is the this is
11	February and March. You probably forgotten what the
12	slope looks like but I'll put them both together here
13	in a minute so you won't have to do that mentally.
14	But it's it, again, shows a scatter but also shows
15	a relatively consistent trend.
16	This, for example, is the results that one
17	gets back in October through January. In this period
18	of time, let me emphasize again, the amount of water
19	added was small and the number of times you have an
20	opportunity to do this very well is pretty limited so
21	that's why there's the points are pretty sparse in
22	this case.
23	Let me comment just a minute on what we know
24	about the water addition method on the May 23rd report
25	that we have. And there, again, we this is as we

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

understand it. We may have the wrong slant at some
 point but we think that in some of these totals some
 of the water additions that some feed and bleed
 operations were not excluded -- basically the next
 point.

6 In the NRC's method they try to do it on a 7 24 hour basis, take a whole 24 hours and try to get 8 the beginning and ending additions and take all of the 9 additions in that day which meant they had to get both 10 the -- take everything from the log, get all the 11 unlogged ones they could find, evaluate those, get 12 them all together and then use the 24 hour summary.

13 But one of the problems was that -- it seems 14 to me and apparently is a problem, is that the feed 15 and bleed operators got included and they weren't in 16 that -- let me show you why we think there's some --17 that things -- that that may be ending, is that 18 particular -- this is a table, water additions by the 19 operators. But this, as we understand it, is from the 20 log and we checked a number of these and this seems to 21 be -- these are additions, unlogged additions based on 22 searching the makeup tank records. It's Table 4.

23 MR. HARRISON: And these amounts are added 24 together to get a total amount of water added during 25 the day. And what we feel is not very reasonable, is

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 that you get great differences between the daily 2 amount of water added, very inconsistent. And it's 3 hard to believe that that's really the case in the 4 plant. Look at what the -- that you would have 5 variations of that amount. 71

So this doesn't look as bad but quantity-6 7 wise, for example here in March, there also is a substantial difference. These are pretty good but 8 there still is a significant difference step to step. 9 That's one of the reasons that we concluded we 10 11 couldn't take a 24-hour period. Because we couldn't figure out a way to really figure out what a clean 12 feed operation was and we didn't get enough, very --13 the operators didn't log them consistently. They 14 15 would log them but they may or may not be actually 16 additions.

Again, we then recorded additions, the amount of makeup tank level change was assumed to be correct. We've already talked about that.

And the third thing is a little more subtle and it may be that we have misinterpreted what went on in this. But let me go through it very briefly and you can take it back and do with it as you please. One of the things that it looks to us like -- here is this other table which has been put together in a

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
report where the estimates were made of the unrecorded
 water additions and their amounts.

3 In this case on March 26, and these are 4 apparently cold gallons, these are as indicated by the 5 makeup tank chart. It appears that when that number 6 gets transcribed, A-26, over to another table, because 7 in that case it was a 1,017 it went to 1,365. Which 8 meant to us that it had been converted to hot gallons. 9 But the log amount was cold gallons so hot gallons and 10 cold gallons were getting added together. Then 11 tracking this number on down, it appears that that 12 number in turn at the end gets converted to a hot 13 value and so the unlogged addition gets converted 14 twice. Where there weren't any unlogged additions, 15 obviously that isn't important. But I guess it's 16 something that you ought to be careful of. 17 Let's get off of that and let's go --18 MR. RUSSELL: This was in May 1983 report? MR. HARRISON: Right. 19 20 MR. RUSSELL: This is not the one that was 21 in January of '84? 22 MR. HARRISON: January '84, which we 23 received in February of '84, there wasn't anything 24 comparable to that. It consisted entirely of 25 information on specific allocations of water and (202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

hydrogen additions and on a very elaborate sump 1 2 analysis. And those were in the form of -- they were very helpful but they were -- some of them were 3 computer output where things were put on the table and 4 you have to do a little guessing as to what's really 5 met and back calculating in trying to figure out 6 exactly what happened in the course of getting to the 7 final numbers. 8 9 MR. COLE: The only thing of comparable 10 analysis was the --11 MR. HARRISON: Let's look at a combined 12 combination of those slope and water additions. And it's comforting to those of us that calculate numbers 13 14 that they come out to be roughly the same numbers. That would be very disquieting. 15 16 This is February and March, these are the 17 slope, those are the water addition methods, those are some least squares fits lines I've put into pieces to 18 19 give us some way to easily go to other uses further. 20 This similarly is the conditions October, November, December, January. Now, this is total, remember. 21 22 This is not what we're trying to get to, this is not unidentified. 23 We've got to get the identified leakage. I 24 25 won't belabor the identified leakage. What we

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

(202) 234-4433

basically did was essentially the same thing that the NRC did, was to take what came out of the -- the electrical input balance forms prints out the drain tank levels at the beginning and the end of the test. So on over an hour period you get a period and it does it very precisely and you get a good number to what the drain tank is doing.

8 For example, this is -- the only change we 9 made is that we got concerned about the -- in the 10 inventory balance test itself there was a technical 11 error in how they put in the drain tank level a table 12 that they used to figure out the level of the volume 13 relation in the drain tank.

14 The drain tank is not a cylindrical tank, it 15 lays on it side. Consequently, the level of volume 16 relationship is not a simple relationship. And we finally ended up going back and recalculating it from 17 scratch. We couldn't make to many people's numbers 18 19 agree within -- and we finally concluded that we would 20 just do it from scratch. So these are based on our 21 own dimensions of the tank.

This is the identified leakage. Now, in these curves there is -- sometimes they had other -particularly in this time period, the operators identified some leakage, that's the little flags on

(202) 234-4433

1

2

3

4

5

6

7

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

these. There was some leakage that they were 1 quantifying and were identifying and putting into the 2 3 inventory balance test. And there are daily sheets on those as to what they were in most cases. 4 Now, I've got all the numbers here now to 5 6 get down to the answer, which is unidentified leakage, or what could be unidentified leakage. Remember the 7 relationship that we put up. What we're going to want 8 to do is we're going to take the total leakage, going 9 to subtract the identified leakage and we're going to 10 11 get the unidentified leakage by doing that, actually it's unidentified plus intersystem leakage just like 12 13 you would put balance --This one -- let me not give you -- that one 14 is -- only when you've gotten through this one will I 15 let you go to that one. All this is is -- this is

16 let you go to that one. All this is is -- this is
17 February and March total leakage going up, identified
18 leakage going up as well because of the collection you
19 have to -- drain tank. The difference turns out to go
20 along here and it does take a jump around the 16th of
21 March as we'll see there with the sump and we'll
22 compare it to the sump in a minute.

This is this curve minus this curve. I'll show you what it looks like. Here in these curves the identified leakage was low and it's considerably more

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

complex in some places where you have some known
 leakage. Total leakage, identified leakage is small,
 unidentified leakage is here. Again, you see this
 thing creeping up on record over one gpm.

5 This is known sump curve, the curve of sump 6 collection rate. As well as those two curves you just 7 saw, they're plotted against each other. So you can 8 see where they're similar and where they're not 9 similar. One of the -- you see this is somewhat 10 similar but these things you don't see at all.

11 You see this area in here, you see a place 12 in there, you have some piece in here. But you don't 13 have any -- we say that -- we make sure I make --14 there than here. You don't have it in the sump then 15 we don't believe that you can have unidentified 16 leakage from the after truant pressure valve. 17 Irrespective of what this shows, all it means is that 18 whatever this was, like in this case, of whatever this 19 was, it probably wasn't from the reactor coolant 20 system because it would -- it was intersystem leakage, out in the makeup system in some fashion. That's one 21 22 thing we've used this actual leakage for.

Now, let's go back and take the -- remember
this curve, this was a sump curve that we had which
had ten periods. Now, what we have done is to go into

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

(202) 234-4433

1 each one of these periods of time, and I guess you would call them "mini-slope and water addition 2 methods" if you want to look it that way, gone to the 3 4 makeup tank charts that go with particular periods of time in the sump -- that it was collecting water at 5 these rates, to see whether the makeup tank level was 6 7 affected by these things. Because we felt we could 8 use this as a discriminator against those things that were being collected in a sump, the one from the 9 10 reactor coolant system.

11 You see, you can look at it that if you 12 can't see changes in the reactor coolant system 13 inventory, say when the makeup tank level changes and 14 that sort of thing, even though you're getting liquid 15 in the sump, it shouldn't be out of the reactor coolant system. There's got to be someplace else for 16 17 it. And in some cases you can, in fact, confirm that. 18 Some other cases you can't. But you can confirm that it wasn't from the reactor coolant system. 19

You make sure everybody understands what I'm saying in that case. I've got a peak in the summer, water collecting in the summer. And I go look at the makeup tank level and I go look at the makeup tank like slope and water. And I don't see any change in what's going on in the makeup tank. I don't see

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

anything that indicates I'm actually losing fluid from
 the reactor coolant system. Yet I'm getting coolant
 in the summer but I've now discriminated that that
 stuff that's flowing to the sump can't be from the
 reactor coolant system. Therefore, it can't be
 unidentified leakage from the reactor coolant system.

7 And when you apply this test in gross as we did in with this generalized thing and in detail going 8 9 to each individual time, what you find is a lot of 10 these peaks evaporate. They just aren't -- they just 11 have nothing happening in the reactor coolant system, 12 no loss of --. These peaks, nothing in them. This 13 one, nothing happens in the makeup system, but there's 14 also other information that indicates that that was an 15 immediate close --.

This is the CRDM flush, it, of course, doesn't -- didn't appear. These don't appear in the reactor coolant system. This one doesn't appear in the -- and it almost does. It appeared just before the MUV 17, and MUV 17 wouldn't have hot water in the sump anyway, it's not there. This is -- and this one also doesn't appear in the sump.

23 So, we went back to this thing, all we were 24 left with with out of our 10 periods, we had three of 25 them that appeared to be times when you really did

(202) 234-4433

1	have something. It was coming out of the reactor
2	coolant system, it wasn't identified.
3	Now, this one, he didn't quite make it over
4	one. But, it looks like in this time period, whatever
5	this in this sump wasn't the reactor coolant
6	system. We don't know what that was, we have no we
7	didn't find no information that will tell us what that
8	was. This and definitely both of them were doing it.
9	There's quite a bit of information in this time period
10	in the logs concerning leakage of some small on the
11	pressurizer level control. And also, I believe, on
12	the loop flow meter, which, at this point in this
13	shutdown, the records indicate that none of those
14	valves were replaced and repaired.
15	And there is other things in the logs in
16	this time period. We made no attempt to say, "Did
17	they do it within 72 hours?" And that sort of thing.
18	That's against But, there is a great body
19	of information that there were some small leaks and in
20	considerable evaluation of their safety significance
21	and things in this time. We felt a little bit that
22	I felt good about that, because it's good that you
23	knew that those leaks were there and tried not to let
24	the method show that they and they match up.
25	This one turns out to be a time period,

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

25	of records. And also, to corroborate what that
24	That one, for example, yes, there are plenty
23	didn't bring all that many notes.
22	we could or couldn't. Just off the top of my head, I
21	a few of them, I can't remember those two, whether
20	MR. HARRISON: Some of these other ones we
9	MR. CAPRA: that time period, or maybe
18	MR. HARRISON: We checked
17	maintenance of
16	and indication or did you, in fact, check the
15	other peaks strictly due to your makeup tank level
14	MR. CAPRA: Was your elimination of those
13	that's the next step is up to
12	punch line of our actual leakage thing. And I guess
11	these three time periods. And that, I guess, is a
10	So, basically, what we ended up was with
9	any validity, it ought to happen that way.
8	because it should happen that way. If your have
7	time order on two things. Which, again, is company
6	slow changes and it seemed to be improved reasonable
5	in the slump goes out that way. Makeup tank, level
4	sure enough, in that timeframe, the water collection
3	major contributor in that particular timeframe. And
2	And is a, I think it's CAV 6, appears to be the
1	which had some considerable investigation in the past.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

system's shows us. In most cases, the makeup tank 1 2 runs across a very sharp peak in the sump. You should get a pretty definite sharp changes in the makeup 3 4 tank, this one is. MR. CAPRA: Uh-huh. 5 MR. HARRISON: This one is classically nice, 6 it that it does what you would expect. I felt fairly 7 comfortable since these don't do that. I don't see 8 any sign that they do that. That they -- whatever 9 they were, even if we can't -- even if we have 10 11 somewhat ambiguous information that it might be. It 12 wasn't from the reactor coolant system, it was a leak 13 from something else. MR. RUSSELL: Would you go back to the curve 14 that you had, the least squares fit of the total 15 16 leakage in the March timeframe? 17 MR. HARRISON: This one. MR. RUSSELL: That one's the one that you 18 19 used for the -- in preparing to subtract out with some leakage to calculate the unidentified leakage? 20 21 MR. HARRISON: This one. 22 MR. RUSSELL: You would look at that for 72 23 hour increments when evaluating the guality of the --. That is, if I were to take different periods of time, 24 I might be able to draw different curves in, maybe, 25

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

some portions of the time period of using least 1 squares fit to, you have a few data points when you're 2 3 deriving the fit of the curve.

4 So, if you actually look at it from a standpoint of, say, plotting with mine and seeing what 5 is the error band around that curve that would 6 7 identify apparent other areas that could, in fact, have leakage approaching the one gallon per minute limit.

9 For example, if you take to about the 10th 10 of March through -- about the 20th of March where you 11 have that discontinuity of the leak rate. It would 12 appear that if you eliminate the portion prior to the 13 10th of March, you may get a different slope to that 14 curve.

15 And then, I brought to the fact that you've taken it from the 1st of March through the 10th of 16 17 March, and you're taking a fit over 10 days that's 18 compared to taking it to a fit over 72 hours, it will 19 be interesting to see what the changes in the slope 20 are from the curve pits over the technical 21 specification time period, which was, in fact, 72 22 hours.

23 Even doing -- drawing a curve with a 24 straight edge on the --. And see, I mean, it's just 25 -- least square of strip just turns to be a

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

(202) 234-4433

8

1 statistical way of getting as many points above and below and assuring that you've got statistic --2 3 MR. HARRISON: Even in this curve if there is not this discontinuity --4 MR. RUSSELL: No. 5 I'm concerned --6 MR. HARRISON: -- --7 MR. RUSSELL: -- I'm concerned that their --8 9 that this continuity appeared to be one of the points you said was validated. 10 11 MR. HARRISON: Yes. 12 MR. RUSSELL: Did you get -- you took comfort from. What I'm concerned about is periods of 13 time just prior to that. And what kinds of --14 MR. HARRISON: -- this curve -- if I --15 16 because it's not the slope in this curve, it's how 17 high it is. MR. RUSSELL: Oh. Also, toward the end, it 18 looked like you were creeping up with your identified 19 20 leakage toward one, depending upon how you draw your 21 total leakage curve, your least squares fit. MR. HARRISON: Oh. 22 23 MR. RUSSELL: That's what you're subtracting 24 out. 25 MR. HARRISON: That's right. (202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

25	instance, over a 72 hour period? And it would appear
24	My question is, how much does that move, for
23	Okay.
22	MR. RUSSELL: It will move.
21	move.
20	MR. HARRISCN: You'll get it it will
19	you're considering data
18	squares fit of the data and change the timeframe that
17	used a calculated curve, which is based upon a least
16	MR. RUSSELL: But in your calculation, you
15	unidentified go up.
14	have to raise the whole curve up to make the
13	so that you change the magnitude of all that I
12	draw the I'm not sure that you can draw the curve,
11	MR. HARRISON: There's a now, you can
10	the slope and the sump are fairly well
10	the close and the sums are fright well
8	MR. HARKISON: That's, I understand.
0	MD HADDIGON. What is a Trunderstand
7	MR. COLE: It isn't the slope, unless you
5	of the margin.
4	significantly higher slope than taking it from the
3	only from 10th through the 16th, you get a
2	what Bill's saying here, is that he takes the slope
1	MR. CAPRA: I think what both I think

84

COURT REPORTERS AND TRANSCRIBERS

to me that that curve could be higher in absolute 1 value toward the end of the timeframe where the -- it 2 3 doesn't appear that there is more data slightly 4 higher. MR. HARRISON: The only thing is, Bill, that 5 that particular form, if you go back and look at what 6 7 we -- this doesn't have the points on it, this just has the --. 8 If you identify leakages pushing up pretty 9 fast in that period of time then you can change this 10 pair of -- just before the 16th a lot. And not bring 11 12 this up. 13 MR. RUSSELL: But if you look at what you're characterizing as unidentified leakage, the concern I 14 15 have is that you're showing that for some reason the 16 plant's getting tighter in -- as a result of the way 17 you handled that. If you look at it from the period 18 of the 1st of March to the 16th of March, the 19 unidentified leakage is going down. MR. HARRISON: Physically --20 21 MR. RUSSELL: I have a hard time understanding how a plant gets better with time if you 22 23 don't do something. So I question whether with some activity going on which could account for that, or 24 whether it's some --25

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 MR. HARRISON: I wouldn't --2 MR. RUSSELL: -- not in statistics. 3 MR. HARRISON: I would not put any great store in this slope. I agree with what --4 5 MR. RUSSELL: That slope is directly a function of using the least squares. 6 7 MR. HARRISON: Yes, that's right. 8 And you could draw a line --9 MR. RUSSELL: Draw a line by --10 MR. HARRISON: -- by I and you would get a 11 smoother curve. But it will still have the jump in 12 it. 13 MR. RUSSELL: Must be testing the advantage 14 of account of the leakage. 15 MR. HARRISON: Yes, I mean -- and we can smooth the curves out. I chose to do it this way 16 17 because I handle the data in some fashion. I trusted 18 the -- one way to do it would be, obviously, to take 19 these and then, draw a smooth curve using these as a 20 base as you would make someplace -- mark off a little 21 smoother, it doesn't have a saw tooth. 22 MR. RUSSELL: In order to put the error 23 bands on that are impossible to identify from the 24 least squares fit, what kind of a leakage would you 25 have if you included those error bands? (202) 234-4433

86

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

Section of	
1	MR. HARRISON: Well, the
2	MR. RUSSELL: errors that you have more
3	cases above one.
4	MR. HARRISON: Well, it
5	MR. RUSSELL: 85 percent confidence limit,
6	for instance. If you wanted to include all that,
7	plus, say one or one and a half standard deviations in
8	your fit.
9	MR. HARRISON: If you had to put statistics
10	on this and say that then you're obviously are going
11	to make these things quite a bit larger. I don't see
12	how that what that does You're trying to
13	that's if you're trying to do a limiting case. What
14	we were trying to do is by what was our best estimate
15	for this, and sometimes, maybe approaching it from a
16	different step. We're trying to do to us, that
17	means you need the mean. You don't do error bands.
18	I've done all the stuff for some error bands
19	on these things. And frankly, it's as you get up
20	in here, as you would expect, you've got a substantial
21	fraction of the gpm error just on standard
22	deviation, because you're dealing with quatities which
23	are really not much better than those used on the
24	inventory balance test. In fact, they're probably
25	worse.

87

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 MR. RUSSELL: The only reason why I asked 2 those questions is that it appears to me that 3 the identifying leakage increases, that is, leakage 4 through the pressure of the valve. The ability to calculate the unidentified leakage is a much more 5 6 difficult standpoint that the accuracy of measurement 7 of identifying leakage and the amount of stuff that 8 you put in, you have a small change in those numbers 9 and the accuracy of that becomes very difficult. 10 That's what derives the greater number of leak rate 11 tests --12

MR. HARRISON: Let me ask you -- you're 13 absolutely correct. If -- as you get bigger and 14 bigger numbers to subtract to get the small number, 15 it'd be many of your -- take in this case where you're 16 up to 5 gpm for total leakage, a 10 percent error in 17 that is a half of gpm. That's -- that can wash you --18 down here completely. This is a difficulty in these 19 things which are related to the inventory balance. 20 They get hard to get a good number as you start to 21 subtract two big numbers from each other. Engineers 22 spend a lot of time trying not to subtract two big 23 numbers.

24 MR. COLE: I guess that's why we came back 25 trying to get the -- -- leakage.

(202) 234-4433

88

1	MR. HARRISON: This is primarily for
2	corroboration, we are off in the left field. There's
3	not something going that's not understandable.
4	MR. STIER: I'd like to add something at
5	this point to clarify what our purpose was in asking
6	for this, and what we intend to use it for. With
7	analysis has given us a bit more focus than we had
8	before we started. I, am by no means locked into
9	excluding any particular time periods because of the
10	fact that a preliminary review of plant records might
11	suggest that there is some source for some of these
12	results other than the unidentified leakage. Or
13	that, calculation deficient, I'm sure, will these
14	just below one gpm.
15	Our investigation is going to be focusing on
16	time periods that have been excluded by reason of this
17	analysis, just for the very reasons that you've
18	raised. This is guidance, as far as we're concerned.
19	MR. KIRKPATRICK: Well, I this is
20	Kirkpatrick again. I just wanted to comment that I
21	must imply that there was some you're trying to
22	find the unidentified leakage, that there should be
23	some differences between your results and our
24	report results. And I think the accuracy of that
25	method of taking the difference between the what

(202) 234-4433

NEAL R. GROSS COURT MEPORTERS AND TRANSCRIBERS

1 you call total leakage and identify that. I think, in that accuracy, you're going to find is on the order of 2 3 half a gpm anyway. The difference in the results is 4 that half a gpm is not surprising at all. MR. CHUNG: I guess we realize the 5 differences of -- -- where we are different on these 6 7 other -- corrections in the same --. 8 MR. HARRISON: And if you don't make any 9 corrections on the makeup tank level instrument, I think you do make -- you do -- by it with slope 10 11 results. And in the direction to get higher numbers, 12 at least in some time periods. 13 14 MR. KIRKPATRICK: Well, it's also part what 15 assumption you make regarding that direction. Now, 16 sometimes I think for portion -- apparently, you made 17 a proportional correction. 18 In other words, you said that if you had 300 19 gallons unit of slope -- this is a slug effect, you 20 have maybe, actually 250, and you use a linear 21 counter-direction. I think that may have been 22 appropriate in some cases. But I think in other cases 23 it would be more appropriate to use a constant shift, 24 depending on the height of that slug. Sometimes it wasn't even there at all. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

(202) 234-4433

1	So other times it was large. When it was
2	large, a proportional correction might have been
3	correct. If it was intermediate, it would probably be
4	more like a constant shift. And if it was abstinent,
5	you wouldn't have any corrections. So that's a hard
6	thing to really get a handle on. A lot of times the
7	spikey nature of that curve, I think was really due to
8	the fact that you were having the slug effect tipping
9	back and forth depending on if the pressure is going
10	up or the pressure is going down.
11	MR. COLE: You didn't use it quite commonly.
12	Capra had constantly kept changing what the correction
13	factor is for that time period
14	MR. HARRISON: We changed it from day to
15	day.
16	MS. DOROSHOW: When was this analysis done,
17	since February or was it prior to that?
18	MR. HARRISON: Since when? This was done
19	primarily after February, primarily. We had done
20	pieces of it. In an analysis like this you do it once
21	and then you go back and you do it again. So I would
22	say that some parts of it may have been done this
23	analysis, meaning this it would be the whole
24	thing
25	MS. DOROSHOW: Well, how does this analysis
	(202) 234-4433 NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1 compare to what was in front of the United States 2 Attorney in February? 3 MR. COLE: I don't think he --MR. HARRISON: I don't know of any 4 5 difference. 6 MR. DAMERELL: You didn't start with that until October? 7 MR. HARRISON: No, I hadn't done that, that 8 9 part. As I say, parts were done and pieces were done 10 and things were redone. But I guess I'm not -- that's 11 not a very answerable question. 12 MR. COLE: Is there any information that you got here that is different than what the U.S. Attorney 13 14 did in fact change by --15 MR. RUSSELL: I'm still struggling with how 16 you're proposing to use the fact that actual leak ray, 17 with a few exceptions of being less than the one 18 gallon permitted leakage. Those exceptions can be explained by phenomena that occurred in the plant, 19 20 corroborating that there was some leakage from the 21 primary system. 22 The issue that we're concerned with is 23 whether there was, in fact, manipulation of the 24 particular leak ray tests. And in that instance, 25 hydrogen additions would clearly change the slope on (202) 234-4433 NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

2 0 8 F 4 8	
1	the make-up tank strip charts.
2	There were other aberrations that you did
3	not look at. And while you may have a reasonable
4	handle on what the actual leak ray was, based upon
5	several months of calculation, that may not have been
6	available at the time.
7	And so those periods of time where you have
8	unexplained activity on make-up tank strip chart level
9	during leak ray testing, I haven't heard any technical
10	analysis of that yet.
11	MR. HARRISON: That's what that's a great
12	introduction to that.
13	MR. VANVLIET: There are two more sections
14	to your briefing; is that correct?
15	MR. HARRISON: Yes.
16	MR. VANVLIET: How long will they run?
17	MR. HARRISON: This can run a good we are
18	prepared to discuss a large number of these
19	allegations, not every one of them because there's 50
20	some of them, I suppose. But we'd like to give you a
21	sample of how we've looked at them in some detail.
22	Because I think it would be we really want to
23	compare notes. We'd like to do it so that you really
24	know what we looked at.
25	MR. VANVLIET: Well, at this point then it
	(202) 234-4433 NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1 might be appropriate to take a 40 minute lunch break 2 and reconvene at 1:00. MR. RUSSELL: I'd like the staff to cut 3 4 theirs down somewhat because I want to talk to the 5 staff. MR. VANVLIET: Shorter for the staff then. 6 7 MR. RUSSELL: Shorter for the staff. 8 MR. VANVLIET: Do you want us to stay here 9 now? 10 MR. RUSSELL: Yes, just stay here now. 11 I'm also interested in what are the 12 logistics with respect to being provided copies of the 13 technical analysis and materials that are being 14 presented today. 15 MR. COLE: When you get through we'll give 16 you one set of all the new graphs and a copy of the 17 chart. 18 MS. DOROSHOW: I would certainly request 19 that since this is now being made a part of public 20 record in the NICP that --21 MR. RUSSELL: We'll also attach it to the 22 staff's meeting summary of this meeting when we get 23 the transcript back. So the transcript plus any 24 handouts at the meeting that were discussed will be a 25 part of this meeting summary and essentially noticed (202) 234-4433 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

on the meetings of parties. We will provide that to 1 2 the parties also. MR. CAPRA: They can be bound into the 3 4 transcript also. MR. RUSSELL: Yes, that might even be a 5 better way, to bind it into the transcript such as 6 there's not a question of documents being lost. 7 MS. DOROSHOW: Would there also be included 8 the professional qualifications? 9 MR. RUSSELL: I'm sure that would be in 10 11 their report when it comes in. The actual report when 12 they submit it when it's completed would identify -if not, it can be obtained when we get into that phase 13 14 of discovery material. 15 MS. DOROSHOW: Well, I mean, just --16 MR. STIER: We'll be happy to provide it. 17 We'll provide it now. MR. VANVLIET: We'll adjourn until 1:00. 18 19 (Whereupon, at 12:25 p.m., the hearing was 20 recessed to reconvene at 1:00 p.m., this same day, 21 Thursday, September 20, 1984.) 22 23 24 25 (202) 234-4433 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 AFTERNOON SESSION 2 MR. RUSSELL: Why don't you go ahead and we'll just continue with your presentation and maybe 3 4 get a break here. Hopefully by this time after 5 everybody gets back here we'd like to --MR. VAN VLIET: Let's continue with the 6 7 briefing with section three. 8 MR. HARRISON: What I'd -- we'd like to talk 9 about now is to discuss the questions of water 10 additions and allegations of water additions being 11 made during our SV tests. 12 I'd like to give you some feeling for what 13 methodology we've used to look at these things and 14 what we see in the allegations and how they stack up. 15 First, however, I would like to -- let's 16 talk about water additions first. First, let's review 17 briefly what water additions do to the reactor during 18 inventory balance tests. Let's be sure that we -that we're all together if we're going to talk about 19 this. 20 First is the simplest thing. If you take in 21 22 -- if you add water during an inventory balance test. 23 You don't -- do not include it in the calculation --24 that is you don't input it through the computer to run 25 the calculations. You are obviously going to have a

96

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	significant	effect	on	the	result	of	the	test.
--	-------------	--------	----	-----	--------	----	-----	-------

1

This will be directly -- change the amount 2 of unidentified leakage changes the -- totally changes 3 4 the unidentified leakage. There also is in the inventory balance test -- if you -- even when you make 5 an addition because the thing is -- even when you 6 7 include the addition in the calculation as Oman discussed very early in this thing an inventory test 8 itself because of the errors in the way the thing was 9 10 set up it would tend to change the results of the test 11 being one of the things that caused the -- building.

I'm not going to talk about additions that the guy properly included in the calculations and he did it, but he in that process changed the result. But there is no indication that he did that for any particular reason. I'm not -- those are not in the allegations and we're not going to talk about that.

But you've got to remember there is an effect as well of adding water just because -- even though you do everything just like the book.

What I'd like to go into now is -- there's -- we have been given over for a couple of times a number of different specific allegations that this test looks like somebody added water during the test. That's what I want to talk about.

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

Basically what -- the various allegations we've looked at are some that originally appeared in the Faegre Benson report back sometime ago. They have a number of things indicated where they test -- and again where they think something was where water was added.

7 We have a -- the report that I keep 8 referring to in May of '83 that identifies a number of 9 water additions, like 11 identifies it now. And in 10 the material that we were given in February of '84 11 identifies a lot more something in the order of 50 12 some by now. By the time you got question marks and 13 other things here in that particular facts.

Obviously we can't go through each and every one of those today and I don't think you want to do that, but I hope to be able to tell you some -- and also tell you what we get out of it as far as ones that we think all the things add up and we can confirm as being all additions.

20 Let's look at an allegation and let me --21 let's look at --

22 MR. CAPRA: Let me ask you something here on 23 what you just said because apparently you're not going 24 to talk about it now. You said you did -- you were 25 not going to concern with water addition which were

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

(202) 234-4433

1 properly made and properly accounted for.

The example being where the operator added 3 300 gallons and accounted for 300 gallons in the -- in 4 the computer program or imputed it juto the computer, 5 yet the makeup tank level indication they have gone up 6 to 380 gallons. So it appeared that there were not 80 7 gallons unaccounted for.

8 It is something that an operator could in 9 fact see that with the makeup tank level was not 10 indicating the same amount that he had input had he 11 looked at makeup tank level at the time. Correct?

MR. HARRISON: That's correct if he had done that. But I -- from our investigation of the air in the makeup tank level that was the rule apparently. Now if we have not done one for one comparison as we talked about earlier, but by and large, the test -they logged them out and the -- in those time periods where -- we found it was effective.

We haven't done the tests that you've talked about. I can't --

21 MR. STIER: Ed Stier. It wasn't clear to me 22 whether you were talking about the effect of the loop 23 seal or the calculation error -- what before --24 MR. HARRISON: The calculation error. 25 MR. STIER: You were talking about the

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1 calculation error? Okay. I wasn't sure if you were 2 taking about the loop seal or maybe it wasn't the loop 3 seal and it was the --

MR. CAPRA: We have two mistaked errors we're talking about. One is the calculational error if in fact what was put in at the computer was reflected in the makeup tank. They both registered 380 gallons there still would have in fact be an error.

9 MR. STIER: That's right. You're right.
10 That's all I wanted to as is that were two effects -11 two errors as a result of the conditions.

MR. HARRISON: Let me use as an example -l3 let's look at -- see if this is at all readable. I've got one slightly larger scale.

This is October 18, 1978, which is a period when those of you that are familiar with this thing are aware it was a period when there were a number of tests run that were not signed, but available.

19This is a period I'm sure you're all20familiar with. But I think it provides a good way to21get a -- into makeup tank charts and what happens.

In this time period there are allegations for example that in this test there was a 60 gallon addition at this time on the chart apparently being that movement of the chart. Here is an allegation of

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	100 gallon jogged addition at this portion on the
2	chart.
3	Here are here is another allegation to
4	the 100 gallons that was added at this point on the
5	chart. Here is an allegation of two additions were
6	made and those were 100 gallons total. Now I think
7	you can see that a couple of things come out in
8	general to what the trace does a lot of movement.
9	Some things are very clear. This addition
10	that's probably an addition. These don't seem to
11	have quite the same shape. You are concerned that
12	those that those may or may not be just typical of
13	the rest of this time period.
14	Now if you look here you can see here the
15	inventory balance test results in this time. And in
16	here you can see that if there was an addition in this
17	thing of 60 gallons you should have had a roughly
18	one gpm effect in this result over this one. You
19	don't see any such thing.
20	Here you have to take 100 gallons, that
21	should be a substantial effect. That doesn't seem to
22	show up in the inventory balance test results. You
23	see a real you see also this it's a very
24	interesting one, you also see a real change in the
25	leakage in the plant if you look hard, you're talking
	(202) 224-4422 NEAL D. (DOCC

COURT REPORTERS AND TRANSCRIBERS

1 about the slope, you'll see a real change in leakage 2 in the plant about this time.

This might be considered a typical kind of allegation that one might have to fight through. Let me leave this for a minute. Let's go down -- let me tell you what specific things that we tried to look for when you have a specific allegation and I can try to explain what those are.

9 The first problem is you've got to find the 10 test on the makeup chart and you've got to -- as we 11 talked about earlier you need to time the chart, find 12 where it is. And there are several ways that you can 13 do that.

One of them is to compare the time of logged additions because they have a certain spacing in the log and you can match them up. And once you get a period of time going you can get a pretty good timing of the chart.

Sometimes they mark the chart. Sometimes they mark the chart, sometimes they have a day to mark the chart at a certain time. And you can use that to get the thing timed.

23 Sometimes there are other logged events.
24 Sometimes that you can -- like a reactor trip or
25 something of that nature.

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	And the last thing you can do is compare the
2	values of the makeup tank level trays. Let me use a
3	more colored thing here to see whether you're
4	really getting the right this is a little bigger
5	scale in the same time period.
6	But you feel pretty sure that you've got
7	this one timed reasonably well because the makeup tank
8	levels in these tests match up with the trace and that
9	generally is fairly unique. I don't think you could
10	find another time period that those would match up.
11	So that's your first thing that you've got
12	to do. Then we always then we tried to see whether
13	the trace fluctuations were typical of that particular
14	day. As we saw on that other chart, traces tend to
15	fluctuate and for example here's a period in March and
16	all sorts of fluctuations in this time period as to
17	what's happening.
18	And one of the tests that we thought was
19	necessary was whether the kind of fluctuation that we
20	were looking at was unique or whether it was spread
21	out over the whole period. Whether it occurred
22	earlier or later in the day as well on the basis that
23	it's unlikely that the same kind of manipulation would
24	be done exactly the same way.
25	Basically what kind of trace fluctuations

(202) 234-4433

.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

are occurring, then compare the rate of the makeup tank level change during the test and the slope of the tracer to what was happening before and after.

1

2

3

And I think here and back to this maybe it has to say that the apparent slope that these are getting you out of this is pretty reasonable. It's hard to believe that whatever -- that if anything was done that it could end up that it matched this slope with these points.

You see it doesn't look like this is -- this has effected those particular -- for this -- by that test. We also needed to look whether the plant was in steady state because obviously the reactical inventory balance test is going to do -- give you unreliable answers in -- if in fact the plant isn't in steady state.

17 One of the things you can do is you go to 18 the log. If their start up was in progress and in the 19 process of pulling rods and if you see the makeup tank 20 trace is wandering around, you're pretty sure that 21 they weren't really in a period of steady state.

And you can also look at the reactical inventory balance test form gives you the beginning and ending parameters -- I think I pressurize a lot of old makeup tanks -- temperatures and you can look at

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	those and if you see large changes in those parameters
2	say you see a six or eight degree in average
3	temperature between the beginning and end of the test,
4	the plant isn't in steady state and the prospect of
5	the makeup tank trace showing you very much under
6	those conditions is pretty slim.
7	That's basically our methodology if you want
8	to call it a methodology is just looking at and
9	look at the reasonable most of the results.
10	Let me give you some feeling for parameter
11	fluctuations too because we've talked about them
12	before, but typically a swing in average typical
13	parameter variations in this plant would be for
14	average temperature over three to six-tenths of a
15	degree.
16	Now that in itself is the order of an inch
17	or two one of those fine graduations an inch or
18	two in makeup tank level. Pressure 20 to 40 pounds
19	about a half to one makeup tank level. Pressurizer
20	level typically moved around by about one to three
21	inches not PSI, I'm sorry.
22	And there again is about another inch. So
23	it's with these things moving through typical kinds
24	of variations the makeup tank level is also going to
25	move through kinds of variations. So you are getting
	(202) 234-4433 NEAL P. (20055

COURT REPORTERS AND TRANSCRIBERS

1 down to where when you start to try to discriminate an inch or two which is like 60 or even 60 to 90 gallons 2 of something happening in a makeup tank you're 3 stretching the ability of the system to discriminate 4 this kind of an event. 5

It just is very difficult to pick it out unless it extends over a long enough time with some 7 other characteristic that you can hang your hat on. 8

6

(202) 234-4433

9 Let's go to specifics if you will permit me. Particularly with respect to this reasonableness. This 10 11 -- this for example is a cable which appeared in the May NRC report which lists 11 specific allegations of 12 weeks of manipulation. 13

14 And one of the things that strikes you 15 immediately when you look at this is the last column. In the last column if you say, "all right, let's 16 17 assume -- let's assume it really happened. Let's 18 assume that they actually did what they said they did 19 -- what the allegation says they're doing." Six hundred and some gallons added. 20

21 It said a corrected leak rate was 11 gpm --22 that's, you know, not a reasonable result. You don't 23 really believe that there was that kind of a leak. Similiarly this one -- the subject read this one. Now 24 25 let's take a look at what happened on those, why that

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

what might have been the problem with that
allegation on running clear to that which incidentally
does not appear in the later one.
I'm going to show you this so we can bring
in if you take it for the chart time you put on
here where the test occurred and you plot the makeup
tank level. It said it was there and there and here
was an addition. If you really had that that wouldn't
you'd have a makeup tank levels would be like this
and this.
You don't have that. You find by timing the
chart that actually you're over here and this addition
didn't occur during that time period.
Now in that chart that I showed you that
list of ten things.
MR. CAPRA: One other comment here to you
have made reference to this May '83 report on several
occasions. You do realize that the NRC knows that
there are significant errors in that particular report
and does not report that to be the truth.
MR. HARRISON: Okay.
MR. COLE: Can I caused by anything. In
the last Hayes report, Hayes?
MR. STIER: Hayes.
MR. HARRISON: on page 14 they talk about

COURT REPORTERS AND TRANSCRIBERS
1 10 allegations and the only part allege water 2 additions and the only parts we could correlate with 3 anything -- we said, "Geez, they must be going back to 4 this report."

5 And so we thought you were -- you all had 6 gone back and were -- had gone back and were going 7 back --

8 MR. RUSSELL: Let me take a break for a 9 minute so that you understand what the difference is. 10 The recent Office of Investigation report addressed 11 matters in evidence that was gathered by the staff as 12 compared to evidence and information which was 13 gathered in the Grand Jury and evaluated by members of 14 the staff who were on detail to the Justice 15 Department.

So when you talk about NRC reports what you have been talking about is reports that were generated by members of the NRC staff for the Justice Department as a part of that proceeding.

The information that was addressed in the August 16th, 1984 report was information that was gathered prior to turning the case over to the Justice Department, plus some work that was gathered as a result of the commission redirecting the staff to reopen the case along with a history of what happened

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 108'

1 during that period of time.

2	The analysis that you've mentioned earlier,
3	the January 1984 analysis, is an analysis that was
4	performed for the U.S. Attorney by a member of the
5	staff who was not able to address that or discuss that
6	with any other member of the staff because of the
7	limitations imposed as a result of the Grand Jury
8	secrecy and as a result of letters which he received
9	and directions he received as to what he could discuss
10	technically.
11	We today, the staff at NRC, do not have a
12	complete copy of the January 5, 1984 report. We have
13	portions of it, we have portions that have been
14	blanked out because release of that information could
15	result in a compromise of Grand Jury secrecy by way of
16	identifying documents which were subpoenaed by the
17	Grand Jury.
18	Now that report was provided as a part of
19	pre-trial discovery under order from the court. It is
20	that same court that has not agreed to give us the
21	Grand Jury materials. That is why we've made the
22	request to chief GPU to identify all documents
23	obtained in the part of discovery. And to have those

25 have access to the same information because we do not

24

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

documents placed on the record so that all parties

1 have that today. We have only recently, within this week, 2 obtained a partial markup of that report. 3 4 MR. COLE: Of which one, sir? MR. RUSSELL: The January 1984. 5 MR. CAPRA: And that was based on materials 6 7 which we had received from GPU --MR. RUSSELL: The --8 MR. CAPRA: -- the documents, I believe, 9 10 that we have gotten that -- outside of the Grand --11 outside of documents that were subpoenaed by the Grand 12 Jury. 13 MR. RUSSELL: It was furthered complicated 14 in the documents which were provided toward the end of 15 the plea agreement were not analogue from the 16 standpoint there had already been an agreement to a 17 guilty plea by that time. 18 And they were no longer maintaining accurate 19 records of what documents were turned over. So the 20 first confirmation that we had that you had, in fact, 21 obtained the complete January 5, 1984 report was 22 today. 23 We didn't know that you had even received 24 that report even though we know portions of it were 25 discussed, and there were other pieces of the (202) 234-4433 NEAL R. GROSS

110

COURT REPORTERS AND TRANSCRIBERS

1	analogues that were discussed earlier. And that you
2	had made a presentation to the U.S. Attorney in the
3	February 1984 timeframe.
4	MR. COLE: And it was given to us, I mean,
5	with no restraints.
6	MR. RUSSELL: No
7	MR. CAPRA: We understand that.
8	MR. RUSSELL: And rightly it should have
9	been as a result of the pre-trial discovery. There
10	was no question that it should have been turned over,
11	we just didn't know for sure whether it had.
12	And the staff at NRC was not involved in
13	that except if they were on detail to the Justice
14	Department, and they were sworn to secrecy. So that
15	the staff did not have this this information. And
16	you're saying in the earlier transcript today, the NRC
17	evaluation, you're talking about individuals at the
18	NRC who are on detail to the Justice Department who
19	performed these analyses.
20	The work that we've done has been based upon
21	the materials provided by OI, which is back in the
22	1980 timeframe, Arkin's Report, and the things that
23	are documented August 16, 1984, OI Investigation
24	Report. Plus the Faegre Benson Report, and basically
25	that information that which is documented in new regs
	(202) 234-4433 NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

.

1 680 supplement file.

(202) 234-4433

Which gets to the point of why we're discussing this stuff now because we have, separate from the restart proceeding, activities going on with respect to individual operators under the terms and conditions of their license, under part 55 of the NRC's regulations.

8 The staff position on TMI-2 leak rate and 9 TMI-1 leak rate is as it's stated in new regs 16, 10 supplement five.

So that there was a question as to additional investigation of being done, or additional review that's being done, are review and evaluation is for the purposes of part 55, licensing concerns. We are not performing in a further review as it alleged to part 50 in the TMI 1 restart procedures.

17 MR. COLE: So you understand where we were 18 coming from on the water additions when we read the 19 August 15 -- paper. We're back to where we were 20 arguing about the additions of the -- in the May '83 21 report, and maybe we misread it when we saw the ten. 22 But does that look like analogous with a 23 ten? 24 MR. RUSSELL: Because that's exactly what 25 you were reading. You were reading information that

> NEAL R. GEOSS COURT REPORTERS AND TRANSCRIBERS

1	you may have seen before as a result of your support
2	to the company in trial and discovery.
3	But we did not have access to the new
4	information that was being generated.
5	MR. COLE: Bill, let's get to the bottom
6	line.
7	We can go down through these ten and tell
8	you if it's of interest to you, we can go down the
9	chart, you know, blow by blow and tell you what we
10	think of each of the ten.
11	We can go down through the other
12	allegations, and the other things, that we received at
13	the what we call the January 5th report. We can go
14	down through those four allegations
15	MR. RUSSELL: Through sump?
16	MR. COLE: And then we can go through the
17	hydrogen additions, the same type of thing, if that
18	would be of a benefit to you.
19	If it's not going to be of benefit to you,
20	I'm sure you and we have other better things to do.
21	MR. RUSSELL: What would be of benefit is
22	your review, if it was strictly focused on addressing
23	allegations as to fair to looking at the data yourself
24	for you to make a determination as to whether water
25	additions had been made, or hydrogen additions had
	(202) 224 4422 NEXT D (2020)
	(202) 234-4433 NEAL K. GROSS

COURT REPORTERS AND TRANSCRIBERS

been made.

(202) 234-4433

1

2

5

6

I'm interested in your analysis of what 3 activities were going on at that time, rather than your comments on analysis which we admit contains 4 errors, we know that, there has been subsequent work done on that. We now have access to some of that 7 subsequent work.

8 And so what I'd be interested in, and what I 9 think you should be interested in for the purposes of 10 conducting your own investigation, is what do you 11 believe to by factual with respect to potential 12 manipulation during tests through either the vehicle 13 of water addition, or hydrogen addition. Which ones 14 were you able to confirm, or not, if I go back to the 15 words that were used in your TMI Unit 1 leak rate 16 categories.

17 So rather than an approach that would say, 18 this is what you said, we think that's wrong, I'm not interested in it. Tell me what you think is right 19 20 about when these events may have occurred.

21 Or if you conclude that none of it ever 22 occurred.

23 MR. CAPRA: I'd be interested in that also. 24 MR. COLE: We can give you -- we can take 25 all the allegations that we have found, all right. We

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	can try and go through them one by one
2	MR. HARRISON: Let me suggest that I go
3	through certainly there's a minimum. The ones that
4	we think are concurrently confirmed. Let's do that,
5	and then because I think that's well, if that's
6	what you want.
7	MR. RUSSELL: The other thing that we want
8	to come back to is the question that Bob Capra asked
9	earlier, and that is a water addition that was made
10	during a test that was logged could have the same
11	effect on leak rate.
12	If we use your 300 gallon water addition
13	example, it would cause an 80 gallon change in makeup
14	tank level.
15	If you properly log 300 gallons on the leak
16	ray test, but the makeup tank went up 380 gallons, you
17	have an 80 gallon discrepancy over one hour. That's
18	greater than a one gallon per minute leak rate
19	difference.
20	And if that individual was aware of the
21	effect of adding to the makeup tank, and seeing a
22	greater increase than was actually recorded that
23	information could be used to, in effect, manipulate
24	the leak rate test results by virtue of taking action.
25	And while it wasn't explicitly prohibited, he was
	(202) 234-4433 NEAL R. GROSS
	이 것은

COURT REPORTERS AND TRANSCRIBERS

1	taking advantage of circumstances he'd seen.
2	And so the fact that you have excluded those
3	because he simply logged it, if he had logged 380
4	which is what the makeup tank did, he probably
5	wouldn't be as concerned.
6	But if he had, in fact, logged 300, which
7	was the input, I would be more concerned about that
8	particular case. And I understand that you didn't
9	look at those.
10	MR. DAMERELL: Paul Damerell from MPR
11	speaking.
12	Just to try to clarify what you're pointing
13	out there. The effect that that difference would have
14	would be only related to the amount of water addition
15	which was in excess of the normal loss in level during
16	the one-hour test.
17	In other words, if he had a total leak rate
18	five gpm over a one-hour test he would have lost 300
19	gallons. And that would have been over stated by the
20	makeup tank level.
21	If he would have added 300 gallons and wrote
22	it down as 300 gallons, it would have brought that
23	error on it exactly back to zero.
24	MR. RUSSELL: I agree.
25	MR. DAMERELL: So the addition is only the
	(202) 234-4433 NEAL R. GRUSS COURT REPORTERS AND TRANSCRIBERS

L

116

.

1	amount of water addition in excess of the normal
2	decline in the makeup tank.
3	MR. RUSSELL: It would be less significant
4	when the leak rate, toward the end of March, was near
5	five gallons a minute
6	MR. DAMERELL: That's right.
7	MR. RUSSELL: than it would have been
8	back in the October timeframe
9	MR. DAMERELL: That's right.
10	MR. RUSSELL: on the order of one gallon
11	per minute.
12	I used an example for illustrative purposes
13	of assuming no leak rate, and I agree that there would
14	be a change.
15	But in any event you're maximum change for
16	that 80 gallons would be like 1.2 gallons difference,
17	80 gallons over 60 minutes.
18	And if you had an actual leak rate of five
19	gallons per minute instead of, say, 1.2 you'd see
20	about one-fifth of that. Something on the order of .2
21	to .3 gallon per minute change as the result of the 80
22	gallon recorded
23	MR. DAMERELL: I believe if the actual leak
24	rate was five gpm it would come up to zero because the
25	makeup tank would have been brought back to exactly
	(202) 234-4433 NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

the level it was when the test started and taken care 1 2 of it -- you don't divide by five, you get rid of it. 3 If you add the amount of water that's equal to the decline in level during the test, then the error goes 4 away completely. 5 In fact, if you don't add enough water to 6 7 bring it back to the level he started at at the test you still have the same error working, you know, 8 9 against you to give you a larger total leak rate 10 your adding water helped to reduce that. 11 MR. RUSSELL: That would be the case from --12 MR. HARRISON: Yeah --13 MR. RUSSELL: I have to think about that for 14 a minute. 15 MR. HARRISON: Yeah, think about that. 16 MR. KIRKPATRICK: It's a little unfair when 17 you're beginning to make your own calculations, and 18 corrections. 19 Or are they correct as the drain tank 20 leaking because they did not correct it. 21 MR. HARRISON: Yeah, that's correct. 22 MR. KIRKPATRICK: They had to add water. 23 MR. HARRISON: Do you want to look at a 24 confirmed addition from the -- 11th of February 1978, 25 CRO log says at 1825 he logged that he added 300 (202) 234-4433 NEAL R. GROSS

118

COURT REPORTERS AND TRANSCRIBERS

gallons. 1 If you put this -- get this timed on the 2 3 chart -- I'm sorry, but this particular one is very bad. 4 MR. KIRKPATRICK: That's no problem. 5 MR. HARRISON: If you do a chart time, 6 that's over here that obviously isn't right. 7 You put it in here and you find his addition 8 occurs in here, and you have to conclude that they 9 10 really did add water in the middle of the test. 11 MR. COLE: Was that logged or unlogged? 12 MR. HARRISON: That was logged. 13 MR. COLE: So you logged it in. MR. HARRISON: And in your -- just by the 14 15 different times on the RCIB test, you would say, that 16 particular one has been around a long time. That's a 17 little bit easier to verify that one. MR. SEVRANSTY: I'm sorry, could you go over 18 19 that? 20 MR. HARRISON: Well, in this case you have a situation where the CRO has logged an addition, which 21 by the timing of the inventory balance test should 22 have been in the inventory balance test. He's written 23 down that at 18:25, he put in 300 gallons. 24 You go to the chart, you find where the test 25

1 was conducted, find what the makeup tank levels were and it matches and it fits the chart and it appears to 2 3 be a -- this is not very clear, but it appears to be a relativity sharp addition. There's not a lot of 4 5 confusion. 6 MR. SEVRANSTY: So it's just the magnitude 7 of the graph? 8 MR. HARRISON: Yes. 9 In fact, that these match up are the facts 10 that you have an independent -- that he says, he did 11 it and he wrote it down -- and he just didn't put it 12 in the calculation. 13 MR, SEVRANSTY: He didn't put it in the 14 calculation? 15 MR. CONNOLLY: If he had not made that calculation that the -- when the --16 17 MR. HARRISON: Gee, I think in that case that -- I would -- I tended not do that, let me tell 18 19 you why in that particular test. That particular test 20 had some other particularities. 21 In that particular test, the level in the reactor collant drain tank went down. And 22 23 levels and reactor collant drain tanks should not go 24 down unless somebody made them go down. And for that 25 reason, I think it's probably to go recalculate that

1	test. That's probably not a valid test, for some
2	other reason that we aren't too sure about.
3	MR. KIRKPATRICK: I think when you see the
4	drain tank going down at the same time you see the
5	makeup tank going up, that probably went directly from
6	the drain tank to the makeup tank.
7	MR. HARRISON: Can they do that on TMI 2?
8	MR. KIRKPATRICK: They can on 1, I'm not
9	sure on 2.
10	MR. HARRISON: I know that's come up before,
11	and I think that TMI 1 there were some instances of
12	that. Now, I'm kind of skeptical of that because
13	it's the guy doesn't have much control over the
14	quality and what's in the drain tank. And pumping it
15	back into the system.
16	If I was an operator, I wouldn't do it. But
17	and I don't know how the valve lineup would have to
18	be in order to accomplish that.
19	MR. COLE: I'm not certain about 2 and how
20	he did that, but I didn't think you could on 2. I'm
21	not positive.
22	MR. HARRISON: So the wrapup on this one is,
23	yes, it works like he he logged it and did it, but
24	the test has some particularities, which I think you
25	have to keep in mind.

1	MR. RUSSELL: In what count?
2	MR. HARRISON: On January 13th.
3	MR. COLE: In the subsequent report that you
4	would rest the issue on whether that is physically
5	possible based upon boundary arrangement, whether it
6	is or is not covered by procedure, except that we do
7	have evidence that there was another heater on.
8	MR. STIER: We will I think that's
9	nothing worry about it, I'll look into it.
10	MR. HARRISON: January 13th, now, if you can
11	remember, January 13th from back on what we did on
12	the actual leakage, January 13th, should be a period
13	where it was probably the inventory balance test
14	should have been giving numbers like 1.
15	So I'll point that out because it is in
16	this test, the control and operators log says that at
17	10 o'clock that he had 117 gallons. And the test time
18	is 9:37 and 10:37. If you go to the makeup tank level
19	chart, you can place the thing on the chart reasonably
20	well. And that's a conceive a small jump, which
21	appears to be the 117 gallons.
22	I have no reason to disbelieve the operators
23	logging of the event. He just didn't put it into the
24	calculation. So in that case
25	MR. COLE: He logged it, but he didn't

1 include it in the calculation.

MR. HARRISON: So we had to conclude that that was a confirmed addition. That appears to be pretty much as is. I didn't have these in this order.

6 MR. COLE: This is the 23rd of February, 7 where the operator says, in his log again, he logs --8 at 11:35, he logged that he put in 150 gallons. When 9 you get this thing around it fixed in time, it appears 10 to be here, was his actual probable test period.

And you can find, what appears to be addition. My suspicion is, based on this, that this may well have been a feed and bleed operation, where he logged in his addition. But it clearly appears that he did do something in the middle of his test, just the way he logged it.

MR. HARRISON: Just a minute, I've got to find one, they're not in your order. I'm sorry, I do not believe that I have with me the other one that I've been able to confirm, which is February 12th. I thought I did, but I don't seem to have it.

It hours different from the others in that it doesn't appear -- there's nothing appears on the log, it appears so clearly. I'm sorry, I just didn't bring everything that I possibly had. I don't have

1 that particular view graph with me.

But there is another one that we've been able to confirm. Basically, we've been able to confirm these four. The other ones, we've had a variety of problems with, in that basically along the lines of the fluctuations are -- appears to be other places on that trace a fluctuation that appears to be alledged as a variation appears other places.

9 There's one where there was some confusion 10 as to whether it was on daylight saving time or 11 standard time. There's a number where the plant 12 didn't seem to be in steady state at all.

There's a number -- there is also another period of time in December where there is kind of an unusual situation, December, January. Let me show you, for example. Here is a -- here is a test which appears as an allegation as, gee, there's something wrong because the makeup tank went up instead of down on the course of this test.

And this is because of a particularity in the sytem in that -- in that there's two level transducers. And over this period of time, one of the transducers was not behaving properly. In that one of the transducers goes to the inventory balance test and one of the transducers goes to this makeup chart.

So what you see here is when the operator switched from one instrument to the other. So at this time, his chart was on the good instrument. You can see what the quote "bad instrument" was doing. And you can easily see that being off of this line in that period of time is a -- .

So you can't tell very much about -- this doesn't appear to be -- this appears to be a natural result on being -- being with these inventory balance test on the -- on the other transducer.

Surely you have problems with allegations like this, which are, in this case, the operator did switch his transducer, so that he had it on the good transducer to run the test.

But this trace is now so confused that you can't tell much of anything from the makeup tank chart as to what happened. So you have to -- this is one of the allegation that -- you know, a 100 gallons sometime in this -- I don't know how to deal with that one. I don't believe that could be confirmed from that kind of a chart.

22 MR. CAPRA: You should also still have the 23 beginning and an ending printouts of what makeup tank 24 level actually was on the computer printout sheet 25 itself.

1 MR. HARRISON: That's right. That's what --2 MR. CAPRA: And then you attempt to try to 3 correlate that ---MR. HARRISON: That's what the dots -- if 4 you look at the dots, in this case, you would say in 5 this terrace here's the good instrument. And those 6 dots match up reasonably well with the slope. It 7 doesn't look like those are out of line with what you 8 9 would have gotten if you'd have the rest of the thing on here. 10 11 So it's pretty hard to conclude anything 12 -- happening in that one. Plus this slope is 13 essentially continuance through this thing, which 14 means that it's unlikely to add any water to it. 15 That's just a summary of some of the problems in trying to set up -- take any one test and 16 17 say, did anything add up. Sometimes you can find 18 something and sometimes you can't. 19 MR. CAPRA: You said, one of the things that 20 you discounted was when strange oscillations or 21 whatever, happened to the makeup tank level during 22 periods which leak ray test was known to have occurred 23 when he looked back a few years ahead of that makeup 24 tank trace or behind that makeup tank trace, ahead or 25 behind in time, similar traces were also evident, you

1 tended to discount those.

13

2		At some period, many of these test were ru	n
3	back to	back. So it would not seem to me to be	
4	strange	that you would have similar hooks, bumps and	
5	jiggles	on that makeup tank level.	

6 If, in fact, the leak ray tests were also 7 being done and water or hydrogen additions were made 8 during this period of time. Just because it doesn't 9 have a hard computer printout that says there was a 10 leak ray test being done during that period of time, I 11 would not discount the leak ray record that you have. 12 MR. HARRISON: Except the following Bob.

Consider it this way.

These the methods some of the suppose I were to jog in a 100 gallons, into my test. Not put it in the calculation but put it into the makeup tank. I've got a hundred gallons and it's gonna show higher in my makeup tank, and I'm gonna convert it to hot and I'm gonna make you know two GPM change in my unidentified leakage.

But I get in it or not. Now if my unidentifiable actual unidentified leakage is of the order of half a GPM or three-tenths of a GPM, and that's what the average of my variability is coming out with it would seem like I wouldn't need to do

1 that, I wouldn't be running back to back tests that I
2 did this in without getting good tests, which I would
3 have saved.

4 That's the other side of the argument. I 5 mean these things are so effective. If you start 6 talking putting a hundred gallons in and not recording 7 it, or sixty gallon in, it changes the thing directly 8 by -- more than that amount, why he would do that back 9 to back. Now look at it this way, now here this is 10 right on your question.

11 Here's an allogation that this is where the 12 tests come in once you time it. Here is an allogation 13 that there is a jogged edition. You do see a little 14 rise in this thing. You go over here and you see a 15 little rise in this one and you also see a little rise 16 in this one. And if you're depending on what you 17 might -- you may include this one you see a little 18 rise in this one.

19 That's what I see and you can't rule out the 20 fact that the guy was running a test here and here and 21 there, but if he really were putting in that kind of 22 water it would seem to me that he would have gotten a 23 good test, and put it in.

24 MR. COLE: But Dwight, before the 25 allogation there is a period where there is a good

1	test so why would he run it again. Why would he
2	inject water again?
3	MR. HARRISON: I can't speculate
4	on why the operator would be
5	MR. CAPRA: Well just because the operator
6	got a good test does not mean he waited to start
7	another one. You have many periods where there is
8	back to back tests that have been saved. So why
9	didn't he run another one right away if he just had a
10	good one?
11	MR. STIER: Good point.
12	MR. VAN VLIET: On the scope of your review,
13	is your review to look at every allogation? Or is
14	your review to look at every calculation?
15	MR. HARRISON: We have looked at every
16	calculation in March, and we have looked at all the
17	allogation before that time at this point. If Mr.
18	Stier may ask us to do something else. Or more on
19	that as to date that is what we have done. Because
20	after all a whole lot of people have all gone through
21	and looked at these traces, a number of times.
22	Faegre and Benson looked at every trace.
23	Your staff members have looked at every trace. Other
24	people and we also have it sometimes we can go back
25	and look at the other ones. But I would hope that

1 most of the questionable ones are out on the table at 2 this juncture.

3 MR. RUSSELL: Let me ask the question a 4 little bit differently. Mr. Hartman indicated that he 5 was involved and admitted performing some 6 manipulations of leak ray test. And when you looked 7 at the records for those tests which were performed by 8 Mr. Hartman to see if you could corroborate with these 9 policies, his statements which he made concerning his 10 own activities?

MR. HARRISON: We have not investigated any tests on the basis of any particular person being involved in that. Mr. Stier may ask that.

MR. STIER: That's a phase that we are just beginning. We have gone through records and sorted them out and by individual and by shift, and we are going to be requesting further analysis --

MR. RUSSELL: Well it would seem to me that the valid test of your analytical work and some of the explanations that you have made if, in fact, you were to look at these specific cases when Mr. Hartman was on watch for periods when he signed the leak ray test base upon his statements concerning what was being done to get good leak rays.

25

If your analysis shows that there are no

valid tests, or none that you can confirm and yet he
 has admitted doing these things then that would raise
 questions about the ability to rule these out based
 upon the analysis method that you use.

5 MR. CAPRA: In addition, there are, of 6 course, other individuals who have also claimed the 7 same thing. And let me point out Billy just -- Billy 8 said --

MR. HARRISON: He's going at it from one 9 direction and we are coming at it from the other 10 11 direction in that this -- but let me say first about 12 job additions before we get to much farther. If there 13 is, I in my opinion no way to tell from the make up 14 tank level chart whether or not somebody jogged water 15 in. If he put it in in increments of the order 20 or 16 20 gallons is like a half of one of these that a third of one of these. There's no way in my opinion to tell 17 18 from this one way or the other.

19MR. STIER: Let me indicate why it is like20this.

21 MR. HARRISON: There's misconceptions as to 22 why we claiming --

23 MR. COLE: We weren't looking at the claim 24 we look at that tape here. And you say that is jogged 25 addition.

131

1 MR. HARRISON: We can't confirm that it is a 2 jogged addition. 3 MR. COLE: Just the raw facts --MR. HARRISON: I am saying that it can't 4 be a jogged addition. 5 6 MR. COLE: -- it's 0800 of the morning that I put in X amount of gallons. Hey, we have no way to 7 8 repute that. 9 MR. STIER: Let me ask you, let me tell you 10 why I asked them to do this. I asked them to go 11 through this analysis to find out how many they could 12 confirm so that I would know which ones on the basis 13 of their examination I could be sure, more sure than 14 on the basis of any other evidence that I know of. 15 Those were water additions, I didn't do that for the purpose of excluding any possible water 16 17 additions. Just because they say they can't confirm 18 doesn't mean that I don't believe it happened during 19 that time or we won't find some evidence that it did 20 in fact happen during a time when they simply can't 21 confirm it on the basis of what they have done. 22 This process has been one of trying to 23 identify lead information rather than excluding the 24 possibility that something happened during those 25 times.

1	MR. VAN VLIET: Let me get back to the
2	fundamentals a minute. He mentioned a number of times
3	I think that adding a 100 gallons or 150 gallons would
4	have a major change on your unidentified leakage, but
5	doesn't that really effect total leakage, identified
6	or unidentified? And if a guy has very high
7	identified leakage at that point may not have such a
8	large effect; is that true?
9	MR. HARRISON: But if he has a high
10	identified leakage he will since the identified
11	leakage is coming from his system he must have a total
12	leakage which is just as high. Right?
13	So then he pyramids that on top of that he
14	gets more total leakage if he reduces his total
15	leakage by adding water is what he does. He produces
16	total leakage. His identified leakage stays the same
17	because he can't the drain tank is still collecting
18	it at the same rate. So we've reduced the
19	difference that we took between the because the
20	inventory balance test works just like the things we
21	looked at.
22	The identified leakage is staying the same,
23	you are reducing the total leakage and your
24	unidentified leakage rose down.
25	MR. VAN VLIET: But doesn't that have

something to do that I guess it is the way you look at 1 it, but doesn't it have something to do with the 2 3 temperature involved and the temperature correction? Or your tanks? I think where we let off this morning 4 you had no idea of knowing what is going to happen 5 because of the temperature -- is up. 6 All I am saying is --7 MR. COLE: There are two temperature 8 corrections whether they are hot or cold, but it isn't 9 10 uniformally handle the temperatures of the drain tank, the make up tank, and so depending on exactly which 11 12 will be or whether you were --13 MR. VAN VLIET: What I am saying is I don't 14 think you can give too much weight to the argument 15 that he may not have added it because if he had it would have had a significant effect. 16 17 MR. DAMERELL: Paul Damerell, from MPRP, and 18 I think we can make the following statement: If an 19 operator did sneak in on the order of 90 to 100 20 gallons during the test and did not enter in the 21 calculation he'll get an answer and it's about 2 GPM's 22 lower then if he did not sneak in 90 to 100 gallons 23 during the test. Regardless of how much identified leakage or other things that occurred during the test 24 25 that has -- of those other things that occurred during

1	the test.
2	If he successfully if he did that or if
3	he did not do that, that causes a difference in 2
4	GPM's regardless of identified leakage that we can
5	make that statement.
6	MR. RUSSELL: How much variability did you
7	see in the calculated result in all the tests that
8	were run? What was the normal distribution of test
9	results?
10	MR. STIER: Of the ones that were recorded?
11	MR. RUSSELL: The ones that were reported
12	plus any others. They were throwing alot away. Two
13	various individuals have testified to various numbers
14	but a swing of one to two GPM, at least in my
15	recollection that was not very unusual during this
16	period of time. And such that somebody wants to
17	hedge his bet putting in 60 gallons might give him
18	one, 120 gallons might give him two, depending upon
19	what the last one was that he ran, if it was a
20	relatively large number and he wanted to throw this
21	out.
22	Your behavior is very much subject of what
23	you saw and what you perceived as compared to this
24	more precise calculation of what was happening.
25	And that is why I said I didn't want to

1 focus so much on what the actual leak rate was doing 2 in the plant but what were the operators seeing and 3 what may have been their motivations based upon what 4 they saw?

5 MR. COLE: But don't you believe the fact 6 that an operator knowing this there must be something 7 wrong with this test the way it is raised up and down. 8 I look and we don't have any leakage in the sump if he 9 did that.

10 And I have no leakage in the other plant. 11 My credibility on the test, mentally I would, you 12 know, I don't know what I would believe about the 13 test. So it swings me all over the place because of some of these other facts and the temperature 14 15 corrections are not, -- so you can't get major swings 16 without having major leaks. That's the thing that is 17 very frustrating.

18 MR. RUSSELL: I don't disagree with that 19 but that's not the principle issue of concern. 20 MR. COLE: I understand that. MR. DAMERELL: Just answer. 21 22 MR. COLE: However he got there the accuracy of what he tells us of what went on is much more 23 24 significant than how he got there. 25 MR. DAMERELL: Just answer your point, Bill,

1 as if -- speaking. I think you are right in the sense 2 that maybe there could be some tests in that 3 distribution where a guy snuck in 90 gallons or a 100 4 gallons and we could not disprove that on the basis 5 of the analysis. We can just confirm specific 6 allogations. We can't disprove that somebody would 7 stand up and say that on some of these cases.

But I think the point was the statement was 8 somehow made to try to key this to identify leakage 9 10 and to somehow say that no, this thing isn't very effective at times. And I think we all need the 11 statement that this is a very effective way if a guy 12 13 would have done this to perfect the test. And indeed 14 he would have expect the leak ray to come way down if 15 a person could have done this.

But you know I think we wanted to link that statement.

MR. KIRKPATRICK: Well also to get back to this variation. You -- fluctuations here show where temperatures 30 to 60 pressures 18 to 36 and pressurize the level 20 to 40. You ought to be expected a variation of over a gallon a minute, wouldn't you?

24 MR. HARRISON: I'm not sure on this basis 25 you would have expected that much. These are -- that

would assume that the that these were not properly
 compensated for in the test and the test does
 compensate for the movement.

4 MR. DAMERELL: The purpose of the procedure is to account for changes in his inventory due to 5 changes in pressurizer level, due to changes in 6 7 temperature and things like that. But I think it wasn't perfect but the purpose of running the RCIB 8 9 test and the way it was run in having those equations 10 -- there, that measured temperature and measured 11 pressurizer level was to account for those changes 12 that occurred during the test.

13 MR. HARRISON: Yeah, we have looked at what 14 the TMI 2 inventory balanced test accuracy would be. 15 We've done considerable work in that area. We think 16 it was pertinent to this discussion. But, Paul, you 17 might tell them to what sort of -- we would have expected this one hour test on about a two signal 18 basis, we thought. It would be like seven tenths of a 19 20 GPM, plus --.

21 MR. KIRKPATRICK: Before we get away from 22 this I would like to comment on one thing. You 23 mentioned that the it sounds like right here assuming 24 that the data was taken simaltaneously because you say 25 that you know you doubt that a fluctuation. You are

1.5.1.5	
1	aware that the data was taken over a time period that
2	is small a time period large compared to a
3	fluctuation or of the order of magnitude of the
4	fluctuation.
5	In other words, the data wasn't taken
6	simaltaneously?
7	MR. DAMERELL: Yeah, we looked at that and
8	also we have been able to come up with some estimates
9	of the inaccuracy of the results of procedure due to
10	that particular effect. And their they add they
11	look at you can slice it in several different ways.
12	You can look at contributions to the
13	accuracy of the test due to instrument errors and look
14	at contributions to inaccuracy of the test due to
15	method errors in the test, like they didn't account
16	for pressure, for example.
17	Then you can look at contributions due to
18	uncertainly due to this effect re-scillations which
19	came into play because the GP 211 Jents were not taken
20	precisely at the same time and on kind of a ballpark
21	kind of field on the instrument errors you get an
22	number on the order of, I think it's .7 GPMs on the
23	two single basis. In terms of the method errors you
24	get a number if you exclude the temperature
25	compensations which were systamatic and not random.

T.A

1 If you get a number that's on the order of 1 GPM or so and on the oscillation effect I believe you 2 3 got a number which is smaller than the instrument errors -- half GPM and .4 GPM's. So those get all 4 combined together in some -- way to give you a 5 total error which is in excess of one or two GPM's. 6 MR. HARRISON: You should be careful when we 7 say error you mean, variability from the true value. 8 9 Is there anything more that we want to discuss about the water additions? Have I given you 10 11 some feeling for our concerns with the allegations and 12 what how we looked at them and told you what ones we 13 think that we can confirm as having occurred as far as 14 water additions? 15 Let's talk about hydrogen. Mr. Capra? 16 MR. CAPRA: I may be wrong in going back and 17 looking through the data, but I certainly thought 18 there were more than four logged water additions during periods of leak ray tests that were not included in 19 20 the computer caculations. MR. HARRISON: No, our review has to bear 21 witness on this log. There was some things for the 22 23 log's were incorrect and when you go to the charts you conclude that the guy put into his log that he added 24 water 18:30 and he really added it at 17:30 because 25

1 when you go place it on the chart it doesn't -- it doesn't play, it doesn't -- see if I can find that 2 3 particular one. 4 MR. CAPRA: I think that gets back to one of my other questions that I asked orginally. Will, in 5 fact, your report have your best estimate, best 6 7 estimate of strip time chart versus real time, for the entire period evaluated? 8 MR. HARRISON: You would have had to have 9 done that to begin with in order to evaluate these. 10 11 MR. CAPRA: In an effect, yes it will. 12 MR. DAMERELL: Damerell, from MPR speaking. 13 It may not be in a form where you can 14 compare it against the table if you tabulated that. 15 Because we have done that for each individual analysis 16 but we haven't pulled that off as a separate issue 17 on this day it was the chart time error and on this 18 day it was a chart time error. 19 MR. RUSSELL: Could we have done something like that where you could compare each --20 21 MR. DAMERELL: We have included it in our 22 analyses. 23 MR. HARRISON: Could you clarify something 24 for the record because I am getting the impression that there was some substantial variability on the 25

1 chart, but it is not clear whether on a given chart 2 where there is not an action taken such as putting ink 3 in the pen or some other way of manipulating the 4 chart. If that chart runs continuous for 8 or 9 days 5 once you establish chart time that time should be 6 consistent throughout that period unless something 7 happens.

8 The computer also prints out in time. So 9 unless there is something wrong with the charts speed 10 mechanism or there is some other explainable failure, 11 why are we going back and rebracketing around tests 12 and re-validating bases on particular test rather than 13 excepting the chart time once it is validate and going 14 from there.

15 MR. HARRISON: Well let me, -- for some periods of time that works but they did apparently 16 have trouble with the -- We can find some places 17 18 where we can see chart runs where they turned the 19 paper, we can also see where some places where it 20 appears the paper drive was getting sick, so you can 21 do that as a first guess but then you gotta go in and be pretty sure because they throw you one every now 22 23 and then.

And every once in awhile they'll even --25 they'll tell you that they did that and sometimes they

won't tell you that they did that. Sometimes the pen 1 will run out of ink and will start up again and you 2 got to be careful when that happens. 3 By and large you are right. It is fairly 4 5 consistent over some period of time. But we found that you don't want to bet on that. You want to look 6 at each one and do as good a job that you can. 7 8 Because it does tend to change. MR. CAPRA: But periods where your not 9 10 talking about minutes and errors you are talking about 11 hours and hours and errors. 12 MR. HARRISON: There was one time when they 13 had a.m. and p.m. mixed up and they were 12 hours off, 14 for some period of time. It is very confusing to try 15 and work with that particular period. 16 Alot of there -- guite a bit of time they 17 were 4 and 6 hours off. And you say why would the operators put up with that and the operator didn't --18 19 he probably could hardly see this time down there on 20 this thing, and he just wants to see what it is right 21 now. So it is not too surprising you might take kind 22 of a -- you might not even notice it for a period of time that it was off. 23 This is a particular example, one of the 24 25 things that you mentioned, for example, a CRO log says
that at 18:30 he added 200 gallons of water and 18:30 would be just before the end of this test. Well, you get this chart time, then you can find this addition and you look at this and say 18:30, he must have really been at 17:30, he must have been over here. He must have written it down an hour off.

1

2

3

4

5

6

7 Because otherwise it doesn't make any sense. And you look at the log and you find, sure enough, 8 there isn't an entry before this before 17:30 and it 9 looks like he just read the clock wrong and wrote it 10 11 down wrong. So that basis even though the log says 12 that he added water and it should have been in here, 13 he looked at the strip chart and you say, if he had 14 added 200 gallons in this thing just before the end, this thing would have been over here and this level 15 16 would have had to have been up.

17 I couldn't confirm that addition for that18 reason. It looked like a logging error.

MR. HARRISON: Does that clarify? That's why the numbers match up. I think there's some other ones. I know that one in particular. But those who with -- we looked at the ones where the -- there's one of daylight saving time there.

Where -- where -- if I can find it here.
Where the computer was still printing out -- all these

20.02	
1	were printing out times. Here, CRO log says very
2	clearly that at 0211 I had 330 gallons. The test was
3	run here from 0132 to 21 that would be ten minutes
4	before the end of the test.
5	You would've added water. You go to the
6	strip chart and you find that they change from
7	daylight saving standard to daylight time. And
8	that the computer was still running on old time.
9	And the guy was logging in new time. So, in
10	fact, when the computer said he was on well, from
11	the computer time's standpoint, the CRO put the water
12	in evidently at 3:11 and not 2:11, it was outside the
13	end of the test.
14	So, even though the log say he had water
15	during the test, this peculiar clue and the guy
16	moved his chart back too. And he wrote on it daylight
17	saving to eastern standard time.
18	That's kind of fluky thing, but I think
19	everyone's got to be you got to work at everyone
20	and not just take what the log says That's why I
21	think some of those other numbers came up.
22	Because of that for the reason. You got
23	to not just take what the log says. You got to go
24	look and see whether that really happened.
25	MR. RUSSELL: So, how many total tests did
	이 것은 것 것 같은 것 같은 것 같은 것 같은 것 같은 것 같은 것 같

[2] 2017년 2월 18일 2017년 2017년 2월 2017년 2
you review in detail to end up with your four that
were confirmed?
MR. HARRISON: Well, we certainly reviewed
55. And we reviewed any of those in March that were
not a subject of allegation. I would guess probably
75 to 80 tests had been we have made these made
these particular kinds of comparisons.
And tried to place the thing on the chart
and see what was see what was happening. That's
probably 40 percent, I would guess, of the test, with
around 160, 170 tests.
MR. CAPRA: Was the an appendix to the
reporter included in your report?
MR. HARRISON: On the results of those would
be.
MR. CAPRA: No.
I mean the actual strip charts that you
used. The things that you've just shown today for
each of those tests.
MR. COLE: You're saying you would like for
each each one we looked at, put the strip charts of
our analysis in. You're asking
MR. CAPRA: No.
I'm asking you if we had not planned to put
those

1	MR. HARRISON: We had
2	MR. COLE: We had
3	MR. HARRISON: Because of the tremendous
4	volume involved.
5	MR. COLE: We may make that an appendix or
6	something.
7	MR. STIER: It's it's unclear to me, at
8	this point, what I'm going to need for our report or
9	at the beginning stages of the investigation.
10	As a matter of fact, there are going to be
11	periods of time that I'm going to ask them to go back
12	and look at strip charts again.
13	If they've looked at them before and if they
14	haven't looked at them before, and I'm going to ask
15	them specifically to look at certain certain test
16	periods when from other evidence I believe that
17	there's some reason to question whether there was any
18	up at the manipulate tests during that period.
19	So, we suggest the first pass through by
20	by MPR. And some difficult, from my perspective at
21	this point, to tell you what I'm going to ask to be
22	included in the forms would depend on on what we
23	turn up in the investigation.
24	MR. RUSSELL: Let me identify a difficulty
25	we had in reviewing the last report as related to the

1 generic coating you would use for disregarding some 2 test.

3	A strip chart with an engineer's notation on
4	it in handwriting is to one, he rejected that. If you
5	identify the test time under with the points before
6	and after a picture being worth a 1,000 words is
7	much better than saying, couldn't confirm through
8	independent means and using that as a basis for
9	disregarding a half of dozen tests.
10	MR. COLE: You have referred the
11	somewhere. We may have the written words, saying we
12	disregarded test C. Figured compressed to C
13	MR. RUSSELL: If you use the technique as
14	you have shown today
15	MR. COLE: This technique that we have used
16	
17	MR. RUSSELL: That raw data being available
18	when for each test that you say that you have
19	looked at
20	MR. COLE: Right.
21	MR. RUSSELL: and projected, you have
22	this kind of a figure.
23	MR. COLE: Yes, we have.
24	MR. RUSSELL: That information, which would
25	collaborate the strip time you use against the logs of

1.1.1.1.1	다섯 만에 있는 것은 것은 것은 것은 것은 것은 것을 다섯 만에 가지 않는 것을 다 가지 않는 것이다. 이 것은 것이 같이 가지 않는 것이다.
1	the charts, et cetera. It's all in one place. That
2	can be audited, we can agree or disagree on what the
3	fact are, based upon that.
4	I would have some degree of difficulty
5	reviewing the statements that say we could collaborate
6	this by independent means. Therefore we don't think
7	it happened.
8	MR. COLE: You've got to understand, we went
9	to each one of these charts. And we put that section
10	of the chart under the microscope as so as you speak.
11	MR. CAPRA: Well, that does what Bill was
12	saying. That we believe if
13	MR. COLE: It would be helpful that it would
14	show more credence and more
15	MR. RUSSELL: Because some of the predicted
16	problems. For instance, I can understand the
17	rationality if someone explains it, but the time was
18	off or the addition was made afterward and this is the
19	only place that this particular set of circumstances
20	fit. And this is the rational way it happened. When
21	you see that you see the picture that is much clearer
22	than when you simply say the times were wrong.
23	And you know there's nothing to either
24	agree or disagree on because words can be used to
25	portray different pictures.

.

1	MR. COLE: Our words were really based on
2	what we had pulled off those charts. I think Dwight
3	Harrison and hadn't lost its hindsight.
4	MR. HARRISON: I have.
5	MR. CAPRA: I think we've been this enough.
6	That we know without without the hard evidence,
7	certain reasonable men disagree on these things.
8	MR. STIER: We'll keep that in mind when we
9	prepare this.
10	MR. HARRISON: Let's a
11	MR. RUSSELL: The other thing that I would
12	suggest is some type of an effort to try and validate
13	the analysis method with respect to statements which
14	have been made by operators.
15	Our operators have publicly admitted their
16	activities associated with manipulation. If you're
17	unable to discover any cases of that with this
18	methodology, then either the operators that were doing
19	it understood the records that would be left behind
20	and were smart enough to make small additions, jot
21	things in, whatever. Or there's some flaw in the
22	analysis methodology that we're using. And we're not
23	able to reproduce it.
24	MR. COLE: Well, there's another
25	possibility.

1	MR. RUSSELL: Or a combination of both
2	MR. COLE: The guy who thought it like him,
3	hydrogen addition would have an affect, but if the
4	loop seal problem wasn't really accurate for that day
5	the makeup tank, hydrogen wouldn't affect it.
6	So it can be a very random more random
7	things. So you may thought he was cheating or doing
8	something, where in fact he really wasn't. As we've
9	looked at some of these things and we kept looking for
10	that.
11	MR. KIRKPATRICK: But a 100 gallons
12	you're the one that pointed out a 100 gallons is awful
13	hard to stay on that chart. When you consider the
14	fact that that things gone up to about five inches all
15	the time, and a 100 gallon is maybe three inches.
16	MR. HARRISON: Particularly if you were to
17	put it in. And a few steps there's enough of it
18	just simply will not describe.
19	MR. COLE: And I assume you all will have
20	oral discussions with the people to find out if they
21	ever did such, but if they said he had put it in by
22	the normal method. Now, putting in a 100 gallons all
23	at one clip I think he would see that.
24	Maybe not at one time, but over a period of
25	time if you don't work a lot of it, it should be

10.1

1 showing. 2 MR. HARRISON: It should show up at slope offset, is what should really happen. You ought --3 4 you ought to be able to see --5 MR. KIRKPATRICK: If something else isn't going on as you've pointed out --6 7 MR. HARRISON: Yeah. 8 But when something else is going on it can be very -9 10 MR. KIRKPATRICK: You can't get out of that 11 pressurizer level staying constant. You can't cast 12 aside the fact that the temperature didn't change during that time. So they allowed a slope level 13 14 change in that makeup tank that accounted for by other reasons other than this water leaked out. 15 16 MR. COLE: Well, I think you're also 17 defining why you went back to the sump to find out 18 what the actual leakage was. MR. CAPRA: You also mentioned the switch in 19 20 the level transmitter. And you happened to show a 21 period where one of the level transmitters oscillated 22 significantly. For other periods in time, I believe, where 23 24 one level transmitter read higher than the other 25 transmitter, they didn't necessarily always read the

1 same. Would you evaluate periods were the level transmitter made -- may have been fed to the --2 transmitted input for the computer was base? on the 3 4 lower one at the beginning of the test and the middle of the test, shifted to the higher one during the 5 latter half of the test? 6 7 MR. HARRISON: We have looked for it and something like that. We had not been able to find any 8 9 places where there was an obvious shift in the test in 10 these where there was a large oscillation. 11 In that case, the large oscillation is up at around a different level on -- than the other unit. 12 13 And we did -- have very carefully gone over all the 14 strip charts where that was a problem. 15 And we have been unable to find any place where the operator didn't took that action. Where he 16 17 basically started out on the -- started out on the low one and ended up on a high on. 18 MR. VAN VLIET: Is -- the strip chart 19 20 recorder is independent though of the computer, is it not? 21 22 MR. HARRISON: It's taking the other -- it's 23 taking one level instrument and the computer is getting the other one. And the operator has a 24 25 separate switch from one way to change a selector

switch -- one that he had going to his strip chart 1 2 record goes to the computer, and vice versa. 3 That's why you get this jump we saw on the thing. Those do, many cases, line up with a -- in the 4 inventory balance test. I mean, they -- there are 5 6 time when they don't, but they do line up with an inventory, the one hour ones many times do. 7 MR. CAPRA: In fact that there are -- they 8 feed one piece of computer and one feeds the makeup 9 10 tank, if you look makeup tank level you would actually see opposite effect, it looked like you went from a 11 12 higher level to a lower level. 13 MR. HARRISON: I think the outstanding 14 feature is the big oscillation on the bad transducer 15 which makes -- chart reading very difficult, it 16 probably makes the test result itself and certainly 17 adds to variability of what the guy got out of the 18 inventory balance test because of the number of tests 19 where you can find that he didn't shift and these points would be strange locations. 20 21 MR. VANVLIET: Are we ready to move on to --22 conditions? 23 MR. HARRISON: I think we've taken enough 24 about hydrogen and the makeup and that we are aware of 25 how -- I don't have to berate how somebody might affect

the makeup level indication by changing pressure in
 the makeup tank, adds pressure to the makeup -- adds
 hydrogen to the makeup tank it appears that he could
 in fact even raise the indicated level.

5 Now in the case of -- there are -- Benson 6 went through and searched the logs and came up with 7 about 10 tests which they are logged hydrogen 8 conditions and we have gone through those tests in some detail and of those tests we have found two which 9 10 appear to have a very, you know, confirmable effect, 11 not -- I assume that when a guy has added -- a log that he has added hydrogen, he really did, so there 12 13 is no question of confirming if he had hydrogen or 14 not, I can't.

15 But in this case for example, this is one of 15th of February which appears to have a -- you can't 16 17 read it on this particular copy but someone has written on the chart "pressurized makeup tank" at this 18 19 particular time and there is a definite offset and a slope between here, between this side and this side of 20 the chart and he has evidently pressurized it enough 21 to change the level. We have to say that our 22 23 confirmed hydrogen addition and the interesting thing about that, is that if you remember in the TMI 1 there 24 25 was one we mentioned one confirmed where again where

the operator wrote "added hydrogen." He had a very
 similar offset in the slope changing the pressure in
 the tank so I felt pretty comfortable that that one,
 you know, occurred just as indicated, there was no
 reason to disbelieve that I should take another one.

MR. RUSSELL: Do you know from the log how much hydrogen was added to get that kind of an offset?

6

7

8

9 MR. HARRISON: There are a few times when 10 they get a pressure that they want to, some places 11 they say added some number of pounds but the problem 12 is that some of those don't seem to give any -- don't 13 seem to have any consistent effect on what happened. 14 This is on the 17th of February. This one is not so 15 -- not so obvious but does appear the test occurred here to here, it does appear that there is a 16 17 reasonably offset in slope at that particular time and that is about two inches and that's getting down to 18 19 about one's ability that they see anything, you get around to about two inches. Besides, I've completed 20 21 the tests, that's a confirmed hydrogen condition 22 addition in my lexicon of which there was some affect. 23 Now let's look at 2-14, in this case the AO

24 log says, -- Benson says that the AO log says they 25 added hydrogen at 2130 in this thing and to fix to

move the time over 2130, the computer says this time 1 was over 2136 so the -- this addition could well be in 2 there. In this case I can't find it -- I can't -- I 3 4 have very difficulty concluding that as a hydrogen addition compared to the rest of the trace was and I 5 say that there probably isn't a hydrogen addition in 6 7 there but it doesn't seem to be any effect on that hydrogen addition. 8

9 MR. RUSSELL: Unless you take and you draw 10 the curve of, say, an hour after the test, deleted the 11 the test and find that you do have an offset during 12 the period the time you tested, it does appear to be a 13 change in slope.

MR. HARRISON: There is a, consistently, in all these traces, there is a peculiarity which I suspect has something to do with the makeup tank -these traces tend to do this a little bit and what offset would you put on this, Bill?

MR. RUSSELL: An inch, a inch and a half. MR. HARRISON: That's the dilemma, at some point it becomes impossible in my estimation to discriminate what -- could be an affect.

23 MR. KIRKPATRICK: I think the peculiarity 24 you're talking about is that the -- is resuming its 25 original position when it -- above.

1 MR. HARRISON: Plus also you're fractional change in volume as you increase the volume in the 2 tank becomes less per inch as you get the thing 3 bigger. You would expect, theoretically at least, 4 5 expect the trace not to be linear, that's one of the things wrong with the linear thing. 6 MR. KIRKPATRICK: -- you're saying that the 7 8 area is not level, it's not constantly tight? MR. HARRISON: No that the volume you are 9 expanding -- as the tank gets more and more volume by 10 changing the level an inch, it expands, it changes the 11 12 pressure in the tank less so just a little bit of prevolume in the tank and I change the level an inch and 13 it makes a lot of difference in the pressure --14 MR. KIRKPATRICK: I don't suppose you are a 15 16 part of the --17 MR. HARRISON: -- so you would expect some kind of nonlinearity in that. I guess if one did a 18 19 doctoral thesis on this you might be well be able to figure that out. 20 21 MR. KIRKPATRICK: I'm not sure the NRC wants 22 to -- it. MR. CAPRA: I take it from what you just 23 24 said, you would not put that in -- classify it as an confirmed hydrogen addition even though it was during 25

1.1	
1	the period of the pre-trial logged in the log.
2	MR. HARRISON: It's only my terminology. I
3	would call it confirmed hydrogen addition. For one,
4	it appeared it had not significant thing, it wasn't an
5	effective hydrogen addition.
6	MR. COLE: That's what I was talking about
7	when a guy says, yeah, I knew it was effective but
8	when you go look and see it and affected it we can't
9	find where it really affected the place there
10	MR. HARRISON: Here's another
11	MR. CAPRA: Operators were also well aware
12	that the fact was not necessarily consistent with,
13	well, I don't know.
14	MR. COLE: It's a
15	MR. RUSSELL: There's quite a bit of
16	testimony both ways and in sometimes it would help you
17	and sometimes it wouldn't. The fact that the hydrogen
18	was not consistent based upon
19	MR. COLE: I guess the more we see the more
20	we would say that the evidence would also indicate
21	that.
22	MR. RUSSELL: testimony taken to by one
23	case
24	MR. HARRISON: Bill, here's another one
25	where yeah that might be that might be very embryo

1 of a hydrogen affect but you look at the rest of the 2 trace around it and you see lots of motions which are 3 the same -- are as the same order as this but -- and 4 it makes it, I'd have to say I can't say it's not a 5 hydrogen addition but on the other hand it certainly was particularly effective. 6 7 MR. KIRKPATRICK: Is that a lot of water 8 addition? 9 MR. HARRISON: Right here? 10 MR. KIRKPATRICK: The first and second 11 break. 12 MR. HARRISON: Yeah, okay, I see it right 13 there and this was the hydrogen addition. 14 MR. STIER: The question is what that --15 MR. KIRKPATRICK: That answer would be 200 gallons. Is that entered in your calculations? 16 17 MR. HARRISON: Yes. That one was apparently 18 not too far off except this trace is distorted in here 19 of whether there is -- sometimes these things get 20 rounded off at the tops rather peculiarly and it makes 21 it difficult to -- we try to consistently stem these 22 things and use the vertical distance because it's 23 trying to get --24 MR. COLE: He actually made the line --25 MR. HARRISON: -- it seemed two variable.

Sometimes each would bend over and try to get mostly 1 what the offset was from the addition to try to --2 3 because there seemed to be some things that were not --4 MR. RUSSELL: Did you look at the instrument 5 response characteristic to see if there was 6 significant damping in the instrument based upon -- or 7 some kind of delay that would be a smoother function 8 for a big -- valve. Because that gives the 9 10 characteristic of damp response right there --11 MR. HARRISON: This one doesn't. MR. RUSSELL: I don't know whether there is 12 13 any characteristic in that particular instance .. 14 MR. DAMERELL: Yes, you didn't particularly 15 look at that but these times they look extremely sharp on this strip but it is really several minutes. And 16 17 your typical instrument usually can respond in a fraction of a second and electronically they may be 18 only damp to like on the order of a second --19 20 something like that. So although we didn't look at it, you know, a typical instrument of the --21 MR. RUSSELL: Unless you've got some 22 23 mechanical binding in the instrument. MR. DAMERELL: Yes, usually that doesn't 24 affect the response time though, that they give you a 25

sticktion type effect where it will stick some place where it shouldn't be.

1

2

3

4

5

6

7

8

MR. HARRISON: So far the ones that have been pointed out and are logged, I can get two that have a significant affect. They seem to affect -- out of the roughly ten that you confirmed -- of the ten that you confirmed from the logs probably happened.

9 Now, five of those occurred back in the time 10 period -- of course, you will remember back to our 11 curve of the ratio of indicated occurred back before 12 February, back in the time period when there wasn't --13 where the amount of the ratio was about one where 14 there wasn't too much air, which is what you would 15 expect.

16 I, in addition, wouldn't admit it 17 particularly effective in doing anything when the 18 effect on the makeup tank level was not high.

Do you remember the curve that we had of the ratios and how it tended to be around 1.3 or so in a period from about February to March but in the period before January along in October -- late October, November, December, January, it was wandering right around one and that would be apparently a time when they wouldn't be expected. As a matter of fact, I

1	found no indication in those that I can attribute to
2	hydrogen
3	MR. COLE: But that's why there are only two
4	of those; right?
5	MR. HARRISON: There are only two of those.
6	Let me say as far as unlogged hydrogen additions, I
7	quite frankly I don't think you can you might
8	find some, like that four-inch one, that you'd be
9	willing to say, "I really think that that could well
10	be a hydrogen addition".
11	Short of that, trying to find a small
12	hydrogen addition and discriminate it from, say, a
13	water addition or just a change in pressurizer levels
14	as far as that goes. I just don't think it is
15	possible to do that.
16	MR. CAPRA: When you were doing these
17	analyses did you try to look at other plant variables
18	to see what their effect was on makeup tank levels?
19	For example, ships being ICS'd from modern to manual,
20	keeping pressurizers spray in auto versus manual to
21	help you try to screen out some of the significant
22	makeup tank characteristics from other
23	MR. HARRISON: I have not tried the auto to
24	manual tank. Dr. Chung has mentioned that to me
25	previously. He thought that there tended to be some

correlation with that. I have not done that.

1

2

3

4

5

6

7

8

9

10

11

12

We have, of course, looked at some of these from the standpoint of what kind of -- both of these in-water additions. One of the things that I have indicated in the methodology. We'll look at the end of the current balance test and you look at the beginning and ending conditions in that if you find, for example, a pressurizer's level changed a large amount in the course of the test you try to make at least some compensation that was in the same direction that the makeup tank level had to go, which is a reasonable thing.

13 It is conceivable that you could try to go 14 -- we did not try to go to pressurizer level charts 15 per se and try to match them up with the tension for 16 the times not being -- getting chart times to match 17 up. We felt that that was probably not practical. It 18 could conceivably could be if it was important enough 19 on any one test but to try to do very many that way is 20 probably very, very difficult, to make sure that your pressurizer chart and your makeup tank chart are, in 21 22 fact, on the same time. Because the pressurizer 23 doesn't have any very good indicators. On the makeup 24 time charts you can get it time pretty well because you've got the logged additions that you can work 25

1 with. 2 In a pressurizer you've got to find some 3 other things to work with on it. The pressurizer charts that I've seen are not very good scale and they 4 5 run pretty much the same for long, long periods. 6 I've looked at a few of them and I'm not sure it's practical. 7 8 MR. CAPRA: Yes, the reason I had asked you 9 is just to see if you would look at other things in 10 order to help understand what some of the traces were 11 on makeup tank levels so I can understand some of 12 those strange things that go on. 13 MR. COLE: These traces, from the traces 14 I've seen at other plants, traces like these makeup 15 tank --16 MR. CAPRA: To tell you the truth, I don't 17 think I've ever studied another makeup tank level in 18 another plant. 19 MR. COLE: I don't think anybody has studied 20 makeup tank levels on other plants, do they excite 21 you? 22 MR. HARRISON: These look a lot like TMIl's, I know that. 23 24 MR. CAPRA: Yes, well, you know, outside of 25 TMI-1s --

1	MR. COLE: I think all of them, they go
2	through it is the bumps and grinds of those
3	indications are not typical of that. I have not seen
4	one that's nice and flat and straight but maybe there
5	is one.
6	MR. HARRISON: Is there anything that's
7	all I've really got to say on hydrogen additions. Is
8	there anything else that we could add to our
9	discussion that's We appreciate your suggestions
10	on what's needed in the final report.
11	MR. CONNOLLY: Did your analysis determine
12	if any unrecorded hydrogen additions were made during
13	that test?
14	MR. HARRISON: We, as I said, I found no
15	unrecorded hydrogen additions that things like
16	confirmed or unconfirmed hydrogen just principally
17	because the ones even the ones we know about are so
18	tenuous and so small, it's probably indistinct, that I
19	just don't think that it is possible to find an
20	unlogged hydrogen addition without any ambiguity.
21	There is just too many flat spots the
22	ones that we knew about have a fairly distinctive
23	character in this case. There are lots of places on
24	lots of traces that have that flattening and it is
25	hard to believe that all of those are hydrogen

166

,

100

New y

三日三日

Re:

1 additions or which ones are and which aren't. MR. CONNOLLY: If we would not be able to 2 differentiate the particular signature for a hydrogen 3 4 addition then it's --5 MR. HARRISON: I don't think -- in this case, that the ones that we know about seem to be a 6 simple offset of the slope -- some kind of a --7 8 something related to how -- presumably to how fast he added the hydrogen to the system. 9 In the addition of hydrogen, there are a 10 number of things that we don't know. We don't know 11 whether he always added the same amount, he always 12 added it at the same rate, did he have some rules that 13 he used? We don't know whether it was a consistent-14 15 type operation anyway, whether we're looking for that 16 system -- trace of that substance. 17 I think it is very humble idea that people 18 are going to get to it. MR. COLE: We've looked at an awful lot of 19 traces and we haven't been able to say, that's the 20 hydrogen addition, that's the one. 21 22 MR. RUSSELL: Of the 75 or so traces you 23 have looked at, have those traces all been laid out on 24 the standpoint of correct chart find versus point identified at the makeup tank level from the computer 25

1	sheets from the beginning of the test to the end of
2	the test are a fraction of more than what we've seen
3	today?
4	MR. HARRISON: Yes.
5	MR. RUSSELL: And that's 75 that's
6	approximately half?
7	MR. COLE: That's in order of magnitude.
8	MR. RUSSELL: All of the tests were done
9	during a time the plant was operated.
10	You say that in looking at those half and
11	that half, particular in the later timeframe of
12	February and March, you did not see any traces where
13	there were distinct offsets in
14	MR. COLE: You should say, you know, hey,
15	we're merely putting in the time. We could stand up
16	just off that.
17	That date alone we could not.
18	MR. CAPRA: That also excludes that fairly
19	large body, though, that we talked about earlier of
20	logged water additions in which a logged amount and
21	the amount in the we can give you in the in the
22	computer printout was not looked at in detail.
23	MR. DAMERELL: I think we've dutifully
24	recorded that in another sequence. It is something
25	else.

1 MR. STIER: That's a good point. 2 MR. RUSSELL: One other comment -- things 3 were -- slow approach. We went through a lot of analysis this morning that identified what you felt 4 5 was the best estimate, the actual leak rate in the 6 facility during the period of time. 7 MR. COLE: By that method. 8 MR. RUSSELL: By that method. By other methods you took a least squares 9 10 strip and you said, "This is what we think has 11 happened". Based upon all of the evidence that you 12 can generate in your best answer. 13 If you plotted that leak rate that 14 is associated with your best estimate of what we was 15 really happening -- on the curves for the leak rate 16 tests during the period of time in which you have data 17 or have you just eyeballed it in each case to see if it was straight. Because if you plot your best 18 19 estimate of whit that slope is and you find out that 20 the slope tails off and the slope is substantially 21 different from that that may be an indication to you that something was being done during that test that 22 23 maybe needs to be explored. 24 In other words, if yours sloped during the

24 In other words, if yours sloped during the 25 period of time that says you have an identified or a

total leak rate of five gallons per minute, that happens to be during a period of time when you know that the actual -- or your best estimate leak rate was posted six gallons a minute, you would wonder what was going on. There may be a flattening of the curve. You're marked one eyeball drawing a straight line is not the line that you just characterized based upon all of this other analysis that was done.

1

2

3

4

5

6

7

8

9 How much deviation do you see between the 10 slope and draw and what you've calculated to be the 11 case to remember -- recognizing yours may be a five or 12 seven day average to refer to the 72 hour average.

MR. HARRISON: We have not done that 13 14 specific thing. One of the things that we have done, 15 though, -- as I mentioned, is that we have always looked at the slopes before and after and during the 16 17 test right at that time period to see whether the 18 slope given in the inventory balance test, whether it 19 was reasonable or unreasonable. If it appears that it was unreasonable why is there --20

21 MR. RUSSELL: If we go back to the chart you 22 put on earlier this morning, over a period of time of 23 a few days, based upon how you've interpreted the 24 data, you see quite a significant difference in your 25 leak rate.

1 So did you use the technique of a least 2 squares fit to try and identify what you thought was 3 your best estimate of total leak rate leakage into the drain tank than what I thought identified leakage was. 4 MR. HARRISON: We had a --5 6 MR. RUSSELL: During this particular test -that would give you information as to what you think 7 the makeup tank level should be doing, what kind of a 8 9 slope should it have? 10 It's off that calculation, a rejection 11 hypothesis --12 MR. HARRISON: We can do that but I believe 13 that it is better to take the slopes before and after 14 and compare them because they are much closer to the 15 time of what you are doing. 16 MR. RUSSELL: I think they are just as 17 quick. 18 MR. HARRISON: We can certainly do the other but I believe that in comparison with the general 19 20 timeframe that you are in, which is equivalent, as a matter of fact, it is an equivalent tank as far as the 21 22 slope is concerned. 23 MR. STIER: I take it that you are talking about looking for an affect on -- within a period of 24 25 the test itself.

1 MR. RUSSELL: Considering what the slope is 2 during that period compared to what you felt the best 3 estimate of what the actual leakage was at that time. 4 MR. COLE: I think he is gong back to the individual slopes --5 6 MR. RUSSELL: You're right. 7 MR. COLE: What -- of the individual slopes. 8 How is that compared to what the RCIB tests. MR. RUSSELL: That's correct. 9 10 MR. STIER: What happened during that test 11 period. MR. RUSSELL: You've taken the time to 12 13 calculate and then you smooth it all out by taking the 14 least squares curve --. You calculated all of this 15 data but then you smoothed it out and then you sort of 16 didn't use it again. 17 All I am saying is, now that you've got all 18 of that data calculated, if you compare those 19 calculations from other methods to the slope that you then feel is appropriate, how does that compare to a 20 numerical analysis, how does it benchmark against what 21 22 you were seeing from drain rate into the -- the rate 23 into the drain tank versus other indicators. Is all 24 this data consistent when you look at it on a small 25 segment of time as compared to when you were averaging

1 it over four or five days.

.

C

.

2

3	MR. RUSSELL: Because NRC is the best I know
4	of right now. We did not use a smoothing technique.
5	We tended to concentrate on all the data that was
6	available at that timeframe, the kinds of things the
7	operator would have been seeing. What is the rate of
8	stuff going into the drain tank which you now have
9	calculated? What is the rate of water addition? All
10	the other techniques we discussed, if it's on a much
11	more compressed timeframe. Particularly, from the time
12	of one ship or a day as he may recall what his
13	experience was on his previous ship. And whether there
14	aren't sufficient pertivations in the system over a
15	two week period of time and yet in some cases you have
16	data averaged over that two week period.
17	MR. STIER: Well, I've I had the same
18	Excuse me, Norman.
19	I had the same question. The purpose of
20	this analysis over the entire period of operation was
21	to try to give us large chunks of time, period in
22	which problems were likely to have occurred in
23	administering leak ray tests. Among things that I
24	have asked MPR to do during those specific period
25	and I think we have identified ten of them is go

1	back and not average out the results during those
2	periods. I was concerned about the same thing.
3	And so we're going to be focusing in much
4	greater depth on smaller periods of time and hopefully
5	come up with the kind of thing we are asking about.
6	I agree with you there's a danger in
7	averaging too much because you're talking about what a
8	guy was looking at at the time you had finished with
9	the test not what the situation was over an extended
10	period of time.
11	MR. COLE: What do you hope to get from
12	that just to make sure I understand where you're
13	headed on that. What are you trying to get out of it?
14	MR. RUSSELL: For example, if the slope that
15	you see on the strip chart
16	MR. COLE: Right.
17	MR. RUSSELL: appears to be different
18	even though it is the best estimate of what you can
19	draw.
20	Let's say the slore is indicating a makeup
21	rate of 3 gallons a minute, based upon other
22	information, do you believe that that slope at that
23	time for your total leakage should have been 4 gallons
24	a minute based upon the rate of water going other
25	places and other analysis over that period of time?

115.00.00	
1	All it says is that the slope was possibly
2	changed somehow during that period of time.
3	MR. COLE: Take a cut at and see what
4	flush this out.
5	MR. RUSSELL: It may very well be that the
6	other data is consistent with the slope that you're
7	seeing and if the lines you've drawn are consistent.
8	But because those curves do have the
9	appearance of some non-linearity because there is an
10	awful lot of noise on them from the standpoint of
11	oscillations about whatever the mien value of the
12	slope is, then there's a construction technique on a
13	piece of graph paper.
14	If you can bench mark the accuracy of that
15	slope, with the other data which based upon this
16	morning's presentation looks like you've already
17	calculated it all, you calculated the slopes.
18	My question is how close does the calculated
19	data compare to the lines that were drawn by the
20	engineer on the
21	MR. VAN VLIET: Are there any other
22	questions?
23	MR. RUSSELL: Do you have a feel for what
24	your estimated schedule is for completing
25	MR. STIER: If I had one I'd be wrong.

1 I'm always wrong in making these estimates. 2 We anticipate beginning our interviews within the next 3 week. How long it takes depends on the degree of cooperation we get and other variables. 4 5 We expect to interview, perhaps, as many as 6 80 people. And I would think that the interview 7 process including memorializing statements in sworn question and answer form would take a couple of months 8 9 to complete. After that we'll have to prepare our 10 report. 11 Now, of course, during the same period that we're conducting interviews, we're doing further 12 13 dccument analysis. And the -- will be doing strip 14 analysis for us. We may have other consultants doing 15 other analytical work, depends on what we come up with 16 during the interview process. 17 MR. RUSSELL: Do you have an estimation as 18 to schedule completion date for this phase -- analysis 19 from the standpoint of when the report can be 20 available documenting information that's been presented today? Would that be held, for instance, 21 until the end of your interviews to incorporating 22 23 subsequent analysis or is there a report based on what's completed now and then a supplement addressing 24 25 additional analysis later or you haven't decided?

11 1 1 1 1 1 1 1 1 1 1 1 1 1 1 1 1 1 1	
1	MR. STIER: They'll be preparing a
2	preliminary report up to
3	MR. COLE: It will not have such things as
4	we discussed today.
5	MR. STIER: Right, we didn't intend to
6	include all the details that you
7	MR. COLE: we have had today, we were
8	hoping to begin something like this this month.
9	MR. STIER: Right.
10	MR. COLE: And what we've done
11	MR. RUSSELL: Let me make sure that another
12	ground rule is understood.
13	MR. COLE: Let me ask you if you've got a
14	report before I get through. We haven't crossed the
15	bridge of putting in everyone of those charts, those
16	charts like you asked why you
17	MR. RUSSELL: I understand that. But I'm
18	not we haven't decided yet on the scope of the
19	staff review, your technical analysis or even your
20	investigation. There are different ways of
21	approaching it.
22	If our independent conclusions are similar
23	to yours, we may do it in a fashion similar to what
24	was done on your evaluation of TMI 1 That is, you
25	compare the end conclusions. If they appear to be
	전 방법 이 방법 방법 전 방법 것 같은 것 같은 것 같은 것 같은 것 같은 것 같은 것 같이 있다. 것 같은 것 같

 \Box

consistent, then you don't have a need to go into some 1 2 of the details. So, some of the questions that I was asking 3 4 were questions about the analysis technique you used. I don't intend those questions or any of the questions 5 from the staff to be direction to you as to how you 6 want to do your technical work. Because we have not 7 yet decided upon how we would proceed in our own 8 9 review. 10 It may very well be that we will decide to 11 do our own work independent of yours. From that standpoint, I think today's meeting was useful to an 12 13 understanding of what you've done and where your 14 analysis results are similar to ours or in some cases 15 are different from what's been done already. 16 So, I certainly would not treat this in a 17 context of a typical meeting with the staff on a 18 submittal that you're going to be making and say these 19 are the things we're going to be modifying the report. 20 This is your own technical --21 MR. COLE: Right. 22 MR. RUSSELL: -- evaluation to support your investigation which is independent. And the purpose 23 24 of the meeting as as a dialogue.

MR. COLE: We've been trying to tell you

25

1	what we have done. The report will reflect basically
2	that. We're not trying to just answer your questions.
3	MR. STIER: Questions raised, I think, have
4	been very helpful in assisting me in making my
5	judgments about what I will want from MPR and what I
6	ought to include in the report, have been very
7	helpful.
8	MR. RUSSELL: I think the other perception
9	is that it's more probable that there will be
10	differences in the conclusions in this case than the
11	outcome on the TMI 1 case where the conclusions were
12	fairly consistent.
13	In this case we also have other evidence
14	which we may not be able to develop by way of
15	technical analysis from the part of statements by
16	operators that they did, in fact, manipulate these
17	tests so
18	MR. COLE: Bill, there's one thing you
19	weren't here when we went through. And it really
20	would have been well, unfortunate, is how we got to
21	where we are, terminology is and some of the
22	inconsistencies that we run through.
23	It's in your TMI 1 except that it's not
24	new there. That chart and how we the basis for the
25	temperatures and we showed the terminology. Because,
1	in fact, just as we've pointed out, that the inventory
----	--
2	balance test came a well it called it unidentified
3	leakage. It was, in fact, for your regs unidentified
4	leakage plus intersystem leakage. There are some
5	subtleties like that.
6	MR. CAPRA: But that's not new information.
7	MR. COLE: Read it somewhere.
8	MR. CAPRA: I don't think what I'm trying
9	to say is, I don't think Bill missed anything by that
10	because I think he is well aware of that rationale
11	also.
12	MR. VAN VLIET: And you will be providing us
13	with a set of your view graphs?
14	MR. HARRISON: Yes.
15	I do have one request but I guess I would
16	like to address it to you, Jack, and maybe you can
17	follow up with Ernie Blake to find out where it is.
18	It is documentation which may have been prepared by
19	NRC staff members in support of the Justice Department
20	as a part of endictment subsequent preparation for
21	trial, that that document which you've received as a
22	result of discovery be identified and that
23	arrangements have been made to place that on the
24	docket by serving it on the parties so that their
25	questions about what the staff can address or not

address based upon the court orders with respect to 1 release of grand jury materials are able to be 2 3 separated. That is, we've got an order from the court 4 that says, participate, give out the stuff for 5 discovery and we can use that as a basis for what 6 subject matters can or cannot be discussed. That 7 would make it probably the most straight forward 8 mechanism and it would also provide the information to 9 the parties that are not here at this time. 10 MR. STIER: Well, in all likelihood I have 11 control over whatever material that is. I'll make 12 sure that you get it, right away. 13 MR. RUSSELL: If there are no other 14 15 questions I thank you for coming in. 16 MR. STIER: Thank you very much. 17 (Whereupon, at 3:03 p.m., the hearing was 18 concluded.) 19 20 21 22 23 24 25

.	182
1	CERTIFICATE OF PROCEEDINGS:
2	
3	This is to certify that the attached proceedings,
4	IN THE MATTER OF:
5	TMI-2 LEAKAGE RATE MEETING
6	
7	DATE: 20 SEPTEMBER 1984
8	PLACE: 7920 NORFOLK AVENUE, BETHESDA, MD
9	
10	
11	were held as herein appears and that this is the original
12	transcript for the file of the Commission.
13	
14	그는 것 같은 것 같
15	
16	
17	REPORTER: JOHN E. CRASS
18	SIGNED: John Cress
19	TRANSCRIBER: Neal R. Gross
20	SIGNED: Think R Outss
21	
22	
23	
24	
25	
	FREE STATE REPORTING INC. Court Reporting • Depositions D.C. Area 261-1902 • Balt. & Annep. 269-5236

OUTLINE OF TMI-2 LEAKAGE RATE MEETING SEPTEMBER 20, 1984

- I. INTRODUCTION
 - A. DEFINITION OF TERMS, TERMINOLOGY
 - O LEAKAGE TERMS
 - O RCS SYSTEM
 - B. HOW VARIOUS LEAKAGE WAS TO BE DETERMINED PER REG. GUIDES
 - C. REVIEW OF HISTORY OF LEAKAGE REQUIREMENT
 - TEMPERATURE FOR UNIDENTIFIED LEAKAGE

II. SPECIFIC ISSUES

- A. TMI-2 RCIB TEST
- B. ACTUAL LEAKAGE AT TMI-2
 - 1. RATE OF COLLECTION IN RB SUMP
 - (A) MPR METHOD
 - ALARM PRINTER
 - SUMP PUMP DOWN AND VOLUME
 - (B) ALTERNATE SUMP EVALUATIONS 2. ALTERNATE METHODS
 - (A) SLOPE METHOD USED BY MPR
 - O COMPARISON TO NRC SLOPE METHOD
 - (B) WATER ADDITION METHOD USED BY MPR
 - COMPARISON TO NRC SLOPE METHOD
 - (C) DETERMINATION OF IDENTIFIED LEAKAGE
 - COMPARISON TO NRC METHOD
 - (D) COMPARISON OF RESULTS OF ALTERNATE METHODS TO RB SUMP RESULTS
 - 3. REVIEW OF PERIODS OF POTENTIALLY HIGHER THAN NORMAL UNIDENTIFIED LEAKAGE
 - C. OTHER RELATED ISSUES
 - 1. MAKEUP TANK LEVEL INSTRUMENTATION PROBLEM

III. ALLEGATIONS OF WATER AND HYDROGEN ADDITIONS

- o SOURCES OF ALLEGATIONS
- O OCTOBER 18, 1978 (AS AN ILLUSTRATION OF SOME OF TECHNICAL CONSIDERATIONS IN EVALUATING ALLEGATIONS)
- A. WATER ADDITIONS
- B. HYDROGEN ADDITIONS
- IV. SUMMARY

.

TOTAL = IDENTIFIED + UNIDENTIFIED + INTERSYSTEM LEAKAGE = RCS LEAKAGE + LEAKAGE FROM RCS

*RCS - REACTOR COOLANT SYSTEM



SIMPLIFIED REACTOR COOLANT SYSTEM





SIMPLIFIED REACTOR COOLANT SYSTEM WHERE VARIOUS TYPES OF LEAKAGE IS MEASURED





SIMPLIFIED REACTOR COOLANT SYSTEM SHOWING TYPICAL POINTS OF INTERSYSTEM LEAKAGE

1.41









TEMPERATURE FOR EVALUATING UNIDENTIFIED LEAK RATE

BACKGROUND

AS DESCRIBED REG GUIDE 1.45 AS WELL AS NRC STANDARD REVIEW PLAN (NUREG-75/087, 11/24/75), THE GPM LIMIT ON "UNIDENTIFIED" LEAKGAGE IS BASED REACTOR BUILDING SUMP COLLECTION

REACTOR BUILDING SUMP COLLECTIONS ARE NECESSARILY AT NORMAL ATMOSPHERIC CONDITIONS

Detector Se	TIVITY					Therei	Ule, all
early	warning	signal	is	necessary	to	permit	proper ·
evalua	tion of al	unide	ntif	ied leakage.			

Industry practice has shown that water flow rate changes of from 0.5 to 1.0 gpm can readily be detected in <u>containment sumps</u> by monitoring changes in sump water level, in flow rate, or in the operating frequency of pumps. Sumps and tanks used to <u>collect unidentified</u> leakage and air cooler condensate should be instrumented to alarm for increases of from 0.5 to 1.0 gpm in the normal flow rates. This sensitivity would provide an acceptable performance for detecting increases in unidentified liquid leakage by this method.

INTERESTING TO NOTE INSTRUMENT SOCIETY OF AMERICA, ISA-567.03 OF 1982, "STANDARD FOR LIGHT WATER REACTOR PRESSUE BOUNDARY LEAK DETECTION" WHICH NRC PARTICIPATED IN PREPARATION, STATES THAT LEAKAGE RATE IS "EXPRESSED IN VOLUMENTRIC UNITS PER UNIT OF TIME AT 20°G AND ONE ATMOSPHERIC PRESSURE" (1.E., ROOM TEMPERATURE CONDITIONS).

CONCLUSION

IN VIEW OF THE ABOVE, THESE EVALUATIONS OF "UNIDENTIFIED LEAK RATE" ARE BASED ON ROOM TEMPERATURE CONDITIONS.

CRITICAL CRACK SIZE AND 1 GPM UNIDENTIFIED LEAKAGE FSAR SECTION 5.2.7.4

		UNIDENTIFIED LEAKAGE					
	Critical Crack Size	1 gpm - Ho	t (557 ⁰ F) in FSAR	1 gpm - Cold per Nu Reg			
Crack ocation		Crack Size	% of Critical Crack Size	Crack Size	% of Critical Crack Size		
old Leg Piping	8.7" long	1.5"	17%	1.69"	19%		
eactor Vessel	10.9" long	1.625"	15%	1.83"	17%		

NOTES

egardless of whether 1 gpm Unidentified Leak Rate is Hot or Cold, the <u>overall</u> onclusions regarding the 1 gpm limit for Unidentified Leakage with respect to the ritical Crack Size, remains uneffected (e.g., plenty of margin between 1 gpm crack ize and critical crack size).

'age 5.2-16: In establishing a maximum unidentified leakage, the following criteria use considered:

- . The magnitude of the leakage should be well below the leakage associated with a crack of critical size.
- . The magnitude should be well within the capability of the normal makeup system.
- . The magnitude should be sufficiently large to allow for ease of detection within a reasonable period of time.
- . Offsite releases should be within 10 CFR 20 limits.

Accordingly, a 1 gpm leak was selected as the maximum allowable unidentified leakage 'ate. This value is well below the leakage associated with a crack of critical ize. It can be detected within a reasonable period of time as discussed previously. It is believed that continued operation at this level for some period of time to allow for corrective action will not jeopardize plant safety nor will external releases exceed 10 CFR 20 limits. Details concerning continued operation at this level are discussed extensively in Technical Specification 3.1.6.

RCIB/TEMPERATURE

NRC LETTER REPORT (DEYOUNG TO DIRCKS) OF NOVEMBER 7, 1983 COVERS NRC'S REVIEW OF RCS LEAK RATE TEST PROCE-DURES AT DAVIS-BESSE ET AL. THE NRC REPORTS INDICATE THAT THE NRC CONCLUDES THAT DAVIS-BESSE RCS LEAK RATE TEST PROCEDURES AND CALCULATIONAL METHOD USED IN 1978 WERE SUFFICIENTLY COMPREHENSIVE AND ACCURATE TO DETER-MINE THE LEAK RATES TO WITHIN THE APPLICABLE LIMITS.

SPECIAL NOTES

- DAVIS-BESSE USED ~ ROOM TEMPERATURE FOR THE 1 GPM UNIDENTIFIED LEAKAGE LIMIT (E.G., 8.25 LB/GAL) IN RCIB TEST.
- 2. DAVIS-BESSE FSAR HAS SAME CRITICAL CRACK SIZE ANALYSIS AS TMI-2.
- 3. DAVIS-BESSE'S RCIB TEST PROCEDURE BASICALLY OK'D BY NRC, IN SUBJECT REPORT.



RCS - REACTOR COOLANT SYSTEM

** "UNIDENTIFIED LEAKAGE" USED BY THI-2 WAS. IN FACT. UNIDENTIFIED LEAKAGE PLUS INTERSYSTEM LEAKAGE.

TMI-2 RCIB TEST

- A. A NUMBER OF TECHNICAL ERRORS
 - MAJORITY OF ERRORS SMALL EFFECT ON RESULTS IN MOST ACTUAL CASES
- B. ONE MAJOR ERROR NOT CORRECTED TO COMMON TEMPERATURES
 - 1. WHEN NO WATER ADDITIONS WERE MADE TO MAKEUP TANKS AND WHEN COLLECTION RATE IN RCDT WAS LOW - ERRORS HAD LITTLE EFFECT.
 - 2. WHEN RCDT COLLECTION WAS <u>HIGH</u> COMPARED TO THE AMOUNT OF MAKEUP TANK WATER ADDITIONS, THEN THERE WAS A SIGNIFICANT EFFECT (I.E., IT WOULD OVERSTATE UNIDENTIFIED LEAKAGE).
 - 3. WHEN RCDT COLLECTION WAS LOW COMPARED TO THE AMOUNT OF MAKEUP TANK WATER ADDITIONS, THEN THERE WAS A SIGNIFICANT EFFECT (I.E., IT WOULD UNDER-STATE UNIDENTIFIED LEAKAGE).
 - 4. WHEN BOTH RCDT COLLECTION AND THE AMOUNT OF MAKEUP TANK WATER ADDITIONS WERE <u>COMPARABLE</u>, THEN THE EFFECT WAS SMALL.
 - 5. CONSEQUENTLY, THE TEMPERATURE EFFECT WAS QUITE DIFFERENT FROM <u>TEST TO TEST</u> - LARGE VARIABILITY IN TEST RESULTS.
- C. MAJOR PROBLEM MAKEUP TANK LEVEL INSTRUMENTATION
- D. UNIDENTIFIED LEAKAGE LIMIT OF 1 GPM WAS BASED ON HOT RATHER THAN COLD CONDITIONS.







TNA-2 Re SUAP COLLECTION RATE BASED ON ALARM PROFICUT (OCTOREN 875 THROLOH MARCH 875)

O PERCOS NEVERED

MOTEI BABED CM 244 BALLONS PER PLARP-DOWN (14 MCHES)-

£:

Table 1

APPARENT UNIDENTIFIED LEAKAGE RATE AT THI-2 FOR LAST HALF OF MARCH 1979, BASED ON REACTOR BUILDING SUMP DATA

(Daily Average Leskage Data Based on the <u>Full</u> Sump Fump-Downs. Therefore used closest daily period to cover the full pump-downs of sump -e.g. daily periods for full pump-downs of sump vary hetween approximately 21 hours to 27 hours - see Column C below.)

Both Our and MRC's Data Based on: (1) Standard atmospheric conditions (68* and 1 atmosphere) (2) A Sump Pump-Down of 14* is equal to 244.347 gallons.

A	3	c	D	E = D x 244.347 + C	,	
Date	Time of RB Sump Pump Start for "Pump-Down" (Computer Printout)	Daily Hours in Time Period for Full Sump Pump-Down	Humber Pump Starts In Time Period (Humber of Pump-Downs) (244.347 gallon/ Pump-Down)	Apparent Unidentified Leakage From RB Sump gpm	NRC Daily Sump Data - 1/5/84 gpm	
March 12, 1979	1149	26 hr23 min. (1583 min.)	3	.463	.51	
March 13, 1979	4112	20 hr59 min. (1259 min.)	2	.3881	.39	
March 14, 1979	1:11	27 hr0 min. (1620 min.)	3	.4524	.53	
March 15, 1979	4:11	21 hr21 min. (1281 min.)	2	.3815	.13	
March 16, 1979	1:32 9:30 15:44	25 hr0 min. (1500 min.)	•	.6516	·\$*	
March 17, 1979	2:32 6:15 14:19	22 hr32 min. (1352 min.)	1.	.7229	.72	
March 18, 1979	19:58 00:56 5:40 10:21 15:27	23 hr6 min. (1386 min.)	3	.8815	.87	
March 19, 1979	19:50 00:02 4:21 8:45 13:26 18:03	26 hr41 min. (1601 min.)	•	.9157	.91	
March 20, 1979	22:19 2:43 7:04 11:46 16:33 21:01	<u>22 hr38 min.</u> (1358 min.)	5	.8997	1.02 * (See Note)	
March 21, 1979	1:21 5:38 9:55 14:40 19:14	22 hr2 min. (1322 min.)	5	.9242	.81	
March 22, 1979	23123 3136 7144 12125 17109 21130	. <u>22 hr7 min.</u> (1327 min.)	5	.9207	.93	

· Page 1 of 2

- T.a	h		1
Con	2		141
(1 224	201

A .		c	D	E = D z 244.347 + C	
Data	Time of RB Sump Pump Start for "Pump-Down" (Computer Printout)	Deily Hours in Time Period for Full Sump Pump-Down	Numher Pump Starts In Time Period (Number of Pump-Downs) (244.347 gallon/ Pump-Down)	Apparent Unidentified Leakage From HB Sump gpm	WRC Daily Sump Data - 1/5/84 gpm
March 22, 1979 March 23, 1979	21:30 1:57 6:06 10:17 14:58 19:04	25 hr52 min. (1552 min.)	•	. 3446	· .93
March 24, 1979	23:22 3:45 6:02 12:31 16:50	25 hr26 min. (1526 min.)	•	.9607	.92
March 25, 1979	00148 4139 6141 12149 17101	24 hr14 min. (1474 min.)	•	.9946	1.03 * (See Note)
March 26, 1979	1:22 5:25 9:46 14:04 18:24	21 hr50 min. (1310 min.)	,	.9326	.97
March 27, 1979	3:28 7:40 11:59 16:53 21:17 01:16	26 hr4 min. (1564 min.)	•	.9373	.90

Note

We believe that the NRC unidentified leak rate from the sump dats for these two days is in error due to overcounting the number of sump pump starts for these days. Specifically, the automatic recording of the sump pump starts on the computer shows i rather than the 6 starts used by the NRC in their calculations for March 20 and it shows i rather than the 7 starts the NRC used in their calculations for March 25, 1979. Accordingly, when these two corrections are made, the NRC sump data shows that the unidentified leakage was less than 1 gpm.

100

新した

翻

臣

No. 1

		JG:4	7:47 1	INDEL U	15TG INTRA TO IN TK FL (KLB/II)	-222	
*	10	05:4	7:52 0	10 0	28 BSTG HTRA TO IN TK FL(KLB/H)		1
	0	06:48	1:12 1	COM U	328 BSTG INTRA TO HD TIK FL(KLB/II)	-777 2	;
	•	05:46	1.17 0		28 USIG INTIA TO IND TK FL (KLB/H)		
	-	UG:48	1.47.11	ODL: 00	28 8STG HTRA TO HD TK FL (KLB/H)	-777 7	;
	0	06:48	1.52 R		38 JSTG HTRA TO IN TI: FL(ILB/H)		
		65158	.57 14		28 8STG HITRA TO IN TI: FL(ILB/II)	-222 2	
1	-	06.50	137 14	3.34 00	96 COND INIL LVL (IN 1120)	22 02	
	0	07.00	112 L	00	36 CCID 18/L LVL (1H 1120)	22 11	
		07.10	112 10	194 00	96 COND IAIL LVL (111 1120)	22.44	
1		07.10	112 LC	N 00	96 COND HAIL LVL (IN H20)	23.10	
1	0	07:10	:27 1.0	100 151	TG COND INIL LVL (111 1120)	22.44	
1	1.1	07:12	152 10	RA UU	8 8STG HTILA TO HO TK FL (11 14/11)	22.37	
		07:13	UZ BA	D 002	8 STG HTHA TO IN THE FLORIDAN		
	0	07:15:	17 NO	RM 002	8 8STG HTRA TO ID THE FLORIDAN	-111.7	
		0/:13:	27 BA	D 002	8 8STG HTRA TO ID TK EL (PL BALL)	.0	
- 1		07:18:	38 CO	NT 273	8 D-G ROOM AIR CPRSR DE-D-24	-777.7	
1	0	07:21:	27 LO	1 000	6 COND INIL IVI (III 1120)	147.01	
		07:22:	20 CO!	IT 273	8 D-G ROOM ALD CHOSD DE-U-24	22.42	
1		07:24:	47 CO:	IT 272	7 RB SLEIP PIRIP HILL -D-20	TRIP	
1	0	07:25:	52 CCI	IT 313	7 500 KV 191 YEAR BYD 02 10	011	
	-	. 07:25:	53 CO:	П 313	7 500 KV MU YEND BYD D2 112	TRIP	
1	• • •	07:26:	11 CON	T 313	7 500 KV MI YOND BKD 02-02	110121	
	0	07:26:1	13 CON	T 313	500 KV MI YEND DWD 82-02	TILP	
	~	07:26:1	19 001	T 272	TRB SIMP PLAN IN BISC B2-02	110101	
1	** * *	07:36:1	17 . NOR	4 0021	ASTO LITUA TO UN THE STORE	OFF	
1	0	07:36:2	2 8/0	0028	ASTC LITPA TO HAD IK FL (KLB/H)	.0	
	•	07:49:5	1 CON	T 2740	Dec Port All Coort FL (KLB/H)	-777.7	
		07:54:1	0 CON	T 2740	D-C DOWN AIR CPPSR DF-P-2C	140191	
1	0	08:21:5	3 BAD	1643	FUP 10 CUTPE CPRSR DF-P-2C	TRIP	
	9	08:21:5	3 BAD	1644	ELAS 10 THE SOCIED BRG(C)	-???.7	
1		08:22:5	3 NOT	1 1643		-777.7	
	•	08:22:5	S NOTE	1 1644	Fir 10 CUIDD BRG(C)	2.2	
1		U8:32:5	2 110:00	0020	FUP ID THA BRG	3.2	
		08:37:20	תינה נ	2767	OSIG HIRA TO ID TI: FL(ILB/II)	.0	
1	2	. 08:38:30	6 RAD	6/3/	ISSIG FOULITR A LVL LON	101	
1.		08:38:30	BAD	,0572	INT INT INVIGE NIA LVL (LOG NAPS)	-77 77	1.
	/	08:39:00	S MORA	0020	ASIG HIRA TO HD TK FL(KLB/H)	-777.7	
1		08:30.30	RAD	0572	THE PARGE NIA LVL (LOG AVES)	-11.03	
1 4		03:40:06	1 Dr.U	0572	IP THT RATCE NIN LVL (LOG NAPS)	-77 22	
1.		. 03:41.00	CONT	0372	ICP INT RAUGE HIL LVL (LOG NAPS)	-11 01	
10		08:41:05	BAD	2/5/	1351G FONT ITTR A LVL LONT	tione	
1,0	,	08:41:51	NODIA	0072	INT THIT RANGE NIA LVL (1.0G MAPS)	-77.77	
1.		00:42:06	AND COM	0570	BSIG HIRA TO HD TK FL(KLB/H)		
1: 0		08:42:14	COULT	2700	10 THT RAVIGE NILL LVL (LOG AMPS)	-11.03	
1:0		03:42:35	COULT	2709	1351G FOW HTR A LVL HIGH	HIGH	
1.		00:42:36	RAD	0679	LISIG FUN HIR A LVL TRIP	TRIP	
0	•	08:45:02	COUT	2702	UTO MAT RATIGE NIL LVL (LOG AMPS)	-77.77	•
0	1.1	08:47:27	INDIA	0005	COURD LAND TK LVL HIGH	1871114	
	•••	08:47:42	LCJ	0006	COND IAIL LVL (IN 112C)	22.91	
0		08:48:06	LOTA	05.72	UD HUT DAUDE (IN H2O)	22.33	
10	1.11	00:48:35	BCD	0572	00 100 004.50 114 LVL (1.0G AVPS)	-11.00	
		03:49:36	P'D'M	0572	10 HIT REATE MILL LVL (LOG AMPS)	-77.77	
0		08:50:12	1074	0000	COND IN TOURGE MIN LVL (LOG AMPS)	-11.02	
0		08:50:36	BAD	05.72	COMP INT LVL (114 1120)	22.97	
		03:51:57	Lau	0006	COM LAN RAUGE NIL4 LVL (LOG AMPS)	-??. ??	1.
0		03:52:12	10000	0006	COLD INTL LVL (114 1120)	22.36	
(.)				0090	COM AN TO THE MAN		

1	- 00:47:42 BAD 002: 00 00 DE LIL LON	110141
	J6:47:47 HORA U022 STG HINA TO HD TK FL (KI.B/H)	-777.7
	06:47:52 RAD 0022 0510 111RA TO ID TK FL(11B/11)	.0
	OGILARIZ LOOM 0028 8STG ITTRA TO HD TK FL(KLB/II)	-777.7
	OF HOLD DU28 USTG INTIA TO IN TK FL (KLB/II)	
	USTABILY EAD OUZE ESTG HTRA TO HD TK FL (KLR/H)	-222 0
	O OCTABLAT HORA 0028 USTG HITRA TO IN THE FLUTTON	-111.1
	06:48:52 BAD 0028 85TG HTRA TO IN THE FLUILDAN	.0
	C5158157 KO:34 0096 COMD IAU IVI (11 100)	-777.7
1	O . 06:59:12 LON 0026 COND LAN LUN (120)	22.92
	07:00:12 HORA 0006 COUD LAL LVL (IN 1/20)	22.44
	07:10:12 LOU 0000 COND TALL LVL (11 1120)	23.10
	OZILO.22 LOW DOYE COM HALL LVL (IN H2O)	22.44
1	O 27.12.12 10104 0076 COND IA/L LVL (111 1120)	22 07
1	OTITIES ROUGA 0028 8STG ITTUA TO IN TK FL (118/11)	660:37
	0/113102 BAD 0028 8STG HTHA TO IN THE FLUTT BULL	
1	O 07:13:17 NORM 0028 8STG HTRA TO IN THE CHILDON	-117.7
1	07:13:27 BAD 0028 85TG UTDA TO UD TH FLUILB/11)	.0
	- 07:18:38 CONT 2738 D-0 POOL ALD COOCE AT	-???.?
1	07:21:27 104 "0005 COUD INT ATT CPRSR DF-P-2A	10001
-	07:22:20 CONT 2770 COMP INTL LVL (111 1120)	22.42
1	" MARTIN CONT 2738 D-G ROOM AIR CIPRSR DF-I-2A	TRIP
1	CTIZETET CUNT 2727 RB SUIP PUIP HIL-P-28	
1	3. 07125152 CONT 3137 500 KV MI XFMR BKR 82-02	THIC
1	. 07:25:53 CONT 3137 500 KV MI XFM BKD 82-112	Inter
1	07:26:11 CONT 3137 500 KV MI YRAN 840 82-00	100191
1	07:26:13 CONT 3137 500 KV MIL YEND DWD 00 00	mip
		110101
1		055
	07:36:22 RAD 0028 2010 HIRA TO HD TK FL(KLB/H)	.0
	07:49:51 COUT 2700 OSIG HIRA TO HO TK FL (KLB/H)	-777.7
Ł	07.54.10 COUT 2740 D-G ROOM AIR CPPSR DF-1-2C	100101
	DR. 21.51 CONT 2/40 D-G ROOM AIR CPRSR DF-P-2C	TOID
0	1643 FWP 18 OUTBD BRG(C)	-222 9
	08:21:55 BAD 1644 FWP 18 TIN BRG	-222 0
16	03:22:53 NOMA 1643 FUP 18 CUTED BUG(C)	-111.1
6	08:22:53 NOTH 1644 FUP 10 THO DOG	2.2
	U8:37:52 NORM 0028 ASTG HTRA TO UP TH FLOW -	3.2
	08:37:20 CULT 2757 135TC ECH UT A FLUELB/11)	.0
e	.08:32:36 BAD 0572 00 INT DAVOT A LVL LOW	LONI
-	08:38:36 BAD 0028 SCTO UTO ALL 114 LVL (LOG MAPS)	-77.77
•	DALIGION MORN OF TO OSIG HINA TO IN TK FL(KLB/II)	-???.?
-	08:30:36 PAD 0572 HP THT RANGE HI4 LVL (LOG AVPS)	-11.03
	DOLDARD BED 0572 RP HIT RAIGE NIN LVL (LOG AMPS)	-22 22
	CONTROLOG TAURAN 0572 RP INT RAIGE HILL LVL (LOG MAPS)	-11 00
	USIGIEDU CONT 2757 13STG FOM ITTR A LVL ICH	-11.03
·C	US:41:06 BAD 0572 RP INT RANGE NIL IVI (100 AUDE)	noier
	08:41:51 NORM 0028 85TG HTRA TO HD TE EL (11 A 141-3)	-77.77
	00:42:08 MORM 0572 INP INT RANGE MUL IN (100 MICH)	.0
0	08:42:14 COUT 2769 135TG EDU UTD A LVL (1.00 AMPS)	~11.03
-	. 00:42:35 COUT 2781 13STG EDU UTD A LVL IIIGH	IIIGH
۰.	08:42:38 BAD 0572 00 INT DAVIOR WILL A LVL TRIP	TRIP
0	08:45:02 COUT 2782 UTD MAN ALL LVL (LOG NAPS)	-77.77
0	08:47:27 HORA HORE COUR LAND TK LVL HIGH	1471114
	08:47:42 101 0005 COURT HILL LVL (111 1120)	22.91
-	OR + 48 + 05 HOTH OF TO LOND TAIL LVL (114 H2O)	22.30
0	OR LOATE MAR US 12 ID THE RALGE HILL LVL (LOG MOR)	-11 00
	COLOR DE 0572 RP INT RAME NIN LVL (LOG AMPE)	-22 22
	00:49:56 10.34 0572 NP INT RANGE MIN IVI (100 AUDO)	-11.00
0	08:50:12 10:34 0096 COND INIL LVI (111 1120)	-11.03
-	US: 50: 36 BAD 0572 RP INT RAUGE NUM INT COS MINT	22.97
	08151157 LOW 0096 COM INH AVI (14 120)	-77.77
2	03:52:12 1011M 0096 COM INH IN 111 11201	22.36



(DECEMBER 1978 THROUGH MARCH 1979) BASED ON ALARM PRINTOUT MPR CALCULATED RATE

ALTERNATE METHODS OF ESTIMATING UNIDENTIFIED LEAKAGE

RELATED TO RCIB TEST UNIDENTIFIED = TOTAL - IDENTIFIED

SLOPE METHOD TO GET TOTAL LEAKAGE

- SELECTED REGULAR PERIODS
- DETERMINED SLOPE
- CORRECTED FOR MAKEUP TANK INSTRUMENT ERROR

WATER ADDITION METHOD TO GET TOTAL LEAKAGE

- SELECT REGULAR PERIODS
- DETERMINED ADDITIONS AND CORRECTED FOR MAKEUP TANK INSTRUMENT ERROR
- USED HOURLY COMPUTER LOG TO CORRECT FOR CHANGES IN SYSTEM CONDITIONS

TOTAL LEAKAGE RATES CONBINED TO GET A COMPOSITE BEST ESTIMATE

IDENTIFIED LEAKAGE

- FROM RCIB PRINTOUTS OF RCDT LEVEL
- INDEPENDENT LEVEL/VOLUME RELATIONSHIP USED



61/61/2

"SLOPE" METHOD

SELECT "REGULAR" SLOPES

1 2 4

- AVERAGE ALL AVAILABLE
- DETERMINE RATIOS OF INDICATED TO LOGGED ADDITION
- AVERAGE ALL AVAILABLE
- CORRECT AVERAGE SLOPE BY AVERAGE RATIO TO OBTAIN LEAK RATE



1.7



LEGENDI

- AVERAGE OF MOINDUAL SLOPE METHODS DUAME 24 MOURS PERIOD TMI-2 ESTIMATE OF TOTAL RCS LEAK RATE BASED ON RATE OF MAKEUP TANK LEVEL CHANGE " SLOPE " METHOD

(OCTOBER 1978 THROUGH MD-JANUARY 1979)

NRC'S "SLOPE" METHOD (MAY 23, 1983)

ONE REGULAR SLOPE PER DAY

1 dt

0

 NO CORRECTION FOR MAKEUP TANK INSTRUMENTATION PROBLEM

it's

"WATER ADDITION"

SELECT STEADY PERIOD

1 15

- IDENTIFY ADDITIONS
 - CRO LOG
 - UNLOGGED

•

- DETERMINE BEGINNING AND END CONDITIONS
- DETERMINE INVENTORY CHANGE
- LEAK RATE = ADDITIONS + INVENTORY CHANGE

Få 26 28 O BIDIVIDUAL WATER ADDITION DETERMINATION 12 22 000-00 E a 0 2 4 6 8 10 12 14 16 18 ò 0 00000 0 0 0 LEGENDA TMI-2 ESTIMATE OF TOTAL RCS LEAK RATE BASED ON SUMMATION OF WATER ADDITION " METHOD 0 0 0 (FEBRUARY AND MARCH 1979) 0 . 0 MARCH 0 22 24 26 28 000 0 0 0 000 16 16 20 0 0 0 0 0 1 1 1 0 00 Lº 00 -0 - 0 00 5 4 FEBRUARY . 0 2.0 0.0 5.0 1.0 4.0 3.0 8.0 TOTAL RCS LEAK RATE

÷



.

LEGENDIA © MONDUAL WATER ADDITION DETERMINATION TM-2 ESTIMATE OF TOTAL RCS LEAK RATE BASED ON SUMMATION OF WATER ADDED "WATER ADDITION" METHOD COCTOBER 1978 THROUGH MD-JAMJARY 1979) 能

k

NRC'S "WATER ADDITION" METHOD MAY 23, 1983)

- SOME FEED & BLEED OPERATIONS NOT EXCLUDED
- UNRECORDED ADDITIONS ASSUME NO ERROR IN MAKEUP TANK LEVEL INSTRUMENT
- UNRECORDED ADDITIONS CONVERTED TO RC TEMEPRATURE TWICE

WATER ADDITIONS BY THE OPERATORS IN GALLONS

••	DATE '	CRO NO.	LOG	MUT NO.	SEARCH	AMOUNT
19	12/06/78	8	2400	0	0	2400
50	12/07/78	. 7	694	0	0	694
51	12/08/78	4	900	1	331	1231
52	12/09/78	1	400	0	0	400
53	12/10/78	3	300	0	0	300
54	12/11/78	2	400	1	455	855
55	12/12/78	13	3480	0	0	3480
56	12/13/78	8	344	0	0	344
57	12/14/78	3	11.00	2	1449	2549
58	12/15/78	4	1300	0	0	1300
39	12/16/78	2	600	0	0	600
50	12/17/78	3	1561	0	0	1561
51	12/18/78	0	0	0	0	0
52	12/19/78	2	1400	0	0	1400
63	12/20/78	1	450	0	0	450
54	12/21/78	0	0	0	٥	0
55	12/24/78	11	2605	1	331	2936
56	12/25/78	4	1400	0	. 0	1400
67	12/26/78	8	2024	0	0	2024
58	12/27/78	9	1600	0	0	1600
69	12/31/78	12	3595	0	0	3595
70	01/01/79	7	1850	0	0	1850
71	01/02/79	4	1650	0	0	1650
72	01/03/79	7	2186	0	0	2186
 BY THE	OPERATORS	IN	GALLUNS			
------------	-----------	----	---------			

40.	DATE	CRO NO. P	LOG	MUT SE	ARCH	AMOUNT
		15	3818	0	o	3818
97	02/22/11		3500	0	0	3500
98	02/23/79		2442	1	372	3834
99	02/24/79	14	3402	0	0	4315
100	02/25/79	13	4315		0	3612
101	02/27/79	16	3612	U		4267
102	02/28/79	18	4267	0	U	3416
103	03/01/79	17	3416	. 0	0.	3410
104	03/02/79	18	4430	0	0	4430
105	03/03/79	19	3914	1	331	4245
	03/04/79	18	3849	1	331	4180
100	00/00/79	25	5678	2	661	6339
107	03/08/77	20	5585	o	0	5585
108	03/09/79	20	8300	2	538	5937
109	03/10/79	20	5577	2	828	5846
110	03/11/79	20	5018	-	1323	6083
111	03/12/79	20	4760		070	6013
112	03/13/79	25	5641	1	3/2	4117
113	03/14/79	25	6117	0	0	0117
114	03/15/79	19	5463	2	1159	0044
115	03/16/79	22	5425	1	869	6294
	03/17/79	24	7372	2	620	7992
110	03/10/79	25	6883	0	0	6883
117	03/10/70	24	5627	4	1863	7490
110	3 03/19/79	20	7252	Э	1448	8700
. 11	9 03/20/79	27	7713	2	538	825
12	0 03/21/79	30	1110			

60

WATER ADDITIONS BY THE OPERATORS IN GALLONS

3.8

NO.	DATE	CR	O LOG	MUT	SEARCH	TOTAL
		NO.	AMOUNT	NO.	AMOUNT	AMOUNT
121	03/22/79	25	7099 .	5	1736	8835
122	03/23/79	25	7900	4	1489	9389
123	03/24/79	30	8750	2	413	9163
124	03/25/79	18	6507	з	1324	7831
125	03/26/79	24	7650	4	1365	9015
126	03/27/79	21	7500	1	414	7914

•.	UNR		ATER ADDITIONS	IDENTIFIED BY	COLD	
	DATE	TIME	STARTING	ENDING LEVEL(In)	WATER ADD)
		0550	59	66	216	\$ 1109
	3/23/19	0410	64	. 74	308	
	3/23/79	0010	65 .	76	339	,
	3/23/79	0930	79	82	92	30%
0	3/24/79	0225		82	216)
1	3/24/79	0910	75	90	308	
12	3/25/79	0050	80	77	339	186
13	3/25/79	0355	66	77	339	
)4	3/25/79	0730	67	78	246)	
15	3/26/79	0420	70	78	214	
36	3/26/79	0455	68	75 ·	210	1017
,	3/26/79	0715	70	76	165	
08	3/26/79	1420	60	72	370)
10	3/27/79	0315	68	78	308	

3/27/79 39

[

転り

i.e.

100

10

Res (

TABLE 6

TOTAL REACTOR COOLANT SYSTEM LEAK RATES

DATE	LENGTH (Hr)	WATER ADDED (gal)	۲.	RCS PRESS (psig)	AUG TEMP (F)	PZR LEVEL (in)	MUT LEVEL (in)	TOTAL LEAK RATE (gpm)
				2171	581.63	229	70	5.86
3116179	24	6081	FINAL	2161	581.38	228	63	
	34	7490	INITIAL	2172	581.00	224	73	7.10
3/19/79	24	1010	FINAL	2172	580.88	226	74	
	23	8300	INITIAL	2172	580.88	226	74	8.33
3120117	23		FINAL	2173	580.88	222	67	
3. 31. 70	24	8251	INITIAL	2173	580.88	222	67	7.56
3121 111			FINAL	2168	581.00	209	"	
3 22 79	25	8685	INITIAL	2168	581.00	209	77	7.82
			FINAL	2170	581.00	225		
3\23\79	24	9639	INITIAL	2170	581.00	225	69	8.99
			FINAL	2169	581.03	234		
3 24 79	24	9163	INITIAL	2169	581.63	234	67	8.22
			FINAL	2169	281.88	231		
3 25 79	23	7531	INITIAL	2169	581.88	231	80	7.70
			FINAL	2170	581.62	233		
3 26 79	25	9315	INITIAL	2170	581.62	233	66	8.30
			FINAL	2169	581.00	224	•/	
3 27 79	24	7194	INITIAL	2169	581.00	224	69	6.57
			FINAL	2160	260.88	228	12	

d.

•...

.1'

. 9.1

....



(FEBRUARY AND MARCH 1979)



ESTMATE OF TOTAL RCS LEAK RATE COMBINED SLOPE AND WATER ADDITION METHODS (OCTOBER 1978 THROUGH MID-JANUARY 1979) TM-2

THE LINES ARE LINEAR LEAST SOULARES FITS TO THE DATA OVER THE PERIODS MONCATED

LEGENDI

"SLOPE" NETHODI

- NOICATES AVERAGE OF NONDUAL SLOPE NETHODS DUPING 24 HOURS

"WATER ADDITION" NETHODI 0 NOVIDUAL WATER ADDITION 0 DETERMANTION

-





.

à.

HOTES.

RCDT COLLECTION RATE HAS BEEN CORRECTED TO ELIMINATE ERRORS IN LEVEL TO VOLUME RELATION IN RCIB TEST PROCEDURE THE LUNES ARE LINEAR LEAST SQUARES FITS TO THE RCDT CGLLECTION RATE OVER THE PERIODS INDICATED WITH OTHER IDENTFED LEAKAGE ADDED WHEN IT WAS PRESENT AS INDICATED BY MORE THAN ONE RCIB TEST RECORD

TMI - 2 RC DRAIN TANK COLLECTION RATE AND OTHER IDENTIFIED LEAKAGE (OCTOBER 1978 THROUGH MID-JANUARY 1979)

÷

LEGENDI TOTAL IDENTIFIED LEAKAGE

OTHER "DENTIFIED" LEAKAGE



(OCTOBER 1978 THROUGH MID-JANUARY 1979)

Res.

k

TMI-2 ESTIMATE OF ESTIMATE OF UNUDENTIFIED PLUS INTERSYSTEM LEAKAGE BASED ON TOTAL RCS LEAKAGE FROM COMBINED SLOPE AND WATER ADDITION METHODS AND UDENTIFIED LEAKAGE FROM RCIB TESTS



I GPM LIMIT FOR UNDENTIFIED LEAKAGE

*



THA-2 COMFARSON OF NB SLAMP COLLECTION ATE TO ESTIMATED UNDERTIFIED PLUB INTERSISTEM LEAKAGE BASED ON COMBINED BLAED ON COMBINED BLAED AND WATEN ADDITION METHODS (COCTOMEN 1878 THROUGH MARCH 1878)



RE BLAF COLLECT BASED OF ALANU (OCTORES B76 PROJE

o

NOT RCS PERIODS



INDICATED LEVEL

AP

LOWER SENSING LINE



NO WATER AP = PgH

(WATER FILLED)

INCREASES

LEVEL

TMI-2 MAKEUP TANK AND LEVEL INSTRUMENT SHOWING HYPOTHESIZED SOURCE OF LEVEL MEASUREMENT ERROR WATER SLUG IN UPPER SENSING LINE)

INDICATED LEVEL

INCREASES



.

THA-2 MAKEUP TANK LEVEL RATID OF NOICATED ANOUNT OF WATER ADDITION TO LOGGED ANOUNT COCTOBER 1878 THROUGH MARCH 1978)

LEGENDI

2 CM MORE ADDITIONS AS DATA
 X 1 ADDITION AS DATA

WATER ADDITIONS

12

- EFFECT ON RCIB TEST RESULTS
 - ADDITIONS NOT INCLUDED IN CALCULATIONS
 - ADDITIONS INCLUDED IN CALCULATIONS

1. .

-

- REVIEW OF INDIVIDUAL ALLEGATIONS
 - METHODOLOGY

0

EXAMPLES

-



E State

EX.

REVIEW OF ALLEGATIONS METHOD

- LOCATE PERIOD OF RCIB TEST ON MAKEUP TANK
 LEVEL CHART
 - COMPARE TIMES OF LOGGED ADDITIONS
 - CHECK FOR CHART MARKINGS
 - COMPARE TIMES OF OTHER LOGGED EVENTS
 - COMPARE VALUES OF MAKEUP TANK LEVEL FROM RCIB TEST RECORD TO LEVEL TRACE
- ESTABLISH WHETHER TRACE FLUCTUATIONS ARE TYPICAL OF THE DAY.
- COMPARE RATE OF MAKEUP TANK LEVEL CHANGE DURING TEST TO SLOPE OF TRACE BEFORE AND AFTER TEST PERIOD.
- CONFIRM PLANT WAS IN STEADY STATE.
 - CHECK EVENTS IN PROGRESS PER LOG
 - DETERMINE CHANGES IN PARAMETERS RECORDED AT BEGINNING AND END OF RCIB TEST



EFFECT TO PARAMETER FLUCTUATIONS ON MAKEUP TANK LEVEL

22

...

PARAMETER	TYPICAL PARAMETER FLUCTUATION	RESULTING MAKEUP TANK LEVEL FLUCTUATION
AVERAGE TEMPERATURE	±0.3 то 0.6°F	±1.0 то 2.0 ім. (±30 то 60 gal.)
PRESSURE	±20 to 40 psi	±0.6 то 1.2 ім. (±18 то 36 gal.)
PRESSURIZER	±1.7 to 3.4 psi	±0.7 to 1.4 in. (±20 to 40 gal.)

teak Rate Tests during which water was added to the RCS without correct entry into the computer and the effect of the discrepancy on the unidentified loak rate.

DATE	Test Starting Timo	WATER ADD (Gal)	WHETHER ENTERED IN CRO LOG	EFFECT ON" LEAK RAIE GPM	ORIGINAL MED. ED. LEAK RATE GPM	CORRECTED* LEAK RATE GPM
0/10/78	17.14	650	00	10.82	0.8954	11.72
10/2/78	21.04	600	50	10.0	0.4553	10.46
10/4/78	4:47	120	no	2.0	0.9204	2.92
10/14/78	15:03	150	no	2.5	0.8/87	1.61
12/24/78	17:16	200	yes	3.33	0.1822	3.51
1/11/79	9:37	117	yes	1.95	0.2639	2.21
2/2/79	0:55	300	yes	5.0	0.7513	5.75
2/11/79	18:08	300	yes	5.0	-0.0603	4.94
2/23/79	11:07	.150	yes	2.5	0.3217	2.82
3/15/79	4:50	90	no	. 1.5	0.0562	1.56
3/19/79	0:58	400**	yes	3.33	-0.1851***	3.15

4 .

"As it would have been calculated by the computer, without accounting for expansion in the RCS. ""200 gallons entered into the computer. """Original computer result was 1.3926 gpm, which was corrected by hand calculations.

REVIEW OF TABLE 3 OF NRC MAY 23, 1984 MEMORANDUM

VERY LARGE "CORRECTED" LEAK RATES INDICATE POSSIBLE MISINTERPRETATION

NEED TO MATCH MAKEUP TANK LEVEL CHART WITH RCIB PRINTOUT AND WITH CRO LOG

CHART TIME ERRORS 9/30 10/2 10/4 10/14

0

0

CRO LOGGING ERRORS 12/24 5 2/2 3/19

PROBABLE ADDITIONS, BUT RC DRAIN TANK LEVEL CHANGE IS UNUSUAL

> 2/11 - SLIGHT RCDT LEVEL DECREASE 2/23 - Almost Zero RCDT Level Change

> > 3

735

WIEW OF

ADDITION

1/13

"JOGGED" ADDITION

3/15



10/14

.

新.

Re:



\$10



ř			1;	:'1	111	V		1.				<u> i</u> !	1:;	::	111	111	111		1	11	-			· i				iili	111
	11	11	1.	1	1	Z	r		1	1.1			11:	1:1			111		11:1		: :	111		1	!!]	il,	11		11
	11	11	1	1:	1	T	5				T	11		11	111	111		:	111	111	1	111	11	: r		11	ili	11	11.
		111	1		11;		3	1:	:::	1		11		1	11	1.1				11		11			11	1	:	K N I	
			1		1	1	5		i.	1			T	iil	11	1.				1	1	1.	111	1		11	:11		2
i		111	li	11	T	ą		T	111	TT	T	11	li		111	-	-		- 1	lii	!	111		1		111	ill		1
		II	T	11		·S	,1	T		1		-	T		111				1	111		11;				111			
1		111	T	1	111	3		1					17	TT	111	657	NER	DUC	Ī				111	11			11		
		111			1.1	2 P			-		1		10	111	111	-	14	8	İ	Tili	UE	1		17		11	T	111	1
-		111	1	Л	2	J	11	ifi	T	iii	П	1	T	ti	111	- 1	<u> </u>			111	Π	111	11	1	111			iil	i
-	11	lii	T		2			T,	111			T			:!;		1		15:31	Ti									1
i	11	11			111		11	T	11	-					111		1	e.		T							111		N
1					111		111	:11	1	1:1		11	1.	3	1:1		PCK	TIN		III			1.1		:11	111	111		0
Ţ		111		11	i		11	Ti		11			T	3	11		4	_	1	T	1		lii		111	111	1		
		1::		111	1.	!	11		1		1.1		T	5	111				17:	111	Π			1	111				:1
f				111		T	:::	1		1:1			T	5	111	1	ilii	:11				11!		111		1			1
	111		11	11	11		:!]		11	1:	11	11:	Ŧ	1.1	:!!		111		111		::		1::	1	1::	1		:11	
	11			111			11			1.	11		ā.				1		111	11:1			11			1		11	
-	iII		T	111	11	11	iii	1			1		1	111	111	1	111	11	111				Tii			:!	: 1		1.
			1	111	111	11	111	:1	11	11		111	1	11	11	111	111	11	:11		Ť							11.1	Z
ILUI		1	96	ili	111	U					11		40	111	111	50	Tii							20	11:	1:	T		4 5
		11:	T .	TI	lii	:::			1			1	t	111												1.		1::1	:
-	111	11	i		111	11	• • • •	:1		11	:!!		T	111	1:1	111		5 1 5 1 1 1					TI		1.	11		11	•
-	111		1	111	11	11		1		111		111	f:	11:		111			.1	111		1				1:-			**
H	111			111	111	11			11		111	111	ŝ	j11		1111		11		: .	11	111	T		1	11		11:	•
H	111					11	111	11	111	111	il		3	111	111	111			11	:11	11	11	1	1				111	
h					11	11	11		111		111	Th	J.	11	111	11:1		111	111		1	1,1						,11	
h				111	111	11			:11		1		3	111	1			1		1.			T		1.	1.1	-	1	N
r		111	11	111	11:	11	1:11	11		: 1		5		1:1	11:	1	::::::		111			11:	11	,:	• • • • • • • • • • •	1.		:: .:	30
F						11	1:	-	111			Í	1	1.1	11	-	11	1	111:	.11	1 1	1		:1	1	1:.	-	. : : :	1
ŀ		11		T	11	11	lil	.:		• !	1.	P.1		11	il	1111	111	1		111	1		1		11	1:	::	1:1	
t		11		111			11	1		:11	110				ii	1:1:	111	11	11		111	;1:		11	11	11	1		11
THE		11	19	111				111	11:	17	2		19	111		5	lili		5	:1:	11	RI	:1:	-9	11	1	IT	111	T
+			11	111	11		lil	111	:!!	K		:			11		::::		1:1			:11			.i.				
					T		111	11	11	111	1	RI		11	111		1111	111	11	111		114	1		11	11	11	111	1
1				111			11	11		11		X	T				111	11						11	111		11		ť
				111		111		11	111		111	1	11	111	111	1111	1:1:	111	11:		111	11	111	1!	11:		1.1	11.	N C
	- 10 B	111	111	111	111	111	111	1 5 1	11	111	111	Er.	24	111			1111	111	11		11:		11	. 11	11:			1111	T.
			11	111	11	111	1:	::	lii		111	1.5.5	1	. 1 1	11.1		1.1.1.1	1111	1	1.1.1.1.1	8.2	1 2 2 8	1.0		1	1 1 2 1	1.1	8 6 . 8	1.00

.

9/30



CHART GRROR. HR 12 2 w/Loc AGREES



•	
6006-0021-	
5211-0001-	0937 7 0937 7 0937 7 0937 7 0937 7
6009-0190-	
6009 - 0510-	- Contraction of the contraction

1,13



3/15



3/18/3/19

12





5 744 V A-C ALLEGETTON: MUT + 2"; normal - 2" 用で OSLO 3 --RIBmuttur. Jos in 0590 1 :: No OL 8 AM 4 4 Q DECTN78 0 INSTRUMENT SWITCH C 6 AM ALA 12/11/78. PH NU AAH BH 贯






CONFIRMED WATER ADDITIONS NOT INCLUDED IN RCIB CALCUALTION

· . .

 1. JANUARY 13, 1979 (0937 TO 1037)
 117 GAL. ADDED AT 100
 RECORDED IN CRO LOG.

 2. FEBRUARY 11, 1979 (1808 TO 1908)
 300 GAL. ADDED AT 1825
 RECORDED IN CRO LOG.

 3. FEBRUARY 12, 1979 (2120 TO 2220
 ABOUT 150 GAL. ADDED AT ABOUT 2130
 NOT RECORDED IN CRO LOG.

 4. FEBRUARY 23, 1979 (1107 TO 1207)
 150 GAL. ADDED AT 1135
 RECORDED IN CRO LOG.

NOTES

1. TESTS ON 2/11 AND 2/12 HAD A DROP IN RC DRAIN TANK LEVEL. TEST ON 2/23 HAD ESSENTIALLY NO CHANGE IN RC DRAIN TANK LEVEL.

HYDROGEN ADDITIONS

- EFFECT ON RCIB TEST RESULTS
- REVIEW OF INDIVIDUAL ALLEGATIONS
 - METHODOLOGY

: >

- EXAMPLES

.*





AUERAGE RATIO INDICATED = 1.18 LOBEED = 1.18

10%

and the

TNI -1 5EPT. 22, 1974







CONFIRMED AND EFFECTIVE HYDROGEN ADDITIONS DURING RCIB TESTS

DATE
TIMELOG
ENTRYEFFECT ON INDICATED
MAKEUP TANK LEVEL2/15/79
2026 to 2126CRO LOG @ 21004 in. OFFSET
(ABOUT 120 GAL.)

 2/17/79
 A0 LOG a 0510
 2 IN· OFFSET

 0411 το 05
 (ABOUT 60 GAL·)

WATER AND HYDROGEN ADDITIONS (September 18, 1978 to March 27, 1979)

1. WATER ADDITIO	NS DORING RCIB TESTS	Number of Water	Additions Not Entered
Recorded RCIB Test 174	Number of RCIB Tests During Which Water Additions Made 2£ 24-Logged and Entered in RCIB Test 3-Logged and Not Entered 1-Not Logged and Not Entered	Additions Not Entered Into RCIB Tests 4 (~2%) 3-Logged and Not Entered 1-Not Logged and Not Entered	63 (4-Verified by MPR)

2.	HYDROGEN ADDITI	IONS DURING RCIB TEST	Breakd	lown of Alleged Addi	n of Alleged Additions Hydrogen	
	Recorded RCIB Tests 174	Alleged Hydrogen Additions During <u>RCIB Tests</u> 14 10-F&B 4-NRC	Hydrogen Additions That Were Logged and Shown on Makeup <u>Tank Trace</u> 2	Hydrogen Addi- tions That Were Logged But No Sign on Makeup <u>Tank Trace</u> 8	Additions That Were Not Logged and No Sign on Makeup <u>Tank Trace</u> 4	

.

. . .