

ORIGINAL

UNITED STATES  
NUCLEAR REGULATORY COMMISSION

---

---

IN THE MATTER OF:

DOCKET NO: 50-322-OL

LONG ISLAND LIGHTING COMPANY

(Shoreham Nuclear Power Station)

LOCATION: HAUPPAUGE, NEW YORK

PAGES: 28404 - 28583

DATE: WEDNESDAY, MARCH 6, 1985

---

---

TR-01

Add 2 copies to ASLBP, E/W-439

dl

ACE-FEDERAL REPORTERS, INC.

Official Reporters  
444 North Capitol Street  
Washington, D.C. 20001  
(202) 347-3700

8503120059 850306  
PDR ADOCK 05000322  
T PDR

NATIONWIDE COVERAGE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

-----  
In the matter of: :  
LONG ISLAND LIGHTING COMPANY : Docket No. 50-322-OL  
(Shoreham Nuclear Power Station) :  
-----

Court of Claims,  
State Office Building,  
Hauppauge, Long Island,  
New York.

Wednesday, March 6, 1985.

The hearing in the above-entitled matter was  
reconvened, pursuant to adjournment, at 9:00 a.m.

BEFORE:

JUDGE LAWRENCE BRENNER, Chairman,  
Atomic Safety and Licensing Board.

JUDGE PETER A. MORRIS, Member.

JUDGE GEORGE A. FERGUSON, Member.

APPEARANCES:

On behalf of Long Island Lighting Company:

TIM ELLIS, Esq.,  
Hunton and Williams,  
Richmond, Virginia.

ODES L. STROUPE, JR., Esq.  
Hunton and Williams,  
Raleigh, North Carolina.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

On behalf of Suffolk County:

ALAN DYNNER, Esq. and DOUGLAS SCHEIDT, Esq.,  
Kirkpatrick and Lockhart,  
Washington, D. C

On behalf of the Commission Staff:

RICHARD GODDARD, Esq., and BERNARD M. BORDENICK, Esq.,  
Nuclear Regulatory Commission,  
Washington, D. C.

## C O N T E N T S

	Witnesses	Direct	Cross	Board	Redirect	Recross
1						
2	Franz F. Pischinger)					
3	Duane P. Johnson )					
4	Milford H. Schuster)					
5	By Mr. Stroupe	28,414				
6	By Mr. Dynner		28,417			
	By Mr. Goddard		28,430			
7	By Judge Morris			28,445		
8	By Judge Brenner			28,448		
9	By Mr. Stroupe				28,451	
10	By Mr. Dynner					28,459
11	Spencer H. Bush )					
	Adam J. Henriksen)					
12	By Mr. Goddard	28,495				
13	By Mr. Stroupe	28,515				
14	By Mr. Dynner	28,548				
15						
16	Lay-ins:					
17	Add'l crankshaft testimony, Pischinger, Johnson and Schuster;					
18	letters transmitting errata of 2/7 and 2/18/85,					
	and errata, follows 28,416					
19	Joint Testimony of Bush, Henriksen and Sarsten on Load					
20	Contentions Concerning TDI Emergency Diesel Generators,					
	follows 28,503					
21	Exhibits:					
	(None)					
22						
23	Morning recess:	28,429				
24	Luncheon recess:	28,483				
25	Afternoon recess:	28,505; 28,546				

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S

JUDGE BRENNER: Good morning.

We did have some preliminary matters that should be taken up first this morning, as we discussed yesterday, although there are others that we will defer to assist the scheduling of witnesses and also because the parties had to discuss further things with respect to them.

Did you want to give us the report on the SNRC letter first, Mr. Ellis?

MR. ELLIS: Yes, sir, I'll do that, Judge Brenner.

JUDGE BRENNER: All right. Thank you.

MR. ELLIS: The figures in the SNRC letter are correct, that is, SNRC Letter 44, and they do correspond to the figures in our testimony errata.

The difference is the addition of the RHR pump loads.

If you, in 1104, subtract 998, 998 and 1022 from the figures in the 1104, you'll get 2786, 2621 and 2529.

Those figures were corrected by 1144 to be 2743.8, 2577.2, 2708.9.

If you then add back the core sprays, two core sprays and the RHR as set forth in the testimony, you will get 3741.8, 3575.2 and 3709.9 as set forth in the errata to our testimony.

JUDGE BRENNER: It might be 3707, but that's a

1 detail.

2 MR. ELLIS: It's 3707, I'm sorry.

3 Thus, what NRC 1144 did was correct the inter-  
4 mediate figure.

5 JUDGE BRENNER: All right. That certainly  
6 explains it to the Board.

7 And the reason we asked--as I said, these letters  
8 are not evidence--we asked it to make sure that what we  
9 had in evidence was accurate as it was described on the  
10 record.

11 I certainly hope -- I assume, since there are  
12 people from the Staff present, that with that explanation  
13 they now understand this SNRC 1144 if they did not  
14 previously understand it.

15 Okay. The Board would like to ask its follow-up  
16 questions with respect to the subject of possible non-  
17 reporting by TDI.

18 We have received and appreciate a letter from  
19 Staff Counsel, Mr. Bordenick, dated February 28, 1985  
20 attaching a memorandum from Mr. Berlinger to Mr. Reis and  
21 that certainly answered part of our question and we  
22 appreciate that information.

23 As I said yesterday, we are still awaiting the  
24 courtesy of a reply from OI; however, we have the following  
25 question to the Staff, and our question is:

1           Is any NRC Staff office -- and we treat the NRC  
2 Staff as one entity before us, so Staff counsel will have  
3 to coordinate, be it I&E or NRR or both of them or any  
4 other Staff entity -- is any NRC Staff office investigating  
5 whether TDI has failed to meet requirements for reporting  
6 defects in the past and whether any such non-disclosure  
7 problem has continued as recently as the latter part of  
8 1984?

9           We have in mind most recently the subject of  
10 the fact that the cam gallery cracks or indications were  
11 welded, and this was not learned until very recently as  
12 Staff Counsel knows, and also the subject of the fact that  
13 the original 103 block had degraded Widmanstaetten graphite  
14 structure whereas the B bar test results reported by TDI  
15 did not reflect this and, moreover, according to the  
16 testimony of LILCO's witnesses the B bars for that block --  
17 the B bar for that block or, for that matter, the other  
18 blocks, are not available from TDI.

19           In addition, as part of the same question that  
20 we asked at the outset, I have a recollection but I'm  
21 not sure and I'm asking that the Staff check it that after  
22 the Staff began to pursue the subject of possible non-  
23 reporting of defects by TDI -- and at times it might have  
24 been called product improvements euphemistically by TDI  
25 probably -- there was an identification or a listing of

1 such so-called product improvements which the Staff had  
2 obtained and yet my recollection is even after that fact  
3 the Staff reported -- and it may have been an I&E report,  
4 it may have been a Board notification, it might have been  
5 some other medium, but the Staff nevertheless identified  
6 yet other so-called product improvements or defects which  
7 came to light thereafter and noted that, notwithstanding  
8 the focus earlier, these had not been included in the  
9 original list.

10 So part of our question would involve whether  
11 that recollection is correct and it will require going  
12 through the I&E and other possible documents and, if so,  
13 whether anything is being done with respect to that; as  
14 part of the question of whether the Staff is pursuing  
15 any such investigation of non-reporting.

16 Our follow-up question is if the Staff is not  
17 pursuing any such inquiry, can we ask the Staff to consider  
18 initiating and pursuing such an inquiry and to report back  
19 to us as to what the Staff decision is in that regard and  
20 the reasons supporting the Staff's decision.

21 In terms of the date for the Board receiving this  
22 report, we would like to receive it promptly, yet we  
23 certainly want to give the Staff adequate time to give us  
24 a good answer, and in our mind we thought that the date  
25 of March 22 would be a reasonable date to accomplish the



1 potential competing goals.

2 If that becomes a major problem the Staff can  
3 let us know quickly that more time is needed, but we  
4 request that the Staff not request more time unless it is  
5 truly essential.

6 We think the job can be accomplished in that  
7 amount of time, there should be people familiar with the  
8 documents -- again, we emphasize coordination, we do not  
9 want to hear from one entity of the Staff and then find  
10 out that they don't know what the other entity is doing.  
11 We know there have been I&E documents as well as NRR  
12 documents that bear on the subject.

13 The long and the short of it is we think the  
14 time has come for some entity of the NRC, an investigating-  
15 type entity -- which the Board is not and not capable of  
16 being -- to finally put all this together and pursue it.

17 That completes our questions in that regard.

18 MR. GODDARD: Thank you, Judge.

19 JUDGE BRENNER: If you need any clarification,  
20 we'll try to provide that also, but I hope it is clear at  
21 this point as to what we are looking for.

22 MR. GODDARD: Unfortunately I think it is clear.

23 JUDGE BRENNER: I don't know why you say  
24 "unfortunately."

25 MR. GODDARD: I will bring this to management's

1 attention. I question whether we will be able to meet that  
2 March 22 date, I immediately foresee problems there but  
3 I will report back to you as soon as possible.

4 JUDGE BRENNER: We want a reason if the date  
5 can't be met, just not a statement that it can't be met.

6 MR. GODDARD: I understand that.

7 JUDGE BRENNER: I think it can be met. I think  
8 I could do it in that amount of time if I wanted to sit  
9 back and look through the documents that I have on file  
10 in my office however I have other things to do.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 All right. The only further preliminary matter  
2 that we thought it would be necessary to take up before taking  
3 the testimony of the next panel would be the subject of LILCO's  
4 motion to file rebuttal testimony.

5 Were there any other matters that the parties  
6 thought needed to be taken up now?

7 MR. ELLIS: No, sir. I thought we could delay  
8 everything until the next break or until perhaps the lunch  
9 break, and get this panel off. Mr. Dynner indicated he only  
10 had an hour or two with this panel.

11 JUDGE BRENNER: You mean including deferring the  
12 motion to file rebuttal testimony?

13 MR. STROUPE: Judge Brenner, I think there is some  
14 possibility that that motion could be withdrawn, depending upon  
15 some discussions that are taking place between the Staff experts  
16 and LILCO experts. I think if we could reserve perhaps until  
17 after the lunch break to talk about that, we may have a  
18 resolution of that particular situation.

19 JUDGE BRENNER: All right.

20 LILCO, will you introduce the witnesses and proceed?

21 MR. STROUPE: Judge Miller, I believe all these  
22 witnesses have been previously sworn in this proceeding.

23 JUDGE BRENNER: That's right.

24 Whereupon,

25 FRANZ F. PISCHINGER,

1 DUANE P. JOHNSON,

2 and

3 MILFORD H. SCHUSTER

4 resumed and stand and, having been previously duly sworn,  
5 were examined and testified further as follows:

6 JUDGE BRENNER: While you are passing documents to  
7 the Reporter, I welcome the witnesses back and remind them  
8 that they are under oath or affirmation as previously sworn.

9 Welcome back, all of you.

10 MR. STROUPE: Gentlemen, will you introduce  
11 yourself, starting with the witness on my immediate left.

12 WITNESS SCHUSTER: Milford Schuster. I work for  
13 Long Island Long Island Lighting Company at Shoreham Nuclear  
14 Power Plant.

15 WITNESS JOHNSON: Duane Johnson, managing engineer  
16 at Failure Analysis Associates.

17 WITNESS PISCHINGER: Franz Pischinger, president  
18 of FEV and professor at the University of Aachen, Germany.

19 DIRECT EXAMINATION

20 BY MR. STROUPE:

21 Q Gentlemen, do all of you have in front of you  
22 testimony entitled "Additional Crankshaft Testimony of Franz  
23 F. Pischinger, Duane P. Johnson and Milford H. Schuster on  
24 behalf of Long Island Lighting Company," dated January 15,  
25 1985?

1 A (Chorus of "Yes.")

2 Q And do you have in front of you two letters, one  
3 dated February 7, 1985, and one dated February 18, 1985,  
4 reflecting crankshaft testimony errata?

5 A (Witness Pischinger) Yes, but we have some  
6 corrections.

7 Q Let me hand you this.

8 (Handing documents to the panel.)

9 Do you now have that in front of you?

10 A (Witness Pischinger) I have it now, yes.

11 A (Witness Johnson) Yes.

12 Q Other than these corrections to the testimony, are  
13 there any additional changes or corrections that need to be  
14 made to the best of your knowledge?

15 A (Witness Pischinger) No.

16 A (Witness Johnson) No.

17 A (Witness Schuster) No.

18 Q Is this testimony accurate to the best of your  
19 knowledge and belief?

20 A (Witness Schuster) Yes.

21 A (Witness Pischinger) Yes.

22 A (Witness Johnson) Yes.

23 Q And do you adopt it as your own?

24 A (Witness Pischinger) Yes, I do.

25 MR. STROUPE: Judge Brenner, I would now move the

1 admission into evidence of this testimony. And I tender the  
2 witnesses for cross-examination.

3 JUDGE BRENNER: All right.

4 I assume that the corrections that were made are  
5 marked up on the Reporter's copy?

6 MR. STROUPE: I just handed four copies to the  
7 Reporter with the changes marked in black ink.

8 JUDGE BRENNER: We will admit the testimony of these  
9 witnesses into evidence, and bind it into the transcript at  
10 this point as if read.

11 (The documents follow:)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

LILCO, January 15, 1985

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

Before the Atomic Safety and Licensing Board

In the Matter of	)	
	)	
LONG ISLAND LIGHTING COMPANY	)	Docket No. 50-322 (OL)
	)	
(Shoreham Nuclear Power	)	
Station, Unit 1)	)	

ADDITIONAL CRANKSHAFT TESTIMONY OF FRANZ F. PISCHINGER,  
DUANE P. JOHNSON AND MILFORD H. SCHUSTER ON BEHALF  
OF LONG ISLAND LIGHTING COMPANY

TABLE OF CONTENTS

I.	INTRODUCTION.....	1
II.	KRITZER-STAHL ANALYSIS.....	3
III.	10 <sup>7</sup> CYCLE CONFIRMATORY TEST, INSPECTIONS AND ANALYSIS.....	5
IV.	CONCLUSIONS.....	14



3

I. Introduction

1. Please state your names, business affiliations and addresses.

A. (Pischinger) My name is Dr. Franz F. Pischinger. I am president of FEV (Research Society for Energy, Technology and Internal Combustion Engines) and a professor at the University of Aachen, Institute of Applied Thermodynamics. My business address is Erckfeld 4, Aachen, West Germany.

(Johnson) My name is Dr. Duane P. Johnson. I am employed by Failure Analysis Associates, 2225 East Bayshore Road, Palo Alto, California 94303.

(Schuster) My name is Milford H. Schuster. I am employed by Long Island Lighting Company (LILCO), Shoreham Nuclear Power Station, Wading River, New York 11792.

2. Have you previously testified in this proceeding?

A. (All) Yes. Our resumes and professional qualifications have been previously submitted in this proceeding.

3. What have you been asked to address in your testimony?

A. (Pischinger) I have been asked to analyze the adequacy of the replacement crankshafts in the emergency diesel generators (EDGs) at Shoreham for operation at 3300 KW and to

4  
give certain other opinions as to the effect of certain postulated loads upon the replacement crankshafts.

(Johnson and Schuster) We have been asked to discuss the results of the inspections of the crankshaft following the 745 hour confirmatory test concluded in November of 1984.

4. Please summarize the results of your work and your conclusions.

A. (Pischinger) I have analyzed the  $10^7$  loading cycle confirmatory test and the subsequent nondestructive examination reports and I have determined that they confirm that the replacement crankshafts have unlimited life at the qualified load of 3300 KW. I have also analyzed the replacement crankshafts under the Kritzer-Stahl criteria. My previous analysis at 3500 KW and 3900 KW allowed me to conclude that the crankshafts had unlimited life with a safety margin of 1.248 at 3500 KW, and many hours of life at 3900 KW. My analysis at 3300 KW also shows that the crankshafts have unlimited life with a safety margin of 1.318. Additionally I have concluded that certain postulated loads above 3300 KW will have no effect upon the safety and reliability of the replacement crankshafts.

(Johnson and Schuster) Subsequent to the  $10^7$  loading cycle confirmatory test, the ~~crankshafts were~~ <sup>crankshaft was</sup> inspected by liquid penetrant and eddy current. These inspections show no relevant indications and therefore no fatigue damage.

5

## II. Kritzer-Stahl Analysis

5. Please describe your calculations under the Kritzer-Stahl criteria.

A. (Pischinger) I calculated a factor of safety for the replacement crankshafts at 3300 KW under the Kritzer-Stahl criteria. The calculated endurance limit for the replacement crankshafts is 25.4 ksi. This endurance limit was calculated using an ultimate tensile strength (UTS) of 700 Newtons per square millimeter. The predicted maximum stresses are 23.66 ksi. The calculated factor of safety is 1.074. However, when the inherent safety factor in the Kritzer-Stahl criteria of 22% is taken into account, the replacement crankshafts have a safety margin of 1.318 for operation at 3300 KW.

6. Please describe how the Tn values you used in your calculations were derived.

A. (Pischinger) The Tn values for 3300 KW were derived by comparing pressure readings at 3300 KW taken by Kiene gauges during the 525 hour endurance run of EDG 103 in October and November, 1984, with the pressure curves measured on EDG 103 in January, 1984, at 3500 KW and 2800 KW. This information was compared to German codes and was used to calculate the appropriate Tn values.

6

7. What would be the endurance limit of the replacement crankshafts under the Kritzer-Stahl criteria if you used a UTS of 695 Newtons per square millimeter instead of 700 Newtons per square millimeter?

A. (Pischinger) If a UTS of 695 Newtons per square millimeter were used, the endurance limit for the replacement crankshafts would be 25.25 ksi.

8. Is this significant for your analysis of the adequacy of the crankshafts under the Kritzer-Stahl criteria at either 3500 KW or 3300 KW?

A. (Pischinger) No. The calculated factor of safety using a UTS of 695 Newtons per square millimeter is 1.067, compared to 1.074 if the value of 700 Newtons per square millimeter is used. This is totally insignificant. The actual safety margin at 3500 KW is 1.248, based on a UTS of 700 Newtons per square millimeter, while it is 1.239 based on a UTS of 695 Newtons per square millimeter. The actual safety margin at 3300 KW is 1.318, based upon a UTS of 700 Newtons per square millimeter, while it is 1.302, based upon a UTS of 695 Newtons per square millimeter. Thus, as one can see, the safety factor is essentially the same for each respective load regardless of whether one utilizes 695 or 700 Newtons per square millimeter for the ultimate tensile strength.

7

9. Do the crankshafts have infinite life for operation at 3300 KW?

A. (Pischinger) Yes. As I testify later herein, infinite life is established by successful testing for  $10^7$  loading cycles at 3300 KW. In addition, the safety margin of 1.3 (rounded) calculated according to the Kritzer-Stahl criteria gives added assurance of the adequacy of the crankshafts. This safety factor is at the upper end of the range of safety factors (1.15 to 1.3) commonly accepted in the European diesel industry. This safety factor coupled with the  $10^7$  loading cycle confirmatory test gives me confidence that the replacement crankshafts can safely and reliably accommodate loads substantially above 3300 KW.

III.  $10^7$  Loading Cycle Confirmatory Test, Inspections and Analysis

10. What does the  $10^7$  loading cycle confirmatory test consist of?

A. (All) As indicated in the testimony of Messrs. Dawe, Notaro and Youngling, the  $10^7$  loading cycle confirmatory test consists of 220 hours of operation at or above 3300 KW prior to October 8, 1984 and an endurance run of 525 hours at approximately 3300 KW between October 8, 1984 and November 2, 1984.

11. <sup>Was the Crankshaft</sup> ~~were the crankshafts~~ inspected after the completion of the 525 hour endurance run?

A. (Johnson and Schuster) Yes. Liquid penetrant testing was performed on all crankshafts fillet areas and external radii of all oil holes, except the fillets and oil holes at main bearings 1, 2, 10 and 11. In addition, all oil holes were inspected by eddy current to within approximately three inches of the journal surface, except the oil holes at main bearings 1, 2, 10 and 11.

12. Why were inspections not performed on the fillets and oil holes at main bearings 1, 2, 10 and 11?

A. (All) The fillets and oil holes at these locations are virtually inaccessible without removal of the crankshaft from the EDG. However, these fillets and oil holes are not the highest stressed and there is therefore, no need to conduct inspections at these locations.

13. What were the results of the liquid penetrant inspections?

A. (Johnson and Schuster) The liquid penetrant inspection of the fillets and oil hole radii at main bearing journals 3, 4, 5 and 6 and the oil hole radii at main bearing journals 7, 8 and 9 revealed no recordable indications. The liquid

penetrant inspection of the fillets at main bearing journals 7, 8 and 9 revealed recordable linear indications at various locations. All recorded indications were evaluated by eddy current or were reexamined by liquid penetrant and were found to be acceptable.

The liquid penetrant inspection of the fillets and oil hole radii at connecting rod journals 1, 2, 3, 4 and 5 and oil hole radii at connecting rod journals 6, 7 and 8 revealed no recordable indications. The liquid penetrant inspection of the fillets at connecting rod journals 6, 7 and 8 revealed recordable linear indications at various locations on the thrust face for journals 6, 7 and 8, the fillet to thrust face transition areas for journals 7 and 8, and the fillet for journal 7. All of the recorded indications on the thrust face and fillet were evaluated by eddy current and were found to be acceptable.

The recorded indications on the fillet to thrust face transition areas of connecting rod journals 7 and 8 were not accessible for eddy current inspection. The areas were carefully cleaned by using a Scotchbrite pad, reinspected with liquid penetrant and were found to be acceptable.

14. What were the results of the eddy current inspections of the oil holes?

A. (Johnson and Schuster) The eddy current inspection of all the oil holes showed no recordable indications.

15. Who conducted the inspections?

A. (Johnson and Schuster) The liquid penetrant inspections were conducted by LILCO and FaAA personnel. The eddy current inspections were carried out by FaAA personnel. All the inspectors are qualified level II NDE inspectors.

16. Who supervised the inspections?

A. (Johnson and Schuster) The inspections were supervised by Milford H. Schuster from LILCO and Dr. Duane Johnson from FaAA. Dr. Johnson is a qualified level III NDE inspector and Mr. Schuster has many years of experience in nondestructive examination.

17. What conclusions can you draw from the post-test inspections of the <sup>crankshaft</sup> ~~crankshafts~~?

A. (Johnson and Schuster) The inspections establish that the <sup>crankshaft has</sup> ~~crankshafts have~~ suffered no fatigue damage after operating for 10<sup>7</sup> loading cycles at or about the qualified load of 3300 KW.

18. Dr. Pischinger, are you aware that EDG 103 with the replacement crankshaft has been operated to accumulate at least



11

10<sup>7</sup> loading cycles for the purpose of demonstrating the reliability of the replacement crankshafts at the qualified load of 3300 KW?

A. Yes. 10<sup>7</sup> loading cycles in the Shoreham EDGs equates to slightly less than 741 hours. EDG 103 accumulated approximately 745 hours at or about the qualified load of 3300 KW, as a result of the confirmatory test.

19. Are you familiar with the load levels at which these loading cycles were accumulated on EDG 103 with the replacement crankshaft?

A. (Pischinger) Yes. LILCO has, since my previous testimony in this proceeding, continued to keep me informed as to the status of the EDG's and I have continued to act as a consultant to them. I have also reviewed LILCO letter SNRC 1094 dated October 19, 1984 with its attachments which set out the testing protocol, and I have discussed the 10<sup>7</sup> loading cycle confirmatory test with personnel from LILCO, FaAA and Stone & Webster. Thus, I am thoroughly familiar with those load levels. I have also reviewed the testimony of Messrs. Dawe, Notaro and Youngling as to the 525 hour endurance run.

20. Did you have an opportunity to inspect the replacement crankshaft of EDG 103 and to review the reports of

inspections pertaining to the replacement crankshaft of EDG 103 made following the accumulation of  $10^7$  loading cycles?

A. (Pischinger) Yes. After completion of  $10^7$  loading cycles and during the teardown and inspection of EDG 103, I visually inspected those portions of the crankshaft which were the most highly stressed and which were observable. In addition, I have been furnished with a copy of all reports of inspections of the crankshaft performed after teardown and I have reviewed those reports.

21. What did your visual inspection of the replacement crankshaft following the completion of the  $10^7$  loading cycle confirmatory test disclose?

A. (Pischinger) It disclosed no visible problem with any of the areas of the crankshaft which were observable, indicating that the  $10^7$  loading cycle confirmatory test had no adverse effect upon the crankshaft and it confirmed my previously expressed opinion that the replacement crankshafts are suitable for unlimited operation at 3300 KW.

22. What did your review of the post- $10^7$  loading cycle confirmatory test inspection reports of the replacement crankshaft disclose?

A. (Pischinger) It indicated that no relevant indications were found in any of the areas inspected, including the most highly stressed fillet areas of the crankshaft. This confirmed my visual inspection and confirmed my independent analysis and opinion that the replacement crankshafts have unlimited life at 3300 KW.

23. Dr. Pischinger, based solely on the performance of this  $10^7$  loading cycle confirmatory test and the results of the inspections following the test, including your own visual inspection and your own review of the nondestructive examination reports, what conclusions, if any, are warranted with respect to the reliability of the replacement crankshafts?

A. (Pischinger) It can be concluded that the Shoreham replacement crankshafts have demonstrated unlimited life at the qualified load of 3300 KW as indicated on the control room kilowatt meter. This also confirms my independent analysis under the Kritzer-Stahl criteria.

24. Is your conclusion that the  $10^7$  loading cycle confirmatory test demonstrates unlimited life for the crankshaft at the indicated qualified load of 3300 affected in any way by the fact that approximately 20 hours of the 745 hours accumulated during the test involved operation between 3250 KW and 3300 KW?

14

A. (Pischinger) No. Twenty hours of operation at between 3250 KW and 3300 KW out of 745 hours is insignificant in terms of the  $10^7$  loading cycles. Indeed, given the number of hours the EDG operated at loads above 3300 KW, the exponential effect of these hours above 3300 KW more than compensates for these 20 hours below 3300 KW and therefore this has no effect upon my conclusion as to unlimited life at the indicated qualified load of 3300 KW.

25. Dr. Pischinger, the testimony of Messrs. Dawe, Notaro and Youngling indicates that certain intermittent or cyclic loads were excluded from the determination of the maximum emergency service load and qualified load for certain reasons. That testimony also established that even if these intermittent or cyclic loads were experienced incident with the maximum emergency service load (a very unlikely possibility), the qualified load would be exceeded for one EDG only (EDG 101) and then only by 31.4 KW for no more than a few minutes. Putting to one side the unlikelihood of this occurring as explained by those witnesses, does the possibility that the qualified load will be exceeded by 31.4 KW for no more than a few minutes change or affect your opinion concerning the reliability of the replacement crankshaft?

A. (Pischinger) No. In my previous testimony I indicated that the replacement crankshafts were shown to have unlimited life at 3500 KW under the Kritzer-Stahl criteria. This is still my opinion. This of course, would be true for any loads between 3300 KW and 3500 KW. Thus, it is obvious that loads of 3331.4 KW for a few minutes, or indeed for an unlimited period of time, are of no concern with regard to the replacement crankshafts. Additionally, a significant portion of the hours accumulated during the 745 hour confirmatory test were run at loads above 3331.4 KW. This gives added confidence to my opinion.

26. Dr. Pischinger, the testimony of Messrs. Dawe, Notaro and Youngling also discusses the effects of possible operator error on diesel generator loads during a LOOP or a LOOP/LOCA. That testimony indicates that such operator error is unlikely, but that if it should occur the maximum short duration loads that might result for the LOOP/LOCA are as follows:

	<u>LOOP/LOCA</u>	<u>LOOP</u>	
EDG 101	3459.4 KW	<del>3839.2 KW</del>	3741.8 KW
EDG 102	3414.8 KW	<del>3627.6 KW</del>	3575.2 KW
EDG 103	3583.5 KW	<del>3867.3 KW</del>	3707.9 KW

Putting to one side the fact that these operator errors are not likely to occur, and/or result in loads of this magnitude, does

14

the possibility that the diesel generators will see any of these loads affect or change your opinion that the replacement crankshafts are reliable and suitable for operation in the Shoreham EDG's?

A. (Pischinger) No. As I previously stated in my original testimony in this proceeding, my analysis under Kritzer-Stahl indicated that the replacement crankshafts are suitable for many hours of operation at a load of 3900 KW. None of the above postulated loads equals or exceeds 3900 KW and as Messrs. Dawe, Notaro and Youngling have indicated, these loads would exist for only a short period of minutes. Thus, these loads have no effect upon my opinion that the replacement crankshafts are reliable and suitable for operation in the Shoreham EDG's.

#### IV. Conclusions

27. Please summarize your conclusions.

A. (All) The replacement crankshaft on EDG 103 has been tested for  $10^7$  loading cycles at or about the qualified load of 3300 KW. Post-test inspections revealed that the crankshaft suffered no fatigue damage during the confirmatory test. This establishes that the crankshafts have unlimited life at 3300 KW. The safety factor at 3300 KW under the Kritzer-Stahl criteria is 1.3. All these factors allow us to

conclude without reservation that the crankshafts are adequate for unlimited operation in the Shoreham EDGs at a load of 3300 KW. Also, any postulated loads as discussed previously herein would have no effect upon the reliability of the crankshafts.

# HUNTON & WILLIAMS

2000 PENNSYLVANIA AVENUE, N.W.

P.O. Box 19230

WASHINGTON, D.C. 20036

TELEPHONE 202-955-1500

February 18, 1985

707 EAST MAIN STREET P.O. BOX 1535  
RICHMOND, VIRGINIA 23212  
TELEPHONE 804-788-8200  
TWX 710-958-0081

FIRST VIRGINIA BANK TOWER  
P.O. BOX 3889  
NORFOLK, VIRGINIA 23514  
TELEPHONE 804-625-5501  
TELEX 755628

4011 CHAIN BRIDGE ROAD  
FAIRFAX, VIRGINIA 22030  
TELEPHONE 703-352-2200

299 PARK AVENUE  
NEW YORK, NEW YORK 10171  
TELEPHONE 212-980-8200  
TELEX 754708

B B & T BUILDING P.O. BOX 109  
RALEIGH, NORTH CAROLINA 27602  
TELEPHONE 919-826-9371

FIRST TENNESSEE BANK BUILDING  
P.O. BOX 951  
KNOXVILLE, TENNESSEE 37901  
TELEPHONE 615-637-4311

FILE NO.

DIRECT DIAL NO. 202 955

Alan R. Dynner, Esq.  
Kirkpatrick & Lockhart  
1900 M Street, N.W.  
Washington, D.C. 20036

Robert G. Perlis, Esq.  
U.S. Nuclear Regulatory  
Commission  
Washington, D.C. 2055


Dear Alan and Bob:

You will recall that Tim Ellis' letter of February 7, 1985 informed you of errata regarding Additional Crankshaft, Additional Block and Diesel Generator Qualified Load Testimony. We failed to note that errata concerning the loads during a LOOP necessitated a change in the table contained in Question 26, lines 20-22 at page 13 of the Additional Crankshaft Testimony. The loads for a LOOP are as follows:

EDG 101	3741.8 KW instead of 3839.2 KW
EDG 102	3575.2 KW instead of 3627.6 KW
EDG 103	3707.9 KW instead of 3867.3 KW

Best wishes.

Sincerely,

  
Odes L. Stroupe, Jr.

241/812  
cc: Service List



CERTIFICATE OF SERVICE

In the Matter of  
LONG ISLAND LIGHTING COMPANY  
(Shoreham Nuclear Power Station, Unit 1)  
Docket No. 50-322 (OL)

I hereby certify that copies of the attached letter dated February 19, 1985, regarding errata to LILCO's Additional Crankshaft Testimony was served this date upon the following by first-class mail, postage prepaid, or by hand as indicated by asterisk.

Judge Lawrence Brenner, Esq. \*  
Chairman

Atomic Safety and Licensing  
Board, United States  
Nuclear Regulatory Commission  
Washington, DC 20555

Dr. Peter A. Morris \*  
Administrative Judge  
Atomic Safety and Licensing  
Board, United States  
Nuclear Regulatory Commission  
Washington, DC 20555

Dr. George A. Ferguson \*  
Administrative Judge  
Atomic Safety and Licensing  
Board Panel  
School of Engineering  
Howard University  
2300 6th Street, N.W.  
Washington, D.C. 20059

Secretary of the Commission \*  
U.S. Nuclear Regulatory  
Commission  
Washington, D.C. 20555

Atomic Safety and Licensing  
Appeal Board Panel  
U.S. Nuclear Regulatory  
Commission  
Washington, D.C. 20555

Atomic Safety and Licensing  
Board Panel  
U.S. Nuclear Regulatory  
Commission  
Washington, D.C. 20555

Martin Bradley Ashare, Esq.  
Attn: Patricia A. Dempsey, Esq.  
County Attorney  
Suffolk County Department of Law  
Veterans Memorial Highway  
Hauppauge, New York 11787

Edwin J. Reis, Esq. \*  
Bernard M. Bordenick, Esq.  
Office of the Executive Legal  
Director  
U.S. Nuclear Regulatory  
Commission  
Washington, D.C. 20555

Herbert H. Brown, Esq. \*  
Kirkpatrick & Lockhart  
1900 M Street, N.W.  
8th Floor  
Washington, D.C. 20036

Mr. Marc W. Goldsmith  
Energy Research Group  
4001 Totten Pond Road  
Waltham, Massachusetts 02154

MHB Technical Associates  
1723 Hamilton Avenue  
Suite K  
San Jose, California 95125

Mr. Jay Dunkleberger  
New York State Energy Office  
Agency Building 2  
Empire State Plaza  
Albany, New York 12223

Stephen B. Latham, Esq.  
Twomey, Latham & Shea

33 West Second Street  
P. O. Box 398  
Riverhead, New York 11901

James B. Dougherty, Esq.  
3045 Porter Street  
Washington, D.C. 20008

Fabian G. Palomino, Esq.  
Special Counsel to the  
Governor  
Executive Chamber, Room 229  
State Capitol  
Albany, New York 12224

Jonathan D. Feinberg, Esq.  
New York State  
Department of Public Service  
Three Empire State Plaza  
Albany, New York 12223

Robert E. Smith, Esq.  
Guggenheimer & Untermyer  
80 Pine Street  
New York, New York 10005  
(diesels only)

---

John Jay Range

Hunton & Williams  
707 East Main Street  
Richmond, Virginia 23219

DATED: February 19, 1985

RECEIVED

FEB 11 1985

HUNTON & WILLIAMS

2000 PENNSYLVANIA AVENUE, N.W.

P.O. Box 19230

WASHINGTON, D.C. 20036

TELEPHONE 202-955-1500

HUNTON & WILLIAMS

299 PARK AVENUE

NEW YORK, NEW YORK 10171

TELEPHONE 212-980-8200

TELEX 754708

B B & T BUILDING P O BOX 109

RALEIGH, NORTH CAROLINA 27602

TELEPHONE 919-828-9371

FIRST TENNESSEE BANK BUILDING

P O BOX 951

KNOXVILLE, TENNESSEE 37901

TELEPHONE 615-637-4311

FILE NO.

DIRECT DIAL NO. 202 955

707 EAST MAIN STREET P O BOX 1535  
RICHMOND, VIRGINIA 23212  
TELEPHONE 804-788-8200  
TWX 710-956-0061

FIRST VIRGINIA BANK TOWER  
P O BOX 3889  
NORFOLK, VIRGINIA 23514  
TELEPHONE 804-625-5501  
TELEX 755628

4011 CHAIN BRIDGE ROAD  
FAIRFAX, VIRGINIA 22030  
TELEPHONE 703-352-2200

February 7, 1985

Alan R. Dynner, Esq.  
Kirkpatrick & Lockhart  
1900 M Street, N.W.  
Washington, D.C. 20036

Robert G. Perlis, Esq.  
U.S. Nuclear Regulatory  
Commission  
Washington, D.C. 20555

Dear Alan and Bob:

This letter lists errata for LILCO's qualified load, additional block and crankshaft testimony.

I. Errata Regarding Additional Crankshaft Testimony

- A. Page 2, line 22, the words "crankshafts were" should read "crankshaft was."
- B. Page 6, line 1, the words "Were the crankshafts" should read "Was the crankshaft."
- C. Page 8, line 15, the word "crankshafts" should read "crankshaft."
- D. Page 8, line 17, the words "crankshafts have" should read "crankshaft has."

II. Errata Regarding Additional Block Testimony

- A. Page 4, answer 3, paragraph 3c, first sentence, delete the word "replacement" which appears at the end of the first and beginning of the second lines.
- B. Page 6, last line of answer 6, insert the word "during" in lieu of "before."

## HUNTON & WILLIAMS

February 7, 1985

Page 2

- C. Page 9, delete the term "replacement" the first time it appears in the first sentence of the second paragraph.

### III. Errata Regarding Diesel Generator Qualified Load Testimony

- A. The portion of answer 2 on pages 1 and 2 is set forth fully below with the revisions underscored.

(Dawe) My current position, to which I was appointed in February, 1985, is Supervisor of Projects within the Nuclear Technologies and Licensing Division of Stone & Webster (SWEC). I am responsible for technical and administrative supervision of personnel assigned to SWEC headquarters projects, including field assignments.

I joined Stone & Webster in 1973 as an Engineer in the Licensing Group. In January 1974, I was assigned as Licensing Engineer for the Shoreham Nuclear Power Station (SNPS) under construction, and was Lead Licensing Engineer from 1976 to 1980. In this capacity, I was responsible for all licensing related activities for SNPS, including preparation of the Final Safety Analysis Report. From 1980 through 1984, I held the position of Supervisor of Project Licensing within the Licensing Division. My duties included assuring project awareness of regulatory requirements and developments, assuring proper and consistent application of SWEC licensing policies, and consulting with projects and clients on licensing issues. I have had additional assignments at Stone & Webster including development of company positions for NRC Regulatory Guides and Lead Licensing Engineer for the Special Projects Group of the Operations Services

HUNTON & WILLIAMS

February 7, 1985  
Page 3

Division. I am also the Stone & Webster representative to, and participating member of, two subcommittees of the AIF Committee on Reactor Licensing and Safety.

- B. Page 5, eighth line from the bottom, insert "generators" in lieu of "operators."
- C. Page 16, third and fourth lines from the bottom, should be changed to read as follows: "approximately 22 minutes every 48 minutes during the operation of the diesel (at 3300 KW) . . . ."
- D. Page 25, line 2, change "Revision 7" to "Revision 9."
- E. Page 25, lines 3-4, delete "(iii) SP 29.015.04, Revision 0, 'Loss of Coolant Accident Coincident With a Loss of Off-Site Power,'" and change "(iv)" to "(iii)."
- F. Page 25, line 5, change "Revision 4" to "Revision 5."
- G. Page 25, second line of second full paragraph, change "LOOP/LOCA" to "LOOP" and change "SP 29.015.04" to "SP 29.015.01."
- H. Page 26, fourth line from bottom, insert "such as" for "for."
- I. Page 27, answer 22, third line, change "February 1, 1985" to "February 1985."
- J. Page 32, delete the last sentence on the page which reads "The CRD pumps cannot be restarted as long as a LOCA signal is present."
- K. Page 33, line 3 of answer 29, delete term "automatic."

HUNTON & WILLIAMS

February 7, 1985  
Page 4

- L. Page 33, answer 29, fourth line, insert "3741.8 KW" in lieu of "3839.2 KW" and "3575.2 KW" in lieu of "3627.6 KW."
- M. Page 34, second and fifth lines, substitute "runout" for "design."
- N. Page 34, first line of last paragraph, insert the figure "999 KW" in lieu of "1022 KW."
- O. Page 34, last paragraph, line 3, insert "3707.9 KW" in lieu of "3867.3 KW" and delete the parenthetical sentence which follows.
- P. Page 36, third line from bottom of first full paragraph, delete "to."

If the County and Staff plan to submit testimony errata at the time of the hearing, it would be helpful if you would send it to us in advance of the hearing.

Best wishes.

Sincerely,

*T. S. Ellis, III*  
T. S. Ellis, III *sa*

75/403

cc: Service List

1 JUDGE BRENNER: They are available for  
2 cross-examination, starting with Suffolk County.

3 CROSS-EXAMINATION

4 BY MR. DYNNER:

5 Q Dr. Pischinger, will you please turn to page 5 of  
6 your testimony?

7 A (Witness Pischinger) Yes.

8 Q I direct your attention to answer 9, the last  
9 sentence--

10 JUDGE BRENNER: Mr. Dynner, excuse me.

11 I think it would be useful to note for the record  
12 the stipulation of facts that the parties have reached with  
13 respect to the crankshaft at 3300 kw. To my recollection, we  
14 have never noted that on the record. I am looking for it now.  
15 Perhaps the County or LILCO could just briefly state for the  
16 record what that involved.

17 MR. DYNNER: Yes, Judge.

18 The statement you are referring to was set forth  
19 in the Joint Report of the Parties which was filed with this  
20 Board on February 8, 1985 with respect to crankshafts. It is  
21 the position of Suffolk County, as reflected in that Joint  
22 Report, that Suffolk County does not challenge the adequacy  
23 of the replacement crankshafts to the extent that they do not  
24 operate in EDGs loaded above 3300 kw.

25 The effect on the crankshafts of loads above 3300 kw

1 remains at issue.

2 MR. STROUPE: Judge Brenner, I believe it was  
3 slightly more than that. I believe that it indicated -- at  
4 least the letter from the County indicated that their  
5 consultants had determined for themselves that the crankshafts  
6 complied with DEMA, ABS and Lloyd's Rules at 3300 kw also.

7 JUDGE BRENNER: I have the letter but I don't have  
8 it in front of me right now.

9 Is that also accurate?

10 MR. DYNNER: I think that is what the letter said.  
11 I think that is irrelevant, given the fact we are not  
12 challenging the crankshafts at loads at 3300. Those in fact  
13 are the reasons why, but they were stated in the letter.

14 JUDGE BRENNER: All right. Thank you.

15 MR. DYNNER: Those are the reasons rather than the  
16 conclusion; in other words, I'm giving you the conclusion.

17 JUDGE BRENNER: All right. Okay. Thank you. I'm  
18 sorry I interrupted your question. I was a little slow in  
19 getting to that.

20 BY MR. DYNNER:

21 Q Dr. Pischinger, you see the last sentence of answer  
22 9? You say:

23 "This safety factor coupled with the  
24 10 to the 7th loading cycle confirmatory test gives  
25 me confidence that the replacement crankshafts can



1 safely and reliably accommodate loads substantially  
2 above 3300 kw."

3 Is the 10 to the 7th loading cycle confirmatory  
4 test that you're referring to there the testing that LILCO  
5 carried out on the EDG 103 at a purported load of 3300  
6 kilowatts?

7 A (Witness Pischinger) Yes. I refer to this testing  
8 by LILCO, of course including the cyclics of the crankshaft  
9 which has been in advance of the 500-and-some-odd hours at  
10 3300 kilowatts.

11 Q Now does that so-called confirmatory test alone --  
12 taken alone -- does that test alone at 3300 establish that the  
13 crankshafts are safe and reliable to carry loads substantially  
14 above 3300 kw?

15 A (Witness Pischinger) Yes.

16 May I explain?

17 Q Yes.

18 A (Witness Pischinger) This 10 to the 7th loading  
19 cycles have been taken at different loads, and there are  
20 several loads, a substantial part of the loads above 3300  
21 kilowatts, even seven hours at 3900, and 101 hours at the  
22 magnitude of 3800, 119 hours at 3500, and so on, as you can see  
23 from data logs of all these test runs which are reported by  
24 LILCO.

25 If you do an accumulated-damage estimation or

1 calculation based on these facts you can do a conservative  
2 calculation which shows that this test run, including also  
3 these overloads, is equivalent to about 3505 kilowatts which  
4 is I think substantially above 3300 kilowatts.

5 Q Did you yourself perform a-- Did you say a  
6 cumulative-damage analysis?

7 A (Witness Pischinger) Yes.

8 Q You performed one yourself?

9 A (Witness Pischinger) Yes, in order to be able to  
10 make the statement.

11 Q What was the basis for that cumulative damage  
12 analysis that you performed?

13 A (Witness Pischinger) Well, the data base of the  
14 test run was the basis, and the hours run at the different  
15 loads.

16 Q Which type of cumulative damage analysis did you  
17 perform?

18 A (Witness Pischinger) It is today a generally  
19 accepted method of Miner-Pilgrim-Haiback, which is for instance  
20 referred to in the textbook of Collins.

21 Q Did you take into consideration in performing that  
22 cumulative damage calculation the sequences, actual sequences  
23 of load that the crankshaft experienced during testing?

24 A (Witness Pischinger) No, this is not taken into  
25 account in this method.

1 Q And in fact the actual sequence of load--

2 A (Witness Pischinger) You mean the time sequence?

3 Q The actual sequences in which the load is run can  
4 have a significant effect on the cumulative damage analysis,  
5 can't it?

6 A (Witness Pischinger) There is certainly knowledge  
7 that the sequence can have an effect. To take into account  
8 some conservatism the addition which Haibach made was to take  
9 even into account those cycles below any estimated endurance  
10 limit, conservatively estimated endurance limit, and by this  
11 you get a rather conservative calculation which is generally  
12 thought to compensate for such influences of time schedule.

13 Q Are you aware that in the textbook of  
14 Professor Collins that you mentioned that he specifically  
15 states, and I quote:

16 "It must be recognized, however, that in  
17 its simplicity, certain significant influences are  
18 unaccounted for and failure prediction errors may  
19 therefore be expected. Perhaps the most significant  
20 shortcomings of the linear theory are that no  
21 influence of the order of application of various  
22 stress levels is recognized and damage is assumed  
23 to accumulate at the same rate at a given stress  
24 level without regard to past history."

25 Are you familiar with that statement by

1 Professor Collins?

2 MR. STROUPE: Judge Brenner, I am going to object  
3 to that question on the basis that he is using an exhibit or  
4 apparently something from a textbook that we certainly have  
5 no knowledge of. And I think at the very least Dr. Pischinger  
6 should be given an opportunity to read that section for  
7 himself before having to comment upon it.

8 JUDGE BRENNER: Overruled. At best your objection  
9 is premature, depending on further answers of the witnesses.  
10 He referred to the work and I think he started to answer the  
11 question, yes, he was familiar with the statement, but we'll  
12 go back and find out.

13 BY MR. DYNNER:

14 Q Are you familiar with that statement,  
15 Dr. Pischinger, that Professor Collins made in the book?

16 A (Witness Pischinger) Well, if you read a  
17 statement out of a certain text, I always hesitate to say  
18 yes because you cannot take a sentence out without having the  
19 whole chapter or the whole page into your mind. So I can  
20 only repeat it is certainly also my knowledge that there can  
21 be a certain influence of the time sequence of loading but,  
22 at the same time, the Miner-Pilgrim-Haibach rule, which does  
23 not take into account the time order, is an accepted method  
24 for estimating -- I say "estimating" -- loads given by a  
25 certain sequence of loading in time.

1 Q Accepted by whom?

2 A (Witness Pischinger) In the literature and by  
3 experts. It is used in practice.

4 Q I see.

5 Is it used specifically in practice with respect  
6 to crankshafts?

7 A (Witness Pischinger) It is also used for that  
8 purpose.

9 Q Large crankshafts such as the ones in the EDGs  
10 at Shoreham?

11 A (Witness Pischinger) There is no reason why not  
12 use it.

13 Q Well, has it been used other than by yourself, to  
14 your knowledge?

15 A (Witness Pischinger) For estimates, yes.

16 Q Which cases has it been used in other than the one  
17 you used it in at Shoreham?

18 A (Witness Pischinger) Well, during testing of  
19 engines you do such estimates very often. You have a couple  
20 of loadings and you want to know what is the equivalent mean  
21 load and you use such a method. It is the only method you can  
22 rather simply apply.

23 Q But you cannot specifically tell me any particular  
24 cases in which that method was used for large crankshafts, can  
25 you?

1           A       (Witness Pischinger) What do you mean by  
2 "particular"?

3           Q       Particular situations in which that calculation was  
4 used for large crankshafts. Other than your use at Shoreham,  
5 you don't know of any specific such cases, do you?

6           A       (Witness Pischinger) Well, we ourself use it if  
7 we are estimating. It is not the first time we used it.

8           Q       You mean FEV?

9           A       (Witness Pischinger) Yes.

10          Q       And what other cases have you used it in involving  
11 large crankshafts on the order of the size of those at  
12 Shoreham?

13          A       (Witness Pischinger) I am not in a position to tell  
14 you.

15

16

17

18

19

20

21

22

23

24

1 Q You say that that testing means that the  
2 replacement crankshafts can safely and reliably accomodate  
3 loads substantially above 3300 Kw.

4 What did you mean by "substantially above," how  
5 much higher?

6 A (Witness Pischinger) I gave you a figure -- well,  
7 to refer to this sentence, this sentence also takes into  
8 account an analysis according to the Kritzer-Stahl criterion.  
9 criterion, though it is, of course, a combined statement.

10 Q My question, to clarify, just goes to how much  
11 higher the 10 to the 7 testing at 3300 means that you can  
12 go to. Did you say 3505 or something like that? I'm not  
13 sure what you said.

14 A (Witness Pischinger) To make it completely  
15 clear, the calculation of the Miner -- according to the  
16 Miner-Pilgrim-Haibach method using the 10 to the 7  
17 cycle test run by LILCO leads to a figure of 3505, 3-5-0-5.

18 Q All right.

19 In doing that analysis you used the actual hours  
20 that LILCO says it ran the engine above 3300, that is, in  
21 the 220 hours prior to the 525 hour run at a purported  
22 load of 3300, is that right?

23 A (Witness Pischinger) No, not completely,  
24 because although they are 20 hours below, 3300 have been  
25 taken into account.

1 Q You used all of those hours --

2 A (Witness Pischinger) -- all of those hours.

3 Q -- in addition of the 525.

4 A (Witness Pischinger) But we did not --

5 Q You used all of the hours in addition to the  
6 525?

7 A (Witness Pischinger) Not all, we did not use  
8 hours which, in addition to the test run and the previous  
9 runs, have been seen by the crankshafts at still lower  
10 loads.

11 There is a figure which I have been supplied  
12 with about -- a crankshaft has seen about 1300 hours of  
13 operation and only.... I have to look for the figure.  
14 741 hours at 10 to the 7. That means exactly 745 hours  
15 have been taken into account.

16 That means that all the bunch of still lower  
17 loads during additional operation, we did not take into  
18 account.

19 Of course, the Miner-Pilgrim-Haibach rule  
20 provides or would provide also to take into account  
21 considerably lower inputs and they would, to a small amount,  
22 also contribute and give us a still higher figure but we  
23 did want to make a conservative estimate.

24 Q Did you take into consideration the instrument  
25 error that might have occurred with respect to the hours



1 that the EDG's were run and recorded by LILCO, that this  
2 particular EDG 103 was run and recorded?

3 A. (Witness Pischinger) We did only take into  
4 account the recorded and noted figures for power and no  
5 instrument error because, as was reported and so from the  
6 reports, this instrument error, if there is one, it would  
7 be a plus-minus error. That means that with a very high  
8 probability during the whole operation it would partly  
9 be -- the reading would partly be above and then other  
10 times below the actual value.

11 Q. You don't know that for a fact though, do you?

12 A. (Witness Pischinger) Out of the calibration  
13 procedure, it is a very, very high probability because  
14 during calibration you could find as many points below as  
15 above roughly, above the nominal value.

16 So it would be -- the general best way to do it  
17 is to take the value as it has been read by the instruments.

18 Q. Does the new calculated safety margin or safety  
19 factor that you reached under the Kritzer-Stahl criteria  
20 alone permit the crankshaft, the replacement crankshaft,  
21 to be operated at substantially higher than 3300 Kw?

22 A. (Witness Pischinger) Yes.

23 Q. And how much higher would that permit the crank-  
24 shaft to be operated?

25 A. (Witness Pischinger) Well if I take into account

1 the inherent conservative feature of the Kritzer-Stahl  
2 criteria, then my conclusion is -- as it had been in  
3 September -- that the engine can be operated at 3900  
4 kilowatts.

5 JUDGE BRENNER: Dr. Pischinger, do you mean  
6 continuously for unlimited life at 3900?

7 WITNESS PISCHINGER: Yes, if I take into account  
8 the proven conservative feature of the Kritzer-Stahl. If  
9 you take the Kritzer-Stahl criteria nominally then there  
10 would be a predicted lifetime of above -- certainly more  
11 than 1000 hours.

12 I think the calculation figured it was 1200  
13 hours which, if you take it very strictly, a small part of  
14 which has been already consumed, it would be strictly  
15 Kritzer-Stahl criteria, not taking into account that it's  
16 very conservative.

17 BY MR. DYNNER:

18 Q Why would you rely on Kritzer-Stahl instead of  
19 Lloyd's Register rolls, for example?

20 A (Witness Pischinger) Because it is more tailored  
21 to the real physics. It is telling what is really happening  
22 in a crankshaft with the input of a lot of measured experience.

23 Q You are aware that Lloyd's, at 3900, the crankshaft  
24 would not meet the Lloyd's requirement at 3900, aren't you?

25 A (Witness Pischinger) I did not do the Lloyd's

1 calculation.

2 (Pause.)

3 JUDGE BRENNER: Mr. Dynner, if you want to take  
4 a short break we will permit you to do that.

5 MR. DYNNER: It will only take a minute.

6 BY MR. DYNNER:

7 Q In making your Kritzer-Stahl calculations,  
8 Dr. Pischinger, did you rely on any S-N curves?

9 A (Witness Pischinger) No, for the Kritzer-Stahl  
10 calculation an S-N curve is not needed.

11 MR. DYNNER: No further questions.

12 JUDGE BRENNER: The Staff?

13 MR. GODDARD: Judge Brenner, the Staff wonders  
14 if we might take a short break at this time point of the  
15 proceeding in view of the fact that we are moving this  
16 quickly; the Staff anticipates no more than 20 to 30 minutes'  
17 cross-examination for this panel.

18 JUDGE BRENNER: All right. How much do you want?

19 MR. GODDARD: 20 minutes?

20 JUDGE BRENNER: All right. Let's round it to  
21 10:00, which would be almost 20 minutes.

22 MR. GODDARD: All right, thank you, sir.

23 (Recess.)

24 JUDGE BRENNER: Back on the record.

25 Mr. Goddard.

1 MR. GODDARD: Thank you, Judge Brenner.

2 If I might just have a moment.

3 (Pause.)

4 CROSS-EXAMINATION

5 BY MR. GODDARD:

6 Q Dr. Pischinger, you testified just now that  
7 in your opinion the crankshafts are good for unlimited  
8 operating life at 3900 kilowatts, is that correct?

9 A (Witness Pischinger) Yes, in my opinion, that's  
10 correct.

11 Q At what point in time did you reach the conclusion  
12 that these crankshafts could be operated at that load  
13 level infinitely?

14 A (Witness Pischinger) Are you thinking of a time  
15 frame or what?

16 Q Yes, in terms of time frame.

17 A (Witness Pischinger) This was before the  
18 hearing in -- I think it was in September -- when I studied  
19 in-depth all the data and compared with the results of the  
20 Kritzer-Stahl and compared with conservative S-N data for  
21 crankshafts of the same size.

22 Q That conclusion though, Dr. Pischinger, is not  
23 based on any of the additional information which was  
24 produced by virtue of the testing at the 3300 level, plus  
25 or minus the instrument error and other factors which have

1           been testified to here, is that correct?

2           A           (Witness Pischinger)   That's correct.

3           Q           At page three of your testimony you state that  
4           the Kritzer-Stahl criteria contains an inherent safety  
5           factor of 22 percent.

6                        That's at the bottom of your answer to question  
7           five.

8                        Can you please explain for me the basis for that  
9           safety factor, if you are aware of it?

10          A           (Witness Pischinger)   Yes.

11                        JUDGE BRENNER:   Excuse me one moment.

12                        Mr. Goddard, it's been a long time for me and  
13           I'm sure for all of us, isn't that on the record?

14                        WITNESS PISCHINGER:   That's on the record.

15                        JUDGE BRENNER:   Let's see what Mr. Goddard thinks.

16                        MR. GODDARD:   Judge Brenner, I'm sure your memory  
17           is better than mine. It may well be on the record but in  
18           view of the fact that he refers to the inherent safety  
19           factor in his current testimony, I would like to hear an  
20           explanation at this time, if it won't unduly burden the  
21           record.

22                        JUDGE BRENNER:   I think we spent a fair amount  
23           of time on it previously.

24                        Go ahead for now but if we get too much on it  
25           and it begins to get redundant we are going to cut it off.

WRB4/agb8

1 MR. GODDARD: I appreciate that, sir.

2 JUDGE BRENNER: Dr. Pischinger, will you explain?

3 WITNESS PISCHINGER: Yes. I will try to repeat  
4 this as short as possible.

5 We have three crankshafts, 11 by 13, which  
6 failed, one severed into two pieces and the two others, at  
7 nearly the same load and cycles, had considerable cracks at  
8 loading cycles.

9 Using this data and using an S-N curve out of  
10 a considerable number of data we would say a crankshaft  
11 of about the same size one can arrive at an endurance  
12 limit or, if you put it the other way around, if you  
13 calculate with the Kritzer-Stahl criteria these 11 by 13  
14 inch crankshafts, you can find that they should have  
15 failed a lot earlier. And if you provide to bring this into  
16 coincidence, then you can by this calculate the safety factor.  
17 I explained it in more detail in the previous hearing.

18 MR. GODDARD: Yes.

19 BY MR. GODDARD:

20 Q I guess my question to you at this point is is  
21 the 22 percent safety factor or margin of safety to which  
22 you refer inherent in the methodology of Kritzer-Stahl  
23 itself or is it based upon your application of the Kritzer-  
24 Stahl to the 11 by 13 inch crankshafts that failed and  
25 extrapolating from those failures?

1           A           (Witness Pischinger) No. It is obviously  
2 inherent in the Kritzer-Stahl. And I think in the September  
3 hearing I also explained on Judge Brenner's question that  
4 the conservatism is in calculating the endurance limit of  
5 the crankshaft.

6                       There is a procedure combined with the Kritzer-  
7 Stahl how to calculate an endurance limit which is very  
8 conservative. The stresses are calculated very accurate  
9 and we could compare in this case with the stresses measured  
10 at the crankshaft and there was a very good coincidence,  
11 which I expected to be, but the safety is in the endurance  
12 limit which is calculated out of the tensile strength of  
13 the steel of the crankshaft by a procedure which takes  
14 into account a lot of factors which gives a very low tensile  
15 strength.

16           Q           If I understand your answer correctly, Dr.  
17 Pischinger -- and I may well not be understanding it  
18 correctly -- that the 22 percent is based on a comparison  
19 between the calculated -- what's the word I'm looking for  
20 -- the calculated endurance limit under Kritzer-Stahl  
21 in your experiential result?

22           A           (Witness Pischinger) I think the best way to  
23 explain it, if you apply the Kritzer-Stahl and combine the  
24 predictions of Kritzer-Stahl in a lifetime frame with  
25 an S-N curve, an S-N curve which is built of experiments

1 with a crankshaft of about the same size, then you arrive  
2 at a very short lifetime for the 11 by 13 inch crankshaft;  
3 we also calculated the severed crankshaft.

4 By comparison of this short lifetime of the prediction  
5 of Kritzer-Stahl, which is a lot longer lifetime, about  
6 4 times 10 to the 6 cycles of the 11 by 13 inch crankshaft,  
7 one could very, very good calculate this factor of safety  
8 or, in other words, one could calculate an endurance limit  
9 which would be higher.

10 And of course this is backed up by experience  
11 with other modern crankshafts. You can find in the literature  
12 endurance limits of crankshafts -- for instance, Japanese  
13 sources which are also mentioned in the FaAA report,  
14 which also gives a lot higher endurance limit, all this  
15 coincides.

16 But this safety factor is calculated out of the  
17 comparison of the lifetime predicted and experienced on  
18 three crankshafts, which is very strong evidence.

19 Q Forgive me, Doctor, but, as I stated, your 22  
20 percent is derived from a comparison of the calculated or  
21 predicted endurance limit with the experiential limit, is  
22 that correct?

23 A (Witness Pischinger) Yes. You could put it  
24 that way, yes.

25 Q Okay. That's the way I did put it.



1                   Now you're referring to the Kritzer-Stahl method  
2 as being a very conservative one.

3                   Is the 22 percent inherent safety factor, as you  
4 refer to it in your testimony, inherent in all applications  
5 of the Kritzer-Stahl method, or does it apply only to the  
6 particular crankshafts which you have considered here.

7                   MR. STROUPE: I'm going to object to that  
8 question, Judge Brenner, I don't see the relevancy frankly.  
9 We are only talking about this situation.

10                   JUDGE BRENNER: I see the relevancy. I thought  
11 it was asked and answered. We will permit it one more time  
12 in case I'm wrong and, as phrased differently, this really  
13 is a different question.

14                   Do you have the question in mind, Dr. Pischinger?  
15 If so, you can answer.

16                   WITNESS PISCHINGER: Yes.

17                   The conservatism of the Kritzer-Stahl is, of  
18 course, existing also for other cases. In this special  
19 case we could put a figure to it -- usually you cannot put  
20 a figure to it because there are, of course, differences  
21 in different cases. But the conservatism is there also  
22 for other cases.

23                   BY MR. GODDARD:

24                   Q     Yet by applying this conservative Kritzer-Stahl  
25 calculation, as you indicate in your testimony then, the

1 calculated factor of safety is only 1.074, is that correct?

2 A. (Witness Pischinger) If you take not into  
3 account the inherent safety factor then the calculated  
4 factor of safety -- if you only rely on nominal Kritzer-  
5 Stahl, the factor of safety is 7.4 percent.

6 Q Then is it also not true, Dr. Pischinger, that  
7 the inherent -- that there is an inherent assumption in  
8 using the Kritzer-Stahl method that crack initiation  
9 controls your calculation rather than crack propagation?  
10 Or, in other words, that the crankshaft is considered to  
11 be free of flaws at the time you apply the calculation? Is  
12 that not correct?

13 MR. STROUPE: I am going to object to that  
14 question. I frankly don't understand it.

15 JUDGE BRENNER: All right.

16 There could be some confusion because you started  
17 to express it one way, Mr. Goddard, and then expressed it  
18 differently.

19 You are entitled to try to ask the same question  
20 again at least so far but if you rephrase it it might be  
21 a little more simple.

22 MR. GODDARD: Thank you, Judge Brenner.

23 BY MR. GODDARD:

24 Q Dr. Pischinger, is it inherent in the assumptions  
25 of the Kritzer-Stahl criteria that the endurance limit is

1 that which would apply to a crankshaft where there has  
2 been no crack initiation at the point of calculation;  
3 that is, we're not dealing with crack propagation, we're  
4 dealing with initiation?

5 Am I making myself clear to you?

6 A. (Witness Pischinger) Not completely.

7 Do you mean by this question that if there are  
8 flaws by the type of manufacturing of the crankshaft,  
9 small flaws say, do you mean this?

10 Q That would be one source.

11 What I'm asking is is the crankshaft considered  
12 free of flaws at the point that you are doing your calculations  
13 to reach the so-called endurance limit at a given power level?

14 A. (Witness Pischinger) What is typical for the  
15 derivation of a typical feature, what is a typical feature  
16 of the Kritzer-Stahl, is that the endurance limit is  
17 derived taking into account the typical production procedure  
18 of the crankshaft and the status of -- and this may be a  
19 source of conservatism -- the status of about 20 years ago.

20 This was derived from a lot of experiments with  
21 crankshafts of about 20 years ago. We know that we today  
22 have improved methods and I personally contributed conserva-  
23 tism to this fact: that it still relies on experiments  
24 with such old-time crankshafts which certainly have always  
25 -- you could put it that way -- a small amount of minimal

1 flaws.

2 Q However that would be production-induced flaws,  
3 which are not notable enough to affect the calculations.

4 A (Witness Pischinger) Not stress-induced,  
5 prestressed, precracked.

6 Q Thank you, Dr. Pischinger.

7 At page two of your testimony you state, and I  
8 quote -- this is in the answer to question four:

9 "My previous analysis at 3500 Kw and  
10 3900 Kw allowed me to conclude that the crankshafts  
11 had unlimited life with a safety margin of 1.248  
12 at 3500 Kw and many hours of life at 3900 Kw."

13 It's about eight to ten lines down in your  
14 answer to question four.

15 A (Witness Pischinger) I have it now.

16

17

18

19

20

21

22

23

24

WRBbrb 1

1 Q Why did you not state in your testimony, as you did  
 2 today, that the crankshafts have unlimited life at 1300 kw,  
 3 Doctor?

4 A (Witness Pischinger) Yes. I have to confess there  
 5 is a little mixture. Of course, it is true what is written  
 6 here, but the first figure is taking into account the inherent  
 7 safety margin, and that means 1.248 at 3500. And the second  
 8 statement, "Many hours of life at 3500" does not take into  
 9 account the inherent safety figure. This is a little -- I  
 10 have to admit this is mixed up here.

11 Q Perhaps I'm a bit confused, Dr. Pischinger, but is  
 12 it your opinion at this time that those crankshafts have  
 13 unlimited life potential for operating at 3900 kilowatts?

14 A (Witness Pischinger) Yes, it is.

15 Q Have you computed a factor of safety if those  
 16 crankshafts were to be operated at that level for an infinite  
 17 period?

18 A (Witness Pischinger) Yes. I have to look for this  
 19 figure, but I am not sure if it is in the previous -- if I  
 20 gave this figure in the hearing in September or if it is  
 21 written here.

22 Could you allow me a little time to look into my --

23 JUDGE BRENNER: Why don't we see if we could come  
 24 back to it later, if it is necessary?

25 WITNESS PISCHINGER: Fine.

WRBbrb2

1 JUDGE BRENNER: Do you think it is necessary for  
2 your purposes, Mr. Goddard?

3 MR. GODDARD: Not for purposes of completing the  
4 cross-examination. But the Staff would like on the record  
5 that factor of safety and the basis for its calculation, Judge  
6 Brenner.

7 JUDGE BRENNER: All right.

8 Well, you will have the opportunity of a break,  
9 Dr. Pischinger, which will allow you to find it. I don't  
10 remember if it is in the record earlier or not.

11 WITNESS PISCHINGER: It's in the record.

12 BY MR. GODDARD:

13 Q The reason for the question, Dr. Pischinger, is  
14 that in that answer you provided the safety margin at 3300 and  
15 3500 kw, but your testimony was silent as to the factor of  
16 safety at the 3900 level.

17 JUDGE BRENNER: Well, ask another question, and  
18 we'll come back to it.

19 BY MR. GODDARD:

20 Q Dr. Pischinger, you indicated that your calculations,  
21 using the Miner-Pilgrim method -- I believe that is -- gave  
22 you an equivalent high cycle load of 3505 kw. Now, in answer  
23 to a question by Mr. Dynner, you stated that this method did  
24 not account for load sequencing. Can you provide us any more  
25 information on the details of your calculations, by which you

WRBbrb3

1 arrived at that equivalent high cycle load of 3505 kw?

2 A. (Witness Pischinger) Yes, I can. You want me to  
3 describe this method?

4 Q Yes, please.

5 A. (Witness Pischinger) For each -- well, at first,  
6 we assumed the conservative endurance limit, which is a little  
7 below the stresses experienced at 3500, because you have to  
8 assume an endurance limit for this method, and the endurance  
9 limits, the conservative endurance limit predicted by  
10 Kritzer-Stahl -- which is a worst-case, in my opinion. And  
11 then we used the S-N curve for crankshafts of this size. And  
12 then we calculated for each bunch of load levels which the  
13 crankshaft experienced, the induction of damage, by taking  
14 into account the number of cycles which, at this load, would  
15 have led to damage. Of course, there are a lot of cycles  
16 below the S-N curve, as it should be. And, therefore,  
17 according to Haibach, we prolonged this S-N curve as it is  
18 given by Haibach with a certain slope which also is  
19 recommended by Haibach, so that even in the range where  
20 there is infinite life, there is taken into account a certain  
21 degree of damage in the material -- hypothetical, of course.

22 And then you sum up the ratios of cycles  
23 experienced to cycles which have led to damage at each load  
24 level, and from this you can arrive at a load level, or at  
25 a -- how should I say -- at an overall damage figure.

1           And if you use this overall damage for calculating  
2 a stress ratio, that means stress experienced to stress  
3 according to the endurance limit. Then you can calculate  
4 a mean stress which was experienced. And, from the  
5 relationship between this stress to the engine power, which  
6 we know, then you can calculate this mean engine power.

7           Q. Thank you, Dr. Pischinger.

8           Dr. Johnson and Mr. Schuster, at page 7 of the  
9 testimony, in the first paragraph, which is a carryover from  
10 page 6, and again in the second paragraph, there is a  
11 reference to linear indications which were found and which  
12 were evaluated by any current and found to be acceptable.

13           Can you provide the specific details of the linear  
14 indications which were recordable, as indicated in that  
15 testimony, and your basis for determining the acceptability  
16 of those indications?

17           A. (Witness Schuster) The acceptance criteria for  
18 the penetrant examination would be as provided; and the  
19 procedure was MB 5300. MB 5300 provides what the requirements  
20 are that the penetrant examiner has to follow during the  
21 examination. And, basically, what it does is it provides you  
22 with the requirement that any linear indication would be  
23 considered to be recordable.

24           These are the recordable indications that were  
25 provided for in the testimony and in the previous penetrant



1 reports that were submitted for your review, for the Staff  
2 review.

3 The evaluation of these indications was done with  
4 any current, and Dr. Johnson can expound in this area, and  
5 also by additional cleaning in some of these areas, because  
6 the indications were mechanical in nature, caused by  
7 machining discontinuities and service discontinuities. And  
8 additional penetrants were done in accordance with this code  
9 section and procedure, and found to be nonrelevant.

10 We found that some of the remnants from the  
11 previous examinations that were done after the 100-hour run  
12 in these mechanical areas -- you know, and geometric areas of  
13 the crankshaft -- required us to do additional cleaning. We  
14 verified this by using black light in areas where we did not  
15 apply any penetrant just prior to this examination.

16 I think I've answered your question.

17 Q Before Dr. Johnson comments, Mr. Schuster, is it  
18 your testimony that all of these indications which were  
19 examined by you were, in fact, mechanically induced, and none  
20 of them were stress induced?

21 A (Witness Schuster) That's correct, yes, sir.  
22 They are associated with machining, transition areas in  
23 geometry -- that sort of thing, sir.

24 Q Dr. Johnson, do you have anything you wish to add  
25 to that answer?

WRBbrb6 1 A. (Witness Johnson) I would just like to comment  
2 that the indications were not in the high stressed areas,  
3 and they did not have the orientation that would be expected  
4 of a fatigue crack if it would be initiating.

5 Q. Thank you, gentlemen.

6 MR. GODDARD: I have no further questions of this  
7 panel.

8 JUDGE BRENNER: The Board has a small amount of  
9 questions that it will ask at this time. I want to note,  
10 however, that we're holding off on questions related to the  
11 potential situation of the effect of the fuel racks being  
12 wide open during the immediate rapid loading cycle based,  
13 Mr. Stroupe, on the fact that you've told us that further  
14 discussions might resolve that. If that is not resolved in  
15 some acceptable fashion -- a fashion acceptable to all parties  
16 and the Board -- we will still require the presence of these  
17 witnesses, primarily Dr. Pischinger, because we want to ask  
18 some questions about it. And I'll have to find out more  
19 fully what LILCO meant by its motion to file rebuttal  
20 testimony, but we're holding off on that whole subject. So,  
21 if we finish with these witnesses before lunch, and I expect  
22 we will, they may still have to be here, depending on what  
23 transpires on that subject.

24 MR. STROUPE: Judge Brenner, I have talked to both  
25 Mr. Dynner and Mr. Goddard about this matter of the rebuttal

WRBbrb7

1 testimony. And, frankly, what we would like to do is, after  
2 this panel -- the cross-examination of this panel is completed,  
3 we would like to have, perhaps, an hour to meet -- the County,  
4 the Staff, and LILCO's consultants -- to see if, indeed, we  
5 need a ruling on the rebuttal motion this afternoon.

6 Mr. Dynner, who can obviously speak for himself,  
7 has indicated to me he would oppose this because his  
8 consultant is not here.

9 JUDGE BRENNER: All right. Well, let's finish the  
10 testimony here and then see what happens. I don't expect to  
11 take an hour, other than the lunch break time, anyway -- which  
12 we might extend slightly, if necessary. And then I will hear  
13 from you, also, Mr. Dynner.

14 Let's get done. All right.

15 EXAMINATION BY THE BOARD

16 BY JUDGE MORRIS:

17 Q Dr. Pischinger, I would just like to follow up a  
18 little bit on that question of Mr. Dynner with respect to  
19 sequencing. I believe I understood your answer to be that it  
20 is either taken into account or it didn't matter; and I  
21 wonder if you could explain why that need not be pursued.

22 A (Witness Pischinger) You speak of --

23 Q Sequencing of the loads.

24 A (Witness Pischinger) Well, the methods to take  
25 into account the sequencing are not so well established and so

WRBbrb8

1 generally accepted, although there is certainly agreement that  
2 there can be an influence of sequencing. So this is the  
3 reason why, because we generally use for estimates the rule,  
4 the improved Miner rule, which takes not into account the  
5 sequences of the load.

6 Q Well, as you applied this methodology to the 103  
7 crankshaft, how did you conclude that your result was  
8 conservative?

9 A (Witness Pischinger) Well, on the one hand, there  
10 is the conservative assumption regarding the endurance limits.

11 Q No. I mean strictly with respect to the load  
12 sequencing. Will it make a difference, for example, if you  
13 operate at 3300 for some period of time and then went to  
14 3900, as opposed to operating initially at 3900 and then  
15 later on dropping back to 3300 or 3500?

16 A (Witness Pischinger) Well, in my opinion, if you  
17 put the higher loads on first, and you really have a  
18 crankshaft which is weak or, let's say, overstressed, then  
19 they can initiate damage, and at lower loads can easier  
20 promote or let this crack progress. If you do it the other  
21 way around, then there are some scientists who even think,  
22 based on evidence, on experimental tests, that you can train  
23 a crankshaft by operating a little below the endurance limit,  
24 and then it can stand a little better the higher stresses.

25 So we think that by sequencing first high and then

WRBbrb9

1 low we are rather on the safe side.

2 Q Was that in fact the case with the 103 crankshaft?

3 A (Witness Pischinger) The 103 crankshaft was, in  
4 the beginning -- these higher levels were in the beginning.  
5 I think this could be stated also by Mr. Schuster.

6 A (Witness Schuster) The higher loads were  
7 experienced during the 100-hour endurance, the 100-hour test  
8 earlier in the year. 3500 kilowatts and up was part of the  
9 criterial for the 100-hour test run.

end 5

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Q And your analysis took this into account, or the  
2 Miner analysis as applied, would that take it into account?

3 A (Witness Pischinger) Well, the Miner analysis is  
4 a result of a lot of experience with accumulated damage and  
5 could be taken as an average. It can give you sometimes a  
6 little too high value, sometimes a little too low, and in this  
7 case I should expect it is rather on the -- that the result is  
8 rather on the low side because you have a sequence which should  
9 be if there would be -- if the crankshaft would be in danger,  
10 would have more promoted the appearance of crank than had it  
11 been done the other way around.

12 Q Thank you. I think I understand now.

13 BY JUDGE BRENNER:

14 Q Dr. Pischinger, I am looking at page 12 of your  
15 testimony, and the answer at the top of that page which is the  
16 answer to question 24, page 12, the answer at the top, which  
17 is a carryover answer to question 24.

18 The sentence I am interested in is the third  
19 sentence which states:

20 "Indeed--"

21 Do you have it?

22 A (Witness Pischinger) Yes.

23 Q All right.

24 Looking at that sentence, you talk about the  
25 exponential effect of the hours above 3300. Now I take it by

1 definition you mean non-linear effect on the results of the  
2 higher loads. Is that right?

3 A (Witness Pischinger) That's right. That is what  
4 the application of the Miner rule leads to.

5 Q Can you give me a rough quantification of the  
6 exponential effect? How non-linear is it? Is it close to  
7 linear or markedly above linear?

8 A (Witness Pischinger) It is markedly above linear  
9 because usually you use this relationship in a logarithmic  
10 scale and then it is linear or near to linear, so it is  
11 exponential.

12 Q All right.

13 Can you remind me roughly how many hours of the 745  
14 were above 3300 kw?

15 A (Witness Pischinger) Yes, sir. There were  
16 approximately 525 hours at 3300, and approximately 119 hours  
17 at 3500, and 101 hours above 3500, some of them considerably,  
18 and seven hours at 3900.

19 Q All right.

20 If we assume that there was a load meter error solely  
21 in the non-conservative direction of, oh, say about 70 kw or,  
22 if it is easier for you to work with a round number, 100 kw,  
23 and that's okay also for purposes of my question, that is,  
24 that the meter always read high so the load being run was  
25 actually 70 to 100 kw below the perceived meter reading, what

1 would be the effect of your conclusion, based on the 10 to the  
2 7th cycles endurance run for the acceptability of the  
3 crankshaft at 3300 kw? Did you examine that question at all?

4 A. (Witness Pischinger) Yes, I understand the  
5 question but we did not explicitly calculate out of the  
6 reasons I mentioned earlier on. But, of course, one could  
7 calculate this, and one would derive a lower corresponding  
8 value. But it certainly would be above 3300.

9 Q. You would still have a safety margin, using your  
10 method, at 3300 Kw?

11 A. (Witness Pischinger) That's what I believe.

12 Q. I don't know how far to push the sensitivity on  
13 something you haven't calculated. Are you in a position as  
14 answer that same question as to 3400 and then 3500 Kw? Would  
15 there still be a safety margin for continuous operation at  
16 those load levels using the method you used but assuming the  
17 endurance run was 100 Kw lower approximately?

18 A. (Witness Pischinger) Well, if it goes to very  
19 accurate figures, then we should have to apply this rule;  
20 we should calculate it.

21 Q. All right. Thank you.

22 JUDGE BRENNER: The Board has no further questions.

23 Is there redirect by LILCO?

24 MR. STROUPE: Yes, Judge Brenner, just a few.

25 JUDGE BRENNER: Very well.



## 1 REDIRECT EXAMINATION

2 BY MR. STROUPE:

3 Q Dr. Pischinger, with reference to your testimony  
4 on page 5, specifically the answer to question 9, the last  
5 sentence of that answer, Mr. Dynner asked you certain questions  
6 about your cumulative damage analysis and reliance thereon.

7 Is it correct that you were able to make this  
8 statement in this sentence based not just on cumulative damage  
9 analysis alone?

10 A (Witness Pischinger) Well, this is correct in a  
11 double sense. On the one hand the Kritzer-Stahl calculations  
12 which are very conservative give infinite life for 3300, so  
13 I feel completely safe.

14 In addition, the endurance run with 10 to the 7th  
15 loading cycles showed no indication, no relevant indication  
16 on the crankshaft, and there are only 20 hours below that  
17 meter reading of 3300 and a lot of cycles above, so you don't  
18 even need any calculation to state that it will be safe for  
19 loads substantially above 3300.

20 But the Miner rule-- With the Miner rule I tried  
21 to give a figure to it.

22 Q Dr. Pischinger, you stated I believe in response  
23 to questioning this morning that you did not indeed take into  
24 account the sequencing of loading in your Miner's-Haibach  
25 analysis. Is that correct?

1 A (Witness Pischinger) Yes.

2 Q Is it correct that the effect of any sequencing of  
3 load upon that calculation would be more than offset by the  
4 inherent conservatism in the calculations themselves?

5 MR. DYNNER: Objection. It's a leading question,  
6 quite leading.

7 MR. STROUPE: I will withdraw the question and  
8 rephrase it.

9 JUDGE BRENNER: All right. Of course some of the  
10 damage has been done. On the other hand it is balanced out by  
11 the fact that we have expert witnesses as opposed to fact  
12 witnesses.

13 MR. STROUPE: I will rephrase the question.

14 BY MR. STROUPE:

15 Q Dr. Pischinger, do you have any concern by virtue  
16 of your statement that the Miner-Haibach methodology does not  
17 take into account load sequencing?

18 A (Witness Pischinger) No, not in this case. And I  
19 may also refer to what Judge Morris asked and I responded to  
20 that, which explains it a little bit.

21 Q Dr. Pischinger, you stated earlier that you did not  
22 take into account in your cumulative damage analysis the effect  
23 of any hours below and operation below 3300 kw other than the  
24 20 hours that you referred to. Is that correct?

25 A (Witness Pischinger) This is correct.

1 Q If you had taken into account those hours that you  
2 are aware of operated on EDG 103 below 3300 kw, what effect  
3 would that have had on your calculation?

4 A (Witness Pischinger) Well, the figure would have  
5 been higher to a certain extent.

6 Q Are you able at this time, Dr. Pischinger, to  
7 quantify that figure?

8 A (Witness Pischinger) No. I have not the detailed  
9 sequence of loads of these engines which I should have.

10 JUDGE BRENNER: Mr. Stroupe, it is not perfectly  
11 clear to me what Dr. Pischinger means by "the figure would be  
12 higher." Maybe I can ask you to explain that.

13 BY MR. STROUPE:

14 Q Dr. Pischinger, the figure would be higher than  
15 what?

16 A (Witness Pischinger) The figure 3505 would be  
17 higher by taking into account additional loads on this engine.

18 Q Dr. Pischinger, in response to Mr. Dynner's question  
19 concerning your use of this cumulative damage methodology, I  
20 believe you indicated, did you not, that you could not give  
21 him a specific example of this use upon a large crankshaft  
22 such as the Shoreham replacement crankshafts. Is that correct?

23 A (Witness Pischinger) That's correct.

24 Q Was that because you are not able to do that, or  
25 because that information would be proprietary?

1           A       (Witness Pischinger) I wanted to indicate by that  
2 that this information should not be disclosed to the public,  
3 and I think what is here is the public.

4           JUDGE BRENNER: It is up to you, Mr. Stroupe. I  
5 think there is a lot he could have said without disclosing  
6 particular names and companies and so on. I misunderstood  
7 what he meant when he said he wasn't able before.

8           BY MR. STROUPE:

9           Q       Dr. Pischinger, have you indeed had occasion to  
10 utilize this methodology in analyzing crankshafts similar to  
11 the Shoreham replacement crankshafts in the past?

12          A       (Witness Pischinger) Well, not completely similar  
13 to the crankshaft, but certainly to crankshafts.

14          Q       In response to some questions from Judge Morris  
15 you indicated I believe that in your opinion the sequencing of  
16 higher loads on the crankshaft in the initial period with  
17 lower loads thereafter would provide some conservatism. Is  
18 that correct?

19          A       (Witness Pischinger) Yes.

20          Q       And did you indicate that to the best of your  
21 knowledge, the higher loads with regard to the Shoreham  
22 crankshafts were the first loads placed upon the crankshaft?

23          A       (Witness Pischinger) Yes.

24          Q       Do you know, Dr. Pischinger, whether the stresses  
25 upon -- the actual stresses upon the crankshaft -- the

1 predicted stresses upon the crankshaft at 3300 kw as opposed  
2 to the predicted stresses upon the crankshaft at 3500 kw are  
3 close in number?

4 A (Witness Pischinger) Yes, the stresses are close  
5 in number by about 4 to 5 percent, out of my recollection.

6 Q Is that 4 to 5 percent you're saying?

7 A (Witness Pischinger) You mean between 3500 --

8 Q -- and 3300.

9 A (Witness Pischinger) -- and 3300. Give me a little  
10 time.

11 (Pause.)

12 Q I'm just asking you approximately, Dr. Pischinger.

13 A (Witness Pischinger) Yes.

14 MR. DYNNER: I object. I'm a little tardy. I am  
15 going to object to the relevancy of that question. I don't  
16 think there is any relevancy to his testimony at all as to  
17 what those stress levels are. If I could just finish explaining  
18 my objection, the only testimony has been on the sequencing,  
19 and on the fact that in the testimony with respect to his  
20 saying that lower stresses -- that the lower loads followed  
21 by higher loads is a better situation, there is no relevancy  
22 as to what the difference might be because it is not in  
23 controversy.

24 JUDGE BRENNER: Well, no. We've asked him questions  
25 going to the sensitivity of the different stress levels and

1 we have emphasized from the very moment we ruled on the  
2 reopening of this proceeding that we were interested in that  
3 and in fact, frankly I thought we would see somewhere  
4 calculations at intermediate levels, based on what I said at  
5 the reopening at the time we granted the reopening than I have  
6 seen, so we think it is relevant, so we overruled the  
7 objection.

8           So we don't waste time, I want to make sure that  
9 the questioner and the witness are on the same wavelength,  
10 that you asked him about the difference in stress levels. Is  
11 that what you wanted to ask him, Mr. Stroupe?

12           MR. STROUPE: That's correct, between the stresses  
13 at 3500 kw and at 3300 kw.

14           WITNESS PISCHINGER: The difference, as I said, is  
15 about 5 percent.

16           BY MR. STROUPE:

17           Q       Does that enable you, Dr. Pischinger, to conclude  
18 that if a crack propagates during operation at 3500 kw --  
19 initiates at 3500 kw --

20           MR. DYNNER: I am objecting because it is another  
21 leading question.

22           MR. STROUPE: May I finish the question, Mr. Dynner?

23           JUDGE BRENNER: Wait a minute. I didn't even hear  
24 the beginning of the question.

25                   Back up and ask it again, but consider whether it

1 is leading. I'm not saying whether Mr.Dynner is right or  
2 wrong, but if there is a problem there....

3 On the other hand, if it is leading by including  
4 information that the witness has already testified to, then  
5 there is no harm, and we have an expert witness, and the  
6 alternative is for the questioner to have to back up and ask  
7 redundant questions to solve that problem, so just leading  
8 in form is not necessarily objectionable unless it is really  
9 supplying new information. It is permissible for a  
10 questioner to build on the same witness' previous answers.

11 All right. With all that in mind, ask it again,  
12 Mr. Stroupe.

13 BY MR. STROUPE:

14 Q Dr. Pischinger, based on your knowledge of the  
15 stresses which you just gave to me, can you determine whether  
16 if a crack initiates at 3500 kw, the stress levels at 3300 kw  
17 would be sufficient to cause it to propagate?

18 A (Witness Pischinger) After the experience with  
19 the endurance run of this crankshaft and neglecting all other  
20 information, just being aware of this endurance run, one can  
21 predict that it would -- if one assumes that the crack would  
22 initiate now for any overloading whatsoever, followed by  
23 continuous loading at 3300, one can compute out of experience  
24 that it certainly would take up to 10 to the 8th cycles --  
25 that means 10 times what has been seen now -- to have a

1 cracked crankshaft, which means at the same time if you do  
2 inspections of the crankshaft at certain time intervals,  
3 you are completely safe.

End 6

- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25



1 Q Dr. Pischinger, with regard to the meter error  
2 situation that has been talked about this morning, does  
3 meter error have any effect upon your calculations under  
4 Kritzer-Stahl?

5 A (Witness Pischinger) No, Kritzer-Stahl is a  
6 method which does not rely on any meter readings.

7 MR. STROUPE: I have no further questions, Judge  
8 Brenner.

9 JUDGE BRENNER: Does the County have any  
10 follow-up?

11 MR. DYNNER: Short follow-up, Judge.

12 RE-CROSS-EXAMINATION

13 BY MR. DYNNER:

14 Q Dr. Pischinger, going back for a minute to the  
15 questions that were asked of you again by Mr. Stroupe  
16 on page five of your testimony, speaking now just about  
17 the 10 to the 7 cycle testing and not about the Kritzer-  
18 Stahl formula, if the 10 to the 7 testing had been  
19 accomplished only at 3300 Kw -- in other words, there were  
20 no hours at all above 3300 Kw -- would you, by that testing  
21 at 3300 Kw, only have been able to conclude that the  
22 testing showed that the crankshafts could accommodate loads  
23 substantially above 3300 or would it just show that the  
24 crankshaft was, in your view, safe and reliable at 3300 Kw?

25 MR. STROUPE: I am going to object to that

1 question, Judge Brenner, on the basis that that's a  
2 completely hypothetical situation that in fact assumes  
3 -- fails to assume facts that are in the record and would  
4 not be relevant, I don't believe, to this inquiry.

5 JUDGE BRENNER: I think it is relevant to better  
6 understand the difference sources leading to Dr. Pischinger's  
7 conclusion and he has identified already that it includes  
8 several sources and this will help us understand in isolation  
9 at least one of those potential sources.

10 So I think it is relevant for that purpose and  
11 the objection is overruled.

12 WITNESS PISCHINGER: Well given the fact that  
13 there had been an endurance run exactly with 3300 kilowatts  
14 up to 10 to the 7 cycles and no crack been found, then  
15 this in my opinion is a confirmation that at this very  
16 load there is infinite life.

17 Of course, one can conclude out of the knowledge  
18 of behavior of that crankshaft that if you have a little  
19 higher load and you assume that you just by chance have  
20 been under the endurance limit with this run, then you  
21 can assume that crack initiation with a higher load would  
22 take quite a long time before leading to serious damage,  
23 that being cracking. Because the time between crack  
24 initiation and severing of the crankshaft increases tremen-  
25 dously when you come near to the endurance limit.

1                   So in this case I would conclude that  
2 if this hypothetical case would be given, I would conclude  
3 that this endurance test run still would have been of a  
4 high value to the purpose in the Shoreham power station  
5 because you could make, even at higher loads, the plant  
6 rather safe by frequent inspections of the crankshaft.  
7 But this you would have to provide.

8                   BY MR. DYNNER:

9                   Q       All right. Let me try to state the question a  
10 little bit differently.

11                   Am I correct that what allowed you to say that  
12 in your opinion the crankshaft would be safe and reliable  
13 up to 3505 kilowatts under your cumulative damage analysis  
14 was the 227 hours that the crankshaft ran at or above 3500  
15 kilowatts and the total 10 to the 7 cycle test run?

16                   Do you understand the question?

17                   A       (Witness Pischinger) Yes.

18                   If you refer only to the experimental part of  
19 my statement--my statement had several backgrounds, the  
20 experimental part.

21                   Q       Yes, that's correct. So the answer to the question  
22 is yes, assuming we're not talking about the Kritzer-Stahl  
23 criteria analysis but only talking about the 10 to the 7  
24 cycle testing, is that right?

25                   A       (Witness Pischinger) Yes.

1 Q All right.

2 Are you aware of the number of hours that the  
3 crankshaft on EDG 102 ran at or above 3500 hours before it  
4 broke in half?

5 MR. STROUPE: I'm going to object to this. I  
6 think we are going into an area that, to my knowledge,  
7 really was not raised after the cross-examination initially  
8 by the County.

9 JUDGE BRENNER: Can I get the question again?  
10 (Whereupon, the Reporter read from the record  
11 as requested.)

12 JUDGE BRENNER: Mr. Dynner, can you tell us where  
13 you are going with the line of questioning and why it's  
14 relevant?

15 MR. DYNNER: I don't think the objection was on  
16 relevancy grounds but I will answer your question.

17 JUDGE BRENNER: I want to know where you are  
18 going.

19 MR. DYNNER: I think it's fairly simple where  
20 I'm going. The witness has testified now that the basis--  
21 solely on the 10 to the 7 cycle testing, that the basis for  
22 his testimony that on the 10 to the 7 cycle test that the  
23 crankshaft is safe and reliable at 3505 is the extra 227  
24 hours that the crankshaft ran at or above 3500.

25 The obvious contrast then which I am about to

1 make is to contrast that with the fact of the number of  
2 hours that the crankshaft that broke ran at or above 3500  
3 hours.

4 He is drawing conclusions, in other words, about  
5 the safety and reliability of the crankshaft at certain  
6 levels based upon some 227 hours of testing at certain load  
7 levels and therefore is directly relevant on the issue of  
8 the testimony he gave about the 227 hours to show what the  
9 experience has been on crankshafts, which his own testimony  
10 says he relied on and looked at for other purposes.

11 JUDGE BRENNER: Give me a moment. I want to  
12 confer with my colleagues on the Board.

13 . (The Board conferring.)

14 JUDGE BRENNER: We have an extensive previous  
15 record on the use of experience with the older crankshafts,  
16 for the calculations for the larger crankshafts, and we had  
17 a whole litigation focussed on 3500 earlier. And we don't  
18 have that record firmly in mind, but we have all of that.  
19 Nevertheless, we will let you pursue this point. But don't  
20 ask it the way you have asked it, because we'll spend time  
21 with every little detail, much of which might already be in  
22 the record -- although I'm not claiming it is -- as to how  
23 many hours the crankshafts operated at certain loads. So  
24 don't ask -- instead of asking him that question and seeing  
25 if he can pull a number out or not, why don't you go more

WRB7brb 1

1 directly to the point, consistent with what you argued before  
2 us as to the relevance and, in essence, ask the witness why  
3 does not the particular experience at particular load levels  
4 with the older crankshaft affect his view that that experience  
5 validates the conservatism of the Kritzer-Stahl criteria?

6 We don't want to sit here while we find out,  
7 probably reduntantly to what is already in the record, that  
8 the earlier crankshaft operated for so many hours at such and  
9 such a load.

10 MR. DYNNER: I don't understand why my question  
11 is not relevant. I think it's relevant. And he might know  
12 the answer. If he doesn't know the answer, I'm not going to  
13 pursue it.

14 JUDGE BRENNER: No. Your question is too  
15 collateral to be helpful. It's an intermediate point. You  
16 won't get there from here without getting to the question  
17 that I suggested you have to ask anyway.

18 MR. DYNNER: You are upholding the objection, or  
19 what?

20 JUDGE BRENNER: Yes, for the reasons I've given.  
21 It's not going to be productive to ask it that way.

22 I'll tell you: let's come up for a bench  
23 conference, off the record, right now.

24 (Whereupon, a bench conference was had.)

25 MR. DYNNER: No further questions.

1 JUDGE BRENNER: Staff, did you have any remaining  
2 questions?

3 MR. GODDARD: The Staff has no further questions.

4 JUDGE BRENNER: All right.

5 Give us a moment. I want to check something.

6 (Pause.)

7 (The Board conferring.)

8 JUDGE BRENNER: Dr. Pischinger, I had asked you  
9 earlier about the possible results at 3400, using the  
10 Kritzer-Stahl criteria -- or, at least, I'm asking you that  
11 now -- and we have earlier testimony in this proceeding where  
12 you did some calculations at that level; but I don't have  
13 those numbers in front of me.

14 I do have in front of me your testimony that your  
15 methodology would result, at 3300 kw, in a safety margin of  
16 1.074, without taking into account what you believe to be the  
17 inherent safety factor, and 1.318, taking into account that  
18 safety factor.

19 You also, with respect to 3500, repeat what you  
20 say is your previous testimony that the safety factor at  
21 3500 is 1.248. And I inferred, from the answer you gave  
22 Mr. Goddard, that that takes the safety factor into account.  
23 Correct?

24 WITNESS PISCHINGER: Yes.

25 JUDGE BRENNER: That's the sentence on page 2,

1 where you said you had mixed together taking it into account  
2 and not taking it into account at 3900.

3 WITNESS PISCHINGER: Yes.

4 JUDGE BRENNER: Okay.

5 WITNESS PISCHINGER: 1.248 for 3500.

6 JUDGE BRENNER: I take it if we were to calculate --

7 WITNESS PISCHINGER: 34?

8 JUDGE BRENNER: Yes. Would it be approximately  
9 in between the numbers we have?

10 WITNESS PISCHINGER: Yes. One could, with very  
11 good accuracy, interpolate -- linear.

12 JUDGE BRENNER: Just for the record, in case we  
13 have erred somewhere: for 3500, using your 1.248, taking  
14 into account the safety factor, we've calculated that without  
15 the safety factor the safety margin would be 1.023. Do you  
16 know if that's correct? I don't know if you have that  
17 figure handy or not.

18 WITNESS PISCHINGER: Certainly in between.

19 JUDGE BRENNER: No. I'm talking about 3500 now.  
20 In other words, I'm taking away the 22 percent safety factor  
21 that you believe exists.

22 WITNESS PISCHINGER: Yes. At 3500 it is 1.017.  
23 It's now a question of accuracy. The safety factor, how it  
24 comes out of the calculation, is 1.227. That means you have  
25 to divide by 1.227.



WRB7/brb4

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

JUDGE BRENNER: All right; Judge Morris understands that. He'll explain it to me later where my calculations went wrong.

endWRB7

1 JUDGE BRENNER: So instead of dividing 1.248 by  
2 1.22 I should have divided 1.248 by 2.227?

3 WITNESS PISCHINGER: That's it.

4 JUDGE BRENNER: Okay, thank you.

5 Did LILCO have any follow-up?

6 MR. STROUPE: We have none, Judge Brenner.

7 JUDGE BRENNER: All right.

8 We may have completed with your testimony. In any  
9 event, I think you certainly don't have to sit here at the  
10 witness table if you don't want to while we discuss what to  
11 do with the motion to file rebuttal testimony, and the  
12 coincident Board desire to have asked questions of you on that  
13 same subject. So we will see where all this leads to.

14 I will thank you again for your presence and your  
15 testimony in the event you do not have to come back and take  
16 the stand, but you are not absolutely dismissed at this point,  
17 but you don't have to stay there. You can take a break or  
18 whatever.

19 MR. GODDARD: Judge Brenner, the Staff would only  
20 remind you that we are awaiting an answer on the record to  
21 the safety factor for 3900. That may generate further  
22 questions.

23 JUDGE BRENNER: Yes, I had not forgotten that.

24 WITNESS PISCHINGER: Could you give me time to  
25 find this out so that I can give you the exact figure?

1 JUDGE BRENNER: You might want to do that now if it  
2 is convenient for you during this break.

3 Let me see if I understand the procedural situation.  
4 I don't know how complex it is.

5 LILCO and the Staff want to discuss whether or not  
6 some agreement leading to some sort of a stipulation as to  
7 the question of possible effect of the fuel rod being wide  
8 open could be resolved, and Mr. Dynner, for reasons, you have  
9 some problems with that.

10 Do you want to tell us what they are?

11 Let me tell you at the outset if nobody filed any  
12 motions we were just going to ask questions of these witnesses  
13 on that subject, and we would have been over and done with.

14 Go ahead.

15 MR. DYNNER: Yes, Judge.

16 It all goes to basically the timing of all this.  
17 We unfortunately don't have our consultants with us.  
18 Mr. Bridenbaugh is coming in tonight. We received the motion  
19 yesterday, and last night I got the rebuttal testimony which  
20 is the subject of the motion.

21 JUDGE BRENNER: I'm sorry, you got the rebuttal  
22 testimony?

23 MR. STROUPE: A draft, Judge Brenner.

24 MR. DYNNER: Yes.

25 But last night I got the rebuttal testimony and

1 obviously we have not had an opportunity to have our  
2 consultant look at the testimony and see what LILCO is talking  
3 about.

4           With respect to the motion itself, I would point  
5 out that this issue and the issues we're talking about about  
6 the additional BMEP effect and the fuel rack is in fact  
7 discussed by the Staff in the December 3 SER at page 4, and  
8 that much of the-- I have been at a loss to understand much  
9 of what has been going on in terms of motions to strike and  
10 not to strike, and people saying that this is a new issue  
11 that they couldn't have responded to because it is discussed  
12 at some length on page 4 of the SER of December 3.

13           It is my feeling that if there is a basis to  
14 settle that issue and have it disappear, and right now there  
15 is no specific testimony going to it, given the motion to  
16 strike Mr. Knox's testimony, that this ought to be something  
17 to which the County's consultant can participate and can  
18 look at it so we can figure out whether or not we agree to  
19 any new facts and information that LILCO might be bringing  
20 to bear on it.

21           I cannot make those judgments in terms of what  
22 the County's position is. That doesn't mean-- And I also  
23 would not be in a position, given the tardiness of all this,  
24 to be able to prepare and effectively carry out a  
25 cross-examination of the LILCO rebuttal testimony at this

1 point.

2 It seems to me at least that the more advantageous  
3 and efficient way to handle this would be to do it in a  
4 timeframe that would allow the County's consultant to hear  
5 what the consultants of LILCO and the Staff have to say about  
6 the issue so we know whether it is real or whether it can be  
7 explained away.

8 JUDGE BRENNER: Let me remind myself and the  
9 parties of some background as I see it, and then we will let  
10 LILCO respond to what you said, Mr. Dynner.

11 If there had been no motion filed by LILCO, the  
12 situation from the Board's perspective would have been as  
13 follows:

14 We had testimony in the Staff's testimony -- I  
15 don't recall the precise date it was filed, on or about  
16 February 1, I think.

17 Mr. Goddard, do you recall?

18 MR. GODDARD: February 5, Judge Brenner.

19 JUDGE BRENNER: All right.

20 From that time forward at least, everybody knew  
21 that the Staff had raised that point in testimony on the  
22 record as distinguished from the possibility that it was in  
23 pre-existing documents; in any event, from February forward.

24 At the time we first addressed the motion to strike  
25 that portion of the Staff's testimony, we said we would hold

1 off to decide whether to strike in the event anybody asked  
2 the Staff's witnesses questions which adduced the fact that  
3 some witness on that panel could support the testimony,  
4 although right at that time Mr. Knox did not appear -- it  
5 did not appear from the paper credentials at least that  
6 Mr. Knox could support it.

7 We also had in mind as a Board, and I hope we said  
8 on the record but I cannot assert from my memory now that  
9 we did, that nevertheless, even if as a technical procedural  
10 matter that portion of the testimony was struck, we still --  
11 that is, the Board -- intended to ask witnesses with  
12 credentials with respect to diesel engines questions about  
13 that subject. And I think we said that with reference to  
14 the upcoming Staff panel.

15 We also had in mind the fact that Da. Pischinger  
16 for one had credentials with respect to diesel engines and  
17 we would have asked him also so we could get his view, and  
18 then the Staff witnesses' view, and that is what we intended  
19 to do and we still intend to do if the matter is not settled.

20 The motion to file rebuttal testimony could have  
21 been filed earlier than yesterday. Nevertheless as I say,  
22 all of the parties from the February 5th time of the Staff's  
23 testimony and, with a refreshed recollection, at the time we  
24 addressed striking that portion, knew that we were interested  
25 in the subject.

1           So we struck the testimony and we could stop right  
2 there as a technical matter but the Board on its own doesn't  
3 want to do that with the possibility that there might be  
4 something of significance. In order to know that one way or  
5 the other, we want to simply ask, and we didn't think it was  
6 that complex a matter and we thought we could ask.

7           If there is written testimony that assists us in  
8 that regard, so much the better. But I don't see anything  
9 brand-new in the area; that is, the subject doesn't stem  
10 from yesterday's motion to file rebuttal testimony. So the  
11 County knew about the subject from the time of the Staff's  
12 testimony. The Board was keyed in from that point.

13           MR. DYNNER: If I can respond, we of course knew  
14 about the subject matter. What we didn't know was what  
15 LILCO's position was about that subject matter.

16           And what I said and repeat is that we are not in  
17 a position-- Now that we have been given a draft of the  
18 rebuttal testimony which sets forth LILCO's position, I am  
19 not in a position to know whether LILCO's position, as set  
20 forth for the first time last night to us, is correct or  
21 incorrect, and whether it is something that I can  
22 cross-examine on. I can't.

23           Now that doesn't mean that the Board -- in any  
24 way that I'm saying that the Board shouldn't ask questions,  
25 all the questions it wants, or that I can't ask questions of

1 people. It is just that on the rebuttal testimony we are  
2 not prepared because we didn't know what LILCO's position was  
3 until last night.

4 And secondly, in terms of my other statement,  
5 it just seemed to me that if in fact this is a non-issue,  
6 which I won't know until Mr. Bridenbaugh gets here,--

7 JUDGE BRENNER: Well, I'm trying to accommodate  
8 everyone's schedule, including Mr. Bridenbaugh's, and they  
9 want to let their witnesses go.

10 But you knew or you should have known-- Well,  
11 maybe that's unfair. I would have thought that you should  
12 have known that the Board would have asked Dr. Pischinger  
13 questions on that subject, based on our previous statements.  
14 We said we wanted to-- I think we said we wanted to ask  
15 the witnesses with expertise in that subject area questions  
16 in that regard. I can't really assert that as a matter of  
17 fact but I think we said that.

18 I don't want to preclude the Board or anybody  
19 else from going forward with that subject with  
20 Dr. Pischinger just because Mr. Bridenbaugh isn't here when  
21 he certainly could have been here, unless you can give me a  
22 reason why it would be a surprise to the County that this  
23 subject would come up when Dr. Pischinger is on the stand,  
24 given our previous statements when we addressed that subject  
25 in the context of the fact that Mr. Knox didn't have the



1 expertise to support it, or might not have the expertise to  
2 support it.

3           Wasn't the County aware that the Board intended  
4 to permit questions, if not to ask our own questions on that  
5 subject, of witnesses with diesel expertise?

6           MR. DYNNER: Yes, I think that-- Well, I have  
7 a couple of answers.

8           The question is: Did I anticipate it, and the  
9 answer is No.

10           The question: Should I have anticipated? Maybe.

11           There's been-- Our understanding was that what  
12 was going to happen, what we thought was going to happen was  
13 that once the motion to strike was granted that there was  
14 going to be testimony by the Staff as to whether or not what  
15 Mr. Knox had said that the PNL people had said was or was not  
16 the fact.

17           If the Staff witnesses got up and said "No,  
18 Mr. Knox misunderstood us, this isn't right. What we said  
19 in the SER we found out isn't true. We have new evidence,  
20 et cetera," one way or the other, that's what I thought was  
21 going to happen. In other words, I thought the Staff witnesses  
22 were going to be questioned about this first, and then there  
23 would be follow-up questions from other diesel witnesses.

24           But I just didn't focus on the fact that-- You  
25 know, once we changed the testimony so that the crankshaft

1 was going to come before the block, I never focused on the  
2 issue that Dr. Pischinger would be here. I just didn't--  
3 Maybe I should have but I didn't, and for those reasons.

4 JUDGE BRENNER: Let's hear from LILCO now,  
5 including what you propose to do if we granted the motion  
6 and what alternative approaches do you have? The motion is  
7 silent on timing, the extent of the testimony, et cetera.  
8 I'm referring to the motion to file rebuttal testimony.

9 MR. STROUPE: Judge Brenner, let me give you  
10 perhaps a couple of alternatives that LILCO at least has  
11 thought about, and then Mr. Ellis can address the other  
12 matters that you raised.

13 We have-- Obviously our panel that would be  
14 addressing that very subject is the very panel we just  
15 completed cross-examination of with the exception of the two  
16 inspection witnesses. The panel that we have proposed would  
17 be principally Dr. Pischinger with Mr. Youngling of LILCO,  
18 and Dr. Johnston of FaAA.

19 We have indeed prepared testimony and we delivered  
20 to Mr. Dynner last night, as he indicated, a copy of that  
21 testimony which will not change if indeed it is allowed to  
22 be filed or if it is needed to be filed.

23 We again would suggest the possibility of some  
24 continuing discussions between the County, LILCO and the  
25 Staff today to see if indeed we can resolve this issue and

1 perhaps have it go away by having our consultants talk.

2 I understand Mr. Dynner's problem but--

3 JUDGE BRENNER: What about the telephone?

4 Mr. Bridenbaugh is en route? Is that the problem?

5 MR. DYNNER: Yes, sir.

6 MR. STROUPE: The only other alternative that we  
7 believe is reasonable would be to go forward with our motion,  
8 allow us to file rebuttal testimony and put our people on  
9 the stand, and then hope that that gets to the root of the  
10 problem. That may convince the Staff to do something at that  
11 point in time, but I think that is the only other alternative  
12 that we can reasonably rely upon.

13 If we wait until tonight-- .

14 JUDGE BRENNER: Well, when did you intend to put  
15 the rebuttal testimony on if we had granted the motion?

16 MR. STROUPE: Today.

17 JUDGE BRENNER: But you haven't even served it.

18 MR. STROUPE: Yes, it has been served on the parties.  
19 It has not been filed with the Board because, obviously,  
20 the motion hasn't been granted at this point.

21 Again as we said yesterday, the problem we have is  
22 the time problem with Dr. Pischinger in that he has a return  
23 to Germany tomorrow.

24 JUDGE BRENNER: I know, but the motion could have  
25 been filed earlier if you wanted to put in written rebuttal

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

testimony.

Mr. Ellis, did you want to add something?

MR. ELLIS: Yes, sir.

I just would point out that the testimony is not extensive. The reason that we did not serve it upon the Board I think is it would have been inappropriate for us to do so in light of the Board's previous indications that motions of this sort should not be accompanied by the testimony until they're granted. But we did want to give it to the County and the Staff as soon as we had prepared it.

It is also important I think to point out that this is not an issue raised by the County in its testimony, nor was it originally by LILCO. We were under the impression erroneously, as it turned out, and that was part of our motion to strike the testimony, that the intermittent and cyclic loads that were part of the contention were the intermittent and cyclic loads that we identified in our testimony.

The testimony, by the way, the rebuttal testimony, Judge Brenner, is six pages.

\_\_\_\_\_  
\_\_\_\_\_  
\_\_\_\_\_

End 8

9 WRBwbl 1

JUDGE BRENNER: What's the schedule for  
2 Dr. Pischinger's plane tomorrow?

3 MR. STROUPE: He has a flight leaving, I believe,  
4 at approximately four-thirty or 5:00 p.m. from Kennedy.

5 JUDGE BRENNER: Tomorrow?

6 MR. STROUPE: Tomorrow.

7 JUDGE BRENNER: All right.

8 Give us a moment, and see if we can solve everybody's  
9 problem. That's what we'll try to do.

10 (The Board conferring.)

11 JUDGE BRENNER: Mr. Bridenbaugh is coming in  
12 tonight?

13 MR. DYNNER: Yes, sir.

14 JUDGE BRENNER: Reasonably early tonight, so that  
15 you can all discuss it this evening if we allow that?

16 MR. DYNNER: I'm expecting him between seven and  
17 eight tonight.

18 MR. GODDARD: Judge Brenner, that timing is  
19 acceptable to the Staff. And our witness will be available  
20 to discuss the matter with Dr. Pischinger and with  
21 Mr. Bridenbaugh, if that is the decision of the Board.

22 JUDGE BRENNER: Did you want to add something,  
23 Mr. Ellis?

24 MR. ELLIS: Yes, sir.

25 I think there has been some reference to resolving

wb2

1 or settling the matter among the three parties. I don't  
2 think that is necessarily what is the only resolution.  
3 Another resolution is that the Staff may--

4 JUDGE BRENNER: I understand.

5 MR. ELLIS: Yes, sir.

6 JUDGE BRENNER: I had planned to address that, but  
7 I want to discuss this.

8 (The Board conferring.)

9 JUDGE BRENNER: We are going to try to reach a  
10 balance and permit the parties to have discussions tonight,  
11 and then they can let us know first thing in the morning  
12 as to whether it has been resolved as to just two parties  
13 or no parties or all three parties.

14 If it has not been resolved as to -- let us say  
15 as to the County, we will permit witnesses to be asked  
16 about it. That's the bottom line that I wanted to give you  
17 first.

18 Our reasoning for trying to reach this accommodation  
19 for all parties is as follows:

20 As I said, we could have simply stated the fact that  
21 we struck the testimony and that would have been the end of  
22 it, because the Staff, indeed, was the only party that raised  
23 it, although the Staff argued that it was relevant to the  
24 contention, and we agreed with the Staff on the question of  
25 relevance. So the County did not even raise it as one of the

wb3

1 supporting parts of that subpart of the contention.

2 The next procedural proposition will be that,  
3 since it was only the Staff that raised it, if the Staff  
4 and LILCO agreed that there was nothing to it, and the Staff  
5 said they were withdrawing the point, we could have rested  
6 right there. And, again, that would have been correct  
7 procedurally, considering the fact that the County never even  
8 raised the matter.

9 However, in this public interest proceeding, now  
10 that the matter has been raised, we want to give the County  
11 a better opportunity than that. However, the extent of the  
12 opportunity we will give the County is that tomorrow will be  
13 the time to find out what the witnesses with expertise in  
14 diesel matters have to say about the subject if it is not  
15 resolved.

16 In the circumstances now, we would like to get  
17 the testimony for the Board to look at also when we break,  
18 which will be momentarily. And then we'll leave it at that.  
19 We'll go to the Staff's crankshaft witnesses right after  
20 lunch, and proceed with that. And if we finish with those  
21 witnesses we will go to the next witnesses in line. We're  
22 not going to stop artificially, we will break the sequence to  
23 go back to this subject after.

24 If there is some particular remaining problem when  
25 we resume at nine o'clock tomorrow morning the parties can

wb4

1 address it. But be advised that our decision is probably  
2 that we want to proceed with the subject in that early, very  
3 early tomorrow timeframe if it's not otherwise resolved.

4 Now, if the parties, for example, need another half  
5 hour tomorrow morning, and people are available to take up that  
6 subject outside the courtroom while we continue with other  
7 people with the other subject, we will certainly be amenable  
8 to some minor adjustment of that nature.

9 It's our hope that-- Well, it's not our hope;  
10 we believe it will have the effect of giving the parties more  
11 than the appropriate opportunity to pursue the subject either  
12 by settlement or by getting facts on the record, if that proves  
13 to be necessary.

14 Dr. Pischinger, do you have the answer?

15 WITNESS PISCHINGER: I have the answer.

16 JUDGE BRENNER: All right.

17 WITNESS PISCHINGER: To make sure, the question was  
18 the factor of safety when applying the inherent -- when  
19 taking into account the conservatism of the Kritzer-Stahl  
20 criterium which is given by 2.7 percent.

21 If you take this into account you will arrive, for a  
22 power of 3900 kilowatts, at a factor of safety of 1.6 percent.  
23 That means 1.136.

24 JUDGE BRENNER: All right, Mr. Goddard? Is that  
25 your question?



wb5

1 MR. GODDARD: The Staff has no further questions.

2 Thank you.

3 JUDGE BRENNER: Thank you, Dr. Pischinger.

4 The panel we have just heard from is excused as a  
5 panel. Now, we might have selected people back, depending on  
6 who LILCO believes can best address the question.

7 Thank you, Dr. Pischinger.

8 (Panel excused.)

9 JUDGE BRENNER: All right; let's recess until  
10 one-thirty. Remember, there were miscellaneous matters that  
11 I raised yesterday for the parties to think about. It's up  
12 to the parties in a timely fashion this week to come back to  
13 us on those subjects whenever the parties think it's  
14 appropriate.

15 MR. ELLIS: We'll be prepared after lunch,  
16 Judge Brenner.

17 JUDGE BRENNER: All right. Let's proceed and see if  
18 we can finish the Staff witnesses on the subject, too.

19 Which subject did you want to--

20 MR. ELLIS: Cam gallery monitoring. I think we can  
21 dispose of that. And I will also discuss with Mr. Dynner and  
22 with Mr. Goddard the other matter.

23 JUDGE BRENNER: All right. Well, you'll have a few  
24 extra moments. We'll come back at one-thirty.

25 (Whereupon, at 11:50 a.m., the hearing in the above-  
entitled matter was recessed to reconvene at 1:30 p.m.)

C-10

AGB/wbl

## AFTERNOON SESSION

(1:30 p.m.)

1 JUDGE BRENNER: Good afternoon.

2 Did I understand correctly that the parties are  
3 prepared to take up the matter of settlement of the monitoring  
4 of the cam shaft gallery next?  
5

6 MR. ELLIS: Judge Brenner, of course the matter has  
7 been settled. What is remaining open is the Board's concern  
8 that the Board raised.  
9

10 I had indicated that we could take that up. I  
11 have talked to Mr. Goddard. He would prefer to have  
12 Mr. Berlinger here at the time we do it.

13 I am prepared to indicate to the Board what LILCO's  
14 current thinking is with respect--

15 JUDGE BRENNER: I'm sorry; let me interrupt you.

16 Rather than status reports, I wanted to know if the  
17 parties had reached full agreement on the matter. Let me  
18 ask that question.

19 MR. DYNNER: Maybe I should address that.

20 We have agreed to settle the matter on the terms  
21 that were stated the last time on the record. And subsequent  
22 to that, of course, the Board raised the issue of whether or  
23 not the parties had considered further monitoring after  
24 emergency operation of the diesels.

25 Frankly, we haven't

AGB/wb2

1 JUDGE BRENNER: Right; I saw all that in a letter  
2 from Mr. Ellis. And my comment in response to that letter was  
3 that I didn't want to approve it with that matter unsettled  
4 and just left hanging and unstated in a settlement.

5 MR. DYNNER: Yes. And all I was trying to express  
6 to you is that that letter also states the fact that we were  
7 not going back on the fact that we would settle on the grounds  
8 that we had. And I think the letter reflects that.

9 The issue of further monitoring after emergency  
10 operation of the diesels, which the Board raised, is one which  
11 we hadn't considered, which we said, subsequent to the settle-  
12 ment, that we thought would be advantageous and ought to be  
13 perhaps considered. LILCO and the Staff didn't feel it was  
14 necessary. And the only purpose of that letter with the  
15 statement that we thought it would be beneficial, was that we  
16 didn't know how strongly the Board felt that that matter ought  
17 to be encompassed within the settlement.

18 That's the reason it's stated the way it's stated.

19 We're not suggesting-- We're not prepared to  
20 suggest, having made the statement on the record that we've  
21 settled the matter on the terms that were then stated, that  
22 we're going back on our word. The settlement stands subject  
23 to our own feeling that if the Board feels that there ought  
24 to be, that it would be desirable to have monitoring after  
25 emergency operation. The County feels that way, and LILCO and

AGB/wb3

1 the Staff might want to consider it further.

2 But it won't affect our commitment to the  
3 settlement.

4 JUDGE BRENNER: That's where the matter stood when  
5 I raised it again the beginning of this week: I understood  
6 all that. And I wanted the parties to meet again to decide  
7 whether the settlement could encompass such a matter or  
8 whether the parties could reach a decision that such a matter  
9 need not be encompassed. Because my concern was not necessarily  
10 as a matter of substance that it should be covered or not  
11 covered, but that it shouldn't be left silent, so that a  
12 problem cropped up later on and it was found that the settlement  
13 did not address the situation, and was silent on it even after  
14 we had raised it.

15 So I wanted the parties to meet and discuss that and  
16 see if they could reach agreement on it. That was my request.  
17 Maybe it wasn't understood.

18 MR. DYNNER: Well, we reiterated our position, our  
19 concern, and said it wouldn't affect the settlement. I think  
20 at this point we were waiting to see whether LILCO nevertheless  
21 wanted to include some additional monitoring after emergency  
22 operation.

23 My point is that I can't -- I have no bargaining  
24 ability, if you want to call it that, to suggest that there  
25 be this kind of monitoring, because I already committed to the

wb4

1 settlement I committed to.

2 So it's only a question of whether LILCO and the  
3 Staff want to do it as a matter of their own further  
4 reflection. I don't have any way of negotiating it.

5 JUDGE BRENNER: Well, I don't know that that's  
6 accurate.

7 Why don't you tell me what LILCO proposes?

8 MR. ELLIS: I don't think it's a matter of further  
9 negotiations. LILCO certainly has considered it. And I think  
10 Mr. Goddard's concern to have Mr. Berlinger here is valid:  
11 I'd be delighted to wait until he comes back.

12 We have considered it. It's LILCO's position that  
13 the testing and the testimony before the additional testing  
14 that was ordered by the Board, has confirmed that these are  
15 process cracks that in several hundred hours of operation, up  
16 to I think 1300 now, have not propagated.

17 The addition monitoring is really a matter of  
18 negotiation. And the three months interval was not selected,  
19 in LILCO's view, as a result of any concern over three hours  
20 of operation; that is, there is no correlation between three  
21 months and three hours necessarily.

22 I might point out, incidentally, that it might not  
23 be three hours. There will always be some time in getting the  
24 load, the engine up to load and some time in getting it back  
25 down.

1           But the point is that the technical case is one  
2 that shows that there are process cracks that do not  
3 propagate and therefore the extent to which further  
4 monitoring is required was a matter of negotiation, there  
5 was a meeting of the minds.

6           I have discussed with the company whether the company  
7 would be willing to perform additional monitoring in the  
8 event of operation and there is no technical basis for it  
9 but the company is willing to do it if we put in something  
10 like 30, 40, 50 hours, something like that, that would  
11 certainly I think be acceptable to LILCO.

12           I think it's important for the Board to realize  
13 that we're talking about operation and the engine has to be  
14 secured for this to be done and the side covers removed  
15 and it takes 24 hours of straight-through work to do it.

16           So that should be balanced against what has  
17 already been done to demonstrate what the nature of these  
18 cracks are and what can reasonably be expected. So that --

19           JUDGE BRENNER: All right. I understand your  
20 position.

21           We knew that the engine would be unavailable for  
22 operation. I was going to ask you what the approximate  
23 time period was and you have answered that.

24           We haven't reached any conclusion, you understand,  
25 we merely asked the question because, as I said, we didn't

1 want silence to cause a problem to occur later on.

2 All right. We've got LILCO's position. I would  
3 like to get the Staff's position later on this week, and  
4 you let us know when that is convenient, Mr. Goddard.

5 MR. GODDARD: Yes, Judge Brenner, if I may respond  
6 briefly at this time, the proposal was submitted to the Staff  
7 by LILCO's Counsel that the monitoring be done on the basis  
8 of every three months or 30 hours of operation, whichever  
9 comes first. Technically the Staff has no objection to that  
10 position and we'll accept it.

11 The reason I asked that Mr. Ellis defer this  
12 until Dr. Berlinger was present was because Mr. Ellis was  
13 making reference to a number of conversations which he or  
14 his people apparently had with Dr. Berlinger, which I was  
15 not party to, to the extent that this proposal for monitoring  
16 every 30 hours -- not 30, 40 or 50 hours -- be done in  
17 conjunction with a --

18 JUDGE BRENNER: Well let me cut you off since we  
19 are going to have to come back to the subject anyway. Tell  
20 us whether it's the Staff position that any hours are  
21 necessary as part of the agreement in the Staff's view or  
22 whether we could just approve the settlement as is without  
23 any further requirement for measuring the cam gallery cracks.

24 MR. GODDARD: On a technical basis the Staff does  
25 not feel that an hours requirement is necessary and the Board

1 could approve the settlement as standing.

2 JUDGE BRENNER: What was the Staff's basis for  
3 agreeing to the interval in the settlement, was it related  
4 to time or to contemplated operation during that time or to  
5 none of that?

6 MR. GODDARD: It was a position adopted in order  
7 to facilitate a settlement, that's all.

8 JUDGE BRENNER: Yes, but it was the Staff's  
9 recommendation in the testimony that the cam gallery crack  
10 be monitored or measured in some fashion, that's what --  
11 you see, that's the basis, this didn't just come out of the  
12 blue. That's why I want to know what the Staff's view is.

13 If you want to discuss it and let us know tomorrow,  
14 that's okay.

15 MR. GODDARD: I think I should have that question  
16 answered by a technical member of the Staff.

17 JUDGE BRENNER: You understand from our point  
18 of view one of the stimuli to this agreement is the fact  
19 that the Staff -- one of the conclusions in the Staff's  
20 testimony is that some monitoring occur, either this or  
21 another type. And given that, I want to know what the  
22 Staff's view is as to what the technical basis is for the  
23 intervals, whether it's related to some contemplation of  
24 hours at all or whether it is just a time interval and so on.

25 We're only asking questions at this point.



1 MR. DYNNER: I don't know if this will help you  
2 or not but on page 30 of the Staff's testimony, Dr. Bush's  
3 testimony was in fact -- in fact went to the issue of crack  
4 monitoring and in fact suggested a three-month period for  
5 the TSI depth gauge monitoring.

6 JUDGE BRENNER: All right. But my question  
7 remains whether there was inherent in that some contemplation  
8 of the operation that the engines would see during that  
9 period of whether it was solely a time function or something  
10 else.

11 MR. GODDARD: Perhaps Dr. Bush might answer that  
12 question.

13 JUDGE BRENNER: Well why don't you get together  
14 with him instead of our having to hear it on the record. You  
15 may have questions yourself. He's your witness, talk to  
16 him about it and come back and let us know.

17 It wasn't our purpose to insist that some added  
18 condition be there, as I have tried to explain, we were  
19 simply asking the question.

20 All right. Is there anything further that need  
21 be taken up now or should be taken up now?

22 MR. ELLIS: No, sir.

23 JUDGE BRENNER: All right.

24 Mr. Goddard.

25 MR. GODDARD: At this time the Staff is ready to

1 present Dr. Spencer Bush and Mr. Adam Henriksen with regard  
2 to the subject of cylinder blocks -- I'm sorry, crankshafts.  
3 Whereupon,

4 SPENCER H. BUSH

5 and

6 ADAM J. HENRIKSEN

7 were called as witnesses and, having been previously duly  
8 sworn, were examined and testified further as follows.

9 JUDGE BRENNER: All right.

10 Let's note for the record -- I thought you were  
11 going to tell us but I'll say it, that the Staff informed  
12 us that unfortunately Professor Sarsten has passed away  
13 since the testimony was prefiled and we were certainly  
14 sorry to learn of that.

15 You are going to have to explain what adjustments  
16 the Staff is going to make in its testimony in light of that  
17 and also what adjustments Staff is going to make in terms of  
18 what part of the testimony you are moving into evidence now  
19 on the subject of crankshafts since the testimony also  
20 includes the subject of cylinder blocks which we are not now  
21 admitting into evidence.

22 MR. GODDARD: That is correct.

23 First, at this point the Staff would propose to  
24 move into testimony the entire package at this time,  
25 consisting of both blocks and crankshafts and

1 make any corrections to it at this time and reserve the  
2 cross-examination on the blocks, of course, until we present  
3 this panel at a later date.

4 JUDGE BRENNER: Is that acceptable to the other  
5 parties?

6 MR. STROUPE: Judge Brenner, I just raised the  
7 question as to whether we preserve cross-examination as to  
8 that portion of the testimony dealing with these step  
9 changes in loads that we talked about earlier today.

10 JUDGE BRENNER: Yes, we are going to hold off on  
11 that.

12 MR. STROUPE: Yes, that's acceptable to us on that  
13 basis.

14 JUDGE BRENNER: County, is that okay?

15 MR. DYNNER: Yes.

16 JUDGE BRENNER: All right.

17 MR. GODDARD: Insofar as the late Professor Sarsten  
18 was a sponsor of some of this testimony, the Staff proposes  
19 that he simply be deleted as a sponsor of all of the testimony  
20 for which there are other witnesses on this panel who are  
21 themselves sponsoring this testimony.

22 There were two questions which were sponsored by  
23 Professor Sarsten alone: one of these dealing with the  
24 Det Norske Veritas calculations was struck by the Board in  
25 its early order before this hearing resumed.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

The other --

JUDGE BRENNER: Why don't you refer to the particular part; and my next question is has that been lined through with respect to the copies given to the Reporter?

MR. GODDARD: It has been lined through on the copies given to the Reporter. That was, I believe, question and answer 12 on page 21 of the testimony.

1           The remaining answer, which was provided by  
2 Professor Sarsten alone, is the answer to question 5 at page  
3 10 of the testimony. Dr. Bush will assume the sponsorship  
4 of that portion of the testimony.

5           Dr. Bush and Mr. Henricksen are previously  
6 sworn, having appeared as witnesses earlier in this  
7 proceeding.

8                                 DIRECT EXAMINATION

9           BY MR. GODDARD:

10           Q     Dr. Bush and Mr. Henricksen, I ask you at this  
11 time if the document entitled "Joint Testimony of Spencer  
12 H. Bush, Adam J. Henricksen, and," -- of course --  
13 "Professor Arthur Sarsten on Load Contentions Concerning  
14 TDI Emergency Diesel Generators at the Shoreham Nuclear  
15 Power Station," consisting of 32 pages and dated February  
16 5th, 1985, is the testimony prepared by you and which you  
17 intend to sponsor as your testimony in this proceeding?

18           A     (Witness Bush) Yes.

19           A     (Witness Henricksen) Yes.

20           Q     Is it true and correct, to the best of your  
21 knowledge, with the exception of the matter which is presently  
22 the subject of discussions between LILCO, yourselves, and  
23 a Suffolk County witness to appear later? Is it true and  
24 correct --

25           JUDGE BRENNER: I didn't hear you.

XXXXXX

brb2

1 MR. GODDARD: I said, is it true and correct, to  
2 the best of their knowledge, with the exception of that  
3 portion of the testimony on which we are reserving cross-  
4 examination.

5 JUDGE BRENNER: I thought you said something else  
6 I didn't hear.

7 WITNESS BUSH: Yes.

8 WITNESS HENRICKSEN: Yes.

9 BY MR. GODDARD:

10 Q Are there any corrections of any nature which  
11 you wish to make to the testimony at this time?

12 A (Witness Bush) There is an item with regard to  
13 Question 9 that could be struck; or it could, alternately,  
14 be discussed. It would be Item No. 1 under the answer to  
15 Question 9 on page 13.

16 JUDGE BRENNER: That's within the subject that  
17 you had talked about --

18 MR. GODDARD: That is within the subject which we  
19 are going to discuss, and I ask you to preserve that.

20 WITNESS BUSH: Other than that, that's the only one  
21 I am aware of.

22 BY MR. GODDARD:

23 Q Mr. Henricksen?

24 A (Witness Henricksen) I don't know anything else.

25 MR. GODDARD: Very well. Copies of the testimony

1 with the deletions made will be furnished to the Reporter  
2 at this point for insertion in the record at this point; and  
3 the Staff moves that the testimony be accepted into the  
4 record as though read.

5 JUDGE BRENNER: I'd like to identify more  
6 definitively the parts that we are reserving. Dr. Bush just  
7 gave us one, which is Item 1 on Answer 9; so we are not  
8 presently putting that into evidence.

9 MR. STROUPE: I believe there are at least one  
10 other.

11 MR. GODDARD: The answer to Question 10 appearing  
12 on page 14 also deals with that issue.

13 There may be a note in the conclusion which I  
14 haven't noted at this point. I was unable to find it. There  
15 may be a note that refers to that portion of the testimony.  
16 But there was nothing additional or of new information.

17 JUDGE BRENNER: I guess I don't agree with you  
18 on Question and Answer 10. That's broader than just that  
19 subject.

20 Does LILCO have a different view?

21 I don't see why this always seems to take so long  
22 when we move the Staff's testimony in. Is there any other  
23 part of their testimony that particularly relates to the  
24 question of the fuel racks being wide open or the loading  
25 during step-ups being higher?

1 MR. GODDARD: Not as to the fuel racks or the  
2 particular means of reaching that higher load.

3 JUDGE BRENNER: Other than that Item 1 of Answer  
4 9, correct?

5 MR. GODDARD: That is correct.

6 JUDGE BRENNER: Do you agree with me that Question  
7 and Answer 10 --

8 MR. GODDARD: -- in Question and Answer 10, which  
9 deals with the short-term loads and the effects of those  
10 loads.

11 JUDGE BRENNER: My question is: do you agree  
12 with me that that is not solely related to that subject?

13 MR. GODDARD: That is not solely related, no,  
14 that's correct. It would be within the scope of potential  
15 cross-examination later.

16 JUDGE BRENNER: I mean, even if that question  
17 was resolved, Question and Answer 10 is still potentially  
18 pertinent to other matters in controversy?

19 MR. GODDARD: Yes. That is correct.

20 JUDGE BRENNER: All right. I think I've got it  
21 now. It would just be that Item 1, then, on Answer 9 that  
22 is not being moved into evidence at this time, and -- I  
23 haven't reviewed it closely with that point in mind, because  
24 I know the parties wanted to reserve on it until this  
25 morning. So, if a party sees something else in there that



1 they want to tell us about, they can later.

2 MR. STROUPE: Judge Brenner, could I ask one  
3 clarifying question of Mr. Goddard?

4 Did I understand him to say that the answer to  
5 Question 5 is now being sponsored by Dr. Bush?

6 JUDGE BRENNER: That's what I understood him to  
7 say.

8 MR. GODDARD: That is correct.

9 JUDGE BRENNER: And I was going to ask --

10 MR. STROUPE: I think we may have a little problem  
11 with that because, frankly, I'm not convinced that Dr.  
12 Bush's expertise is in that area.

13 JUDGE BRENNER: Fine. You are only about five  
14 seconds ahead of me; and we'll get to that point right now.  
15 I was going to say that the witnesses have previously been  
16 sworn, as we stated, and I wanted to know if there were any  
17 new objections to admission of the testimony based on the  
18 adjustment we just heard, which -- in fact, the only one of  
19 any materiality is the one you've just raised, Mr. Stroupe.  
20 Do you have an objection to it that you want to raise at  
21 this time, or do want to note the fact that you might have  
22 an objection, subject to cross-examination; or how do you  
23 want to proceed? I don't know that he has the expertise,  
24 either.

25 MR. STROUPE: I would object on the basis that I

brb6

1 do not believe it is within Dr. Bush's expertise. I must  
2 say that I did not examine Dr. Bush on anything like this  
3 last fall. I believe Mr. Ellis did; and we can't, frankly,  
4 remember what the record reflected on that. But, at the  
5 very least, it seems to me that we should have some sort of  
6 voir dire to see if this is his area of expertise.

7 JUDGE BRENNER: County?

8 MR. DYNNER: I just have a question: that Answer 5  
9 has a number of sentences in it --

10 JUDGE BRENNER: Is this the first time that the  
11 parties have heard that Dr. Bush was going to take over  
12 sponsorship of this answer?

13 MR. DYNNER: Yes. This is the first I have heard  
14 of it.

15 JUDGE BRENNER: LILCO?

16 MR. STROUPE: We were told that there would be  
17 others on the panel that would take over the sponsorship of  
18 this answer.

19 JUDGE BRENNER: You thought there would be an  
20 additional witness?

21 MR. STROUPE: I, frankly, assumed that if anyone  
22 took over this sponsorship it would be Mr. Henricksen.

23 JUDGE BRENNER: I think I interrupted you, Mr.  
24 Dynner. I'm sorry.

25 MR. DYNNER: I was only going to point out that I

1 was going to agree with Mr. Stroupe that, at least, portions  
2 of Answer 5 appear on their face to be outside of Dr. Bush's  
3 area of expertise, based upon his qualifications, as  
4 examined in the past and as submitted in the past. Other  
5 portions of Answer 5 appear to me to be consistent with  
6 testimony that was given by Dr. Bush and others at the prior  
7 hearing.

8 JUDGE BRENNER: All right.

9 I haven't focussed on it. I don't like being put  
10 in the position of learning these things for the first time.  
11 We have talked ad nauseum about the point of our being  
12 informed of these things in advance. Of course, in this  
13 case, this unfortunate case, it couldn't be well in advance;  
14 but it certainly could have been before today -- Monday,  
15 for example. And now everybody has to, just for the first  
16 time. This isn't the first time we've wasted time on things  
17 for which hearing time should not be devoted, and it's at  
18 the expense of Staff witnesses as well as everybody else,  
19 while we're here wasting time.

20 Given the situation -- and take that comment for  
21 the future, if there is a future in this hearing; and I hope  
22 that future is rapidly coming to an end, at least as far as  
23 this Board is concerned -- how would you like to proceed?  
24 Would you like me to order that the Staff to establish by  
25 direct examination what they believe the expertise is, or

1 would you prefer to proceed first by cross-examination, first  
2 LILCO and then the County, in the course of your other  
3 cross-examination? And then we could come back to the  
4 subject of whether it should be struck. I'm willing to do  
5 what the parties want to do, given the fact of lack of  
6 advance notice.

7 MR. STROUPE: I think, frankly, I would like to  
8 proceed in the manner of having the Staff show us why this  
9 is within his expertise, and then to have an opportunity to  
10 raise my own questions. My recollection from the previous  
11 hearing this past fall is that Dr. Bush testified to the  
12 shot peening aspects and the metallurgical aspects of the  
13 crankshaft, and I think we can probably find that out pretty  
14 quickly.

15 JUDGE BRENNER: That's not the sole question. The  
16 question is what he knows about this answer now.

17 All right. I'm inclined to proceed that way,  
18 given Mr. Stroupe's desire. Do you have any problem with that,  
19 Mr. Dynner?

20 MR. DYNNER: No, we don't. And we also may have  
21 questions dealing with voir dire on the same issue.

22 JUDGE BRENNER: All right. You incorporate it  
23 at any point in your cross-examination, if the testimony is  
24 still on the record by that time, if that's acceptable, rather  
25 than a separate round.

1 MR. DYNNER: Yes, of course.

2 JUDGE BRENNER: This is an easier case to isolate,  
3 but for all I know you might have voir dire-type questions  
4 where Professor Sarsten was one of the witnesses in a group,  
5 and you have some question as to whether certain sentences  
6 within those answers that remain could be sponsored by these  
7 two witnesses, for all I know. I haven't gone through that  
8 process for myself, I must confess, because we weren't told  
9 until now what the adjustments would be.

10 All right. Let's do this: we'll admit the  
11 testimony into evidence at this time, and bind it into the  
12 record as if read, with the adjustments we've already noted  
13 as to the parts struck and the part, that Item 1 in Answer 9,  
14 being held in abeyance and subject to the rights of the  
15 parties to make further motions to strike based on the lack  
16 of expertise of these witnesses to sponsor parts that we are  
17 at this time admitting into evidence.

18 So, with that, we can mechanically bind all of  
19 this testimony into the transcript at this point as if read.

20 (The documents follow.)

21

22

23

24

February 5, 1985

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of )  
 )  
LONG ISLAND LIGHTING COMPANY ) Docket No. 50-322-0L  
 )  
(Shoreham Nuclear Power Station, )  
Unit 1) )

JOINT TESTIMONY  
of  
SPENCER H. BUSH, ADAM J. HENRIKSEN, AND PROFESSOR ARTHUR SARSTEN  
on  
LOAD CONTENTIONS CONCERNING TDI EMERGENCY DIESEL GENERATORS  
at the  
SHOREHAM NUCLEAR POWER STATION

CONTENTS

INTRODUCTION OF WITNESSES .....	1
SCOPE OF TESTIMONY .....	2
SUMMARY OF TESTIMONY .....	3
FATIGUE LIFE OF CRANKSHAFTS IN THE SHOREHAM EDGS.....	3
CYLINDER BLOCKS .....	6
TESTIMONY ON CONTENTIONS .....	9
I - CRANKSHAFT .....	9
Conclusions That May Be Drawn From Confirmatory Testing .....	9
Fatigue Life of Crankshafts in the Shoreham EDGs .....	13
II - CYLINDER BLOCKS .....	23
Monitoring of Cam Gallery Cracks in EDGs 101 and 102 .....	26
Comments on Testing Performed by Walter C. McCrone Associates, Inc. ....	27
Assumptions and Conclusions Regarding Origin and Characteristics of Cam Gallery Cracks .....	27
Conclusions Regarding the Need for Monitoring Cam Gallery Cracks .....	28
Stud-to-Stud Cracks in the Cylinder Block Top .....	31

INTRODUCTION OF WITNESSES

Q. Please state your names, your business addresses, and your professional qualifications.

A. (Bush) My name is Spencer H. Bush. I am self-employed, under the firm name of Review and Synthesis Associates, Richland, Washington. A summary of my professional qualifications and experience was submitted as Attachment 2 to Volume 1 of the joint testimony filed by the NRC staff in August 1984.

A. (Henriksen) My name is Adam J. Henriksen. I am self-employed, under the firm name of Adam J. Henriksen, Inc., Fox Point, Wisconsin. A summary of my professional qualifications and experience was submitted as Attachment 3 of the joint testimony referenced above.

A. (Sarsten) My name is Arthur Sarsten. I am a Professor of Internal Combustion Engines at the Norwegian Institute of Technology, Trondheim, Norway. A summary of my professional qualifications and experience was submitted as Attachment 5 of the joint testimony referenced above.



SCOPE OF TESTIMONY

Q. What is the scope of your testimony?

A. (All) Our testimony addresses the following parts of Suffolk County's load contention as admitted by the Atomic Safety and Licensing Board:

Contrary to the requirements of 10 C.F.R. Part 50, Appendix A, General Design Criterion 17 -- Electric Power Systems, the emergency diesel generators at Shoreham ("EDGs") with a maximum "qualified" load of 3300 kW do not provide sufficient capacity and capability to assure that the requirements of clauses (1) and (2) of the first paragraph of GDC 17 will be met, in that

- (a) LILCO's proposed "qualified load" of 3300 kW is the maximum load at which the EDGs may be operated, but is inadequate to handle the maximum load that may be imposed on the EDGs because:
  - (i) intermittent and cyclic loads are excluded;
  - (ii) diesel load meter instrument error was not considered;
  - (iii) operators are permitted to maintain diesel load at 3300 kW  $\pm$ 100 kW; and
  - (iv) operators may erroneously start additional equipment.
  
- (c) The EDG qualification test run performed by LILCO was inadequate to assure that EDGs are capable of reliable operation at 3300 kW because:
  - (i) DG 103 block was not subjected to the entire 740 hours of testing;
  - (ii) the test results on the DG 103 block are not transferable to the DG 101 and 102 blocks;
  - (iii) operators were permitted to control the diesel generators at 3300 kW  $\pm$ 100 kW during the test; and
  - (iv) instrument accuracy was not considered.

SUMMARY OF TESTIMONY

Q. Please summarize your testimony on these contentions.

A. (All) Our summary testimony is provided under the two subheadings that follow.

FATIGUE LIFE OF CRANKSHAFTS IN THE SHOREHAM EDGs

From our review of LILCO's testimony and data logs, we believe that EDG 103 was, in fact, operated at a nominal, instrument-indicated load of 3300 kW during that portion of the  $1 \times 10^7$ -cycle confirmatory test claimed by LILCO to have been conducted at the 3300-kW load level. We understand that the wattmeter may oscillate approximately  $\pm 100$  kW around the value at which the load is set, presumably because this is as close as the load can be controlled without blocking the governor. Based on wattmeter calibration data, the actual load could have differed from the indicated load by about  $\pm 70$  kW. In the context of the overall test loads included in the  $10^7$  cycles and the order in which they occurred, however, we view these deviations from 3300 kW as of no consequence.

In our opinion, EDGs 101, 102, and 103 are suitable for nuclear standby service at the "qualified" load of 3300 kW. This opinion is subject to the surveillance and maintenance recommendations documented in the following technical evaluation report, which we assisted in preparing: Review and Evaluation of Transamerica Delaval, Inc., Diesel Engine Reliability and Operability - Shoreham Nuclear Power Station Unit 1, PNL-5342, dated December 1984. As noted on pages 4.24 through 4.25 of that report, "...the replacement crankshafts for

EDG 101, EDG 102, and EDG 103 are acceptable for their intended service, provided that they are not operated during engine tests at loads in excess of the qualified load of 3300 kW." We believe that this restriction is necessary to avoid routine operation of the crankshafts at loads in excess of the load at which one crankshaft has been successfully tested.

Accordingly, we recommend that the permissible load for engine tests, including surveillance tests at the qualified load, be no higher than 3300 kW as read on control room instrumentation. We understand that the wattmeter may oscillate approximately  $\pm 100$  kilowatts around the value at which the load is set, as discussed above. In our opinion these oscillations during routine tests will not be detrimental to engine reliability, provided that the indicated mean load is no higher than 3300 kW.

Loads at which EDG 103 was operated as part of the confirmatory test to  $1 \times 10^7$  cycles, and the post-test examination that revealed no evidence of damage to the crankshaft or other key engine components, provide a basis for drawing conclusions about the capability of the EDGs for emergency operation at loads above the qualified load. EDG 103 sustained over 220 hours (approximately  $3 \times 10^6$  cycles) at instrument-indicated loads of 3500 kW and above. With a conservative application of instrument error from calibrations performed by LILCO preceding and following the time the higher-load testing was performed, we estimate that the actual load during this period was at least 3430 kW. If cracks had initiated during this testing, it is likely that they would have propagated during subsequent operation at approximately 3300 kW for the time necessary to bring the total cycles to  $1 \times 10^7$ . But no cracks were found in the post-test inspection of the crankshaft.

In light of these results, and taking into consideration the small but inevitable differences in the properties of the three crankshafts, it is our opinion that it would be within the demonstrated capability of the engines to operate at loads to 3430 kW for an hour or so if the engines were needed to carry such loads under emergency conditions. This comment does not apply for routine operation of the engines, including engine testing, for which we recommend a load limit of 3300 kW as discussed earlier in this summary.

The testing performed on EDG 103 does not provide an adequate basis for drawing conclusions about the effects on the EDGs of loads higher than 3430 kW. However, an additional observation may be made based on other considerations. It is generally accepted in the technical literature on fatigue and cumulative damage in metals that momentary overloads, even those approaching the ultimate tensile strength of the metal, can be sustained without failure. This literature provides a basis for confidence that brief excursions (less than 1 minute) of the Shoreham engines to loads as high as 3900 kW under emergency conditions would not compromise engine operability.

If an engine were operated at high overload for a longer period during an emergency, its capability to meet the load profile throughout the emergency would depend on whether or not a crack would initiate in the crankshaft during the overload and propagate to failure before the engine was no longer needed. The available information does not provide a basis for us to comment with confidence on this scenario. However, overloads to 3900 kW for up to 1 hour under emergency conditions followed by much lower loads in accordance with LILCO's predicted LOOP/LOCA profile are believed to be sustainable. Any crankshaft

that is subjected to more than a momentary overload approaching this level should receive a thorough nondestructive examination before it is returned to service.

#### CYLINDER BLOCKS

The replacement EDG 103 block was not subjected to the entire qualification test performed on the EDG 103 engine. Nevertheless, the absence of any reportable indications in the block top after more than 500 hours of operation at or above 3300 kW provides significant evidence that the replacement block is suitable for service at the qualified load. If further operation beyond the most recent inspection does not exceed the FaAA-recommended inspection interval before the end of the first fuel cycle, the top of the replacement block need not be reinspected until the first shutdown for refueling. It is also unnecessary, in our opinion, to monitor cam gallery cracks in the replacement block. The known cam gallery cracks in this block have not been repair-welded, and, therefore, residual stress fields that may be associated with repair welds have not been introduced into the block material.

The replacement EDG 103 block was more suitable than either the EDG 101 block or the EDG 102 block for the tests that LILCO conducted to obtain data on compressive and alternating stresses in the camshaft gallery. Use of either of the latter two blocks for the cam gallery tests would have involved the installation of strain gages over repair welds rather than over base metal. However, the test of EDG 103 at qualified load did not contribute to resolution of questions concerning the ligament cracks in the top surfaces of the EDG 101 and 102

blocks, the potential for developing stud-to-stud or stud-to-end cracks in those blocks, or the circumferential cracks reported in the original EDG 103 block.

Our conclusions expressed previously in written testimony regarding the EDG 101 and 102 blocks remain unchanged. In our opinion, the 101 and 102 blocks are adequate for service subject to certain caveats on surveillance of known cracks. Following any period of operation of EDG 101 or EDG 102 at or above 50% of qualified load, visual (with the naked eye) and eddy-current inspections should be performed on those portions of the block top that are accessible between cylinder heads. The purpose of these inspections is to verify the continued absence of detectable cracks between studs of adjacent cylinders. In addition, the behavior of several representative cracks in the camshaft galleries of the EDG 101 and 102 blocks should be monitored. If no changes indicative of crack growth are observed over the first fuel cycle, the need for continued monitoring of the cam gallery cracks should be reconsidered by the NRC staff.

Our opinion expressed in previous testimony is also unchanged regarding circumferential cracks of the type found in a cylinder liner counterbore of the original EDG 103 block. If such cracks were to develop in any of the three blocks currently in service, it is highly unlikely that they would represent a hazard to EDG reliability. They would be expected to propagate only a short distance into a region of compressive stress and stop. At any time a liner is removed from any of the three engines, however, it would be prudent to perform an appropriate nondestructive examination of the landing of the block. If a circumferential indication is found, an attempt should be made to characterize

the depth and length of the indication through appropriate nondestructive tests. However, we do not advocate removal of cylinder liners for the sole purpose of this inspection.

TESTIMONY ON CONTENTIONS

Q1. How is your testimony organized?

A1. (A11) The testimony is presented in two general parts concerning 1) the crankshaft and 2) the cylinder block.

I - CRANKSHAFT

Q2. What issues are addressed in this part of your testimony?

A2. (A11) This part of the testimony deals with 1) conclusions that may be drawn from the qualification tests, and 2) the fatigue life of the crankshafts currently installed in the Shoreham TDI diesel engines, designated as EDGs 101, 102, and 103. Item 1 is relevant to the contentions (c)(i) through (iv) and Item 2 is relevant to contentions (a)(i) through (iv).

Conclusions that May be Drawn From Confirmatory Testing

Q3. Can you comment on the purpose of the confirmatory tests done by LILCO to accumulate  $10^7$  operating cycles on EDG 103?

A3. (A11) It is our understanding that these tests were conducted by LILCO primarily to provide unequivocal evidence that the high-cycle fatigue endurance limit of the crankshaft used in EDGs 101, 102, and 103 is at or above 3300 kW. The tests also included strain gage measurements to determine if the stress field in the cam gallery region of the block is compressive. These cam gallery tests are discussed in a later section of this testimony.



Q4. Have you reviewed the procedures and results pertaining to the confirmatory tests done by LILCO to accumulate  $10^7$  operating cycles on EDG 103?

A4. (All) Yes. Our review of the test results has been provided to the Board in two reports, namely Post-Test Examination of Transamerica Delaval, Inc. Emergency Diesel Generator 103 at Shoreham Nuclear Power Station for U.S. Nuclear Regulatory Commission Staff, by A. J. Henriksen, B. J. Kirkwood, W. W. Laity, P. J. Louzecky, J. F. Nesbitt, and L. G. Van Fleet, dated December 3, 1984, and Post-Test Examination of the Transamerica Delaval, Inc. Emergency Diesel Generator 103 Piston Skirts and Related Components at Shoreham Nuclear Power Station for U.S. Nuclear Regulatory Commission Staff, by A. J. Henriksen, B. J. Kirkwood, W. W. Laity, P. J. Louzecky, J. F. Nesbitt, and L. G. Van Fleet, dated December 14, 1984. Our review of the procedures is based on LILCO's letter to NRC (Harold Denton) dated October 18, 1984, concerning the confirmatory test, and information provided in test data sheets and supporting procedures regarding the calibration of electrical switchboard instruments.

Q5. Why was it not possible to draw conclusions regarding the acceptability of the crankshafts from calculations alone?

A5. (Sarsten) Crankshaft calculations involve uncertainties arising from the complex geometry of crankshafts and the variations in torque, bending loads, and other relevant input data. A large factor of safety must be employed to accommodate these uncertainties. It appears to me that the analytical evidence alone does not provide a sufficient basis for concluding that the crankshafts are adequate for the qualified load of 3300 kW. An unequivocal answer can be supplied only by an engine test for a sufficient time to accumulate  $10^7$  operating cycles.

Q6. Regarding the tests conducted by LILCO at a nominal 3300 kW, do you believe that they can be proven to have been at that value?

A6. (A11) No. We noted several points that could affect the certainty of the tested value:

1. There was uncertainty with respect to whether operators had the flexibility during the confirmatory tests to operate at  $3300 \pm 100$  kW.
2. Instrument uncertainties could have introduced an error of up to 2.5% of full-scale power readings.
3. LILCO reported that 20 hours were run at loads in the range of 3250 to 3300 kW and that 81 hours were run at loads between 3300 and 3400 kW.

Q7. Have you resolved these questions?

A7. (Henriksen) I believe so. The points just identified have been addressed. First, based on a review of the testimony and the data logs provided, I believe LILCO operators did operate most of the time with the wattmeter indicating a load of 3300 kW. This is based on my belief that the flexibility provided by NRC in conducting surveillance tests at 3300 kW  $\pm 100$  kW does not really mean that the load will be set at 100 kW above or below 3300 kW during that test. Rather, as I understand it, when set at 3300 kW, due to the mode of operation described in LILCO's testimony, the wattmeter oscillates between 3200 and 3400 kW. This is probably as close as the load can be controlled unless the governor load limit is blocked.

I have also reviewed the level of possible errors involved in the load measuring system. According to LILCO's testimony, the wattmeter instrument error could be as much as  $\pm 2\%$  of full-scale or  $\pm 112$  kW. An additional error of  $\pm 0.5\%$  or  $\pm 28$  kW in the remainder of the instrument loop could result in a total of  $\pm 2.5\%$  or  $\pm 140$  kW error in measuring the load. However, the calibration data furnished for the wattmeter, dated November 10, 1983, October 1, 1984, and January 4, 1985, indicated that the error in the meter never exceeded 40 kW in the 3000 to 4000 kW load range. Thus, including the possible 28 kW error in the remainder of the loop, the total instrument error appears to not have exceeded  $\pm 1.25\%$  or  $\pm 70$  kW during any period of operation of this particular engine since November 10, 1983.

The 20 hours of operation reported to be below 3300 kW is considered to be sufficiently few that they are of little or no significance to the question of the tested load, especially since there were 81 hours of operation above 3300 kW.

Q8. Does the possibility that due to instrument errors the confirmation test may have been conducted at a load as low as 3230 kW mean that the endurance limits for the crankshafts cannot be confirmed to meet or exceed 3300 kW?

A8. (Bush) No. I believe the crankshaft is qualified for its intended service even though some of the confirmatory test data may have been accumulated at loads slightly below 3300 kW. As I will testify in a later section, I am convinced from my analysis of engine load data that EDG 103 has operated at or above an instrumented-indicated load of 3500 kW for about  $3 \times 10^6$  cycles with no evidence of damage to the crankshaft. This strongly suggests that the endurance limit is at or above 3430 kW, accounting for instrument error.

Additional testing of  $7 \times 10^6$  cycles at engine loads near 3300 kW would have been sufficient to propagate any cracks that may have been present because the crankshaft stresses at 3300 kW are quite close to those at 3500 kW. Therefore, I do not consider it significant that some of the confirmatory testing may have occurred at loads somewhat below 3300 kW.

#### Fatigue Life of Crankshafts in the Shoreham EDGs

Q9. Have you reviewed the testimony of the County and LILCO regarding the load profiles that the Shoreham EDGs will be required to provide?

A9. (Bush, Sarsten, Henriksen) Yes. Generally we understand the engines may be subjected to loads in the following categories:

1. Load spikes equivalent to 3900 kW due to sequenced starting of large cooling pumps for the first 30 to 60 seconds of a LOOP/LOCA event.
2. Short time intermittent and cyclic loads for a few minutes that may exceed by a few percent the "qualified load", taken here as 3300 kW.
3. LOOP/LOCA loads, assumed to be at or below 3300 kW after the first few minutes.
4. Loads that may result from operator error during the first hour of a LOOP/LOCA event, taken as 3800 to 3900 kW for times of 40 to 60 minutes.
5. Periodic testing loads of 3300 kW to meet NRC Regulations.

Q10. Do you believe the engines (EDGs 101, 102, and 103) can sustain loads of Category 1 as described above?

A10. (Bush) Short-term loads as high as 3900 kW for less than a minute under emergency conditions are not considered to be a problem. Almost all texts related to fatigue and to cumulative damage in metals cite the effects of momentary overloads. An example is Collins Failure of Materials in Mechanical Design (1981). Figure 1, taken from Collins (1981, p. 293, Figure 8.27), illustrates the prestressing effect of momentary overloads on existing cracks and their subsequent delay in propagation.

Short-term high loads, even those approaching the ultimate tensile strength, do not generally produce cracks and may, in fact, provide a plastic zone around any existing crack that retards its growth. The preceding condition markedly exceeds the short-term achievable overloads of these EDGs. It is my conclusion, therefore, that loads such as those identified in Category 1 are not of concern.

Q11. Do you believe the Shoreham TDI EDG crankshafts can sustain loads identified in Category 2 as described above?

A11. (Bush) I would like to offer some background information prior to answering this question. I have carefully reviewed the operating history of the Shoreham EDGs, particularly noting the operating time at engine loads at and above 3500 kW. In the case of EDG 103, which has undergone extensive post-test examination showing no damage to the engine (particularly the crankshaft), I note that the engine has sustained over  $3 \times 10^6$  cycles at loads at or exceeding 3430 kW when conservative assumptions regarding instrument error are included as discussed earlier.




FIGURE 1. Delay in Crack Growth Following the Application of Single Overload

Source: J. A. Collins, Failure of Materials in Mechanical Design - Analysis, Prediction, Prevention, 1981, p. 293, Figure 8.27.

The loads and corresponding hours at which EDG 103 is reported to have operated are as follows:<sup>(a)</sup>

<u>Load</u>	<u>Hours</u>
Approximate hours at 3500 kW	119
Approximate hours at loads greater than 3500 kW	101
Approximate hours at 3900 kW	7

Any of several approaches may be used to predict cumulative fatigue damage from these loads. Miner's rule, more correctly termed the Palmgren-Miner cyclic-ratio summation theory, has been used for many years to predict the fatigue (endurance) limit of materials. An alternative method that provides better correlation with experimental data is the Manson approach, which takes into account the loading sequence. The predicted fatigue limit using the latter approach for the EDG 103 crankshaft would vary markedly depending on the sequence of application of the loads noted in the preceding summary. We are unaware from available information what the actual sequence was.

A conservative view is to assume that the beginning of the high-cycle fatigue limit is less than  $3 \times 10^6$  cycles, and to define the lower bound of the fatigue limit as that associated with the lowest load at which EDG 103 was operated during the first  $3 \times 10^6$  cycles. This would set the lower-bound value from the EDG 103 test at 3430 kW, based on an assumed instrument error of  $\pm 70$  kW applied to the indicated load of 3500 kW.

---

(a) Pacific Northwest Laboratory, Review and Evaluation of Transamerica Delaval, Inc., Diesel Engine Reliability and Operability - Shoreham Nuclear Power Station Unit I, PNL-5342, December 1984 (p 4.22).

Table 1 is a summary of data from six references on the high-cycle fatigue limit for several ferrite steels. A significant message from this data is that the onset of the fatigue limit is close to  $1 \times 10^6$  cycles, regardless of the ferritic alloy, heat treatment, or surface hardening treatment. Note that several of the values are for aircraft or automobile crankshafts.

As illustrated in Figure 2, the fatigue limit of ferrite steels is essentially constant as a function of the number of cycles above the onset of high-cycle fatigue. This is unlike nonferrous metals, which have no clearly defined fatigue limit with time.

The steel used in the EDG 103 crankshaft is ABS Grade 4S, which corresponds roughly to an AISI-5050 steel in composition. The tensile strength is about 100 ksi and the yield strength about 60 ksi. The mechanical properties would correspond to some of the 4000 series steels cited in Table 1, and, therefore, one would anticipate similar initiation of the fatigue limit near  $1 \times 10^6$  cycles.

LILCO's nondestructive examinations of the EDG 103 crankshaft following the  $10^7$ -cycle test provide evidence that cracks had not initiated in the crankshaft during the initial  $3 \times 10^6$  cycles at loads at or above 3500 kW as read on the wattmeter. Because crankshaft stresses at 3500 kW are not substantially different from stresses at 3300 kW (as discussed in response to Question 12), subsequent operation at the latter load to bring the total cycles to  $10^7$  would have been sufficient to cause propagation of cracks formed at the higher load. This is further confirmation that the high-cycle fatigue limit is at or above the value corresponding to 3500 kW minus known instrument error, or 3430 kW.



TABLE 1. Location of the Initiation of High-Cycle Fatigue (Endurance) Limit for Several Ferrite Steels

Reference	Beginning of Fatigue Limit $\times 10^6$ Cycles	Material	Comments
(1)	1.0	1047 Steel	
(2)	~3.0	4340	Vacuum melted - longitudinal specimens
	~3.0	4340	Vacuum melted - transverse specimens
	~0.9	4340	Air melted - longitudinal specimens
(3)	~1.5	4340	Completely reverse S-N curve
(4)	~0.3	3130	Temper embrittled
	~0.8	3130	Non-temper embrittled
(5)	2.0	0.78% C	Spheroidized
	2.5	0.78% C	Pearlitic
(5)	1.5	4140	Quenched and tempered
	2.0	4140	Shotpeened
	2.5	4140	Nitrided
(5)	0.7	(4140,x4340, VCM)(a)	Quenched and tempered
	1.0	(4140,x4340, VCM)(a)	Shot-peened
	1.5	(4140,x4340, VCM)(a)	Nitrided, polished nitrided
	~3.0	(4140,x4340, VCM)(a)	Nitrided
(5)	0.8	4340	Automobile crankshaft - normal heat treatment
	0.7	4340	Automobile crankshaft - shot-peened
	~2.0	4340	Automobile crankshaft - nitrided
(5)	1.5	4340	Transverse specimens from crankshaft
	0.2	1.20% C	Quenched and tempered

(a) Above are torsional fatigue results on aircraft engine crankshafts including 4140 series.

TABLE 1. (contd)

Reference	Beginning of Fatigue Limit x 10 <sup>6</sup> Cycles	Material	Comments
(6)	0.9	3420	Quenched and tempered
	1.0	1050	Quenched and tempered
	1.0	4130	Normalized
	1.5	Structural steel	-
	1.5	Alloy struc. steel	-
	~2.0	Cast iron	-

- (1) Hayden, H. W., et al. 1965. "Mechanical Behavior". Volume III in The Structure and Properties of Materials. John Wiley & Sons, New York, New York.
- (2) Reed-Hill, R. F. 1964. Physical Metallurgy Principles. Van Nostrand, New York, New York.
- (3) Collins, J. A. 1981. Failure of Materials in Mechanical Design - Analysis Prediction, Prevention. John Wiley & Sons, New York, New York.
- (4) Hollomon, J. H., and L. D. Jaffee. 1974. Ferrous Metallurgical Design. John Wiley & Sons, New York, New York.
- (5) American Society of Metals. 1961. "Properties and Selection of Metals". Volume 1 in ASM Metals Handbook. Novelty, Ohio.
- (6) Marks, L. S. 1941. Mechanical Engineers' Handbook. 4th ed. McGraw-Hill, New York, New York.




FIGURE 2. Typical High-Cycle Fatigue Curve for a Ferritic Steel (1050 AISI)

The point of the background discussion is now clear. In my opinion, the Category 2 engine loads that may result from intermittent and cyclic demands in the vicinity of 3350 to 3400 kW for times up to one hour or so are below the probable high-cycle fatigue limit. Therefore, loads in Category 2 are not of concern.

~~Q12. Can you quantify the relative stresses at 3300 kW and 3500 kW?~~

~~A12. (Sarsten) If one takes the bending stresses as employed and interpreted by Det Norske Veritas for the Shoreham crankshafts in their report 84-0099A of September 17, 1984, and the maximum firing pressures as read from TDI test curves dated March 19, 1976, for a Shoreham engine, then the relative calculated bending stresses are 20,450 psi and 21,120 psi for 3300 kW and 3500 kW, respectively. DELETED~~

Q13. Do you believe the EDGs can sustain the loads identified in Category 3 above?

A13. (Bush) As defined in the response to Question 9, all loads in Category 3 are at or below 3300 kW. I believe the endurance limit for these crankshafts is above this value. Hence, the Category 3 loads are not of concern.

Q14. The engine loads that may result from operator error (e.g., Category 4) could exceed the high-cycle fatigue limit. Do you believe the crankshafts will sustain these loads for periods up to an hour and still have the ability to meet the succeeding load challenge of a LOOP/LOCA?

A14. (Bush) I believe the crankshaft can survive up to an hour of overload to about 3900 kW without crack initiation, but the probability of

crack initiation cannot be quantified. It is a function of parameters such as previous load history and metallurgical properties. The question then is, if a crack initiates during a LOOP/LOCA, will it propagate to the point of engine shutdown before the engine is no longer needed? My engineering judgment is that the combination of a Category 4 transient operation followed by time at lower load/time profiles such as the LOOP/LOCA demand profile should not lead to crankshaft failure. The only way to quantify this judgment would be to conduct a three-dimensional finite element analysis combining the LOOP or LOOP/LOCA load histories that were imposed on a crankshaft having an initial crack and determine the final crack size.

I feel that any crankshaft that is subjected to a sustained overload approaching Category 4 should be given careful surface and volumetric non-destructive examination prior to returning it to service.

Q15. What LOOP/LOCA load profile did you consider in evaluating the ability of the crankshaft to sustain the assumed operator error load?

A15. (Bush) I assumed the following LOOP/LOCA load profile based on data provided in LILCO's testimony dated January 15, 1985, and the Shoreham Final Safety Analysis Report (FSAR), Tables 8.3.1-1A and 8.3.1-2:

<u>Time</u>	<u>Load (kW)</u>
Less than 1 minute	3900
1 minute to 3 minutes	3331
3 minute to 12 minutes	3266
12 minutes to 30 minutes	3265
30 minutes to 60 minutes	3253
Longer than 60 minutes	2617

Q16. Do you believe the Shoreham EDGs can sustain the NRC required monthly and refueling-outage testing at the qualified load of 3300 kW, identified in the response to Question 3 as Category 5 loads?

A16. (Bush, Sarsten, Henriksen) Yes. These Category 5 testing loads are considered to be below the endurance fatigue limit for these crankshafts. As stated earlier, this limit is believed to be at or above 3430 kW, based on the results of the testing up through the first  $3 \times 10^6$  cycles, and is certainly confirmed to be at or above 3300 kW, based on the confirmatory tests that brought the total testing cycles to over  $1 \times 10^7$ . Detailed comments regarding these confirmatory tests, including our views on the uncertainties with watt-meter readings, are provided earlier in this testimony.

In view of the fact that the endurance limit can be established with certainty as being only at or above 3300 kW, we feel that it would be prudent to limit surveillance testing to this value. The reason for this is that surveillance tests can add over  $3 \times 10^7$  cycles during the assumed 40-year life of the Shoreham Nuclear Power Station.

## II - CYLINDER BLOCKS

Q17. What is the purpose of this testimony?

A17. (Bush) This testimony addresses parts c(i) and c(ii) of the contention concerning testing of the EDG 103 block, and also addresses metallurgical considerations related to my conclusion that existing cracks in the cam gallery region of the EDG 101 and 102 blocks should be monitored.

Q18. Have you reviewed the testimonies filed by the County and by LILCO concerning the test involving the EDG 103 block, the suitability of the cylinder blocks in EDGs 101 and 102 for service at 3300 kW, and whether there is a need to monitor the cam gallery cracks in the EDG 101 and 102 blocks?

A18. (Bush) Yes.

Q19. Please summarize your conclusions on these issues.

A19. (Bush) My conclusions are as follows:

First, as I have stated previously in written testimony (filed on October 12, 1984), the replacement EDG 103 block was more suitable than either the EDG 101 block or the EDG 102 block for the tests that LILCO conducted to obtain data on compressive and alternating stresses in the camshaft gallery. Use of either of the latter two blocks for the cam gallery tests would have involved the installation of strain gages over repair welds rather than over base metal. However, the selection of EDG 103 for the test at qualified load did not contribute to resolution of questions concerning the ligament cracks in the top surfaces of the EDG 101 and 102 blocks, the potential for developing stud-to-stud or stud-to-end cracks in those blocks, or the circumferential cracks reported in the original EDG 103 block.

Second, operation of the replacement EDG 103 block for more than 500 hours at or above 3300 kW based on the meter reading, followed by LILCO's nondestructive examinations that revealed no reportable indications in the block top, provides significant evidence that the replacement block is suitable for service at the qualified load of 3300 kW. Based on the known performance of the block through the qualification test, I concur with the conclusion of

Dr. Rau and Dr. Wachob<sup>(a)</sup> that it would be appropriate to reinspect the replacement block top at intervals determined through FaAA's cumulative damage analysis.<sup>(b)</sup> This means that if further operation beyond the most recent inspection does not exceed the FaAA-recommended interval before the end of the first fuel cycle, the top of the replacement block will not have to be reinspected until the first shutdown for refueling.

Third, the conclusions I expressed in previous written testimony regarding the EDG 101 and 102 blocks are not affected by the qualification test performed with EDG 103. As I previously testified, I believe that the 101 and 102 blocks are adequate for service subject to certain caveats on surveillance of known cracks. Following any period of operation of EDG 101 or EDG 102 at or above 50% of qualified load, visual and eddy current inspections should be performed on those portions of the block top that are accessible between cylinder heads. The purpose of these inspections is to verify the continued absence of detectable cracks between studs of adjacent cylinders. In addition, the behavior of several representative cracks in the camshaft galleries of the EDG 101 and 102 blocks should be monitored. If no changes indicative of crack growth are observed over the first fuel cycle, the need for continued monitoring of the cam gallery cracks could be reconsidered by the NRC.

Fourth, I have previously expressed the opinion based on engineering judgment that circumferential cracks of the type found in a cylinder liner

---

(a) Additional Cylinder Block Testimony of Dr. Duane P. Johnson, Dr. Charles A. Rau, Jr., Milford H. Schuster, Dr. Harry F. Wachob and Edward J. Youngling on Behalf of Long Island Lighting Company, January 15, 1985, at 10.

(b) This analysis is presented in the FaAA report Design Review of TDI R-4 and RV-4 Series Emergency Diesel Generator Cylinder Blocks, the most recent revision of which is FaAA-84-9-11.1 dated December 1984.



counterbore of the original EDG 103 block do not represent a hazard to EDG reliability. My opinion on that issue remains unchanged. Similar cracks may also occur in the EDG 101 and 102 blocks because of the high stress concentration associated with the geometry of the cylinder liner landing. They may occur even in the replacement EDG 103 block, although the stress concentration in the replacement block appears to be less severe. At any time a liner is removed from any of the three engines, it would be prudent to perform an appropriate nondestructive examination of the landing in the block. If a circumferential indication is found, an attempt should be made to characterize the depth and length through appropriate nondestructive tests. However, I do not advocate removal of cylinder liners for the sole purpose of this inspection.

Monitoring of Cam Gallery Cracks in EDGs 101 and 102

Q20. How is your testimony organized on this topic?

A20. (Bush) I first will comment on the examination<sup>(a)</sup> performed by Walter C. McCrone Associates, Inc. of a cam gallery crack specimen removed from the original EDG 103 block. I will next briefly summarize my assumptions and conclusions regarding the origin and characteristics of the cam gallery cracks. Finally, I will present my conclusions regarding the need for monitoring cam gallery cracks in the blocks of EDGs 101 and 102, and my reasons for those conclusions.

---

(a) Walter C. McCrone Associates, Inc., Cast Iron Analysis re LILCO vs Suffolk Company (sic), MA number 13747, dated January 11, 1985.

Comments on Testing Performed by Walter C. McCrone Associates, Inc.

The test results reported by McCrone provide unequivocal evidence that the predominant oxide in the samples removed from the crack surface was magnetite. The x-ray diffraction patterns are unambiguous and can be readily interpreted by an analyst who is trained in the field of x-ray diffraction. The McCrone laboratories are well known at the Pacific Northwest Laboratory as having competence in conducting quantitative iron-oxide measurements of the type requested by the County.

Assumptions and Conclusions Regarding Origin and Characteristics of  
Cam Gallery Cracks

Based on the above-mentioned test results, I have concluded that the crack examined in the sample removed from the original EDG 103 cylinder block was formed during cooling of the casting. There was no evidence of an oxide film formed at low temperatures, which could have been indicative of crack propagation after the block was placed in service. The absence of the latter oxide film tends to confirm that the crack is in a compressive stress field as determined analytically and experimentally by FaAA.

Because the original EDG 103 block exhibited degraded metallurgical properties as confirmed by the morphology of the Widmanstaetten structure, it is reasonable to assume the following:

1. The tensile properties of the typical Grade-40 cast iron in the EDG 101 and 102 blocks are superior to those of the degraded Grade-40 cast iron in the original EDG 103 block. The Grade-45 cast iron in

the replacement EDG 103 block compares even more favorably in this regard. If one reasonably assumes that the hot tensile properties of the EDG 101, 102, and replacement 103 blocks would also be better than those of the original EDG 103 block, the depth of cam gallery cracks in the former would be expected to be shallower than those in the latter.

2. With the evidence that cam gallery cracks in the original EDG 103 block are hot tears that did not propagate, and recognizing the superior materials properties of the EDG 101, 102, and replacement 103 blocks, it is reasonable to assume that the cracks in the latter blocks are also hot tears and that these cracks have not grown in service.

#### Conclusions Regarding the Need for Monitoring Cam Gallery Cracks

Based on the information summarized above, I conclude that the existing cam gallery cracks in the EDG 101, 102, and 103 cylinder blocks would not be expected to grow under normal operating conditions. Nevertheless, I believe that monitoring of the cam gallery cracks in EDGs 101 and 102 is necessary for the reasons listed below. I do not believe it is necessary to monitor cam gallery cracks in EDG 103, because the known cracks in the replacement block have not been repair-welded.

1. The inferences and conclusions regarding crack behavior are based on detailed examination of one crack in the original EDG 103 block. This is insufficient data on which to draw conclusions with certainty regarding the other EDG blocks.
2. Associated with the known repair welds in the cam galleries of the EDG 101 and 102 blocks are residual stress fields of an undetermined nature. These stress fields could influence crack propagation.
3. Cracks in the cam gallery represent a degraded condition. In my opinion the known data on these cracks where weld repairs have been made is insufficient to establish what will or will not happen to these cracks over time. My concern is related to the possibility of an initial lengthening of the cracks into stress fields of decreasing compression or, possibly, tension.
4. Certain postulated crack growth patterns ultimately could lead to a loss of function of a diesel generator. I recognize this is improbable, particularly when coupled to the low probability of a LOOP/LOCA. However, crack monitoring will provide confirmation as to whether or not the cracks continue to be benign. The action needed to perform the monitoring is straightforward, and I believe that it would be consistent with good practice for safety-related equipment in nuclear service.

In my opinion, the preferred approach for monitoring the cracks would be to install crack-opening displacement gages at the weld overlays on the second camshaft bearing saddle inboard of each end of the engine. These saddles are representative, and they are much more accessible than saddles toward the middle of the engine for any servicing of gages that may be required. The gages should be monitored during monthly engine tests.

Other methods of monitoring may also be acceptable. One alternative approach would be to monitor the depth of representative cracks (e.g., at locations described above) with an appropriate surface probe (e.g., a TSI depth gage), and also monitor crack length (parallel to the longitudinal axis of the engine) using magnetic particle or liquid penetrant examinations. Depth measurements taken in this manner may lack accuracy, but the combination of depth measurements and length measurements would probably be sufficient to show any significant changes in crack size. To obtain the desired information in this manner with minimal disruption of engine availability (due to the need to remove access covers), it would be sufficient to take these measurements every 3 months.

Regardless of the method chosen, it is my opinion that the monitoring should continue through the first fuel cycle. A decision should be made by the NRC staff at the first refueling outage regarding the need to continue with the monitoring.

Stud-to-Stud Cracks in the Cylinder Block Top

Q21. Do you consider that the qualification test performed on the EDG 103 engine provides an appropriate basis for predicting the behavior of block top cracks in the EDG 101 and 102 engines?

A21. (Bush) No. Differences in the mechanical properties of the cast iron used in the EDG 101 and 102 blocks from the cast iron used in the replacement EDG 103 block and, perhaps more importantly, design changes incorporated into the top of the replacement EDG 103 block do not permit an extrapolation of test results from the latter block to the blocks of EDGs 101 and 102.

Q22. What are your views on the probability that stud-to-stud cracks could initiate in either EDG 101 or EDG 102 during a LOOP/LOCA and propagate to the extent that either engine would be lost from service?

A22. I consider loss of function of EDGs 101 and 102 under these postulated circumstances to be highly improbable for the following reasons:

1. There is no evidence of stud-to-stud cracking in these blocks from previous operation at and above 3500 kW. Such cracks would be more likely to initiate at these higher loads than at the qualified load of 3300 kW.
2. All future surveillance testing is to be accompanied by monitoring of the block tops of EDGs 101 and 102 to verify the continued absence of detectable stud-to-stud cracks.

3. Based on extrapolations from the original EDG 103 block, I would not expect the fatigue crack growth rates in the stud-to-stud area to be so high that there would be a loss of EDG function during a LOOP/LOCA, assuming crack initiation occurred shortly after the start of the LOOP/LOCA. This is particularly true at the low power levels--less than 3000 kW--characteristic of predicted load profiles through most of a LOOP/LOCA, even if one assumes the improbable situation that the engines would be the only source of emergency power for approximately a week. A quantification of crack initiation and growth to the point of loss of function would require a three-dimensional finite element analysis in which crack initiation is assumed. FaAA has conducted such an analysis (FaAA-84-9-11.1, December 1984). My own semi-quantitative assessment is that the cumulative probability of crack initiation and propagation to the point of loss-of-function is quite low.

1 MR. DYNNER: Judge, I would add, fully consistent  
2 with what you just said, that as you'll note in part of  
3 our cross-examination plan and the way we approach this that  
4 we did not move to strike portions of Dr. Bush's testimony  
5 which we might otherwise have moved to strike at the time,  
6 had we known that Professor Sarsten would not be here. We  
7 would have looked to see whether Professor Sarsten agreed  
8 or disagreed with some of the things that Dr. Bush is saying  
9 about crankshafts; and now we won't have that opportunity.  
10 So that is consistent with what you said about voir dire as  
11 to other portions of Dr. Bush's testimony besides Answer 5.

12 JUDGE BRENNER: Okay. All right. Why don't you  
13 ask questions as to that -- is it Answer 5? Yes. -- Question  
14 and Answer 5, page 10, to establish Dr. Bush's expertise  
15 and bases to sponsor that answer; and then we'll see what  
16 develops there. And we may have to come back to the question  
17 of expertise and bases as to other answers, also, during or  
18 after the cross-examination by the other parties.

19 We'll proceed for now --

20 MR. GODDARD: We may, indeed, Judge Brenner.

21 With that in mind, the Staff would respectfully  
22 request we take a short break at this period in the hopes  
23 that by doing so we can expedite this proceeding significantly,  
24 rather than proceeding to qualify Dr. Bush on this  
25 particular question. I anticipate no more than ten minutes.



1 JUDGE BRENNER: All right, we'll do that. We'll  
2 come back at 2:10.

3 MR. GODDARD: Thank you.

4 (Recess.)

ind GB 11

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1 JUDGE BRENNER: Mr. Goddard.

2 MR. GODDARD: The Staff would request that  
3 Dr. Berlinger be allowed to join the panel at this time. He  
4 is the coordinator of the Staff's effort on TDI Owners' Group  
5 engines and specifically for the Shoreham proceeding in  
6 regard to these diesel engines. Accordingly, having him  
7 there at this time may facilitate the examination of these  
8 witnesses.

9 JUDGE BRENNER: Again, he has no prefiled  
10 testimony.

11 MR. GODDARD: He has no prefiled testimony on  
12 crankshafts at this point.

13 Now there is a piece of prefiled testimony which  
14 will come in at such time as we get to the question of the  
15 cylinder blocks. It is one-page testimony which identifies  
16 his role in the preparation of the two Staff SERs.

17 MR. DYNNER: We object again on the same basis that  
18 we objected previously, but perhaps with even more vigor,  
19 given the fact that I don't know what Dr. Berlinger knows  
20 about crankshafts, about the issues that are testified to with  
21 respect to crankshafts at all.

22 JUDGE BRENNER: Mr. Stroupe?

23 MR. STROUPE: LILCO has no objection, Judge Brenner.

24 JUDGE BRENNER: All right.

25 Give us a moment. It would have been nice if we

1 knew this when we took the earlier break.

2 MR. GODDARD: I didn't know Dr. Berlinger was  
3 here at that time, Judge Brenner.

4 JUDGE BRENNER: So you were going to proceed  
5 without him if he had not physically arrived when he did  
6 after we swore this panel. Right?

7 MR. GODDARD: Yes, we were.

8 (The Board conferring.)

9 JUDGE BRENNER: We are going to sustain the  
10 County's objection. There is no prefiled testimony of  
11 Dr. Berlinger. We know we ruled differently last time. We  
12 think it created some problems in ruling differently last  
13 time and, moreover, the Staff had a further opportunity  
14 between last time and this time to better explain to the  
15 parties and to the Board just what of substance would be added  
16 to the prefiled testimony.

17 We are here with prefiled testimony to conduct  
18 cross-examination thereon, and that is the purpose of the  
19 proceeding. We know generally what Dr. Berlinger's role was,  
20 that he coordinated some matters related to the review, but  
21 that is different than being here as a sponsor of prefiled  
22 testimony.

23 Moreover, we had greater concern in the area of  
24 other testimony that some of the witnesses were compartmentalized  
25 and the fact that there were three separate pieces of testimony

1 and that maybe there were areas that were not fully  
2 coordinated, for which Dr. Berlinger could have been helpful.  
3 That concern doesn't apply to this area, so we will go  
4 with just Mr. Henriksen and Dr. Bush for the reason that  
5 Dr. Berlinger has no testimony on crankshafts.

6 When we get to blocks we will address separately  
7 whether or not there is any testimony of substance in that  
8 one page you referred to. I don't have it in front of me now.  
9 We don't have to discuss it now.

10 All right. So I will ask you to step down,  
11 Dr. Berlinger, and we will stay with the other two witnesses  
12 on the subject of crankshafts.

13 DR. BERLINGER: Judge Brenner,--

14 JUDGE BRENNER: I have made the ruling,  
15 Dr. Berlinger.

16 DR. BERLINGER: Can I make a comment?

17 JUDGE BRENNER: No, only because the proper  
18 procedure is for your Counsel to make any arguments.

19 This isn't the first time we have considered the  
20 issue and have been thinking about it all along. And now we  
21 have made our ruling in response to the County's objection  
22 as I've stated.

23 (Dr. Berlinger conferring with Counsel.)

24 JUDGE BRENNER: Mr. Goddard, I want to proceed --

25 MR. GODDARD: Yes, sir.

1 JUDGE BRENNER: -- at this time.

2 BY MR. GODDARD:

3 Q Dr. Bush, at this time I am going to ask you some  
4 preliminary questions with regard to your qualifications to  
5 sponsor the answer to question 5 which was previously  
6 sponsored solely by Professor Arthur Sarsten.

7 Did you and Professor Sarsten as well as  
8 Mr. Henriksen work together in the preparation of the answers  
9 to these questions which are submitted as the Staff testimony,  
10 to include the answer to question 5?

11 A (Witness Besh) Yes, we did.

12 Q Would you state what, in your opinion, constitutes  
13 experience which you have in qualifying large pieces of  
14 mechanical equipment based upon calculational methods?

15 A (Witness Bush) Yes.

16 I would indicate that I do not have experience  
17 of a specific aspect of the calculational modes to establish  
18 the torsional stresses. However, I don't really consider this  
19 question as related to that. This is in essence an  
20 engineering mechanics question and complex geometries and in  
21 that particular area, I have some 20 years of experience.

22 I have chaired a group for the American Society  
23 of Mechanical Engineers having to do with this aspect of  
24 engineering mechanics and fracture mechanics for the last 13  
25 years.

1 I have a number of papers in the literature  
2 related to the calculations as they relate to pressure vessels  
3 which may or may not be considered complex geometries. I  
4 have a series of papers having to do specifically with large  
5 steam turbines and their failures and failure mechanisms as  
6 they relate to it which I believe to be almost directly  
7 related because we are now talking of large rotating  
8 equipment.

9 These were done both from the deterministic and  
10 probabilistic point of view and are still cited in the  
11 international literature as being related to this.

12 So far as I'm concerned what we have here is we  
13 have a geometry, we have stress concentration factors, and  
14 we have stresses which are primarily in this instance  
15 torsional stresses and bending stresses that relate to the  
16 prediction of fatigue life, high-cycle fatigue life. And  
17 that is the area in which I have my experience.

18 Q Inasmuch as your professional qualifications are  
19 not before the Board and the parties at this time as they  
20 were submitted as part of a proceeding some time ago, would  
21 you relate briefly your educational background?

22 A (Witness Bush) Yes.

23 I have degrees in metallurgical engineering at the  
24 doctorate level -- well, at the bachelor, master's and  
25 doctorate level, and in chemical engineering at the bachelor's

1 level. Much of my work has been in mechanical metallurgy and  
2 in moving over in engineering mechanics.

3 For the last 20 years much of my work has been  
4 more mechanical engineering than it has been metallurgical  
5 engineering. It is kind of a bridge between the two, with  
6 primary emphasis being on the behavior of pressure components  
7 of rotating machines.

8 Q Would you relate briefly your occupational  
9 experience since obtaining those degrees?

10 A (Witness Bush) I have worked at the Hanford  
11 project since 1953, first with General Electric and then for  
12 Battelle Memorial Institute. Several years were in a  
13 managerial capacity, but from 1963 on, I was essentially  
14 serving as a consultant in a variety of areas.

15 In the areas that I think are relevant here, I  
16 spent 12 years on the Advisory Committee on Reactor  
17 Safeguards with my primary responsibility being in the area  
18 of engineering mechanics, fracture mechanics, and  
19 metallurgy of materials.

20 Since then I have consulted for quite a few  
21 companies in the area of engineering mechanics behavior and  
22 fatigue behavior, particularly in crack components,  
23 particularly as either chairman or member of senior review  
24 panels for Lawrence Livermore in probabilistic fracture  
25 mechanics.

1 I have done similar things. I am currently doing  
2 it for EGNG in the response of pressurized components and  
3 also for Oak Ridge at this time in that same area.

4 Q Did you in fact collaborate with Professor Sarsten  
5 in formulating the answer to question 5?

6 A (Witness Bush) Certainly Arthur and I discussed  
7 it. I don't know whether you could call that "collaboration"  
8 or not.

9 Q Can you provide any further detail as to the nature  
10 of your interaction with Professor Sarsten in his preparation  
11 of the answer to question 5?

12 A (Witness Bush) Well, we discussed at some length--  
13 In fact, Arthur was providing me input data for calculations  
14 that appear in other questions, specifically in the tau  
15 values, the sigma sub tau values or the torsional values, and  
16 also he was beginning to do calculations on determining the  
17 bending stresses and the correlation of these as they  
18 interrelated so I would have been able to do vector  
19 summations of these values at specific locations where the  
20 stress concentration factors were highest to determine what  
21 we would expect in the way of high-cycle fatigue.

22 Unfortunately, we were never able to complete all  
23 of those calculations. They do relate specifically to some  
24 of these variations in torques and bending loads that are  
25 cited in here.



1           Q       And is it your testimony that being provided with  
2 the various stresses involved and being aware of the geometry  
3 of the crankshafts as provided to you by the drawings in  
4 this case that the conclusions set forth in answer 5 are the  
5 conclusions which you would reach independently today?

6           A       (Witness Bush) To a general degree, yes. I would  
7 agree completely that analysis per se, unless accompanied by  
8 something that would benchmark it in the sense of an absolute  
9 value, is essential, which is one of the reasons for the  
10 10 to the 7th operating cycles.

11                       And I think we have heard other testimony that  
12 essentially corroborates this particular opinion that you  
13 indeed need to have a bridge between the two. You have to  
14 have some experimental evidence to benchmark your analytic  
15 technique, whatever it may be.

16           Q       Are there any modifications which you would make  
17 to the answer number 5 before electing to sponsor it as your  
18 own?

End 12

19

20

21

22

23

24

1           A.       (Witness Bush) I probably wouldn't have written  
2 it quite the same but I certainly would have  
3 touched on the basic issues namely that you have the problem  
4 of geometry and combined stresses which is the first item,  
5 you have, for the different approaches when you do calculations  
6 you have varying factors of safety which you generally don't  
7 know precisely and therefore you are unable to establish  
8 unequivocally what your margins are and therefore certainly  
9 I would agree that you would fall back then on experimental  
10 evidence which mainly would be to test for a sufficient  
11 number of cycles to be well beyond the inception of the  
12 endurance limit.

13           Q       Thank you, Dr. Bush.

14           MR. GODDARD: I have no further questions with  
15 respect to qualification of the witness.

16           JUDGE BRENNER: Mr. Stroupe, do you have a position  
17 in light of that?

18           MR. STROUPE: Yes. I would like the opportunity  
19 I believe to cross-examine on qualifications and credentials  
20 for that particular answer. What concerns me more than  
21 anything I heard was the fact that I believe Dr. Bush  
22 indicated that Mr. Sarsten was in the process of trying to  
23 furnish him some calculations and in the process of trying  
24 to perform some calculations that he would have used and I  
25 frankly am a little concerned that that's something that

1 has not indeed been done and may go into the formulation of  
2 this answer.

3 JUDGE BRENNER: All right. We could let you begin  
4 your cross-examination at this point, given your position,  
5 and see what else transpires.

6 MR. STROUPE: That's fine.

7 JUDGE BRENNER: Thank you, Mr. Goddard, and we  
8 will go over to Mr. Stroupe at this point.

9 MR. GODDARD: Yes.

10 CROSS-EXAMINATION

11 BY MR. STROUPE:

12 Q Dr. Bush, let me say at the outset -- preface  
13 my questioning to you with the comment that I certainly  
14 have no reason to doubt your analytical abilities and we  
15 know of your expertise in other areas.

16 JUDGE BRENNER: Mr. Stroupe, are we clear that  
17 this will be your total cross-examination --

18 MR. STROUPE: Complete cross-examination, yes.

19 JUDGE BRENNER: Okay.

20 BY MR. STROUPE:

21 Q Dr. Bush, going for a second to the matter of your  
22 qualifications with regard to the sponsorship of answer  
23 five to question five, could you tell me how you would  
24 calculate stress concentration factors in the Shoreham  
25 replacement crankshafts?

1           A.     (Witness Bush) I would look at the geometry and  
2 I would look particularly at the locations -- in other words,  
3 I would look at the size of the radius at a given location,  
4 I would look at the intersection with any other geometric  
5 changes -- an obvious one being an oil hole -- I would then  
6 probably enter the table, such as are provided in some of  
7 the Welding Research Council bulletins, and establish from  
8 that an acceptable stress concentration factor for that  
9 particular location and then use a value such as that for  
10 such a calculation.

11           Q     Would you also perform forced torsional vibratory  
12 calculations?

13           A.     (Witness Bush) The answer to that is definitely  
14 no, that is a very esoteric area and, as I indicated  
15 previously, I do not consider myself to be an expert in the --  
16 actual calculation using multiple modes for such a modal  
17 analyses are not something I would be doing.

18                     I would have to take an input in the sense of  
19 torsional values and bending stresses that are provided in  
20 order to do the engineering mechanics calculation.

21           Q     Dr. Bush, have you indeed performed any stress  
22 concentration calculations for the Shoreham replacement  
23 crankshaft?

24           A.     (Witness Bush) No.

25           Q     And I take it you have not performed any forced

1 vibratory torsional calculations for the Shoreham replacement  
2 crankshafts either?

3 A. (Witness Bush) That certainly is correct.

4 Q. Have you performed any critical speed calculations  
5 with regard to the Shoreham crankshafts?

6 A. (Witness Bush) You're not talking about resonant  
7 effects, of that nature?

8 No, again that falls in the other area that I wouldn't  
9 be predicting. I would take the stress inputs only under  
10 those circumstances.

11 Q. Have you attempted to do any finite element  
12 analysis with regard to the Shoreham replacement crankshafts?

13 A. (Witness Bush) No, I didn't have enough input  
14 to even consider that application. I discussed it as a  
15 possibility and certainly reviewed the finite element  
16 calculations that had been done--recognizing I didn't have  
17 the background information, I simply had the drawings that  
18 were in the Failure Analysis approach, and doing a finite  
19 element calculation without appropriate input is a waste  
20 of time and money and so we didn't even consider it.

21 Q. Now you indicated in response to Mr. Goddard's  
22 questioning that you and Mr. Sarsten had, I believe,  
23 collaborated on the answer to question five, is that correct?

24 A. (Witness Bush) No, I don't think I said that.  
25 I said we discussed it. I think if we went back we would

1 find that I had not said we collaborated.

2 Q Did you actually review any of Mr. Sarsten's  
3 calculations with regard to the Shoreham replacement  
4 crankshafts that are referred to in this answer number five?

5 A (Witness Bush) The answer to that is yes. I have  
6 specifically -- in fact, I have a set right here that we  
7 were working with that covers the torsional stresses as a  
8 series of kilowatt levels that I had specifically requested  
9 starting as low as 2400 kilowatts and going as high as 3900  
10 kilowatts. I was interested in that particular value and,  
11 as I have indicated, I had requested the bending stresses.  
12 Unfortunately we never completed those, though I have obtained  
13 the bending stress values that are available from other  
14 sources for comparison and find that they normally vary by  
15 only 2 or 3 percent over the range of concerns so we were  
16 able to use bending stresses from sources other than these  
17 calculations and make assumptions with regard to the  
18 combining of those with the torsional stresses.

19 Q Did you actually check Mr. Sarsten's calculations  
20 that you referred to?

21 A (Witness Bush) The answer to that is no, that  
22 is a modal analysis and as I indicated I did not consider  
23 myself an expert in modal analysis.

24 Q Dr. Bush, could you tell me on page 10 of your  
25 testimony, and specifically the answer to question number

1 five, what is referred to when the statement is made:

2 "It appears to me that the  
3 analytical evidence alone does not provide  
4 sufficient basis for concluding that the  
5 crankshafts are adequate for the qualified  
6 load of 3300 Kw."

7 A. (Witness Bush) Obviously these are Arthur's words,  
8 not mine. We discussed this and my position tended to be  
9 more optimistic than Professor Sarsten's. Professor Sarsten  
10 was making calculations against which he compared to a  
11 predetermined standard such as DEMA or others and he then  
12 established whether it met, was below or exceeded these  
13 particular values.

14 And in some instances because of this, you might  
15 say, the lack of knowledge about the factors of safety, he  
16 had reservations concerning that.

17 In my case, I approached it differently in that  
18 given that the stresses and given that there is a  
19 reasonable assurance that the stresses are correct, I  
20 believe I could make a calculation.

21 Now the problem obviously goes to the number of  
22 modes that you use and other things, and even though I do  
23 not do modal analyses, I recognize the limitations there  
24 because they are analogous to what is done in seismic  
25 analysis, with which I have some familiarity, and what I

1 think we are seeing here is an expression that he simply  
2 was not able to -- that it was too close to the predetermined  
3 value and without defining the factor of safety we don't  
4 establish exactly what your margins are with regard to 3300  
5 kilowatts.

6 Now I would not have answered it this way for  
7 obvious reasons because I feel there is adequate margin  
8 well above 3300 kilowatts.

9 Q So it would be fair to say that you really do not  
10 support this portion of the answer to question five?

11 A (Witness Bush) Well certainly my testimony elsewhere  
12 would not unequivocally support this statement, you are  
13 correct.

14 Q Dr. Bush, if I may, let me direct you to page four  
15 of your testimony.

16 Specifically let me address you to the last sentence  
17 in the paragraph in the middle of that page that reads:

18 "In our opinion these oscillations during  
19 routine tests will not be detrimental to engine  
20 reliability provided that the indicated mean load  
21 is no higher than 3300 Kw."

22 Am I correct that it would be your  
23 opinion that oscillations during routine testing within a  
24 plus or minus 100 Kw band would not be something that the  
25 Staff would be concerned about?



1 MR. GODDARD: Objection. At this point the Staff  
2 has listened to a number of these questions. It appears to  
3 have gone far beyond Dr. Bush's qualifications with regard  
4 to question and answer five.

5 JUDGE BRENNER: You missed the boat, Mr. Goddard.  
6 We said this would be the entire cross-examination and,  
7 just to make sure, I asked again because I thought maybe  
8 we weren't clear and Mr. Stroupe and I were on the same  
9 wavelength at least.

10 MR. GODDARD: Okay. Perhaps I did miss the boat  
11 and I apologize for the interruption, Mr. Stoupe.

12 JUDGE BRENNER: And Mr. Stroupe or any other party  
13 has the right to come back and to move to strike portions.  
14 Of course, it may become less necessary if the witness himself  
15 strikes portions by his testimony, but we will see what  
16 transpires.

17 All right.

18 WITNESS BUSH: This is really --

19 JUDGE BRENNER: Hold it, there's no question pending  
20 -- at least if there is, I forgot it.

21 I'm sorry for the misunderstanding and maybe I  
22 didn't express it clearly earlier.

23 MR. GODDARD: I think you did. I think I was being  
24 interrupted.

25 JUDGE BRENNER: All right. We've got it now in any

1 event.

2           You're correct, I noticed that you were being  
3 interrupted in that approximate time frame and I should have  
4 been softer in my comment to you. I saw that and forgot  
5 it and undoubtedly that explains it.

6           Mr. Stroupe, is there a question pending?

7           MR. STROUPE: I believe there is but I think I can  
8 restate it, Judge Brenner.

9           JUDGE BRENNER: Dr. Bush probably knew what it was  
10 but I forgot it.

11           MR. STROUPE: Dr. Bush probably has the question  
12 in mind.

13           WITNESS BUSH: I know the question --

14           JUDGE BRENNER: Ask it again for my benefit.

15           BY MR. STROUPE:

16           Q     Dr. Bush, am I correct that the Staff would have no  
17 concern with regard to oscillations within a plus or minus  
18 100 Kw range during routine testing of the Shoreham EDG's?

19           A     (Witness Bush) I cannot speak for the Staff.

20           Q     Let me ask that question of you.

21           A     (Witness Bush) This is not an area that I pursued  
22 particularly. This was an area that Mr. Henriksen pursued  
23 extensively on there and I was very peripheral to it; I know  
24 what went on and I know the conversations with regard to  
25 the what I call instrument behavior or instrument error,

1 but this is not an area I responded to.

2 Q Well Dr. Bush, given the fact that you have indicated  
3 in your testimony that in your opinion the reliability of  
4 the crankshaft has been established at least for 3430 Kw,  
5 does that enable you to say that routine testing within a  
6 plus or minus 100 Kw band at 3300 Kw would be of no concern  
7 to you?

8 A (Witness Bush) I am not concerned from the point  
9 of view of the calculations but I am not going to express  
10 an expertise with regard to the instrument error type of  
11 thing.

12 Can I make the differentiation there?

13 Q Yes, I wish you would.

14 A (Witness Bush) The actual calculations that were  
15 done that established what I would call the variability,  
16 that one doesn't concern me. Then there is an inherent  
17 error that is established by calibration. I am aware of  
18 that calculation but did not participate in it so I cannot  
19 express a first-hand opinion; I know what was done but I  
20 wasn't the one who did it.

21 I accepted on the basis of what was discussed  
22 in a round table essentially how that value was there, I  
23 understand the basis for it and have no problems with it  
24 but I did not generate the information.

25 Q Dr. Bush, your opinion as to the reliability of

1 the crankshaft at 3430 Kw includes accounting for meter  
2 error, does it not?

3 A. (Witness Bush) I think you'll find that my  
4 testimony indicates that in my opinion in specific questions  
5 it's above 3430.

6 Q. Mr. Henriksen, let me direct the same question to  
7 you and ask you if you are concerned with routine testing  
8 within a plus or minus 100 Kw band for the Shoreham EDG's  
9 at 3300 Kw.

10 A. (Witness Henriksen) From an operational point of  
11 view I am not worried at all that it is going to be  
12 detrimental to the engines; it's not necessarily the way I  
13 would test it but it wouldn't worry me.

14 Q. Mr. Sarsten, would you agree with -- I'm sorry,  
15 excuse that.

16 Mr. Henriksen, would you agree that the safety  
17 factor which Dr. Pischinger has calculated pursuant to his  
18 Kritzer-Stahl analysis is well within the bounds of safety  
19 factors generally recognized in the European diesel industry?

20 A. (Witness Henriksen) I'm sorry, but that's a little  
21 outside of my area of expertise.

22 Q. Dr. Bush, are you able to answer that question?

23 A. (Witness Bush) The only information I really  
24 have on the Kritzer-Stahl is when I listened today. I can  
25 understand the endurance limits aspect but I must confess

1 that's only one small part of it so I cannot answer that  
2 question.

3 Q Let me direct your attention, both of you, to  
4 testimony on page 11, specifically item number two on page  
5 11 relating to instrument uncertainties.

6 Are either or both of you aware that there is  
7 testimony in the record that a large portion of the hours  
8 put upon the engine prior to the 525 hour endurance run were  
9 measured on a digital Kw loop that resulted in a meter  
10 accuracy of approximately .6 percent?

11 A (Witness Henriksen) I was not aware of that.

12 A (Witness Bush) The same would apply to me. I  
13 had understood the measurements were made as cited here.

14 Q If that indeed were to be the case, Dr. Bush,  
15 would your calculations contain more conservatism due to  
16 your use of the 2.5 percent error factor?

17 MR. DYNNER: Objection. There is no testimony that  
18 he in fact used a 2.5 percent error factor.

19 JUDGE BRENNER: I guess I have a related problem.  
20 I'm willing to sustain that objection and I will. To  
21 broaden my own problem, I would like specifically to know  
22 what particular calculation of his in his testimony you are  
23 pointing to and then I want to ask him about the  
24 effect of things on, such as that 2.5 percent. That's a little  
25 broader than Mr. Dynner's point but it encompasses it.

1 BY MR. STROUPE:

2 Q Dr. Bush, in calculating the fatigue limits of  
3 the Shoreham replacement crankshaft, did you in fact use a  
4 certain percentage figure for meter error?

5 A (Witness Bush) Yes.

6 Q And what was that figure?

7 A (Witness Bush) We had the problem of not knowing  
8 of the ordering of test -- the item was discussed this morning  
9 -- and so what we did was we set up a whole series of  
10 postulated combinations of loads, namely, that the 3900  
11 occurred first and the 3600-plus occurred second and 3500  
12 and then these values in turn were corrected for the meter  
13 error, the same meter error -- again, because of ignorance  
14 it was assumed to apply -- and then we finally took the 3300  
15 and then we permuted the combinations to see whether it had  
16 an impact on the apparent fatigue life and the endurance  
17 limit.

18 But kind of inherent in this in those calculations  
19 was the fact that we did kind of assume a similar error in  
20 these values and some calculations.

21 It doesn't contribute very much because when you  
22 convert 70 kilowatts to stresses, you are talking of stresses  
23 that are measured in 100 or 2 ksi -- I mean 100 or 2 psi,  
24 I'm sorry, and that's very very small indeed percentage-  
25 wise, so it probably wouldn't have mattered much if we

1 had used it or not.

2 JUDGE BRENNER: Dr. Bush, I got lost a little bit,  
3 could you point me to the results of the calculation in your  
4 testimony that you are talking about?

5 WITNESS BUSH: It isn't in there.

6 JUDGE BRENNER: Okay.

7 MR. DYNNER: I move to strike his answer insofar  
8 as there is nothing in his testimony, apparently, in his  
9 prefiled testimony, that his answer relates to.

10 JUDGE BRENNER: Mr. Stroupe, I'll hear from you  
11 first, you asked the question, and then from the Staff.

12 MR. STROUPE: I frankly thought, until he finished  
13 the answer to that question, that he was indeed referring  
14 to the calculation I asked him about at the outset. Apparently  
15 that's not what he meant as a result of the question that you  
16 asked him.

17 JUDGE BRENNER: I was never clear, and I'm sure  
18 it was my lack, as to what calculation you were asking him  
19 about.

20 MR. STROUPE: I was asking him about his fatigue  
21 limit calculation, I believe that's what I prefaced my  
22 question with. And certainly if that didn't respond to my  
23 question about fatigue limit and is not in the testimony I  
24 think I would have a difficult time opposing a motion to  
25 strike.

1 JUDGE BRENNER: Could you show me where in the  
2 testimony he has the fatigue limit calculation or conclusion  
3 that you are asking him about?

4 MR. STROUPE: Yes. I believe it really goes from  
5 page 13 of his testimony over to approximately -- it really  
6 goes to the end of his testimony on crankshafts on page 23.  
7 All of that I believe is dealing with fatigue life.

8 JUDGE BRENNER: All right.

9 Let me hear from Mr. Goddard and then I want to  
10 consult with my colleagues.

11 MR. GODDARD: It was my impression that Dr. Bush's  
12 answer was referencing question and answer eight on page 12,  
13 which discusses instrument error and its effect upon  
14 calculation of endurance limits. I thought that was the --  
15 also on the last line of page 16 of the Staff testimony.

16 If that is not the basis on which that second  
17 subpoint of answer six was based, then I don't have much  
18 to oppose a motion to strike with either. I assumed that  
19 those were the bases on which Dr. Bush was relying.

20 WITNESS BUSH: Maybe I should clarify. The  
21 specific question, at least as I understood it, had to do  
22 with what I call a specific series of calculations.

23 We conducted the calculation but they are not a  
24 part of the evidence. The conclusions that were derived  
25 from the calculations exist here but not the calculations



1 per se.

2 In other words, we went through a series of  
3 permutations as I cited --

4 JUDGE DRENNER: Which conclusion, Dr. Bush?

5 WITNESS BUSH: That we considered that these crank-  
6 shafts are acceptable for operation under a series of loads  
7 including even some period of time at 3900 with the caveat  
8 that you have to do an inspection thereafter.

9 This, in essence, is based on the fact that we did  
10 do a series of permuted calculations, they all indicated  
11 pretty much the same thing and on that basis we concluded  
12 that there is a margin--an undefinable margin because  
13 they all came out the same way--and therefore pretty much  
14 convinced ourselves that these shafts were good for operations  
15 under the conditions that are cited in these pages.

16 That's not the same thing as having all the  
17 calculations.

18 JUDGE BRENNER: Give me a few moments, please.

19 (The Board conferring.)

endAGB14

20

21

22

23

24

25

1 JUDGE BRENNER: We are going to strike the answer  
2 of Dr. Bush to Mr. Stroupe's question as well as his further  
3 explanation, not because the subject matter is prohibited but  
4 because the connection is just too vague for us at this point,  
5 and we think anyone else, to get a careful handle on,  
6 particularly given the fact that he's talking about calculations  
7 he did that are not described in the record. We understand  
8 he claims his conclusions are here.

9 The way to get at it is for the questioner to be  
10 very specific, and I know you started out with a specific  
11 point, Mr. Stroupe, and did not anticipate that the answer  
12 would get as vague and broad as it did. But both the  
13 questioner and the witnesses are going to have to take it one  
14 small step at a time.

15 The parties may still cross-examine these witnesses  
16 as to the bases for their conclusions in the testimony, and  
17 the witnesses can tell us what their bases are, and if they  
18 are calculations, that's fine, and we'll accept that information.  
19 But they are going to have to be very specific as to what  
20 conclusion in the testimony is being supported in what fashion  
21 by the information being offered in support.

22 And of course it becomes more difficult and  
23 therefore more incumbent upon the questioner and witness to  
24 be specific when it is not spelled out in the written  
25 testimony.

1                   So those are our reasons for granting it, not  
2 simply because the calculations are not in the testimony.  
3 That by itself would not be a basis for granting it.

4                   And it is our hope with that that to the extent you  
5 want to you are free to back up and pursue that point or  
6 any other point, Mr. Stroupe. And the other parties in turn  
7 will be able to, also.

8                   MR. STROUPE: Thank you, Judge Brenner.

9                   BY MR. STROUPE:

10                  Q     Dr. Bush, let me direct you to page 16 of your  
11 testimony, and the last paragraph on that page.

12                   Do you see that?

13                  A     (Witness Bush) Yes.

14                  Q     Based on that paragraph, Dr. Bush, isn't it true  
15 that in calculating the high-cycle fatigue limit, setting a  
16 lower bound of 3430 kw in this paragraph, you relied on and  
17 assumed an instrument error of plus or minus 70 kw which is  
18 2-1/2 percent?

19                  A     (Witness Bush) Minus....

20                  Q     Is that true?

21                  A     (Witness Bush) No, --

22                  Q     Minus 70 --

23                  A     (Witness Bush) -- one direction only.

24                  Q     If you had used a minus .6 percent error factor in  
25 this calculation, would the 3430 lower bound kw have changed?

1           A           (Witness Bush) I guess I would have to say off the  
2 top of my head the answer probably is Yes. But I am trying  
3 to mentally do a calculation on what it is--

4           Q           Let me just ask you in a ballpark fashion,  
5 Dr. Bush, would the lower bound of 3430 that you determined  
6 have increased as a result of using that assumed instrument  
7 error?

8           A           (Witness Bush) My problem is I am trying to  
9 reconstruct the 3430 that was an error of 70 and the 3500  
10 there and get up with the percent, and that is what I haven't  
11 been able to do.

12                       (Pause.)

13                       .6 percent obviously would be less than the 2 .  
14 percent.

15           Q           So the 3430 figure would correspondingly increase  
16 by some percentage?

17           A           (Witness Bush) Yes. Let's see.

18                       One percent would be 35. .6. So it would be  
19 around 20, roughly 20 kilowatts lower, rather than 70.

20                       JUDGE BRENNER: Could I get a clarification?

21                       I am looking at page 16 of your testimony, and on  
22 that last line it says:

23                               "Based on an assumed instrument error  
24 of plus or minus 70 kw...."

25                       Now did your oral testimony correct that to be only

1 one direction? Is that what you are saying?

2 WITNESS BUSH: I believe that that should not be  
3 written that way. Isn't that correct?

4 Adam actually did the calculations but I believe  
5 we found by looking at the actual calibration curves, which  
6 is what we used there-- Now I confess that the digital  
7 values, the first time I heard that was today.

8 JUDGE BRENNER: You have said that already.

9 WITNESS BUSH: So that would really be a minus 70  
10 kw, I think would be correct.

11 WITNESS HENRIKSEN: That's correct. I used the  
12 actual calibration values.

13 JUDGE BRENNER: All right.

14 One direction; you are saying minus. That confuses  
15 me, too.

16 WITNESS HENRIKSEN: 3500 minus 70.

17 I took the calibration value of that 40 kw plus  
18 I assume a quarter percent or a half percent in the rest of  
19 the loop where we had no information.

20 JUDGE BRENNER: I guess it is just semantics. The  
21 instrument error would be an instrument error plus 70 kw  
22 because it would have read higher than the actual load and  
23 to adjust for the possible positive instrument error, you then  
24 subtract. Is that it?

25 WITNESS HENRIKSEN: Correct.

1 JUDGE BRENNER: Okay.

2 I'm sorry, I was confused, Mr. Stroupe.

3 BY MR. STROUPE:

4 Q Dr. Bush, again directing you to your testimony  
5 on page 16 wherein you say:

6 "A conservative view is to assume that  
7 the beginning of the high-cycle fatigue limit is  
8 less than  $3 \times 10$  to the 6th cycles."

9 Can you tell me why that is a conservative view?

10 A (Witness Bush) If it were substantially less than  
11  $3 \times 10$  to the 6th the intersection with the endurance  
12 limit would be moved, shifted to the left, and therefore,  
13 any calculations that you do would tend to be accentuated with  
14 regard to the ratios of the number of cycles to the number  
15 of cycles to failure.

16 In other words, you would have a ratio. This is  
17 the same thing that Dr. Pischinger was discussing this morning.

18  
19 Q Going over to page 17, Dr. Bush, could you tell me  
20 what you mean by the statement:

21 "A significant message from this data  
22 is that the onset of the fatigue limit is close to  
23  $1 \times 10$  to the 6th cycles, regardless of the  
24 ferritic alloy, heat treatment, or surface hardening  
25 treatment."

1           A       (Witness Bush) Yes, that helps, in my opinion.  
2 If you look at a set of data where you vary the material,  
3 namely the chemical calculation, and where you vary the surface  
4 condition and the heat treatment and they all give you about  
5 the same value with regard to the onset of the endurance  
6 limit, it says that with a reasonable degree of confidence  
7 you can benchmark that onset and therefore, your calculations  
8 that you make are not going to vary markedly because of that.  
9 That's the basic reason for it.

10                   Otherwise the slope of the line from the ultimate  
11 tensile strength to the intersection with the endurance limit  
12 line can vary markedly and therefore, your calculations will  
13 vary equally markedly. So I was simply using that to indicate  
14 that the use of 10 to the 6th is a reasonable one in the  
15 absence of absolute values obtained on that specific material.

16           Q       Dr. Bush, on page 13 of your testimony you talk  
17 about loads that may result from operator error during the  
18 first hour of a LOOP/LOCA event, taken as 3800 to 3900 kw  
19 for times of 40 to 60 minutes.

20                   Is that correct?

21           A       (Witness Bush) I thought something got crossed  
22 out on the minutes, but initially-- That's true. That was  
23 the statement that was made.

24                   What we were doing was looking at some of the Staff  
25 testimony and some of the other testimony that was introduced

1 where operator error would be a factor, and so we tended to  
2 bound it by the maximum rack position and the assumption that  
3 it would go undetected for that period of time.

4 Q Now you say that you thought that some of the  
5 minutes were eliminated? Is that correct? What did you mean  
6 by that?

7 A (Witness Bush) Well, on my copy it's crossed out  
8 and I'm trying to think of that. But that doesn't make it the  
9 official copy. And so presumably this must have come up but  
10 it must have never been transferred and so I would consider  
11 that what I have here is not valid, and that the 40 to 60  
12 still applies.

13 Q Is it still your testimony, Dr. Bush, that the  
14 Shoreham replacement crankshafts can sustain loads between  
15 3800 and 3900 kw for times up to 40 to 60 minutes?

16 A (Witness Bush) Yes.

17 Q If indeed these figures of 3800 to 3900 kw assuming  
18 operator error in a LOOP/LOCA were not the correct figures  
19 and the correct maximum figure was 3583.5 kw, would that add  
20 even more conservatism to your opinion with regard to this  
21 category of loads?

22 A (Witness Bush) Probably yes, since the stress is  
23 directly related to the kilowatt values even though the change  
24 between, say, 3600 and 3800 isn't that marked in stresses.

25 I believe you recognize that I have a caveat with



1 regard to this. And any time a crankshaft would operate for  
2 this period of time, I would, as indicated, expect an extensive  
3 examination of same afterward.

4 Q And when you say "for this period of time," are  
5 you referring to the period of 40 to 60 minutes?

6 A (Witness Bush) Yes.

7 Q Would I be correct then, Dr. Bush, in inferring  
8 that if the period were less than 40 to 60 minutes that you  
9 wouldn't have any concern for this sort of exam?

10 A (Witness Bush) No. You are correct in that  
11 assumption. I would have less concern because the number of  
12 cycles are reduced as a function of the time.

13 (Counsel conferring.)

14 JUDGE BRENNER: Dr. Bush, maybe I didn't understand  
15 your answer, or only part of it.

16 Did you say that any time the crankshaft operated  
17 for 40 to 60 minutes, that approximate timeframe, you would  
18 recommend a complete examination of it?

19 WITNESS BUSH: At 38 to 39 hundred kilowatts. In  
20 other words, this is not an expected condition of operation.  
21 It should occur only during a LOOP or LOOP/LOCA. In fact, it  
22 isn't even expected in there because it is strictly an output  
23 of operator error.

24 I think it would be the prudent thing under those  
25 circumstances to reexamine such a crankshaft, both volumetrically

1 and by surface techniques.

2 JUDGE BRENNER: Is that a studied minimum load on  
3 your part before you would trigger the prudence of such an  
4 examination in your mind?

5 WITNESS BUSH: I guess any time that one had an  
6 operator error that was observed and it was definitely above  
7 the anticipated conditions, I think it would be a prudent  
8 condition because a control room during an accident condition  
9 is, under most circumstances, not the-- It is subject to  
10 considerable variation; there are perturbations in there.

11 I would never know whether to trust the values  
12 that were cited under those circumstances, so I think it  
13 would simply be a prudent thing, if you had a LOOP or a  
14 LOOP/LOCA and you had operated and there was definite evidence  
15 that you had markedly exceeded the kilowatt values for a  
16 period of many, many minutes -- I am not talking about a half  
17 a minute or something, but for 40 to 60 minutes, then it would  
18 seem to me it would be a prudent thing to do.

19 Now that's a personal opinion on my part. I am not  
20 expressing a general position.

21 JUDGE BRENNER: Thank you.

22 Mr. Stroupe.

23 BY MR. STROUPE:

24 Q Dr. Bush, let me see if I understand this.

25 Would I be correct that your advocacy of examination

1 of the crankshaft would be where it has sustained a load of  
2 between 38 to 39 hundred kw for a period of 40 to 60 minutes?

End 15

3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1           A           (Witness Bush) That's correct.

2           Q           Would I be correct in assuming that if the load  
3 that the crankshaft had to sustain for 40 to 60 minutes was  
4 not as high as 3800 kw that you wouldn't advocate this kind  
5 of examination or inspection?

6           A           (Witness Bush) If it were around 3450 to 3500,  
7 in that range, I probably would be somewhat more relaxed, on  
8 the basis of the testing; that's true. It's kind of a subtle  
9 line. The biggest problem there would be to establish  
10 unequivocally that it had not, indeed, exceeded that value  
11 for that period of time, which would mean one would need  
12 digital meters or something. You couldn't base it on  
13 hearsay evidence, I guess would be the problem.

14          Q           Mr. Henricksen, am I correct that it is your  
15 testimony that, in your opinion, the Shoreham replacement  
16 crankshafts can, indeed, reliably handle the loads that  
17 have been postulated in the Staff's testimony that they might  
18 be subjected to?

19                   MR. DYNNER: Objection. I think that the question  
20 is too broad and vague. I don't know what loads he's talking  
21 about. There are a number of loads in the Staff's testimony  
22 that are referred to, and there are different qualifications  
23 and conditions put on the Staff's testimony as to those  
24 particular loads. So I think the question is vague and  
25 incomprehensible.

1 MR. STROUPE: I'm talking specifically to those  
2 loads set out on page 13, with the exception of the load in  
3 Category 1 being reserved for later cross-examination.

4 JUDGE BRENNER: All right. With that clarification,  
5 the objection is overruled.

6 MR. DYNNER: I am going to renew the objection,  
7 because I think then it is a multiple question. If he wants  
8 to ask them one at a time, that's fine. But I think it is --  
9 there are five different loads. He's asking the witness to  
10 respond to five different questions.

11 JUDGE BRENNER: He doesn't have to ask it one at a  
12 time. He can attempt to see if there is some general principle  
13 that would encompass it all; and, depending upon the witness'  
14 answer, he may have to proceed further or differently.

15 JUDGE MORRIS: Mr. Stroupe, may I interrupt for a  
16 moment?

17 MR. STROUPE: Certainly.

18 JUDGE MORRIS: On page 13, these numbered  
19 paragraphs refer to loads in several categories. It seems to  
20 me you're asking the witnesses if they agree that the  
21 crankshafts can withstand a certain loading pattern. I suggest,  
22 maybe, that you look at page 22, where a specific load  
23 sequence is laid out and ask your question about that, if  
24 you feel that's appropriate.

25 MR. STROUPE: Judge Morris, the only problem I have

1 with that is we don't believe that's an accurate analysis of  
2 the load, in view of the testimony that has been taken in  
3 this proceeding; and I think, perhaps, the loads that are set  
4 forth on page 13 may, indeed, be more detailed than the table  
5 that is set forth from the FSAR here on page 22.

6 JUDGE MORRIS: You think they are more restrictive?

7 MR. STROUPE: I'm not sure they are more  
8 restrictive. I'm not sure about that.

9 JUDGE MORRIS: Well, that possibility occurred to  
10 me, which is why I raised it.

11 MR. STROUPE: We can certainly ask the question  
12 for both of those. I can certainly get the answer to that  
13 question if I can get the answer to this question to start  
14 with.

15 WITNESS HENRICKSEN: Could you repeat the question,  
16 please?

17 BY MR. STROUPE:

18 Q Mr. Henricksen, with regard to the loads that are  
19 set forth on page 13 of your testimony, with the exception of  
20 the load in Category 1, is it your opinion that Shoreham  
21 replacement crankshafts can adequately maintain those loads?

22 MR. DYNNER: Objection. Again, I'm not trying to  
23 delay anything, but it is a vague question. Maintain those  
24 loads for how long under what conditions? I think it is a  
25 very vague and ambiguous question.

1 MR. STROUPE: The conditions are stated in the  
2 categories.

3 JUDGE BRENNER: That's what I was going to say.  
4 Let's get the answer and find out where it goes. If we end  
5 up with a problem, in fact, because of the different  
6 categories of the loads, we can deal with it if the answer  
7 indicates that.

8 Mr. Henricksen?

9 WITNESS HENRICKSEN: Based on my knowledge of the  
10 subject -- which, I will be the first to admit, does not  
11 qualify me as an expert -- I would have no qualms about No. 2,  
12 3 and 5. Number 4 I have no opinion on.

13 BY MR. STROUPE:

14 Q Dr. Bush, let me ask the same question of you with  
15 regard to loads set forth as 2, 3, 4 and 5 on page 13.

16 A (Witness Bush) I have no particular problem with  
17 them, since I was the one that did the followup calculations  
18 on them.

19 Q And, Dr. Bush, I will ask you: would you have no  
20 particular problem with regard to those loads set forth on  
21 page 22 of your testimony?

22 A (Witness Bush) No. Those are substantially less  
23 restrictive than the loads on page 13.

24 MR. STROUPE: Judge Brenner, that's all the  
25 questions I have at this time.

1 JUDGE BRENNER: Mr. Dynner, give us one minute.

2 (The Board conferring.)

3 JUDGE BRENNER: We are going to let you proceed  
4 with your cross-examination momentarily, Mr. Dynner. I  
5 want to alert the Staff now that, based on some of the  
6 testimony we have had from the witnesses, we have a concern  
7 that the witnesses and the Staff may not fully appreciate  
8 the significance of these witnesses, under oath, saying that  
9 they are adopting the testimony there as their own, including  
10 every sentence that may occur in an answer where the  
11 testimony was previously jointly sponsored by Professor  
12 Sarsten along with one or more of the present witnesses.

13 . . . And I won't ask you what has occurred up to this  
14 point. But what we want to occur between now and tomorrow  
15 morning, in the overnight recess, is for the Staff, with  
16 these witnesses, to rigorously go through every sentence of  
17 this testimony -- it should have been done before now; maybe  
18 it was -- and make sure it has been accomplished to your  
19 satisfaction -- if not by now, then tonight -- and come back  
20 in the morning and let us know whether there is any part of  
21 this testimony that does not have a sponsoring witness present  
22 on this panel. And we'll find out what the situation is.

23 There are questions about torsional stress  
24 calculations that the Board -- at least I might have wanted  
25 to ask if Professor Sarsten had been here. Of course, we



1 have already, with sadness, noted that he is not here.

2 If you will not consider it a breach of confidence,  
3 Mr. Stroupe -- I don't think you would, so I'll go ahead and  
4 just state generally that LILCO also had some questions in  
5 its cross plan going to that subject which it has elected  
6 not to ask. I don't know precisely why not, but I'm guessing  
7 that the reasons may be similar to the fact that I am not  
8 going to ask questions on that subject that I might have  
9 asked.

10 And yet, nevertheless, there are arguably still  
11 some sentences remaining in the testimony that bears on the  
12 subject of torsional stress calculations. That may be okay,  
13 and maybe Dr. Bush and Mr. Henricksen can, together, still  
14 sponsor testimony that overlaps with the subject. But I  
15 want you to go through it as we have asked, and let us know  
16 tomorrow morning.

17 Of course, the cross-examiners, through their  
18 cross-examination, will uncover evidence going to the weight  
19 the testimony, and we will have that to consider. But beyond  
20 that, as an added check, we would like the Staff to reliably  
21 inform us also in the event there are things the cross-  
22 examiners did not ask about that the Staff, on reflection,  
23 should call to our attention.

24 MR. STROUPE: Judge Brenner, I just would like to  
25 state that I would like to preserve my right to renew my

1 motion to strike, particularly with reference to some of the  
2 aspects of the answer to Question No. 5, because I believe  
3 some of the answers that came out reflect that some of that  
4 information may, indeed, not be capable of being sponsored by  
5 Dr. Bush.

6 JUDGE BRENNER: All right. Let's come back to it  
7 at the end of the day, if that would be acceptable to you,  
8 Mr. Stroupe.

9 MR. STROUPE: That's fine, Judge Brenner.

10 JUDGE BRENNER: And please remind me to do it.  
11 Consider whether the testimony has solved your problem or not;  
12 and then you may want to do something procedurally beyond  
13 that, and we'll then give you that opportunity.

14 Mr. Dynner, we can proceed with your cross at this  
15 time.

16 MR. DYNNER: Yes. Can we take our afternoon  
17 break now, Judge?

18 JUDGE BRENNER: Okay. Do you think you might  
19 finish with these witnesses today?

20 MR. DYNNER: I hope.

21 JUDGE BRENNER: One of these days I'm going to  
22 learn how to pin you down better, because all you leave me  
23 left to point back to is your hope. But I will accept that  
24 for now.

25 Let's take a 15-minute recess until 3:45.

(Recess.)

#17 WRB/wbl 1

MR. GODDARD: Judge Brenner, the Staff has one  
2 brief preliminary announcement.

3 There are a number of matters that have come up  
4 regarding the quantification of the loads which were furnished  
5 to these witnesses, and I think also involving the blocks,  
6 especially the cam gallery settlement. I just wanted to make  
7 it clear to the Licensing Board, after your earlier admonition,  
8 at the earliest time, that Dr. Berlinger will be empaneled  
9 with these two witnesses when we get to the subject of the  
10 blocks

11 JUDGE BRENNER: Okay.

12 I don't know what you mean by questions as to  
13 quantification of loads. However, you can make your motion  
14 at the time you want to put him on the panel, and we might  
15 not permit him to testify, given our view of whether or not  
16 he has direct testimony.

17 MR. GODDARD: I understand.

18 JUDGE BRENNER: So part of putting him on that  
19 panel, you point to what substantive testimony he has  
20 prefiled.

21 MR. GODDARD: There is one page of prefiled  
22 testimony which we'll introduce at that time.

23 JUDGE BRENNER: Yes; with emphasis on "substantive."

24 MR. GODDARD: I understand.

25 JUDGE BRENNER: Mr. Goddard, just to make sure,

wb2

1 because the Staff filed new testimony later in the proceeding,  
 2 as you might recall, than the original filing date, if at  
 3 the end of the day you can give me a copy of that one page  
 4 that you now plan to say is Dr. Berlinger's testimony, I can  
 5 make sure we are focussed on the same thing, and read it  
 6 tonight.

7 MR. GODDARD: The Staff will do that.

8 JUDGE BRENNER: All right. Thank you.

9 CROSS-EXAMINATION  
 Mr. Dynner.

10 BY MR. DYNNER:

11 Q Dr. Bush, would you please turn to page 10,  
 12 Answer 5, which you are, as I understand, adopting as your  
 13 testimony now?

14 A. (Witness Bush) Yes, sir.

15 MR. STROUPE: I'm going to object to that because  
 16 I think it is a mischaracterization. I think Dr. Bush  
 17 indicated specifically with regard to one statement in there  
 18 that he would not say that.

19 JUDGE BRENNER: All right; let's just proceed based  
 20 on the prior record.

21 It is certainly what he said at one point in time,  
 22 and we've got further testimony in response to your questions,  
 23 Mr. Stroupe. And we're aware of that testimony also. And I  
 24 guess I would go so far as to agree with you that that  
 25 characterization is no longer accurate -- Mr. Dynner's

wb3

1 characterization is no longer accurate. But he is just  
2 leading up to where he is going, and now he's going to get  
3 there.

4 BY MR. DYNNER:

5 Q Dr. Bush, do you adopt the first sentence of  
6 Answer 5 as your testimony?

7 A (Witness Bush) Yes.

8 Q What do you mean by the word "uncertainties?"

9 A (Witness Bush) An obvious example, when you have  
10 a geometry like this one can use various techniques and come  
11 with a variety of values for stress concentration factors.  
12 Geometry per se may vary; in other words, the actual versus  
13 the drawing values differ, which would introduce either a  
14 more relaxed or a more restrictive value on such things as  
15 stress concentration factors.

16 The business of the way you combine the stresses  
17 is a factor, a significant factor. To handle it correctly  
18 you have to use a vector addition technique, taking into account  
19 the fact that one may be leading or lagging the other one.

20 So all of these can lead to what I call -- I  
21 wouldn't call them errors necessarily, but certainly variations  
22 in the values which you might obtain under these circumstances.

23 Q What are the crankshaft calculations that you are  
24 referring to in that first sentence?

25 A (Witness Bush) The ones I just referred to would

wb4

1 tend to have to do with what I would call the probable life  
2 of the crankshaft; in other words, the cycles, the cumulative  
3 cycles, things of that nature.

4 Obviously, another aspect of it would have to do  
5 with the actual modal analyses which can be dependent on these  
6 factors, too. And as I had indicated earlier, that is an  
7 area I am disavowing any expertise in.

8 Q Do you mean to include in the term "crankshaft  
9 calculations" the torsional vibration calculations?

10 A (Witness Bush) That would certainly be the basis.  
11 As I say, I wouldn't do such calculations, but I could take  
12 the outputs therefrom. But that would probably be inherent  
13 in there. And, as I say, that's the one I disavowed myself  
14 from, the modal calculations.

15 Q Let me clarify. I'm not asking you now what you  
16 have performed or can perform, I'm only asking you: in that  
17 particular sentence what you mean by the term "crankshaft  
18 calculations."

19 Did you mean to include--

20 A (Witness Bush) I cannot answer that specific one  
21 specifically.

22 Q You don't know what you meant by the term  
23 "crankshaft calculations?"

24 A (Witness Bush) Well, I didn't put down the specific  
25 words. I guess that's the case, yes.

wb5

1 Q But you're--

2 A (Witness Bush) My interpretation of what I would  
3 have said is not necessarily what is there. What I have  
4 expressed is my interpretation to date.

5 Q What I'm trying to get at, and the reason I asked  
6 the question, do you adopt the first sentence as your own  
7 testimony necessarily means do you adopt that sentence and  
8 every word in that sentence as if you had written that rather  
9 than Professor Sarsten?

10 Maybe you'd like to, with that clarification,  
11 answer that question; again, Do you adopt the first sentence  
12 as your own testimony? And please take the time to read it  
13 again.

14 A (Witness Bush) I would say, interpreted in that  
15 fashion, the answer is I could not do it. The way I interpret  
16 it I could, but not in that fashion, no.

17 Q I don't understand the answer. Perhaps you could  
18 explain to me--

19 A (Witness Bush) I would disavow the ability to do  
20 it word-for-word.

21 JUDGE BRENNER: Dr. Bush, you have got to let the  
22 questioner ask the question. Even if you are correct in  
23 guessing what the end is, we won't have it on the record.

24 Mr. Dynner, go ahead.

25 MR. DYNNER: All right.

wb6

1 BY MR. DYNNER:

2 Q As I understand what you said, it is that you cannot  
3 adopt the first sentence word-for-word; is that correct?

4 A (Witness Bush) If it is interpreted in the  
5 fashion it has been, the answer is I cannot adopt it  
6 word-for-word.

7 Q Well, let me ask you this:

8 Can you restate the first sentence in a way in which  
9 you would be comfortable, stating that?

10 MR. STROUPE: I'm going to object to that question  
11 because that is the creation of testimony on the spot, which  
12 doesn't, I don't believe, give the kind of notice that these  
13 proceedings require.

14 JUDGE BRENNER: Your objection is possibly  
15 premature, Mr. Stroupe. Let's see what he says.

16 In the pure sense, cross-examination always  
17 creates new evidence, new testimony, except when it's  
18 redundant, which at times it is in these hearings.

19 You know, if it's some startlingly new information  
20 you might have problems of notice, and so on, and we'll hear  
21 from you. But if it's just an explanation, but in line with  
22 something in the answer, that would be something else. And  
23 maybe there are other possible variations.

24 I don't understand most of his answers so far to  
25 Mr. Dynner either. He says "depending on if that's the way



wb7

1 it's being interpreted." I don't know what's being interpreted  
2 in what way. And I think Dr. Bush may be wrongly projecting  
3 inferences of interpretations based on questions asked by a  
4 questioner. But, in any event, we'll allow him to ask that  
5 question, and we'll see where it goes.

6 Do you recall the question, Dr. Bush?

7 WITNESS BUSH: Yes, I recall the question.

8 Let me give it a try, and I'm trying to assert the  
9 fine line between what I call the actual calculational process  
10 and the utilization of the data: that's where I'm getting  
11 into difficulty.

12 Several factors can influence the calculational  
13 results in the calculation of crankshaft stresses. The  
14 geometry of the crankshaft -- the complex geometry of the  
15 crankshaft is a specific instance. The variation in the  
16 stresses, both torsional and bending, as a function of the  
17 position around the crankshaft are other examples, all of  
18 which can lead to substantial uncertainties and output  
19 results.

20 BY MR. DYNNER:

21 Q Am I correct, then, that what you are saying means,  
22 in part, that, for example, the complex geometry of a  
23 crankshaft can have an impact on the life of the crankshaft?

24 A (Witness Bush) I guess the simplest way to answer  
25 that is yes, it can.

wb8

1 For example, the fillet configuration, things of  
2 that nature, obviously have an impact. It's true of most  
3 rotating machinery.

4 Q And by the same token, the torsional stress  
5 characteristics of the crankshaft also have an impact on the  
6 life of the crankshaft; isn't that right?

7 A (Witness Bush) That's correct. If they're suffi-  
8 ciently high in a particular location that has a high stress  
9 concentration factor at or below the surface, then they  
10 certainly will have an impact on the failure of the crankshaft.

11 Q And is it also, then, your testimony that the  
12 bending stresses could also have an impact on the life of the  
13 crankshaft?

14 A (Witness Bush) That's true.

15 Q And is it fair to say that although you are not an  
16 expert in designing crankshafts or in performing torsional  
17 stress calculations, or bending stress calculations, that  
18 nevertheless you know enough about those areas to know that  
19 they do in fact have an impact on the crankshaft life?

20 A (Witness Bush) That's correct.

21 Q And is it your testimony that given the complexity  
22 and difficulties in interpreting crankshaft geometry,  
23 torsional stresses and bending stresses, that there are  
24 uncertainties which require a large factor of safety in order  
25 to be assured that the crankshaft's life would be sufficient

wb9

1 for its purpose?

2 A. (Witness Bush) I would say generally that's the  
3 case.

4 One of the reasons for a factor of safety is the  
5 uncertainty. There are other reasons for a factor of  
6 safety, but that certainly is one.

7 Q. And what are some of the other reasons for the  
8 requirement for the safety factor?

9 A. (Witness Bush) Really, you don't want to be  
10 surprised, quite frankly. And I'm not being facetious.

11 Obviously, in many components we use factors of  
12 safety of 2 to 2.5. As our knowledge increases we reduce  
13 these factors of safety, and typically in many components now  
14 we are using factors ranging from 1.25 to 1.5. That's a  
15 function of both experimental evidence and of improved  
16 analytic techniques.

17 You recognize, I'm making this as a generalized  
18 statement, and it applies to many components, and I am not  
19 trying to relate it explicitly and specifically to a  
20 crankshaft.

End 17

21

22

23

24

25

1 Q Does that statement, in fact, relate specifically  
2 to crankshafts as well as to other large rotating  
3 machinery?

4 A (Witness Bush) In a general sense it applies,  
5 yes.

6 Q And that would include the crankshafts at Shoreham,  
7 right?

8 MR. STROUPE: I'm going to object at this point,  
9 Judge Brenner, and renew my motion to strike this portion of  
10 the testimony on the basis that the witness has already  
11 testified that he does not do torsional calculations. I  
12 don't see how he can testify in response to Mr. Dynner's  
13 questions about these various uncertainties if, indeed, he  
14 does not do them.

15 JUDGE BRENNER: Mr. Dynner?

16 MR. DYNNER: Yes. I think there is a long history  
17 of evidence and case citations in our proceedings which  
18 demonstrates that for a witness to have the requisite  
19 experience, knowledge, training and expertise to understand  
20 the application of a calculation or a process, then it is not  
21 necessary that he know how to actually do the process himself.  
22 And, therefore, I think that the --

23 JUDGE BRENNER: He said he wasn't an expert in  
24 the process, didn't he?

25 MR. DYNNER: But that certainly is not the

1 testimony I heard him give. In fact, I specifically asked him  
2 that, notwithstanding the fact that he didn't know how to  
3 actually perform these, does he know enough in order to  
4 determine whether or not they are important to crankshaft  
5 life. And I think he answered, "Definitely yes."

6 I think that distinction has been made in his  
7 testimony.

8 JUDGE BRENNER: Let me hear from the Staff.

9 MR. BORDENICK: Mr. Goddard had to step out  
10 temporarily. I'll try to --

11 JUDGE BRENNER: How can you handle an issue that  
12 we've had extensive discussion on previously, involving him?  
13 I'm not even sure, in fairness to you, that you were in the  
14 room for some of it.

15 MR. BORDENICK: You're correct. That's a good  
16 question. If I could have just a moment, though, I'll attempt  
17 to --

18 JUDGE BRENNER: All right. You take a moment. I'll  
19 talk to the Board during that same moment. And then I want  
20 to address a broader subject, off the record.

21 (The Board conferring.)

22 JUDGE BRENNER: All right. Let's take care of the  
23 motion first.

24 We are going to strike Answer 5 from the testimony.  
25 We find, based on what we have heard so far, now that we have

1 a better understanding of what the source of that information  
2 is and what Dr. Bush can tell us about it, that we can give it  
3 no weight, literally no weight, and therefore that leads to  
4 the conclusion to strike it.

5 To be sure, Dr. Bush has some general knowledge  
6 through years of laudable experience and education in the  
7 general field of doing metallurgy and working generally with  
8 rotating shafts, as he said, in pressure vessels and so on.  
9 But the important thing before us gets into a very  
10 particular field of the particular effect of the torsional  
11 vibration calculations that Professor Sarsten apparently had  
12 in mind in writing this sentence. I am inferring that he  
13 actually performed some, although we don't see it in the  
14 testimony. And the things of importance that this paragraph  
15 would lead to would be what factor of safety would be  
16 appropriate in light of what particular torsional calculation,  
17 using what particular methodology -- very much the exact  
18 process we went through in great detail earlier.

19 We had testimony from expert witnesses that the  
20 factor of safety that would be appropriate depended on how  
21 the calculations were drawn. And that's the reason we can  
22 give it no weight.

23 You know, as a generalization it might have been  
24 acceptable for Dr. Bush to be able to accept the generalization,  
25 and that's probably where we are in our own mind after Mr.

1 Goddard finished asking him the questions he did, which  
2 helped. But then, on reflection, we realized that  
3 generalization does us no good. It's only useful when the  
4 specifics are probed. And Mr. Dynner is trying to probe those  
5 specifics, and we certainly welcomed that opportunity. But  
6 that led to the realization as to where we have ended up, as  
7 I have just described it.

8 For that reason, we are striking it.

9 There has been testimony stemming from it, and we  
10 certainly cannot go back and point out, line by line, as to  
11 what is struck of that in oral testimony. But we don't have  
12 to do that. Anything that stemmed from this we are not going  
13 to rely on, and it should not be relied on in proposed  
14 findings. We are truly sorry that we can't take it further.  
15 I have already indicated that LILCO maybe had some questions  
16 that they believed supported their point of view on torsional  
17 calculations. I think the County, on its part, had an  
18 approach that it thought would support its point of view. We  
19 had questions in mind, just to find out what the sensitivities  
20 were to support some of these conclusions as to short-time  
21 operation at certain load levels, given the record we already  
22 had at 3500 and on the load levels earlier, and the record we  
23 have at other load levels here.

24 That record still exists. And I was going to make  
25 this point when when we talked about findings, but as long as

1 I have alluded to it, permit me to digress slightly and make  
2 the point now.

3 In writing the proposed findings as to the  
4 acceptability or lack of acceptability of the crankshaft and  
5 the proposed operation of the qualified load concept, including  
6 uncertainties in that load and including possible intermittent  
7 or short-time operation at loads over 3300 kw, where there  
8 is evidence in the earlier record that parties believe should  
9 be used to support their positions one way or the other --  
10 that is, the divergent positions of the parties -- that record  
11 should be pointed out in the context of the proposed findings  
12 here. Do not depend on our ability to go back and look at  
13 the proposed findings we already have to pull them out. We  
14 may feel free to do that, but don't depend on our ability to  
15 do it without your help in the next set of proposed findings  
16 because the context is different, even if the evidence is the  
17 same being relied upon.

18 You may recognize that point as something you,  
19 yourself, raised, Mr. Dynner, when we granted the motion to  
20 reppen. I thought it was a good point. At that time, I had  
21 not been prepared to address it. But what I said then is that  
22 we wouldn't preclude it. We have given it thought since you  
23 first raised it and have come to the conclusion I have just  
24 indicated.

25 All right. That's the ruling on the motion to



1 strike.

2 Off the record.

3 (Discussion off the record.)

4 JUDGE BRENNER: On the record.

5 All right. We will return to the continuation  
6 of your cross-examination, Mr. Dynner.

7 BY MR. DYNNER:

8 Q Mr. Henricksen, would you look at page 11, Answer 7  
9 of your testimony?

10 A (Witness Henricksen) Yes.

11 Q You talk about the oscillation of the watt meter  
12 between 3200 and 3400, and say that this is probably as close  
13 as the load can be controlled unless the governor load limit  
14 is blocked.

15 Is there any reason why the governor load limit  
16 should not be blocked in order to better control the oscillation?

17 A (Witness Henricksen) I'm not 100 percent familiar  
18 with what type of governor they have on these engines, but  
19 most governors today have the ability to block.

20 Q So you have not investigated that issue in the case  
21 of the Shoreham diesels?

22 A (Witness Henricksen) No.

23 Q Have you investigated the issue of how closely the  
24 load can be controlled?

25 A (Witness Henricksen) Not other than the testimony

1 that has been given and the request I wrote to ask the NRC to  
2 run plus-minus 100 kw.

3 Q Well, I'm asking you the question because you say  
4 this is probably as close, and I wonder: what are you basing  
5 that on? Is there any particular analysis that you have  
6 performed on that issue?

7 A (Witness Henricksen) No. This is just based on  
8 experience, that if you don't block the governor it will  
9 oscillate some, depending upon the varying load.

10 Q And that oscillation is not necessarily 100 kw, so  
11 far as you know, is it?

12 A (Witness Henricksen) Not necessarily, no.

13 JUDGE BRENNER: Mr. Dynner, I wonder if I could  
14 jump in with a question here, if you're finished with that  
15 discrete subject.

16 MR. DYNNER: Yes, sir.

17 JUDGE BRENNER: Earlier today, Mr. Henricksen,  
18 you implied or I inferred from your answer that that's not  
19 the way you would perform the surveillance testing -- that is,  
20 at 3300, plus or minus 100. Is what you had in mind there  
21 exactly what Mr. Dynner has asked you about now -- that is,  
22 blocking the governor -- or did you have something else in  
23 mind?

24 WITNESS HENRICKSEN: Judge Brenner, the type of  
25 testing I've been involved in over the years has usually been

1 where a precise power was essential, because these were fuel  
2 and load, and the various codes only allow you so much  
3 difference from -- if you run, say, a three-hour load you  
4 would have, probably, six readings, and the code would only  
5 allow so much difference in percentage from hour to hour, from  
6 last reading to last reading, depending on what the agreement  
7 is set up beforehand. This you cannot get when you have an  
8 instrument that oscillates 50 to 100 -- whatever be the case.  
9 You need to block the governor to run the precise load.

10 JUDGE BRENNER: All right.

11 I don't want to digress or interrupt you too much,  
12 Mr. Dynner. I may come back to the subject.

End WRB 18

1 BY MR. DYNNER:

2 Q Dr. Bush, I note that at the bottom of page 12 in  
3 answer 8 of your testimony you used the word or the term  
4 "endurance limit." What do you mean by "endurance limit"?

5 A (Witness Bush) That can best be seen by looking  
6 at Figure 2 on page 20.

7 This is a characteristic of ferritic materials  
8 where below a certain value of stress and above a cert in  
9 number of cycles, in essence the line is horizontal assuming  
10 that the component that is being examined is free from  
11 defects because if there are flaws present that can propagate,  
12 then in essence the material doesn't have an endurance limit.  
13 It continues on down.

14 This characteristic is not common to all materials.  
15 Many materials do not have endurance limits.

16 Q Well, what I'm trying to get at, does the endurance  
17 limit have some meaning that you can describe in words other  
18 than just referring to this graph? I mean what happens when  
19 something reaches or does not reach the endurance limit?

20 A (Witness Bush) If the stresses are below the  
21 endurance limit, which are defined in terms of stress, you  
22 should be able to go -- assuming that the component is free  
23 from defects in a location where they can propagate, it should  
24 go for an infinite number of cycles without failure.

25 Q And above the endurance limit, what happens then?

1           A       (Witness Bush) If you are above the endurance  
2 limit and you exceed the number of cycles or you intersect  
3 the line that is coming down at an angle and meets the \_\_\_\_\_  
4 endurance limit, you can initiate a flaw with that combination  
5 of stress and cycles and further operation would permit  
6 flaw propagation and could lead to ultimate failure of the  
7 component.

8           Q       So speaking specifically about the Shoreham  
9 crankshaft, is what you're saying that above the endurance  
10 limit, you would expect that a crack would initiate in the  
11 crankshaft?

12          A       (Witness Bush) If I am above the endurance limit  
13 and if I have a sufficient number of cycles so that I have  
14 exceeded that, there is the finite probability a crack will  
15 initiate; that's true.

16          Q       Is the term "high-cycle fatigue limit" the same as  
17 endurance limit?

18          A       (Witness Bush) It is used sometimes synonymously.  
19 I think "endurance limit" is more definitive, but one can find  
20 many definitions.

21          Q       Well, as you have used those terms in your  
22 testimony, have you used them synonymously?

23          A       (Witness Bush) Yes. What we are talking of here  
24 is in contrast to low-cycle fatigue or intermediate cycle  
25 fatigue; we are talking of something where we would expect

1 it to occur-- Well, at the stress levels we are considering,  
2 we are talking of well above 10 to the 5 cycles before we  
3 would anticipate anything occurring insofar as crack  
4 initiation.

5 That would assume that we have pretty high  
6 stresses there, well above the endurance limits.

7 Q On page 13 at the top of the page, continuing over  
8 in answer 8, you refer to the statement there that:

9 "....the crankshaft stresses at 3300 kw  
10 are quite close to those at 3500 kw."

11 I am correct, aren't I, that you didn't calculate  
12 those crankshaft stresses, did you?

13 A (Witness Bush) No, I did not.

14 Q And are these the crankshaft stresses that were  
15 calculated by Professor Sarsten that were referred to in  
16 question and answer 12 on page 21?

17 A (Witness Bush) I thought that was deleted from the  
18 testimony.

19 Q Yes, it was.

20 JUDGE BRENNER: Are you looking at me?

21 WITNESS BUSH: I don't know what to do.

22 JUDGE BRENNER: Answer his question.

23 WITNESS BUSH: I'm not sure that 12 is the optimum  
24 place to cite it but in the general sense, there were a series  
25 of stresses calculated, as I had indicated earlier, by

1 Dr. Sarsten that covered the range from 2400 kilowatts to  
2 3900 kilowatts that were indeed used in the analysis of  
3 high-cycle fatigue.

4 BY MR. DYNNER:

5 Q Do you know what method Professor Sarsten used to  
6 make those calculations?

7 A (Witness Bush) No.

8 Q Mr. Henriksen, did you make any of those  
9 calculations?

10 A (Witness Henriksen) No.

11 Q Do you know what method Professor Sarsten used to  
12 make those calculations?

13 A (Witness Henriksen) No.

14 MR. DYNNER: Judge, I move that this testimony  
15 regarding these crankshaft stresses, 3300 kw and 3500 kw, be  
16 stricken. Unfortunately they were--

17 JUDGE BRENNER: Give me the particular line and--

18 MR. DYNNER: I am referring here to page 13, and  
19 I'm referring to line 3. I am referring specifically to line  
20 3 in this instance.

21 The reason for my motion to strike is that the  
22 calculations were unfortunately performed by  
23 Professor Sarsten, and I cannot cross-examine any of these  
24 witnesses as to the validity of those calculations,  
25 methodology, and whether they were properly performed.

1 JUDGE BRENNER: You want me just to take line 3  
2 out?

3 MR. DYNNER: I am starting at that point, but I will  
4 go on to say that there is testimony here, including lines 1  
5 and 2, which are based upon line 3, and therefore I would move  
6 to strike those if you agree with my initial motion to strike  
7 because it follows that without being able to ascertain the  
8 validity of the crankshaft stress calculations that the  
9 conclusions that flow therefrom also should be stricken.

10 JUDGE BRENNER: Try to take it all at once. If  
11 we agree with your reasoning it may follow; if we disagree  
12 with your reasoning it may not follow. Did you want to ask  
13 some further questions and then bring it all together, or  
14 did you want to make the arguments now?

15 MR. DYNNER: I was going to take it one step at a  
16 time, but I can if you prefer.

17 There are other places in the testimony in which  
18 there is reference made to calculations, and I am going to try  
19 to ascertain whether they are the same calculations, that is,  
20 Professor Sarsten's calculations.

21 JUDGE BRENNER: I didn't mean to go too far out  
22 in the testimony, and I will give the other parties an  
23 opportunity. I just want to mechanically identify this.

24 I am looking at line 3 which starts: \_\_\_\_\_  
25 "....crankshaft stresses at 3300 kw are



1 quite close to those at 3500 kw."

2 MR. DYNNER: That's correct, sir.

3 JUDGE BRENNER: And I guess-- Do you want to  
4 extend it back up to the beginning of that sentence?

5 You see, if I strike that line then what you are  
6 left with is "Additional testing...." and so on through the  
7 end of that second line.

8 MR. DYNNER: I would strike it. Yes, I would move  
9 to strike it in view of the word "because" that appears in  
10 the second line at the end. And therefore, if the reason for  
11 the testimony is stricken then the testimony itself should be  
12 stricken.

13 JUDGE BRENNER: All right.

14 Maybe you should ask him a question or two about  
15 the dependence or the lack thereof of the first part of that  
16 sentence on the second part, and then we'll take up your  
17 argument, at least as to that sentence, and hear from the  
18 other parties.

19 MR. STROUPE: Judge Brenner, may I make a point  
20 before you do that that I think bears on this?

21 I believe there are-- On at least two prior  
22 occasions there is evidence in the record, particularly today,  
23 from Dr. Pischinger that the stresses between--

24 JUDGE BRENNER: Wait a minute. We're talking about  
25 this witness' evidence.

1 MR. STROUPE: I understand that but what I'm  
2 saying is I believe there is evidence in the record today  
3 and Professor Sarsten's prior testimony relating to stresses  
4 at 3300 kw and 3500 kw that this answer could be based upon.

5 JUDGE BRENNER: Well, let's see what the witness  
6 has to say, and then we'll hear from you. We have some  
7 problems here which we will have to deal with due to the  
8 unfortunate circumstance we have.

9 Do you want to ask him about the first part of the  
10 sentence?

11 MR. DYNNER: Yes.

12 BY MR. DYNNER:

13 Q I am correct, aren't I, first of all, Dr. Bush,  
14 that when you answered my last question about  
15 Professor Sarsten's calculations that these calculations which  
16 you said he performed from 2400 kw to 3900 kw were the ones  
17 that you were talking about in your testimony here? Is that  
18 right?

19 A (Witness Bush) That's correct.

20 Q Is it also correct that beginning at the top of  
21 page 13 that the statement that:

22 "Additional testing of 7 x 10 to the  
23 6th cycles at engine loads near 3300 kw would have  
24 been sufficient to propagate any cracks that may  
25 have been present...."

1 is, as shown by the word "because," dependent upon the  
2 assertion that --

3 "....the crankshaft stresses at 3300 kw  
4 are quite close to those at 3500 kw."

5 A (Witness Bush) The answer to that is No.

6 Q All right.

7 Can you tell me why you used the word "because"?

8 A (Witness Bush) If I have cracks present,  
9 regardless of the stresses, and now if I have an extended  
10 number of cycles at a somewhat lower stress, because  
11 effectively I no longer have an endurance limit, I would  
12 anticipate that those cracks would continue to propagate  
13 with a possibility of failure.

14 So those two things are not interrelated in that  
15 respect.

16 Q What if the stresses were substantially different  
17 between 3300 and 3500? Would that change your conclusion?

18 A (Witness Bush) No.

19

20

21

22

23

24

25

End 19

1 Q Why did you include in your sentence the phrase  
2 "...because the crankshaft stresses at 3300 Kw are quite  
3 close to those at 3500 Kw?"

4 A (Witness Bush) That simply gives the additional  
5 warranty that 7 times 10 to the 6, if I had cracks present,  
6 would have caused failure. That's the only reason for that.  
7 I would still have expected it to fail if I had a crack  
8 present and if I am not moving into a compressive stress  
9 field which I would not expect under these circumstances  
10 then I would anticipate failure.

11 Q Well let me put it this way:

12 You are relying here, as I understand it, on the  
13 additional testing of 7 times 10 to the 6 cycles at 3300  
14 by saying that that would have been sufficient to propagate  
15 any cracks.

16 Is it your belief that that testing at 3300 would  
17 have been sufficient to propagate any cracks if the stresses  
18 at 3300 were only 1/1000th as great as they were at 3500?

19 A (Witness Bush) Probably not but that's not the  
20 case in point.

21 Q Well how do you know that's not the case in point?

22 A (Witness Bush) I could take the strain gauge  
23 data, for what that's worth, that exists for these and I  
24 could analyze them to establish the stresses, which does not  
25 require an analysis on my part, and pretty much establish

1 what the stresses are.

2 And that is -- If you mean did I run the strain  
3 gauge data, the answer is no, I didn't. However there is  
4 a report here which unfortunately has not been made too  
5 available which does include such test data.

6 Q I understand that.

7 But it's correct, isn't it, Dr. Bush, that you  
8 didn't actually do that, that what you did was rely on  
9 Professor Sarsten's calculations when you wrote this, isn't  
10 that right?

11 A (Witness Bush) I took all the data I had available  
12 at the time.

13 Q Did you take the strain gauge data that you just  
14 referred to?

15 A (Witness Bush) I looked at the strain gauge data,  
16 I also looked at the bending stress data, which unfortunately  
17 Professor Sarsten had not completed which I got from other  
18 sources and incorporated that in the analysis, that's correct.

19 Q All right.

20 Supposing you didn't use any of the bending stress  
21 data, then what data are you -- first of all, are you....

22 What is the difference in your view between the  
23 crankshaft stresses at 3300 and 3500, not taking into  
24 consideration any of the crankshaft stress calculations  
25 performed by Professor Sarsten?

1 A (Witness Bush) Well if I go to the strain gauge  
2 data I would expect about....

3 (Pause.)

4 I would expect it to be about -- I would expect  
5 it to increase by about 2 to 3 percent, in that range.

6 Q All right.

7 Now what strain gauge data are you referring to  
8 specifically?

9 A (Witness Bush) Well I haven't had a chance to --  
10 I saw some strain gauge data and then I have a report that  
11 was the subject of a conversation this morning that I  
12 haven't had a chance to evaluate in depth.

13 Apparently the ones I have are in an abbreviated  
14 form only from this report and were cited in previous  
15 testimony; that's the ones I've looked at.

16 Q Dr. Bush, did you or did you not make an actual  
17 calculation of the crankshaft stress differences between  
18 3300 and 3500 Kw based upon strain gauge data?

19 A (Witness Bush) The answer is I did not run any  
20 strain gauges, that's true.

21 Q No, that's not my question.

22 I said did you or did you not make a calculation of  
23 the crankshaft stress differential between 3300 and 3500  
24 Kw based upon certain strain gauge data?

25 A (Witness Bush) I looked at the micro-inches and

1 I made a conversion into stress, if that's what you're  
2 talking about.

3 Q So your testimony is that you did make such a  
4 calculation?

5 A (Witness Bush) I did a calculation for the values  
6 that I had available, but I had not had access to this  
7 particular report at that time.

8 I will have to look back and see -- and I don't  
9 have my calculations with me -- as to whether I have  
10 explicitly at 33- and 3500, or what I have in that range  
11 of values.

12 Q In making whatever calculation you made, specifically  
13 what strain gauge data did you use?

14 A (Witness Bush) Well I confess I would have to look  
15 back at the reports and see which one it was. I can  
16 remember the data and I can remember how it was organized  
17 but I can't tell you specifically what report.

18 JUDGE BRENNER: Mr. Dynner, give me a moment. I  
19 would like to get the solution to this and I would like to  
20 talk to my Board members a moment and then we'll see where  
21 we're going.

22 (The Board conferring.)

23 JUDGE BRENNER: Judge Morris has a few questions  
24 that may help us understand better what the situation is.

25 JUDGE MORRIS: Dr. Bush, at the top of page 13,

1 in line three, which we have been discussing here, as I  
2 understand the colloquy, you said that your conclusion is  
3 not based on the fact that the stresses are quite close at  
4 3300 and 3500 kilowatts, is that correct?

5 WITNESS BUSH: That's correct, unless we go down  
6 to a thousandth of a percent or something like that.

7 JUDGE MORRIS: True.

8 But if that is correct what is the important  
9 thing there, is it the range in which these stresses lie?

10 WITNESS BUSH: No, the important thing is that  
11 we have already initiated a crack. You go to the preceding  
12 page, you now have a crack there and you continue your  
13 testing at a lower stress level, albeit not a very large  
14 change, for an extended number of cycles. You no longer  
15 have an endurance limit.

16 Therefore, the crack will -- unless you are moving  
17 into a compressive field, which I would not believe would  
18 exist in here, at least not a very high one -- I would expect  
19 the crack to continue to propagate.

20 It would first propagate -- if it is initiated  
21 because of the torsional stresses, I would expect it to  
22 initiate slightly below the surface. Then the bending  
23 stresses, which will be higher, will tend to propagate at  
24 first to the surface and then in.

25 And therefore if I am at what I will call a



1 reasonable stress level and I go to a large number of cycles,  
2 I would anticipate failure.

3 JUDGE MORRIS: If I understand you correctly you  
4 are saying that if the crack exists it will propagate for  
5 the stresses, the cyclic stresses that occur at these power  
6 levels, is that correct?

7 WITNESS BUSH: That's what I would expect to happen,  
8 yes. That presumes that I have initiated the crack so I am  
9 using this as a -- it was used as an example because I can  
10 postulate four cases: for instance, one would be where the  
11 endurance limit clearly is below my testing values and at  
12 3 times 10 to the 6 I would either have failed the shaft  
13 already or I would have initiated a substantial crack and  
14 any further testing would have taken it to failure.

15 I could be at a case where the endurance limit  
16 is still below my test levels but I may be moved over enough  
17 so that I have not initiated a crack and so I am in a  
18 never-never-land, I cannot unequivocally predict what happens.

19 The third case would be where my endurance limit  
20 clearly is above essentially all of my testing conditions  
21 and under which circumstance, barring the existence of a  
22 pre-existing crack, I would not expect the shaft to fail  
23 at well above 10 to the 7 cycles; I could go to much higher  
24 than that without failure.

25 So what this was essentially establishing was a

1 postulate as to where, what I could infer from the 3 times  
2 10 to the 6 test, presuming the positioning on the endurance  
3 limit.

4 JUDGE MORRIS: Well given your conditions set  
5 forth on page 12, supposing that the 7 times 10 to the 6  
6 cycles were run at 3000 kilowatts, would a crack propagate?

7 WITNESS BUSH: I think it would. I did find  
8 indeed some of the data I used in the report with regard  
9 to the change in stresses as a function of kilowatt loads  
10 as high as 3900 kilowatts on the replacement crankshafts  
11 and there isn't very much difference between, say, 3500 and  
12 3900 and one can infer the same thing between, say, 3300  
13 and 35- or 3035.

14 And so I would anticipate at stresses of perhaps  
15 if I had initiated a crack with my combined loads at and  
16 above 3500, I would anticipate perhaps a 3000 psi difference in  
17 stress, say, at your 3000 kilowatt level. And I believe  
18 that 7 times 10 to the 6 cycles with an existing crack near  
19 the surface would be sufficient to cause failure.

20 JUDGE MORRIS: But your point in this sentence  
21 is simply about propagation under these conditions.

22 WITNESS BUSH: That's correct.

23 JUDGE MORRIS: We have focused on that exact point  
24 and we have established that it is not whether or not the  
25 stresses are quite close or not, it is whether or not they are

1 sufficient to cause propagation of a crack under the test  
2 conditions.

3           And I have just postulated in a hypothetical test  
4 at 3000 kilowatts and the direct answer is what I want  
5 as to whether the crack would propagate.

6           WITNESS BUSH: And the answer I believe would be  
7 yes.

8           JUDGE MORRIS: Thank you.

9           WITNESS BUSH: That answer presumes the pre-existence  
10 of a crack prior to the 3000 kilowatt test.

11           JUDGE MORRIS: Yes, your conditions set out on  
12 page 12.

13           WITNESS BUSH: That's correct.

14           JUDGE BRENNER: All right. Here is what I propose  
15 to do procedurally.

16           We are not going to rely on Dr. Bush's testimony  
17 to support the point as to whether or not crankshaft stresses  
18 at 3300 Kw are quite close to those at 3500 Kw. We have  
19 testimony by Dr. Bush as to why he believes the first two  
20 lines at page 13 are correct independent of the point in  
21 the third line to which I just referred that we would not  
22 rely on him for and that testimony stands for what it's  
23 worth and we will evaluate it.

24           Furthermore, we in our mind will convert what he  
25 says as a potential hypothetical in addition for his independent

1 reasons, at least the reasons that he thinks are independent --  
2 whether or not they are truly independent we will consider.

3 But in addition to those reasons he gave for supporting  
4 his view that if you have crack initiation that additional  
5 testing of 7 times 10 to the 6 cycles, as he stated in the  
6 first two lines, would be sufficient to propagate cracks.

7 In addition to that, we will accept his testimony  
8 converted as follows: that if crankshaft stresses at 3300  
9 Kw are quite close to those at 3500 Kw that that supports  
10 the point that additional testing of 7 times 10 to the 6  
11 cycles at engine loads near 3300 Kw would have been sufficient  
12 to propagate any cracks that may have been present and  
13 of course assuming against a starting point that you have  
14 crack initiation at the 3 times 10 to the 6 cycle testing  
15 at 3500 Kw.

16 Now since it's a hypothetical at this point there  
17 will have to be other support in the record for us to use  
18 that part of the point.

19 Mr. Stroupe thinks there is ot [redacted] t in the  
20 record from Professor Sarsten's testimony and we'll look  
21 at that. We know that Dr. Pischinger believes that to be  
22 the case and we will evaluate the extent to which we want  
23 to rely on Dr. Pischinger's conclusions for that point also.

24 That's the best we can do at this stage. If  
25 Professor Sarsten were here there would be --

1 MR. DYNNER: Judge, I should point out to you that  
2 essentially the same testimony appears on page 17 in the  
3 last paragraph beginning with the sentence: "Because  
4 crankshaft stresses at 3500 Kw....," and that particular  
5 sentence specifically refers to question 12.

6 JUDGE BRENNER: All right.

7 Are we still on that long question 11?

8 MR. DYNNER: Yes.

9 JUDGE BRENNER: All right.

10 I had noticed that earlier and I was going to come  
11 to it in the context of our ruling on answer 12. Now we  
12 have a better context and my statement applies to this  
13 testimony also.

14 I'm not going to let you add anything, Dr. Bush,  
15 because I am concerned with digressing. I've got it where  
16 I understand it and to the extent other people want to adduce  
17 information from you, including your own counsel, I will let  
18 it proceed that way.

19 There's a lot going on here, unfortunately for you,  
20 besides the technical information and that is the difficulty  
21 of all of us in separating out what support you are relying  
22 on for certain things. If somebody was on the panel with you  
23 who had performed some of the torsional stress calculations,  
24 we could turn to that witness for some of this and of course  
25 we cannot do that.

#21 WRBbrb

2 Mr. Dynner, it's almost five o'clock. How much  
3 do you have? I'm not going to cut you off, I just want an  
4 estimate.

5 MR. DYNNER: I think I have another hour and a  
6 half to two hours, looking at my cross plan and seeing how  
7 things went.

8 I'm taking into consideration the difficulty that  
9 we're having in determining what Professor Sarsten's testimony  
10 was, and where he is being relied upon, and where people are  
11 saying what they themselves know to be the case.

12 JUDGE BRENNER: Remember, mere reliance on his  
13 view is not necessarily a problem, it depends on whether you  
14 are deprived of effective cross-examination, depending on the  
15 extent of the reliance; as to the torsional stress calculations  
16 you were, especially given Answer 12 which we have struck.

17 I don't know what methodology was used, and the  
18 other witnesses didn't either.

19 All right; we might as well adjourn for the day at  
20 this point. And the Staff at the outset tomorrow morning  
21 will tell us what the situation is with respect to sponsorship  
22 of every sentence in that testimony.

23 Is there anything further that we should do today?

24 MR. ELLIS: No, sir; I think we can take up the  
25 cam gallery monitoring thing in the morning, if that is  
agreeable with the Staff.

WRBbrb2

1 JUDGE BRENNER: Right. Let's do it in the morning.

2 MR. ELLIS: The only other item that we had open  
3 was the possibility of enlisting the aid of the Board in  
4 overcoming an impasse among the parties. It is still LILCO's  
5 view, and I think the Staff's, that we'd be willing to  
6 participate in such a conference. It's LILCO's view it would  
7 be beneficial. I have not heard from Mr. Dynner as to  
8 whether he has changed his view that he doesn't think such a  
9 conference would be fruitful.

10 MR. DYNNER: The State and the County -- I'm  
11 authorized to speak for the State -- do not believe that such  
12 an intervention, or discussion would be useful at this point.

13 JUDGE BRENNER: All right; we'll think about it.

14 In any event, if we're willing to talk about it  
15 a little bit, I'd like not to interrupt the witnesses'  
16 testimony this week, and let's see where we are come Friday  
17 on that subject.

18 The parties also have to get back to us with  
19 respect to the findings schedule, and I'll remind you of that.

20 MR. ELLIS: Yes, sir.

21 JUDGE BRENNER: I'm reminding you of that now.  
22 Now you remind us next time.

23 All right; let's adjourn until nine o'clock.

24 (Whereupon, at 5:00 p.m., the hearing in the above-  
25 entitled matter was recessed, to reconvene at 9:00 a.m.  
the following day.)

CERTIFICATE OF OFFICIAL REPORTER

This is to certify that the attached proceedings before the UNITED STATES NUCLEAR REGULATORY COMMISSION in the matter of:

NAME OF PROCEEDING: LONG ISLAND LIGHTING COMPANY  
(Shoreham Nuclear Power Station)

DOCKET NO.: 50-322-OL

PLACE: HAUPFAUGE, NEW YORK

DATE: WEDNESDAY, MARCH 6, 1985

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission.

*Anne G. Bloom/sg*  
*William R. Bloom/sg*  
(sig)

(TYPED)

ANNE G. BLOOM  
WILLIAM R. BLOOM  
Official Reporter  
ACE-FEDERAL REPORTERS, INC.  
Reporter's Affiliation