PANSMITTAL TO:	Document Con	trol Desk, 016 Phill	105
ADVANCED COPY TO:	The Public O	ocument Room	
DATE:		3/92	and the second se
FROM:	SECY Corresp	ondence & Records Br	anch
Attached are copies of a (document(s). They are bei placement in the Public Do required.	Commission meetin ing forwarded for ocument Room. No	ng transcript and rel r entry on the Daily o other distribution	ated meeting Accession List and is requested or
Meeting Title: Brufe	n Atatus .	of staff Effor	til to Receive
Thermo.	- Log fire	Barrier Do	subal
Meeting Date: 7/30	192	Open 📈	Closed
Item Description*:		Copies Advanced to PDR	DCS Copy
1. TRANSCRIPT		1	1
W/ memory	nhe)		
and the second se			
2. Atstement of)	teonada.		
Bicknick, Jr.	an man balan di sa dan kana di salam pendar salah sebah dapat binang		
3.			
		-	
4			
5.			
	Sector in contract the sector street. Over, the should be set to street		
6. 9208100152 9207 PDR 10CFR PT9.7	730		units and the set
an elasta anti parte è interite il quitto dependente e la contra a super contra a			V Dapar
* PDP is advanced but co	nov of each docum	nent, two of each back	I POPELI

ALL DULLING IN

UNITED STATES OF AMERICA NUCLEAR REGULATORY COMMISSION

Title:	BRIEFING ON	STATUS OF	F STAFF	EFFORTS	TO	RESOLVE
	Thermo-Lag	FIRE BARRI	LER ISS	UES		

- LOCATION: ROCKVILLE, MARYLAND
- Date: JULY 30, 1992
- Pages: 76 pages

NEAL R. GROSS AND CO., INC.

COURT REPORTERS AND TRANSCRIBERS 1323 Rhode Island Avenue, Northwest Washington, D.C. 20005 (202) 234-4433

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on <u>July 30, 1992</u>, in the Commission's office at One White Flint North, Rockville, Maryland. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

The trans fipt is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determination or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of, or addressed to, any statement or argument contained herein, except as the Commission may authorize.

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

40 40 40 10

BRIEFING ON STATUS OF STAFF EFFORTS TO RESOLVE Thermo-Lag FIRE BARRIER ISSUES

PUBLIC MEETING

Ani: 141 141 141

Nuclear Regulatory Commission One White Flint North Rockville, Maryland

Thursday, July 30, 1992

The Commission met in open session,

pursuant to notice, at 2:00 p.m., Ivan Selin, Chairman, presiding.

COMMISSIONERS PRESENT:

IVAN SELIN, Chairman of the Commission KENNETH C. ROGERS, Commissioner FORREST J. REMICK, Commissioner JAMES R. CURTISS, Commissioner E. GAIL de PLANQUE, Commissioner

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

STAFF SEATED AT THE COMMISSION TABLE:

SAMUEL J. CHILK, Secretary

WILLIAM C. PARLER, General Counsel

JAMES TAYLOR, Executive Director for Operations

THOMAS MURLEY, Director, NRR

FRANK MIRAGLIA, Deputy Director, NRR

ASHOK THADANI, Director, Division of Systems Technology, NRR

WILLIAM RUSSELL, Associate Director for Inspections and Technology Assessment

PATRICK MADDEN, Senior Fire Protection Engineer, NRR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 PHODE ISLAND AVENUE, N.W WASHINGTON, D.C. 20005

(202) 234-4433

.

P-R-O-C-E-E-D-I-N-G-S

2:00 p.m.

CHAIRMAN SELIN: Good afternoon, ladies and gentlemen.

5 This afternoon we will be hearing a 6 briefing on the status of the staff's efforts to 7 resolve the health and safety aspects of the Thermo-8 Lag fire barrier issues. Let me emphasize the focus 9 today will be on the safety factors. We should avoid 10 discussion of issues currently under investigation by 11 either of our investigative offices.

I think a brief summary of this issue is 12 13 in order. Thermo-Lag is used in many plants to 14 satisfy the electrical fire protection requirements 15 for the safe shutdown as specified in Appendix R to 10 CFR Part 50. As a result of installation problems, 16 17 failure of fire barriers and perhaps other questions 18 that might come up today, during tests at River Bend, 19 NRR formed a special review team in June 1991. The special review team was tasked with examining 20 21 operating experience and allegations concerning 22 Thermo-Lag. The special review team issued a report 23 in April of this year and concluded the first resistance ratings of Thermo-Lag fire barriers to be 24 25 indeterminate, although it is the review team's belief

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1923 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4431

3

that the barriers will provide some level of fire protection.

Last month, in June, the staff was notified of the failure of fire barrier tests at 4 Comanche Peak. It has prompted the staff to issue NRC 5 bulletin 9201 on June 24th, 1992. The bulletin 6 requested licensees first to identify which plant 7 8 areas contain Thermo-Lag fire barrier systems 9 installed on small conduits or wide cable trays; 10 second, to implement compensatory measures such as 11 fire watches; and third, to respond to the NRC within 12 30 days informing the staff of the actions they may 13 have taken.

The staff is here today to brief the Commission on its view of the health and safety questions as they now stand and to give us some insight as to what actions they are contemplating.

Commissioners?

Mr. Taylor, would you please proceed. MR. TAYLOR: Good afternoon. With me at the table, starting from my far left, Pat Madden, Ashok Thadani, Doctor Murley, Frank Miraglia and Bill Russell, all from the Office of Nuclear Reactor Regulation.

Mr. Chairman, you mentioned briefly the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

2

18

	1 invoit
	work through
	2 Cooperation of the task former
	cooperative effort between
	3 the office and the Inspector car
	Strice of Investigations Seneral and
4	that during the trans. I would like the
	the full course of the to note
5	began their in their work, as the
6	investigative work
0	provide to the stars work, they did agree to
7	the staff any information
1	on the health and gas
8	ta us and safety and protection
	to their investigations
9	have h
	have been doing that my
20/	at number ine staff, Mr. Minnest
	numbers of sessions
11/1	appropriates and others, base
1.0	nave been
12	it's important
10	I think
- 3//	you that,
14	with that opening the
- 11	who has headed the
15/	the special team rend
	continue the briefing
16	attering.
	MR. MTPACT
17/	Thank you was
11	(Slide) Mar . Taylor.
18	May I have slide 2
	This is an and a please?
19	that I him overview of the aver
101	plan to cover in tail
201	shutdown impresentation
21	improvements in our reason. The
	of the Browne -
22/	Ferry fire, some
c	oncerns that the background on the
23/	were raised reasons
D	arriers, our activity
4/ ++	accivities to look into the
11	results of some
5 mm	torie recent testing
Ale	regarding this
	or NRC actions to a
1	to date and our
	NEAL R. GROSS
(202) 224	1202 THEPORTERS AND TRANSCOMPT
1	103 1023 RHODE ISLAND AUTO HIBERS

5

22

23

24

25

Ŵ

an

.

1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C.

futur	e plans. please.
	clide 2, please. Three, r
	3975 Browns Ferry Lite
	(Slide) The 1970 to improve
	substantive actions to imp
	ited in NRC taking subscript
resu	fo shutdown functions.
nrot	tection for sale bid
P	in depth that is empedated
of	defense in der
1	is also a part this rely on
7 rec	Julations at these facilities
nr.	ograms. The programs it includes fire
8	in depth and that it
9 a	defense in ability to detect, control
	evention activities, the details a redundant safe
10 P	revenue and separation of redunded
alla	nd suppress a fire, difference
11	sunctions.
12 5	shutdown function a please.
	(slide) Slide 4, 1
13	respect to safe shutdown
	With response these functions are
7.4	thode used for protecting the
15	the methods de
	the use of fire barrier material one hour fire
16	three hour barrier or a one three
47	of two types, a three supported by an
1	barrier that is also been bility.
18	resistant pure and suppression capability
신지가	sutomatic fire detection and or three hour
19	automic afforded by a one hour of
20	The protection allot be
	as defined here is
21	barrier and
	equivalent.
22	(clide) Slide 5, please.
23	(Silder fire barrier system 15
	The Thermo-Lag IIIC st
24	mbormal science Incorporated,
	available from Therman
25	NEAL B GROSS
	NEAL BEPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVENUE, N.W. (202) 23
	0 C 20005

WASHINGTON, D.C. 20005

a

(202) 234-4433

-

٢

6

investigative work through the task force that is a 1 cooperative effort between the Inspector General and 2 the Office of Investigations. I would like to note 3 that during the full course of their work, as they 4 began their investigative work, they did agree to 5 provide to the staff any information that could bear 6 on the health and safety and protection issues related 7 to their investigations and as it was developed. They 8 have been doing that. The staff, Mr. Miraglia and I 9 at numbers of sessions, and others, have been 10 appropriately informed of that information. I think 11 it's important to tell you that. 12 With that opening thought, Frank Miraglia, 13 who has headed the special team review of this, will 14 continue the briefing. 15 16 MR. MIRAGLIA: Thank you, Mr. Taylor. 17 (Slide) May I have slide 2, please? This is an overview of the discussions 18 that I plan to cover in today's presentation. 19 The shutdown improvements in our regulation is as a result 20 21 of the Browns Ferry fire, some background on the 22 concerns that were raised regarding Thermo-Lag barriers, our activities to look into those concerns, 23 the results of some recent testing regarding this 24 material, the status of NRC actions to date and our 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

future plans.

2 Slide 2, please. Three, please. 2 (Slide) The 1975 Browns Ferry fire 3 resulted in NRC taking substantive actions to improve 4 protection for safe shutdown functions. The concept 5 of defense in depth that is embedded in our safety 6 regulations is also a part of the fire protection 7 programs. The programs at these facilities rely on 8 a defense in depth and that it includes fire 9 prevention activities, the ability to detect, control 10 and suppress a fire, and separation of redundant safe 21 shutdown functions. 12 (Slide) Slide 4, please. 13 14 With respect to safe shutdown functions, 15 the methods used for protecting these functions are the use of fire barrier materials. The barriers are 16 17 of two types, a three hour barrier or a one hour fire 18 resistant barrier that is also supported by an 19 automatic fire detection and suppression capability. The protection afforded by a one hour or three hour 20 barrier as defined here is considered to 21 be equivalent. 22 23 (Slide) Slide 5, please. 24 The Thermo-Lag fire barrier system is 25 available from Thermal Science Incorporated, St. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS. 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

- 11	
1	Louis, Missouri, and it provides barriers of one hour
2	and three hour ratings. As many as 51 stations and
3	over 80 plants use Thermo-Lag to satisfy NRC's
4	requirements in protecting safe shutdown capability.
5	COMMISSIONER REMICK: Frank, I assume from
6	that that there are alternative materials used by
7	others then.
8	MR. MIRAGLIA: Yes, sir. There are some
9	plants that have no Thermo-Lag installed.
10	COMMISSIONER REMICK: Does anybody use
11	just the 20 foot separation?
12	MR. MIRAGLIA: I couldn't say whether
13	there's one plant that meets all of Appendix R using
14	separation only.
15	MR. TAYLOR: Where that's available
16	MR. MIRAGLIA: That's the preferred
17	alternative and if they have it available, they'll use
18	it.
19	It's used to protect raceways, cable trays
20	and the like. It's been used as fire walls to
21	separate fire areas, and as enclosures for redundant
22	safe shutdown equipment.
23	(Slide) Can I have slide 6?
24	I'll try to go through this briefly. The
25	Chairman's statement was a succinct presentation of
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005
	(EUE) 238-8433

•

much of this background. Site specific problems were 1 2 discovered at River Bend with respect to Thermo-Lag material and they sent it on the methodology and the 3 installation of that material. The LERs dealing with 4 specifics of these concerns were filed in March of 5 6 '87, April of '89 and March of '90. In October of 7 '89, the River Bend station conducted a 30 inch cable 8 tray test. That was nominally protected by a three 9 hour barrier and the test -- there was a test failure 10 in less than one hour.

In February of 1991, the staff received allegations regarding the performance of Thermo-Lag material and in May of that year, NRC conducted a visit to the site to determine the background and the facts of the installation and techniques used at River Bend station.

17 In June of this year, a special review team was established in which I was the manager in 18 charge and two staff supported that effort and that 19 20 was Mr. Loren Plisco and Steven West. The special 21 review team interacted, as Mr. Taylor had said, with 22 the ongoing OI/IG investigative task force and our team was charged with reviewing the health and safety 23 24 implications of the concerns identified to date.

In the October through December time frame

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBE 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

-.. and there's a typo on this slide. That should be 1 December 19th, '91 -- the special review team 2 conducted site visits to five plants, WMP 2, Callaway, 3 Comanche Peak, Perry and River Bend Station. The 4 focus of these site visits was to look at procedures 5 and the installation processes for installing the 6 Thermo-Lag material, to look at the designs and to 71 field the installation techniques that have been used 8 to install the material in the field. 0

In addition in December of 1991, we 10 conducted a vendor inspection of TSI's facilities in 11 st. Louis. The results of that inspection were 12 published in a March report and indicated QA non-13 conformance concerns in the implementation of their 14 quality assurance program for the manufacture of this 15 material and also identified concerns regarding the 16 controls of the gualification testing in that the test 17 specimen configurations were not adequately detailed 18 in reports, the construction of that test specimen 19 were not clearly defined in some cases and the rcle 20 21 of the independent test laboratory, ITL, used as the third party audit in these test reports, was not 22 clearly identified. 23

As a result of the special review team effort, we prepared a final report and also drafted

NEAL P. GROSS COURT REPORT: 3 AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

24

25

(202) 234-4433

	10
1	a generic letter that would discuss the concerns that
2	we've identified to date.
3	COMMISSIONER REMICK: Frank, before
4	leaving that slide, near the top, on April 1989, it
5	says, "Removal of ribs and stress skin." Can you
6	explain what that means?
7	MR. MIRAGLIA: Yes. A little later in the
8	presentation Mr. Madden was going to pass out some
9	samples. It may be appropriate to do right now
10	COMMISSIONER REMICK:
11	MR. MIRAGLIA: Pat.
12	MR. MADDEN: The structural ribs these
13	are the structural ribs and the stress skin is the
14	stuff that looks like a wire mesh.
15	COMMISSIONER REMICK: What is meant by
16	removal of that?
17	MR. MADDEN: They pulled it off and they
18	smoothed the took the rib right out of the assembly
19	and smoothed it so it would be a flat board otherwise.
20	MR. MIRAGLIA: And this was counter to the
01	installation recommendations and the concern relative
22	to the River Band material was that the material
23	wasn't installed as directed and the concern was the
24	performance material issue or was it installation
25	issue? You couldn't distinguish.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 BHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4453

· 11	그는 것이 같아요. 이 것이 같아요. 이 것이 같아요. 이 것이 같아요. 이 것이 같아요.
1	COMMISSIONER REMICK: I see. I assume
2	that results in sagging of the material then over time
3	or with heat? Is that
4	MR. MADDEN: Yes. When I get into some
5	of the fire test results, I'll raise those questions.
6	MR. MIRAGLIA: We also have some pictures
7	that will show specimens at various points in the test
8	program.
9	(Slide) Slide 7, please.
1.2	I'd like to summarize the perspective this
12	special review team had as a result of its effort.
12	We concluded that the fire endurancy performance of
13	the fire barrier system, Thermo-Lag, was
14	indeterminate. This was based upon a review
15	CHAIRMAN SELIN: Before you say what it's
16	based on, would you care to say that in English?
17	COMMISSIONER ROGERS: Say what it means.
18	CHAIRMAN SELJN: What do you mean it's
19	indeterminate?
20	MR. MIRAGLIA: If I can finish what I
21	I'm going to try and expand on that thought to give
22	you the basis for that statement and a conclusion and
23	different words that will perhaps answer your
24	question.
25	CHAIRMAN SELIN: Okay.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1

(202) 234-4433

(202) 234-4433

6

MR. MIRAGLIA: Forty test reports were 1 2 reviewed and we identified various concerns in a review of these qualification test reports having to 3 deal with compliance to NRC requirements, the conduct 4 of tests in terms of meeting the ASTM standards for 5 thermocouple placement, methods of assuring that the 6 acceptance criteria was met and therefore we concluded 7 that based on a review of those test reports that many 8 of the guidelines and criteria may not have been met 9 in the conduct of that test based on a review of the 10 11 report and therefore may not provide a basis for saying a material is gualified to the fire rating that 12 13 was expected.

14 CHAIRMAN SELIN: That was very important. 15 When you say it's indeterminate, you mean that -- is 16 it the case that you mean the tests that the 17 manufacturer performed do not answer the questions 18 that they're supposed to answer or do you mean that 19 we ran a lot of tests and we just can't draw a 20 conclusion?

21 MR. MIRAGLIA: This is a review of the 22 previous test reports, and so we were reviewing a 23 report of a test. We raised sufficient questions 24 relative to the conduct of that test to say, not being 25 able to reconstruct and have accurate answers to this

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1	question, we could not come to a definitive
2	conclusion.
3	CHAIRMAN SELIN: So this is quite a
4	negative statement about the test regime that's been
5	reviewed, that these tests were submitted as making
6	a point and upon investigation they just don't make
7	the point.
8	MR. MIRAGLIA: That was our conclusion.
9	CHAIRMAN SELIN: And it still leaves us
10	up in the air about what the facts were about the
11	material as opposed to the testing regime itself. Is
12	that correct?
13	MR. MIRAGLIA: Yes.
14	CHAIRMAN SELIN: Okay.
15	MR. MIRAGLIA: The Thermo-Lag fire barrier
16	was also considered to provide some level of
17	protection based upon some of the test data and some
18	information was available. It would perform to some
19	degree. We couldn'+ definitively conclude that it
20	would perform for the rated one hour or three hour
21	periods.
22	We deemed the safety significance of this
23	issue to be low and that goes back to finding of the
24	defonse in depth of the fire protection system
25	relative to the other features of having detections,
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

- 11	
1	suppression, control of the fire hazards and generally
2	low fire loadings in the facility. We'll discuss that
3	a little bit more later.
4	The generic letter was proposed to deal
5	with the issues identified to that point.
6	CHAIRMAN SELIN: But before we get off
7	this, Mr. Miraglia, again I have two ways of
8	interpreting. One is that the significance is low in
9	the sense that the role played by the insulation isn't
10	very important. Second, no, it is important but there
11	are ways of compensating for it. While we are
12	determining the adequacy in the short-term, there are
13	measures that can be taken. But whether or not this
14	insulation works properly is, in fact, a very
15	important issue.
16	MR. MIRAGLIA: Yes, sir.
17	CHAIRMAN SELIN: Is one or the other a
18	proper
19	MR. MIRAGLIA: The latter. It is an
20	important issue. We have to come to resolution of the
21	issue. The barrier does play a role. There are
22	compensatory measures.
23	CHAIRMAN SELIN: But given compensatory
24	measures, the short-term immediately effect in your
25	opinion is
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

WASHINGTON, D.C. 20005

i.

(202) 234-6 13

2

1

1

11

-

(202) 234-4433

14

MR. MIRAGLIA: That it's low and we have time to resolve the matter in a disciplined kind of way.

(Slide) The generic letter, on slide 8, 4 please, raised four principal concerns. The fire 5 6 endurance tests that were reviewed by the special 7 review team, and we didn't review them all, we 8 reviewed approximately 40 reports and 1. d quest ons 9 on many of those reports and the special review team 10 report outlines some of the concerns with respect to 11 the reports reviewed. We were unable to evaluate the 12 deviations or answer the questions where it perceived 13 to have a deviation from acceptance criteria to come 14 to a conclusion. Therefore, the generic letter was requesting a review of gualification test reports to 15 16 determine whether the qualification test reports 17 available to support the configuration installed in the facility were indeed consistent and in compliance 18 19 with the requirements of the regulations.

CHAIRMAN SELIN: Let me stop you for a moment. Are we talking about the manufacturer's test to determine whether if installed properly it's an effective insulation, cr are we talking about each facility trying to tell us how close they are to the manufacturer's recommended installation? Some of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

both?

2	MR. MIRAGLIA: Some of both. In some
3	instances, the vendor provided gualification reports
4	to either the architectural engineer, who was acting
5	as a contractor for the licensee, and that was used
6	as the basis for qualification. In some instances,
7	the utilities there were other tests also used to
8	qualify the material. We've looked at about 40 of
9	tests of that. The bulk of them were vendor reports.
10	CHAIRMAN SELIN: But from what you said
11	earlier, did I understand correctly to say that we do
12	not feel comfortable that even if installed according
13	to the manufacturer's rules that it's an effective
14	insulator based on the test results that were given
15	to us?
16	MR. MIRAGLIA: That would be a question
17	that we would have as to whether the test adequately
18	was conducted in accordance with the regulations and
19	provided an answer to that question.
20	CHAIRMAN SFLIN: You said it wasn't
23	adaguately conducted if I understood you correctly
54	adequately conducted, if I understood you correctly.
22	MR. MIRAGLIA: We would not be able to
23	conclude that it was.
24	CHAIRMAN SELIN: Okay.
25	MR. MIRAGLIA: In addition, in the five
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVENUE, N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

visits that the special review team conducted, we saw 1 2 applications of this material in configurations that 3 were extrapolations from test configurations. That was a concern to us. 86-10, which was a generic 4 letter, indicated that qualification tests for the 5 materials, if you were using 'n an application that 6 7 was beyond the tested configuration, there had to be 8 an engineering evaluation to support the use of that 9 qualification test for the test in the facility. An 10 example would be if a test was for, say, a 12 inch cable tray and they were using it in a configuration 11 12 that was above 12 inch. What's the basis of saying 13 that that test provided an adequate basis for the 14 installed configuration. So, that was a concern that 15 was raised by the special review team and that was 16 also an issue that was to be addressed in response to 17 the draft generic letter.

Certainly there have been deficiencies in the installation of the material and the inspection process, the quality control processes in looking at the installation of this material. Indeed, if the installation procedures were wrong, it affects the performance of the material. So, that was a concern as well.

CHAIRMAN SELIN:

Have there

NEAL R. GROGS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

25

à

been

1	deficiencies that we know of in the manufacture of the
2	material or in the quality control on the manufacture
3	and what's been delivered?
4	MR. MIRAGLIA: The inspection process here
5	is the QC of the installation.
6	CHAIRMAN SELIN: I see. So, we don't have
7	an opinion at this point as to the fabrication of the
8	material itself?
9	MR. MIRAGLIA: The vendor inspection
10	report found some concerns with respect to that in the
11	vendor but they were not what I would call major
12	concerns.
13	CHAIRMAN SELIN: Okay.
14	MR. MIRAGLIA: In addition, in the review
15	of the issues, another issue known as the ampacity
16	derating design basis was uncovered. Power cables and
17	cable trays will generate heat. In order for the
18	design of a cable tray to decide how many cables and
19	power cables could be in the cable tray, one has to
20	consider what the heat load within that cable tray is.
21	When one has to enclose that cable tray for fire
22	protection rapid, that increases the heat in the
23	thermal loading and therefore in the design of the
24	tray, if it is going to be protected from fire, that
25	has to be considered. The number of ampacity tests

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005 18

-

1		had been run for this facility, for this material, and
2		there was a range of results for the barriers that had
3		been reported.
4		CHAIRMAN SELIN: Ampacity is the capacity
5		to carry amperes, to carry current ==
6		MD_MTRACLIA+ Right.
-		CULTEMAN CETTNA in energifia
	· .	CHAIRMAN SEDIN: in specifi
8		configurations?
9		MR. MIRAGLIA: Yes. It's a tested
10		configuration in saying, "Given that, how much would
11	ŀ	you have to derate the loading in that tray in terms
12		of capacity to carry amperage because of internal heat
13		generation?"
14		MR. RUSSELL: But you need to point out
15		that this is an issue for aging of the insulation
16		resistance on the cable. It's not a negreterm issue.
17		You may shorten the life of the cable by breakdown of
18		the insulation resistance due to heating with time.
1.9		MR. MIRAGLIA: It's not a near-term issue,
20		as Bill says. It results in perhaps higher operating
21		temperatures if you haven't used the appropriate
22		derating factor which would shorten the design life.
23		So, we don't see it as a near-term issue. But again,
24		what we have to decide and get a latter handle on is
25		what is the correct value and what values were used.
	11	

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

.

10

There were a range of values reported and it wasn't really clear as to what design values we used by each 2 3 icensee. The generic letter would say, "What value did you use? This is the range of values out there." 4 It's conceivable that they still may have not 5 overloaded a tray, even if they had to have made 6 7 adjustments. So, it had to be looked at and examined and a conscious decision be made relative to the 8 9 design of the cable t ays with respect to this issue. 10 That was a matter within the context of the generic 11 letter. 12 COMMISSIONER ROGERS: Just roughly 13 speaking, how much of a tomperature rise would you 14 expect when you've enclosed a cable tray versus just 15 operating in the open air? 16 MR. MIRAGLIA: I'm not quite sure I can 17 answer that. I can give you the ampacity derating 18 factors for a one hour --19 COMMISSIONER ROGERS: Yes. That's not 20 what I --21 MR. RUSSELL: We've had one instance. It was at the Brunswick station where they had some 22 temporary cables which were wrapped with fire 23 insulation resistant material and that resulted in 24 causing an actual fire. So, the temperatures can 25 NEAL R. GROSS

> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N W WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

conceivably get to be high enough that you would have a fire. However, given that this material has been installed for some time and we do not see that circumstance, that's why we say it's a longer term problem with degradation of cable insulation, cable life.

COMMISSIONER ROGERS: Well, yes. That's 7 one thing you'd worry about, but I don't know how the 8 requirements are that are placed on the Thermo-Lag, 9 but you are talking, I know, in your slides here you 10 said that you assumed a 75 degree ambient and a 250 11 degree temperature rise on top of that. So, it had 12 to withstand 325 degrees. Now, if that 75 degrees is 13 much lower than an actual use, the tests really should 14 15 take that into account and the outside of the thermal 16 lag ought to be subjected to a correspondingly higher 17 temperature. Now, I don't know how big an effect 18 that --

MR. MIRAGLIA: I think that predicate would say that the tray was designed properly such that it wouldn't be causing that much of a --

22 MR. RUSSELL: Let me also characterize 23 that the material involved in the Brunswick situation 24 was a wrap for temporary cables. I was just using 25 that to illustrate that there is guite a bit of

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

(202) 234-4433

	22
ı	heating within cables and you are essentially
2	insulating the cables.
3	COMMISSIONER ROGERS: We might be talking
4	about another 25 degrees.
5	DOCTOR THADANI: Commissioner, perhaps
6	Ralph Architzel can address that question.
7	MR. ARCHITZEL: I just wanted to Ralph
8	Architzel, plant assistance explain that the test
9	established certain conditions to rise in open air to
10	90 degrees from a 40 degree ambient and then enclose
11	it and see for the same enclosure, rise it again to
12	90 degrees with the enclosure, how much less current
13	does it take to do that and that's your ampacity
14	derating. All that it's doing is giving you a factor
15	that says when these cables are in this enclosure, you
16	load this many cables in there and you take that much
17	current.
18	COMMISSIONER ROGERS: No, I understand.
19	That isn't my point. My point is that when you
20	enclose it, what is the operating temperature of those
21	cables onclosed? We even derated. How different is
22	it from what you assume to be your ambient temperature
23	for your tests of the Thermo-Lag?
24	MR. MIRAGLIA: Based on Ralph's
25	explanation, it sounds like what it says, is that the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N W (2.12) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

	23
1	maximum ambient would be 90 degrees.
2	DOCTOR THADANI: I think Paul was going
3	to follow up on that.
4	MR. GTLL: I'm Paul Gill. To answer your
5	question, the tests that were conducted were based on
6	40 degree ambient and 90 degree rise. I mean 90
7	degree total temperature or 50 degree rise. However,
8	in some of the tests that I've looked at, final
9	temperature did vary from 90, maybe went up to 91
10	degrees. That's where the tests were based on.
11	However, in actual installation, if you were to carry
12	the same current, the temperature could rise beyond
13	that. We don't exactly have that data unless you go
14	out in the field and measure that. It's all based on
15	an ambient of 40 and a rise of 50 degrees.
16	DOCTOR MURLEY: I don't think we've
17	answered your question. We'll try to frame that
18	COMMISSIONER ROGERS: My question is a
19	different question.
20	DOCTOR MURLEY: I understand your
21	question. We'll try to get back to you on that.
22	COMMISSIONER REMICK: It leads me to ask
23	another question. Was the ampacity rating dependent
24	on the type of cable tray? Some are solid and some
25	are, let's say, webbed or perforated. Does it depend
	NEAL R. GROSS
	1323 RHODE ISLAND AVENUE, N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

on the	type	of	cable	tray	that	the	ampa	city	rating	or
not?										
		MR.	RUSS	ELL:	The	ampa	city	is a	a derati	ing

	for the cable because you have insulated it. So, the
5	factor, if it's applied, if you've done the initial
s	analysis correctly for the cable loading and the
1	current lcading in that tray, whether it's enclosed
3	or open, you have some analysis that supports that
	that loading in that tray is acceptable. If you now
	insulate it, how much do you have to derate the
	current flow through it in order to keep the same life
	of cable? So, it's a sensitivity study that we're
	testing.

COMMISSIONER REMICK: Thanks, but you're confusing me. I thought this was an ampacity rating for the cable tray, the amount of called syou could put in there and not a derating of an individual cable.

18 COMMISSIONER ROGERS: I don't know if it's 19 the individual cable, how much each cable is allowed 20 to carry and derated because it's enclosed rather than 21 operating in the open air.

22 COMMISSIONER REMICK: Another approach 23 would be that you wouldn't derate an individual cable, 24 but you would derate the capacity of the cable tray 25 to handle a number of cables so that you wouldn't

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

10

11

11

13

1.4

15

16

1	exceed the heat. I thought it was
2	MR. RUSSELL: I think it can be
3	technically either way.
4	COMMISSIONER REMICK: Well, my point is
5	MR. RUSSELL: We're talking about our
6	existing trays with existing cables in them
7	COMMISSIONER REMICK: Right.
8	MR. RUSSELL: And you're insulating it and
9	that has either the effect of raising the temperature
10	which would degrade the insulation life and so you
11	want to keep that temperature low so that you're not
12	shortening the life of the cable.
13	COMMISSIONER REMICK: No, I understand
14	this is now in either case
15	MR. RUSSELL: You can't do much about
16	changing the current flow in the cables that are
17	already installed. They're physically there.
18	COMMISSIONER REMICK: In either case it
19	seems though that that derating would be dependent on
20	the type of tray you're using. If the bottom of the
21	tray is a wire mest for example, it's going to be
22	easier to dissipate the heat than an enclosed one.
23	My question is is that taken into account or not? I'm
24	just curious.
25	MR. RUSSELL: We'll get the specific
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVENUE, N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

(202) 234-4433

information and provide it.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

25

COMMISSIONER REMICK: I think we have it. okay.

DOCTOR MURLEY: Why don't we supply that. COMMISSIONER REMICK: Okay. Fine. Good. MR. MIRAGLIA: (Slide) Slide 9, please. Slides 9 and 10 represent a listing of the qualification acceptance criteria for fire barriers. Appendix R of our regulations, particularly Section III.G.1.a, requires the safe shutdown capability, the protection of at least one fire train -- one train free from fire damage. That's usually done by barriers as indicated and those barriers would be relied upon to protect the system for one hour or three hours. The one hour, again, would be supported 16 by detection and suppression, fire protection devices 17 as well.

18 The cable tray fire barriers must meet the 19 requirements of an ASTM standard E-119. The other 20 standard that's represented in parentheses, National 21 Fire Protection Association Standard 251, is 22 equivalent to the ASTM E-119. Both standards have 23 been articulated as acceptable criteria in branch 24 technical position 9.5.1.

The SRP for the review of this material

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

defines the fire barriers as those rated by approved laboratory and meet the fire resistant ratings established by NFPA 251. The NFPA 251 standard is silent on cable tray applications. However, we've designated the use of the non-load bearing wall standard as the appropriate one in our review of this issue and that's indicated in General Letter 86-10.

Slide 10 lists some of the (Slide) 8 requirements with respect to the barrier in terms of 9 passage of flame and transmission of heat. The 10 standard does indicate 250 degrees above ambient. In 11 General Letter 86-10, we articulated that 325 would 12 be an acceptable standard from the perspective of the 12 NRC regulations and that's 250 plus an ambient of 75 14 and that was the derivation of the 325. If a material 15 tested meets the 325, it's a clear go. It's 16 17 acceptable. If it exceeds the 325, one has to have further justification and analysis to support the 18 reasons why it's acceptable above that standard. 19

Generic Letter 86-10 said justification could be based upon temperatures less than the ignition temperature for the cables. Ignition temperatures of cables run in the order of 450 to 650 degrees fahrenheit.

COMMISSIONER REMICK: What kind of a flame

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

25

1

2

3

4

5

6

7

is used?

2

3

4

5

6

7

MR. MIRAGLIA: There is a standard, the time temperature curve. We have some slides later on that give an idea of what the thermal loadings are, but there's also a temperature, certain time temperature and that's also specified in the ASTM E-119.

8 There was a substantive review in the 1984 9 to '86 time frame about fire protection requirements. 10 Appendix R was issued. There was branch technical 11 positions and there were evolving criterion standards. In the '84 to '86 time period, there was a review, 12 13 there was a special review group that examined the acceptance criteria and the requirements and criteria 14 15 that had been specified that would provide a basis for 16 meeting the Commission's regulations.

17 The bottom line of that group was that 18 there was sufficient guidance and acceptance criteria. 19 It should be collected in one place in an SRP and that 20 there ought to be a generic letter that articulates what's in that SRP and we're directed to conduct 21 22 workshops and that generic letter provided 23 interpretations and question and answers that came out 24 of that workshop. So, 86-10 was supposed to be the 25 end of any concerns relative to what the acceptance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005 criteria were for meeting various fire protection requirements.

The review team felt that the acceptance 3 criteria has been articulated by the NRC in the 4 conduct of that review, but the questions raised in 5 looking at this Thermo-Lag issue does indicate that 6 perhaps licensees have not consistently implemented 7 this criteria, nor has the NRC consistently 8 implemented this criteria. In fact, the review of the 9 test reports that we went back to look at, not all of 10 which had been submitted to the staff, some were 11 docketed and some were not. 12

The questions we raised raised question 13 in our mind relative to the depth and scope of our 14 review of these qualification testing initially. This 15 16 is an issue that the special review team identified that were programmatic aspects that needed to be 17 examined. We'll discuss later in the presentation 18 what of our action plan does include a look back by 19 the staff into the licensing and inspection programs 20 that we had conducted to date as well. 21

There have been a number of recent tests of fire barriers, Thermo-Lag fire barrier by Thermal Sciences, by Texas Utilities and we've also conducted some very small scale tests at the National Institute

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

(202) 234-4433

1	of Standards Technology. The tests that we're going
2	to discuss have been observed, were witnessed by NRC
3	staff. Mr. Madden, most if not all, has witnessed
4	most if not all of these tests. So, the actions that
5	we've taken to date are based upon our understanding
6	of those tests. The findings are preliminary in that
7	we don't have detailed documented test reports and
8	we've designated the findings as preliminary and that
9	should be understood at this time.
10	With that, I'd like for Pat to summarize
11	briefly the recent fire testing activities.
12	MR. MADDEN: (Slide) Yes. If I can slide
13	11, but first I'll pass out some samples of this
14	material you may or may not be aware of so we can get
15	straight on the terminology.
16	This is a trial grade material which is
17	used to prebutt the joints and join the boards
18	together. This second panel, the first panel I passed
19	around was a one hour panel and this one be careful
20	with this one. It's a three hour panel. But we
21	wanted to show you the depth and the thickness of the
22	two different materials used for one hour and three
23	hour.
24	COMMISSIONER ROGERS: It's got a big void
25	in it. Is that from lay-up or is that from
	NEAL R. GROSS

3

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

manufacturing?

1

2	MR. MADDEN: That's from manufacturing.
3	That's the one hour panel after it's been
4	exposed to a fire. As you can see, it intumesces or
5	grows in thickness. It changes chemically and it
6	builds up a char layer which in turn insulates the
7	cables. That's part of the importance of the
8	material, is to hold the char layer in place.
9	COMMISSIONER REMICK: Are there gaseous
10	releases when it's fired?
11	MR. MADDEN: Yes, there are gaseous
12	releases.
13	COMMISSIONER REMICK: Are they toxic?
14	MR. MADDEN: The toxicity of the gaseous
15	releases, if you were to do a comparison, would be
16	about the same toxicity as Douglas fir wood as it
17	burns or combusts. So, smoke from the fire will get
18	you too.
19	If I can go on into these tests. we did
20	on June 9th witness Thermal Science, their test which
21	was a one hour configuration, an enhanced
22	cc figuration at Omega Point Labs in San Antonio,
23	Texas. It's from our understanding that when we
24	reviewed the test specimen that the seams and the
25	joints were all enhanced with this wire mesh on the
	NEAL H. GHOL
6	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVENUE, N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-443

(202) 234-4433

(202) 234-4433
outside, with trowel grade material over it. That 1 2 enhanced configuration is not currently installed in any of the plants currently. And we had some 3 indeterminate concerns over that test and the fact 4 that earlier Frank showed you the criteria of the hose 5 stream test, that the hose stream should not penetrate 6 the barrier at the end of the test when subjected. 7 That assembly was penetrated by the hose stream 8 9 significantly. COMMISSIONER REMICK: Are there specs for 10 that type of test also laid out on --11 12 MR. MADDEN: NFPA 251 is the standard. 13 COMMISSIONER REMICK: But it's specified --MR. MADDEN: Yes. 14 15 MR. MIRAGLIA: The standard 251, as I indicated, doesn't specifically consider cable trays. 16 It's for non-bearing walls. 17 18 MR. MADDEN: Yes. MR. MIRAGLIA: The standard was directed 19 at non-bearing walls. 20 MR. MADDEN: When this stuff was 21 originated, that was the closest standard that the 22 staff had to use that could apply to the testing of 23 this material. 24 25 CHAIRMAN SELIN: Have you finished NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

1.1

1	answering Commissioner Remick's question?
2	MR. MADDEN: Yes.
3	CHAIRMAN SELIN: Let me see if I
4	understood what you said. Number one is material that
5	was subjected to this test on June 9th was not the
6	same material that has been delivered and installed
7	in plants.
8	MR. MADDEN: It's the same material as the
9	one hour panel but the seams and the joints have been
10	enhanced by a different installation procedure.
11	CHAIRMAN SELIN: So, it's not the material
12	as delivered and installed in any plant.
13	MR. MADDEN: It's the material as
14	installed but it's not the same installation process
15	that is installed in the plant.
16	MR. MIRAGLIA: The basic barrier material,
17	Thermo-Lag, is the same. The enhancement has been in
18	the installation procedure that put the test
19	configuration together. Most of the facilities out
20	there today in constructing a cable tray barrier would
21	have butted the joints together and they would be
22	prebutted with the trowel grade that would cure and
23	there would be bands at some specified distance
24	according to the material installation procedures.
25	This test configuration that Pat is
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
-	1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

1	talking about actually had some stress skin publication
2	those seams and then the trowel grade material put
3	over that.
4	CHAIRMAN SELIN: I'm not trying to figure
5	out whether the problem is with TSI or the utilities
6	at this point. I'm just saying that the material that
7	was tested had characteristics which were superior to
8	material as installed in the plants.
9	MR. MIRAGLIA: That's correct, yes.
10	CHAIRMAN SELIN: Okay. And so, for that
11	reason, your conclusion is that doesn't tell us
12	whether the material as installed will withstand
13	the
14	MR. MIRAGLIA: As currently installed.
15	That's right.
16	CHAIRMAN SELIN: Furthermore, even with
17	this material on it, it failed the hose stream.
18	MR. MIRAGLIA: And we have some additional
19	questions relative to that that we'd like to explore
20	in detail.
21	CHAIRMAN SELIN: So, that's beyond being
22	indeterminate. That's saying that even in this case
23	it failed the hose stream test and therefore the
24	material as installed in the plants probably also
25	failed the hose stream test. Yes? No?
	NEAL R. GROSS
	1323 FHODE ISLAND AVENUE NW
	(202) 234-4433 WASHINGTON D.C. 2006 (202) 234-4433

MR. MIRAGLIA: I think what we're going to find is that a number of the -- one of the issues that we have to address is the applicability and the conduct of the hose stream test and how it was conducted. The standard does provide acceptance criteria that was directed, as I indicated, for 6 freestanding non-bearing walls. Then the issue then 7 comes there is flexibility within the standard to 8 9 change that test procedure with the approval of the permitting authority. We have not -- they may present 10 11 arguments along those lines, but we haven't heard those. That's why we're no' prejudging the outcome 12 13 of that.

14 COMMISSIONER ROGERS: I don't know whether 15 this is the right place to ask the question or not, 16 but I take it that what we've done in setting up our 17 requirements is that we've adopted this national 18 standard that has several parts to it, one of which 19 is the hose stream test, and that in adopting that did 20 we really look at each element of that and decide 21 whether that was particularly appropriate for its use in nuclear power plant or did we just adopt a 22 standard? My guess is we just adopted the standard 23 as it was. 24

For example, would you expect that hose

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

25

1

2

3

4

5

	36
1	stream insult to the insulation to, 1. fact, be likely
2	to take place in a nuclear power plant?
3	MR. MADDEN: If manual fire fighting were
4	to occur by the fire brigade, it's a possibility.
5	CHAIRMAN SELIN: Please continue, Mr.
6	Madden.
7	MR. MADDEN: On June 17th through 24th,
8	1992, we went to Omega Point again to witness some
9	tests that were being done by TU Electric for their
10	Comanche Peak facility. These were one hour tests of
11	plant-specific applications of Thermo-Lag material.
12	(Slide) If I can have the first picture
13	slide, then I'll I guess it's slide 13.
14	We witnessed the one hour test of the
15	conduit configuration and that conduit configuration
16	consisted of a three-quarter, one inch and a five inch
17	conduit assembly coming into connection with the
18	junction box in the center. Based on chat test, there
19	was some difficulty or temperature increases
20	associated with the conduits, the three-guarter and
21	the one inch, that the conduit temperature got to 694
22	degrees. This slide shows the assembly that was
23	tested prior to go into the furnace. You can see the
24	configuration two conduits a junction boy five inch
25	conduit and a three-quarter inch and one inch serduit
60	conduit and a chree-quarter then and one then conduit.

NEAL R. GROSS COURT F.2PORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

٩. COMMISSIONER CURTISS: Just to clarify here, are these tests that we're looking at in these 2 series of pictures, was the material installed in 31 accordance with the instructions in these tests? 4 MR. MADDEN: In accordance with the 5 ő installation procedure that Comanche Peak had 7 developed from the vendor's information. COMMISSIONER CURTISS: And was that 8 consistent with the way the vendor recommended that 9 the material be installed? 10 MR. MADDEN: Yes, sir. 11 COMMISSIONER CURTISS: So the answer to 12 13 my question is these tests involve materials that were 14 installed in accordance with the way the vendor 15 recommended the material to be installed? 16 MR. MADDEN: Yes, sir. 17 COMMISSIONER CURTISS: Okay. 18 COMMISSIONER REMICK: Incidentally, seeing 19 that plus a reminder from Commissioner Rogers that 20 this is a wrap around the entire thing, I withdraw my 21 question about mesh bottom versus solid bottom trays. 22 I forgot that it was a complete enclosure. I was 23 thinking only of a top enclosure. 24 MR. MADDEN: So, that was the assembly. 25 (Slide) If we can go on with the next NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS. 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

color photograph, when subjected into the furnace through the viewing port the furnace actually brings the temperature up to somewhere around 1,700 degrees at the end of the one hour exposure. The increase in temperature is quick over the first five minutes of the exposure, otherwise the temperature comes up very 6 rapidly inside the furnace and then it levels off and is almost constant all the way through the rest of the test. (Slide) Next photograph, slide 14. 10 There was a question earlier about does 11 12 this material off-gas and, yes, it does off-gas and some of the off-gassing is volatile and there is a 13 flammability concern or question that we do have on the material which we are currently reviewing. 15 Once the specimen is subjected to the

16 17 actual fire test, a hose stream test -- and I'll show 18 you the hose stream on this configuration -- it's 19 taken out of the furnace and then it's subjected to 20 the hose stream and at that point then, after the hose 21 stream, it's evaluated for the hose stream, ability of the hose stream to breach the barrier. 22 23 (Slide) Next photograph, slide 15.

24 This is what the barrier assembly looked like after being subjected to the hose stream test. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

7

8

9

	39
1	COMMISSIONER REMICK: Could you interpret
2	that for me? I'm not quite sure
3	MR. MADDEN: Okay.
4	COMMISSIONER REMICK: what I should
5	see.
б	MR. MADDEN: We can go back to that
7	photograph. You or see some of the material has been
8	dislodged from the assembly or from the conduits by
9	the hose stream. If you took a literal interpretation
10	of the Standard, the Standard says that that stuff
11	should remain intact and not allow that barrier to be
12	breached by that hose stream.
13	(Slide) Next photograph, please.
14	That's just another shot of the assembly
15	after the hose stream test.
16	(Slide) If I can have the first cable
17	picture up there, I'll explain what we're going to
18	look at.
19	When the assembly the next day, the
20	following day, we went ahead and disassembled the
21	assembly and pulled out the cables. We were suspect
22	of the three-quarter inch and the one inch because of
23	the temperature rise on the unexposed surface of the
24	material. Three-quarter inch unexposed surface
25	temperature got to 694 degrees and the one inch was
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

1849	
1	at 698 degrees. We had the cables pulled and I
2	believe this is the one inch conduit and we found ϵ
3	section that was blackened as such.
4	(Slide) Next photograph.
5	When we started looking at the cables, the
6	jacket was very brittle and of course charred and we
7	had some questions of the ability in the small
8	conduits of this material to actually protect the
9	cable within the conduit.
10	COMMISSIONER REMICK: Now, remind me. We
11	are looking at cable that was in a small conduit going
12	into a junction box? Is that right?
13	MR. MADDEN: Yes, sir. That was the one
14	inch. Now, the three-quarter inch had two similar hot
15	spots on it.
16	COMMISSIONER REMICK: Okay.
17	MR. MADDEN: The following test witnessed
18	was a 12 inch wide cable tray. Based on examination
19	of cables we did not find any damage to those cables,
20	but we still have some questions considering the tray
21	supports, the hose stream test, and the internal
22	temperature rise of the envelope.
23	(Slide) A 30 inch tray we witnessed, if
24	I could have the next photograph of the 30 inch
25	assembly. This was the 30 inch assembly. Some of the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005
	(eve) connection

1	support questions that we have with regard to the
2	assemblies with TU is that during the test of this
3	material they protected the supports and in plant
4	configurations the supports are not protected.
5	(Slide) Next photograph.
6	During the fire exposure, there are these
7	steel bands that bond the material to the cable tray.
8	Well, the first thing that happens within like five
9	minutes or so of the test, the steel bands start to
10	expand and as they expand they let loose and no longer
1,	at the bottom are responsible for holding the
12	material. The actual material is being held by the
13	trowel grade material and the tightness on the
14	corners.
15	(Slide) Next photograph.
16	At about 17 minutes or so into this test
17	we saw a joint which and you can see the piece of
18	material kind of hanging down there, a joint starting
19	to open up, and we kept watching that joint.
20	(Slide) Next photograph.
21	This was a full shot of the whole joint
22	and it's bowed in the center allowing hot gases from
23	the fire to actually expose the cable at that point.
24	The 30 inch tray, the unexposed surface,
25	the temperature got to 723 degrees and the cable
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

temperature was somewhere around 578 at the time of 2 failure of the cables and the test was terminated at 42 minutes. So, the utility did not do a hose stream 3 test. We wanted to examine the failure. A hose 4 5 stream test didn't make any sense. (Slide) Next photograph. 5 7 This was a breach in the barrier on one 8 of the seams on the side. 9 (Slide) If I can have the next 10 photograph, we'll show you the actual joint that 11 failed. That's the picture of the joint failure. We witnessed several other tests 12 associated with TU. One was a 32 inch wide cable 13 14 tray, enhanced design similar to the TSI test done on June 9th. And then also what we call a "cable tray 15 fire stop" where you terminate your wrap. Another 16 17 tray may come into a T piece and you have to 18 terminate. So, we witnessed that fire test. 19 COMMISSIONER CURTISS: In the earlier 20 slide, slide 12, you noted that some of these tests 21 failed, some of them were indeterminate. I think I know the layman's definition of the distinction 22 between the two. From a regulatory standpoint, what 23 is the difference in terms of a test that fails versus 24 25 one that's indeterminate? Does it suggest a different

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

.

(202) 234-4433

1.01	
1	action on our part?
2	MR. MADDEN: Well, the failure actually
3	was related to cable damage. When we call it a hard
4	fast failure, it's that the actual cables were damaged
5	by the fire and the regulation requires that the
6	cables be free from fire damage.
7	COMMISSIONER CURTISS: We're looking for
0	proof positive that the cables will survive?
9	MR. MADDEN: Right.
10	COMMISSIONER CURTISS: So in either case,
11	failed or indeterminate, that comes up short?
12	MR. MADDEN: In some cases, yes, sir.
13	DOCTOR THADANI: Yes.
14	COMMISSIONER CURTISS: Okay.
15	MR. MADDEN: We've done and I apologize
16	that some of these pictures did not get we have
17	done some series of tests at NIST and I just got the
18	pictures yesterday, as a matter of fact, and I'm going
19	to show you some of the pictures that highlight some
20	of the testing that we're doing just on material or
21	panels with no joints or just the panels themselves
22	and no special configuration enhancements whatsoever
23	other than we're placing the panel on a horizontal
24	plane and testing it in a furnace.
25	(Slide) If I can have the first
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVENUE, N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-443

photograph, this is a one hour panel test. We've thermocoupled it in five locations. We've also put a device on there to measure deflection of the panel during the fire test. It's a small-scale furnace which will model the ASTM E-119 curve. Like I said, there's no seams in this panel.

(Slide) If I can have the next picture, this will show an overview of the furnace arrangement and how small-scale the actual furnace is. The specimen was basically exposed to a two by two fire or two feet by two feet. The specimen was exposed to the atmosphere of the furnace.

Next --

14 CHAIRMAN SELIN: What are we to make of 15 the fact that it's such a small-scale furnace? Is 16 that significant?

MR. MADDEN: Well, actually what we're doing is just attacking the material itself. We're not attacking the structural stability of the material and that's what I'm trying to communicate here. It doesn't seem to be a -- with this furnace arrangement, the structural stability of the material is not in question because it's not a wide span, for example.

CHAIRMAN SELIN: Okay.

COMMISSIONER ROGERS: On this furnace or

NEAL R. GROSS CO JRT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

24

25

(202) 234-4433

	42
1	any of these furnaces, are they specified in the code
2	as to what that furnace's characteristics are supposed
3	to be?
4	MR. MADDEN: The full-scale test, the
5	furnace characteristics are specified in the code,
6	yes.
7	COMMISSIONER ROGERS: What are they? Do
8	you know what they are off-hand?
9	MR. MADDEN: Well, it's supposed to have
10	a dimension of ten by ten or 100 square feet of
11	exposed gas surface and any specimen that you would
12	place in there should be if you were doing a wall,
13	for example, you should have I think a nine by nine
14	wall assembly attached to the furnace and exposed to
15	the actual fire.
16	COMMISSIONER ROGERS: What about
17	Commissioner Remick asked a little bit about the flame
18	test. What is the nature of the combustion area? How
÷9	well is that specified in these tests?
20	MR. MADDEN: The furnace gas is usually
21	specified. The thermocouples that drive the furnace
22	are specified. And I think some of the construction
23	techniques as far as heat losses out of the furnace
24	are also specified.
25	COMMISSIONER ROGERS: And the temperature
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	(202) 234-1433 WASHINGTON, D.C. 20005 (202) 234-4433

1	rise inside the furnace?
2	MR. MADDEN: Is also specified.
3	MR. MIRAGLIA: Time and temperature.
4	MR. MADDEN: Right.
5	COMMISSIONER REMICK: Are those tied in
6	any way to ome type of fire? Wood fire, oil fire,
7	hydrogen fire or anything? How does it relate back
8	to a practical possibility of fires? Is there any
9	relationship?
10	MR. MADDEN: Yes. They're all based on
11	some early NBS testing that was performed and they
12	derived or determined the actual curves based on full-
13	scale fires in buildings and generated that over
14	you know, if you wanted to resist fire or have a
15	structure for, let's say, a concrete or a block wall
16	to resist fire from propagating from one structure to
17	another structure, this is the potential heat curve.
18	COMMISSIONER REMICK: What I was getting
19	at, what type of fire?
20	MR. MADDEN: Ordinary combustibles.
21	COMMISSIONER REMICK: Ordinary
22	combustibles, not necessarily what I'm thinking of
23	is a hydrogen fire in
24	MR. MADDEN: No.
25	COMMISSIONER REMICK: the turbine
	NEAL R. GROSS
	JOURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVENUE, N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

generator area or something like that.

3

4

5

MR. MADDEN: No.

COMMISSIONER REMICK: It's not that hot? MR. MADDEN: No.

COMMISSIONER REMICK: All right.

MR. MADDEN: (Slide) If I can have the 6 7 next photograph, on July 14th NIST ran a shake-down 8 test for us on one panel to make sure that the furnace 9 was tracking properly in accordance with the curve, 10 that their computer program was working properly and 11 the actual furnace was working properly. It appeared 12 that the furnace and everything at the end of the test 13 -- they didn't thermocouple the first sample that we used completely, but at the end of the first test they 14 saw these results about 40 minutes, that the material 15 started glowing red and the furnace was tracking 16 17 properly to the ASTM curve. And they kind of set that sample aside and we said, "well, you know, this was 18 19 a shake down test of the furnace. Let's see what 20 happens on the actual test now that we've got all the bugs out of it." So I just wanted to highlight that 21 glowing portion, because we did see similarities the 22 23 following day when we did the actual test.

(Slide) If I can have the next slide, which is of the actual test, within that test at 22

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1923 PHODE ISLAND AVENUE, N.W. HINGTON, D.C. 20005

(202) 234-4433

24

25

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on <u>July 30, 1992</u>, in the Commission's office at One White Flint North, Reckville, Maryland. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determination or beliefs. No pleading or other paper may be filed with the Commission in any proceeding is the result of, or addressed to, any statement of aroument contained herein, except as the Commission may authorize.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 323 PHODE ISLAND AVENUE, H.W. WASHINGTON, D.C. 20005

.

48 minutes all five thermocouples reached or exceeded 325 1 degrees and at 40 minutes the surface temperature of 2 the material was at 572 degrees. Within 46 minutes 3 into the test of a one hour test, we had burn through 4 of the panels, of the panel, so at that point the 5 temperature of the surface went up significantly. 6 CHAIRMAN SELIN: If I followed your 7 argument, you're saying this is a more -- less 8 rigorous test of the materials than the previous one, 9 because you've taken out the physical buckling and 10 21 stretching. MR. MADDEN: Right. 12 CHAIRMAN SELIN: You have a very small 13 piece, so the physical strain at the surface should 14 15 not be an issue. MR. MADDEN: Right. 16 17 CHAIRMAN SELIN: It's just a question --MR. MADDEN: Material properties. 18 CHAIRMAN SELIN: -- of the thermal --19 MR. MADDEN: Thermal dynamics of the 20 21 material. CHAIRMAN SELIN: Okay. 22 23 MR. MADDEN: (Slide) If I can get the next slide, we did a -- this is at the end of one 24 hour, the actual surface of the material and what it 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

.3	49
1	looked like, fully blackened. It started out
3	originally white, as you saw. There were burn holes,
3	I think four actual burn-throughs of the material.
4	CHAIRMAN SELIN: It's clear, if I might
5	just use the time effectively, that there's serious
6	problems with the material at least as installed in
7	the current places.
8	MR. MADDEN: It seems to be configuration-
9	dependent. Horizontal surfaces do not work as well
10	as vertical surfaces.
11	CHAIRMAN SELIN: What I really want to
12	make sure there's enough time for the Commission to
13	go into is the actions that
14	MR. MADDEN: Yes, sir.
15	CHAIRMAN SELIN: these steps. Clearly,
16	one is uncomfortable about relying on the barriers.
17	How uncomfortable can be determined, so let's make
18	sure we have enough time to discuss what
19	MR. MADDEN: I have one more, just one
20	more, the three hour panel.
21	The three hour panel when we tested it in
22	the same configuration, the surface temperature at two
23	hours and two minutes exceeded the 325 and the surface
24	temperature was at 403 degrees at three hours. That
25	panel secmed to perform a little bit better than the
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVENUE, N.W.
	(cuc) con-9533 WASHINGTON, D.G. 20005 (202) 234-4433

	50
1	one hour panel.
2	CHAIRMAN SELIN: I forgot. What's the
3	difference between a one hour and a three hour panel?
4	MR. MADDEN: Thickness, sir.
5	CHAIRMAN SELIN: Just thickness. Same
6	material?
7	MR. MADDEN: Same material.
8	MR. MIRAGLIA: And it has the stress
9	material on both surfaces.
10	MR. MADDEN: And that's basically the
11	presentation I wanted to make.
12	MR. MIRAGLIA: As a result of the fire
13	testing that we observed, we took certain actions.
14	Certainly the performance of the material is very,
15	very configuration dependent and in certain conditions
16	it does compromise the fire protection defense in
17	depth.
18	(Slide) I'm on slide 21.
19	As a result of the results that we saw
20	during the Texas Utility test, the staff put out
21	Bulletin 9201, as was indicated, and that required
22	utilities that had this material installed in small
23	conduits and cable trays larger than 14 inches, I
24	believe the bulletin said, is to examine the areas to
25	protect it in safe shut-down and to provide adequate
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

compensatory measures.

1

2

3

4

5

6

7

8

9

The result of this bulletin has resulted in the establishment of compensatory fire watches in most instances. There have been instances where the utilities have, in lieu of fire watches such as in high radiation areas and inside containment, used closed-circuit TV, but there is compensatory measure in these areas. The basis for that action was the results of the test from Texas Utility.

The 12 inch cable tray test, while we do 10 questions, did perform and provide 11 have Come protection in the one hour barrier sense, and so the 12 focus of the bulletin were those for where the 13 configurations tested were deemed to be failures and 14 that's where the action is directed and those bulletin 15 16 responses are being received today.

17 CHAIRMAN SELIN: You lost me, Mr. 18 Miraglia. Are you saying -- I hope you're not saying 19 that where the results are indeterminate we assume 20 that the barrier was okay and it's only where it 21 failed that we -- what are you saying?

22 MR. MIRAGLIA: The indeterminate test, the 23 12 inch cable tray test at Texas Utility that we 24 deemed to be indeterminate, the barriers did provide 25 one hour protection. We do have guestions as to

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234 - 433

whether the temperature rise met the criteria and 1 there are some questions regarding hose stream 2 The utility has deemed that to be a 3 testing. successful tes' based on the criteria it's testing to, 4 and we're still dialoging on that. 6 We believe that, while it's indeterminate 6 7 in the sense of saying it complies with all aspects of our regulations, it does appear to perform adequate 8 fire protection in performing a one hour -- as 9 performing as a one hour barrier. 10 CHAIRMAN SELIN: Are you suggesting that 11 you're not concerned about the temperature runs or are 12 you taking compensatory measures about the temperature 13 runs? I mean, the barrier didn't fail, but it didn't 14 15 keep the temperature within the --MR. MIRAGLIA: Well, in addition, the 16 17 temperature rise exceeded 325, but the standard is that if it exceeds 325 how high did it get and was 18 there still continuity within the circuits that it was 19 protecting, and the answers to those questions were 20 21 yes. 22 MR. MADDEN: If I can interject, we did examine the cables after the 12 inch cable test and 23 there was no visible damage to the cables. 24 25 CHAIRMAN SELIN: I see. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS. 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005

(202) 234-4433

1	MR. MIRAGLIA: The "indeterminate" is that
2	we have some questions about all aspects of the
3	criteria. But I think in terms of the test, it did
4	demonstrate one hour fire protection, a one hour
5	barrier with the test fire.
6	CHAIRMAN SELIN: Okay.
7	MR. MIRAGLIA: (Slide) Slide 22.
8	I think the compensatory measures do
9	provide early detection and notification of fire
10	conditions and it does minimize the conditions which
11	can challenge the limited endurance of the barriers
12	of the test. On that basis, we feel that with the
13	compensatory measures and the defense in depth,
14	there's an adequate level of fire protection for these
3.5	configurations.
16	(Slide) Slide 23.
17	Additional considerations in this
18	determination is the test fire ratings are shown here
19	are one hour. A one hour test is exposed to a fire
20	of 80,000 BTUs per square foot. A three hour barrier
21	is 240,000 BTUs per square foot. This is the test
22	what the test fire would develop. Typical loadings
23	within the nuclear power plant are shown here. So,
24	the test fire is for fire loadings higher than
25	typically seen in nuclear power plants. The barriers
	NEAL R. GROSS
	1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

do provide some resistance, as shown by the tests. Compensatory measures enhance the fire prevention detection control and suppression and based on the defense in depth program we feel that with the compensatory measures and the information we have to date that the overall level of fire safety is

8 COMMISSIONER REMICK: Just out of 9 curiosity, if we added the turbine building around the 10 generator and the possibility of a hydrogen fire 11 there, I assume that it would be higher than a diesel 12 generator. I assume that's based on oil.

MR. MIRAGLIA: That's probably correct. The turbine generators in most of the areas are outside of the fire protection envelope for most plants.

Pat, would you like to --

18 MR. MADDEN: Yes. There's very little 19 safe shutdown related equipment in the turbine hall. 20 So, the turbine, in most cases, is not really a 21 concern.

COMMISSIONER REMICK: Old plants also?
MR. MADDEN: There's a few. I said most.
MR. TAYLOR: That's being looked at.
COMMISSIONER REMICK: The reason it's

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

17

reasonable.

1 fresh in my mind, having just a couple of weeks ago visited Vandellos 1 in Spain and that fire, it 2 certainly brought home the importance of separation 3 and all those things we talk about in environmental 4 gualification. 5 DOCTOR THADANI: Commissioner Remick, we 6 are looking at that event that happened at Vandellos 7 to see if there are lessons to be learned for us. 8 COMMISSIONER REMICK: Okay. 9 MR. MIRAGLIA: (Slide) Slide 24, please. 10 I'd like to summarize the actions that the 11 staff has taken to date in response to the concerns 12 raised about Thermo-Lag and also to outline the future 13 actions. There have been four information notices 14 issued to the industry. The first one shortly after 15 the special review team was put in place. It was 16 issued in August of 1971 and it was -- I'm sorry, '91. 17 It was relating the River Bend station test results 18 and concerns raised in that experience. 19 In December of '91, additional information 20 notice 91-79 was issued and that outlined the concerns 21 22 about installction deficiencies, following the procedures, the importance of installing this material 23 24 properly. In June of 1992, we issued information 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 FIHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

notice 92-46 which was the special review team report and a summary of information to date. Early this week, I believe, we issued an information notice that summarized the results of the NIST test that Mr. Madden described to you. The June notice also provided a summary of the TU tests that were described today.

8 We've completed a special review team 9 report. We did draft a generic letter. That draft 10 generic letter was discussed at a public meeting with 11 NUMARC in February. The thrust of that meeting was 12 to elicit NUMARC's aid in coordinating industry's 13 response to the concerns raised by the special team 14 review.

15 CHAIRMAN SELIN: Are there any activities 16 that would have -- activities of short-term safety 17 significance that would have been kicked off had that 18 letter been issued that have not been kicked off 19 because the letter is still under discussion?

20 MR. MIRAGLIA: No, 5xr. I think the 21 compensatory measures are a result of the testing. 22 That was important. The testing pushed the 23 compensatory measures and we had concerns. I think 24 the testing confirmed some of the findings of the 25 special review team that there were perhaps

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1923 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

4

5

6

7

ġ,

(202) 234-4433

performance issues with the material installation questions and that perhaps additional qualification testing needed to be done for a specific configuration installed in facilities.

As I said, we met with NUMARC. NUMARC 5 indicated that they would put a group together to work 6 They indicated that based upon the draft 7 with us. letter alone they didn't have sufficient technical 8 basis to fully understand some of those issues and as 9 10 a result of that from March through May the staff released special review team trip reports. 11 We 12 provided the test reports that the -- the list of the test reports that the special review team did review 13 and eventually published and provided in May the 14 15 special review team report that was appended to the June information notice. 16

17 Since that time, the special review team 18 report was provided to the staff and the staff has developed an action plan to coordinate future staff 19 actions. There is principally four elements in this 20 staff action plan and that's to continue to identify, 21 coordinate and resolve the technical issues with the 22 23 industry. That's an ongoing activity. Mr. Russell has been in connection with NUMARC and we're talking 24 about a meeting with early August to further continue 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

the discussions.

2	NRC testing of Thermo-Lag fire barrior
3	material is proceeding. As Mr. Madden indicated,
4	we've done these small-scale tests. We have several
5	more small-scale tests planned and we're preparing
6	some large-scale configurations to test. That
7	planning process has been in place. That was
8	instituted back under the auspices of the special
9	review team and it has been continued.
10	In addition, as I said earlier, there were
11	some concerns as to whether the industry and the staff
12	had informally and consistently been implementing all
13	of the acceptance criteria specified in the standards.
14	As a result of that, the special review teams
15	indicated that an assessment of our fire protection
16	program should be considered. That is a distinct
17	element of the action plan. That would look at the
18	types of reviews, qualification tests that have been
19	done.
20	The principal focus right now would be to
21	resolve those questions and issues in the context of
22	resolving the Thermo-Lag issues. But we're not going
23	to stop just there. We're going to look at the entire
24	program. All of those activities will provide
25	additional input and development to improvements in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

10 M.S.

(202) 234-4433

1

our inspection program aimed at assuring that the Thermo-Lag resolutions are appropriately applied. And also that any lessons learned are factored back into the inspection program.

That concludes the staff presentation. 5 In summary, there are concerns. It is an important 6 issue that needs to be dealt with. There are certain 7 regulatory issues that certai , y have to be dealt with 8 in the context of resolving this issue. We've acted 9 based upon the test data that we received to date. 10 Compensatory measures have been put in place for those 11 12 configurations where we have concern and we're going to continue to work with the industry in resolving 13 14 this issue. The development of the generic letter is proceding and will be put through the Agency's 15 process for CRGR review and the like. 16

17 CHAIRMAN SELIN: I'd like to share some 18 impressions, if I might. First of all, I am impressed 19 by the thoroughness and professionalism of the staff 20 once this program got started. Clearly, each test 21 raises a lot of questions. You rollowed up with these 22 questions in excess, but there's a long way to go. 23 MR. MIRAGLIA: That's correct.

CHAIRMAN SELIN: Related to that, if we had designed a test case to prove the benefits of

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1321 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

24

25

1

2

3

4

(202) 234-4433

standardization, I don't think we could have done 1 better. But there's a lot of work to be out there 2 because each plant has done something differently. 3 They have a different configuration, a different 4 installation. So, we're faced with two kinds of 5 uncertainties. One is every place you lift a stone 6 you find more uncertainty. So, there are lots of 7 questions about the test program that the manufacturer 8 had, the installation procedures, the thoroughness 9 with which the licensees followed up on the 10 installations. We have science questions, technical 11 questions, operations questions, insulation questions 12 13 and just sort of basic uncertainties.

As I hear you go through these programs, 14 and it's very clear you appreciate the depth and 15 breadth of what's going on, it means it's going to be 16 a long time before we have confidence that the 17 18 insulation as installed carries out the job that it's supposed to carry out. You're also clearly going to 19 20 have to go back and take a look at some of these test programs to make sure that the testing is really for 21 22 what we want. For instance, the rules say 325 23 degrees. You find almost twice that rise. It didn't 24 seem to affect the cables because there's a safety relationship with that number. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

6.3

MR, MIRAGLIA: That's correct	That's correct.
------------------------------	-----------------

2	CHAIRMAN SELIN: So, even the. 'here's
3	a lot of work. We're relying on compensatory measures
4	to keep these plants safe while these questions go on.
5	It's true, as you said at the beginning, that we have
6	a defense in depth philosophy. On the one hand, that
7	implies that we're not completely dependent on, say,
8	the insulation or things that can compensate. On the
9	other hand, we're not going to allow this compensation
10	to go on indefinitely because it means in the long run
11	we wouldn't have much depth.
12	MR. MIRAGLIA: That's correct.
13	CHAIRMAN SELIN: Now, are you comfortable
14	that you've taken the steps that there will not be a
15	kind of fatigue that comes in as this program grinds
16	on, as we find that each guest on raises two more
17	guestions, that fire watches and things like that will
18	be satisfactory for what could be really quite a long
19	time and not just a short, acute time saving area?
20	MR. MIRAGLIA: To quote a great American,
21	Yogi Berra, it's deja vu all over again in your
22	initial implementation of Appendix R for operating
23	plants. Compensatory measures, many utilities did not
24	have barriers installed. There were tolling
25	requirements within that regulation, by time such and
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

such these requirements had to be met. Those 1 requirements were met in large part, for long periods 2 of time, by compensatory measures such as fire 3 watches. So, we're back to the early implementation 4 of Appendix R in some respects. 5 CHAIRMAN SELIN: Well, you're better than 6 7 that. MR. MIRAGLIA: In terms of long-term fire 8 watches within facilities, it's in a smaller amount 9 of areas. There is a fire protection program. That's 10 in place and there's an infrastructure that perhaps 11 wasn't even there at the earlier time. But in the 12 context of long-term compensatory measures such as 13 those that we're relying on, as you pointed out, Mr. 14 15 Chairman, chey will perhaps be in place for awhile. 16 We've had that type of experience. In cases where the fire watches were not diligent, there have been 17 enforcement actions and in some cases escalated 18 enforcement actions. 19 So, there are the tools for trying to 20

maintain that diligence. The fire protection program does require training of these individuals and also a quality control assurance program and oversight of these kinds of things. So, we've had that experience before. We may be in it for awhile. It's going to

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE. N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

take time to resolve these issues. I think it's in our best interest and the industry's best interest to work and focus on this thing to resolve it as soon as possible.

CHAIRMAN SELIN: Mr. Russell?

MR. RUSSELL: I'd like to characterize two 6 7 elements that we have in the action plan that I think are important at this point. One is the programmatic 8 9 review. I think the concerns over the review of test 10 reports that were submitted or looking at test reports in the field as it relates to Thermo-Lag may also be 11 12 a concern for testing for other types of material. That is explicitly a part of the staff's action plan 13 14 to get its arms around the scope potentially of this 15 problem. We expect to complete that portion of the 16 review fairly quickly and intend to have our own 17 programmatic internal review completed by January.

18 The second element relates to the comments 19 on acceptance criteria. A key element in this action 20 plan which is in phase one of the plan is to develop better definitive guidance for what would 21 be 22 acceptable to the regulator for this application, 23 whether it is some temperature greater than 325, 24 whether it's application specific, and to identify those cases where we would want to see and review the 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 FHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

(202) 234 4433

specifics because it may be a close call or others which may be clearly acceptable and would not require prior NRC review. Those two elements we are giving priority to in our plan that we have that's been approved within NRR.

CHAIRMAN SELIN: I sincerely hope that the 6 7 licensees and NUMARC and everybody understands that 8 these compensatory measures are deadly serious, and 9 I choose these words very carefully. The longer it 10 takes to get the generic letter done and the testing 11 done, the longer these unusual measures, expensive, 12 time-consuming measures will have to be relied on. 13 And that's in nobody's interest, but it may take 14 awhile. Our inspection program will have to treat 15 these as fire barriers, if you will. But these are 16 not just easy measures to get over a difficult 17 situation.

I'm impressed more than I'd expected with the thoroughness of the testing work, but I'm more impressed also with the amount of time that the industry, the licensees may be faced with these compensatory measures. They're clearly not going to be cleared up overnight.

MR. TAYLOR: That's why we looked to the industry working on this subject pretty hard with the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WAGHINGTON, D.C. 20005

(202) 234-4433

24

25

1

2

3

4

5

. . .

(202) 234-4433

staff. That's really what this is about.

1

2 CHAIRMAN SELIN: Commissioner Rogers? COMMISSIONER ROGERS: Yes. I'd like to take a little different tack here. I think it is deja 4 vu all over again in some ways. I don't have any 5 concern really that the staff won't very assiduously 6 pursue all issues here with respect to the fire 7 protection. But I think that what I'm concerned about 8 is because of the sansitivity of this kind of an 10 issue, and we're all concerned about fire, that we 11 also look very carefully at what we come up with here 12 as it affects the overall safety of the plant. It's 13 very easy to get carried away. We know that in come instances improving fire projection has made it more 14 15 difficult to maintain systems and inspect systems, and 16 perhaps has, in fact, degraded overall safety even 17 though it's improved fire safety. I would sound a 18 little different .ote here, that in this assessment of our fire protection program that we pay particular 19 attention to the impact that whatever we do on the 20 21 overall safety of the plant not imply the fire safety 22 of the plant, which we're all concerned about. I'm 23 not trying to minimize that, but I think it's very 24 easy to forget when you're pursuing one particular 25 objective that you may be degrading other important

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

	66
1	aspects of the plant. I would just sound that note
2	again.
3	DOCTOR MURLEY: That's a very good point.
4	We re face here though with a specific weakness and
5	a specific material.
6	COMMISSIONER ROGERS: Oh, absolutely.
7	DOCTOR MURLEY: And its application and
8	we have to deal with that. Your point is well taken,
9	that we shouldn't go overboard with another kind of
10	requirement on top of this.
11	DOCTOR THADANI: If I may just make a
12	comment, Commissioner Rogers. In fact, we have in our
13	action plan explicitly called out that that be
14	considered. Safety significance the elements we're
15	talking about and that's in the overall context.
16	That's laid out in the action plan.
17	COMMISSIONER ROGERS: Good.
18	The question of these compensatory actions
19	though, how do they is there a concern about the
20	need for some specific exemptions to pursue those as
21	deviations from Appendix R? Do we have to explicitly
22	give an exemption that allows a deviation from the
23	specific requirements of Appendix R?
24	MR. MIRAGLIA: In the implementation of
25	Appendix R or within the context of the licensing to
	NEAL R. GROSS
	COUNT REPORTERS AND TRANSCRIBERS

WASHINGTON, D.C. 20005

(202) 234-4433

į

(202) 234-4433

đ
1 the facility, it's either within the tech specs or the 2 fire protection plan for the facility. It does recognize that certain barriers could be degraded and 3 it does call for certain actions consistent with their 4 tech specs or within the context of their fire 5 protection plan. It does say if these barriers or 6 these systems are degraded, these are the compensatory 7 measures that one puts in place. So, it was 8 contemplated in the initial formulation to the 9 10 program.

11 Some relief in terms of the compensatory 12 measures, as I indicated, may say fire watches. In some instances, utilities have said, "This is a high 13 radiation area. Because of the radiation and safety 14 concern, I don't want to mount a fire watch. I cannot 15 16 institute that fire watch at this period of time. I'd 17 like to modify my tech spec program to say rather than 18 fire watch in this area closed circuit TV." We have 19 been working with the utilities that have those unique 20 instances to modify the tech specs or they've been making the changes consistent with their fire 21 22 protection programs.

COMMISSIONER ROGERS: The Bulletin 92-01, that hasn't been out more than about a month, but have you gotten anything back on that that is particularly

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

23

24

25

(202) 234-4433

useful in the way of responses?

2	MR. MIRAGLIA: As I said, I think the 30
3	day period from the date of the bulletin was last
4	Friday. The latest count that we had, which was
5	probably just before we came down here, shows about
6	20 to 25 utilities. So, that's about half of the
7	sites that have this material have responded. The
8	bulk of those responses indicate that they have
9	mounted compensatory measures, fire watches, and in
10	some instances they've indicated that they have
11	provided closed circuit TV for certain preas.
12	So, they are responding to the bulletin
13	and mounting the compensatory measures, have not
1.4	provided additional insights relative to some of the
15	concerns raised, although it's very, very early. The
16	responses haven't been fully reviewed.
17	COMMISSIONER ROGERS: Thank you.
18	COMMISSIONER CURTISS I just have two or
19	three specific questions, really no general
20	observations to make. Have the licensees been asked
21	to determine or are they going through the process of
22	evaluating whether they have installed the material
22	in accordance with the worderie instructions?
24	MD MTDAGTTAL What is instructions?
29	MR. MIRAGLIA: That is an element that was
25	in the drait generic letter. So, the issue has been

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

out there. In addition, there were information notices to the effect of the importance of the installation procedures. So, as a result of the bulletin, the answer is no, but the issue is out there and the industry is aware of the concerns relative to the importance of installation procedures.

COMMISSIONER CURTISS: Okay. Then the 7 only questions that I have at this point rest on the 8 9 premise that the material was installed correctly. 10 If you -- based upon the tests that you've done and the information that you have, are there specific 11 configurations, and again assuming proper installation 12 the material in accordance with the vendor 13 of 14 instructions, where the configuration you know today 15 would be unacceptable?

MR. MIRAGLIA: I think those configurations that are identified in the bulletin, we're saying large cable trays based on the information to date, and small conduits, we have concerns about those and that's why we've asked for compensatory measures in those instances.

COMMISSIONER CURTISS: And for those configurations, I guess the question now is what to do with respect to the configuration if we've determined that it's unacceptable. Compensatory

> NEAL R. GROSS OURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

1	measures obviously fill the gap, but some action needs
2	to be taken to address those situations.
3	MR. MIRAGLIA: Yes, sir. And there's
4	testing. Texas Utilities has done some testing with
5	enhanced installation techniques and the like to try
6	to demonstrate that suitable performance can be shown
7	for those configurations.
8	COMMISSIONER CURTISS: Okay. On the other
9	end of the spectrum, are there specific
10	configurations, and again assuming proper
11	installation, that you've found that would be
12	acceptable that are not problematic?
13	MR. MIRAGLIA: That we could say at this
14	time clearly meet all acceptance criteria that are
15	specified in the regulations, I guess we would say no.
16	However, based on the questions
17	MR. RUSSELL: We have questions
18	essentially on all the testing to date.
19	COMMISSIONER CURTISS: All configurations.
20	Okay. I don't have any other questions.
21	CHAIRMAN SELIN: Commissioner Remick?
22	COMMISSIONER REMICK: Do we have any
23	knowledge or concerns about this material and its
24	application over periods of time? In other words
25	aging effects. I'm thinking particularly of the joint
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

2)

ů,

8

(202) 234-4433

	N - 2 - 2 - 2 - 2 - 2 - 2 - 2 - 2 - 2 -
1	seal material and so forth. Do we have any knowledge
2	of how that years later, even if properly installed,
3	whether it stands up to just aging effects?
4	MR. MIRAGLIA: That has not been
5	identified as a concern. Most fire protection
6	programs have some surveillance kinds of measures
7	requiring inspection of systems and the like. I'm not
8	quite sure what that would involve for barrier
9	material. Maybe Ashok or Pat could elaborate on that.
10	MR. RUSSELL: I'd like to add I'm not able
11	to answer the question on aging. I'm more concerned
12	about the effects of damage by working on equipment
13	in the area, people standing on lagging insulation,
14	breaking it, damaging it because the seams and the
15	gaps
16	COMMISSIONER REMICK: I was including that
17	in my concept of aging.
18	MR. RUSSELL: are very much of concern,
19	as we saw with essentially new installations going
20	through the test. If someone is standing on it,
21	hitting it with the tool or device, the physical
22	deterioration of the barrier would be of concern.
23	COMMISSIONER REMICK: Yes. Okay. I think
24	I know the answer to this question, but do we have any
25	case of an actual fire in one of our plants where this
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005
	Tener Prove and

: II	
1	material has actually be tested and demonstrated that
2	it did or dia not meet the requirements?
3	MR. MADDEN: An actual fire in the plant?
4	No.
5	COMMISSIONER REMICK: Yes. Okay. One,
6	I want to add to the Chairman's comments, applaud the
7	staff for the effort that you have underway. In doing
8	that, I certainly agree with Commissioner Rogers'
9	observation. At the same time, I must say that if
1	there's anybody doubts the urgency of moving ahead,
1.	I suggest that you recommend to them that they go see
12	the Vandellos plant in Spain. It certainly brought
13	home to me, as I said, the importance of separation
14	of safety functions and equipment qualification.
15	For those who might not be familiar with
16	that, that was a simple case of a turbine throwing a
17	blade, vibrating, as a result some hydrogen lines and
18	oil lines break, a hydrogen fire which set the oil on
19	fire. The oil went down around the condenser area.
20	They had some rubber expansion joints which burned
21	out, so they ended up with an internal flood on which
27	the burning oil spread throughout the building. There
23	were safety systems that were wiped out. In fact,
24	it's just purely through luck that it didn't wipe out
25	all the blowers for that gas reactor which could have

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

2

led to reactor safety questions.

2	So, it brought home to me the things that
3	you fellows have been working on for years, the
4	importance of some of those things. If anybody doubts
5	the importance of what can be done to cabling by oil
6	fires and so forth, why it's pretty shocking to see.
7	You might suggest they go see that.
8	DOCTOR MURLEY: If I may comment on that.
9	Bill Russell and I and Jack Martin and some of our
10	staff did spend a day touring that plant I guess about
11	two years ago. Since we've come back, we have been
12	looking and have been sensitive to the kinds of
13	failure modes. The oil floated on top of the fire and
14	carried the fire through various parts of the plant
15	that were undreamed of.
16	COMMISSIONER P' HICK: That's right.
17	DOCTOR MURLL so, we are very sensitive
18	to that.
19	COMMISSIONER REMICK: Yes. Good.
20	MR. RUSSELL: In fact, we have is itiated
21	a study of that fire as it relates to implications
22	with respect to what actions we've taken under
23	/, vendix R and I think the most important lesson
24	learned is the need for the responsiveness of the fire
25	brigade for big fires in what I will char cterize as
	NEAL R. GROSS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

- N	
1	the portions of the plant which may not be defined
2	within the scope of \hbar ppendix R for safe shutdown of
3	one train, but which if out of control could
4	potentially migrate or go to other areas.
5	CONSISSIONER REMICK: Absolutely.
6	CHAIRMAN SELIN: Commissioner?
7	COMMISSIONER de PLANQUE: I have just one
8	juestion. In terms of juture testing, are you at the
9	point where you're able to define the whole suite of
10	tests that you intend to do or is that going to be an
11	iterative process as you get results?
12	MR. MIRAGLIA: I think with respect to the
13	NRC program, we're looking at the focur is on logic
14	configurations because it does appear to be
15	configuration dependent, particularly when there is
16	large unsupported sections and segments of this
17	material and that's our focus right now. In addition,
18	we hope that the industry working in concert could
19	cover the array of the multiple configurations. As
20	the Chairman pointed out, these plants are not
21	standardized. Can we cover the array of
22	configurations out there in an efficient and effective
23	way?
24	MR. RUSSELL: I think the answer also
25	somewhat depends upon the results of the tests. In
	NEAL R. GROSS

4

18

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

٠, ۰

(202) 234-4433

ģ

h

(202) 234-4433

74

ŝ

addition, I would characterize the programmatic lock-1 2 back that I suggested. There may to other materials where we have similar question ble results that may 3 indicate a need for some testing and we should have 4 a feel for that so that there may be a reason to 5 6 expand the scope. COMMISSIONER de PLANQUE: Okay. Thank 7 8 you. CHAIRMAN SELIN: I'd like to thank you 9 10 very much. I also would like to make one other 11 observation. That is I am impressed, not favorab'y, 12 with the number of parties who are scurrying for cover 13 when this comes up. There are a lot of contractors, 14 15 vendors, et cetera, that will be involved in this and I would admonish all of them to cooperate fully and 16 try to get the safety questions settled. The question 17 of who shot Cock Robin we can worry about later. 18 19 There's a letter in front of us from Leonard Bickwit on behalf of Thermal Science which 20 basically -- you know, it's a fine thing of saying 21 's all somebody else's fault. That's not the 22 23 The stion right now. The question is what is the safety situation and what can be done about it. I'm 24 sure thore will be plenty of situations later on where 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(c.2) 234 4433

(202) 234-4433

we could find that this party or that party could have 1 avoided some of these risks if they've taken strong 2 steps. But the reliance on these compensatory 3 measures, I certainly feel much more comfortable 4 having gone through the session about them, but this 5 is not a satisfactory long-term solution. 6 I would just use this as an opportunity 7 to talk to all the parties who are involved, each 8 licensee, each vendor, each testing organization, to 9 ask for as much cooperation as possible to try to find 10 out what the facts are and not whose fault it is. I'm 11 sure there's fault for everybody to go around. 12 A very good, 13 Thank you. very professional, very thorough presentation. Thank you 14 very much. 15 16 (Whereupon, at 3:38 p.m., the above-17 entitled matter was concluded.) 18 19 20 21 22 23 24 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

CERTIFICATE OF TRANSCRIBER

This is to certify that the attached events of a meeting of the United States Nuclear Regulatory Commission entitled: TITLE OF MEETING: BRIEFING ON STATUS OF STAFF EFFORTS TO RESOLVE

Thermo-Lag FIRE BARRIER ISSUES ROCKVILLE, MARYLAND PLACE OF MEETING:

DATE OF MEETING: JULY 30, 1992

were transcribed by me. I further certify that said transcription is accurate and complete, to the best of my ability, and that the transcript is a true and accurate record of the foregoing events.

Carlamh

Reporter's name: Peter Lynch

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

FIRE BARRIER SYSTEMS THERMO-LAG 330

TECHNICAL ISSUES AND NRC ACTIONS

SLIDE 1

COMMISSION BRIEFING

JULY 30, 1992

OVERVIEW

- BROWNS FERRY FIRE SAFE SHUTDOWN IMPROVEMENTS
- HISTORY OF THERMO-LAG FIRE BARRIERS PROBLEMS
- NRC ACTIVITIES
- RECENT THERMO-LAG TESTING
- STATUS NRC ACTIONS FUTURE PLANS

BACKGROUND FIRE BARRIER SEPARATION

1975 BROWNS FERRY FIRE RESULTED IN THE NRC TAKING ACTIONS TO IMPROVE FIRE PROTECTION FOR SAFE SHUTDOWN FUNCTIONS

NRC'S "DEFENSE-IN-DEPTH" FIRE PROTECTION PROGRAM RELIES ON PROTECTING SAFE SHUTDOWN FUNCTIONS BY CREATING A BALANCE IN

- FIRE PREVENTION ACTIVITIES;
- ABILITY TO RAPIDLY DETECT, CONTROL, AND SUPPRESS A FIRE; AND
- FIRE SEPARATION OF REDUNDANT SAFE SHUTDOWN FUNCTIONS

WEAKNESSES IN ANY ONE AREA CAN BE COMPENSATED BY ENHANCING THE PROTECTION CAPABILITIES OF THE REMAINING AREAS

SAFE SHUTDOWN FUNCTIONS SEPARATION/PROTECTION METHODS

METHODS (USING FIRE BARRIERS) FOR PROTECTING SAFE SHUTDOWN FUNCTIONS FROM FIRE:

- SEPARATION OF FUNCTIONS BY A 3-HOUR FIRE RESISTIVE BARRIER; OR
- SEPARATION OF FUNCTIONS BY A 1-HOUR FIRE RESISTIVE BARRIER WITH AUTOMATIC FIRE DETECTION AND SUPPRESSION CAPABILITY INSTALLED IN THE AREA OF CONCERN.

THERMO-LAG 330 FIRE BARRIER SYSTEMS

THERMO-LAG FIRE BARRIER SYSTEMS (1 AND 3 HOUR) USED.....

- TO PROTECT ELECTRICAL RACEWAY (CABLE TRAYS, CONDUITS, JUNCTION BOXES, etc.)
- AS FIRE WALLS AND CEILINGS TO SEPARATE FIRE AREAS
- AS ENCLOSURES TO SEPARATE EQUIPMENT FROM THE REDUNDANT SAFE SHUTDOWN TRAIN

HISTORY

- * RIVER BEND LICENSEE EVENT REPORTS MARCH 1987 - FIRE BARRIER CONSTRUCTION DEFICIENCIES APRIL 1989 - REMOVAL OF RIBS AND STRESS SKIN MARCH 1990 - HOLES, CRACKS, UNFILLED SEAMS
- * OCTOBER 1989 RBS SwRI 3-hr TEST 30" CABLE TRAY FAILURE < 1 HOUR
- *** FEBRUARY 1991 ALLEGATIONS RECEIVED**
- * MAY 1991 NRC SITE VISIT TO RBS
- * JUNE 1991 SPECIAL REVIEW TEAM ESTABLISHED
- * OCTOBER-DECEMBER 1992 SRT SITE VISITS: 5 PLANTS
- * DECEMBER 1991 TSI VENDOR INSPECTION
- * FEBRUARY 1992 SRT FINAL REPORT/DRAFT GENERIC LTR

SPECIAL REVIEW TEAM PERSPECTIVE

NRC/NRR SPECIAL REVIEW TEAM CONCLUDED THAT THE FIRE ENDURANCE PERFORMANCE OF THERMO-LAG FIRE BARRIER SYSTEMS WAS INDETERMINATE.

THERMO-LAG FIRE BARRIERS PROVIDE SOME LEVEL OF FIRE PROTECTION. SAFETY SIGNIFICANCE LOW CONSIDERING THE ADEQUACY OF REMAINING PLANT FIRE PROTECTION FEATURES (e.g., FIRE BRIGADE, AUTOMATIC FIRE DETECTION AND SUPPRESSION, CONTROL OF FIRE HAZARDS, AND GENERALLY LOW FIRE LOADINGS).

GENERIC LETTER PROPOSED TO DEAL WITH ISSUES

GENERIC LETTER ISSUES

- * FIRE ENDURANCE TESTING AND APPLICATION OF TEST RESULTS
- * DEFICIENCIES IN THE INSTALLATION AND QC INSPECTION PROCESS
- * AMPACITY DERATING DESIGN BASIS

CABLE TRAY FIRE BARRIER QUALIFICATION ACCEPTANCE CRITERIA

APPENDIX R, SECTION III.G.1.a, FIRE PROTECTION OF SAFE SHUTDOWN CAPABILITY, REQUIRES ONE TRAIN FREE OF FIRE DAMAGE

FIRE BARRIERS RELIED UPON TO PROTECT SHUTDOWN RELATED SYSTEMS HAVE A FIRE RATING OF 1- OR 3- HOURS

CABLE TRAY FIRE BARRIERS SHALL MEET RQMTS OF ASTM E-119, (NFPA 251) INCLUDING HOSE STREAM TEST (APPENDIX A TO BTP APCSB 9.5.1, SECTION 3.D.3(d))

SRP 9.5.1 DEFINES FIRE BARRIERS AS THOSE RATED BY APPROVING LABORATORIES; FIRE RESISTANCE RATINGS ESTABLISHED PER TEST PROCEDURES OF NFPA 251 (see note)

SILENT ON CABLE TRAY APPLICATION - USE NON-LOAD BEARING WALL (GL86-10, 3.2.1) SLIDE 9

CABLE TRAY FIRE BARRIER QUALIFICATION ACCEPTANCE CRITERIA (CONT.)

NFPA 251 REQUIRES:

- NO PASSAGE OF FLAME THROUGH THE BARRIER

- TRANSMISSION OF HEAT THROUGH THE BARRIER TO THE UNEXPOSED SURFACE OF THE BARRIER SHALL NOT EXCEED 250 F ABOVE AMBIENT, AND
- HOSE STREAM TEST; THE BARRIER IS CONSIDERED TO FAIL IF THE STREAM CREATES AN OPENING AND ALLOWS WATER TO PENETRATE THE BARRIER.

NRC GENERIC LETTER 86–10, RESPONSE TO QUESTION 3.2.1 FOR CABLE TRAY FIRE BARRIER COLD SIDE TEMPERATURE CRITERIA, IDENTIFIES NFPA 251 CRITERIA AS PEING ACCEPTABLE TO DEMONSTRATE FIRE RATINGS

- 325 F DERIVES FROM 75 F AMBIENT PLUS 250 F RISE

- MEET 325 F CRITERIA OR PROVIDE JUSTIFICATION

- JUSTIFICATION CAN BE BASED ON TEMP SUFFICIENT < IGNITION TEMP

RECENT THERMO-LAG FIRE TESTING ACTIVITIES

JUNE 9, 1992

THERMAL SCIENCE, INC.

1 HOUR TEST OF ENHANCED 36 INCH TRAY (INDETERMINATE – HOSE STREAM, TEMPERATURE)

JUNE 17-24, 1992

TU ELECTRIC (COMANCHE PEAK)

1 HOUR TESTS OF PLANT SPECIFIC APPLICATIONS

CONDUIT CONFIGURATION (3/4-, 1- AND 5-INCH) (FAILED - THERMAL DAMAGE TO CABLES, 3/4 & 1 INCH) (INDETERMINATE - CONDUIT SUPPORTS, HOSE STREAM, TEMPERATURE)

12-INCH WIDE CABLE TRAY (INDETERMINATE - TRAY SUPPORTS, HOSE STREAM, TEMPERATURE)

RECENT THERMO-LAG FIRE TESTING ACTIVITIES - CONT.

TU ELECTRIC TESTING CONTINUED

1 HOUR TESTS OF PLANT SPECIFIC APPLICATIONS

30-INCH WIDE TRAY (FAILED - FAILURE OF JOINT AND SEAM, FIRE DAMAGE TO CABLES)

36-INCH WIDE CABLE TRAY (ENHANCED DESIGN) (INDETERMINATE – TRAY SUPPORTS, HOSE STREAM, TEMPERATURE)

CABLE TRAY FIRE STOP (INDETERMINATE – TEMPERATURE RISE, TEST CONFIGURATION - VERTICAL RUN, HOSE STREAM)



Multi-conduit assembly prior to fire endurance testing.



Multi-conduit assembly "on fire".



Combustibility of Thermo-Lag - Junction box burning.



Multi-conduit assembly still burning. Prior to water hose stream test.



Multi-conduit assembly after water hose stream test.



Visual damage to Thermo-Lag. Seams, joints, structural integrity, etc.



3/4" conduit cable thermal degradation.



Cable "brittleness".



30" cable tray.



Cable tray during fire endurance testing.



Thermo-Lag fire barrier initial failure at joint.



30° cable tray failure at seam.



After fire test (no hose stream test performed) seam damage.



Joint next to support failed. Temperature rise inside cable tray in excess of 781° F.

ľ

RECENT THERMO-LAG FIRE TESTING ACTIVITIES - CONT.

JULY 15 AND 17, 1992

NATIONAL INSTITUTE OF STANDARDS AND TECHNOLOGY

1-HOUR PANEL TEST (FAILED - SURFACE TEMP. GREATER THAN 325 F IN 22 MINUTES, SURFACE TEMP. 572 F IN 40 MINUTES, BURN THROUGH IN 46 MINUTES)

3-HOUR PANEL TEST (FAILED - SURFACE TEMP. GREATER THAN 325 F IN 2 HOURS AND 20 MINUTES, SURFACE TEMP 403 F AT 3-HOURS)

RECENT NRC ACTIONS

RECENT FIRE ENDURANCE TESTING CONFIRMED THAT CERTAIN THERMO-LAG FIRE BARRIER CONFIGURATIONS COMPROMISE THE FIRE PROTECTION "DEFENSE-IN-DEPTH" FUNCTION.

NRC BULLETIN 92-01, "FAILURE OF THERMO-LAG 330 FIRE BARRIER SYSTEM TO MAINTAIN CABLING IN WIDE TRAYS AND SMALL CONDUITS FREE FROM FIRE DAMAGE," ISSUED JUNE 24, 1992

THIS HAS RESULTED IN THE NEED TO ESTABLISH COMPENSATORY MEASURES (e.g., FIRE WATCHES)

COMPENSATORY MEASURES

COMPENSATORY MEASURE FUNCTIONS ARE TO

- MINIMIZE FIRE HAZARD CONDITIONS WHICH CAN CHALLENGE THE LIMITED FIRE ENDURANCE ABILITY OF THE BARRIER; AND
- PROVIDE EARLY DETECTION, NOTIFICATION, AND VERIFICATION OF A FIRE CONDITION.

CONTINUED PLANT OPERATION WITH THERMO-LAG FIRE BARRIERS

FIRE HAZARD ANALYSIS DEMONSTRATE LOW COMBUSTIBLE LOADINGS FOR MOST FIRE AREAS

 FIPE RATING
 LOADI''G (BTU's/SQ FT)

 1- OUR
 80,000

 3-HOUR
 240,000

TYPICAL PLANT LOADINGS;(BTU's/SQ FT)BATTERY ROOM32000SWITCHGEAR ROOM24000DIESEL GENERATOR ROOM112000

BARRIERS PROVIDE SOME RESISTANCE

COMPENSATORY MEASURES ENHANCE FIRE PREVENTION, DETECTION, CONTROL, AND SUPPRESSION

FIRE PROTECTION PROGRAM IS BASED ON DEFENSE-IN-DEPTH APPROACH - THE OVERALL PROGRAM PROVIDES REASONABLE LEVEL OF FIRE SAFETY

•

STAFF ACTIONS THERMO-LAG

- ISSUED FOUR INFORMATION NOTICES TO INDUSTRY
- COMPLETED SPECIAL REVIEW TEAM REPORT
- DRAFTED A GENERIC LETTER
- ISSUED A BULLETIN
- DEVELOPED ACTION PLAN TO COORDINATE FUTURE STAFF ACTIONS
 - 1. IDENTIFICATION, COORDINATION, AND RESOLUTION OF TECHNICAL ISSUES WITH INDUSTRY
 - 2. NRC TESTING OF THERMO-LAG FIRE BARRIER MATERIAL
 - 3. DEVELOPMENT AND IMPLEMENTATION OF A COMPREHENSIVE INSPECTION PROGRAM
 - 4. DST ASSESSMENT OF NRC'S FIRE PROTECTION PROGRAM

Statement of Leonard Bickwit, Jr. on Behalf of Thermal Science, Inc.

The position of Thermal Science, Inc. on the recent developments regarding Thermo-Lag 330 remains the same as it has been throughout the current controversy. The company has no reservations whatever that its material will perform its functions safely and effectively if properly installed and if used in configurations for which it was tested when supplied to the company's customers. The company has never represented that the material will work in <u>every possible</u> configuration. The company wishes to underscore once again that it will work in <u>tested</u> configurations if properly installed.

Nothing in the recent tests suggests a contrary conclusion. The Comanche Peak tests of previously tested configurations again established the effectiveness of the material. The test <u>failures</u> at Comanche Peak were of configurations that had <u>not</u> been previously tested. Those test results did not conflict with the company's expectations regarding the material or with any representations of the company concerning those expectations. The company has not yet received the data from the Gaithersburg tests, but its reaction to what it has learned through the media is that the tests do not in any way alter the company's position with regard to its material.

In sum, Thermo-Lag is a poduct that has performed effectively over the years in a wide range of commercial applications, and the company is entirely comfortable that it
will continue to do so under the conditions it is designed for. The company will continue to cooperate with the NRC and the industry to resolve the current controversy.

Contact: (202) 626-6030

July 30, 1992