



UNITED STATES  
NUCLEAR REGULATORY COMMISSION  
WASHINGTON, D. C. 20555

PDR

APR 25 1985

Docket Nos.: 50-445  
and 50-446

MEMORANDUM FOR: Chairman Palladino  
Commissioner Roberts  
Commissioner Asselstine  
Commissioner Bernthal  
Commissioner Zech


FROM: Vincent S. Noonan, Director  
for Comanche Peak Project  
Division of Licensing  
Office of Nuclear Reactor Regulation

SUBJECT: BOARD NOTIFICATION - SUMMARY OF MEETING BETWEEN  
CASE, TEXAS UTILITIES AND THE NRC STAFF RELATING  
TO THE CONCERNS OF MESSRS. WALSH AND DOYLE  
REGARDING THE COMANCHE PEAK PLANT  
(BOARD NOTIFICATION NO. 85-039)

This Notification is being provided to the Commission in accordance with the revised Commission's notification policy of July 6, 1984, to inform the Commission on all issues on the cases before the Commission.

On Saturday, March 23, 1985, a meeting was held between CASE (represented by Mrs. Juanita Ellis, Mr. Mark Walsh and Mr. Jack Doyle), the Texas Utilities and the NRC staff. The meeting was held at the Ramada Inn, Arlington, Texas. The purpose of the meeting was to conduct a feedback discussion with Mr. Walsh and Mr. Doyle regarding their concerns about the Comanche Peak Plant, and to also request comments and clarification from them and to allow the applicants to comment and ask questions. The meeting was noticed and transcribed. A copy of the Summary of Meeting with enclosed transcript is provided for your information.

The parties to the proceeding are being notified by copy of this memorandum.

  
Vincent S. Noonan, Director  
for Comanche Peak Project  
Division of Licensing  
Office of Nuclear Reactor Regulation

Enclosure: As stated

cc: See next page

8505010146

APR 25 1985

cc: P. Bloch, ASLB  
W. Jordan, ASLB  
K. McCollom, ASLB  
E. Johnson, ASLB  
H. Grossman, ASLB  
SECY (2)  
OGC  
OPE  
ACRS (10)  
Parties to the Proceeding  
See next page

COMANCHE PEAK

APR 25 1985

Mr. M. D. Spence  
President  
Texas Utilities Generating Company  
400 N. Olive St., L.B. 81  
Dallas, Texas 75201

cc: Nicholas S. Reynolds, Esq.  
Bishop, Liberman, Cook,  
Purcell & Reynolds  
1200 Seventeenth Street, N. W.  
Washington, D. C. 20036

Robert A. Wooldridge, Esq.  
Worsham, Forsythe, Sampels &  
Wooldridge  
2001 Bryan Tower, Suite 2500  
Dallas, Texas 75201

Mr. Homer C. Schmidt  
Manager - Nuclear Services  
Texas Utilities Generating Company  
Skyway Tower  
400 North Olive Street  
L. B. 81  
Dallas, Texas 75201

Mr. Robert E. Ballard, Jr.  
Director of Projects  
Gibbs and Hill, Inc.  
11 Penn Plaza  
New York, New York 10001

Mr. A. T. Parker  
Westinghouse Electric Corporation  
P. O. Box 355  
Pittsburgh, Pennsylvania 15230

Renea Hicks, Esq.  
Assistant Attorney General  
Environmental Protection Division  
P. O. Box 12548, Capitol Station  
Austin, Texas 78711

Mrs. Juanita Ellis, President  
Citizens Association for Sound  
Energy  
1426 South Polk  
Dallas, Texas 75224

Ms. Nancy H. Williams  
CYGNA  
101 California Street  
San Francisco, California 94111

Mr. H. Shannon Phillips  
Resident Inspector/Comanche Peak  
Nuclear Power Station  
c/o U. S. Nuclear Regulatory  
Commission  
P. O. Box 38  
Glen Rose, Texas 76043

Regional Administrator  
U. S. NRC, Region IV  
611 Ryan Plaza Drive  
Suite 1000  
Arlington, Texas 76011

Lanny A. Sinkin, Executive Director  
Nuclear Information and  
Resource Service  
1346 Connecticut Ave., N.W. 4th Floor  
Washington, D. C. 20036

B. R. Clements  
Vice President Nuclear  
Texas Utilities Generating Company  
Skyway Tower  
400 North Olive Street, LB#81  
Dallas, Texas 75201

Ms. Billie Pirner Garde  
Citizens Clinic Director  
Government Accountability Project  
1901 Que Street, N. W.  
Washington, D. C. 20009

David R. Pigott, Esq.  
Orrick, Herrington & Sutcliffe  
600 Montgomery Street  
San Francisco, California 94111

Anthony Z. Roisman, Esq.  
Trial Lawyers for Public Justice  
2000 P. Street, N. W.  
Suite 611  
Washington, D. C. 20036

APR 25 1985

cc: Mr. Dennis Kelley  
Resident Inspector - Comanche Peak  
c/o U. S. NRC  
P. O. Box 1029  
Granbury, Texas 76048

Mr. John W. Beck  
Manager - Licensing  
Texas Utilities Electric Company  
Skyway Tower  
400 N. Olive Street  
L. B. 81  
Dallas, Texas 75201

Mr. Jack Redding  
Licensing  
Texas Utilities Generating Company  
4901 Fairmont Avenue  
Bethesda, Maryland 20814

William A. Burchette, Esq.  
Heron, Burchette, Ruckert & Rothwell  
Suite 700  
1025 Thomas Jefferson St., N. W.  
Washington, D. C. 20007

MEETING SUMMARY DISTRIBUTION

APR 25 1985

Docket File  
NRC PDR  
L PDR  
NSIC  
PRC System  
LB#1 Reading File  
Project Manager S. Burwell  
M. Rushbrook  
Attorney, OELD  
R. Hartfield\*  
OPA\*

NRC Participants

R. Bosnak  
D. Terao  
C. Poslusny  
J. R. Fair  
R. E. Lipinski

OTHERS

bcc: Applicant & Service List

\*Caseload Forecast Panel Visits



UNITED STATES  
NUCLEAR REGULATORY COMMISSION  
WASHINGTON, D. C. 20555

APR 25 1985

Docket Nos.: 50-445  
and 50-446

APPLICANT: Texas Utilities Generating Company (TUGCO)  
FACILITY: Comanche Peak Steam Electric Station, Units 1 and 2  
SUBJECT: SUMMARY OF MEETING BETWEEN CASE, THE COMANCHE PEAK  
RESPONSE TEAM AND THE NRC STAFF RELATING TO THE  
CONCERNS OF MESSRS. WALSH AND DOYLE

On Saturday, March 23, 1985, a meeting was held between CASE (represented by Mrs. Juanita Ellis, Mr. Mark Walsh and Mr. Jack Doyle), the Texas Utilities and the NRC staff. The meeting was held at the Ramada Inn, 700 East Lamar, Highway 157, Arlington, Texas. The purpose of the meeting was to conduct a feedback discussion with Mr. Walsh and Mr. Doyle regarding their concerns about the Comanche Peak Plant, to request comments and any clarification from them and to allow the applicants to comment and ask questions. The meeting was structured to have each NRC team member identify the key issues which he has been reviewing and discuss the status of the NRC effort. The meeting closed with a discussion directed at clarification of the issues and concerns of Mr. Walsh and Mr. Doyle.

A copy of the meeting notice is enclosed (Enclosure 1). The meeting was transcribed and the transcript is enclosed (Enclosure 2). A meeting attendance list is also enclosed (Enclosure 3).

A handwritten signature in cursive script that reads "S. B. Burwell".

S. B. Burwell, Project Manager  
Licensing Branch No. 1  
Division of Licensing

Enclosures: As stated

~~5505060163~~ 18.



UNITED STATES  
NUCLEAR REGULATORY COMMISSION  
WASHINGTON, D. C. 20555

ENCLOSURE 1

MAR 19 1985

Docket Nos.: 50-445  
and 50-446

MEMORANDUM FOR: B. J. Youngblood, Chief  
Licensing Branch No. 1  
Division of Licensing

FROM: S. B. Burwell, Project Manager  
Licensing Branch No. 1  
Division of Licensing

SUBJECT: FORTHCOMING MEETING BETWEEN CASE, THE COMANCHE PEAK  
RESPONSE TEAM AND THE NRC STAFF RELATING TO THE  
CONCERNS OF MESSRS. WALSH AND DOYLE

DATE & TIME: Saturday, March 23, 1985  
12:00 Noon - 8:00 PM

LOCATION: Ramada Inn, Texan Room  
700 Lamar Blvd.  
Arlington, Texas 76012

PURPOSE: To discuss the concerns of Messrs. Walsh and Doyle as  
they relate to ongoing evaluations by the Comanche  
Peak Response Team (CPRT) and the NRC staff.

PARTICIPANTS: NRC CASE  
L. Shaq J. Ellis  
R. Bosnak M. Walsh  
D. Terao J. Doyle  
J. Fair  
P. Chen  
C. Hofmeyer  
C. Poslusny

CPRT  
H. Levin, et. al.

S. B. Burwell, Project Manager  
Licensing Branch No. 1  
Division of Licensing

cc: See next page

NOTE: THIS MEETING WILL BE TRANSCRIBED

Contact: S. Burwell, 492-7038

TRANSCRIPT OF PROCEEDINGS  
BEFORE THE  
UNITED STATES NUCLEAR REGULATORY COMMISSION  
WASHINGTON, D.C.

IN THE MATTER OF MEETING TO §  
CONDUCT FEEDBACK DISCUSSION §  
WITH MESSRS. WALSH AND DOYLE §  
RE CONCERNS ABOUT THE §  
COMANCHE PEAK PLANT §

DISCUSSION MEETING

BE IT REMEMBERED that at 12:00 noon on Saturday,  
the 23rd day of March 1985, the above-entitled matter was had  
at the Ramada Inn, 700 East Lamar, Highway 157, Arlington,  
Texas 76010, before CHET POSLUSNY, Chairman; and the  
following proceedings were reported by Aloma J. Kennedy, a  
Certified Shorthand Reporter of:

KRS

KENNEDY REPORTING SERVICE, INC.

7800 Shoal Creek Blvd., Suite 346-W

Austin, Texas 78757

(512) 458-3297



(817) 469-8930  
Dallas - Fort Worth

THE RECORD NEVER FORGETS

~~8505060166~~ 238 pp.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

TABLE OF CONTENTS

	<u>PAGE NO.</u>
PROCEEDINGS - SATURDAY, MARCH 23, 1985	2
PRESENTATION BY DON LANDERS	3
PRESENTATION BY DAVE TERAQ	22
PRESENTATION BY JOHN FAIR	70
PRESENTATION BY DR. PAUL CHEN	112
CLARIFICATION OF ISSUES (Rom Lipinski and Charles Hofmayer)	191
MEETING CONCLUDED	232



1 disposition items this morning -- or this afternoon --  
2 first, then go into cable tray concerns. And we have a  
3 few structural allegations.

4 So we would like to start off with  
5 Mr. Landers, please.

6  
7 PRESENTATION BY DON LANDERS

8  
9 MR. LANDERS: Good morning or good  
10 afternoon. I'm here to talk really about the draft  
11 report that I submitted to the Staff on February 21st,  
12 and I'm sure that by now everyone has had a chance to  
13 review that so I will not spend a lot of time discussing  
14 specific items other than to indicate that in reviewing  
15 the design process that was in place over a period of  
16 years at Comanche Peak, that I did arrive at some  
17 concerns. And based on those concerns, I made some  
18 recommendations to the Staff, that further work had to  
19 be done before I could make a judgment on the adequacy  
20 of the design that is currently in place.

21 What I would prefer to do is to respond to any  
22 questions or go into detail on issues that I have  
23 addressed in the report, rather than go over them again  
24 in detail since I have already done that in the previous  
25 meeting. If that's acceptable to everyone, I would

1 prefer to do that.

2 MS. ELLIS: I think that -- Juanita  
3 Ellis.

4 I think that probably Mr. Doyle and Mr. Walsh  
5 are much more interested at this point in hearing the  
6 Staff's assessment of the particular technical matters  
7 rather than so much, you know, the design QA aspects of  
8 it. I think that's the primary thing that we would like  
9 to have you address if possible, as much as possible.

10 The others on design QA issues -- as I  
11 mentioned before, there are certain other matters that  
12 we are concerned about which we do want to get some more  
13 information from the Staff regarding.

14 But I think that if I could, I would like to  
15 mention a couple of things here. One thing, the summary  
16 disposition motions, I realize that this is the format  
17 that you want to follow here, but I want to mention a  
18 couple of things about that.

19 One is that first of all, many of the summary  
20 dispositions, if you have not noticed, were signed by  
21 Mark Walsh, and I want to be sure it's clear in your  
22 minds that does not mean that Jack Doyle has no input to  
23 them. And, in fact, many of the things he testified  
24 about are included in those summary dispositions. So,  
25 in other words, this was not just Mark talking or

1 anything like this; this goes far beyond that.

2 Also, I would like also to mention that as far  
3 as we are concerned at this point in time, our current  
4 thinking and our current feeling is that basically all  
5 bets are off as far as the plan that the Applicants  
6 presented, proving whether or not the design of Comanche  
7 Peak was adequate. We think that they are more in  
8 trouble now than when they were when they started out.  
9 And they have not done what they said they were going to  
10 do as far as Cygna, as far as addressing the Walsh/Doyle  
11 concerns. Their expert is somewhere in Wyoming  
12 somewhere on horseback, I suppose. We haven't heard  
13 anything from him yet.

14 The motions for summary disposition leave out  
15 many items which need to be addressed. And I think at  
16 this point in time we are very concerned about the  
17 issues and about the Staff's approach to these issues  
18 because we think at this point, based on what the Staff  
19 has already seen and what we have seen, the Staff should  
20 not be narrowing your perspective to just these motions  
21 for summary disposition.

22 Ken mentioned something about that, I think,  
23 in the last meeting, and I think that that's something  
24 that we want to be very clear about. As far as we are  
25 concerned, all the Walsh/Doyle concerns are still valid

1 concerns. They've not been adequately addressed, and we  
2 think they all need to be. So with that caveat -- I  
3 know that you do want to continue with the motion for  
4 summary disposition on that basis, but I want to make  
5 clear that that was our position.

6 MR. POSLUSNY: Chet Poslusny.

7 Is there nothing that you want to hear further  
8 from Don?

9 MR. WALSH: This is Mark Walsh speaking.  
10 I wasn't aware what the agenda was going to  
11 be, so I'm not prepared.

12 MR. POSLUSNY: Your items here and able  
13 to answer questions.

14 MS. ELLIS: Both Mr. Walsh and Mr. Doyle  
15 have read the transcript of the last two meetings, the  
16 February 26th and 27th meeting, so you don't need to,  
17 you know, repeat the things that were said there. If  
18 there is anything -- what we would like to do is to find  
19 out the Staff's position on these matters as much as  
20 possible.

21 Go ahead.

22 MR. DOYLE: This is Jack Doyle.

23 I think we would also still like to know what  
24 the Staff position is and what he had to say in his  
25 report. So I think his question is valid, is what I'm

1 trying to say.

2 MR. BOSNAK: This is Bob Bosnak.

3 If you read the draft report that Don Landers  
4 prepared, do you have any questions, because he went  
5 into more than just QA. He covered a lot of technical  
6 things. So we wondered if you had any questions that  
7 you might want to ask Don Landers on that report,  
8 particularly on the technical areas.

9 MR. DOYLE: Not really because most of  
10 what he had to say, obviously I concurred with. What I  
11 would like to know is what is the Applicants' position  
12 on his report and what the Staff position is on his  
13 report.

14 MR. BECK: John Beck.

15 Can I interject here if I may? And I'm not  
16 making an observation on what the Staff's intent in this  
17 meeting or get-together was today. Let me make clear  
18 what our intent is and what we would like to assure  
19 happens to the best we can in the course of the  
20 afternoon.

21 As we've indicated in our meetings with Staff  
22 earlier, we're in the process of preparing a  
23 comprehensive response plan to a number of PRT issues.  
24 As a composite piece of that plan, we have also included  
25 what we refer to as "design adequacy." Within that

1 design adequacy umbrella will fall a number of issues,  
2 not the least of which are Walsh/Doyle concerns, if I  
3 could use that in quotes, that are before the ASLB at  
4 this point in time.

5 Our desire today is to be sure that within the  
6 constraints of those Walsh/Doyle concerns that are on  
7 the table that there are not any issues that Mr. Walsh  
8 and Mr. Doyle feel have not been adequately covered or  
9 amplified or clarified in the record because that record  
10 is certainly available to the CPRT.

11 So we want to have that interaction that will  
12 assure us that we're not missing anything if, in viewing  
13 that record, we haven't got the whole story. So it's an  
14 opportunity for CPRT, the Comanche Peak response effort  
15 being led by Mr. Levin, certainly as a whole on design  
16 adequacy, that he has this opportunity to interact.

17 I would like it to be as free and as open and  
18 as comprehensive as Mr. Walsh and Mr. Doyle would make  
19 it, and that's the prime reason we're here.

20 MR. DOYLE: Mr. Doyle again.

21 That's my feelings exactly, is that it should  
22 not be limited to a narrow scope which encompassed only  
23 the summary dispositions because, in the first place,  
24 the summary dispositions only addressed a few areas.  
25 And many of the areas that were discussed as long as

1 almost -- going on three years ago now, were never  
2 touched upon in the summary dispositions.

3 In addition to that, there are other areas  
4 that came out as a result of Cygna which for some reason  
5 also fell by the wayside. We have one motion for  
6 summary disposition that's been answerable within 20  
7 days that's now going on six months with no answers.  
8 And I think what we want to do is get all the points up  
9 now; otherwise, we'll just be going over the same  
10 network all over again at some future date.

11 MS. ELLIS: This is Juanita Ellis again.

12 One of the things, John, that I think needs to  
13 be clarified perhaps that would be helpful to us to know  
14 is how much does your new team know because at this  
15 point in time we're not really sure, having reviewed all  
16 the records, you know. If so, then I think maybe there  
17 is a basis for talking. But if the record hasn't been  
18 thoroughly reviewed as of yet, I think we need to know  
19 where you're coming from at this point in time and what  
20 the status is of that. Could you maybe clarify that for  
21 us?

22 MR. BECK: I won't put words in  
23 Mr. Levin's mouth. I'll let him speak for himself in  
24 that regard.

25 MR. LEVIN: Maybe the first thing,

1 Juanita, would be to discuss how we're going about our  
2 development of initiatives to just the entire design  
3 adequacy question.

4 I think what we want to be sure of is that  
5 we've, in terms of breadth, identified the full range of  
6 issues that may exist on the part of CASE and Jack Doyle  
7 and Mark Walsh, as well as the Staff, as well as Cygna.  
8 And we have been in the process of trying to define  
9 those boundaries.

10 We're not, as part of our program, going to  
11 specifically go after, even though it will include this,  
12 but it will not be limited to specifically going after  
13 issues that are brought forward by any of those parties.  
14 The program is intended to be able to provide an  
15 umbrella that would include those as well as anything  
16 else.

17 So if we achieve our objective in these series  
18 of meetings -- and this is the third in a series. We've  
19 met with Cygna; we've met with the Staff back in  
20 February and here today -- our objective would be to  
21 come up with a program that is broad enough,  
22 comprehensive enough that even if we didn't know about  
23 the specific issues that have been raised by any of the  
24 parties, we would be able to detect those as well as  
25 others.

1           So I'm not sure that in terms of this meeting,  
2 for example, we would have to get involved in every --  
3 you might say microscopic issue, if I can just term it  
4 that way, but we want to be sure that we've got the  
5 general areas identified, the key problems identified so  
6 that we can go forward and know that our program has the  
7 attributes, that we'll be able to identify issues that  
8 are similar to ones that have been brought forward by  
9 the three parties I mentioned, and resolve them.

10           So, yes, I understand there are these 16  
11 areas. We want to be sure that we have a comprehensive  
12 understanding of what they are, anything that's related  
13 to them, and any clarification you would like to  
14 provide. And we'll come forward and undoubtedly have  
15 future meetings where we'll discuss a program that will  
16 deal with those.

17           And I want to assure that you it will not be  
18 limited to the explicit express concern that may be on  
19 the table right now. It wouldn't be a very good program  
20 if we weren't able to address why we don't believe there  
21 are similar concerns that have not been detected today.

22           MS. ELLIS: I think you've hit on one of  
23 the things, one the problems as we see them right now.  
24 You mentioned these are 16 areas. The Walsh/Doyle  
25 concerns go far beyond that, and that's one of our

1 concerns is how much of the record you have reviewed at  
2 this point in time, how much will you have reviewed at  
3 the time you make your proposal April the 1st or  
4 thereabouts, how much have you read of all of this?

5 And I would like to point out, too, you  
6 mentioned that this is a series of meetings. This is  
7 really the first opportunity that Jack Doyle and Mark  
8 Walsh have had to sit down with the NRC Staff people on  
9 a basis like this, on a one-to-one more or less basis,  
10 and discuss these issues. I think it's long overdue,  
11 and I'm awfully glad that we're getting this opportunity  
12 now.

13 But I think that that's one of the primary  
14 reasons that we wanted to have Jack down here is so that  
15 he could discuss some of the technical issues with the  
16 Staff and find out what the Staff's thinking is.

17 MR. LEVIN: Juanita, in the regard, I  
18 believe there are issues beyond the scope of the 16  
19 summary dispositions that, for example, Cygna has  
20 raised. And we've had an opportunity to sit down with  
21 those people and review those. I believe there are some  
22 that are extensions of the 16, for example, that we  
23 extracted out of our February meeting with the Staff.

24 MS. ELLIS: Excuse me before you go on  
25 with that.

1 MR. LEVIN: Sure.

2 MS. ELLIS: The Walsh/Doyle allegations  
3 are closer like 30 -- just for the record.

4 MR. LEVIN: Okay. But I wanted to assure  
5 you that the effort is, in fact, much broader than  
6 those. Our intent -- and I think John expressed it very  
7 well -- is to get a full understanding of that from this  
8 meeting if we could, make sure that those are fully  
9 clarified in our minds in terms of not necessarily in  
10 detail -- okay? -- but to be sure that we have input  
11 that our program will have the key components in it to  
12 address the full range of issues that may be related to  
13 design adequacy question of Comanche Peak.

14 MR. DOYLE: My feeling is that if you  
15 don't have a complete layout of all of the problems, all  
16 of the shortcomings, particularly in the engineering,  
17 and you go through and take another bite at the apple,  
18 then we'll be right back here again for the ones that we  
19 still have in our head.

20 MR. LEVIN: I agree. I agree with your  
21 intent, and I want to make it absolutely clear that our  
22 intent is not to go after the specific issues that have  
23 been expressed. We want to develop a program that has  
24 the capability to detect anything at all that may be  
25 related in terms of the generic implications of the

1 concerns that you've expressed.

2 Now, what we will be able to do in our program  
3 development is deal with the key areas that have been  
4 identified to date, and we have provisions in the  
5 program. We discussed, in the February 26th meeting, a  
6 means of dealing with issues that will come up as our  
7 investigation is ongoing to be sure that components of  
8 the program that need to be added, as the review goes  
9 on, will in fact be added; in other words, that an issue  
10 coming into the process gets properly categorized and,  
11 in fact, there is a program developed to deal with it.

12 I think we would all be somewhat naive to  
13 believe that we could be 100 percent complete at any  
14 point in time, but we need to be flexible enough that  
15 our program can deal with it as time goes on. We're  
16 taking a crack at the record, and I can't quote verbatim  
17 of the specific sources of information that represent  
18 our data base, but it's quite long. And we're in the  
19 process of assimilating that, categorizing it,  
20 cross-referencing it so that we do have a grasp of the  
21 issues.

22 We believe that there are certain sources of  
23 information that get us 90 percent there very quickly --  
24 okay? -- and other sources that either are redundant to  
25 or, you know, represent the last 10 percent, so to

1 speak, that we will have to eventually capture, and  
2 we'll present a methodology for capturing that. But  
3 what we're concentrating on right now is getting the  
4 biggest bang for the buck, so to speak, to get all the  
5 major things categorized first. And you'll see shortly  
6 a program and initiatives that will address those, and  
7 there will be a methodology defined on how we'll deal  
8 with those parts of the record in terms of volume that  
9 need to be addressed but possibly are not -- it would  
10 take a longer period of time to get up front in a  
11 program plan immediately, but there will be a process  
12 defined on how we'll deal with it.

13 MR. DOYLE: My feeling has always been --  
14 and I've said it in testimony and I've said it in  
15 affidavits with caveats -- that I believe the plant can  
16 be saved. However, I don't believe you can address a  
17 problem until you first understand what the problem is,  
18 and that's why I was willing to come down here, is to  
19 get all the factors that I know on the record.

20 MR. LEVIN: I share that objective.

21 MR. BECK: John Beck again.

22 To that extent, Jack, anything that you feel  
23 is not on the record, that's exactly what we want to  
24 hear today because, you know, the record will speak for  
25 itself. And our examination of it and the process of

1 developing CPRT is going to incorporate what we see.

2 MR. DOYLE: Well, we currently have --

3 MR. BECK: If there is something missing,  
4 that's what we want.

5 MR. DOYLE: We currently have, if I  
6 recall, something on the order of -- what? -- 15,000  
7 pages of testimony, several thousand documents plus tons  
8 of summary dispositions, affidavits, answers to summary  
9 dispositions, fourth round answers to summary  
10 dispositions. And for somebody to have to pore through  
11 all of that to have to pull out the elements that are of  
12 concern is overwhelming, and I think we could better  
13 serve ourselves if at this particular point in time we  
14 get all the issues on the table in one concise small  
15 record.

16 MR. POSLUSNY: Could we start with the  
17 Staff's discussion of this.

18 MS. ELLIS: One more thing I would like  
19 to mention again, if I may, before we go on.

20 I think one of the things that we're concerned  
21 about, Howard, is what about things like trends that  
22 have already been identified where you already know  
23 there is a problem? What about correcting those  
24 problems? We're concerned from several aspects. One is  
25 I guess the efficiency of operation, also the cost to

1 the ratepayers, which we're also concerned with. Why go  
2 ahead, if you know there is a problem, are you going  
3 ahead and building the same type of supports, say, in  
4 other areas of the plant?

5 This is the kind of thing I think that we're  
6 concerned about as well as looking at the specific  
7 items. MR. LEVIN: I agree with you. I think there is  
8 a key difference in the way we are approaching this  
9 design adequacy effort as opposed to the way an effort  
10 may have been started a year and a half ago by Cygna,  
11 for example, when they came in and -- essentially  
12 relative to the design question and design verification  
13 of Comanche Peak -- where they had to start with, let's  
14 say, a broad filter and identify areas that required  
15 further resolution.

16 I think to some degree we are at an advantage  
17 of being able to rely upon the work of a lot of other  
18 people, including the Walsh/Doyle efforts in the past.  
19 And so to that extent we're starting there. I think  
20 there is a degree of verification that goes along with  
21 that in terms of trying to appropriately define what the  
22 issues are that we want to attack.

23 But we're not, for example, starting off with  
24 a fresh IDVP. We're, in fact, starting off with the  
25 issues defined. We'll qualify them in terms of

1 describing what problem we really want to attack. Now,  
2 some of them are going to be very direct. We've already  
3 I think we've indicated in past meetings that we're not  
4 going to start, you know, a similar process as may have  
5 existed in the past again. We're going to take direct  
6 solutions. There are certain pieces of hardware that we  
7 believe the most direct path of resolution is to modify  
8 them directly. We're not starting from where maybe you  
9 were two years ago. Okay? We're going to try to take  
10 advantage of that, learn from that, and go and take that  
11 corrective action if it's indicated.

12 So I agree with you.

13 MR. WALSH: This is Mark Walsh.

14 In regards to your program, a trend that I  
15 have seen coming out of these hearings and the motions  
16 for summary disposition is that the Applicant has not  
17 had an effective quality assurance audit program either  
18 from Gibbs and Hill or Grinnell or NPSI or we wouldn't  
19 have these problems right now. So when you go looking  
20 at specific problems, there is the problem. There is  
21 not an effective audit, and it's more than just one  
22 organization. It's the whole plant as a group.

23 Gibbs and Hill structural group had problems  
24 with their cable tray supports, the upper lateral  
25 restraint. The audits that were supposedly occurring

1 were not effective. And just to say, "Well, cable trays  
2 are a problem," it's the whole organization that's a  
3 problem because they failed in their technical audits.

4 And, you know, essentially what I'm getting at  
5 is the solution to that problem is go back and audit, do  
6 a technical audit on all the calculations or whatever,  
7 not just cable trays but the whole smear because they  
8 have failed or we wouldn't have these problems right  
9 now.

10 MR. LEVIN: Mark, I think that certainly  
11 in terms of approach and the way we would like to deal  
12 with that, we are developing a methodology that, for  
13 example, let's say we have an issue in the cable tray  
14 area and we know a few things about that. We know who  
15 did the work; we may be able to learn something about  
16 their programs. Certainly our initial focus would be to  
17 verify the quality of that end product design. Okay?  
18 We need to deal with that.

19 But, you know, as we ask ourselves questions  
20 as to why that occurred, the first place we'll start, to  
21 try to define how broad or narrow it may be, is to test  
22 the work of that group. The first question we ask is:  
23 What else have they done? Okay? And if they have  
24 contributed to other design products on site, then we  
25 will, in fact, go look at those products.

1           But I want to make one thing clear. We still  
2 again -- getting back to Juanita's point -- want to take  
3 advantage of existing work. Cygna has audited  
4 calculations that may be of value or give us some input,  
5 insight into that question as well. It won't be  
6 starting from scratch. I think that Cygna probably has  
7 looked at or other organizations likes TRT -- for  
8 example, you mentioned other calcs in the civil area --  
9 where we'll learn something that will have, you know,  
10 some impact on that question.

11           You know, I look forward to the opportunity to  
12 show you how we're going to do that. I'm trying to pull  
13 out some paper here of the kinds of attributes that  
14 might be considered in such a question in terms of our  
15 trying to either isolate it or, if it is broader, to  
16 identify that fact.

17           Let me list some attributes that would tend to  
18 qualify this, and this is going into the development of  
19 a logic.

20           The first point I mentioned was what was a  
21 common engineering discipline, what the related  
22 engineering disciplines might be, responsible manager or  
23 supervisor, responsible organization, responsible work  
24 centers, interface with other groups, whether it was  
25 done under the same program or related program, same

1 procedures, related procedures, same QA/QC organization,  
2 the same process. Questions like that will be asked to  
3 try to isolate -- either isolate or expand it, as the  
4 case may be.

5 And the list is longer, and we hope to be able  
6 to define a logic that -- this is input into that, and  
7 it's ongoing right now as to how we'll accomplish the  
8 intent.

9 MS. ELLIS: We'll look forward to getting  
10 more on that.

11 One more comment, and then we would like to  
12 hear from the Staff.

13 I just want to point out that Jack and Mark  
14 will do the best they can to respond off the top of  
15 their head here today, but I want to emphasize again, as  
16 far as we're concerned, all the Walsh/Doyle concerns are  
17 still open questions.

18 MR. POSLUSNY: We'll get started. I just  
19 wanted to answer one question. We have not developed  
20 our position on Mr. Landers' report yet.

21 So should we begin. Dave.  
22  
23  
24  
25

1 PRESENTATION BY DAVE TERAQ  
2

3 MR. TERAQ: Dave Terao. Okay.

4 I think the first item of the motion for  
5 summary disposition I would like to talk about is the  
6 issue of stability.7 Let me ask one question before we get into  
8 that. As Chet mentioned, that Don Landers' report is  
9 still in draft form. It's not formally reviewed and  
10 accepted. But at this point one of the purposes of this  
11 meeting, we thought we would like to get your comments  
12 on it so that we could factor it into the final Staff  
13 position. So if you did have any comments, I would like  
14 to hear that today.15 MR. DOYLE: Well, the only point in there  
16 with which I couldn't 100 percent agree with is he kind  
17 of treated seismic lightly. While I do agree that the  
18 transients are more critical and can cause more grief,  
19 seismic is still a problem for the unstable supports.

20 MR. LANDERS: May I?

21 I think, in fact, Jack, that I exclude  
22 stability from that argument, that when I suggest that  
23 I'm not overly-concerned about seismic, I exclude the  
24 stability situation because I'm concerned about the  
25 stability situation in a non-seismic environment.

1 MR. DOYLE: Yes.

2 MR. LANDERS: So when I say my concerns  
3 with respect to seismic, as pointed out on Page 8, are  
4 related to a number of other issues which have nothing  
5 to do, in fact, with the stability issue, but it is  
6 really related to the loadings that are imposed on the  
7 plant versus the loadings for which the plant was --

8 MR. DOYLE: A lot of times I'm reading  
9 this stuff, I kind of read it through a fog. I'm  
10 working 12 hours six days, and then I have to in my  
11 spare time go through all this material.

12 MR. LANDERS: I understand. That is an  
13 appropriate point. I also separate stability from my  
14 lack of seismic concerns --

15 MR. DOYLE: Yes.

16 MR. TERAQ: Okay. This is David Terao  
17 again. And with that, I think it leads right into  
18 stability.

19 What I will basically be doing is getting into  
20 some of the details of the Staff review of the stability  
21 issue. At the February 26th and 27th meeting with the  
22 Applicant, I really did not get a chance to get into the  
23 details. So actually this meeting is beneficial for  
24 both the Applicant and for CASE today.

25 I think, Howard, you wanted me to get into the

1 details at that meeting, but apparently it wasn't  
2 structured for me to do so.

3 Let me just basically try to summarize what  
4 the issue on instability is. This may be a little  
5 rough, and I apologize. But the issue of instability of  
6 pipe supports first came up back in about 1982 when CASE  
7 witness Jack Doyle submitted several preliminary design  
8 drawings of the Comanche Peak pipe supports which he  
9 alleged were unstable. And in particular Mr. Doyle  
10 alleged that the supports utilizing struts or snubbers  
11 in combination with box frames or U-bolts could rotate  
12 around the supported piping due to the presence of gaps.  
13 That was the initial issue of stability back in the  
14 September 1982 hearings.

15 Mr. Doyle also expressed concern about similar  
16 supports without gaps between box frames or U-bolts as  
17 also being unstable because these gaps could be formed  
18 by yielding and cause permanent deformation of the pipe,  
19 box frame, or U-bolt and because friction forces were  
20 insufficient to preclude rotation. That's rotation of  
21 the frame around the pipe.

22 So according to the Applicants -- Mr. Doyle  
23 also raised the concern with double-strutted single  
24 plane frame pipe supports. Following the presentation  
25 of evidence on this issue by the parties, the Board

1 decided in their December 28, 1983, design decision that  
2 the Applicants had not presented sufficient evidence on  
3 the issue of stability, including the safety  
4 significance of the unstable designs and an explanation  
5 of whether or not the problem was promptly detected by  
6 the Applicants' design QA organization.

7 So in response to the Board's two orders, the  
8 Applicants committed to provide a detailed description  
9 of the evolution of the instability issue, and these are  
10 provided in the motion for a summary decision positions  
11 on stability.

12 That's basically the background of the issue.  
13 What I would like to do is first address the Staff's  
14 response to the Applicants' summary disposition motion.

15 The Applicants discuss the nature of  
16 instability in the context of individual pipe support  
17 and piping system design. The Applicant referenced the  
18 ASME code, Subsection NF, Appendix XVII, Paragraph  
19 XVII-2221(a) which states, quote;

20 "General stability shall be provided  
21 for the structure as a whole and for each  
22 compression element,"  
23 end quote.

24 So according to the Applicant, there was not  
25 just one form of instability. Stability for each

1 compression element -- that is, individual pipe supports --  
2 can occur due to column buckling or rigid body  
3 instability. And the instability discussed in these  
4 hearing, according to the Applicant, was the rigid body  
5 instability.

6 The Applicant also discussed general stability  
7 in terms of piping system stability. Although an  
8 individual pipe support, when viewed unattached to the  
9 piping, may appear to be unstable, the relevant  
10 consideration is whether the entire piping system with  
11 the pipe supports attached to the piping is stable when  
12 considered as a single system.

13 Furthermore, the Applicants did not believe it  
14 was necessary to explicitly address the stability of  
15 piping systems in piping analyses because through the  
16 normal design process, the piping designers achieve a  
17 system which will stay within the specified deflection  
18 limits, assuring system stability.

19 That was basically a summary of what the  
20 Applicant had said in his motion for summary  
21 disposition. The Staff position on that -- before I get  
22 into the Staff position, I would like to discuss a  
23 little about the concept of instability and its  
24 consideration in the design of piping systems and  
25 individual pipe supports.

1           There has always been a problem in defining  
2 "instability." I think we've recognized that. The  
3 Board recognized it in its design decision. There have  
4 always been examples given of what an unstable pipe  
5 support is, but no one really came out with a  
6 definition. That was one of the difficulties that the  
7 Staff had in trying to review the Applicants' summary  
8 disposition motion because, in reviewing the hearing  
9 record, we never found that anyone ever accepted one  
10 definition of what an unstable pipe support was.

11           Basically we're talking about a static  
12 instability. And the textbook definition can be  
13 understood as follows -- this is taken from Elementary  
14 Structural Analysis by C. H. Norris and J. B. Wilbur.  
15 To quote:

16           "If a system is displaced slightly  
17 from its equilibrium position, does it  
18 tend to return to its original position,  
19 or does it tend to displace further when  
20 the disturbance is removed? If it returns,  
21 the system is stable; if it displaces  
22 further, the system is unstable,"

23 end quote.

24           Now, that's the textbook definition of "static  
25 instability."

1 All right. Now, pipe support instability, as  
2 addressed by CASE and Applicant in this proceeding, does  
3 not really fit this classical textbook definition of  
4 instability. As I said, the Staff review of the record  
5 on that case is concerned with box frames and U-bolt  
6 pipe designs is the potential ability for the box frame  
7 or U-bolt to rotate around the pipe or slide along the  
8 axial length of the pipe due to a loose or unpredictable  
9 clamping mechanism between the pipe and the support.

10 CASE has also characterized the unstable  
11 support as a three-bar linkage which, of course, cannot  
12 accept the load in compression.

13 The Applicant has defined pipe support  
14 instability in terms of, one, a collapse or a buckling  
15 of a column or, two, rigid body instability where a  
16 support can carry no load in compression.

17 The second definition was this presented by  
18 Cygna in the April and May 1984 hearings. But, of  
19 course, Cygna's definition has changed considerably in  
20 their February 19, 1985, letter.

21 The Staff finds that instability of pipe  
22 supports as discussed in these hearings is related to  
23 the overall condition of a pipe support being  
24 non-functional; that is, unable to perform its intended  
25 function.

1           Now, the Staff believes that instability of an  
2 individual pipe support should be defined as the  
3 capability of a support that shifts to an unqualified  
4 position; that is, a position other than the position  
5 assumed in the piping stress analysis which could  
6 significantly affect the validity of the piping analysis  
7 results.

8           Now, that's a very broad definition of  
9 instability. Instability of a pipe support could lead  
10 to failure of the piping system by various failure  
11 modes, including instability of the piping system  
12 itself.

13           That was basically a discussion of the  
14 definition of stability. Maybe I should stop there and  
15 get any feedback from CASE at this point.

16           MR. DOYLE: I don't think I have anything  
17 to add to it. I think what you're saying is an accurate  
18 statement. Once you get rotation, then you do not have  
19 the same condition that was assumed for the stress  
20 input.

21           MR. TERAQ: Okay. What I would like to  
22 discuss next is, in the Applicants' summary disposition  
23 motion, there was a discussion of industry practice  
24 regarding consideration of stability and piping and pipe  
25 support design process.

1           Okay. In general, the Staff agrees with the  
2 Applicants' discussion of standard industry practice  
3 regarding consideration of stability. However, the  
4 Staff does not regard this discussion as being relevant  
5 to the situation regarding the pipe support instability  
6 at Comanche Peak. The Applicant stated in its statement  
7 of material facts, Paragraph 1; quote:

8           "Instability of a particular pipe  
9 support, when viewed in isolation from the  
10 piping system, is of little or no significance.  
11 The relevant consideration is whether the  
12 entire piping system and associated supports  
13 are stable when considered as a single system,  
14 end quote.

15           Now, for standard industry practice related to  
16 pipe support design -- that is, when one uses your  
17 standard pin-to-end supports together with conventional  
18 pipe clamps -- the Applicants' first statement is valid.  
19 For this situation, a pipe clamp with a support, when  
20 viewed without the pipe, appears to be unstable. It's  
21 not self-supporting, in other words.

22           I think this was substantiated by Mr. Doyle.  
23 He noted in the transcript that STRUDL cannot  
24 analytically model a two-pin strut compressor without  
25 the pipe because the analysis will result in unlimited

1 rotations at the pin joints, and this results in an  
2 unstable condition.

3           However, the Staff notes that while the STRUDL  
4 analytical model cannot calculate its condition of pin  
5 struts without the pipe, the problem which arises is the  
6 limitation of the analysis and the analytical model due  
7 to the decoupling of the pipe from the support and not  
8 necessarily the fact that the pin strut attached to the  
9 pipe is an unstable condition.

10           The Staff does not believe that there is any  
11 disagreement on this point by CASE. The Staff would  
12 also note that industry practice dictates that pin  
13 struts do not have to be analyzed using STRUDL because  
14 these struts are classified as component standard  
15 supports which have been previously qualified by a load  
16 rating method by the manufacturer.

17           And the same principle applies to other  
18 component standard support items such as clamps,  
19 extensions, brackets, and U-bolts. The standard  
20 industry practice dictates that the application of  
21 component standard supports in a conventional manner  
22 precludes the need for subsequent analyses based on  
23 years of previously established and a proven design.

24           The Staff's concerns stem from the fact that  
25 many of the pipe support designs at Comanche Peak

1 represent either an unconventional application of the  
2 component standard supports which have not previously  
3 been proven to be acceptable, or the use of  
4 unconventional support designs.

5 It should be noted also that when one connects  
6 the pipe clamp to the piping system, the Staff concurs  
7 with the Applicant that the relevant consideration is  
8 whether the entire piping system and associated supports  
9 are stable as a single system. Again, I'm talking about  
10 a conventional type clamping support.

11 The Staff's understanding of the Applicants'  
12 statement, that each individual pipe support is not  
13 required to be self-supporting or self-standing if it is  
14 not attached to the pipe, with which the Staff agrees.  
15 The Staff would not necessarily concur that if a  
16 particular support were unstable when viewed with a  
17 piping system, that there is little or no significance  
18 if the system as a whole could be determined to be  
19 stable.

20 And it was in this context of standard  
21 industry practice that the SIT Report made its statement  
22 at Pages 27 through 28. I won't necessarily read what  
23 the SIT Report said at that portion, but what the SIT  
24 Report on Pages 27 and 28 was referring to was that a  
25 cinched U-bolt with no gap would function similar to a

1 pipe clamp.

2 And the SIT Reports also stated that for a  
3 non-rigid box frame -- that's the box frame on pin-end  
4 supports -- which could potentially rotate around the  
5 pipe, the SIT Report addressed the proposed  
6 modifications to prevent the rotation of the box frames  
7 around the axis of the pipe in order to assure system  
8 stability. So the Staff does not believe that the SIT  
9 Report was incorrect in what it had said on Pages 27 and  
10 28.

11 For piping systems, the SIT Report was  
12 referring to the fact that system instability cannot be  
13 determined using established piping stress analysis  
14 techniques but can be assessed most effectively by  
15 piping and support designers using good engineering  
16 judgment and based on years' of experience and common  
17 sense rules for supporting piping.

18 Now, the Applicants stated in its Statement of  
19 Material Facts, Paragraph 2:

20 "Stability of piping systems is not  
21 as explicitly addressed in piping analysis.  
22 However, it is not necessary to do so  
23 because through the normal design process,  
24 the piping designers achieve a system which  
25 will stay within the deflection limits and

1           thus will be incapable of the instabilities  
2           at issue here,"  
3       end quote.

4           The Staff does not concur with the Applicants'  
5       above statement, that staying within specified  
6       deflection limits for piping or supports will maintain  
7       system stability. If a piping system were supported in  
8       a manner which resulted in an unstable system, then that  
9       system, if displaced slightly from its equilibrium  
10      position, would tend to displace further, per the  
11      textbook definition of static instability.

12           Furthermore, the Staff is not aware of any  
13      specified deflection limits for piping thermal expansion  
14      at Comanche Peak which can also cause system  
15      instability.

16           The Applicants in the above statement have  
17      incorrectly relied on the validity of the piping  
18      analysis results to predict the piping and support  
19      deflection in order to assure stability while the  
20      analysis itself is incapable of calculating unstable  
21      piping system behavior and large deflections associated  
22      with pipe support instabilities discussed in these  
23      hearings.

24           Thus, the Applicants' justification of staying  
25      within the analytically predicted deflection limits to

1 assure system stability is not valid. And, as a result,  
2 the Staff found -- I believe it was imperative that the  
3 piping engineers assure system stability by reviewing  
4 the piping and support configurations. And we mentioned  
5 those back in the February 26th and 27th meeting.

6 To conclude: The discussion on standard  
7 industry practice, the Staff review of the Applicants'  
8 discussion on industry practice regarding consideration  
9 of stability and piping and pipe support designs  
10 includes the following:

11 The Staff finds that unstable pipe support  
12 designs at Comanche Peak do not conform to standard  
13 industry practice; that is, the unstable designs are  
14 unconventional designs.

15 Furthermore, although the normal iterative  
16 design process is adequate for ensuring the stability of  
17 piping systems utilizing conventional pipe support  
18 designs, the process is not adequate for ensuring the  
19 stability of unconventional pipe supports which have not  
20 been adequately reviewed in its initial design  
21 conception.

22 Thus, the Staff finds the Applicants'  
23 discussion of industry practice for stability and piping  
24 and pipe support designs is irrelevant. The relevant  
25 consideration is whether the basic performance

1 requirements have been adequately considered in the  
2 initial pipe support design in order to ensure the  
3 functionality of the pipe support and overall  
4 acceptability of the piping system.

5 That concludes my basic discussion of the  
6 overall issue of stability. I can get into some of the  
7 more specific examples given in the summary  
8 dispositions, but at this point let me stop and get any  
9 feedback from CASE.

10 MR. DOYLE: I can't really think of much  
11 to add to that. The point you made about using standard  
12 components, I made in my initial summary disposition,  
13 that if you do have a double pin, strut, snubber, or  
14 what have you, with a conventional clamp, while the  
15 double pin, if you've undone the clamp, would collapse,  
16 attached to the pipe with up and down stream supports to  
17 assist, there would be no instability. It is only in  
18 the unconventional where we address it or where I  
19 address it and what have you.

20 MR. WALSH: In regards to the cinched  
21 U-bolt, that not being clamps, at the time the SIT  
22 Report came out, an attachment has not been tested, and  
23 there was no verification of the program in place to  
24 verify that the bolt had sufficient torque to hold it in  
25 place.

1           And from what I understand right now, is the  
2 Applicant has gone in there and painted the bolts. So  
3 if they're going to go in there and torque them now,  
4 they're going to be getting false readings.

5           So the items they tested in Unit 2 do not  
6 necessarily mean they were torqued the same way in  
7 Unit 1. And to go in there now and torque the ones in  
8 Unit 1 will give false readings because of the paint.

9           MR. TERAQ: That's because of the paint  
10 on the threads themselves. And if they torque them,  
11 they will get a false reading of what the bolt torque  
12 is?

13           MR. WALSH: Correct.

14           MR. POSLUSNY: Are there any other  
15 comments?

16           MR. LEVIN: Chet, do we have an  
17 opportunity to clarify things that they've mentioned?

18           Let me make sure I understood at least one  
19 portion of your discussion. It had to do with the  
20 concept, which I think is very fundamental, that in  
21 order to qualify a piping system design, you want to  
22 have evaluated it and its expected behavior completely  
23 and understand the way that we believe it will behave  
24 represented in the piping system model. And that  
25 concept I think there is full agreement on.

1           And I think that's inherent in your definition  
2 also. And also inherent in the definition is the  
3 concept that what we're really dealing with here is the  
4 system. That's what we're after -- I mean, you know,  
5 meeting certain performance requirements of the system.

6           But if we could just hypothesize something --  
7 and it's not that I have anything particularly intended  
8 or particular configuration in mind -- but if we had  
9 fully evaluated a system and there were a particular  
10 component whose behavior may exhibit an individual  
11 basis, things that people felt might represent  
12 instability, but the system as a whole still met its  
13 performance requirements, is that in your mind still --  
14 I mean, how does that fit within your definition of  
15 "instability"?

16           Is that an unstable situation, if, in fact, we  
17 could agree that we analyzed that condition and we could  
18 get agreement that its behavior was adequately  
19 represented in a model?

20           MR. TERAQ: Well, I think the difficulty  
21 there, Howard, is that with many of these unstable  
22 designs, there is a question of whether or not the  
23 assumptions used in the piping stress analysis are  
24 valid, whether or not one can assume that the support is  
25 as modeled in the stress analysis.

1           If you can somehow demonstrate that the  
2 analytical model is appropriate then, of course, yes,  
3 you can look at system stability.

4           MR. LEVIN: You've clarified my point.

5           MR. TERAQ: But I think the difficulty  
6 that we're having is that we believe these designs,  
7 because they are unconventional, tend to invalidate the  
8 type of assumptions used in the stress analysis, and  
9 it's very difficult to analytically show in a model how  
10 these pipe supports are going to behave.

11          MR. LEVIN: I recognize that some of them  
12 may be difficult to represent analytically. And we may  
13 not have, you know, a full -- it may be very difficult  
14 for us to come to some kind of agreement, or anybody, as  
15 to how to do that for certain support designs. And I  
16 think we've recognized it very early.

17          And certain types I think we're going to want  
18 it -- for that reason -- is correct. It's just the  
19 easier solution path. But I believe there may be a  
20 subset that doesn't quite exhibit such difficulties in  
21 either modeling or it could be -- maybe we could learn  
22 something through a test or something that would tend to  
23 qualify its behavior so we could represent it in a  
24 model.

25          Okay? The objective is, though, to get the

1 information in front of us that provides the proof, if  
2 you will, that, in fact, this is how it will behave;  
3 and, in fact, given that, this is how it should be  
4 represented in the system model.

5 So I don't think it's a black/white. I think  
6 there are certain particular pieces of hardware that  
7 are. We can look at them very readily and say it just  
8 isn't appropriate to try to do anything, either detailed  
9 analytical studies or testing, because of the nature of  
10 that configuration is not going to get us anywhere. It  
11 would still leave very many open questions as to our  
12 ability to be analytically represented in the system.

13 MR. TERAQ: Right.

14 MR. LEVIN: But I believe there are some  
15 possibly -- at least I want to allow that conceptual  
16 possibility -- that we could develop some better  
17 improved understanding as to the behavior and possibly,  
18 you know, as we reconcile behavior as we believe it will  
19 be out in the field, in revised stress analyses, that  
20 that avenue be left open. There are a lot of tools in  
21 the box, and that's still one of the tools, I believe  
22 anyway.

23 MR. TERAQ: I believe Don Landers  
24 mentioned that in his report, in his discussion on  
25 as-built reconciliation. He believed that it was

1 necessary for an experienced piping designer to look at  
2 some of these support designs in conjunction with the  
3 piping system to assure that the assumptions he used in  
4 his analysis have not been negated.

5 MR. LEVIN: And I just wanted to assure  
6 you that that exists in our program, and we intend to do  
7 that.

8 MR. WALSH: Excuse me. This is Mark  
9 Walsh speaking.

10 Gary Krishnan who was the site stress leader,  
11 group leader, we have in the record, and he could not  
12 tell an unstable support if you showed it to him because  
13 he's not a pipe support designer. I take that to mean  
14 that even people below him would not be able to look at  
15 a support and determine if it was stable or unstable,  
16 and they would still continue to analyze it, if it was  
17 unstable, as a stable support. So you cannot rely on  
18 pipe stress analysis or the person doing the analysis to  
19 model in if it's a stable or unstable support. That's  
20 going to come out of the pipe support group apparently.

21 MR. TERAQ: Well, maybe I didn't make it  
22 clear. I wasn't inferring that only the piping people  
23 should look at it. Of course, the program should  
24 include both experienced piping and pipe support  
25 designers working in conjunction in looking at the pipe

1 supports and the piping system, not only the piping  
2 designers.

3 MR. DOYLE: One thing I would like to  
4 state, though, is in the case of all of these  
5 double-pinned struts or snubbers with either a box frame  
6 or a U-bolt with a gap, I don't think there is a prayer  
7 of saving those because they are unstable in and of  
8 themselves.

9 MR. TERAQ: I would concur with that.

10 On the other hand, maybe the Applicants should  
11 address this. But I'm under the impression that they  
12 fixed all the box frames with gaps so that all of them  
13 either had zero gaps and all the U-bolts which had gaps  
14 in them, U-bolts on trapeze designs have been cinched  
15 up. So . . .

16 MR. DOYLE: But at this point in time,  
17 we're not certain that cinching up is a viable solution.

18 MR. TERAQ: I agree. That's another --

19 MR. DOYLE: That's another can of worms.

20 MR. TERAQ: But as far as what you've  
21 just mentioned with U-bolts and frames with gaps around  
22 them, I believe those have been corrected.

23 MR. DOYLE: In other words, we're not  
24 discussing that particular aspect of the instability  
25 problem.

1 DR. CHEN: I will pick up this point,  
2 Jack, when I come to discuss U-bolts.

3 MR. DOYLE: Oh, okay.

4 MR. LEVIN: Jack, I just wanted to add  
5 one thing. I believe that the particular types of  
6 hardware you mentioned are under serious consideration  
7 by us and strong candidates for modification.

8 MR. DOYLE: I'm think I'm lost.

9 MR. LEVIN: You indicated particular  
10 pieces of hardware that may exhibit properties, you  
11 know, possibly the support to get in a position that  
12 would be indeterminate. And you mentioned box frames  
13 and single struts, things like that, and that's the type  
14 of configuration that we're prioritizing right now and  
15 taking a very serious look at. And that's one of the  
16 things at the top of the list. It's one of those things  
17 that kind of jumps at you first. And we're taking a  
18 serious look at it, and they are strong candidates for  
19 being corrected.

20 MR. WALSH: This is Mark Walsh again.

21 Earlier I said something about a QA audit,  
22 technical audit. Why wasn't a QA technical audit  
23 catching these unstable supports up to the Cygna Report  
24 that came out a few weeks ago? Why didn't someone from  
25 Texas Utilities or Grinnell or Gibbs and Hill, say,

1 "Hey, this stuff is no good," through a technical audit,  
2 if that did exist?

3 MR. TERAQ: I could only speculate on  
4 that, Mark.

5 When one reviews a support design, especially  
6 in the bulk that was transmitted in the as-built  
7 process, if one looks at the drawings without going up  
8 to the site and looking at the supports themselves,  
9 there are just too many details in the support design to  
10 look at. And stability, of course, is one of them.

11 If the person had the support design drawing  
12 and went to the field and looked at it, he may spot  
13 those kind of things. But because they are  
14 unconventional, it is very difficult to look for those  
15 kinds of characteristics in a support. In fact, that  
16 was one of our conclusions, is that the design review  
17 required under ANSI N45.2.11 was really not sufficient  
18 to catch those kind of unstable characteristics.

19 It is very unique to Comanche Peak, and it's  
20 very difficult in this nuclear industry to have someone  
21 look at a support characteristic that no one else has  
22 ever looked at before. So it is a very difficult thing  
23 to catch. But now that we're aware of it, we're hoping  
24 that at least now the support designers know what to  
25 look for. So initially it was very difficult to catch

1 those kinds of things because of the unconventional  
2 designs.

3 MR. LEVIN: Dave, amplifying on that --  
4 and I would like to say a few things.

5 No. 1, you know, the process that existed is  
6 somewhat water over the dam with respect to Unit 1. And  
7 the appropriate thing to do with Unit 1 is to deal with  
8 these problems and correct any that exist.

9 I certainly hope that in the process of our  
10 investigation, we'll learn some things towards the  
11 answers to your question that we will factor into Unit 2  
12 as well as, if they're appropriate, in terms of what we  
13 learn problematically, into the operations phase of the  
14 two units.

15 So I think it's an appropriate question from  
16 the standpoint of lessons learned, cause, and trying to  
17 correct things in the future. Relative to the specific  
18 hardware in Unit 1 and trying to correct it, I think it  
19 may help focus our investigation. But the important  
20 thing with Unit 1 is, in fact, to make sure that the  
21 quality of the design and construct of the product is  
22 acceptable.

23 MS. ELLIS: This is Juanita Ellis again.

24 I would like to make just one comment just to  
25 throw in for whatever it's worth.

1 I understand what you were saying about the  
2 difficulty in identifying these things. But at the same  
3 time, once the problem has been identified -- which it  
4 has been in these hearings sometime ago -- then it would  
5 seem to me that this is the kind of thing that people  
6 would be more on the alert to look for.

7 And I remember specifically -- I've seen Jack  
8 look through drawings and Mark look through drawings,  
9 and there is unstable support, you know. And it seems  
10 to me that it has been very slow in coming, that the  
11 Applicants have really looked at these problems and  
12 identify the problems.

13 I just wanted to mention that because I  
14 remember specifically, you know, when flipping through  
15 drawings that we received, say, on some other motion for  
16 summary disposition, Mark would flip through those and  
17 say "Oh, here is an unstable support."

18 MR. TERAQ: But to address that,  
19 Ms. Ellis, it gets back into the difficulty that no one  
20 really defined what an unstable support was. So even  
21 though you clearly knew what an unstable support was,  
22 the Applicant may not have agreed with that definition  
23 and was looking for maybe a different type of  
24 instability.

25 MR. WALSH: This is Mark Walsh again.

1           In regard to what the Applicants wanted  
2 defined, what we were talking about was engineering  
3 mechanics, not English. The thing was mechanically  
4 inoperative. They may have not realized it, and maybe  
5 that's why they're having a problem.

6           If they cannot recognize a problem now, how  
7 would they be able to recognize it when they get an  
8 operating license? They've got to look now -- we look  
9 at these problems in the Applicants' position, as maybe  
10 their position when they get an operating license.  
11 They're not going to come out and say, you know, "We've  
12 got thousands of supports unstable." They're going to  
13 come out and say, "We've only got 15." And that's the  
14 why they're going to operate that plant.

15           MR. TERAQ: I can address that. The  
16 Applicant -- it is both a question of English and  
17 mechanics, and both of them are important. From the  
18 mechanics point of view, you have to understand -- at  
19 least from my understanding of the record -- that the  
20 Applicant relied on his engineering judgment to justify  
21 the mechanics of the support. Now, of course, the Board  
22 ruled that was not appropriate, and the Staff would  
23 concur that with unconventional designs, that is  
24 inappropriate, too.

25           But it wasn't totally just that he did not

1 understand the mechanics of it, but maybe his judgment  
2 differed from what your judgment was. One can't deny  
3 that there is friction of some kind between a U-bolt or  
4 a box frame. But your point is well-taken, that it's  
5 uncontrolled and there is too much uncertainty involved,  
6 although you cannot deny that there is friction there.  
7 But the Applicant relied on that friction.

8 MR. WALSH: And he had no basis for that  
9 reliance. That's how I see it. They had no tests; they  
10 had an unconventional design; they had no method of  
11 proving the thing would work; yet, they went along with  
12 the idea that it was okay.

13 MR. LANDERS: Excuse me. Could I ask a  
14 question that addresses the going forward with respect  
15 to the stability problem? Is it acceptable to step in  
16 here?

17 MR. POSLUSNY: Go ahead.

18 MR. LANDERS: One of the points that you  
19 brought up, Howard, with respect to asking Dave about  
20 black and white issues with respect to stability, you  
21 said there are some that perhaps cross the line. I  
22 needed just a little bit more input on that, if you have  
23 it now, as to what you're thinking because I see a  
24 philosophy with respect to your approach in that and I  
25 would like to . . .

1 MR. LEVIN: Well, I guess fundamentally  
2 what we're talking about, Don, is that when we get into  
3 a position where we feel that we have understood the  
4 behavior of a particular support configuration, where  
5 that understanding is derived from an analytical  
6 investigation or a test or whatever -- okay? -- that if  
7 that can be represented in a conventional piping  
8 analysis, that that be an avenue that's open to us.

9 You know, just like we know how to -- I think  
10 a clamp and a strut pin-pin configuration is a  
11 conventional configuration. We know how to represent  
12 that, and there is enough input on the record that we  
13 have confidence as to how you deal with that in a stress  
14 analysis.

15 MR. LANDERS: I had not heard your  
16 statement with respect to the fact that when we get to  
17 the point that we understand --

18 MR. LEVIN: Absolutely.

19 MR. LANDERS: -- through the test or an  
20 analysis that would be acceptable to all of us.

21 MR. LEVIN: Yes.

22 MR. LANDERS: Fine.

23 MR. DOYLE: But I would like to add one  
24 thing to that. Many of the tests that have been done in  
25 the past and many of the analyses done in the past by

1 Applicant have always been uncoupled; in other words,  
2 they will prove that the clamp will create friction,  
3 there is no doubt. However, the clamp now introduces  
4 several new factors. Are the new factors also going to  
5 be taken into consideration?

6 In other words, there would be a study to  
7 determine any adverse impact from whatever modification  
8 is required because we have noticed in the past that an  
9 Applicant has had a tendency to jump off the deep end  
10 when the fix fails. As an example, the clip angle -- I  
11 don't know if anyone was at the Cygna -- but the clip  
12 angle failed, wouldn't function. The bumpers are not  
13 too swift. The bracketry for the same one that now has  
14 the bumpers was bound up and picked up or in this moment  
15 that . . .

16 So we would be assured that any modifications  
17 or any acceptance goes beyond just an uncoupled analyses  
18 and would determine what adverse impact would result  
19 from the fix or modification or as is.

20 MR. LEVIN: I agree conceptually, Jack.  
21 I mean, it's not a very good fix if it doesn't work. I  
22 think that's what you're saying.

23 MR. DOYLE: Yes.

24 MR. LANDERS: Could I again add  
25 something?

1 I think that's probably the most important  
2 part of my draft report, that you can't separate issues,  
3 you can't separate a support from a system, you can't  
4 separate a portion of the support from the whole  
5 support. And I would hope that if the Staff doesn't  
6 accept any other part of my report, they will accept  
7 that part.

8 MR. DOYLE: I have been saying the same  
9 thing for three years, that many of the issues that I'll  
10 mention later in and of themselves may seem  
11 insignificant, buy when coupled in a half a dozen to a  
12 support, the support could actually be in trouble before  
13 you apply the design.

14 MR. LANDERS: I would go beyond that. If  
15 you can't separate the support from the --

16 MR. DOYLE: That is true. That is  
17 correct.

18 MR. LANDERS: It's a system.

19 MR. DOYLE: One of the problems seems to  
20 be everybody thinks that their pipe is delivering the  
21 load to the support; whereas, it is the reverse -- that  
22 is, the actual fact. So you have to look at the total  
23 picture in order to see what has been presented.

24 I concur.

25 MR. LEVIN: Don, in that regard, I know

1 the Staff hasn't taken a position, but we're very  
2 quickly evolving to a position and a program. And I  
3 might just add that I personally concur with that aspect  
4 of your report. And it's our intent to integrate many,  
5 if not all, of the factors that you identified in your  
6 list in terms of a system evaluation, as part of our  
7 program. And that will be done.

8 MR. TERAQ: Let me just briefly run  
9 through some of the specific examples that were given in  
10 the motion for summary disposition on stability. If you  
11 have any questions or want to discuss it in detail, then  
12 we could discuss it in detail. But what I would like to  
13 do is just basically go over what the Staff has found  
14 with some of these specific examples and the  
15 modifications to them.

16 The first support is your basic box frame with  
17 single strut. According to the motion for a summary  
18 disposition, those box frames with single struts which  
19 had gaps in them had all been modified, and modification  
20 consisted of one of three different modifications. The  
21 first modification was to add a U-bolt to the box frame;  
22 that was what you were referring to at the Cygna  
23 hearing.

24 MR. DOYLE: Yes, sir.

25 MR. TERAQ: I would like to defer that to

1 the discussion later on when I talk about cinched  
2 U-bolts.

3 The second one is the use of index lugs on the  
4 box frame. With the index lugs, what the index lugs  
5 apparently were intended to do was to prevent the box  
6 frame from rotating around the pipe itself. The Staff  
7 found that to be an acceptable modification to prevent  
8 the rotation of the box frame around the pipe; however,  
9 they were also concerned about any out-of-plane seismic  
10 motion which would disengage the frame from the lugs  
11 themselves, and we're back to an unstable condition  
12 where then the frame, if disengaged from the lugs, could  
13 rotate.

14 It wasn't really clear in my reading of CASE's  
15 response to the Applicants' summary disposition motion  
16 whether you, Jack, recognized what these index lugs were  
17 for.

18 MR. DOYLE: Yes, we recognize that.

19 MR. TERAQ: You seem to say that the  
20 frame could still rotate around the pipe, even with the  
21 index lugs.

22 MR. DOYLE: No. It is a walking problem.

23 MR. TERAQ: Staff actually did go out to  
24 the site and look at this support. I do want to point  
25 out that there is only one of this index lug

1 modification in Unit 1 that we're aware of. That was  
2 the only one that the Applicant has found.

3 MR. DOYLE: I was only aware of it from  
4 the standpoint of Cygna's concern over it. Cygna had --  
5 I believe it was Cygna -- Cygna had got involved in the  
6 index lugs.

7 MR. TERAQ: I don't recall the index lugs  
8 being addressed by Cygna.

9 MR. WALSH: Do you have the diagram of  
10 this index lug that I could look at?

11 MR. TERAQ: Yes.

12 MR. DOYLE: I've been involved in so many  
13 hearings, I can't remember anymore. But at any rate, I  
14 was aware of the index lugs. I was not aware of how  
15 many or if, in fact, they were installed.

16 MS. ELLIS: I believe in Cygna's February  
17 19th letter, they mention that all three of these fixes  
18 have been completed.

19 MR. DOYLE: That's right.

20 MS. ELLIS: Right. But I don't know if  
21 they ever really said anything about index lugs.

22 MR. DOYLE: Anything about it in the  
23 summary disposition, probably didn't put in there. The  
24 only recollection that I have that I was sure of was  
25 Cygna.

1 MS. ELLIS: Yes.

2 MR. WALSH: This is Mark Walsh here.

3 I'm looking at Drawing CT1-008-S22K. The lugs  
4 that are indicated on this drawing appear to support the  
5 frame and do not restrain the frame from rotating.

6 MR. TERAQ: Okay. But if you look  
7 carefully, I think I noted --I circled it in red --  
8 there are four notched plates that are welded to the  
9 frame to which the index lugs themselves fit into. In  
10 other words, the lugs are welded to the pipe, and the  
11 four notched plates are welded to the frame and the lugs  
12 fit into those four notched plates.

13 MR. DOYLE: I think Cygna pointed out  
14 that they're only on one side, so you could get walking.

15 MR. TERAQ: You still can get walking, I  
16 agree; but the rotation is still taken care of.

17 MR. DOYLE: Yes.

18 MR. LANDERS: If you don't get walking.

19 MR. TERAQ: If you don't get walking.

20 MR. DOYLE: Right.

21 MR. WALSH: I recognize that now.

22 MS. ELLIS: For the record, this is  
23 Exhibit F-1 from the September 24th, '84, Applicants'  
24 letter, Section F on stability.

25 MR. TERAQ: The third modification was

1 the addition of a strut; in other words, making a single  
2 strut box frame into a double strut box frame. And in  
3 some cases they became triple strut box frames.

4 I would like to discuss that later, too,  
5 because the fourth category are the double strut  
6 supports, so I'll discuss that. But with respect to the  
7 use of snubbers, the Staff found that the Applicants'  
8 discussion really didn't address the snubbers. The  
9 Applicants' modification, when using snubbers, can still  
10 walk along the length of the pipe. And the Applicants'  
11 discussion only addressed the limitation of the double  
12 struts.

13 The second example given in the motion for a  
14 summary disposition are the U-bolts with single struts  
15 with gaps. The U-bolt with single struts with gaps,  
16 apparently there are two modifications done. One was to  
17 snub the U-bolt, and the second one was to add the  
18 stability bumpers.

19 The Staff basically agrees that the use of  
20 stability bumpers was not acceptable because support  
21 could cock against stability bumpers and thermally  
22 constrain the pipe from expanding. So even if the  
23 analysis showed that the support was not necessary, we  
24 still believe that it's imperative that those stability  
25 bumpers be removed.

1           With respect to the snug U-bolts, I'll get  
2 into that next because the third one are the U-bolts  
3 with single struts without the gap; in other words snug  
4 U-bolts.

5           Basically this issue, the Staff has not  
6 completed our review because it interfaces so closely  
7 with what Paul Chen is reviewing; in other words, the  
8 use of U-bolts on the pipe itself.

9           But from a stability aspect alone, perhaps we  
10 could have a discussion on what your concerns are with  
11 the use of U-bolts from a stability aspect.

12           MR. DOYLE: With or without gaps?

13           MR. TERAQ: Without gaps.

14           MR. DOYLE: Well, without gaps, we again  
15 get into the problem of an uncoupled approach. First,  
16 once you cinch the U-bolts, particularly at the loadings  
17 that they're discussing now because of the walking  
18 problem, you're approaching the limit that the  
19 manufacturer has indicated that that particular U-bolt  
20 is good for. Now, that is prior to the pressure in the  
21 pipe, which is a minor contributor, the thermal, which  
22 could be a major contributor, and the design loads  
23 which, while not additive, will increase the load.

24           So therefore, now, even if the U-bolts prove  
25 to be a good system for establishing stability, you

1 still have the problem of qualifying the U-bolt because  
2 you are now outside of the manufacture's LDS. The  
3 U-bolt is not qualified.

4 In addition to that, as was pointed out, you  
5 have the pipe. The pipe is now receiving the effect of  
6 the load induced by the cinching, the thermal and the  
7 pressure constraint on the pipe itself. These are  
8 additive to the MNS of the pipe under whatever  
9 conditions it is determined.

10 Particularly -- the one that concerns me the  
11 most is the cinching because that is a sustained load.  
12 That particular load will be there throughout the life  
13 of the plant, or the fix is no good. So I have a  
14 feeling that the allowables will no longer be similar to  
15 what they are for faulted conditions or thermal where  
16 you get into -- what it is, '1.25 SC, SH? I have a  
17 feeling we're in the area of sustained loads, or there  
18 will have to be something established to qualify higher  
19 loads than are currently existing for sustained loads.

20 See, this is again a unique problem. Once you  
21 cinch that U-bolt, 40 years, whatever the loads induced  
22 into the pipe or whatever the loads on the U-bolt,  
23 whatever the loads on the frame that supports it.

24 MR. TERAQ: The reason I brought this up --  
25 I agree that those are concerns. I won't say those were

1 the concerns which related to stability. Those concerns  
2 are being looked at by Paul Chen.

3 MR. DOYLE: Right.

4 MR. TERAQ: In this discussion of  
5 stability, I saw no problem with code violations for  
6 using a cinched U-bolt to prevent the rotation of the  
7 support around the pipe. I believe this is what the SIT  
8 Report was saying, too, that at that time, just the fact  
9 that you cinch up a U-bolt, you will establish a  
10 friction between the type of a U-bolt -- the SIT Report  
11 was relying on that friction to prevent the rotation of  
12 the support around the pipe.

13 MR. DOYLE: Well, I concur that the  
14 cinching of U-bolts will prevent rotation. My only  
15 statement is that we can't drop it at that point.

16 TERAQ: I see. Fine.

17 I would agree that Staff also has other  
18 concerns about the use of U-bolts on large bore pipes --  
19 not related to stability.

20 The fourth category, this is double-strutted  
21 supports, double-strutted frame supports. The  
22 Applicants' basic argument with the double-strutted  
23 frames was that the two struts now prevent the frame  
24 from rotating around the pipe axis. The Staff has had  
25 several meetings with the Applicant where we also

1 expressed concern about the out-of-plane citation of the  
2 support, walking along the length of the pipe to an  
3 unqualified position.

4 And we asked that the Applicant identify all  
5 double-strutted supports. And in the September 24,  
6 1984, letter, the Applicant did provide us with 44  
7 double-strutted supports. And as I mentioned before,  
8 the one concern is that the Applicant still has not  
9 addressed the use of double-snubbers because the  
10 snubbers can extend as the frame walks along the length  
11 of the pipe.

12 The Staff is also concerned with a subcategory  
13 of these double-strutted supports which is the  
14 multi-supported frame which has four piping systems  
15 going through it. Again, the Applicants' summary  
16 disposition motions and supplements to it really did not  
17 address the Staff concerns brought up at the previous  
18 meetings, including the dynamic interactions of the  
19 frame and the four piping systems, the twisting motion  
20 of the frame. So basically at this point, there still  
21 is not enough information provided to the Staff to  
22 address our concerns.

23 Also in the 44 supports, the Staff noticed  
24 that there were some double-strutted frames which did  
25 not have a zero clearance gap on all four sides. The

1 zero clearance gap were only provided on the two sides;  
2 and on the other two sides, there was a gap. The Staff  
3 also believes that those supports are unstable, similar  
4 to what's the Cygna concern was because now you have a  
5 gap on two sides of the frame, the support frame can now  
6 cock itself. So we find those to be potentially  
7 unstable, too, and those had not previously been  
8 identified.

9 Also among the 44 supports, there was a  
10 support which we mentioned at the February 26th meeting  
11 which was a triple-strutted frame resting on a  
12 structural steel. Apparently, there was a vertical pipe  
13 and there was a box frame around it which -- three  
14 supports all in one direction. It appeared to be quite  
15 a heavy support that probably slid down the pipe, and  
16 the structural steel was added to prevent the support  
17 from sliding down. We have concern with that because of  
18 the out-of-plane excitation of the pipe can impact that  
19 structural steel. So although it may not be a stability  
20 concern, it is the concern with the modification to the  
21 stability.

22 Those were basically the specific examples  
23 given in the motions for summary disposition. And at  
24 this point, I would like to ask CASE if they have any  
25 other examples of unstable supports that have not been

1 addressed by the Applicants or the Staff?

2 MR. DOYLE: Yes. There is one in  
3 particular. I was going to mention also the one you  
4 just mentioned of a gang hanger. There are about four  
5 or five in that one there. A specific is CC41-710-A63,  
6 which is triple-strutted and also has thermal movement.  
7 But that one again has the same walking instability, if  
8 we can call it that.

9 Then in addition to that, there is another one  
10 which is a single trunnion running perpendicular to the  
11 run pipe with a horizontal strut so that the delivery is  
12 eccentric to the line of action.

13 I have got some pictures of it here, I hope.  
14 Yes, here it is there. That's the one that I told  
15 Juanita over the phone.

16 MS. ELLIS: It's the one that was  
17 mentioned toward the end of the meeting on the 27th. It  
18 was mentioned specifically in the transcript.

19 MR. DOYLE: There are at least three of  
20 them in this set of drawing, related action; it's  
21 eccentric.

22 MR. POSLUSNY: Could we get the drawing  
23 number for the record.

24 MR. DOYLE: CC2-011-A63 -- can't read the  
25 last letter -- "K" I guess.

1 MR. BECK: I want to make sure I get the  
2 specific identifications, Jack, of the ones you just  
3 mentioned. I think we've probably got them, if they  
4 were read into the record before, but --

5 MR. DOYLE: Yes. I called Juanita -- oh,  
6 she didn't have the support numbers.

7 MR. BECK: That's fine, then.

8 Perhaps this is an appropriate time to  
9 comment. As Howard alluded to earlier, we're looking  
10 very closely at more than a few supports. There are a  
11 number of supports that from a stability perspective are  
12 not candidates for adequate analytical representation,  
13 and those supports will be either modified or removed  
14 and replaced with those which can be analytically  
15 represented.

16 That identification process has proceeded to  
17 the point where we have identified some hundred few-odd  
18 supports that we definitely are going to modify or  
19 remove. Included among those are the gang supports, for  
20 example, that we talked about earlier, a number of  
21 single-strut box frame supports.

22 Until we have done our QA on this list, I'm  
23 not going to mention specific support numbers, but let  
24 me just say that it's going to include that whole family  
25 that you've talked about earlier today and that have

1 been discussed on the record before.

2 We'll identify with specificity which ones  
3 those are, either in a letter in the very near future or  
4 as part of our comprehensive submittal in early April --  
5 more likely in a letter prior to that time, just to make  
6 it specifically clear which supports those are.

7 I wish I were at the point now where we had  
8 done the QA check sufficient to lay the paper on the  
9 table and put it in this transcript. We just simply  
10 haven't gotten to that point yet. But I would certainly  
11 like the record to reflect the fact that we are doing  
12 this.

13 And it's very important, given that fact,  
14 Jack, that we get those specific supports identified to  
15 see whether we agree with you or not.

16 MR. DOYLE: I'm sure you will.

17 MR. TERAQ: I've got one question about  
18 that support, Jack. I agree that there are some  
19 concerns to be addressed regarding the eccentricity of  
20 the loading which can induce torque to the pipe. But my  
21 question is, why is that considered an unstable support?  
22 I agree it's an unstable system or it's a system that is  
23 not accurately represented in the piping analysis. But  
24 why is that considered an unstable support?

25 MR. DOYLE: In the pipe stress run, the

1 load is delivered through the center line. Actually,  
2 the pipe is a line from node to node, and the loads are  
3 delivered along this line here. If you deliver a load  
4 along this line here (indicating) -- particularly there  
5 is a kick in this one -- then you can get rotation. You  
6 look at it that way.

7 MR. LANDERS: I think -- I would agree  
8 with Dave, that that is not a supporting stability  
9 problem. It's the problem of matching the support  
10 that's installed to the analysis that is done; that, in  
11 fact, the analysis doesn't represent the offset of the  
12 support.

13 MR. DOYLE: That is correct.

14 MR. LANDERS: I think that one is a  
15 different issue in my mind. It's not an instability  
16 issue; it's more a matching of the analysis to the  
17 as-built situation.

18 MR. TERAQ: I guess the difficulty I have  
19 is, if we threw that in the stability hopper and it  
20 doesn't fit our definition, then I would say: What is  
21 your definition? Why is that support unstable? I agree  
22 there is a concern there, but I don't agree it's a  
23 support instability concern; it's a system instability  
24 concern.

25 MR. DOYLE: Yes, right. I want to keep

1 that one for --

2 MR. TERAQ: That's an interesting  
3 concern, too, because the torsion that is induced into  
4 the piping may not necessarily be accounted for, even in  
5 the stress analysis.

6 MR. DOYLE: It also will have effects all  
7 the way down the line. Once you hit a --

8 MR. LANDERS: Why do you say that?

9 MR. TERAQ: Well, from the equations --

10 MR. LANDERS: It's mx, my, mc-squared,  
11 square root of. You don't separate torque out. It's  
12 conservative but, in cases like this, it covers you  
13 nicely.

14 MR. TERAQ: Okay. I agree.

15 MR. WALSH: With regards to the  
16 Applicants' comment about fixing some of these unstable  
17 supports, I'm curious if they're going to go to  
18 conventional designs or unique designs -- for example,  
19 the stability, bumpers would be a unique designs;  
20 whereas, if they had gone to a clamp for the fix, it  
21 would have been more a conventional fix.

22 MR. BECK: The modifications, Mark, will  
23 eliminate the question of stability for the supports  
24 that are on the list.

25 MR. DOYLE: Those will also be dictated

1 by space.

2 MR. BECK: The specific modifications  
3 will be individually dependent upon what's there and  
4 what is the most efficient means of doing it. So I  
5 can't answer the question specifically until you get  
6 down to the actual individual supports.

7 MS. ELLIS: I guess from a layman's  
8 viewpoint, John, the problem I see with that is that if  
9 it's a unique fix, we may be back talking about that  
10 unique fix next year about this time. We would like to  
11 avoid that if we can.

12 MR. BECK: The fix will be adequate.  
13 What more can I say?

14 MR. DOYLE: I think a unique fix is not  
15 the critical factor. It is if they address it. I mean,  
16 the fact that it's unique doesn't bother me.

17 MR. BECK: But it has to be adequate by  
18 definition, you know. We're not going to do anything  
19 that will leave room for argument. Let me just put it  
20 that way.

21 MS. ELLIS: Good.

22 MR. TERAQ: That basically concludes my  
23 discussion on stability at this point. Maybe ask if  
24 there are any more comments to be made by either the  
25 Applicant or CASE?

1 MR. POSLUSNY: Would you like to take a  
2 10-minute break?

3 MR. DOYLE: That sounds good.

4 (Brief recess)

5  
6 MR. POSLUSNY: Dave had one more point  
7 for the record before we finished up with him.

8 MR. TERAQ: The other summary disposition  
9 motion item that I had was ASME -- AWS/ASME on weld  
10 designs. But because that was formally submitted to the  
11 Board, our Staff response, that is the Staff position.  
12 So I won't be discussing that today.

13 MR. WALSH: I would like to comment on  
14 something you stated in your response to the Applicants'  
15 motion there, and it related to what the Applicants  
16 called the compensatory requirement. I addressed it at  
17 some length because it was in their motion and in the  
18 affidavit.

19 The compensatory requirements that they were  
20 referring to, they are not following. It was an attempt  
21 by the Applicants, I believe, to mislead the Board into  
22 showing that they are using a conservative value, that  
23 that number is not being utilized by the Applicants,  
24 which I believe you indicated the point is very relevant  
25 in regards to how the Applicants are handling these

1 motions of summary disposition and what their attitude  
2 is towards a safe design and proving that they have a  
3 safe design.

4 That's all I would have to say about your  
5 response on that.

6 MR. TERAQ: Well, my responses were  
7 intended to address the technical issue. I really don't  
8 want to address that particular aspect of it. We  
9 recognize -- in fact, the Staff even asked the Applicant  
10 whether or not those compensatory requirements were  
11 still being followed. When we found out that they  
12 weren't, we just dismissed them, did not follow that  
13 portion of the summary disposition motion.

14 MR. WALSH: I believe that it's part of  
15 the NRC duty to require the Applicants, though, to be  
16 truthful and not attempt to make misleading statements,  
17 technical or otherwise. This was a misleading statement  
18 by the Applicants in an operating licensing hearing.  
19 The Staff should have followed up on it and found out  
20 why were they doing things like that.

21 MR. BECK: I would like to comment for  
22 the record -- John Beck -- that we came here this  
23 afternoon to participate in a technical exchange, not to  
24 be subjected to pejorative comments by CASE about  
25 misleading statements or anything else that you feel

1 should be discussed. And to that extent, I object, and  
2 I want the record to reflect that I object to that  
3 pejorative remark.

4 MR. WALSH: Well, maybe the Staff here  
5 can find out what the real problem is here as far as  
6 these misleading statements that were written in there  
7 that was not even relevant.

8 MR. POSLUSNY: We'll take a look at the  
9 transcript when we get it back -- exactly.

10 John Fair.

11  
12 PRESENTATION BY JOHN FAIR

13  
14 MR. FAIR: Yes. This is John Fair with  
15 the NRC Staff.

16 I have several of these summary disposition  
17 motions. Luckily, some of them are somewhat less  
18 technically complex than the ones that Dave just went  
19 over, so I'll try to go over them in as brief a summary  
20 form as I can.

21 The first one has to do with friction forces.  
22 And essentially the crux of this was that two of the  
23 Applicants' design groups an assumption in  
24 calculating the support loads. And that assumption was  
25 that for cases where the piping motion was small, less

1 than 1/16th of an inch, they could neglect this friction  
2 force in the support calculation.

3 CASE objected, that the Applicants -- and I'll  
4 try to paraphrase you -- did not have an adequate basis  
5 for making this assumption. So in order to resolve the  
6 issue, what the Applicants did was to essentially make  
7 two arguments. One, that via the code rules they had  
8 some additional reserve to accommodate stresses due to  
9 friction; and, secondly, these stresses would be fairly  
10 insignificant such that if they were added to the other  
11 stresses in the pipe support, they could still be able  
12 to maintain stresses and loads within allowables.

13 To support this, they selected a sample of six  
14 pipe supports which were supposed to be the ones that  
15 would be representative of the worst cases; that is,  
16 fairly short and stiff type of supports.

17 In the analysis of these six supports, it  
18 turned out that one support had an error in calculation  
19 of a bending moment. The Applicants agreed that there  
20 was an error in this calculation, went back and redid  
21 the analysis. When they redid the analysis, they  
22 changed the method of analysis for this particular  
23 support.

24 Now, CASE has pointed out -- they've argued  
25 with the method of analysis. And I essentially agree

1 that the Applicants didn't submit anything to justify  
2 that particular analysis assumption. And that  
3 assumption was that this was a bending load between an  
4 I-beam and a base plate. And the Applicants' revised  
5 assumption was that there was an even bearing between  
6 the beam and the base plate such that the negative  
7 portion of the moment would be taken out by direct  
8 bearing on the plate.

9 I didn't agree that the Applicants submitted  
10 anything to justify this assumption; and therefore, my  
11 position at this point in this summary disposition  
12 motion is that the two assertions made by the Applicants --  
13 No. 1, that their evaluation showed the friction forces  
14 to be fairly small and not significant and, No. 2, that  
15 even including these forces, they were able to meet  
16 applicable allowables -- I disagree with both of those  
17 assertions.

18 Turn it over, if you have any --

19 MR. DOYLE: I have one thing, in the  
20 particular case of open section or the Y flange or an  
21 I-beam, particularly on short ones, due to a shear lag,  
22 it's actually on either a flange from which the member  
23 rests that probably will see the entire friction load.

24 And another point is, as anybody who has ever  
25 participated in a hot functional test knows, when you

1 start out with stress outputs that say you have a  
2 deflection of .060 in the specific direction, when you  
3 get to hot functional testing and you're now working  
4 with a fully coupled plant, it is not necessarily so.

5 For that matter, in many cases, the thermal  
6 movements of the pipe will go in a direction opposite of  
7 what you have anticipated due to impacts, et cetera. So  
8 the only time that I could ever see that the 16th of an  
9 inch could be considered as insignificant is, as I said  
10 at the hearings themselves, if I did an analysis and I  
11 wound up with a stress ratio of -- I'm going to say .6 --  
12 and found that I had failed to include friction by  
13 engineering judgment and in so marking it on the  
14 calculation, I could write it off because I would be  
15 fairly certain that there would be no condition where  
16 the one-third increase in load that I would be receiving  
17 due to friction would affect the final safety of that  
18 particular support. But I don't think in any case would  
19 I ever allow it to just go totally unaddressed on  
20 generic basis.

21 That is about all I have to say.

22 MR. FAIR: Well, I would like to try to  
23 read into your comment here. What I hear you saying is  
24 that regardless of whatever analysis the Applicants did  
25 for the motions that they calculated from the plate

1 stresses, that you wouldn't agree with it anyway?

2 MR. DOYLE: Not as a generic solution.  
3 In other words, what I'm saying is, I wouldn't tell a  
4 group, "Forget about friction if it's less than a 16th  
5 of an inch, period," because there are instances where  
6 the 16th of an inch could be critical because we've all  
7 been involved with supports where we were running stress  
8 ratios of .9, .98, and we try to massage them as much as  
9 we can to keep them from getting stress ratios in excess  
10 of one. And in a case like that, there is a high  
11 probability that the inclusion of friction would then  
12 run it over the limits.

13 Additionally, on real short supports, if you  
14 have a 6-inch deep member and it's only a foot long,  
15 then you don't have a flexural member. If you're riding  
16 on the upper flange of the beam, the friction load is  
17 delivered to that upper flange and will be carried to  
18 that upper flange. It will never get to the lower  
19 flange. So that the effect on the weld particularly --  
20 I'm mostly concerned about the effect on welds as  
21 opposed to the structural member.

22 And those are the two areas of concern that I  
23 have with just a generic negating of the losing of  
24 friction.

25 MR. LANDERS: Don Landers.

1            Jack, based on what you said, one of the  
2 hypotheses was that designing supports to know your  
3 ratio of .9 on the allowable, do you find that is a  
4 common practice in a design process, or is that the  
5 situation where I'm trying to now reconcile something  
6 I've found in the field?

7            MR. DOYLE: That's where I would see it.

8            MR. LANDERS: Okay. All right.

9            Therefore, in a design process leading up to that point,  
10 is it reasonable in your mind to establish some cut-off  
11 point on consideration of displacement versus friction  
12 loss?

13           MR. DOYLE: It has been done in other  
14 plants.

15           MR. LANDERS: Okay.

16           MR. DOYLE: And I feel easy with it  
17 mostly because they don't have a number of other  
18 elements that are neglected. I know what they've  
19 included, and I'm satisfied with what they've included.  
20 And then comparing the 16th -- if I don't feel  
21 comfortable, I'll put it in, regardless of what their  
22 document says. And generally most places I've been --  
23 well, let me say at least half the places I've been,  
24 they've included it regardless; and half the places  
25 don't include it it. I've been in places that I will

1 include it every time regardless of what they say  
2 because I'm afraid of their other numbers.

3 MR. LANDERS: I just wanted to clarify  
4 that there is a difference, I think.

5 MR. DOYLE: Yes, yes. Many times we'll  
6 get as-built loads, and we have a stress ratio and we  
7 take the loads here and we come up with a factor and we  
8 multiply it, and we say, "Well, it's .8, so that's as  
9 far as we'll have to go."

10 MR. WALSH: I have a few comments in  
11 regard to frictions, more or less to do with the weld.  
12 My concern now with this is how the Applicants handled  
13 the analysis. Now, we have found that they change their  
14 assumptions, and they don't consider pressing forces on  
15 that weld on this particular support. But this support  
16 has been modified. I think we've seen a drawing  
17 indicating it was unstable. They got rid of the  
18 friction forces. But the supports where they have now  
19 qualified them, because they don't consider this  
20 compression forces, that hasn't been addressed by the  
21 Staff.

22 And the Applicant is coming up with a new  
23 plan. And in that plan, they should discuss how they  
24 are going to handle these calculations where they don't  
25 consider the compression forces in welds. You might say

1 it's a new issue, but it came out of this particular  
2 motion and was not one that Jack and I discovered until  
3 we saw their calculations.

4 Jack and I, while we were down there, we  
5 didn't have much of an opportunity to review the  
6 calculations. Therefore, we hadn't really said, "Well,  
7 this is a generic problem they have down there." But  
8 it appears that that's how they passed a lot of their  
9 welds, based that they were doing this on motion for  
10 summary disposition.

11 MR. FAIR: Well, I disagree with your  
12 statement that the Staff hasn't pursued it. I think  
13 we've asked the Applicants at least twice, in two  
14 different meetings, to provide both a justification for  
15 that assumption and, secondly, to clearly spell out what  
16 their criteria is supposed to be for that evaluation.

17 MR. WALSH: I'm again sorry to imply that  
18 you didn't pursue it that way. My indication was that  
19 there has been no effort to go back and look at other  
20 calculations to see what was done to pass the weld or  
21 show that it was acceptable by the Applicants on other  
22 supports, as well as in regard to some qualifications.

23 I'm not that familiar with their welding  
24 procedures, but I believe they are allowed a gap between  
25 flange and bearing, and it would not be in violation.

1 I'm not sure what the gap is. There is an allowable gap  
2 and that's why I feel it's not addressed in any code we  
3 have on compressor forces on the welds.

4 MR. FAIR: Well, I guess I don't agree  
5 with that statement either. I believe that there are  
6 provisions in the code that do address these situations.  
7 And they're extracting from the AISC but in subsections.  
8 Appendix XVII they pulled out the criteria for bearing  
9 joints on columns. And there are a couple of criteria  
10 in there -- depending on whether you're looking at great  
11 bearing stress or bearing stress -- but the critical  
12 point in the specification is that you have to have  
13 finished-to-bear item in order to take credit for  
14 bearing stresses between the beam and plate.

15 And that specifically is the question I asked  
16 in the meeting a couple of meetings ago, whether they  
17 have any justification for that assumption and did they  
18 specify this joint as a finished bearing joint.

19 MR. WALSH: During construction?

20 MR. FAIR: That's correct.

21 MR. WALSH: All right. I agree.

22 MR. POSLUSNY: Other comments?

23 MR. FAIR: I guess I would like to now  
24 try to seek a clarification from CASE on their response  
25 to the Applicants' summary disposition motion. And it

1 has to do with the appropriate allowables for the  
2 evaluation of the load combination and considering these  
3 friction forces.

4 There were two areas in which CASE took issue  
5 with the Applicants' analysis allowance. In one case,  
6 it had to do with what they called their yield share  
7 criteria for the base material of being .6 S-sub-Y as  
8 opposed to .4 S-sub-Y in the AISC specifications.

9 And the second additional comment that CASE  
10 had, they were concerned that the Applicants weren't  
11 using the provisions of Regulatory Guide 1.124.

12 Now, I would like clarification as to what was  
13 being argued in this particular response by CASE as to  
14 whether the Applicants are required to go to the AISC  
15 specification or that the ASME code in conjunction with  
16 the Regulatory Guide is inadequate. And it was not  
17 clear to me.

18 MS. ELLIS: Without seeing this, I think  
19 we would almost need to take a look and get back with  
20 you on that.

21 MR. WALSH: Do you know what page that  
22 was on in the affidavit?

23 MR. FAIR: I don't know exactly what page  
24 it was on, but in terms of the difference between the  
25 ASME code -- I guess this goes back to some of the

1 original arguments, that there is a provision in the  
2 ASME code, when you're looking at stresses due to the  
3 strained, free, and replacements that allows you to  
4 increase the normal allowable stresses, on top of that,  
5 the Staff has a regulatory guide that puts some  
6 restriction on that.

7 Now, it wasn't clear to me whether you were  
8 arguing that the ASME code criteria, coupled with these  
9 restrictions, were inadequate and therefore you needed  
10 to go to the AISC which was a little bit more  
11 restrictive.

12 MS. ELLIS: I think we would have to look  
13 as that and get back. I think we really need to take a  
14 look at that summary disposition and see if we  
15 understand exactly what we're talking about.

16 MR. WALSH: You're saying why didn't we  
17 refer back to the AISC code?

18 MR. FAIR: As opposed to the ASME. I did  
19 bring copies of your submittal also if you wanted to  
20 take a look at them. I can pull them out.

21 MS. ELLIS: We'll do that at the break.

22 MR. FAIR: Okay.

23 MS. ELLIS: I'm talking about being just  
24 strictly off the top of my head. I may not know what  
25 I'm talking about, but I kind of think that if I recall

1 the particular answers, that what was being said at the  
2 time was that you do have to address 1.124, but if you  
3 didn't have to do that, then the other requirements,  
4 there are other requirements that still would have to  
5 come from -- I believe that that's right, but I would  
6 have to check back and see.

7 MR. WALSH: But you're asking why didn't  
8 we look at the AISC code over the ASME?

9 MR. FAIR: That's correct.

10 MR. WALSH: I don't remember that  
11 portion.

12 MR. FAIR: Any other questions on the  
13 friction forces?

14 The next issue I had was backing values from  
15 the NSSE. This started out as a very narrow issue. I  
16 believe the original issue had to do with a particular  
17 support and the fact that for some reason, the OBE loads  
18 came out larger than the SSE loads which would  
19 contradict logic since the SSE is greater.

20 In addressing it, the SIT wrote in their  
21 report that there were no problems with the loads, the  
22 OBE load being greater than the SSE load because of the  
23 damping specified for the building. And they put in two  
24 values of damping which were pointed out to be  
25 inappropriate damping values per Guide 161.

1           The Applicants put a response in, in which  
2 they attached the computer run of that particular stress  
3 problem when the issue was raised. In reviewing that  
4 particular analysis that the Applicants have put forth,  
5 it appeared to be a different -- later run than the  
6 original run that was in question by the SIT evaluation.

7           Now, Dr. Chen had retained some documents for  
8 comparative purposes that he originally had reviewed  
9 during the SIT inspection. And when I compared the two  
10 documents, they were different, although in reviewing  
11 the input specter, they seemed to be fairly similar but  
12 they were not exact. Therefore, I was unable to draw  
13 any conclusion on the original analysis that was  
14 reviewed by the SIT team since the documents did not  
15 have anything that clearly identified which damping was  
16 used in the specter input.

17           And at the point I am right now with the  
18 Applicants, I'm awaiting their response. And I believe  
19 that they are gathering all historical documents  
20 associated with that particular stress analysis problem  
21 to clearly define which dampings were used and when they  
22 were used.

23           MR. DOYLE: Essentially then, this is  
24 still an open area?

25           MR. FAIR: Yes.

1 MR. DOYLE: That's all.

2 MR. FAIR: Any other questions?

3 MR. WALSH: No.

4 MR. FAIR: The next issue I had, had to  
5 do with the section properties of the tube steel  
6 members. And it came up in two separate -- I call it  
7 two phases of the issue. The first phase had to do with  
8 the fact that the Applicants had three different texts  
9 which they were able to pull out the member properties  
10 and all three of them were different. And these  
11 different properties were based on what was the assumed  
12 corner radius of the tube steel sections.

13 The SIT originally reviewed this and found  
14 that they had no problems with what the Applicants were  
15 doing; however, CASE also brought up a point with the  
16 corner radiuses that could affect the weld thread area,  
17 depending on which section that you assumed in the  
18 analysis.

19 Now, the Applicants have stated that their  
20 tube steel sections conformed to the Eighth Edition of  
21 the AISC specifications. And therefore, if this is the  
22 case, there would be only one set of property values  
23 that could be unconservative from the point of stress  
24 calculations in the member itself. Also, the Staff had  
25 evaluated the concern with corner radius and weld thread

1 area, and that was Mr. Tapia who had submitted an  
2 affidavit on this subject quite awhile back now.

3 In reviewing some work that was going on with  
4 Cygna, I ran across a response by the Applicants to a  
5 Cygna question when calculating thread area for welds  
6 from these tube steel sections.

7 It appeared that the Applicants had changed  
8 the criteria on the method of calculating the thread  
9 area from what Mr. Tapia's affidavit contained. And  
10 therefore, the last meeting, I asked the Applicants to  
11 clearly define the criteria that has been used for this  
12 calculation, the basis for it, and all changes to the  
13 criteria. Therefore, this particular aspect of the  
14 issue is still open, waiting for Applicants' response.

15 As far as the member properties, CASE has  
16 argued that certain of the tube steel sections used by  
17 the Applicants conform to the Seventh Edition of the  
18 AISC specification which essentially gives lower member  
19 properties than the more recent Eighth Edition.

20 I am unable to understand the bases of why  
21 CASE thinks that the Seventh Edition property members  
22 are more applicable to the tube steel sections of  
23 Comanche Peak. I would like to request, if there is  
24 some reason or basis on which you feel that there are  
25 tube steel sections with corner radius and member

1 properties that are more in conformance with Seventh  
2 Edition than Eighth Edition, to tell me.

3 And the reason I'm asking is, as part of this  
4 review, I did go personally through the facility looking  
5 at the thicker tube steel sections, the ones in which  
6 the corner radius would make the greater differences;  
7 and in all cases, it appeared to me that the corner  
8 radius on tube steel sections were approximately the 2T  
9 assumed by the Eighth Edition.

10 MR. WALSH: I can respond to that.

11 Early on in the design, Grinnell, I believe,  
12 had utilized some of these tube steel shapes. This was  
13 back in '78. I believe at that time the Seventh Edition  
14 steel was being used. And that's why they were using  
15 Seventh Edition member properties. The steel had been  
16 purchased prior to the change-over within the steel  
17 industry. Those members would have the Seventh Edition  
18 radius which changed based on the size of the member.

19 I forget at what time the steel industry went  
20 to a 2T uniformly for all steel members. But the  
21 present steel they're purchasing, assuming that it has  
22 been milled since like 1980, will have the 2T. But if  
23 they go out and they use steel that was purchased prior  
24 to the change-over, that steel would be with the Seventh  
25 Edition.

1           And there is no indication on the drawings  
2 when that steel was purchased. They could look it up.  
3 But the drawings, a lot of them were at issue in 1978,  
4 that indicate the steel was purchased in that time  
5 frame.

6           MR. FAIR: Well, is there a specific  
7 reason or document that tells you that there was  
8 actually a difference in tube steel, a change in the  
9 actual properties of the tube steel when the AISC  
10 changed their specification?

11           And the reason I ask is, is because the  
12 material specification in both instances would allow you  
13 to go up to what was assumed in the Seventh Edition, a  
14 value of 3T, and whether there was a change in the code  
15 on its assumptions or whether there was actually a steel  
16 change between those editions.

17           MR. WALSH: There was a steel change in  
18 the milling of the steel, fabricating of the steel.  
19 That's the change. There was a physical change. That's  
20 why the member properties changed. For someone to be in  
21 compliance with the Eighth Edition, they have to be  
22 using the 2T. The Seventh Edition varies.

23           And someone buying tube steel back in '78, you  
24 know, they would be buying that steel -- larger sections  
25 with the 3T. That's where the concern was.

1           The Applicant, you know, they can go out there  
2 and measure the corner radius of the tube steel member  
3 or verify that it was milled to the dimensions for the  
4 Eighth Edition. But if it's old steel, the Seventh  
5 Edition would have the larger tube steel members, 3T  
6 radius.

7           It's not included on the mill test reports.  
8 It's a member property problem. It's like a Y flange,  
9 dimension for a Y flange. You get a mill test report,  
10 it's not going to indicate what the dimensions are on  
11 the Y flange.

12           MR. FAIR: Were there any cases at the  
13 facility where you actually saw some tube steel sections  
14 with corner radiuses of 3T?

15           MR. WALSH: I never went out there and  
16 measured it, no.

17           MR. LANDERS: What I'm hearing is that  
18 the basis of this is that prior to the Eighth Edition  
19 issue of the AISC, industry made tube steel in a certain  
20 fashion; and after the issue, they made it in a  
21 different fashion. Is it possible that the Eighth  
22 Edition reflected what the industry is doing? Do you  
23 know that to be a fact or not?

24           MR. WALSH: No. I do not know the reason  
25 for the change in the edition. I know the Applicant --

1 this is a point I think I -- or I should have made clear  
2 in the affidavit -- is the Applicant used a Lefland or  
3 Welded Steel Institute, tube steel properties, with no  
4 justification if they were higher values. That's the  
5 one with the 1T. And they didn't bother to look at --  
6 this is the generic type of thinking that problem --  
7 didn't realize that maybe that steel doesn't exist, when  
8 they used it, didn't match the properties of that to  
9 what was being out in the field.

10 And to be more specific, when I was working in  
11 the industry, this became a concern. We were using  
12 three different member properties. And it was around  
13 January, Landley Hoghouse decided to go to the Eighth  
14 Edition instead of using this Welded Steel Institute  
15 values.

16 It was John Finneran that informed me what was  
17 actually out in the field, and this never came about  
18 when I was working. When I left in June, I still had  
19 not heard what steel are they using out there. But the  
20 problem of going a whole year using these higher values  
21 and not recognizing that they have to reflect what's in  
22 the field is a design problem that should be looked into  
23 more than just -- I was working on the STRUDL. That was  
24 not my responsibility. I wasn't designing those forces.  
25 I just saw that type of problem.

1 MR. FAIR: I understand what you're  
2 saying. We're still trying to understand what are the  
3 appropriate properties to be using at this facility and  
4 why -- I think everybody agrees that the other set of  
5 higher properties were not the appropriate properties  
6 because the Applicants switched back to the Eighth  
7 Edition and did some reevaluation.

8 MR. WALSH: I believe the properties that  
9 should be used for steel milled after 1980 would be the  
10 Eighth Edition for all three type supports groups, not  
11 just PSE. ITT and NPSI, they were putting steel in and  
12 purchasing steel after 1980. That's when the mills were  
13 doing the, you know, producing properties conforming to  
14 the Eighth Edition, the numbers they should be using.  
15 It's as simple as that, I think.

16 If that's what's out there, Eighth Edition,  
17 they should be using Eighth Edition. And if there is no  
18 Seventh Edition used on that plant, then they'll just  
19 use Eighth Edition everywhere.

20 MS. ELLIS: Does that answer what we were --

21 MR. FAIR: Yes, I guess to the extent  
22 that it can be answered.

23 The fourth issue that I had, had to do with  
24 safety factors. I think in the original meetings that  
25 we had on the summary disposition motions -- that is,

1 between the Staff and the Applicants, which was quite  
2 awhile back -- I had come to the conclusion that this  
3 was a fine analytical study, but it was not particularly  
4 useful on this plant to resolve the issues because it  
5 was a bunch of generalized types of studies which are in  
6 line with some other things that have been produced in  
7 the industry. But other than that, that's about as far  
8 as I took the review of that particular issue.

9 MR. POSLUSNY: Comments, anyone?

10 MS. ELLIS: No.

11 MR. FAIR: The next issue that I have has  
12 to do with the effects of gas or the bolt hole  
13 tolerances. I would like to defer that into the section  
14 with the Richmond inserts.

15 MR. DOYLE: Could I interrupt for one  
16 minute?

17 MR. FAIR: Certainly.

18 MR. DOYLE: What about the over-sized  
19 holes for the bolts going into the Richmond bolts?

20 MR. FAIR: That's what I just asked if I  
21 could defer.

22 MR. DOYLE: I tell you, I'm foggy.

23 MR. FAIR: And with that, I'll just leave  
24 it open as to whether anybody has any questions,  
25 comments, et cetera.

1 MS. ELLIS: No.

2 MR. WALSH: Nothing we say is going to  
3 make . . .

4 MR. FAIR: The next item I had, had to do  
5 with generic stiffness. And simply put, the concern is  
6 that the Applicants used a set of generic stiffnesses in  
7 the pipe stress analysis, equal assumptions; however,  
8 they used a different criteria to design the supports  
9 which was the deflection guideline with the load output  
10 from the pipe analysis.

11 These two assumptions are not exactly the  
12 same; and therefore, you have a concern as to whether  
13 there is a match-up between the two analytical  
14 processes. We also, the NRC Staff, had a concern with  
15 this and with the Applicants' results in their summary  
16 disposition motion. Therefore, we requested that the  
17 Applicants go back and reevaluate piping systems,  
18 looking for cases where the supports could be  
19 particularly soft. And the basis for looking for these  
20 supports being particularly soft had to do with the  
21 supports that had the lowest loads from the piping  
22 analysis and what you would expect based on a load  
23 deflection criteria to come out with softer spring  
24 rates.

25 At this point, the Applicants had given us a

1 screening criteria for performing the evaluations, but  
2 they have not given us any results of these evaluations.  
3 So at this point, it's still open.

4 MR. WALSH: Do you know when you'll be  
5 getting this?

6 MR. FAIR: I have no idea.

7 MR. WALSH: I haven't seen that screening  
8 criteria that the Applicants were using.

9 MR. FAIR: I believe that was in the  
10 September submittal, the final large submittal that the  
11 Applicants made to the NRC Staff.

12 MS. ELLIS: Okay.

13 MR. DOYLE: In this evaluation they're  
14 doing, are they considering, particularly in the  
15 containment where we have these tube steel frames that  
16 are supported on A36 threaded rods into Richmond inserts  
17 that are effectively a bearing type connection and also  
18 exhibit, just from the tests alone, the very high,  
19 obviously, shear displacement which will tend to soften  
20 the support?

21 MR. FAIR: I would have to defer that  
22 question to the Applicants because I don't know what  
23 specific supports their screening criteria is going to  
24 yield for this reanalysis effort.

25 MR. DOYLE: It would be well if they

1 include some of them, I would think.

2 We're most concerned in that particular type  
3 of a screening effort is not a soft system, it is a  
4 random system. In other words, if we have a system  
5 that's all soft supports, that doesn't present really  
6 critical problems. It's where you have very stiff  
7 supports and intermingled you have soft supports. Is  
8 this the type of thing you're looking for?

9 MR. FAIR: I think that the screening  
10 criteria is supposed to be looking at both cases. Now,  
11 the Applicants have agreed with what you've said, that  
12 the case that's likely to be a problem is a soft support  
13 in the middle of two stiff supports.

14 MR. DOYLE: Yes, right.

15 MR. FAIR: However, the other case I  
16 agree is not a problem. If the supports are all soft,  
17 that may very well change the total load input.

18 MR. DOYLE: Well, that's true,  
19 particularly if it goes more than 10 percent below  
20 generic.

21 MR. FAIR: That's correct.

22 MR. DOYLE: What I probably should have  
23 said is less of a problem than you could run into with  
24 two million pounds an inch on each side of 50,000 pounds  
25 an inch.

1 MR. FAIR: Well, I guess my opinion is,  
2 either one could be a significant problem.

3 MR. LANDERS: Again, it's this system  
4 concept of the fact that we have something attached to  
5 the end of that pipe. A soft one could in fact be a --

6 MR. DOYLE: That's right. I do what I  
7 tell everybody not to do.

8 MR. FAIR: I guess -- Dr. Chen just  
9 reminded me. It appeared that -- at least your position  
10 was that this 10 percent number which was an argument  
11 which was put forth by the Applicants, that if they were  
12 within a factor of ten of their assumed generic studies --

13 MR. DOYLE: Yes. Right. Single order of  
14 magnitude, I found no problem with that. Many of the  
15 places I have worked, as long as you're within one order  
16 of magnitude you don't even get concerned about it. If  
17 you go beyond the first order of magnitude, you go talk  
18 to the pipe stress people, what we call "confirmation  
19 required." You get confirmation that you're -- I forget  
20 what that is -- but they'll go so much over the first  
21 order of magnitude before they get excited.

22 MR. FAIR: I guess I would agree. It  
23 depends on what the generic stiffness was in the first  
24 place.

25 MR. DOYLE: Yes.

1 MR. FAIR: If it were stiff enough, then  
2 an order of magnitude lower would not be a big problem.  
3 But if it were soft to begin with, then it may be a  
4 problem, even less than that.

5 MR. DOYLE: Right.

6 MR. FAIR: Any other questions, comments?

7 The next issue is U-bolts intending to act as  
8 one-way restricts acting as two-way restraints.  
9 Hopefully I said it so that it's clear which ones I'm  
10 talking about.

11 In this particular case, the Applicants had  
12 U-bolts on rigid frames where they intended them to act  
13 in the strong direction of the U-bolt and assumed that  
14 they would take no load in the weak direction of the  
15 U-bolt. The basis for their assumption was that these  
16 movements in the other direction were so small that  
17 there was enough gap in the U-bolt so that the U-bolt  
18 would never see a load.

19 They have said that they had identified  
20 approximately 70 cases, gave the deflections output from  
21 the computer analysis of the piping, and identify eight  
22 cases where they expected the deflection of the pipe to  
23 exceed this assumed amount. They did some analysis,  
24 some seismic reanalysis of a couple of cases and  
25 concluded that stresses in loads would still remain

1 below allowables.

2 Now, in order to make this conclusion, the  
3 Applicants had to do some actual physical testing of a  
4 couple of U-bolts to come up with a load rated allowable  
5 that was higher than the original manufacturer's  
6 allowable.

7 In confirming whether the Applicants'  
8 assumptions were correct, I went out to the field to  
9 measure the gaps on these particular eight U-bolts where  
10 the deflections were the greatest and was unable to  
11 confirm the Applicants' assumption that a gap existed in  
12 this particular direction, that the U-bolt didn't intend  
13 to take load.

14 And therefore, I disagreed with the basis of  
15 the Applicants' analysis. The Applicants went back and  
16 did a reanalysis and submitted it to us on the September  
17 submittal. The reason the Applicants did a reanalysis  
18 was because the original analysis included seismic only  
19 with the assumptions that the gap existed and was larger  
20 than the thermal load; and therefore, the original  
21 thermal analysis was still valid.

22 In the reevaluation effort that was given to  
23 us, it was unclear to me that the Applicants had gone  
24 through and evaluated the new loads on the supports,  
25 including the U-bolts, to determine whether they would

1 be within acceptable limits. And I requested that the  
2 Applicants go back and reverify this.

3 The bottom line conclusion that I had out of  
4 this at this point is that the Applicants originally had  
5 no basis for making the assumption that these U-bolts  
6 provided no lateral support.

7 The issue as to whether there is a problem  
8 with the existing U-bolts is still open.

9 MR. DOYLE: I don't really believe we can  
10 comment on that one until the issue is resolved. At  
11 least I can't.

12 MR. FAIR: Any comments from --

13 MR. BECK: No. We understand your  
14 position, John.

15 MR. FAIR: The last issue is Richmond  
16 inserts. And there were several issues with Richmond  
17 inserts, and I'll try to group them as the Applicants  
18 did in their summary disposition motion into three more  
19 general categories.

20 One had to do with the actual capacity of the  
21 Richmonds and the basis for the allowable on the  
22 Richmond. Another category of issues had to do with the  
23 design assumptions you used to model the joints between  
24 the Richmond inserts and tube steel connections. And  
25 the third general issue had to do with bending loads on

1 the bolts that were going into these tube steel  
2 connections into these Richmond inserts.

3 As things stand right now, we have a concern  
4 with the Applicants' modeling assumptions for the  
5 Richmond insert tube steel connections. They have done  
6 some evaluations in their summary disposition motions  
7 and at our request have gone back and looked to see if  
8 these evaluations covered all cases that existed at  
9 Comanche Peak.

10 And they have identified some cases where they  
11 had to do some additional analysis. There was also a  
12 part of the summary disposition motion that was very  
13 confusing to me, and that had to do with the Applicants'  
14 discussion of when they released what we'll call the  
15 torsional moment and when they released the bending  
16 moment along the tube steel.

17 It is my understanding at this point that the  
18 position is that they always model the bending moment as  
19 a released condition and that, depending upon the  
20 designer's judgment, the torsional moment would be  
21 either released or fixed. And I'm awaiting a  
22 clarification on that particular point and a particular  
23 discussion in the Applicants' affidavit.

24 If the case is that on the frame structures  
25 that the Applicants in some cases assumed that these

1 moments were fixed, I don't think the Applicants have  
2 presented enough basis to justify that the stresses in  
3 the tube steel members and the inserts are adequate.

4 My opinion is that the appropriate modeling  
5 assumption is assumption for these frame structures.  
6 Now, I distinguish between the frame structures and the  
7 ones on which the Applicant has a long length of tube  
8 steel with the inserts along the length of the tube  
9 where the only method of stability is to take reactor  
10 loads out and forget them. And this indeed in my  
11 opinion will occur. They will eventually react the load  
12 out in torsion.

13 However, the Applicants' analysis currently  
14 has identified the problem, especially with cases where  
15 the insert is offset from the center line of the tube  
16 steel members; and therefore, you get a very short  
17 couple to react the load out, and you primarily have to  
18 take the load out with bending of the bolt.

19 The Applicants had identified some items in  
20 which they calculated fairly high bending stresses in  
21 the bolt and had said that they were going to modify or  
22 correct these situations. However, there are still some  
23 concern between the Staff and the Applicants on the  
24 evaluation criteria for which bolts to be looking at;  
25 that is, the Applicants developed a formula based on the

1 results of their finite element analysis. It was a  
2 formula which you won't find in any of your standard  
3 industry code. And at this point in time, we're not in  
4 agreement yet with the Applicants that this evaluation  
5 of criteria was adequate.

6 Specifically, we've asked them to go back and  
7 evaluate the results of their evaluation of these tube  
8 step members for bending stresses and loads in the  
9 Richmonds, considering assumptions or field installation  
10 procedures such as bolt hole angular and bolt hole gaps,  
11 et cetera, and determine that their evaluation  
12 conservatively considers all those cases.

13 And that's at the point where we are on  
14 Richmond.

15 MR. WALSH: Will the NRC be using any of  
16 Cygna's questions or comments that they recently  
17 submitted to the Applicant, in the the NRC's evaluation?

18 MR. FAIR: I will be reviewing them, yes.  
19 I have not really had time to understand the basis of  
20 their comments or what points they were trying to bring  
21 out. I've seen their comments.

22 MR. LEVIN: John, with respect to TUGCO's  
23 development of an interaction formula or method of  
24 dealing with the bending and tension and shear in a  
25 bulk, for example, was your concern with that approach

1 conceptually or the value, for example, of the  
2 acceptable interaction, whether it be 1.0 or 1.75 or  
3 whatever the number may be? I mean, given that there is  
4 not ready guidance and codes on these kinds of things,  
5 I'm trying to find out if --

6 MR. FAIR: That's specifically my  
7 concern, was the fact that TUGCO had developed a higher  
8 limit than you would normally use for bolts. The basis  
9 for this was two-fold. One was the fact that their  
10 finite element analysis showed that the method that they  
11 were going to use for these calculations of bending was  
12 conservative compared to the finite element analysis,  
13 and they were going to screen the bolts at the field  
14 based on the more standard type of calculations and not  
15 the finite element analysis.

16 The second basis in their affidavit was the  
17 fact that you were looking at bending in these bolts and  
18 that the normal allowables were strictly in terms of  
19 tension and shear, and that if you go to the ASME code  
20 or Structural Steel Code, they generally allow higher  
21 stresses in bending than they do in direct tension or  
22 shear.

23 So, yes, it's the basis for the increase in  
24 the allowables.

25 MR. LEVIN: So it's more toward the

1 allowable versus whether or not one can add bending into  
2 the interaction equation, per se -- I mean, you would  
3 like to see the bases for the specific value, the  
4 allowable, as compared to a conceptual problem with  
5 whether bending could be included in the interaction.

6 MR. FAIR: Well, since we have the  
7 situation, it has to be included, some method.

8 MR. LEVIN: Okay.

9 MR. POSLUSNY: No other comments?

10 MR. DOYLE: Are you going to get into the  
11 stiffness of those bolts?

12 MR. FAIR: That was the end of my  
13 comments. I'll leave it open with you.

14 MR. DOYLE: Yes. Well, I have two major  
15 concerns within A36, and one of them is they're not  
16 recommended for dynamic applications. And the other,  
17 many of the supports, the distribution of shear and  
18 tension -- tension being the lesser of the two -- but  
19 the distribution of shear is based on the concept that  
20 all of the bolts are in contact equally. And  
21 particularly for some of the ones at Comanche Peak,  
22 there were a multiplicity of bolts -- it could be 12,  
23 15, 18 bolts in a single frame. And because of the  
24 nature of the beast, we know that there is no time when  
25 we will have all of those bolts actively engaged. So

1 therefore, some of the bolts are getting higher load  
2 than would be indicated by the STRUDL analysis. And I  
3 was wondering whether or not that was looked into.

4           Additionally, there were other supports -- I  
5 had a couple of them in my summary disposition, one of  
6 them being a Class 1 support -- where you have a single  
7 piece of tube steel hanging off two Richmonds and then a  
8 cantilever hanging off of that. Effectively, the  
9 bending of the bolt renders the entire support far  
10 softer than the analysis would indicate because the  
11 analysis indicates that those two points are literally  
12 fixed.

13           Beyond that, that's the only two comments I  
14 have in regards to --

15           MR. LEVIN: Jack, I have a question with  
16 respect to that comment. Is there anything with regard  
17 to these particular connections that -- I mean, I think  
18 what you explained might generally be true for bearing  
19 connections, but is there anything that would make that  
20 particularly different here on this plant?

21           MR. DOYLE: I don't understand.

22           MR. LEVIN: In terms of the sharing of  
23 loads between bolts.

24           MR. DOYLE: Yes, because the entire  
25 support -- before the entire bolt pattern becomes

1 effective, a number of bolts are going to have to  
2 displace perhaps as much as an eighth of an inch. So in  
3 addition to the support stiffness factor, you have to  
4 take the ratio of the sum of the --

5 MR. LEVIN: Am I to understand your  
6 concern being more with the impact of that on softening  
7 of the system or the fact that there may be a different  
8 load distribution to bolts?

9 MR. DOYLE: There would be a different  
10 load distribution, depending on the total load of the  
11 support. But the tests indicate that the shear  
12 displacements of those bolts were rather horrible. For  
13 that matter, when you get up around a 16th of an inch,  
14 you've almost reached the limits of the allowable for  
15 the particular bolt and shear.

16 MR. LEVIN: Is that particular tests or  
17 tests in general?

18 MR. DOYLE: No. That was Applicants'  
19 Exhibit 142. Anyway, they did a test at the request of --

20 DR. CHEN: It was 142, it was another --

21 MR. DOYLE: Oh, well, at any rate, there  
22 was a test done that showed very high displacements.

23 MR. LEVIN: I'm trying to understand,  
24 though, if that was in a specific test of a particular  
25 bolt or that was a general trend noted in the entire

1 testing program.

2 MR. FAIR: That was four particular -- as  
3 I recall, four particular bolts, tested out at very  
4 large deflections at the bolt allowable load in shear.  
5 At the last meeting I asked an explanation of those  
6 particular results.

7 I, too, would like to ask the question, now  
8 that the subject has arisen, as to the concern on the  
9 sharing of loads on bolted connections, as to whether  
10 this concern is particular to the Richmond insert, tube  
11 steel connections, or whether it's in general for base  
12 plated anchor bolted connections?

13 MR. DOYLE: No, because most of the  
14 anchor bolted connections are friction. They prescribe  
15 torque. And a friction joined connection, until you  
16 reach separations, there is no shear involved, although  
17 they may be analyzed as if there is. In fact, there is  
18 none.

19 On this tube steel, again we're into a unique  
20 design. The friction is indeterminate because the  
21 torque is indeterminate. They can't torque down like  
22 they can on a base plate. On a base plate, you can take  
23 it up to whatever is required according to your  
24 particular specification or the manufacture's  
25 recommendation.

1           So it is only for those connections which are  
2 essentially either indeterminate or vary in type but not  
3 for base plates in general.

4           MR. FAIR: I would still like to pursue  
5 it a little further. In terms of general bearing  
6 connections, is it your position that it should be the  
7 practice to analyze each individual bolt separately  
8 within the tolerances of the gaps around the bolts?

9           MR. DOYLE: I'm not sure exactly what  
10 you're saying. However, if there was a practice in  
11 place that would have assured the lesser gap, then of  
12 course we would have less problem. But currently the  
13 condition is such that you could actually have to  
14 deflect some of the bolts an 8th inch before the  
15 remainder come into action.

16           MR. FAIR: Well, I guess I would turn it  
17 around. If they would be used with the AISC which are  
18 considered standard hole sizes which would cut the gap  
19 effectively in half from an 8th to a 16th, would you  
20 still have a concern?

21           MR. DOYLE: Myself, yes.

22           MR. LEVIN: Well, Jack, then I guess -- I  
23 was interested in that same line of questioning, John.

24           I think people recognize differences between  
25 friction and bearing connections. So if we get to just

1 looking at bearing connections, what I'm interested in  
2 is understanding whether or not the concern is, in fact,  
3 with industry practice, or there is something that has  
4 been done on this project that particularly would  
5 exacerbate it.

6 And you're saying that going in the direction  
7 of a larger hole size would, but I am interested in your  
8 thoughts on the point that John just make on the 16th,  
9 and the fact, you know, that that's a tolerance adopted  
10 by AISC, and --

11 MR. DOYLE: Yes. But you've got to  
12 remember that AISC, for the most part, wherever they do  
13 have large shears like at base plates and things, they  
14 put in shear keys, so they're not relying on the bolts  
15 to take shear load.

16 In the remainder of the structure, except  
17 under the new SEAH codes, they took an equivalent  
18 horizontal shear into the building and therefore that  
19 really structures subject to dynamic conditions. So  
20 here we have a unique case where we have the supports  
21 suspended off of tubes which are bolted to Richmonds  
22 with an indeterminate friction qualification; and yet,  
23 every bolt in the pattern is treated as if it is  
24 receiving equal load.

25 And I marked under a number of the supports

1 out there where there were problems even at that,  
2 bringing the bolts into qualification. And had they  
3 been done as the real world, which you would never do,  
4 you would probably find that several of those bolts went  
5 way over the allowable.

6 MR. LEVIN: Is there any indication that  
7 the connection doesn't perform?

8 MR. DOYLE: The fact that it's A36.

9 MR. LEVIN: I mean any experience.  
10 That's what I'm after.

11 MR. DOYLE: Well, that's what I'm saying.  
12 I have never seen that particular type of support used  
13 anyway, except for perhaps, you know, a coathanger or  
14 something. Every plant I have ever been in either used  
15 embeds or surface-mounted plates or through bolting or  
16 something of that nature, and I can't recall of any that  
17 weren't using friction type joints.

18 MR. WALSH: The other point that I would  
19 like to make is with regards to the AISC code -- and I  
20 don't know if it was submitted in our answer on gaps or  
21 on the Richmond insert -- but the AISC code, as far as  
22 oversized holes and base plates, was written with the  
23 assumption that you have got a heavily loaded column,  
24 that column has sufficient press, of course, on that  
25 base plate that you don't even really need anchor bolts,

1 you put the anchor bolts in just the same.

2 And I believe it was one of those motions that  
3 the Applicant was relying on, saying, "Well, we could  
4 have made the holes even bigger."

5 That is not the case. If that's how the  
6 Applicant really feels about it, it's either a question  
7 of judgment again of the Applicants to rely on that type  
8 of premise.

9 MS. ELLIS: I would like to ask you,  
10 Paul, I believe that the test, wasn't that attached to  
11 an affidavit of yours? I sort of believe it was, but  
12 I'm not positive about that.

13 DR. CHEN: I don't remember, but I think --  
14 let me look through my, quote, boxes unquote, and I'll  
15 get back to you on that.

16 MR. DOYLE: One of the major problems  
17 with that particular type of connection, again, if you  
18 uncouple it and you look just at the shear, eventually  
19 all the bolts in the pattern will share the shear. But  
20 you've got to recall that some of the bolts at the point  
21 you get to where the load is fully distributed, have  
22 higher shear loads than was anticipated. Now you must  
23 add the tension load and also the interaction of  
24 bending.

25 But I don't recall having seen -- the closest

1 thing I can recall to that type of a situation is where  
2 some people were using Unistrut. I disagreed with that  
3 strongly, too, because again you're getting to bending  
4 of the little ears.

5 MR. LEVIN: What about a situation where  
6 it's just simply a base plate?

7 MR. DOYLE: How is that again?

8 MR. LEVIN: Just simply a base plate  
9 configuration and a bearing connection. It seems to me  
10 implicit in the concept of that type of connection is  
11 the fact that there will be some redistribution of loads  
12 between bolts and in the concept of that --

13 MR. DOYLE: Yes. But first you have to  
14 displace two or more of the bolts to the point where the  
15 remainder become effective.

16 MR. LEVIN: Yes.

17 MR. DOYLE: When you do that, you have  
18 got shears or shear stresses in some of the bolts that  
19 are considerably higher than you had anticipated. Those  
20 could be the bolts which also are taking the majority of  
21 the tension, if you have a couple in that direction. So  
22 now you're well beyond the allowables established for  
23 that particular bolt.

24 MR. LEVIN: Okay. I understand your  
25 point. That's why I asked the question before about the

1 question of experience. And it seems to me that people  
2 as a matter of practice have accepted that, possibly  
3 supported by the fact that those types of connections do  
4 perform in a certain way. And I was curious as to how  
5 you believe that would impact the overall integrity of  
6 such a connection.

7 MR. DOYLE: Like I say, I haven't seen it  
8 done. All the building columns I worked on, if you  
9 receive 30 percent of the friction, then you go to shear  
10 keys in the directions it's required.

11 MR. LEVIN: Okay.

12 MR. POSLUSNY: Are there no more comments  
13 on Mr. Fair's items?

14 If we can think of anymore, we'll take a quick  
15 break.

16 (Brief recess)

17  
18 MR. POSLUSNY: If we could get started.  
19 Okay. Ready.  
20 Paul Chen is going to continue.

21  
22  
23  
24  
25

1 PRESENTATION BY DR. PAUL CHEN

2  
3 DR. CHEN: Okay. I have four summary  
4 dispositions. The first one has to do with forced  
5 distribution and axial restraints.

6 This summary disposition is concerned with  
7 dual snubber or seismic restraint types supports and  
8 forced distribution and lug type supports. The concerns  
9 relate to piping stresses and loads on the supports.

10 To expand on bit on that, the concern is  
11 related to the rotational restraints offered by the dual  
12 type supports, the effects of offset masses in the  
13 piping analyses, CHEME stresses and trunnion type  
14 supports and local stresses due to the attachment. I  
15 would like to ask at this point whether or not that  
16 covers the concerns that you have?

17 MR. DOYLE: There are a couple of other  
18 points. One of them is particularly in reference to  
19 snubbers. Snubbers are generally set for a specific --  
20 they're acceleration sensitive, so they're set for a  
21 specific g loading -- for example, .02 g. Any gain  
22 type, whether it's 2 or 8, like they've got in the upper  
23 lateral restraint, like of a snubber arrangement, you're  
24 never going to get exactly, precisely .02.

25 And most often, they assume the total load on

1 one support. If they can't make it by that, they'll go  
2 to 75 percent. And I think the manufacturers by test  
3 have shown that if you go below 60 percent of the total  
4 load on one support, then you're going to find yourself  
5 in real trouble because the two snubbers will not lock  
6 up simultaneous.

7 The second problem is, when you have two  
8 snubbers or two struts and they're attached to literally  
9 different frames of the same frame system but  
10 independent frames -- for example, say you had a  
11 cantilever off the wall a foot long, same tube steel  
12 coming up off the floor ten feet long, you have a  
13 differential in stiffness which will affect the loading  
14 distribution. And this, of course, is why most places  
15 like to try to make it pass with a total load on one.  
16 If you can't do that, many of the places I've worked at,  
17 you can arbitrarily adopt a 75 percent. To get down to  
18 .6 and below, you have to get confirmation required type  
19 of thing.

20 So besides the thermal rotation, if it's on a  
21 horizontal run above the "Y" axis and "X" number of  
22 ratings or what have you, have those two considerations,  
23 you should also go into snubber loadings.

24 MR. LANDERS: Jack, is there anything in  
25 the procurement process that would alleviate some of

1 that concern?

2 MR. DOYLE: With respect to --

3 MR. LANDERS: With respect to procurement  
4 of the snubbers and specification thereafter.

5 MR. DOYLE: I don't think that, to the  
6 best of my knowledge, they never can get two snubbers to  
7 lock up precisely at the same time. They come very  
8 close, and it is a precision piece of equipment. But  
9 due to the fact that you are dealing with an  
10 acceleration and the reaction of the snubber to that  
11 acceleration will vary so that the snubber, within the  
12 limits of human capability, I don't think they could  
13 ever get two snubbers to lock up precisely at the same  
14 time. The result is, the (unintelligible). And once  
15 you start getting rotation and the acceleration picks  
16 up, the other one will lock, in which is why in many of  
17 the plants I've worked you are allowed to go down to .6  
18 of the total load but I don't -- it's possible, but I  
19 don't think I've ever worked at a place where they  
20 divided 50/50.

21 MR. LANDERS: That was precisely my  
22 question. Going down to .6, do you know if in those  
23 instances there are very specific procurement  
24 requirements with respect to those two snubbers, that  
25 that was defined to be accurate?

1 MR. DOYLE: We only buy them in pairs.  
2 In that respect, yes, if you have a dual snubber set-up,  
3 you should buy them in pairs. But as far as CPSES, I  
4 have no idea what their procurement did about that. If  
5 you don't buy them in pairs, then you're going to have  
6 even more problems.

7 MR. LANDERS: Okay.

8 DR. CHEN: The Applicants' motion for  
9 summary disposition does not address these two concerns  
10 that you brought.

11 Additionally, the arguments presented in the  
12 summary disposition are contrary to what the Applicants  
13 had committed to two years ago to the SIT team. The  
14 motion contains analyses for (unintelligible) piping  
15 system which supposedly show that if the rotational  
16 restraints of a dual snubber installation are  
17 considered, it has very little effect on the piping  
18 stresses, but that support load will increase by a  
19 factor varying between 2 and 3.

20 The Applicants proposed new allowables and  
21 these new allowables are based on the -- assuming that  
22 the rotation is a secondary effect and that increase on  
23 loads can be treated as secondary loads, basically what  
24 they were proposing was that the allowables be increased  
25 by three times what the allowables were. And we would

1 disagree with that. The analyses showed that the loads  
2 increased by around 2 and 3; the proposed allowables  
3 increased by 2 or 3. Basically what they were saying is  
4 that there is no problem, and I have a problem with  
5 that.

6 The load type supports -- the information is  
7 based on inspection of 29 supports -- showed that in  
8 each instance there were always two lugs which were  
9 fairly equidistant from the support structure. A  
10 maximum distance between the structure and the nearest  
11 lug was about 1/16th of an inch.

12 They then did elastic-plastic analysis of a  
13 lug attached to a pipe and displaced the lug by 1/16th  
14 of an inch and said that it was also indicated that the  
15 plastic deformation localized. I cannot accept that  
16 analysis because it does not address what happens on the  
17 separate loadings. This analysis just shows what would  
18 happen in the case of a one-time loading.

19 Some of these comments were passed on to the  
20 Applicant in a meeting we had about a month ago, and I  
21 haven't heard anything back from them as yet. Basically  
22 this item is --

23 MR. DOYLE: Also, in a substantial  
24 earthquake, you could have a fairly large number of zero  
25 crossings. So the fact that you're displacing a

1 particular lug a 16th of an inch -- well, coming back to  
2 that 16th of an inch, again we end up somewhat similar  
3 to the shear on bolts if we're displacing a 16th of an  
4 inch. I wonder what the BLR would have to say about  
5 that in reference to the pipe or what does anybody have  
6 to say about that?

7 DR. CHEN: They prepared some results of  
8 analysis for piping system when one lug was loaded --  
9 or, rather, a pair of lugs was loaded. And the result  
10 of that analysis indicates that the piping stresses are  
11 acceptable. The results of those analyses are still  
12 open as far as I know. I'm not sure.

13 MR. LANDERS: Could I say something?

14 I think I addressed that in my draft report.  
15 That's where they do an elastic-plastic analysis.

16 DR. CHEN: Yes. You mentioned this was  
17 unacceptable as an analysis.

18 MR. LANDERS: Yes.

19 MR. WALSH: In your discussions with the  
20 Applicants, did you find out why they decided not to do  
21 what they said they were going to do?

22 DR. CHEN: Well, the meeting at which  
23 this was said was a meeting to relay to the Applicants  
24 some of the concerns that we had regarding the reason  
25 for some of these positions. I have not gone in to find

1 out why what they're proposing now is different from  
2 what they proposed two years ago.

3 MR. WALSH: I'm concerned with maybe they  
4 forgot. It was one procedure, and then someone came  
5 along and said, "We need to consider this." And by that  
6 time, it was too late to go back and start doing  
7 reanalysis on piping systems. You know, maybe it's a  
8 problem with the quality assurance program, the piping  
9 stress analysis; people that were really going to work  
10 didn't realize that they were committed to modeling  
11 these types of restraints.

12 DR. CHEN: That could be. But more along  
13 these questions related to QA, I would hope that in  
14 Applicants', quote, get-well plan, unquote, that all of  
15 these kinds of things are going to be considered.

16 MR. WALSH: No, because I remember that  
17 was a dead issue as far as modeling struts and then  
18 getting this motion to find out that they're not going  
19 to do it, I would be surprised.

20 DR. CHEN: That in a sense they were  
21 going to model and they were going to --

22 MR. WALSH: Sure. It was no longer a  
23 concern.

24 DR. CHEN: That was my understanding two  
25 years ago.

1 MS. ELLIS: I guess what we're saying is  
2 that that sort of thing needs to be analyzed as well,  
3 something you can tell us in the report, how all this  
4 came out.

5 DR. CHEN: It has QA obligation as well.

6 MS. ELLIS: All right.

7 DR. CHEN: Any other questions or  
8 comments?

9 MS. ELLIS: That analysis that you  
10 mentioned, was that part of the September '84  
11 information which the QF provided for the Staff?

12 DR. CHEN: Yes, it was -- well, just a  
13 minute. Which analysis, elastic-plastic analysis? The  
14 elastic-plastic analysis was part of the original  
15 motion, and the analysis for the -- just two lugs loaded  
16 is also part of the original motion, I believe.

17 MS. ELLIS: Okay. Just wanted to be  
18 sure.

19 MR. DOYLE: One other point, and that is  
20 the lugs not only are sometimes spaced differently, you  
21 think, actually along the pipe, but also on angularity  
22 so that the net result on the clamp can be more  
23 significant than would be apparent on the surface  
24 because if the angularity is such that you're way out on  
25 the end of the particular lug or trunnion or whatever it

1 is, then you have induced moments and shears into the  
2 welds and into the pipe which would not be so if it were  
3 a perfectly square surface.

4 DR. CHEN: More along those lines, Jack.  
5 Recognizing that nothing is going to be ever built  
6 perfectly, what kind of tolerances would you see as  
7 being acceptable?

8 MR. DOYLE: I don't see a tolerance.  
9 What I see is usual industry practice. And if you have  
10 four lugs, then count two, sort of an arbitrary  
11 situation.

12 DR. CHEN: And in the case of just two  
13 lugs --

14 MR. DOYLE: -- you count one. If you're  
15 going to do a Bjillard type analysis additive to M and S  
16 and P, existing pipe, then again we use about the same  
17 numbers, try to do it all which is conservative,  
18 approximately 75. We can get authorization to go to .6.

19 MR. LANDERS: Where in the lug would you  
20 put your load?

21 MR. DOYLE: When you are overloading  
22 under those conditions, then you would put it something  
23 like Malcolm Hobbit does with bolted conditions. You  
24 put it inside of the -- if you're coming down on a  
25 support, you would put it at the tangent point plus,

1 say, a 16th, because you're going to get some local  
2 deformation at that point so you would go to the tangent  
3 point of a tube. If you had a trunnion coming out and  
4 you're sitting on a piece of tube steel, you go at least  
5 to the tangent point plus a 16th of an inch.

6 Generally, based on what I know, we go to the  
7 center of the tube which is even more conservative. But  
8 if we get into a real bind, we'll back off a little.

9 MR. LANDERS: What if you had a pipe  
10 clamp with a lug?

11 MR. DOYLE: How is that again?

12 MR. LANDERS: A pipe clamp with a lug.

13 MR. DOYLE: A pipe clamp with a lug? You  
14 put it to the center of the thickness of the pipe clamp.  
15 But if you start trying to take advantage of all four  
16 clamps, you are going to take it all the way out to the  
17 worst possible condition.

18 MR. LANDERS: What about a situation  
19 where construction in welding lugs on pipes uses jigs;  
20 that is, if they are going to put a clamp on with lugs,  
21 they in fact have the clamp there and put it in place?

22 MR. DOYLE: If you specify on the drawing  
23 that you want these particular lugs to be within a  
24 specific plane, then you would use that plane, whatever  
25 it is.

1 MR. LANDERS: I just wanted to ask that  
2 because you said you wouldn't use tolerances. In fact,  
3 in situations where you can control a construction --

4 MR. DOYLE: For that matter, in  
5 submarines they do that all the time. That's exactly  
6 how they put their pipe supports up; they jig them in.

7 DR. CHEN: The second motion I would like  
8 to discuss is with regard on local stresses on  
9 displacements. This motion covers four topics: zero  
10 clearance box frames, stresses and anchors in piping  
11 systems, local deflections, and depression in the walls  
12 of tube steels.

13 The last item is the depression in the walls  
14 of tube steels, was covered in Applicants' motion,  
15 according to AWS versus ASME requirements. What is in  
16 this motion is basically a summary of what was in the  
17 other motion. And Mr. Terao, I think, has addressed all  
18 of those concerns.

19 Did you have any questions on that?

20 MR. DOYLE: Are they doing the analysis  
21 on the basis of AWS Section 10?

22 MR. TERA0: That's our understanding,  
23 yes.

24 MR. DOYLE: Well, if they're doing that  
25 on that basis, obviously there can be no question.

1 DR. CHEN: The zero clearance box frames,  
2 Applicants are relying basically on two analyses, one  
3 which was done by Cygna for a zero clearance box frame.  
4 I think that goes in the -- I forgot -- it might have  
5 been under SI system. And they also presented some  
6 analyses on three supports -- two or three, I forgot  
7 exactly -- well, the methods of analyses, and there were  
8 also analyses I find at this point unacceptable. Some  
9 of my comments have been transmitted to the Applicants,  
10 and we haven't heard anything back yet, so that's  
11 basically an open item.

12 MR. DOYLE: Still open. I didn't agree  
13 with the analysis at all.

14 DR. CHEN: The same comments apply to  
15 stresses and anchors and piping system. That's  
16 still --

17 MR. DOYLE: Constraining thermal?

18 DR. CHEN: That's correct.

19 For local deflections, this is somewhat  
20 related to the issue of generic stiffness, and that's  
21 still open.

22 Cinching down of U-bolts, as I understand it,  
23 CASE's concerns relate to unusual design issues, A36-A37  
24 material, for the use of those materials, questions  
25 related to stability and stresses and the pipe and the

1 U-bolt itself and local deflections and stresses.

2 Is there anything else that --

3 MR. DOYLE: Yes, well, specifically on  
4 relaxation, there is no information on A36. The closest  
5 they have had, DS60, and it's not really related to A36  
6 material.

7 But, in fact, that is the lesser of the  
8 problems. It then comes to one of these cumulative  
9 things where you have cinching first, VF terminal. You  
10 have pressure. All three of these are contributing to  
11 high levels of stress. And also you have bending of the  
12 U-bolt which is one of the analyses Applicants never  
13 even considered the bending because you have to take  
14 that U-bolt, conform it to the configuration of the  
15 pipe.

16 When you consider all of those, they will have  
17 an effect relative to the various differences on the  
18 U-bolt type and whatever it's connected to, whether it  
19 be a plate and what not.

20 DR. CHEN: Is this true, that Applicants'  
21 motion does not address bending, stresses on the U-bolt  
22 itself?

23 MR. DOYLE: Yes. Those can be as much as  
24 four times the actual.

25 DR. CHEN: In fact, most of the

1 measurements -- well, all of the measurements, if  
2 they're taken on the U-bolt, were just taken in straight  
3 portion.

4 And as to the U-bolt, some of the cross  
5 pieces, I do not believe that configuration was tested  
6 nor analyzed, were sufficient to cover a broad range of --

7 MR. DOYLE: There are many cases of the  
8 plate and the cross piece.

9 DR. CHEN: I think that was brought up in  
10 a meeting that we had with them.

11 The motion basically covers the results of an  
12 inspection for torques. I mentioned in the meeting with  
13 Applicants that that is still an open item, some of our  
14 test program and analysis program.

15 The torque versus free load tests, questions  
16 relating to conforming, which you just mentioned, as it  
17 relates to bending in the U-bolts was mentioned.

18 For the friction tests, the results of the  
19 tests indicated that there could be problems associated  
20 just with dead loads, that which could be more  
21 significant than some of the problems that we're looking  
22 at.

23 The thermal cycling, there are givens, rested  
24 heavily on relaxation effects, as you pointed out.  
25 There is very little information available on relaxation

1 and the kind of U-bolts we have.

2 Pre-tests, the test data was still inadequate  
3 for the 32-inch U-bolts. And for the two dynamic tests,  
4 the normal vibration and simulation test and seismic  
5 loading simulation tests, I have a lot of questions  
6 related to the results of the so-called unofficial test.

7 And have you had a chance to look those over?

8 MR. DOYLE: No, not really. I didn't  
9 look over the tests, and I found a lot of problems.

10 But do we have anything on that?

11 Generally their test procedures don't seem to  
12 follow the ASTM requirements for one thing.

13 MS. ELLIS: We submitted some information  
14 on that. I'm not sure that we submitted everything. I  
15 won't go through the whole spiel again that you've heard  
16 so many times about the timing constraints.

17 DR. CHEN: Again, basically the U-bolt  
18 issue is open. And so this is a result related to  
19 stability or the stiffness; they're still open. I think  
20 in a meeting that we had with Applicants, I think I  
21 pointed out that there were several concerns which were  
22 raised in CASE's proposed Findings of Fact which were  
23 not addressed by the motion.

24 The last motion I was involved with was  
25 differential displacements in large frame wall-to-wall

1 and wall-to-ceiling pipes works. Again, during a  
2 meeting with Applicants, I mentioned some concerns which  
3 were not addressed in the motion. Some of these relate  
4 to wall-to-floor and -- well, the question as to whether  
5 or not the wall-to-floor and wall-to-ceiling supports  
6 are more critical or terminal in as-built conditions.

7           Maybe you can explain to me why you consider  
8 those more critical than wall-to-wall and  
9 floor-to-ceiling.

10           MR. DOYLE: I don't really consider them  
11 more critical, but the displacements within the wall  
12 vertically -- you know, taking the vertical component --  
13 would be far less than the slab to which it comes out  
14 and ultimately attaches. So whatever the displacement  
15 of that slab is, will be taken up in the frame itself.  
16 And there was never no consideration obviously given to  
17 that.

18           But as far as is it more critical, I've never  
19 run no firm numbers on it. In the first place, I don't  
20 have the displacement history of the plant.

21           DR. CHEN: The reason I asked that  
22 question is because in the proposed Findings of Fact, I  
23 think it was stated that these were more critical, the  
24 wall-to-wall and floor-to-ceiling.

25           MR. DOYLE: Probably what I was thinking

1 at the time is, if you're going from floor to ceiling,  
2 particularly in any given plane, you probably would get  
3 compensating displacements, although differential.

4 DR. CHEN: Would that not be  
5 unacceptable?

6 MR. DOYLE: Yes, that's why I mentioned  
7 it. But I don't know if it would be more serious. I  
8 think it would be less serious than when you come off a  
9 wall and you come off a ceiling, you got the ceiling  
10 coming this way and in that direction the wall moving  
11 very little. But the wall could be moving this way  
12 while the slab is moving very little this way  
13 (indicating).

14 So you could get larger displacements,  
15 particularly as you pass the points of curvature in the  
16 wall and the slab, you get out into the area where the  
17 deflection is actually occurring.

18 MR. LANDERS: You would have to have a  
19 large span restraint is what you're saying?

20 MR. DOYLE: Yes.

21 MR. LANDERS: You would have to get away  
22 from the wall on the slab and away from the slab on the  
23 wall quite a ways?

24 MR. DOYLE: Yes, try to get to the point  
25 of neutral --

1 MR. LANDERS: Yes.

2 DR. CHEN: There was a problem also in  
3 the Proposed Finding that treating wall-to-floor and  
4 wall-to-ceiling supports as building supports, as common  
5 practice.

6 MR. DOYLE: How is that again?

7 DR. CHEN: I think it was stated that  
8 these kinds of supports were usually treated as building  
9 supports.

10 MR. DOYLE: They would be considered as a  
11 building support without a slip joint. If they have a  
12 slip joint, they're just a post, but if you tie solid  
13 from the floor to the floor above, you are going to pick  
14 up building load because you're going to get time  
15 displacement, you're going to get whatever lag-load is  
16 put up there. And it's going to act as if it were a  
17 building column. MR. WALSH: In regards to that, go out  
18 to the D-FW Airport. I think it's the new Terminal 3E  
19 or 2E, whatever the new terminal is. In pre-cast, the  
20 pre-cast numbers failing the shear to support them, they  
21 argue is in tubes just like pipe support from floor to  
22 ceiling. Out there they're using it to literally  
23 support the building, tube steel members to be used in  
24 the concrete tower.

25 MR. LANDERS: With respect to that,

1 really all you're saying is that if there is any  
2 displacement, it should be considered the fact that it's  
3 referred to as a piece of building steel or is  
4 inadequate for sure. In this case, the Applicant would --  
5 in any case any applicant would prefer to call any piece  
6 of steel NFR.

7 MR. LANDERS: But the recommended concern  
8 is making sure that the broad --

9 MR. DOYLE: Yes.

10 MR. LANDERS: What would call --

11 MR. DOYLE: Call them anything.

12 DR. CHEN: More along those lines:

13 Considering that the differential displacements both are  
14 of the order of .006 of a flange, would you consider the  
15 slop at the attachment point as being significant or  
16 not?

17 MR. DOYLE: No. You have to take worst  
18 case; you have to assume that they literally got that  
19 thing in tight. Additionally, from the time they got it  
20 in relatively tight until the time we get concerned with  
21 .006, you are going to get time displacement which  
22 occurs rapidly for the first few years, but it still  
23 goes on.

24 At that point -- now you've got .006. And if  
25 you want to get back with me, you've got a hell of a

K  
R  
S

KENNEDY REPORTING SERVICE INC  
7800 SHOAL CREEK BLVD. 346-W  
AUSTIN, TEXAS 78757  
(512) 456-3297

1 load on the column.

2 MR. LANDERS: What time displacement?

3 MR. DOYLE: Of the concrete. When you  
4 first put it in and pour the forms, you get a certain  
5 displacement. As time goes on, you'll get additional  
6 displacement. It's rather rapid for the first year or  
7 so. In the next five or six years, you're getting some,  
8 although it's not as much as you're getting in the first  
9 five years.

10 MR. LANDERS: Have you seen this kind of  
11 time dependent displacement in the nuclear power plant  
12 with the kind of reinforced slabs that we have?

13 MR. DOYLE: No, I have never seen it.

14 MR. LANDERS: Have you seen the  
15 displacement occur over -- I can understand what you're  
16 talking about with a simple poured slab on a tray, but  
17 when you're talking about a slab that, in fact, only has  
18 concrete in it so you won't fall through and catch  
19 yourself on the rebar, I'm a little concerned if you're  
20 worried about time dependent displacement of a slab.

21 MR. DOYLE: Well, if you put the column  
22 in and get a craftsman and he puts it in rather tight,  
23 it doesn't take too much beyond tight to make it fully  
24 engaged.

25 MR. LANDERS: I understand. That's

1 another issue. But I want to make sure about this time  
2 dependent displacement.

3 MR. DOYLE: I'm not talking of 10,000 or  
4 15,000. I'm talking about they put the plate up here  
5 which they usually try to get it all snug; otherwise,  
6 then they're going to have to pull the bolts and bend  
7 the plate. So they try to get it as accurate as they  
8 can or as tight as they can.

9 Now, you get even a tenth of a thousandth, now  
10 you're tight. Now you get the seismic displacement of  
11 even a thousandth of an inch on a large column, which is  
12 essentially a pipe support but now is going to take  
13 building loads. You have to account for what will  
14 occur.

15 MR. LANDERS: Okay.

16 DR. CHEN: More along those lines. In  
17 the case of zero clearance box frames, where the  
18 pressure displacements -- and again, this order of  
19 magnitude -- would you say that for a conservative time,  
20 that they should assume that the stresses in loads will  
21 occur for infinitesimal displacement?

22 MR. DOYLE: I'm lost. You say box  
23 frames?

24 DR. CHEN: Yes, where the differential  
25 displacements again of similar magnitude, are you saying

1 that for conservatism the analysis should assume that  
2 there is no slop between the pipe and the box spring?

3 MR. DOYLE: Oh, I see what you're saying.  
4 You're getting thermal growth.

5 DR. CHEN: Right, at the unstable  
6 support.

7 MR. DOYLE: Okay. Yes, for conservatism,  
8 because Applicant himself assured us that there is no  
9 tolerance, then there was no tolerance, zero net zero.  
10 I guess what they do is really wedge it in there.

11 DR. CHEN: Well, in the case of the zero  
12 times box frames, they did assume that zero meant zero?

13 MR. DOYLE: Yes.

14 DR. CHEN: This summary disposition is  
15 basically open.

16 MR. DOYLE: Yes.

17 DR. CHEN: That's all I have.

18 MR. POSLUSNY: Okay. Before we change  
19 topics, I wanted to see if Mr. Walsh or Mr. Doyle wanted  
20 to add anything or make any comments in general about  
21 this first section or perhaps --

22 MR. DOYLE: What's the next section?

23 MR. POSLUSNY: The next section we're  
24 going to talk about is cable tray supports.

25 MR. DOYLE: What I have is a list. The

1 vast majority of it is stuff that has been discussed,  
2 and there are points, and I put it into various  
3 categories. Some of them we have discussed already.

4 What I would like to do is read it into the  
5 record and then it's all in one place, and then  
6 Applicant can look it over, he can disagree. Like I  
7 say, a lot of it -- not a lot of it, but there are many  
8 points which could be classed trivial alone, which means  
9 that when some of the major points are cleared up, then  
10 these might go away, some of them might go away. But  
11 they can't go away until we get the plant into a  
12 condition where when you read a stress ratio of .6, you  
13 can be fairly certain that that is the stress ratio in  
14 which case you can now write off.

15 The first one I cited was stability. And we  
16 had:

17 (a) We had box frames both with struts and  
18 snubbers.

19 (b) We had U-bolts with struts and snubbers.  
20 And these are all in the condition that they were back  
21 three years ago; this is before all the fixes.

22 (c) We had U-bolts with two struts; for  
23 instance, trapeze type of item.

24 (d) And then we had the one that I was  
25 showing earlier, the clamp with a one trunnion eccentric

1 to the pipe, which is more of a system stability in that  
2 the pipe has to torsionally support -- it works in  
3 combination with the pipe.

4 And then there was -- under (e) I put  
5 structural frames of the gang hanger type which was  
6 strut supported and had thermal displacements out of  
7 plane. And the one I listed as an example is  
8 CC41-710-A63. And that is in our 669B.

9 Over the time we have had fixes on these. The  
10 first fix was (a) brackets that were placed at the upper  
11 end of a particular strut which was supposed to stop the  
12 strut from rotating and thus prevent the instability.  
13 But unfortunately, a strut is so long and the brackets  
14 were so small that we picked up some horrendous moments,  
15 at least in our finding.

16 And (b), they put clip angles in to hold the  
17 U-bolts around box frames; and they were, of course,  
18 overloaded, particularly when you talk numbers like 84  
19 pounds of torque.

20 And (c), they had lugs to stop the axial but  
21 it didn't stop the walking.

22 (d) They instituted a double strut program  
23 to stabilize the box frames. Then they still ended up  
24 with an axial to the type of an instability in the  
25 finding.

1 (e) They placed bumpers to replace the strut  
2 bracketry.

3 And then (f), they shimmed the box frames to a  
4 zero inch gap which created a thermal impression in the  
5 screen.

6 And (g), they went to cinching up of the  
7 U-bolts, and that we all know is still an open item.  
8 Even if that one is solved as a method of solving the  
9 instability problem, there is still the problem of  
10 qualifying the U-bolt for the loads which are not in the  
11 manufacture's LDS.

12 And then Item 2, the loads not included on the  
13 support, I have:

14 (a) The self-weight excitation of the hardware  
15 is not taken into account.

16 (b) The swing angle of struts and snubbers  
17 were down under five degrees, is assumed negligible.

18 (c) Friction loads, when they're under a  
19 16th of an inch.

20 (d) The load differential, including the  
21 snubbers, which is what we just went over, due to  
22 stiffness differential in two independent frames; and  
23 also the inability of the snubbers to lock up precisely  
24 at the same acceleration.

25 (e) The actual section properties,

1 particularly for the large holes for one and a half inch  
2 diameter Richmond bolts which is mostly all removed from  
3 the extreme "Y" distance.

4 And (f) was hanging the supports literally off  
5 of Richmond bolts, particularly in the case where they  
6 are using only one tube and then cantilevering or  
7 hanging off of that single tube.

8 3, under Hardware: The crossbars were used  
9 for cinching down U-bolts, not necessarily tube steel as  
10 has been discussed in the analysis. One of them may be  
11 noted on CC-008-006 where we had a span of 14 inches,  
12 7,500 pound load, on a three-quarter by 3 inch bar,  
13 piece of bar stock, which obviously was overstressed. I  
14 believe they replaced that two or three years ago.

15 (c) Double axial restraint -- looks like I  
16 have repeated this one -- load distribution relative to  
17 stiffness.

18 And (d), thermal rotation about the "Y" axis  
19 in the horizontal run, delivering different distribution  
20 and intensification to the snubbers, struts.

21 4, under Richmonds:

22 (a) Excessive deflection of the bolt in the  
23 Richmond, alters the stiffness of the support.

24 (b) Bending in the bolt.

25 (c) Bearing joints are not acceptable for

1 dynamic loadings.

2 (d) Shear loads are not based on proper  
3 distribution since all bolts are not active  
4 concurrently.

5 (e) The Mz moment in the tube steel which  
6 induces prying action was not considered.

7 (f) Incorrect procedures for coupling of  
8 torsion from the bolt, particularly, as Dr. Chen pointed  
9 out, on those with eccentric holes.

10 And some of the local effects that are not  
11 considered -- now, these are some that were brought up  
12 earlier. I think these have been repaired -- 16-inch  
13 diameter diaphragm, CC-08-709.

14 (b) The tube wall of an 8 by 8 by quarter inch  
15 tube steel yielded.

16 (c) The failure of a W6 by 12 light beam  
17 at CC-028-039; that was a stability problem also.

18 (d) Failure of the plate -- I already  
19 mentioned that one. That's that one with the  
20 three-quarter by 3 inch.

21 (e) Torsional problem with CC-107-008.  
22 That's the one the load went up 660 percent.

23 I think all of those -- plus there was the  
24 failure of the clip angle, and I think those have all  
25 been fixed.

1 (f) Calculation -- oh, in their calculations,  
2 we found this particularly with the Phases 1 and 2.  
3 They have supports as short as three inches and four  
4 inches deep, and they're analyzing them flexionally;  
5 whereas, the real problem was in the clamp. The flexural  
6 analysis of such short beams is not conservative,  
7 most generally.

8 Rationally because of the shear lag, you'll  
9 literally have a plate with a gusset behind it. Where  
10 this will particularly show up is not so much the  
11 support itself but in the weld, because the load is  
12 delivered to the weld. You have to have yielding in the  
13 area where it is loaded before it will move on up the  
14 line.

15 We had a problem with the skewed welding. One  
16 of the problems, Applicant in the closed angles of less  
17 than 60 degrees, as opposed to the open angles,  
18 Applicant analyzed them as a groove weld which, in fact,  
19 they are.

20 However, you run into a problem there. You  
21 are putting a vast amount of weld material relative to  
22 base plants with a very short phased diameter. So they  
23 exceed the usual criterion of face of weld over depth of  
24 weld, keeping it between 1 and 1.4. This can create a  
25 problem with internal cracking, and internal cracking is

1 something that visual inspection will miss. There is no  
2 way to pick it up.

3 When we were looking at the same Cygna  
4 calculations, we could find no calculations for the pads  
5 which were integral with the piping nor the effect of  
6 trunnions on such pads.

7 There was several supports. If you would like  
8 to see an example, I've got them with me. When they  
9 take a piece of tube steel and they put two flared  
10 double welds to a base plate horizontally -- the two  
11 that's sitting horizontal to the base plate -- they  
12 would put a bracket for a strut or a snub-up and load  
13 it. They analyze it as a beam. Unfortunately, the  $l/d$   
14 of those is usually less than 2.

15 But, worse than that, what we're into here is  
16 more of warping, and they never considered that as --  
17 side walls are taking all of the load ready because  
18 we're delivering a load from here down to the welds down  
19 here. You have to transfer it to the side walls. And  
20 every one of those I've seen have been analyzed. I have  
21 two or three if you would like to see what they look  
22 like.

23 Punching shear: The Applicant at one time  
24 thought that if he made the cumulative thickness of  
25 throat area of the weld equal to the thickness of the

1 tube, that he had no punching shear problems. But as  
2 Dr. Chen pointed out and, Mr. Terao, I believe you said  
3 that they are now doing the AWS Section 10 procedure.

4 And U-bolts, when they're put in as one-way  
5 support but ultimately end up with a two-way load on  
6 them, in addition to the load from the one or two-way,  
7 you still have friction there. And I have never seen  
8 friction considered on any of the U-bolts at Comanche.

9 And unfortunately, once you get into friction,  
10 particularly if it's on a hot plate, you could also  
11 actually get into a binding and create yourself an  
12 anchor.

13 Cinched-down U-bolts, the loads exceed the  
14 manufacturer's LDS allowables and therefore have to be  
15 requalified if they're to be used for procedures other  
16 than acceptable to the manufacturer.

17 The bolts, the U-bolts that pass through  
18 tubes, particularly on thin-walled tubes and are bolted  
19 to the far side, you have a pull-through problem and a  
20 very serious local problem there. For that matter,  
21 that's the one that took the Kansas City Hyatt walkway  
22 out. The bolts just literally pulled right through.

23 Also this could have an effect on your  
24 pre-torquing. But if you yield that area, the plant  
25 has to last 40 years. And if it gets intermittent loads

1 and plant transients, you could yield much the same as  
2 we found with that PSA phrase by quarter. You yield the  
3 walk and you have got your present load and you are back  
4 unstable.

5 And loads on the pipe affecting local stress,  
6 half the hardware plus the clamps are actually acting as  
7 masses on the pipe, and particularly where you have  
8 U-bolts that are hung on large structural box frames,  
9 beams, Y flanges, et cetera.

10 Another area is angular struts. We found some  
11 that were angled as much as 39 degrees, but there was no  
12 component. If they were taking a vertical load downward  
13 and they were sitting at 39 degrees, there was no  
14 horizontal component considered.

15 The cinched-up U-bolts, we never received what  
16 the effects -- the total effects are, particularly  
17 insofar as the bending at the upper portion of the bolt.  
18 You've got the old 1931 Sealy where they used to have to  
19 analyze the chain links, you know, see an example of  
20 what occurs when you try to bend a curved beam.

21 And the box frames, of course, I didn't agree  
22 with most anything that was done on the calculation  
23 there because in the first place they had temperature at  
24 the area where it contacted the pipe varying outward.  
25 They had a different temperature at the top of the box

1 beam varying outward, so you had differential  
2 temperatures top-to-bottom which induces bending which  
3 was never considered in the formula. You have gaps, air  
4 gaps which are infinitesimal, but in many cases they  
5 equal more than the thickness of the steel that you're  
6 considering as far as heat transport, but there are many  
7 things that didn't look too swift about that.

8           Additionally, I think there are more severe  
9 problems in the box beams and the thermal pressure and  
10 loading is at the welds, right at the major section  
11 itself.

12           And then the one that Dr. Chen was discussing,  
13 there are many anchors that have opposed trunnions and  
14 then they are locked fairly tight. As the pipe expands,  
15 all of the thermal expansion is taken up as loads within  
16 the structure itself. And they have been considered  
17 recently by the Applicant, but I don't know what I have  
18 to say about them. I wasn't particularly pleased with  
19 the approach.

20           And then the one we just got through  
21 discussing, building loads on support members  
22 wall-to-wall, wall-to-floor, ceiling-to-floor,  
23 et cetera. I don't think I have to expand on that. We  
24 just went through. And also they act as a seismic  
25 restraint.

1           Stiffnesses, the actual stiffness versus the  
2 generic stiffness. Many places, what they're doing to  
3 solve that particular problem, rather than worry about  
4 the actual stiffness, is to use a lower generic. Of  
5 course, the trouble when we get into these higher  
6 generic stiffnesses, go through and sample and find out  
7 where any soft supports are.

8           And then undersized welds, that's a rather  
9 amusing one because there is no code that says you have  
10 to comply by the code as long as you develop a code of  
11 your own, one that's acceptable, and particularly in the  
12 case of undersized welds.

13           The purpose of the provision in AWS, ASME,  
14 AISC, they all have the mc -- everybody carries the same  
15 provision, is for a pre-qualifying weld. If you do  
16 that, then you can visually inspect it, and you're on  
17 your way. If you don't do that, it doesn't mean you  
18 have to take the weld out, you don't have to make a wash  
19 pass. What it means is, you just have to go into a  
20 volumetric examination. If there are no cracks, the  
21 weld is great. That's the end of it.

22           That's the same as with plug welding. If you  
23 can see the plug welding was done improperly and it's  
24 proper, the weld is fine. You don't have to go and  
25 render it out and put a whole new weld in. You have to

1 do a volumetric because on many occasions the cracking  
2 turns the material to shrinkage.

3 Then the welds where you attach tubes,  
4 particularly circular tubes and you drop below the  
5 one-third Beta consideration, it is not really  
6 sufficient to say, "Okay. I won't count the welds out of  
7 this particular area," because it will receive stress.

8 If it cracks, then you have a whole new  
9 problem again. You have a problem of cracked  
10 propagation. You have a notch. In your weld, you start  
11 with a notch. So you just don't disregard the fact  
12 that, "Well, it's not going to work but it's going to  
13 break out there so I won't count it."

14 And we addressed Appendix XI as long ago as --  
15 in fact, in my summary disposition, I heard nothing from  
16 the Applicant in any respect on how they are complying.  
17 I brought in two supports which had rigid frame or  
18 something wrapped right around a Class 2 girth weld, but  
19 they had changed it so that was the end of it. We had  
20 never heard if that was a real problem or if that was an  
21 isolated incident.

22 MR. TERAQ: Excuse me, Jack. Is that  
23 Appendix XI or Section 11?

24 MR. DOYLE: Section 11.

25 DR. CHEN: You're thinking of the

1 inspection requirements?

2 MR. DOYLE: Yes, right, in-service  
3 inspection requirements.

4 And anybody that's read the first motion found  
5 that -- well, Cygna found that 78 percent of the calcs  
6 they went through all this iterative process in which we  
7 were assured, you know, and done by the best people in  
8 the world, wound up they had major calculational errors  
9 even at a point where one of them had to be -- one of  
10 the supports had to be reworked.

11 And as I just got through mentioning, I found  
12 that the upper lateral restraint was no good. The guy  
13 went through 40 pages of calculations and blew it. And  
14 the moment restraints, they used the wrong k factors for  
15 the attachments to the concrete. And, of course, there  
16 was a diaphragm, et cetera.

17 So I found that there was a large number of  
18 calculational errors. And the thing that's so alarming  
19 about that particular problem is, they were alerted to  
20 the fact that, you know, we were on their back and they  
21 were going through a number of iterations to check to  
22 make certain that there were no problems; yet, the  
23 problems somehow slipped through. So that if they  
24 intend certification -- like I say, Cygna found that 78  
25 percent -- actually, the number is much higher than

1 that, but there were a lot of trivia. I didn't even  
2 bother to catalog them.

3 But of the problems that could be considered  
4 significant, particularly generic, 78 percent of the  
5 calculations contained problems in fundamentals. The  
6 guys didn't know how to calculate a weld on a line  
7 basis, composite section, fairly serious problems.

8 That's about all I got to say. But at least  
9 it will put it all in one box. You don't have to go  
10 through 15,000 pages -- there are a few new items here,  
11 but really not that many. Anybody that's been around is  
12 aware. We get lost in the shuffle, we'll mention  
13 something, then we get onto something else and that gets  
14 forgotten. Two years later you say, "My God! I got  
15 Appendix XI, forgot all about that one."

16 MR. TERAQ: I would like to clarify one  
17 thing, Jack, on the punching shear where I may have  
18 misrepresented what the Applicant is doing. The  
19 Applicant is using or has used Section 10 of the AWS  
20 code to evaluate punching shear on those supports which  
21 had a chord thickness ratio greater than, I believe, 10.  
22 Those were the supports that the Staff were concerned  
23 with. Punching shear is a problem.

24 MR. DOYLE: Well, most generally you are  
25 correct. If you take a 2-inch and put it into a

1 12-inch, almost regardless of what the thickness is,  
2 you're in trouble. If you take an 8-inch and put it  
3 into a 10-inch, most generally you don't have a problem.

4 MR. TERAQ: Maybe we should discuss that  
5 a little bit more because the punching shear that you  
6 have just mentioned -- in other words, the Beta factor  
7 of, say, a 2-inch support or 2-inch tube steel on a  
8 10-inch or a 12-inch support does not reduce the  
9 punching shear capacity on that support. The critical  
10 element is the chord thinness ratio, which is the ratio  
11 of the tube steel thickness --

12 MR. DOYLE: D to D.

13 MR. TERAQ: -- and not the ratio of the  
14 small area onto a --

15 MR. DOYLE: Yes. Then it's only .6 of  
16 that.

17 MR. TERAQ: -- larger support?

18 MR. DOYLE: Yes. That is .6 of that.

19 But where I have found from my own personal  
20 calculations, where I get into the most problem is when  
21 I did get wide -- when my Beta ratio was under five.  
22 Then all of a sudden I started getting into problems.  
23 And, if they were straight angular, you pick up the same  
24 to assist you.

25 MR. TERAQ: Well, as I read the Section

1 10, then, that Beta factor increases and can only  
2 increase the allowable; it does not decrease the  
3 allowable?

4 MR. DOYLE: No. We just start out with a  
5 .6 times the D/2T, divided into FY, times AFB2 --  
6 whatever it is. That gives you your allowable. And in  
7 many of our cases where we're using thin wide members,  
8 the allowables got down so low that we ran into a  
9 problem. So whenever I get into a Beta of under 5 with  
10 a wide thin member, I generally wound up with problems.

11 MR. TERAQ: I would agree that if you had  
12 wide thin members, that Beta can exacerbate the  
13 situation.

14 MR. DOYLE: Yes.

15 MR. TERAQ: But if the chord thinness  
16 ratio is below 7, even the paper by Toe Crack  
17 (phonetically), which, of course, gave the basis for  
18 punching shear, says that the material has its full  
19 punching shear capability, has its full shear  
20 capability, and that the Beta factor can only help you;  
21 in other words, when you have Beta greater than I  
22 believe .5, then your allowable can actually increase.

23 MR. DOYLE: Yes, sir.

24 MR. TERAQ: For Beta less than 5, you  
25 follow the Beta view of Section 10. It just says use a

1 factor the 1.0.

2 MR. DOYLE: Yes.

3 MR. TERAQ: It does not decrease your  
4 shear capacity.

5 MR. DOYLE: Yes.

6 MR. TERAQ: Another area that I just  
7 wanted to ask you a question on as an engineer. It has  
8 to do with the five degree swing angle you mentioned.

9 MR. DOYLE: Yes.

10 MR. TERAQ: Recognizing that construction  
11 and design, you have to have tolerances, the five degree  
12 swing angle appears to be standard industry practice --

13 MR. DOYLE: Oh, yes.

14 MR. TERAQ: -- for accepting a support  
15 installation. Why is there any particular concern on  
16 Comanche Peak for installed less than five degrees?

17 MR. DOYLE: Oh, no, that's not the point.  
18 There is a component. Because you're at five degrees,  
19 you pick up .085. You pick up .085 of whatever your  
20 vertical load is, which puts a horizontal load into your  
21 structure which in many cases is not even included in  
22 the calculation. Somebody has the idea that since the  
23 codes or the guidance says you can go to .05, no sweat,  
24 then that means you don't include that component. But  
25 that component can be the straw because .085, if you've

1 got a Size C, BIET 211, 4,500 pounds down, just to round  
2 it off, you've got 450 pounds which is eccentric to the  
3 centroid of the beam which is not included in the  
4 analysis. That all gets back to your weld.

5 Do see what I'm saying?

6 MR. TERAQ: Yes. I understand what  
7 you're saying but I also -- I don't understand why the  
8 situation is any different at Comanche Peak than at any  
9 other plant.

10 MR. DOYLE: Well, most places I worked,  
11 they include -- whatever the swing angle is, you take  
12 the component and put it into the analysis.

13 MR. TERAQ: I guess the point I'm trying  
14 to make is, in any other plant, the five degrees is a  
15 tolerance, is it not, if not a tolerance that people  
16 have that they don't have to evaluate the effects if  
17 this board is installed five degrees or less than the  
18 design shows?

19 MR. DOYLE: No, no. Most of the places  
20 I've worked, whatever that angle is, you take the  
21 component it will deliver at the bracket, put that into  
22 the weld for the bracket and put it into the tube steel  
23 or whatever you're attaching.

24 MR. TERAQ: That seems to defeat the  
25 definition of what a tolerance is.

1 MR. DOYLE: No, but the tolerance is not  
2 to eliminate loads. The purpose of the tolerance is to  
3 prevent you from binding up the strut between the  
4 bracket and the pin.

5 MR. TERAQ: Well, that's the  
6 manufacturer's tolerance that he imposes for that  
7 particular problem. But I'm speaking of the industry  
8 tolerance to reconcile design and construction.

9 MR. DOYLE: No. I'm talking of the swing  
10 angle which is incorporated into the design to overcome  
11 the thermal movement. It is not a tolerance for the  
12 field. It is put in to compensate for a condition which  
13 exists, the fact that it's going to move that way. So  
14 what you do is, you offset in your design. Now when you  
15 heat up the pipe, now you are vertical.

16 Do you see what I'm saying?

17 See, if you put -- if we went out here to  
18 Comanche and put every single strut plumb, as soon as  
19 the plant heats up, now you have put a component in  
20 there you don't want.

21 So what they do instead, just about -- I can't  
22 think of any place I've ever worked where they don't do  
23 it -- you find out what the pipe movement is and you  
24 offset it so that your bracket is now setting where the  
25 node point will be at hot operating conditions.

1 MR. TERAQ: Is the concern, then, that in  
2 addition to the five degree tolerance, you can have  
3 thermal movements which can exceed that five degree  
4 tolerance?

5 MR. DOYLE: Because you tell the man to  
6 set it at a specific angle in order so it will thermally  
7 come back over to where you want it. If you don't do  
8 that, then under hot operating conditions, you've got  
9 the thermal movement carrying the clamp out from under  
10 the center of the particular support. So now you've got  
11 this angle in here during hot operating conditions which  
12 is putting the component into the support.

13 That component can be pretty healthy; like I  
14 say, .085 times whatever the vertical load is. If it's  
15 a larger support -- say you have got 8,000 pounds, got  
16 800 pounds, and that's not only a bending moment here,  
17 it puts a torsion here, puts a bending moment on the  
18 weld, creates all kinds of additional loads in the  
19 system.

20 MR. TERAQ: All right. I think I  
21 understand what your concern is.

22 One more area which has to do with the bending  
23 on the upper curved portion of the U-bolt. You said  
24 that the stresses can be four times larger.

25 MR. DOYLE: No, no. I said, you know, I

1 think. I don't know. Man, I'm pulling from years and  
2 years ago.

3 MR. TERAQ: Several factors larger?

4 MR. DOYLE: Yes, much larger. That, of  
5 course, is peak.

6 MR. TERAQ: Right. That was the point I  
7 was going to make. That is a peak stress.

8 MR. DOYLE: Right.

9 MR. DOYLE: Of course, it's derived  
10 analytically. If that peak stress, of course, shows  
11 very high stresses, one might assume that the analysis  
12 is telling you that the U-bolt is going to fail. But  
13 the Applicant has done testing of the U-bolts in -- this  
14 is testing by ITT Grinnell in that summary disposition  
15 on U-bolts acting as two-way constraints. They have  
16 actually tested the U-bolts to --

17 MR. DOYLE: Well, before we even start,  
18 we know that. All we have to do is go to ITT Grinnell's  
19 handbook and it says right down there at the bottom of  
20 the page that these loads that you're recommending and  
21 in the LDS these loads that you're told to use have at  
22 least five-to-one safety factor.

23 When I go to build this building right here  
24 and I put a piece of steel in there, I am allowed to go  
25 to 22, 24 ksi. I know I can put 26, and it ain't going

1 to fall down. You have to justify going over what the  
2 LDS says or what the building code says. If I come down  
3 to the Building Code Committee and tell them, say, "Hey,  
4 I just built a building, and it's 28 ksi. But that's  
5 okay because I know and I can prove and I can show by  
6 tests," they don't care.

7 MR. TERAQ: I guess that was the point I  
8 was trying to make here, is that when the Applicant has  
9 now gone to lengths to test these U-bolts to tensile  
10 failure, there appears to be a good justification why  
11 the peak stress on these U-bolts, at least in the curved  
12 portion, should not be a concern and one should then  
13 look more at the test results to tell you where these  
14 U-bolts are going to fail, rather than the analysis.

15 MR. DOYLE: In the first place, I don't  
16 think too much of the test results. To do a proper test  
17 result, the first thing you have to do is get the actual  
18 tensile capability of the steel. What you get from the  
19 plant is a high speed test. It gives you the upper  
20 yield limit for starters. So it's not necessarily the  
21 yield point at which you are concerned.

22 Second, you have to have the exact physical  
23 properties and mechanical properties, and then you have  
24 to ratio that. You multiply those two factors, then you  
25 come up with another factor based on the fact you only

1 did so many tests. You multiply that.

2 Now, you're sitting at your ultimate logical  
3 load. Then from that you work backwards and find out  
4 what you rely on.

5 But the fact that his U-bolts went up to such  
6 and such doesn't surprise me at all. They also  
7 deflected an inch and a half or two inches before they  
8 failed.

9 MR. TERAQ: I think I would like to  
10 clarify that point, too.

11 We have discussed this with -- as far as the  
12 inch and a half and 2-inch deflection -- we have  
13 discussed this with the Applicant and Grinnell and those  
14 that testing that you -- those test results that show  
15 those deflections were not only of the U-bolt. A U-bolt  
16 itself, at its tensile, a Florence U-bolt at tensile  
17 only deflected about a quarter of an inch.

18 It was really the test set-up that deflected  
19 an inch and a half to two inches that was shown in those  
20 plots different.

21 MR. DOYLE: So in other words, we're not  
22 testing to the stiffness of the U-bolt, we're testing  
23 for the combined stiffness of several items?

24 MR. TERAQ: Well, it was tested to the  
25 tensile failure of the U-bolt, but I just want to

1 caution you not to be misled by what those plots show.  
2 This is not the U-bolt --

3 MR. DOYLE: That presents me with a  
4 second problem: How can I answer things when they don't  
5 send me the right numbers?

6 MR. TERAQ: Yes.

7 MR. DOYLE: We -- not me.

8 See, you're correcting me on something I know  
9 nothing of.

10 MR. TERAQ: That's true. I agree. We  
11 just found out about it just recently.

12 MR. DOYLE: How can I answer it? I mean,  
13 I am given a mass of information, and I worked my tail  
14 off to answer it. And I am working on the wrong  
15 information? This is insanity. I'm spinning my wheels.

16 MR. TERAQ: Well, if you recognize that  
17 the plots themselves were intended to show where the  
18 U-bolts failed, the load at which the U-bolt failed;  
19 that is valid. We can use it for that. But I just was  
20 trying to caution you not to be misled by what the  
21 deflection was telling you. It was not only the U-bolt  
22 deflection, it was the test set-up deflection; whereas,  
23 the clocks can tell you where, at what load the U-bolts  
24 failed.

25 MR. DOYLE: Yes. But here again, we're

1 faced with a dilemma. I don't believe that ITT can be  
2 considered an independent testing organization. I mean,  
3 in order to evaluate the results of the tests, we have  
4 to know precisely what went in and precisely what we can  
5 buy because if I put in steel that tests out at 70 ksi,  
6 but I can buy steel that will actually come out 54, 55,  
7 56 ksi, then how can I rely on the test results?

8 So I have to have what the manufacturer  
9 guarantees as his size and his ultimate capacity, SU,  
10 and the numbers that are based on this item, not the one  
11 he tested on.

12 We tested -- I don't know if you're acquainted  
13 with International Nuclear Safeguards which were the  
14 first ones to make snubbers, dry snubbers. We tested  
15 their snubbers up at the 300 area or at the FFTF.

16 The numbers they gave us in several cases were  
17 off by a factor of four because they were tested  
18 improperly. They were tested in the first place  
19 horizontally which already established which way they  
20 were going to fail, which mode they were going to fail.  
21 And then they bounced off the table, which gave them a  
22 third point which is what we finally found out.

23 Also, the test data didn't supply enough  
24 information that we could determine that on our own.  
25 That's why we had to go and actually do all of the

1 measurements to find out that this is exactly this, the  
2 yield of the material or the element of the material is  
3 exactly this, and get all the exact precise numbers.  
4 Then we did it in an environmentally-controlled area.

5 And when we come up with the new numbers, as  
6 you're well aware, we throw them all out. So in order  
7 for me to evaluate what somebody is telling me, I would  
8 have to have the precise information of what he did  
9 because I can only go from what I got. What I got told  
10 me it was deflecting all over the place.

11 This is the first time I heard about that.

12 MS. ELLIS: I think that Jack has hit on  
13 one of the things that I wanted to comment on at the  
14 end. I might as well go ahead and mention it now, and  
15 that is that one of the things that we need to get is  
16 the same facts and documents the Staff has seen on some  
17 of this stuff. And in a lot of cases, we don't know  
18 what you've seen. We're not operating from the same  
19 data base that you are in some of the instances. That's  
20 a big problem.

21 MR. TERAQ: I do want to point out, you  
22 have everything that we have. What I was referring to  
23 with this last testing is something we just found out  
24 this week, and the Applicant is sending that in, and  
25 you'll get a copy and we'll get a copy. But it was

1 something that we found out from an informal discussion,  
2 that then we told the Applicants to document it and make  
3 sure that you get a copy and we get a copy. But it take  
4 a long time for us to get this particular point out in  
5 the open.

6 MR. DOYLE: No. But you see, my point is  
7 that I did something -- what? -- five months ago. Now  
8 all of a sudden I find out I didn't have all the  
9 criterion.

10 MR. TERAQ: I understand. But as far as  
11 Ms. Ellis' concern, you have everything we have.

12 MS. ELLIS: Or will have it.

13 MR. TERAQ: I think you have more than  
14 what we have, a lot more.

15 MR. DOYLE: I do. I've got rooms I can't  
16 get in.

17 MR. BOSNAK: Jack, I had a point there  
18 that I wanted to clarify, to make sure I understood what  
19 you were getting at. It was in the area of undersized  
20 welds. Let's just say that the minimum size is 5/16ths,  
21 and I go along with the full weld gauge, and I assume  
22 you're talking about full welds?

23 MR. DOYLE: Yes.

24 MR. BOSNAK: And I find that it's a  
25 couple of mils under. What were you getting at because,

1 as you know, it's very difficult to volumetrically  
2 examine a full weld?

3 MR. DOYLE: No. I'm not talking of a  
4 couple of mils under. What I'm talking of, where the  
5 engineer puts on the drawing, "Use quarter inch." And  
6 if a quarter inch is incorporated in the field, it's in  
7 violation of whatever one you want to use -- ASME, AISE,  
8 AWS --

9 MR. BOSNAK: So you weren't getting at  
10 the fact that it might be --

11 MR. DOYLE: No. For that matter, you can  
12 be a 16th of a inch under for 10 percent of the wall  
13 length. Beyond that, there is discussion now in the  
14 industry that if it's good for 10 percent under for --  
15 or a 16th under for 10 percent, why not give it  
16 tolerance and say that a quarter inch minus a 16th, plus  
17 or minus a 16th?

18 So I don't get overly concerned with a 16th  
19 under. Where I really get concerned is where you've got  
20 a 2-inch plate, two and a half inch plate and all of a  
21 sudden somebody has got a 3/16th weld on there, you've  
22 got a heat sink in there that won't quit. You could  
23 crack the roof.

24 MR. BOSNAK: Okay. I understand what you  
25 were saying. Before it sounded like you wanted to

1 examine almost any undersized welds, volumetric or --

2 MR. DOYLE: No, no, no.

3 MR. BOSNAK: Okay.

4 MR. DOYLE: I'm talking of the  
5 intentionally installed -- by "intentionally," I'm  
6 talking about some designer gets up there and has got a  
7 14-inch Y flange, 426-pounds, and, "Here. Use a  
8 3/16ths. That's all I need." You can have some very  
9 serious problems, be it heat effective zone or the roof.

10 MR. BOSNAK: Right.

11 MR. DOYLE: But what I was saying is,  
12 though, doesn't mean you're going to put a wash pass  
13 over it or cap it. All you have to do is prove it  
14 didn't crack. If the weld isn't cracked, the weld is  
15 fine.

16 In the aircraft industry, a lot of times  
17 they'll have a -- they'll take a piece of thin plate to  
18 a big thick piece of plate, very thin, then weld on  
19 there. But they make sure it's not cracked. If it's  
20 not cracked, it's a great weld.

21 But if you go in and they put less than the  
22 same volume of metal back on as a cap or wash pass or  
23 whatever you want to call it, you've intensified the  
24 problem. You have done it twice now. So if you didn't  
25 crack it the first time, you could have cracked it the

1 second time.

2 Like I say, a 16th inch doesn't concern me.  
3 But if you've got a 16th inch under and then somebody  
4 goes a 16th under that, now you've got a real serious  
5 problem.

6 But the codes do carry a little fat. One of  
7 them is, is that 10 percent you can be under.

8 MR. BOSNAK: Okay.

9 MR. POSLUSNY: Do you have any comments?

10 MR. FAIR: Yes. I had a couple of  
11 clarifications.

12 Going down your list, you mentioned something  
13 about holes for Richmond inserts and section properties.

14 MR. DOYLE: Yes.

15 MR. FAIR: You didn't comment and I don't  
16 believe it was mentioned in your response to their  
17 summary disposition.

18 MR. DOYLE: They probably didn't respond  
19 to it. That's a long standing argument. What they do  
20 is, you take a piece of tube steel, you go put a one and  
21 a half inch diameter bolt through there so they cut out  
22 a bolt hole that's maybe one and three-quarter inch.  
23 That's all your extreme fiber is gone or a large portion  
24 of it.

25 And you'll find that if you analyze it, it

1 comes out as much as 40 percent under that. That is the  
2 section property you thought you had.

3 MR. FAIR: Is your concern that they  
4 don't consider the bolt holes in the stress calculation  
5 at all?

6 MR. DOYLE: That's right.

7 MR. FAIR: I recall reading that from the  
8 original Findings of Fact. And I think it was back  
9 about a year ago I had asked the Applicants to give me a  
10 sample of a calculation where the bending moment was at  
11 the location of the hole and they did submit that. And  
12 they did -- at least the calculation they submitted, a  
13 sample calculation doing a code type of stress  
14 evaluation. That is, if there is a certain percentage  
15 of the fibers gone where the hole location was, they  
16 recomputed the section modules at that location.

17 MR. DOYLE: I was out there for over a  
18 year and a half, and the only analysis they took was the  
19 one right off of the STRUDL. I have never seen one  
20 analyzed for a hole -- I'm not going to say there  
21 aren't, but I didn't see any calculation. As a matter  
22 of fact, I've only seen a dozen, two dozen calculations.

23 MR. WALSH: In regards to that very  
24 problem, I think it was a year and a half ago, in one of  
25 the affidavits that we turned in or something -- and

1 maybe it was from the Findings -- that the Applicant  
2 noticed it and John Finneran wrote a potential 10 CFR on  
3 that item. So he may have pulled it out of the  
4 findings, I don't know. But it's only been since that  
5 time the potential was written that they did start  
6 considering it. Before then, they did not consider it  
7 as far as I know. There was no evidence in the  
8 potential 10 CFR that they had, and I forget what the  
9 closure was on that.

10 MR. FAIR: Just to understand --

11 DR. CHEN: I spoke to John about that,  
12 and I called it 50.55(e) related to this issue. It's my  
13 understanding that it's a slightly different issue. I'm  
14 going to have to dig up the 50.55(e) to see exactly what  
15 it is.

16 MR. FAIR: I just want to follow up on  
17 the question. Since you hadn't mentioned it in response  
18 to a summary, I had presumed that you had been satisfied  
19 on this particular concern.

20 MR. WALSH: In regards to that statement,  
21 we were only given a week essentially to respond to  
22 this, and this covered a lot of territory. We just  
23 couldn't sit down and cover everything we wanted to. It  
24 was just impossible.

25 Like the design QA, I just came to a point I

1 just had to quit because it was not enough time.

2 MR. FAIR: I understand that. I just  
3 wanted to follow up on it.

4 In discussing the modeling assumptions for the  
5 Richmond insert tube steel connection, the Applicants  
6 have stated that they generally considered what you  
7 called the Mz moment pin connection in the model. And  
8 therefore, unless you had a continuous beam where you  
9 had two loads giving you an additive moment, you might  
10 generally not get large bending moments at the location  
11 of the inserts. And I just wanted to know if, when you  
12 were doing these calculations, and you came across a  
13 high bending moment or did you come across a high  
14 bending moment at the location of the insert where you  
15 didn't look at the stresses?

16 MR. DOYLE: No, we weren't doing that.  
17 All we were doing, we were doing the STRUDL import. If  
18 the numbers at the back of the page looked all right,  
19 that's as far as we went. If it came out that you were  
20 getting 100 ksi, stop right there. But if the numbers  
21 were all right, we didn't get concerned over any of the  
22 problems with the design of it. That wasn't our  
23 function at all.

24 MR. FAIR: Were there many instances of  
25 cases where there were high bending moments at the

1 location of the --

2 MR. DOYLE: We didn't even go that far.  
3 All we were concerned is that it go over stress. And I  
4 don't think in retrospect that I would care. I had  
5 already created quite a few waves out there. I don't  
6 think I have ever cared to create more. So I just  
7 looked at the stresses. If the stress is okay, that's  
8 as far as it went.

9 I was in a particular spot. The guy I worked  
10 for wasn't particularly interested in looking at  
11 anything.

12 MR. FAIR: Just to follow up in a similar  
13 light: Another issue you checked off your list was not  
14 accounting for the Mz moment.

15 MR. DOYLE: Yes. I am speaking locally  
16 "X" axis and the "Y" horizontally, assume a horizontal  
17 number.

18 MR. FAIR: Which is the bending moment  
19 along the tube steel?

20 MR. DOYLE: Right, the one that would  
21 prying, what we generally consider prying.

22 MR. FAIR: Now, the Applicants' motion  
23 was an attempt to demonstrate that that effectively was  
24 a pin connection for the majority of their tube steel  
25 insert locations using their standard families.

1 MR. DOYLE: It's a pin connection mainly  
2 due to the fact that the bolt is yielding under the load  
3 so it will come away from the wall. So you can develop  
4 a Beta angle in the tube steel. I can see that. But  
5 then, again, they cut you back to another problem, that  
6 bolts into the Richmond are rather soft.

7 MR. FAIR: I guess it's a degree of  
8 relativity.

9 MR. DOYLE: No. But added to all the  
10 other softness factors, some of the supports are  
11 extremely soft. But particularly if it's one tube with  
12 a support coming off of it.

13 MR. FAIR: That's the torsional moment  
14 you're talking about?

15 MR. DOYLE: Yes.

16 MR. FAIR: Which is different from --

17 MR. DOYLE: No. It's different from  
18 other one; that's true. But what I'm talking about is  
19 one of the main reasons you can call it a pin  
20 connection, you can develop the Beta angle at that point  
21 where that bolt is going through because you're  
22 stretching the bolt out. You don't have the whole fix.

23 MR. FAIR: I agree with you. That's what  
24 their analysis was attempting to demonstrate.

25 MR. DOYLE: Okay. Now we get back to how

1 soft that bolt is. You develop that Beta angle in  
2 there. Do you see what I'm saying? If you have got a  
3 piece of 6-inch tube steel that is hardly even moving  
4 and you have bolts that are literally moving all over  
5 the place, the bolts are the key to what the stiffness  
6 of the support really is because you've got bending on  
7 these bolts, you've got shear displacement on those  
8 bolts, you have got stretch due to the tension between  
9 them.

10 MR. FAIR: Let me back it up a little  
11 bit.

12 Have you still a concern on the Mz moment?

13 MR. DOYLE: I don't know because I'm  
14 faced with two problems. If I say no, I'm not, and  
15 eliminate that one completely, now we get into a strange  
16 argument over the other problem of stiffness. So the  
17 two have to go together. It's much the same as the old  
18 thermal problem and the stiffness problem. If you take  
19 advantage of the weakness of the one, you get into a  
20 problem on the other.

21 In other words, first, before we start  
22 deciding what is not significant, before I ever started  
23 I said a lot of this stuff is not significant provided  
24 that we get enough of the information into the support  
25 analysis so that now we can say, in fact, it is

1 insignificant.

2 For instance, you take self-weight excitation  
3 of the steel itself, that puts about 5 or 10 percent on  
4 the weld so that you'll find that the weld generally  
5 ends up to be the critical point. If you take the mass  
6 of hardware, and it happens to be a pretty big support,  
7 you'll find that adds a percent.

8 If you take a swing angle, that adds another  
9 percent. And before you apply any load, you're using up  
10 25 percent of your allowable. So for me to say that, to  
11 get the swing angle, okay, now we got that out of the  
12 way, forget the self-weight. You get that out of the  
13 way. Pretty soon you have got nothing left. The  
14 support is fine.

15 But in the meantime, you've discarded the  
16 cumulative effect of a large number of minor problems in  
17 addition to some serious ones.

18 MR. FAIR: I would still like to get back  
19 to the one point.

20 MR. DOYLE: You are not going to get an  
21 answer. You have my answer.

22 MR. FAIR: I would agree that it would be  
23 inappropriate for the Applicants to compute a stiffness,  
24 assuming you had a joint and it was fixed.

25 MR. DOYLE: But they were willing to do

1 it to prove that there was a theta development in there.

2 MR. FAIR: But back to my question. The  
3 Applicants have done this evaluation to determine  
4 whether or not prying exists at that joint for their  
5 standard span lengths. Are you still in disagreement  
6 that you think that prying will exist?

7 MR. DOYLE: I am not going to say  
8 anything on prying until we find an answer on stiffness.  
9 At such point, it may be that we have to change all  
10 those bolts to 325, maybe a different problem entirely,  
11 because I have explained my position. There is enough  
12 displacement that you can develop a theta angle. If you  
13 develop a theta angle back here, you have no prying.

14 But for me to say that, "All right. I drop  
15 it, all concerned with it," you are not going to get  
16 that out of me because there is another factor involved  
17 which is stiffness.

18 MR. FAIR: I'm trying to get out of you  
19 whether you still had a concern after their submittance,  
20 after their calculations, on whether their proof was  
21 adequate or not, but there was not, in fact, prying.

22 MR. DOYLE: No. But what you're trying  
23 to do is, you're trying to put it in piecemeal. See, I  
24 know how Applicant thinks. As soon as I say that,  
25 that's the end of that. Forget the joints; the joints

1 are fine.

2 MR. FAIR: Well, the Applicants may try  
3 to put it in piecemeal, but the Staff may think about it  
4 differently.

5 And as I said in my summary on Richmond  
6 inserts, I still had a concern with the Applicants'  
7 evaluation being adequate for the frame structures where  
8 they assumed the torsional constraint as fixed.

9 MR. DOYLE: Uh-huh.

10 MR. FAIR: Which was both in terms of  
11 stresses and stiffnesses.

12 MR. DOYLE: That's as far as I can really  
13 go with it. I can state that if we have a weak bolt and  
14 that bolt moves up, then we have no Beta, and we are  
15 simply supported, but contingent on the fact that we now  
16 have a very soft number back there that's yielding --

17 MR. FAIR: I would agree that it's softer  
18 than the tube steel as far as deflection. I don't  
19 necessarily say that that means it's a soft -- very soft  
20 strength.

21 MR. DOYLE: It could be, particularly if  
22 you've got a short couple this way and now you're moving  
23 out here. It could be that even the dead bolt is in  
24 trouble because your support may be moving down enough  
25 that you've relieving load on this support and placing

1 the supports up and down.

2 MR. FAIR: Are you going back to the  
3 torsional stiffness?

4 MR. DOYLE: No. I'm going back to the  
5 stretch on these two bolts. Just for argument sake,  
6 move this point out one inch, and you've got a  
7 cantilever coming out there, now your support out here  
8 magnified by the ratio of these two, you could be  
9 relieving half your dead load.

10 I think what I'm saying is essentially the  
11 same thing the Staff is saying. It's open until I get  
12 all the answers to that.

13 MR. FAIR: I was trying to determine  
14 whether there was something specific --

15 MR. DOYLE: No, no, just part of the  
16 overall -- before I started, I said a lot of these are  
17 trivia, a lot of them -- if I had at least 25 percent of  
18 them on a given job, I could probably write them all off  
19 because I would have stress ratio here of .1. I've seen  
20 them for .0. I've seen them less than .1 for stress  
21 ratios.

22 All of a sudden, I got a self-weight  
23 excitation. The guy forgot to do it. I am checking it.  
24 I ain't going to make them to do a calculation over for  
25 something as stupid as that. There is no way in the

1 world that that is going to be ten times as big as the  
2 design loads. But I'm not going to go into a group and  
3 say, "From now on, everybody can forget self-weight  
4 excitation," doesn't mean a thing. Stress ratio of .98,  
5 now it's important.

6 MR. FAIR: Let me go to one other -- I  
7 don't think we'll go any further with this one. You  
8 brought up again on your list the bearing joints --

9 MR. DOYLE: Uh-huh.

10 MR. FAIR: -- not being acceptable, and I  
11 think you have to --

12 MR. DOYLE: No, no, I never said --

13 MR. FAIR: From seismic events.

14 MR. DOYLE: Yes, right.

15 MR. FAIR: It's seismic events that  
16 you're concerned with.

17 MR. DOYLE: Well, dynamic load, water  
18 handling, steam handling, although those are usually one  
19 shot in one direction, but they still damp out. So you  
20 have to consider those, too.

21 MR. FAIR: Now, let me get it clear as to  
22 exactly what's the basis of the concern on bearing  
23 joints and dynamic or seismic events.

24 MR. DOYLE: Well, it's not the joint as  
25 much as it is the particular bolt that's holding the

1 joint together. One of the things wrong with the joint  
2 is, you're only going to get higher damping values in  
3 the specter because of the damping effect of the varying  
4 joints. You're also going to get a higher peak.

5 So the joint itself is unpredictable. You  
6 don't have a predictable joint. Remember the Japanese  
7 are very concerned about damping factors. They're going  
8 to shake some of their plants pretty hard, and they  
9 already are using half.

10 MR. FAIR: The concern is unpredictable;  
11 yet, the loads, you may underestimate them?

12 MR. DOYLE: It's unpredictability of the  
13 effect of the joint on transferring the load from the  
14 building to the support.

15 MR. FAIR: Do you have a concern of  
16 potential fatigue problems with the bolts?

17 MR. DOYLE: It's not a fatigue problem.  
18 It's --

19 MR. WALSH: Excuse me. I think you got  
20 that out of the -- we didn't say that. We haven't  
21 addressed this. --

22 MR. DOYLE: I don't address the fatiguing  
23 problem; it's up more than 20 zero crossing.

24 MR. FAIR: Well, I just wanted to get  
25 exactly what your concern was with the dynamic -- is it

1 you're under-predicting the load on particular bolts?

2 MR. DOYLE: That's what I'm saying. It's  
3 unpredictable. I don't know. I do know that it is not  
4 going to act as they have said it would. That is input  
5 at a fixed point, which for a friction joint you can  
6 establish what that fixed point is. You can go to a  
7 certain point, and you know you're going to get  
8 separation on parting, so you know what that joint will  
9 do.

10 You don't know what these various other joints  
11 will do. You don't have the foggiest notion. They can  
12 sit there and just jump up and down every time the sign  
13 wave changes -- probably will, don't know.

14 What I'm asking for is -- you are asking me  
15 the question I am asking them: What happens at that  
16 joint? Because it is a --

17 MR. FAIR: So your concern is more the  
18 unpredictability rather than the -- you have some  
19 concern with fatigue failures -- --

20 MR. DOYLE: No. I am not concerned with  
21 fatigue failure. It probably could be a problem. I  
22 don't know what the limit of vibration -- what the  
23 vibrational situation is on the particular pipe out  
24 there. But I do know that sometimes it gets interesting  
25 what happens to those pipes, high frequency vibrations,

1 low frequency vibrations going on for years, poles,  
2 anchor bolts onto the wall eventually. I never got into  
3 that. I don't think so.

4 No. I was just concerned with two factors:  
5 One, A36 is not in any way, shape, or form recommended  
6 for dynamic loading; and, two, if that is a bearing  
7 connection, unpredictable, capable of moving over an 8th  
8 of an inch, all kinds of locations and everything else,  
9 how come it's analyzed if it were a fixed portion with a  
10 million pounds or whatever stiffness.

11 Do you see the point? So what is happening  
12 is, you're asking me what I am asking the utility, what  
13 is occurring there? Because I have seen test reports on  
14 joints where they set out on a friction joint, vibrate  
15 it, loosen it up, vibrate it again, loosen it up,  
16 vibrate it again. And from that, they develop response  
17 factors which had much higher damping values. But they  
18 also had peaks on some of them. And that's one of the  
19 reasons why, for dynamic loadings, you should be able to  
20 predict the action on that joint.

21 MR. FAIR: Well, you said two things that  
22 kind of contradict each other. One is, if you have a  
23 higher damping factor, you should be lowering the  
24 response.

25 MR. DOYLE: Not necessarily.

1 MR. FAIR: The peaks you're worried about  
2 are very localized impacts?

3 MR. DOYLE: Yes. On bolts that are  
4 already designed to take 18, 20 -- what's the lowest we  
5 went? -- we have had as many as 40, 50 bolts sharing  
6 equally all of the load that was put on them. We know  
7 better than that. It's not going to happen.

8 So I think the only thing we've ever said or  
9 alluded to or what we're trying to say is, you can't  
10 predict what's occurring when you transfer the seismic  
11 loading from the structure through the supports to the  
12 pipe because there is a weak link there.

13 But to answer your question, I can't tell you  
14 the magnitude of the problem. I wouldn't even attempt  
15 to.

16 MR. FAIR: How was this concern different  
17 from bolts, let's say, and struts and snubbers with  
18 bushings and gaps such as that?

19 MR. DOYLE: Well, we get fixed k from the  
20 factory. There is a k rating on every snubber and every  
21 strut.

22 MR. WALSH: Stiffness does change through  
23 the psi values. For an item like the snubber, it  
24 decreases a considerable amount because it takes into  
25 account that dead --

1 MR. DOYLE: But to answer your question,  
2 we got numbers; we have no numbers of that joint.

3 MR. FAIR: Fellows, is your concern more  
4 the softening of the stiffness due to this additional  
5 joint flexibility?

6 MR. WALSH: It could be soft at one  
7 support and the next one, instead of being loaded in  
8 shear, it may be resting right there above the floor or  
9 maybe he just hung from the ceiling. It's not going to  
10 want to lie flat. It's going to be the case that  
11 probably for use of a 1/16th inch deflection criteria,  
12 you end up with a soft support and hard support. The  
13 hard support may not be able to take it, and it goes  
14 back and forth and it's unpredictable.

15 If you're saying the support doesn't move at a  
16 certain point, it shouldn't move. If you're saying it  
17 does move and you're going to allow it to move, your  
18 1/16th inch correction criteria will probably -- the  
19 support has already moved 1/8th of an inch before it  
20 even starts acting, since the 1/16th inch deflection  
21 criteria is peanuts. See what I mean?

22 MR. FAIR: Well, the deflection criteria  
23 is really a backwards stiffness criteria, the way it was  
24 used at this facility?

25 MR. DOYLE: Yes.

1 MR. FAIR: And we have that as an issue  
2 in itself.

3 MR. WALSH: I think this was mentioned in  
4 part of our response to that. I think this thing with  
5 the soft support/hard support is also included in one of  
6 the responses. And I think you get into some gaps. The  
7 fact would be, it was just a simple three-span support,  
8 but you can see that now.

9 THE REPORTER: Would you talk up a  
10 little.

11 MR. WALSH: I think I'll stop.

12 MR. FAIR: I think I'll stop, too. Those  
13 are the only notes I jotted down for clarification.

14 DR. CHEN: Just one question. Sometime  
15 or other you said you had a few more in your head. Are  
16 those out on the table now?

17 MR. DOYLE: Yes. There are probably a  
18 couple more buried, but that's about all I can think of.

19 MS. ELLIS: As I mentioned before, Jack  
20 and Mark tried to, you know, come up with what they  
21 could based on what you told them today. But at the  
22 same time, I think we need to have the opportunity to  
23 come back later after we've had a chance to review the  
24 transcript and think about some of the other things and  
25 look at them. This shouldn't be construed to limit what

1 our concerns are about.

2 MR. WALSH: I do have another item in  
3 regards to these Richmond inserts, these tests that were  
4 preformed. I don't know if you included it in the  
5 replies, but Jack bought it up in regards to the testing  
6 of the U-bolt; and that is, the test materials they  
7 used. They tested the 736 rod and at yield point was 60  
8 ksi. That's not specified off of the plant. They may  
9 get threaded rod out there that just meets stress, and  
10 that's out there, but that's not what was tested.

11 The same thing goes for the tube steel member  
12 they utilized for their test. That tube steel member --  
13 and the Applicants already said a lot of this high  
14 strength tube steel, that that's what they used for the  
15 test. Then what's out in the field has got to be at  
16 least that or better, and it may not be on all the  
17 supports. They have had some questionable supports out  
18 there because the tests did not reflect what was out  
19 there.

20 MR. FAIR: You can take the results of  
21 their submitted material property values and extrapolate  
22 them in a backwards fashion, to what the expected -- the  
23 worst expected case may be.

24 MR. WALSH: Then you start losing the  
25 purpose of having a test if you can just extrapolate.

1 And then their 1.75 stress ratio was out the window.  
2 Their testing was to verify so that they could use  
3 normal analytical techniques to approve these designs.  
4 And what they tested did not match what was out there,  
5 and that's where they have a problem.

6 MR. FAIR: I'm not catching your point.

7 MR. WALSH: There are too many elements.  
8 The concrete is stronger in their test; the bolts are  
9 stronger, the tube steel is stronger. So all these  
10 items that they tested, if they're stronger than what is  
11 out in the field, how can you say, "Well, decrease this  
12 this much and this this much and this this much," or  
13 increase, for example, deflection.

14 Now, I don't know what the deflection will go  
15 up when concrete strength goes down because the concrete  
16 is not as strong. And that's what, you know, the  
17 requirements was for 4,000 pound concrete. I think they  
18 tested 5,000 or something like that.

19 Now you've got, you know, a large increase in  
20 strength which is not reflected, but there is a  
21 difference. And like Jack -- the increase is not  
22 linear, it could be the square root of the concrete  
23 strength. You know, there are a lot of variables  
24 involved, and the only way to get around that is when  
25 you test, test the weakest point. And then when you

1 install it in the field, it will be greater, it will be  
2 stronger so you know it will work, instead of getting  
3 your good steel and testing it. I don't know if it was  
4 good steel. I didn't see any material properties in  
5 their report as far as the strength of the steel or  
6 concrete was in there.

7 MR. FAIR: I guess I'm still missing the  
8 crux of your point. I understood from your submittal  
9 the difference between the tested concrete strength and  
10 the minimum specified concrete strength argument.

11 MR. WALSH: Okay.

12 MR. FAIR: And that's fine, that's no  
13 problem. As far as the other tests, when the torsional  
14 load on the Richmond inserts, the only one that I can  
15 think of is another test they were using, it was a test  
16 used by them to try to demonstrate that their analytical  
17 method was highly conservative. And what you're saying  
18 is that that's an inappropriate test?

19 MR. WALSH: Well, if they had the  
20 threaded rod with the yield strength of 60 -- okay? --  
21 and they go out and test it, and their results are going  
22 to come out good. Now, if they go out there and they  
23 test the A36 rod and they had a yield point of 36, the  
24 results are a little different; you might even see a  
25 yield point on the test. It was nothing, you know.

1 That's what I'm getting at.

2 MR. FAIR: But for that particular test,  
3 even the Applicants aren't trying to use the results of  
4 that test establishing direct allowable?

5 MR. WALSH: They are, that stress ratio  
6 of 1.75 because of their test results. And that's how  
7 they came up with that new allowable. The allowable  
8 normally established in their code is stress ratio less  
9 than or equal to one. Well, also they're going to use  
10 1.75 now as a test result, and then at the finite  
11 element analysis that it performed that is questionable.

12 MR. FAIR: Well, we have that as an open  
13 issue.

14 MR. WALSH: Correct.

15 MR. FAIR: But I just wanted to get the  
16 point, that the test itself wasn't one where you divide  
17 what they call failed or deflected load by a certain  
18 factor and said this is the allowable, it was, "We've  
19 got this method. And look at how much more strong this  
20 support is than what we calculate."

21 MR. WALSH: Right. So what you're  
22 talking about --

23 MR. FAIR: Which is somewhat different --

24 MR. WALSH: It's so much stronger because  
25 the materials are stronger because, see, what happens

1 when they get the material that's used out in the field,  
2 now are they still going to be able to say it's still  
3 stronger? That is what I'm getting at.

4 The results of that test could draw a  
5 conclusion that they could use a stress ratio of more  
6 than 1.75. If they go back and test it with weaker  
7 items, maybe they can't come up with that statement  
8 then.

9 MR. FAIR: As I said, we still have that  
10 as an open issue with the basis for the 1.75 anyway.  
11 But I wanted to make a clear point, that it wasn't --  
12 the NRC Staff isn't looking at the results of that test  
13 and saying, "Hey, we can divide that load by a factor of  
14 4 and show that everything is within allowables," or  
15 take that as an allowable. We're not looking at it from  
16 that point of view.

17 MR. POSLUSNY: I guess I'll let you go  
18 ahead.

19 We have one request. Would you have a problem  
20 if we made a copy of your notes to put into the record?

21 MR. DOYLE: You mean that thing I read?

22 MR. POSLUSNY: Yes.

23 MR. DOYLE: No.

24 MS. ELLIS: As I mentioned earlier, we  
25 primarily were interested in the issues anyway. But

1 since we were talking about summary dispositions, I  
2 think it probably ought to be noted for the record that  
3 there are three others. The Board said they were  
4 treating A500 steel information as a motion for summary  
5 disposition. So that is one.

6 The other one is the upper lateral restraint.  
7 And we would like to find out about that. And then the  
8 design QA which we understand won't be addressed until  
9 you get through with all the rest.

10 I guess the next thing is where is the upper  
11 lateral restraint?

12 MR. DOYLE: Oh, way up.

13 MR. POSLUSNY: We're going to speak to  
14 that. I know one of our consultants is working on that.  
15 I don't know what the status is.

16 MS. ELLIS: And here again, I might  
17 mention we have some concerns about that because I know --  
18 I want to be sure again we're working from the same data  
19 base.

20 MR. TERAQ: I think the difficulty there  
21 is maybe oversight on our part, but that was one of the  
22 summary dispositions that was given to one other person  
23 in the NRC. He contracted it out to Appropriated  
24 National Labs. And that was always treated as isolated  
25 with us, the four of us. So it did slip through the

1 cracks. We didn't bring the right person down to talk  
2 about it today.

3 DR. CHEN: If I might add something, said  
4 for the Commission or has been said fairly recently in  
5 response to that question related to Level B or Level C  
6 loads, it's still open as far as I know.

7 MR. POSLUSNY: Design QA we've covered.

8 MS. ELLIS: It's still open.

9 MR. POSLUSNY: Just one minor comment.  
10 Just bear in mind we've given you a, quote, status on  
11 each of our items, and they're not the official NRC  
12 position yet. Many things may change. I just want to  
13 make that clear.

14 MS. ELLIS: Right. I take it that you  
15 did pretty well find an answer as what your concerns are  
16 at this point. Right?

17 MR. POSLUSNY: (Nods affirmatively)

18 Mr. Beck, anything you would like to say?

19 MR. BECK: No.

20 MS. ELLIS: There are a couple of other  
21 things. Those probably ought to be discussed. One  
22 thing is that I want to say again that I think this is a  
23 very productive sort of meeting, and I think that it's  
24 long overdue and that it will help a lot when we finally  
25 do come to a hearing on -- hearings by mail or whatever

1 kind of hearings we end up having to decide the issue.

2 I think it will save a lot of time when we  
3 finally do get to the final point of this. I think that  
4 is very important and something to be desired by  
5 everybody.

6 I want to mention one other thing, too, that  
7 is a little bit of concern still to us, and that is that  
8 while we appreciate your efforts, you have got to  
9 realize by now that there is no way that Jack Doyle and  
10 Mark Walsh found all the design problems that there are  
11 at Comanche Peak. And I think it's pretty obvious from  
12 the ones that have been identified by just these two  
13 individuals, on a very limited perspective of what went  
14 on at the plant, that there are serious problems.

15 And I think also you have to recognize that  
16 the manner in which these have been handled has to be  
17 considered to be generic as far as the Applicants'  
18 manner of handling these. And if this is generic, I  
19 think the Staff has got to look much, much deeper than  
20 has been looked at so far.

21 I know that's just what y'all wanted to hear,  
22 that you need to do more work, but I think that's really  
23 almost mandatory at this point in time because I think  
24 it's been proved that there are some really serious  
25 problems. Otherwise, you have got to realize how is it

1 that after going on three years, these two individuals  
2 have -- why their concerns have not yet been answered?

3 I think one of the basic things that has to be  
4 recognized and the main reason for that is Applicants  
5 were not able to simply say, "Okay. This is what we  
6 did, and here's the calculation and documentation. This  
7 is why we did it."

8 That's all it ever would have taken and Jack  
9 Doyle and Mark Walsh's questions would have gone away.  
10 And that hasn't happened, and I think that's got to be  
11 recognized as a real underlying problem that has to be  
12 addressed by the NRC Staff.

13 Obviously, Jack and Mark can't look at  
14 everything. But to me, one of the most telling things  
15 that occurs through all of this with Cygna is the fact  
16 that the few things that were looked at that were  
17 outside the area that you normally -- such as the upper  
18 lateral restraint and the -- well, the cable tray  
19 supports, for instance, when those were looked at  
20 closely by these individuals, they found that there were  
21 just as many problems with those as there were with the  
22 other things. To me that's a clear indication that this  
23 really is a generic sort of problem, and I wanted to  
24 bring that out very definitely.

25 Another thing that I wanted to do with the

1 Applicants here, we have now asked in the February the  
2 7th, at the end of the February 27th meeting, and now  
3 we're asking a third time today for information on just  
4 who the Applicants' team is, what their qualifications  
5 are, you know, all of this, all of these details. And  
6 the third time is a charm. We're not going to ask  
7 again. We're going to try to take whatever steps are  
8 necessary to get that information. I just wanted to  
9 make sure.

10 I guess unless the Commission has some other --  
11 y'all have any questions or anything, that it might be  
12 well to take a break now and go into cable tray  
13 supports.

14 MR. POSLUSNY: Okay. Make this 15  
15 minutes.

16 (Brief recess)

17  
18 MR. POSLUSNY: Shall we begin.

19 Charlie Hofmayer, would you like to start or  
20 did you want -- Charlie Hofmayer and Rom Lipinski will  
21 both address the outstanding issues.  
22  
23  
24  
25

## 1 CLARIFICATION OF ISSUES

2 (Rom Lipinski and Charles Hofmayer)

3  
4 DR. HOFMAYER: My name is Hofmayer,  
5 H-o-f-m-a-y-e-r, NRC.6 MR. LIPINSKI: Rom Lipinski,  
7 L-i-p-i-n-s-k-i.8 The purpose of this meeting that we want to  
9 take an opportunity to discuss with you, it is  
10 clarification of the issues that have been discussed  
11 during the meeting of November 7th.12 The meeting of November 7th, there were some  
13 points made. And in order to make sure that we proceed  
14 in the right direction, we welcome this opportunity to  
15 meet with you. And we would appreciate your cooperation  
16 to clarify what you said during that meeting. It will  
17 make our work much easier to accomplish what we want to  
18 do.19 I have in front of me some of the pages from  
20 the transcript of that meeting, and I am going to  
21 address these questions with Dr. Hofmayer as we go  
22 along.23 Let's start with damage study. On Page 110,  
24 Mr. Walsh said something and I will quote.

25 "When they did that study, did they

1           consider 2/1 projectile; for example,  
2           going,  
3           end of quote.

4                     And the question that we wanted to ask you is  
5           what did you actually mean by saying "2/1"? Did you  
6           mean the projectory of the non-safety related components  
7           or did you mean the interface of Category 1 components  
8           with non-Category 1 components?

9                     MR. WASSH: The projectory.

10                    MR. LIPINSKI: Projectory. Okay.

11                    Would you be more specific in your concern.  
12           In other words, you found any specific knowledge of this  
13           being not treated properly?

14                    MR. WALSH: This was in regards to the  
15           control room, I believe, we were discussing at that  
16           point, and it was stated somewhere along the line that  
17           there was a damage study performed. And although I  
18           haven't got any proof of it, evidence of it, but because  
19           of the problem in the control room and them saying there  
20           was a damage study performed, I was wondering if they  
21           had considered that type of item in the damage study  
22           when we went out and looked at the plant.

23                    MR. LIPINSKI: By "item," you mean the  
24           correct zone of influence directed in the damage study.  
25           Is that what you mean?

1 MR. WALSH: Yes. When they decided this  
2 was a non-seismic item, could it still fall --

3 MR. LIPINSKI: In other words, because  
4 you mentioned 2/1, what do you mean by that? Do you  
5 mean two vertically and one horizontally, or the other  
6 way around?

7 MR. WALSH: Two horizontally, one  
8 vertically.

9 MR. LIPINSKI: Two horizontally and one  
10 vertically.

11 DR. HOFMAYER: Just to clarify, your real  
12 question was whether to consider any horizontal motion.

13 MR. WALSH: Correct. That's the main  
14 thing, the way they treated it.

15 DR. HOFMAYER: You haven't specifically  
16 looked at the damage study at this point to have any  
17 specific concern. It was kind of a question in passing,  
18 I take it?

19 MR. WALSH: Correct.

20 DR. HOFMAYER: As you know, this issue  
21 stemmed out of the control ceiling question, and there  
22 is an action on the part the Applicant to relook at the  
23 damage study. As far as we're concerned, that is open.  
24 We just wanted to be sure there was nothing specific  
25 that you had in mind, that at this point you come to the

1 table and that you addressed.

2 MR. WALSH: Well, the other item would be  
3 the HVAC containment, treating that as a -- that was  
4 closed as part of the SSER which was published recently.

5 DR. HOFMAYER: Maybe we need to clarify  
6 that. I'm not sure what you're referring to.

7 MR. WALSH: There was a -- I believe it's  
8 an SSER that was written, that came out of the TRT  
9 findings, and it's wherein the last month -- or that's  
10 when I read it -- which closed it. But the concern I  
11 have is the HVAC did not actually have any -- the way I  
12 looked at it, it was not adequately braced and it would  
13 be acting as a projectile also.

14 MR. LIPINSKI: Well, again, let me  
15 interject here -- Rom Lipinski -- that your concern is  
16 again not the overall picture of this interfacing  
17 between non-Category 1 and Category 1 systems, but the  
18 projectory. Right.

19 MR. WALSH: Correct. You know, did they  
20 take that into account?

21 MR. LIPINSKI: Okay.

22 MR. LEVIN: Excuse me. Are you  
23 questioning the implementation of the program and the  
24 zone of interaction or the actual definition of the zone  
25 of interaction?

1 MR. WALSH: If they took -- if they had  
2 utilized proper zones. I don't know what the zone of  
3 interaction was -- that's where it is -- it was two  
4 horizontal, one vertical, or one horizontal, one  
5 vertical. I don't know what the criteria was.

6 But since there was a problem already with the  
7 control room, you know, that was based on a damage study  
8 on what was -- the damage study, you know, what did they  
9 use as a criteria for projectile?

10 MR. LEVIN: You mentioned 2/1. And to my  
11 knowledge, there is no one zone of interaction. That  
12 varies as a function of the elevation 1 is above -- the  
13 item might be above the floor and the floor that the  
14 item may -- the elevation that the item may be on. 2/1  
15 most generally refers to the name of this issue in the  
16 industry. Sizing of 2/1 doesn't refer to the zone of  
17 interaction.

18 MR. WALSH: That's correct, and I meant  
19 to say 2/2/1.

20 DR. HOFMAYER: You know, basically, the  
21 damage study is an action that's still pending. And  
22 certainly that matter and how it can be treated, you  
23 know, what impact, you know, Category 2 might have,  
24 non-seismic might have on Category 1, if this question  
25 is to be resolved.

1           And we just wanted to make sure you weren't  
2 aware of more things about the damage study that come to  
3 light now and be folded into this review, you know. I  
4 understand your question, and that will certainly be  
5 incorporated into the review.

6           MR. LEVIN: Charlie, we indicated on I  
7 guess our recent meetings on the 6th or 7th that we had  
8 undertaken a third party review of the damage study, and  
9 assumptions such as the zone of interaction are included  
10 in the scope of that review.

11           DR. HOFMAYER: All right.

12           MR. LIPINSKI: Well, my part, I want to  
13 assure you that we have followed this rather closely and  
14 we are working on it.

15           Then shall we go to the next one?

16           DR. HOFMAYER: Yes.

17           MR. LIPINSKI: On Pages 115 through 119,  
18 there was a question raised of use of a preliminary  
19 study method.

20           And are you aware of that particular issue, I  
21 guess? Could you be more specific on misuse of this  
22 method anywhere in the implication?

23           MR. WALSH: Well, they did not use it on  
24 a cable tray supports.

25           MR. LIPINSKI: They did not?

1 MR. WALSH: And they have this dynamic  
2 amplification factor of 1.5 unless shown to be less.  
3 And when Cygna did their review -- and they retained  
4 their calculations they worked, that dynamic application  
5 factor had not been used.

6 Recently, with the Cygna meeting, that item, I  
7 believe, was indicated as Item 9, and I believe they  
8 indicated it was closed, and the Applicants would be  
9 using an amplification factor of 1.14.

10 MR. LIPINSKI: Could you be more specific  
11 about that meeting? When was that? You said recently?  
12 When was it?

13 MR. WALSH: It was in California last  
14 Thursday.

15 MR. LIPINSKI: Uh-huh.

16 MR. WALSH: There were no references  
17 indicated for that item. They were reported later. I  
18 haven't seen the justification yet for the 1.14 in lieu  
19 of 1.5 that is indicated in the FSAR that they would  
20 use. I have seen a preliminary report that was done by  
21 Gibbs and Hill saying that they could use a dynamic  
22 amplification factor of one. In fact, there is one part  
23 in there I think they said that was conservative.

24 MR. LIPINSKI: Do you remember when that  
25 report -- time of the publishing for that report or

1 whatever?

2 MR. WALSH: It was a draft report in May  
3 of '84. I went through some of the Cygna  
4 correspondence. And of September of '84, that issue of  
5 a dynamic amplification factor was considered an open  
6 item, depending on Dr. Bjorkman's conclusions or  
7 whatever.

8 I haven't seen anything from Cygna, how they  
9 came to a conclusion. The FSAR at the time of the Cygna  
10 report differs than what was actually out there. Cygna  
11 did not pick up this non-conformance to the FSAR  
12 requirements in more than one way.

13 In the FSAR, at the time the Cygna review  
14 assumed trays were flexible and supports were rigid.  
15 And they designed, using the equivalent static load  
16 method and utilizing the 1.5 factor above the peak.  
17 They hadn't done a dynamic analysis.

18 MR. LIPINSKI: That's what Cygna said?

19 MR. WALSH: That's what the FSAR had.  
20 When Cygna did their review, they did not realize that  
21 the supports are not rigid. They just went out and  
22 analyzed them as if they were flexible, and they assumed  
23 then the tray was rigid, still not realizing that the  
24 dynamic amplification factor had not been used. So  
25 even after they issued their report, the Applicants

1 revised their FSAR to reflect what is going on now.

2 Now, as far as the dynamic amplification  
3 factor, I do not know what the Applicants have done to  
4 the FSAR, if they're going to change it to say they're  
5 using 1.14 or they are using the 1.5.

6 DR. HOFMAYER: One thing I believe in the  
7 FSAR, the requirement is that they will use 1.5 --  
8 okay? -- but they can justify a lower value. I don't  
9 believe that they are strictly limited to the 1.5.

10 MR. WALSH: Yes, but they had not used  
11 1.5 until I brought it up. We don't know where in that  
12 plant, if they ever used it. It would appear to me  
13 Cygna just looked at cable trays that came out of Gibbs  
14 and Hill, and there was nothing to indicate that they  
15 had ever used the 1.5 factor.

16 DR. HOFMAYER: Or as adjusted might be  
17 used in the lower factor?

18 MR. WALSH: Correct. They're adjusted --

19 DR. HOFMAYER: What I'm saying is, you're  
20 not required to use 1.5. You're entitled to use  
21 something less if you can justify it?

22 MR. WALSH: Correct. I am aware of that.

23 Yes, you justify in advance, not after someone  
24 has done a review and someone has figured out you have  
25 to do this. And the supports that Cygna had looked at,

1 Gibbs and Hill reran them using a NASTRAN program to get  
2 the -- instead of going to the peak, they got the  
3 correct frequency, and they still had supports  
4 over-stressed, 7 percent, with utilizing the dynamic  
5 amplification factor.

6 MR. LIPINSKI: Excuse me. When you talk  
7 about supports, you talk about --

8 MR. WALSH: Cable tray.

9 MR. LIPINSKI: -- cable tray supports of  
10 the channels that -- ladder type members, these were  
11 over-stressed?

12 MR. WALSH: Yes. But, you know, they are  
13 doing it now and they're going back -- I don't know if  
14 they're going back and looking at their calcs for other  
15 supports. There has been no requirement for them to do  
16 that as far as I know.

17 DR. HOFMAYER: What do you mean by "other  
18 supports"?

19 MR. WALSH: Cygna didn't look at all the  
20 supports. They only looked at a select few. And the  
21 ones Gibbs and Hill ran, Cygna did not require them to  
22 rerun. From what I understand, it was at their own  
23 choice, and they picked them up. I don't know how they  
24 came up with a sample of which supports they would send  
25 back to Cygna to show there was no problem.

1 MR. LIPINSKI: You say of their own  
2 choice. That was Cygna's choice or Gibbs and Hill's  
3 choice?

4 MR. WALSH: Gibbs and Hill.

5 MR. LEVIN: Maybe I could clarify the  
6 record in this regard, first with a few comments on what  
7 Cygna has concluded in their current activities.

8 To the best of my knowledge, they have  
9 concluded that the factor of 1.14 has been established  
10 as an appropriate factor. However, they haven't halted  
11 their work at that point. It's going to be included  
12 when they look at the effects of other items, in terms  
13 of drawing their overall assessment.

14 I might add that we on the CPRT are going to  
15 be doing a similar activity. We'll verify the validity  
16 of the 1.14 and evaluate it along with the impact of  
17 other items that have been expressed in the cable tray  
18 area.

19 DR. HOFMAYER: I might add, you know, we  
20 don't have much more detail than you do in terms of the  
21 basis of the 1.14 or, you know, all of that information  
22 that recently came out of that meeting. But certainly  
23 we're far from beginning in any way to express a  
24 position on this matter.

25 MR. LEVIN: Charlie, the basis is in fact

1 calculations by Gibbs and Hill. And as I indicated, we  
2 plan in our third party verification activities to take  
3 a look at that calculation as well as the applicability  
4 of that dynamic amplification factor to the cable tray  
5 systems as a whole.

6 DR. HOFMAYER: The main concern is that  
7 in applying the equivalent static load method, there are  
8 several options that were given in the FSAR. One option  
9 would be to apply a 1.5. Another option might be to  
10 justify a factor of less.

11 The question raised is, when the designer did  
12 it, did he indeed go through that process to determine  
13 what is the appropriate factor under the rule? And that  
14 should be a function of your review, and it would be  
15 something we would follow up on in terms of why.

16 MR. WALSH: Yes. Well, see, my concern  
17 is more than just the cable trays. There are other  
18 structural items out there. Someone has got to look at,  
19 is the whole plant designed that way and can they use  
20 that 1.14 for the stairs or what other structural items  
21 that are out there?

22 MR. LEVIN: We have initiated a survey to  
23 identify all areas of the plant or all hardware that may  
24 have been designed using equivalent static methods and  
25 determine what dynamic amplification factor was used.

1 DR. HOFMAYER: At this point in the  
2 question of your concern -- okay. I can see where your  
3 concern came from, your review of what other people may  
4 have done and whether they did it or not. Have you  
5 looked at some cable tray analyses or reviewed anything  
6 that leads you to believe that 1.5 is necessary or what  
7 might have been done was not correct? Have you looked  
8 at any --

9 MR. WALSH: I have looked at the  
10 calculations where they did not use it. Now, these are  
11 generic designs. The FSAR at the time I looked at it,  
12 at the time Cygna looked at it, the FSAR said 1.5.  
13 There are no other studies to say they could use  
14 something less.

15 It's after the May hearings of '84 -- it is  
16 after the May hearings of '84 that this came to light.  
17 I received the calculations on -- I essentially started  
18 looking at them on a Saturday. We had hearings starting  
19 Monday. I had worked with Bechtel. We used 1.5.

20 MR. LEVIN: Mark, I think we have to  
21 separate out some of these issues. One, relative to our  
22 determination of the acceptability of the design, I  
23 think we're going to look, at, you know, the quality of  
24 the product. I think the question you're raising now is  
25 maybe related to recause in the design QA area but not

1 design adequacy. Okay? I want to be sure that we  
2 properly separate those issues.

3 MR. WALSH: Well, see, the problem that I  
4 see is, I had two days to look at this. And if I can  
5 find -- you know, if I can find something like this --  
6 and I don't have all the calculations -- why didn't a  
7 technical audit pick it up? The other thing is, why  
8 didn't Cygna and why didn't Gibbs and Hill? It's their  
9 design.

10 It is like a design QA problem. It should not  
11 have occurred. It should have been picked up is all I  
12 can say.

13 MR. LEVIN: All I can tell you is that  
14 it's our intent to look at the generic implications of  
15 that if it occurred.

16 MS. ELLIS: I think what you said,  
17 Howard, is true to a certain extent. But I think also  
18 that the concern here also goes to the adequacy of  
19 what's out there because at this point in time we don't  
20 know, we haven't --

21 MR. LEVIN: Well, in fact I think that's  
22 the most important aspect right now, and that's what  
23 we'll deal with first.

24 MS. ELLIS: But also there is this  
25 continuing concern of how did this happen? And also

1 what else is out there that may have been the same way?

2 MR. WALSH: Those other items that I  
3 picked out in that two days in that 1.5 factor, that was  
4 not considered by the Applicant to the best of my  
5 knowledge.

6 MR. LIPINSKI: Are you saying it was not  
7 considered? In other words, they must have considered  
8 some factor, you mean factor of one?

9 MR. WALSH: Factor of one, sure. It's  
10 better than zero.

11 DR. HOFMAYER: Well, that's  
12 mischaracterizing it since they don't use the peak --

13 MR. WALSH: They don't, that's the  
14 problem. They do sometimes; sometimes they don't. When  
15 they did their reanalysis, they did not use the peak,  
16 and they did not use the 1.5 factor.

17 DR. HOFMAYER: They did not perform any  
18 frequency test?

19 MR. WALSH: They did perform a frequency  
20 analysis to determine what the applicable frequency was  
21 and used the appropriate g value.

22 MR. LEVIN: I don't want to get in a  
23 position of defending that in view of our ongoing  
24 activity of reviewing that, but there are differences  
25 between what one does in the design basis evaluation

1 where, in fact, yes, your criteria is to apply some  
2 factor times the peak; yes, in fact, you do that, as  
3 opposed to an evaluation where you're trying to verify  
4 the validity of some factor.

5 In that case, what I understand has been done  
6 is, a dynamic analysis was completed where, Charlie, as  
7 I think you were suggesting, values and item factors  
8 were known and response can be calculated also. What  
9 you might say is, that an equivalent dynamic  
10 amplification factor.

11 You know, there are differences -- you have to  
12 look at the purposes of that study. That study was a  
13 study and not a design basis analysis from the  
14 standpoint of, you know, trying to implement some  
15 criteria like a factor times the peak. It was to be  
16 used to actually calculate what that factor should be.

17 MR. WALSH: That's one of the reasons why  
18 I want to see the calculations. If they're using one  
19 assumption, and if they are going to verify something  
20 else -- and we've seen the studies having erred before.  
21 I just wanted to be sure that they concide with what I  
22 have seen in this other stuff that we have received from  
23 Cygna or the Applicants.

24 DR. HOPMAYER: I think I understand your  
25 concern.

1 MR. LIPINSKI: Go to the next one.

2 The next is that we understand the difference  
3 in allowable stresses for cable trays in considering  
4 building stresses containment. And that's mentioned on  
5 Transcript Pages 119 through -22. And we want to  
6 clearly understand why are you concerned about the  
7 stresses to each cable tray's design or cable tray  
8 supports are designed, different stress allowables in  
9 containment of stresses?

10 MR. WALSH: In their FSAR, under the  
11 containments, steel structures, maximum axial and  
12 bending stress in a member under the SSEOC Commission  
13 can only be .9 Xy.

14 DR. HOFMAYER: Could you clarify that.

15 MR. WALSH: It's in the Cygna issue,  
16 should you pick it up. But in the Aux Building, they  
17 don't have that stipulation. And the generic designs  
18 did not consider what happens when they use an increase  
19 of 60 percent for the allowable that the stresses go  
20 above yield.

21 MR. LIPINSKI: Well, it goes just about  
22 two percent, which is a very small amount. You multiply  
23 1.6 times .6, you get just about 1.02.

24 THE REPORTER: Will you speak up, please.

25 DR. HOFMAYER: Maybe we could clarify the

1 reasoning because when I reviewed your concern, I looked  
2 up the FSAR, Sections 383, which is for structures  
3 inside containment and Sections 384, which is for  
4 structures outside containment, and read their criteria,  
5 their structural acceptance criteria for both steel for  
6 both sections. And basically they're identical except  
7 for one statement.

8 I didn't see any reference in there to the  
9 concern of (inaudible) but there is a statement on Page  
10 3.8-83 which says that,

11 "The steel is designed so that the  
12 maximum stress for any load combination  
13 which includes differential pressure is  
14 less than the yield stress, thus assuring  
15 that it behaves."

16 Is that the basis of why you believe that the  
17 cable tray design should be different in inside  
18 containment as opposed to outside, or is there some  
19 other criteria that I haven't seen that would lead you  
20 to that conclusion? I'm just trying to get an  
21 understanding of what we're trying to address.

22 MR. WALSH: I thought it was .9, the  
23 yield stress of the steel. It might be a different  
24 version, too, than what you're looking at. It may have  
25 been revised.

1           But just the same, if you looked at the Cygna  
2 Phase I and 2 report, the final report, they had the  
3 allowable stresses that they did use and they did see  
4 yield strength in the material.

5           DR. HOFMAYER: Unless the Applicant has,  
6 you know, a different position -- the last time we  
7 discussed this, where we raised this question, my  
8 understanding is that your criteria you believe are the  
9 same, are the same for both inside and out.

10          MR. LEVIN: That's my understanding also,  
11 Chuck.

12          MR. WALSH: They're a generic design;  
13 they can't be.

14          DR. HOFMAYER: My problem is, if your  
15 concern stems directly from this statement -- I don't  
16 know -- this particular statement which would require  
17 the steel to be less than yield on the basic and remain  
18 elastic, which will establish some difference in  
19 criteria, is really in there for a load combination  
20 which includes differential pressure. And if you read  
21 the current standing review plan where basically this  
22 criteria is almost identical, there really is no  
23 stipulation like that, that that type of requirement  
24 placed more for structures that would stand quite alone.

25           And this same requirement is there. Okay?

1 The Staff originally took the position and still  
2 maintains the position that when you design a structure  
3 for pressure load, they wanted to be assured that the  
4 structure would remain elastic. And that's the way I  
5 interpreted the statement in meaning. I'm not sure -- I  
6 can't put words into the Applicants' mouth. But  
7 certainly I don't interpret that the requirements are  
8 different for the cable trays inside containment or  
9 outside.

10 MR. WALSH: Well, see, there is the other  
11 thing, one of the load combinations --

12 DR. HOFMAYER: That's pressure load.

13 MR. WALSH: Without pressure, just the  
14 temperature effects is in the steel section of the FSAR.  
15 You have to include temperature. When you include  
16 temperature, you have a LOCA environment, you're going  
17 to decrease your yield strength of the material. I  
18 think Cygna is also trying to address that. Applicants  
19 did not consider the LOCA environment on the cable tray  
20 supports.

21 MR. LIPINSKI: You're talking now about  
22 behavior of the material?

23 MR. WALSH: Yes.

24 MR. LIPINSKI: Elevate the temperature.  
25 You are not talking about the structural -- the

1 temperature lows imposed on the structural members due  
2 to elevated temperatures.

3 MR. WALSH: Because you have a  
4 determinate structure, no stresses due to thermal, just  
5 the increase in the yield strength.

6 MR. LIPINSKI: So in other words, what  
7 you consider, that in spite of the fact that the  
8 criteria might be the same, the high -- the elevated  
9 temperature should be considered in the design?

10 MR. WALSH: It would be -- right. They  
11 are different structures and under different behavior.

12 Now, LOCA values would be considered in the  
13 Aux Building, but I would be less concerned with that  
14 because the temperatures aren't going to get as high in  
15 the containment; they won't. And considering a -- we  
16 have used that normalization process with a large SSE  
17 loading condition.

18 MR. LIPINSKI: Well, okay.

19 DR. HOFMAYER: I think that's a slightly  
20 different twist, but I'll think about it, I guess.

21 But . . .

22 MR. LIPINSKI: Well, it just proves that  
23 it's beneficial to have this kind of a meeting so that  
24 we can exchange our interpretations, our views.

25 Do you have any specific knowledge about the

1 instances where yield stress was exceeded?

2 MR. WALSH: Well, see, when they used  
3 their normalization process, they didn't consider the  
4 SSE condition. But when they did the old condition, it  
5 was 7 percent overstressed. It's part of the record.  
6 There are CASE exhibits from the May hearings of '84  
7 which we -- I don't know if they're --

8 MR. LIPINSKI: Do you remember what  
9 particular structures, structural members were designed  
10 that way?

11 MR. WALSH: I don't remember right now.

12 MR. LIPINSKI: But still we need  
13 something to prove out --

14 MR. WALSH: It was their calculations;  
15 it's a CASE exhibit in the record.

16 MR. LIPINSKI: Do you remember the number  
17 of the -- something to give us more --

18 MR. WALSH: Somewhere between 900 and  
19 1,200.

20 MR. POSLUSNY: Maybe you can check on it.

21 MS. ELLIS: We can check on that.

22 MR. LIPINSKI: In other words, you don't  
23 refer just to cable trays, you refer to any structural  
24 members in general. Are you talking about cable trays  
25 in particular?

1 MR. WALSH: During that meeting, I'm  
2 pretty sure I was just talking about cable trays. But,  
3 sure, why not? They didn't consider LOCA on the upper  
4 lateral restraint. They didn't consider it on the cable  
5 trays. So why not? You know, we haven't looked at that  
6 many calcs. There has been, I think, three of them.

7 MR. LIPINSKI: Yes.

8 MR. WALSH: Three areas.

9 MR. LIPINSKI: I guess we can go to the  
10 next item about the seismic gap. Do you remember the  
11 specific door opening that you made the reference that  
12 there was integral part of the one building or part of  
13 the other building?

14 MR. WALSH: I don't know where it's at.  
15 I know they were attached going through a door. It  
16 appeared to be attached concrete to concrete.

17 MR. LIPINSKI: Yes, but that was --

18 DR. HOFMAYER: Well, let me clarify that.  
19 When you say "attached," first of all, was this a door  
20 that you went through, the Containment Building?

21 MR. WALSH: No, no. It was in  
22 safeguards.

23 DR. HOFMAYER: You went through a doorway  
24 in the Safeguard area?

25 MR. WALSH: Safeguard.

1 DR. HOFMAYER: Actually, as you walked  
2 through the safeguard area, you would see the gap  
3 between those two buildings, potentially see the  
4 containment wall, so you could observe the potential gap  
5 between the Auxiliary Building and the Safeguards  
6 Building?

7 MR. WALSH: Yes.

8 DR. HOFMAYER: But through that doorway,  
9 you couldn't necessarily see the Containment?

10 MR. WALSH: Right. I saw there was a gap  
11 on the floor. Let me see.

12 But above the door, it is a gap.

13 DR. HOFMAYER: When you say "connected,"  
14 do you mean --

15 MR. WALSH: Concrete to concrete, as they  
16 used the Containment as a form -- that's how it  
17 appeared. But it bowed up. I don't know if there is  
18 any rebar in there or not.

19 DR. HOFMAYER: You couldn't have mistaken  
20 that for the --

21 MR. WALSH: I could --

22 DR. HOFMAYER: I guess what potentially  
23 in that particular location, with the air gap would have  
24 been closed, potentially not open. Are you saying by  
25 design, they were physically joined?

1 MR. WALSH: By construction, they were  
2 joined. I don't know what the design would have been,  
3 but I really can't pinpoint the location. Sorry.

4 DR. HOFMAYER: You realize, I think,  
5 certainly this is an issue that we have open right now  
6 in terms of the overall adequacy gap, and the  
7 Applicant has a real expensive program to go back in and  
8 look.

9 MR. WALSH: The Applicants may have fixed  
10 it since I was there.

11 DR. HOFMAYER: If they have, you have no  
12 problem with that? For the matter, they may have -- as  
13 long as they provide an adequate air gap, that's what  
14 we're primarily concerned about.

15 So absent more specific locations, it's very  
16 hard for us to say that we will go and look. We can  
17 look at a particular location. We certainly would  
18 address the overall adequacy of the air gap as part of  
19 the overall open item that we have.

20 MR. WALSH: Isn't -- I may be mistaken.  
21 Isn't there a walkdown for it, so if there is, it would  
22 be caught there?

23 DR. HOFMAYER: Our concern was, it was  
24 sounding like something, when we first read this, as  
25 some kind of integral attachment to the containment and

1 structure itself.

2 MR. WALSH: It looked that way to me.

3 DR. HOFMAYER: We did go out and look  
4 around all the openings to the Containment, or at least  
5 three of the four, I guess. We didn't observe anything  
6 unusual in those areas. That's why we wanted to get a  
7 little more specific.

8 MR. WALSH: I can't. I'm sorry.

9 MR. LEVIN: I think it might be  
10 appropriate to clarify a few things. No. 1, there are  
11 locations where this type of material is permitted per  
12 design. And relative to the question of is material in  
13 locations where it hasn't been evaluated in design, as  
14 Charlie indicated, we have a program under my direction  
15 undergoing where we are inspecting all locations of the  
16 gap between buildings on site.

17 DR. HOFMAYER: There was one other item  
18 we left out on the cable trays, and that was the  
19 question that you raised about the holes drilled in the  
20 channels on cable tray supports.

21 As you recognize, it is an open item, and  
22 Cygna addressed this at some time. That is another  
23 matter that needs to be resolved. But again, I guess I  
24 would like to get a little more of your perspective of  
25 your knowledge of the facts of these holes.

1           Have you analyzed cable trays with big holes  
2 in them? Do you have any knowledge specifically that  
3 would help pinpoint where the potential problems are?

4           MR. WALSH: Well, when they drill holes,  
5 see, they don't use the high strength bolts to attach  
6 the trays to the channels. The Staff has permitted them  
7 to use A307 bolts there also. And then they take the  
8 bolt and they drill the hole in the channel, there is a  
9 reduction in the suction lines. And that -- I forget if  
10 it's over 15 percent.

11           When I did the Cygna, I had those two days  
12 over that weekend to look at it. I did a quick analysis  
13 in subtracting the hole, and I can't remember offhand  
14 what the results were, but it was a substantial amount,  
15 considering it's more than 15 percent of the flange  
16 area. And I haven't totally read or seen what Cygna has  
17 done, but it looks like they're looking at it very  
18 seriously.

19           Other parts of the hearing where they were  
20 using -- they were calling -- it's hard to say if they  
21 were plug welds or they were filling up misdrilled  
22 holes. I don't know if they did that on these cable  
23 tray supports. But the hole could be where the load is  
24 being applied by the Cygna in the case; in fact, their  
25 result on stress.

1           That is not considered by the Applicant for  
2 the reanalysis for Cygna in May of '84, did not consider  
3 the holes. I don't know if any of those beams or those  
4 channels would have been overstressed at those load  
5 points.

6           DR. HOFMAYER: The concern is clear.  
7 Again, I'm just bringing it up. I wanted to be sure  
8 there was not more to it.

9           MR. LIPINSKI: One of the things that was  
10 in that transcript was the concern about the ?an? plate  
11 be welded to liner plate and was overstressed -- I mean  
12 stressed at about 100 ksi if I remember right.

13           And then again we have to rely on your help  
14 because we went there and we looked there, and we  
15 couldn't find it.

16           MR. WALSH: Jack, do you remember that,  
17 those supports Jean was working on, and they told us not  
18 to model the plate that was attached to the liner? When  
19 Jean modeled it in, it was 100 ksi or something? Is  
20 that psi?

21           MR. DOYLE: Containment spray system?

22           MR. WALSH: May have been.

23           MR. LIPINSKI: On containment spray  
24 system, I remember that very well. And there is no --  
25 to my knowledge at least, there is no (inaudible) at the

1 scrubber to liner plate. The member which is welded to  
2 the thick end portion of the liner plate is a built-up Y  
3 flange with the strong axis horizontal, with the web  
4 horizontal.

5 MR. WALSH: That's not the work I was  
6 talking about.

7 MR. LIPINSKI: That's what we saw. Then  
8 there is a vertical flange plate face that -- the end of  
9 that horizontal member, and the rectangular tubing is  
10 welded to that plate, and that is surrounding the  
11 vertical pipe which is a part of containment spray  
12 system.

13 Now, the only horizontal plate that we found  
14 was the plate that was supporting electrical conduits.  
15 That was a small plate about a quarter of an inch thick  
16 and about five to six inches in span, spanning from the  
17 liner plate. And the loading on the conduits are large,  
18 that it would be highly improbable that it would be  
19 stressed 100 ksi. So the basis for our difficulty, we  
20 cannot locate a plate. If you could be more specific  
21 then.

22 MR. WALSH: I'm going try to draw you a  
23 picture --

24 MR. LIPINSKI: All right.

25 MR. WALSH: -- of how I best remember how

1 this thing looked.

2 MR. LIPINSKI: We looked at the elevation  
3 close to the springline. I don't remember which  
4 elevation it is. There is a bridge going across the  
5 containment that went from one end of the bridge on the  
6 other. I looked at both sides of the containment.

7 MR. WALSH: At the time we were analyzing  
8 it, this is two tubes with 3/8ths inch plates -- I think  
9 it's 3/8ths.

10 MR. LIPINSKI: Is that a flange?

11 MR. WALSH: This is a containment line,  
12 this is an elevation they had further on.

13 This went between these tubes. They had  
14 another plate, I believe, that went like this that was  
15 part of the cantilever. I think it came out something  
16 like this. That was part of the -- that would be  
17 overstressed model.

18 DR. HOFMAYER: This is this liner plate?

19 MR. WALSH: Right. This plate here --

20 MS. ELLIS: Why don't you label each one  
21 of those.

22 MR. LIPINSKI: The elevation of this  
23 plate --

24 MR. POSLUSNY: This is off the record.

25 (Off the record)

1 MR. POSLUSNY: Back on the record.

2 DR. HOFMAYER: When you analyzed this,  
3 was this pipe that was not installed or were you  
4 analyzing as-built conditions?

5 MR. WALSH: That is for vendor  
6 certification.

7 DR. HOFMAYER: This was as-built  
8 conditions?

9 MR. WALSH: Yes.

10 DR. HOFMAYER: To the best of your  
11 recollection, does this contain spray system piping?

12 MR. WALSH: I don't know.

13 DR. HOFMAYER: As far as I know, that's  
14 the primary piping system --

15 MR. WALSH: Is that another one that  
16 starts with "vh" or something like that?

17 It was NPSI, if that helps narrow it.

18 DR. HOFMAYER: NPSI pipe support?

19 MR. WALSH: NPSI pipe support.

20 DR. HOFMAYER: Do you know whose pipe,  
21 whose piping?

22 Are you aware of any other -- Howard, are you  
23 aware of any other --

24 MR. LEVIN: Charlie, I'll look into it.  
25 To the best of my knowledge, you would be talking about

1 the containment spray line. But, you know, we'll take a  
2 look into it.

3 DR. HOFMAYER: As far as our review, we  
4 basically review the containment spray piping lines,  
5 look at all the detail. We don't see the detail.  
6 Angling up to the top of the containment, you know,  
7 looking up, see the supports, the lines go up vertically  
8 and then split and go up higher like this, like a  
9 u-shape in piping halfway up.

10 Are you saying that this type of support would  
11 be general support design for this entire line, or could  
12 it be one location?

13 MR. WALSH: There was more than one.  
14 Now, I don't know if there were ten of them like that; I  
15 can't say how many.

16 MR. LEVIN: Could you say when the line  
17 was installed?

18 MR. WALSH: Yes. The supports we were  
19 analyzing for NPSI were all as-built.

20 MR. LIPINSKI: Was that rectangular  
21 tubing?

22 MR. WALSH: Correct.

23 MR. LIPINSKI: Structural members?

24 MR. WALSH: Yes.

25 DR. HOFMAYER: Well, at this point I

1 think the next thing we need to do is look at the piping  
2 and look at the support detail to see if what you don't  
3 see visually shows up. As I say, that particular type  
4 of plate, you can observe the conduit. As a matter of  
5 fact, we saw some unused plate that looked like what you  
6 were describing. So beyond this point, I can't add  
7 anything to it. I hoped maybe you could add something  
8 to it.

9 MR. WALSH: It may be also taken down now  
10 because, you know, this is not a new issue. This has  
11 been out for over a year and a half. So, you know, the  
12 Applicants have not always been known to just come right  
13 out and say, "Yes, you were right. We're going to  
14 change this." And they could have gone out and just  
15 changed it.

16 MR. LIPINSKI: When did you see it?  
17 Maybe we can trace it down to what happened.

18 MR. WALSH: When I worked out there in  
19 '82.

20 MR. LIPINSKI: In '82. So in '82 it was  
21 still there. If it was taken down, it was after 1982 --  
22 between 1983 and 1985?

23 MR. WALSH: It was before February of '82  
24 because Gene was working with us at the time. He had  
25 analyzed it and gone back and analyzed it with a plate

1 in there. I took it over to NPSI and indicated to them  
2 what the stresses were, and they took like -- put a hold  
3 on it.

4 And it came back about a month later telling  
5 us not to model in that plate, that it was Gibbs and  
6 Hill's responsibility. And so we did not model it in,  
7 went back to NPSI.

8 MR. LIPINSKI: When was the last time  
9 that you knew of the existence of this plate?

10 The gentleman that you are talking about was  
11 after you left. Right?

12 MR. WALSH: No. He left in February.

13 MR. LIPINSKI: He left in February. And  
14 after that, you know that it was there or you don't  
15 know?

16 MR. WALSH: I didn't go back and pursue  
17 it. I gave it back to NPSI for their approval, whatever  
18 they wanted to do with it.

19 DR. HOFMAYER: Just one question: Was  
20 this the Unit 1 Containment?

21 MR. WALSH: Yes.

22 MR. LEVIN: Could you describe for me  
23 what you viewed your responsibility was in terms of your  
24 analysis, what your scope was?

25 MR. WALSH: At the time we were looking

1 at that, I was the group leader.

2 MR. LEVIN: And in terms of modeling  
3 these types of supports, what was it normally the  
4 practice of the STRUDL group to model?

5 MR. WALSH: Oh, just to use the best  
6 judgment -- I mean NPSI had their own design criteria  
7 which we were required to follow, and I'm not saying I  
8 agreed with it; I just did it. But something like that,  
9 it's part of the structure, so model a plate in, and  
10 that's what we did.

11 MR. LEVIN: The reason I asked that  
12 question, it was my understanding that there is  
13 basically a scope of supply change at that point. And  
14 as I understood the process, STRUDL group would transfer  
15 loads applicable to that interface to Gibbs and Hill for  
16 them to evaluate their own hardware.

17 MR. WALSH: The STRUDL group did not do  
18 that.

19 MR. LEVIN: I'm asking you to try to help  
20 clarify what, in fact, you did do.

21 MS. ELLIS: I think that's already been  
22 covered, Howard, in the hearings pretty thoroughly.

23 MR. WALSH: All I can say is the guy from  
24 NPSI told me that it was Gibbs and Hill's responsibility  
25 and they would take care of it.

1 MR. LEVIN: What I'm trying to find out  
2 is not how the process was supposed to work. It's my  
3 understanding that that, in fact, is so.

4 MR. WALSH: I don't know. If I can model  
5 in that plate and it's overstressed, so I don't care  
6 whose responsibility it is, it should be modeled in.

7 MR. LEVIN: At the time, did you have  
8 access to the as-built information from the point of  
9 view of the items within Gibbs and Hill's scope?

10 MR. WALSH: No. I did not have any  
11 listing like that. I was given a pipe support package  
12 to analyze, and I analyzed it. I mean, I didn't analyze  
13 the Containment Building when I did the support, if  
14 that's what you're getting at.

15 MR. LEVIN: No. You know, you modeled in  
16 hardware in that scope, and I'm just trying to verify  
17 whether that was on the basis of as-built information or  
18 if that could have anything to do with the stresses you  
19 calculated. Were you using current information for  
20 hardware beyond the scope of supply boundary?

21 MR. WALSH: I feel that any calculations  
22 that we were doing at the as-built or preliminary design  
23 or whatever you call is a calculation, and it doesn't  
24 matter what you call it. It has the same seriousness as  
25 if it was as-built or vendor certified or whatever term

1 is now being utilized. It was as-built.

2 MR. LEVIN: The important thing that I'm  
3 getting at, Mark, is that we want to be sure we're  
4 analyzing with the correct inputs and information, and  
5 I'm just asking you if you verified that you had it for  
6 this particular case?

7 MR. WALSH: At the time we were doing  
8 this, they were doing supports before they had the  
9 loads. And we could go back and look at it later, what  
10 the loads actually were. We were doing a calculation.  
11 If the thing was overstressed using the loads that we  
12 were given, it was overstressed. If those loads are  
13 final or preliminary, they were loads.

14 MR. LEVIN: Okay, granted that. But  
15 whether or not it's overstressed today may be dependent  
16 upon whether the configuration is the same, whether the  
17 input information you were using was the same, and  
18 that's why I think it's important to know -- as I think  
19 the NRC Staff is trying to ascertain -- where you were  
20 looking at and what its configuration may have been at  
21 that time because that will have an impact on the  
22 stresses you calculated as compared to what we might  
23 calculate today.

24 MR. LIPINSKI: Were you an employee of  
25 Gibbs and Hill or --

1 MR. WALSH: Neither. I was working for  
2 PDS under the direction of TUSI.

3 DR. HOFMAYER: At this point, it might be  
4 difficult to find out, but we can analyze what's there.  
5 Okay? I can't guarantee we'll find it, but we haven't  
6 seen it. The design could have changed. It presumably  
7 could be traced back to see if it was there and it was  
8 changed.

9 In terms of the final process, if we did go  
10 back and reanalyze, you know, indirectly, there's  
11 certainly nothing wrong with that. I'm not sure where  
12 the decision goes.

13 MR. LIPINSKI: I would like to tell you  
14 that we were there twice, and we looked all over the  
15 place for the plate and we couldn't find it.

16 MR. WALSH: Is there a "V"? For some  
17 reason I think it's VX, VS system.

18 MR. LIPINSKI: VS system?

19 MR. WALSH: CASE accidentally got a  
20 drawing with it on there at the time we were doing so  
21 much. I don't recall what the system is, but I did see  
22 it on one of the drawings that we received.

23 MR. LIPINSKI: And that was on that  
24 drawing?

25 MR. WALSH: The system and the plan; it

1 was not the particular support. I recognize something  
2 like that.

3 MR. LIPINSKI: As was said before, we'll  
4 try our best to find it. If we find the records of  
5 this, at least we'll know where it went. That's it.

6 MR. POSLUSNY: Ms. Ellis, do you have  
7 anything else to add?

8 MS. ELLIS: We will be getting any  
9 information that you receive -- I assume we have been  
10 getting it and will keep getting any information that  
11 you provided the Staff?

12 MR. BECK: Ms. Ellis, perhaps this is a  
13 good time for me to be responsive to your  
14 thrice-repeated request for information regarding  
15 organization, as I understand it. As we've said, we're  
16 developing a comprehensive response program. Integral  
17 to that response program is an organization. The  
18 organization plan that we would give you last week isn't  
19 necessarily the same that will be coming forth when we  
20 finished our plan development.

21 It would be probably, certainly not in our  
22 best interest or in yours, to give you an incomplete  
23 piece. I have thought very carefully about a  
24 preliminary submittal, and I just don't think it would  
25 be in either one of our interests for you to go down the

1 road that would ultimately end up not being the one that  
2 we would advocate traveling a few weeks later, for  
3 example.

4 I just want to assure you that I appreciate  
5 your concerns about organization, about people, about  
6 their qualifications, and that our response plan, when  
7 it's submitted, will be comprehensive in that regard in  
8 outlining who is doing what, what their responsibilities  
9 are, what their qualifications are, what their previous  
10 involvement has been.

11 Our tact is to clearly involve in any instance  
12 where a third party, what we characterize third party  
13 people, that they not be previously involved in any way  
14 in the areas that they're charged with investigation or  
15 examining, and that will stand the test of examination.

16 So I don't want you to think that we're not  
17 being responsive to your earnest desire for information.  
18 It will all be there. It's just that I think it will be  
19 best for you to see the whole thing at once rather than  
20 dribble it in.

21 MS. ELLIS: Okay. Great! I appreciate  
22 that, John.

23 And let's see. I have one other question.  
24 The information we had received from a meeting with  
25 Cygna -- I guess it was on the 14th -- was that they

1 were going to be sending a letter on the cinched  
2 U-bolts. Is that incorrect?

3 MR. BECK: That was my understanding. I  
4 haven't seen anything yet. I'm sure when it comes,  
5 we'll all see it at once.

6 MS. ELLIS: Okay.

7 There is one other thing about the Cygna  
8 information that I think would be helpful to us as far  
9 as getting information, especially as we're getting into  
10 winding down on some of these issues; that is, a lot of  
11 times we've received information from Cygna where you  
12 have sent them information and then they turn around  
13 later and send it to us.

14 I think it would be helpful and save a lot of  
15 time if y'all could send us the information direct, as  
16 you do when you send things to the Staff, start sending  
17 us the same things that you send Cygna at the same time.  
18 If that would be possible, I think that would help.

19 I guess that's about it for right now. I want  
20 to say again that I think this was a very productive  
21 sort of get-together, and we appreciate the opportunity.  
22 And I want to say again that I certainly don't envy  
23 Howard.

24 And I also appreciate all of the efforts that  
25 the Staff's people have been putting into all of this,

1 and I know it's a very difficult thing to try to go back  
2 through transcripts and through all the documents that  
3 you need to, to find out all the details that you need.  
4 We realize it is a mammoth effort, and we appreciate  
5 that effort. And while we may not always agree on the  
6 final results of some of these things, we do feel that  
7 the efforts of the Staff are much, much improved over  
8 what they were before, and we appreciate that.

9 MR. POSLUSNY: Appreciate the comments.

10 Mr. Walsh and Mr. Doyle, thank you again for  
11 the meeting. I think it was very productive.

12 Mr. Beck?

13 MR. BECK: I want to thank Mr. Walsh,  
14 Mr. Doyle, and Ms. Ellis, particularly you, Jack, for  
15 having traveled as far as you did. And we certainly  
16 will look at everything in the detail that you expect.

17 MR. DOYLE: Appreciate that.

18 MR. POSLUSNY: Thank you very much.

19  
20 (The meeting was concluded at 6:50 p.m.)  
21  
22  
23  
24  
25

# ① STABILITY

- (a) BOX FRAME STR/SNUBB
- (b) 'U' BOLT STR/SNUBB
- ⑤ (c) 'U' BOLT (2) STRUT AXIAL (TAF)
- (d) CLAMP WIDTH ETC TO AXIAL
- (e) STR FRAMES GANG FOR STRUT SPIES (CC-54-710 A63)

## FIXES

- (f) BRACKETS TO STOP STRUT SWING FRICE TO POINTS
- (g) CLIP ANGLE TO HOLD U BOLTS (BOX FR)
- (h) LUGS (STOP AXIAL BUT NOT OTHERWISE)
- ⑦ (i) DOUBLE STRUT FOR BOX FR
- (j) BUMPER TO REPLACE STRUT STOPS
- (k) SHIMS TO 'O' GAP (THERMAL CONST)
- (l) CINCING 'U' BOLTS

## ② LOADS ON SPT NOT ACC'D FOR

- (a) SWE HARDWARE
- (b) SWING  $\frac{1}{2}$  OF STRUTS & SNUBBERS
- (c) FRICTION ( $\frac{1}{16}$ " )
- (d) LOAD A FOR SNUBBERS/STRUTS (CC-008-019)
- ⑦ (e) ACTUAL SECTION PROP ( $1\frac{1}{2}$ " HOLE FOR DIA)
- (f) HANGING SUPPORTS OFF RICH BOLTS
- (g) ~~SHEAR DISTRIBUTION HEAT RICH IN BRG~~
- (h) ~~SWE STRUCT. ANY DIRECT.~~
- (i) ~~HE MOMEN. (W/ TUBE OR OTHERWISE)~~
- (j) ~~INCORRECT TORSIONAL COUPLING~~

## ③ HARDWARE

- (a) DIFF LOCKUP OF SNUBBERS (JANG PART # 3 U.L.R.)
- ③ (b) CROSS BARS (NOT TUBES) FOR 'U' BOLTS (CC-008-006) <sup>7500</sup> SPAN 19 <sub>3/4 X 3/4</sub> OVER T.
- (c) DOUBLE AXIAL RESTR (STR/SNUBBERS) LOAD DIST REL TO STIFF.
- (d) THERMAL ROT  $A_y$  (RAD) LOAD REDISTRIBUTION

## ④ RICHMONDS

- (a) EXCESS  $\Delta$  (ALTERS STIFF SPT)
- (b) BENDING IN BOLT
- ⑥ (c) BRG JOINT NOT ACCEPT FOR DYNAMICS
- (d) SHEAR LOADS NOT BASED ON PROPER DIST/BRG ST
- (e) HE'NOM PRYING ACTION NOT CONSID
- (f) INCORRECT PROCEED FOR COUPLING TORSION TO BOLT

⑤ LOCAL EFFECTS NOT CONSID. (HYATT REGENCY K.C. 119)

- (a) 16"  $\phi$  DIAPH FAILURE - CC-08-709 FAIL OF CWPX
- (b) TUBE WALL EXB $\frac{1}{4}$  FAILURE CC-116-03A " OF COMPOSITE
- (c) FAIL W6X12 CC-028-039 S332
- (d) FAIL PLATE/W BOLT (<sup>SEE ABOVE</sup>) 3X3/4 1/2" PAN 7000 #LD OVER J
- (e) TORSIONAL FAILURE SPT/ON COL FOR. CC-107-008

ADDITIONAL AREAS

- (f) CALL OF RIGID 4/D US' CANT 3 SIMP SPT BY FLEX FORM.
- (g) CLOSED  $\angle$  < 60° GROOVE WELDS RATIO F/D  $\rightarrow$  1.7 INTERN CRACKING
- (h) CALL FOR PAUS INTEG WITH PIPE
- (i) CALL OF WAPPING MODE NOT CONSID - FLEX FORM. (FAILURE IS IN SIDE WALL)
- (j) PUNCHING SHEAR NOT ALWAYS USED (APPL SAY WELD COMP)
- (k) SHORT TUBES ON BASE @ LOAD PATH BENDING OF SIDE WALLS

⑥ 'U' BOLT AS 2 & 3 WAY

- (a) CAN SEE 2 WAY LOADS
- (b) WITH 2 WAY LOADS FRICTION NEED TO BE ACCOUNTED FOR
- (c) WITH 2 WAY " " @ BINDING "

⑦ CINCHED DOWN 'U' BOLTS

- (a) LOAD EXCEEDS MFG LDS ALLOW.
- (b) PULL THRU ON TUBES NOT CALL. (I.E. HYATT)
- (c) ~~TUBES~~

⑧ LOADS ON PIPE EFFECTING LOCAL STRESS & STRAIN OUTPUT

- (a) 1/2 HARDWARE SHOR, STRUT - CLAMP ETC.
- (b) STRUCT - 'U' BOLT @ STRUCT, BOX FHS, VF ETC
- (c) KICK LOADS ANGULAR STRUTS
- (d) CINCHED UP 'U' BOLT EFFECTS
- (e) BOX FRAME CONSTRAINTS
- (f) ANCHORS LOCKING THERMAL GROWTH
- (g) EFFECTS OF TRUNNIONS / PAD OR NO

⑨ BUILDING LOADS ON SPT MEMBERS

- (a) WALL TO WALL, / WALL TO FLOORING ETC D.L. (BUSH & COOK)
- (b) SEISMIC RESTRAINT

⑩ STIFFNESS

- (a) ACTUAL STIFFNESS V.S. GENERIC OR LOWER GENERIC

⑪ UNDERSIZE WELDS

- (a) SINCE PREV. OF CRACKING IS PRACTISE (VOL EXAM REQ'D)

⑫ CRACK PROPAGATION

① (a) WELDS THAT VIOL. BETH REQ ARE SUBJECT TO CRACK PROP. WITHOUT VOL. EXAM. NEGLECTING AREA OUTSIDE B IS NOT AYS.

⑬ HIGH LOADS ON PIPE LINE WITH SPT

② (a) BEARING PROBLEM FOR PIPE .79 R.  $b^{1/2} b^{-1/2} E^{-1/2} = \text{CIRC ST.}$   
(b) COLLAPSE CHECK OF PIPE WALL DUE TO COMP. ARCH LOAD

⑭ APPENDIX XI

③ THIS WAS POINTED OUT IN DEFCS BUT NEVER IMPLEMENTED APPL.

⑮ CALC.

② CYGNA HAS FOUND ~78% OF CALCS DUE NOT STAND ALONE

① I HAVE FOUND MOST OF APPL. CALCS ARE INCORRECT IN THEIR FAVOR - V.L.P. - HIGH REST. FACTORS, DIAPH, TORSIONAL ETC.

ENCLOSURE 3

MEETING ATTENDANCE

March 23, 1985

MEETING BETWEEN CASE, THE COMANCHE PEAK RESPONSE  
TEAM AND THE NRC STAFF RELATING TO THE CONCERNS  
OF MESSRS. WALSH AND DOYLE

NRC

Robert J. Bosnak  
David Terao  
Chester Poslusny  
John R. Fair  
Romuald E. Lipinski  
W. Paul Chen, ETEC  
Donald F. Landers, Teledyne  
Charles Hofmayer, Brookhaven

Texas Utilities

John W. Beck, TUGCO  
Howard Levin, TERA  
Douglas M. Witt, TERA

CASE

Juanita Ellis  
Mark Walsh  
Jack Doyle  
Jerry Ellis  
Barbara Boltz