ORIGINAL

UNITED STATES OF AMERICA NUCLEAR REGULATORY COMMISSION

COMMISSION MEETING

In the matter of:

(Public Meeting)

DISCUSSION/POSSIBLE VOTE ON FULL POWER OPERATING LICENSE FOR LIMERICK

> Location: Washington, D.C. Date: August 8, 1985

8508150224 850808 PDR 10CFR PT9.7 PDR

ed

-ANN RILEY & ASSOCIATES-Court Reporters 1625 I St., N.W. Suite 921 Washington, D.C. 20006 (202) 293-3950 Pages:

Docket No.

1 - 95

DISCLAIMER

())	
4	
5	
6	This is an unofficial transcript of a meeting of the
7	United States Nuclear Regulatory Commission held on
9	, August 8, 1985 in the Commission's office at 1717 H Street,
ğ	N.W., Washington, D.C. The meeting was open to public
10	attendance and observation. This transcript has not been
11	reviewed, corrected, or edited, and it may contain
12	inaccuracies.
13	The transcript is intended solely for general
14	informational purposes. As provided by 10 CFR 9.103, it is
15	not part of the formal or informal record of decision of the
15	matters discussed. Expressions of opinion in this transcript
17	do not necessarily reflect final determination or beliefs. No
18	pleading or other paper may be filed with the Commission in
19	any proceeding as the result of or addressed to any statement
20	or argument contained herein, except as the Commission may
21	authorize.
22	
23	
24	

1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	
4	
5	Discussion/Possible Vote on Full
6	Power Operating License for
7	Limerick
8	
9	
10	PUBLIC MEETING
11	
12	
13	Room 1130
14	1717 H Street, N.W.
15	Washington, D.C.
16	
17	Thursday, August 8,1985
18	The Commission met in public session at 10:35 a.m.,
19	pursuant to notice, Commissioner Thomas Roberts presiding.
20	NRC COMMISSIONERS PRESENT;
21	Thomas Roberts, Commissioner
22	James Asselstine, Commissioner
23	Frederick Bernthal, Commissioner
24	Lando Zech, Commissioner
25	

1	STAFF AND	PRESENTERS SEATED AT COMMISSION TABLE
2		H. Plaine, OGC
3		S. Chilk, SECY
4		E. Christenbury
5		R. Martin
6		D. Eisenhut
7		J. Roe
8		f. Murley
9		R. Starostecki
10		L. Ralph
11		V. Boyer, PECo
12		J. Everett, PECo
13		G. Leitch, PECo
14		P. Zitzer, LEA
15	AUDIENCE	SPEAKERS
16		D. Matthews
17		Mr. Collins
18		T. Martin
19		W. Russell
20		R. Bernero
21		A. Thadani
22		R. Wilkerson
23		
24		

PROCEEDINGS

1

-

2	COMMISSIONER ROBERTS: Good morning, ladies and
3	gentlemen.
4	Chairman Palladino is on travel overseas, and I will
5	act as Acting Chairman.
б	The purpose of today's meeting is to discuss and
7	decide whether to authorize the Director of Nuclear Reactor
8	Regulation to issue a full power license for the Limerick
9	Nuclear Power Plant Unit 1.
10	The merits review has been completed for the
11	Licensing Board's First Partial Initial Decision, and the
12	Commission's order, CLI-85-13 of July 24th, 1985, allowed the
13	Licensing Board's Second and Third Partial Initial Decisions
14	to become effective.
15	Therefore, at this meeting we need only to determine
16	whether to allow the Licensing Board's Fourth Partial Initial
17	Decision to become effective.
18	The Fourth Partial Initial Decision addresses
19	hearing issues related to emergency planning for the State
20	Correctional Institution at Graterford.
21	On October 26th, 1984 the NRC authorized a low power
22	license for the Limerick Power Plant, authorizing fuel load,
23	pre-criticality testing and low power operation for power
24	levels up to 5 percent of full power.
25	The NRC Staff has prepared a presentation, and I

understand that members of the NRC Staff, as well as 1 representatives of the Philadelphia Electric Company, are 2 available to answer any questions we might have. 3 I also understand that Mrs. Phyllis Zitzer, 4 representing Limerick Ecology Action, LEA, has requested an 5 opportunity to speak at this meeting. After the Staff 6 completes its presentation, the Commission will grant her five 7 minutes to make her comments. After Mrs. Zitzer speaks, we 8 will allow the Applicant five minutes for any comment it 9 wishes to make. 10 At the conclusion of the meeting I intend to ask for 11 a vote on whether to issue an order authorizing the Licensing 12 Board's Fourth Partial Initial Decision to become effective, 13 thus authorizing the Staff to issue a full power license for 14 Limerick, Unit 1. 15 Would any of the other Commissioners like to offer 16 comments at this time? 17 COMMISSIONER ASSELSTINE: No. 18 COMMISSIONER BERNTHAL: No. 19 COMMISSIONER ROBERTS: I will now turn the meeting 20 over to Mr. Roe. 21 MR. ROE: I will ask Mr. Eisenhut to proceed with 22 the Staff's briefing. 23 24 MR. EISENHUT: Thank you. As Commissioner Roberts said, the low power license 25

was issued in October --1 COMMISSIONER ROBERTS: I am not going to do my 2 Alexander Haig act. 3 [Laughter.] 4 MR. EISENHUT: I thought of that. 5 [Laughter.] 6 The plant has completed its 5 percent power testing 7 phase. This is one of the few plants that's listed as an 8 impacted plant in the Bevill schedule, it has bewen for 9 several months. I believe they would have been able to 10 proceed in something like March of this year, had there been 11 no other constraints. 12 We are going to go through today a summary briefing, 13 trying to hit the highlights of the review that's been going 14 on now for a number of years. 15 One item I will highlight is that yesterday we sent 15 down a memo pointing out an issue concerning a potential error 17 in a Chapter 15 analysis, more error in the sense of an input 18 omission. We sent that down to you yesterday. We will be 19 discussing that briefly today. That issue, however, is 20 resolved. 21 The people here with us today that will be going 22 through the briefing from the Region, of course Tom Murley, 23 the regional admini * ator and his division director, Rich 24 Starostecki are with us. Tom Murley will go through those 25

5

.

portions relating to the completion of the 5 percent and 1 2 operations phase. Tom Novak, on my left, the Assistant Director for 3 Licensing, and with him is Bob Martin, who is the Project 4 Manager, they will be going through the principal part of the 5 briefing. 6 With that, Tom, why don't you proceed. 7 MR NOVAK: May I have the first slide. 8 [Slide.] 9 Now may we move to the next one, please. 10 [Slide.] 11 Very briefly, I will cover some selected issues that 12 occurred during the license process, and Dr. Murley will 13 discuss construction, his perspective on low power operations, 14 and we will summarize with any comments regarding 15 investigations and any outstanding 2206 petitions. 16 May I have the next slide, please. 17 [Slide.] 18 As the Commission is aware, Philadelphia Electric 19 Company is the owner and operator of the Limerick Station. 20 They also operate the Peach Bottom Station, and have for over 21 10 years. Peach Bottom 2 and 3 were licensed for operation in 22 1973 and 1974 respectively. 23 In many ways, Limerick resembles Peach Bottom. It 24 is a boiling water reactor. There is a difference in the 25

containment design, but more importantly, I think Philadelphia 1 Electric used the same team. The architect-engineer both at 2 the Peach Bottom stations and at Limerick was Bechtel. So 3 they designed and constructed both stations. 4 As the Commission knows, the Limerick station is 5 located in what we consider to be an above-average site 6 population area. 7 May I have the next slide, please. 8 [Slide] 9 With regard to the FSAR review, I would like to 10 touch on a few issues that the Commission has shown interest 11 in. 12 Initially the fire protection issue, I think here we 13 can say that the design and the implementation of the fire 14 protection at Limerick is very good. The plan was approved 15 back in August of 1984. There was an in-depth region 15 inspection at that time and there were no equipment violations 17 identified. 18 As part of the review, there were seven deviations 19 approved by the Staff to our review plan in Appendix R. I 20 would consider this to be a low number, on the average. So it 21 went pretty much along the guidelines we had been looking 22 for. It was implemented and there were no violations in terms 23 of equipment deficiencies. 24 With regard to environmental qualifications, again 25

the Licensee was able to provide all equipment and documentation necessary to meet our requirements prior to 2 issuance of the OL license. 3 So as far as environmental qualification, he's there 4 and he continues to be there now. 5 We do plan to schedule an inspection. The region 6 will talk about this briefly, but there were earlier 7 inspections as part of the licensing review, and we are 2 satisfied with the equipment that he has placed in the station 9 and its qualifications. 10 With regard to low level waste storage, the current 11 storage capacity at Limerick is a two-month storage. They do 12 have a contract with Barnwell, and I'm sure they will be 13 following this issue closely as it develops. 14 With regard to staffing, because of the Peach Bottom 15 experience they do come in with an experienced crew. They 16 will be operating a six-shift rotation, and at the present 17 time they will only require what we refer to as one shift 18 adviser. That person will be a Philadelphia Electric Company 19 employee. He has previous experience at Peach Bottom, and so 20 we are satisfied that they are coming in with an experienced 21 crew, and they do have a substantial number of senior reactor 22 operators as well as reactor operators. 23 COMMISSIONER ASSELSTINE: Tom, on low level waste 24 storage, do they have any plans for expansion at this time? 25

MR. NOVAK: I don't know specifically. I do know 1 that they are looking at compaction and other things that they 2 can do on site. 3 COMMISSIONER ASSELSTINE: Okay. But you don't know 4 specifically about plans for expanding beyond two months' 5 onsite storage capacity? б MR. NOVAK: That's right, I don't. 7 COMMISSIONER ROBERTS: How does the two months 8 compare with other plants? 9 MR. NOVAK: We've seen them as low as one month, and 10 of course some of the more recent designs have five years. 11 COMMISSIONER ASSELSTINE: A lot of plants seem to be 12 at least beginning to plant for extended storage onsite. So 13 they've got the facility in place, yet they can plan for it. 14 MR. NOVAK: With regard to technical specifications, 15 I think here is a place again where experience does pay off. 16 The Philadelphia Electric people did use experienced personnel 17 in the development of their tech specs, they relied on their 18 experience that they had with Peach Bottom. 19 Again, it is a standard design, so a lot of the 20 Staff's review could be put right back into the system. The 21 tech specs that we reviewed on Susquehanna, for example, are 22 very similar to what was adopted for Limerick. 23 This plant has been in operation for eight or nine 24 months. There has been no requirement to change any technical 25

1 specification.

2	λs	in any ca	ase, there are some enhancements that
3	they do see,	and we do	o expect to approve them if the
4	Commission vo	otes to au	uthorize full power. This is just a
5	fine-tuning t	hat I wou	uld refer to it as.
6	Wit	h regard	to the issue that Darrell mentioned
7	earlier on a	differenc	ce identified in the Chapter 15 analysis,
8	I would just	like to s	sort of give you a little background on
9	this.		
10	The	region i	identified a difference between the
11	performance o	of the pla	ant in the event of a loss of offsite
12	power from a	low power	r versus what was in the technical
13	specification	ns.	
14	The	Applican	nt went back and confirmed in fact that
15	the Chapter 1	15 analysi	is did not specifically recognize some
16	design change	es that we	ere made to the plant back in 1973 and
17	1974.		
18	We	were conc	cerned primarily with the fact that
19	whether under	r certific	cation that the plant is designed in
20	conformation	with the	FSAR, with the technical
21	specification	ns. We di	iscussed this at length with the
22	Philadelphia	Electric	Company last Friday. They spent the
23	weekend with	General E	Electric and Bechtel going over it.
24	Мо	re importa	antly, they took their own station
25	operators an	d went thr	rough the analysis to ensure to

1 themselves that the actual plant, to their satisfaction, meets 2 the Chapter 15 analysis.

We are convinced that they did a good job. We are convinced that this was an isolated case, in reality not changing the analysis. So our conclusions regarding the analysis to us say that the plant does meet the Commission's regulations and that this change was actually missed several years ago and was not picked up. But on looking back, we are satisfied that the plant and the analysis are consistent.

10 MR. EISENHUT: Tom, just to make it clear. It was a 11 question over what was in the FSAR, not in the tech specs. It 12 really didn't affect the tech specs per se. The FSAR both had 13 it right in the description of where they described the 14. systems and how the plant functioned.

For example, this system as it was described I believe in Chapter 7 of the FSAR was correct. You really get to it by Chapter 15, which is the accident and transient analyses. They do a considerable amount of evaluation to conclude that they have identified the bounding analyses. They did define the bounding analyses. That really didn't change by this issue.

The issue was that the change of the system in Chapter 7 that occurred many years ago was not picked up and factored in as an input to the analysis in Chapter 15 as one of the calculations that you go through to verify.

As Tom said, since this issue came up last week, 1 there's been quite extensive rework and analysis by both the 2 utility, by Bechtel, by GE, and by the Staff looking at it, 3 that we are confident that it was an isolated case that really 4 didn't affect the issue that is in Chapter 15. 5 Chapter 15, which is the accident analysis, really 6 doesn't describe all the inputs and bounding conditions, 7 anyway. But we thought it was a pretty serious matter to the B extent we asked them to go back and reverify to us that this 9 was an isolated case. And that's basically where we came 10 down. 11 COMMISSIONER ASSELSTINE: So even in the fairly 12 short amount of time that you've had on this, you are 13 satisfied that they have gone back and looked enough at other 14 aspects of Chapter 7 as compared to Chapter 15 to assure that 15 this is in fact an isolated instance, there aren't other 16 instances in which the FSAR is internally inconsistent? 17 MR. EISENHUT: That's right. But not limiting it to 18 Chapter 7, because the issue really isn't just a Chapter 7 19 issue. 20 COMMISSIONER ASSELSTINE: Yes. 21 MR. EISENHUT: It was -- generally the way the 22 vendor does accident analysis, he uses pretty much standard 23 assumptions. They do it for a topical method to the extent 24 they can, and they change the input parameters as they are 25

1 unique to this facility.

(

2	The issue on the parameter that we are discussing
3	here happens to be unique to Limerick and one other plant that
4	is yet to be licensed. So all of the other standard plants,
5	the calculation would have been right, all of the other BWRs,
6	it would have been right.
7	So we really asked the question a little broader
8	than Chapter 7. How do you know, assuming that Chapters 1
9	through 14, let's say, are correct and the description is
10	right and we have no reason to question that those have
11	been verified in a number of cases how do you know that all
12	of the Chapter 15 analyses had the right physical descriptions
13	of the systems as well as calculational inputs? And the only
14	physical description problem we came up with was the one in
15	question.
16	There were other changes where they were unique, it
17	was verified to be correct in the analysis. So we looked at a
18	little broader context than even Chapter 7.
19	COMMISSIONER ASSELSTINE: Okay
20	COMMISSIONER ZECH: Could this specific issue apply
2 1	to other plants throughout the country?
2 2	MR. EISENHUT: It is my understanding this specific
23	issue only applies to the Clinton facility. Is that correct,
24	Tom?
25	MR. NOVAK: That's correct.

MR. EISENHUT: And yet to be licensed. And, of course, we will be looking at that one also. 2 COMMISSIONER ZECH: All right. 3 COMMISSIONER ASSELSTINE: As a general matter, how 4 do you go about assuring that the other chapters of the FSAR 5 match the plant? 6 MR. EISENHUT: Would -- maybe the region would like 7 8 to answer. MR. MURLEY: As a matter of fact, our inspectors 9 take the FSAR and they start with that, and then the tech 10 specs and they walk down the plant. And we concentrate on the 11 design chapters of the FSAR -- I guess it's 5, 6, 7, 8 and 9 12 and those chapters. 13 We in the region really don't get too much involved 14 in the Chapter 15 accident analyses because they deal with 15 typically bounding cases, and that is what happened here. 16 Even though we found that there was a design difference, it 17 didn't affect the bounding analysis. 18 So we tend not to focus too much on the Chapter 15. 19 But we do verify that the design aspects are accurate. 20 COMMISSIONER ASSELSTINE: And since Chapter 7 is 21 accurate, that's why the inspection program didn't pick this 22 up earlier on. 23 MR. MURLEY: That's right. 24 MR. EISENHUT: Oh, but the inspection -- I think I 25

should also give credit --1 COMMISSIONER ROBERTS: And it was found in the 2 3 region. MR. EISENHUT: It was found in the region by an 4 inspector verifying a comparison between the simulator and the 5 б MR. MURLEY: That's an interesting thing I think is 7 probably worth a second to explain how. They have a 8 plant-specific simulator at Limerick, and they were doing some 9 transients, training their operators, and our inspector was 10 there watching them, and he found that the plant tripped on a 11 particular transient, I guess in a couple seconds whereas the 12 FSAR said it was supposed to be almost a minute, roughly. And 13 so he asked what's the reason for all this. And that's how he 14 found it. 15 I'm proud of him for picking that up, and I think 16 this is an example where we can use the simulator and it's a 17 better representation of the transients than the bounding 18 calculations in Chapter 15 to look for these kinds of things. 19 So, Commissioner Zech, in answer to your generic 20 question, even though only Clinton may be only affected by 21 this particular change, there may be others, and I think we 22 can use the simulator comparison to , elp us look for these 23 kinds of things. 24 COMMISSIONER ZECH: Well, it certainly does give you 25

an excellent example of the value of the simulators. 1 MR. MURLEY: Absolutely. 2 COMMISSIONER ZECH: No question about it. 3 COMMISSIONER ASSELSTINE: Apart from the forunate 4 instance in this case, where the inspector using the simulator 5 was able to find it, have you thought about, particularly NRR, 6 how you are going to go about making sure that this kind of 7 thing doesn't crop up in other cases in terms of the 8 relationship between the accident analysis and the balance of 9 the FSAR? 10 MR. NOVAK: Well, let me speak to that. We do, a. 11 part of the review of the accident analysis, go back and 12 confirm that the selected setpoints for reactor trip and so 13 forth as described in other portions of the plant are proper, 14 . so there is that continuity. 15 This case is kind of unique in the fact that, one, 16 when you do simulator runs, you try to represent the plant as 17 you intend to operate it. Now they were intending to try to 18 look at what is the response to the plant in the event of loss 19 of offsite power or loss of station auxiliaries from 25 20 percent power. 21 The reason they were looking at this, again to the 22 credit of the Licensee, a similar event had happened at the 23

Susquehanna station and, in fact, resulted in a short, brief

station blackout. And so they were concerned and wanted to

24

25

1 know how would their plant behave and how would they respond 2 and restore it.

3 So they worked at it in getting the system simulator 4 to a point where they could then take these transients and go 5 back and look at them.

6 So you'll use the simulator as a learning tool and 7 try to understand it.

As far as the FSAR is concerned, we do look at the bounding events. Now you will never be able to get into the lower layers of the more standard transients, because they are what we would call more like best estimate. The Chapter 15 analysis is intended to be a design analysis, a bounding analysis. But I do think in terms of the specific parameters, they are checked in terms of that.

15 COMMISSIONER ASSELSTINE: Are you saying that absent 16 the kind of effort the Licensee put in, in terms of 17 programming and using their simulator, and absent the kind of 18 effort that our inspector put in in finding this, that we 19 wouldn't have found it under our normal review?

MR. EISENHUT: I'm not sure we would. I don't think we look at that kind of detail on inputs as a general rule. That's not to say, though, that -- on the other hand, I think we do need to go back and take a look to see if there is some way we ought to be changing things.

25 We have been for a number of years highly

compartmentalized in the way we do the review. We do the 1 technical detailed review in one system, and another system, 2 when you get to the analysis people, they basically take the 3 assumptions and inputs as givens. They don't go back and 4 correlate "are those the right inputs from the systems people 5 who did the systems review," and the systems people who review 6 the thing don't necessarily go to the accident analysis. 7 So I think it is something that we want to look at A as how they marry together. And I'm not sure, though, that we 9 are, as Tom said, going to get back to that kind of level and 10 depth. But a check -- I'd like to see a plant-specific 11 simulator be used as a check to the system. In this case it 12 weas fortunate, we do have a very good plant-specific 13 simulator. We don't have that in most places around the 14 15 country.

COMMISSIONER ASSELSTINE: I think it's worth looking 16 at. I think what the Staff did in this case is very good, and 17 what the Licensee did was very good. But the fact is we don't 18 require simulators. Some plants don't have them. I mean it 19 does look like this was a fairly good effort on the part of 20 the licensee to use their simulator, and then a good effort by 21 a perceptive inspector to spot this kind of thing. And I 22 think it's worth taking a look at, maybe giving us a paper on 23 if you don't have that, then what are the implications for our 24 ability to spot these kinds of things; or conversely, is this 25

a reason why maybe we ought to take the step that we haven't 1 taken so far and saying everybody has got to have a simulator, 2 or with few exceptions. Maybe some of the smaller, older 3 plants. I think it's worth looking at. 4 COMMISSIONER BERNTHAL: Yes, I have to say, we sit 5 here month after month -- it's not quite year after year for 6 me yet, I guess, but at least for two years -- and everybody 7 says that we don't require having a simulator, but we all 8 agree and everything we say indicates that everyone should 9 have a simulator, and it kind of makes me wonder why we don't 10 bite the bullet and address that issue one of these days. 11 COMMISSIONER ASSELSTINE: Yes. In fact, I agree 12 with you, Fred. I'd sort of like to see a paper on that 13 particular issue. Maybe we ought to do something about it. 14 MR. EISENHUT: Well, you certainly have to look at 15 it in the broadest context, because we do not do a 100 percent 16 review of FSAR detailed analyses by a figment of anyone's 17 imagination. And we never will. We just do it as a 18 spot-check. 19 MR. RUSSELL. I might just point out to the 20 Commission as a part of the rulemaking --21 COMMISSIONER ROBERTS: For the transcript. We all 22 know you. 23 MR. RUSSELL: This is Bill Russell. 24 For the proposed rulemaking that's out now that's in 25

the comment period, we will be requiring the use of a 1 simulator for examination of operators. That package is going 2 through CRGR comment section this month, and we expect to have 3 a package down to the Commission shortly. 4 MR. EISENHUT: Well, let's see, Bill, just to make 5 sure, that is not requiring a plant-specific detailed --6 MR. RUSSELL: No, it requires a simulation facility, 7 but in fact all the facilities with the exception of about 8 eight are going to an ANSI 3.5 replica simulator within about 9 three years. So it's a small number and it is generally the 10 smaller facilities that are going to go to a simulation 11 facility where you'd use a walk-through plus a fundamental 12 13 simulator. 14 COMMISSIONER ROBERTS: Let me suggest, this is an interesting subject, but I think we're straying from the 15 subject in hand. We've spent almost 30 minutes and we're on 16 page 4, so let's try to proceed. 17 [Laughter] 18 COMMISSIONER ASSELSTINE: I do think --19 COMMISSIONER ROBERTS: I agree, but for another 20 21 time. COMMISSIONER ASSELSTINE: Let's see a paper as a 22 separate matter that addresses the question directly. 23 COMMISSIONER ROBERTS: Let's proceed with Limerick. 24 COMMISSIONER ZECH: I think that Darrell's 25

absolutely right, and I agree with Commissioner Asselstine's
 thought that we should learn from this lesson and perhaps your
 procedure should be reviewed, and I think that's what you're
 telling us, and I agree with that.

5 MR. NOVAK: The next topic was referred to as the 6 severe accident risk assessment. That was the probabilistic 7 risk assessment that the Licensee did and that was his title 8 for the report. It was a full scope PRA. It looked at both 9 internal and external events. I'd like to summarize just very 10 briefly some of the things that we see of benefit to this 11 work.

First of all, it really provided additional evidence 12 that the design was sound. It gave you that confidence. 13 Second, there was clearly a benefit to the utility. 14 It put him on a very steep learning curve about his plant. He 15 was able then to better understand it and to do a number of 16 things about it. As he went through this design and the PRA 17 work, he could see where changes could be made into the plant 18 design that would clearly improve the risk of operation; 19 things that are not very major, but you could go back in and 20 look at the ventilation system for a specific room and decide 21 that it would be better to provide additional ventilation to 22 23 that system.

24 You looked at value performance and see where
25 changes in value performance could improve the operation of

1 that plant.

.

2	So we were very positive that this piece of work did	
3	really check out the plant, put the Licensee on a very good	
4	learning curve in understanding it, and reduced the risks of	
5	operation.	
6	This PRA is going to continue. The Licensee is	
7	committed to maintain it. What he is doing now and will	
8	continue to do for the rest of the year is to update it to	
9	clearly reflect the latest configuration of the plant.	
10	He will then put it into his training program, he	
11	will then put it into his maintenance program as appropriate.	
12	So we are very positive on this effort, and I think it is to	
13	his benefit.	
14	With regard to emergency preparedness may I have	
15	the next+slide, please.	
16	[Slide.]	
17	I think I can sum up this slide in a few sentences.	
18	FEMA has provided a finding that offsite emergency	
19	planning and preparedness is adequate and can be implemented.	
20	Based on this finding and on the Staff's previous assessment	
21	of the adequacy of onsite planning and preparedness, the Staff	
22	concludes that the overall state of emergency preparedness	
23	provides reasonable assurance that adequate protective	
24	measures can and will be taken in the event of an emergency at	
25	Limerick.	

In three ASLE Partial Initial Decisions, the Board 1 found in favor of the Applicant on all emergency planning 2 issues. Two conditions concerning offsite traffic control and 3 unmet municipal staffing needs we specified as requiring 4 resolution prior to operation abov 5 percent of rated power. 5 Based on the information provided by FEMA, the Staff 6 has concluded that the two Board conditions have been 7 satisfactorily resolved. 8 In the most recent Partial Initial Decision, issued 9 on July 22 of this year, the Board found in favor of the 10 ?pplicant with regard to contentions related to the adequacy 11 of the emergency plan for the State Correctional Institute at 12 Graterford. 13 In response to the Commission guidance related to 14 Garde vs. NEC decision concerning offsite medical facilities, 15 the Applicant has confirmed that the offsite emergency plans 16 contain a list of medical service facilities. The existence 17 of such a list in the offsite plans has also been confirmed by 18 FEMA. 19 The Applicant has also committed to fully comply 20 with the Commission's response to the court decision. 21 Lastly, the Applicant has submitted a request for an 22 exemption from the regulatory requirement for the conduct of a 23 full participation exercise within one year before licensing 24 of full power operating license. One year ran out last 25

.

month. This request, which has been filed with the 1 Commission, was referred to the Director of NRR by the 2 Commission, and the NRC Staff has found that the granting of 3 the requested exemption is appropriate. 4 I think that summarizes for us the emergency 5 planning issues. 6 COMMISSIONER BERNTHAL: As a matter of curiosity, 7 it's been some time -- I guess a year or so since I visited 8 that plant -- but I seem to recall there was a major freeway 9 about to go right in front of the plant site. And I wondered 10 at the time whether that affects the entire emergency planning 11 picture in any way. One would presume positively. But it 12 wasn't finished at that time. Does anybody know about that? 13 MR. MURLEY. The freeway is finished, I can say 14 that. 15 [Laughter.] 16 I don't know how it has affected the timing 17 analysis. Perhaps someone from I&E -- I just don't know about 18 the analysis. But it's bound to be better. 19 COMMISSIONER BERNTHAL: The analysis had to have 20 been finished before that road was done, and you have now got 21 four lanes of super highway that weren't there before. I'm 22 curious whether that makes a difference. 23 MR. MATTHEWS: Just based on the available 24 information that one of the Staff members informed me of, that 25

evacuation time estimate had been completed prior to the 1 completion of that freeway. Therefore, you would only assume 2 that the availability of it would probably reduce those times. 3 However, the issue of traffic control is something 4 that was resolved with regard to plans for control of 5 personnel leaving the EPZ is something that was just recently 6 completed. So I would have expected those plans to have 7 incorporated the existence of that freeway. R This was Dave Matthews of the NRC Staff. 9 MR. NOVAK: May I have the next slide, please. 10 [Slide.] 11 And turn it 90 degrees either way. Thank you. 12 COMMISSIONER ROBERTS: Not either way. 13 [Laughter.] 14 MR. MURLEY: Thank you. 15 We would like to spend a minute talking about the 16 supplementary cooling water system. Before I ask Bob Martin, 17 the project manager, to describe it, let me first say that 18 none of this water is needed for any safety consideration at 19 the plant. The plant does have a dedicated pond. We refer to 20 it as the ultimate heat sink and it would provide necessary 21 cooling for a 30-day period following any design basis 22 accident. 23 The water we are going to talk about now is strictly 24 for operation of the plant. It's what you put through the 25

1 condenser, and I would like Bob just briefly to walk you
2 through the status of this design.

3 MR. ROBERT MARTIN: As Mr. Novak just mentioned, the 4 supplementary cooling water system is a system for 5 transferring water from the Delaware River over a linear 6 distance of some 30 approximate miles to the Limerick plant 7 near Pottstown.

The system is comprised of basically the Point 8 Pleasant Pumping Station on the Delaware River with piping 9 going up to Bradshaw Reservoir. This portion of the system is 10 the portion which is the subject of the Neshaminy Water 11 Resources Authority responsibility in Bucks County and the 12 system is currently -- the status of construction is currently 13 incomplete. And the further schedule on it is pending the . 14 progress of proceedings between these agencies and the 15 Philadelphia Electric Company. 16

Once a decision has been reached on completing the construction, it's estimated it would take approximately nine months to physically complete the construction on it. COMMISSIONER ASSELSTINE: Has construction started

20 COMMISSIONER ASSELSTINE: Has construction started 21 on that portion?

22 MR ROBERT MARTIN Construction has been partially 23 completed on it, yes. All of the work in the river has been 24 completed, and some of the foundation work on the pumping 25 station itself has been completed, and at that point it was

1 stopped some time ago.

2	The portion from the Bradshaw Reservoir and the
3	transmission main is being constructed under the
4	responsibility of the Philadelphia Electric Company, and at
5	this time Philadelphia Electric is proceeding with getting the
6	needed permits and so forth from, for example, the Army Corps
7	of Engineers and other agencies as necessary to complete it.
8	COMMISSIONER ASSELSTINE: Has construction on that
9	been started? Or do they need the permits first?
10	MR. ROBERT MARTIN: I believe portions of it have,
1 1	but it has not been completed yet.
1 2	COMMISSIONER ASSELSTINE: Okay. And how long will
13	that take to complete?
14	MR. ROBERT MARTIN: I believe it would be less time
15	than it would take to complete this.
16	Mr. Boyer?
17	MR. BOYER: It would take about the same time or
18	possibly a little bit longer, and work has not been started.
19	We have done some preliminary blast survey work in preparation
20	for start-up, but we are waiting for the decision by the
21	Commonwealth Court on the appeal for the Print Pleasant
22	facility
23	COMMISSIONER ASSELSTINE: Okay. Thank you.
24	MR. ROBERT MARTIN. And then once the water
25	has flowed down the east branch of the Perkiomen Creek, it

would arrive at the Perkiomen Pumping Station and be 1 transported through the pump line to the Limerick plant to go 2 into the basins of the cooling tower. 3 This portion of the system has been completed and is 4 currently operational. 5 COMMISSIONER ASSELSTINE: Okay. 6 MR. NOVAK: Thank you. 7 I would now like to turn the rest of the discussion 8 over to Dr. Murley 9 COMMISSIONER ASSELSTINE: Are you going to talk 10 about any water restrictions that apply at the present time to 11 operation of the plant? 12 [Commissioner Bernthal left the conference room.] 13 MR. NOVAK: We can, yes, sir. 14 COMMISSIONER ASSELSTINE: That would be useful to 15 hear just briefly. 16 MR. ROBERT MARTIN: The restrictions on withdrawal 17 of water from the Schuylkill River are restrictions imposed by 18 the Delaware River Basin Commission upon Philadelphia 19 Electric's withdrawal of water from the Schuylkill River. 20 They are principally active during the warm weather summer 21 months and conditions in the river are unsuitable from an 22 environmental standpoint to permit withdrawal of the water. 23 When the plant arrives at that point, that's when 24 they would have a need for supplemental water from another 25

1 source.

2		COMMISSION	ER ASSELSTI	NE: I was there, I guess, in
3	late sprin	ng and the	restriction	is, I think, were in effect at
4	the time.	They are	still in ef	fect, I take it, and will be
5	until this	s fall some	time?	
б		MR. ROBERT	MARTIN: T	That's correct. The
7	restrictio	ons this pa	ist spring w	were temperature limit, which
8	the Philad	ielphia Ele	ectric appro	pached the Delaware River Basin
9	Commission	n on and go	ot some rela	axation in that they went to a
10	dissolved	oxygen lit	nit. Temper	rature was intended to protect
11	the dissol	lved oxygen	n limit, bas	sically. That gave them a
1 2	little bit	t more flea	xibility.	
13		There's a	iso a flow r	rate limitation which, depending
14	upon how a	much water	is in the w	watershed, is sometimes
15	exceeded.			
16		COMMISSIO	NER ASSELSTI	INE: Assuming the present
17	restricti	ons in for	ce, how much	h operation and at what power
18	levels car	n the plan	t operate un	nder, using the present water
19	restricti	ons as a l	imiting fact	tor?
20		MR. ROBER	T MARTIN: A	Assuming the restrictions in
21	force tod	ay, they d	on't have ve	ery much flexibility. However,
22	Philadelp	hia Electr	ic has appli	ied to the Delaware River Basin
23	Commissio	n for a sw	ap of water	currently allocated to two
24	other pow	er plants	on the river	r. I understand that that
25	meeting o	f the DREC	is to take	place possibly tomorrow, and we

would learn the outcome of that. 1 That would provide, if the PECo application were 2 granted. a sufficient amount of water for them to get up to 3 approximately 20 to 25 percent power level in their start-up 4 5 test program. COMMISSIONER ASSELSTINE: For what period of time? 6 MR. ROBERT MARTIN: That would give them 7 approximately four weeks of start-up testing. 8 0 COMMISSIONER ASSELSTINE. Okay. And under the present restrictions you say not very much, which is --10 MR. ROBERT MARTIN: I would estimate substantially 11 less than that, yes. 12 13 MR. EISENHUT: 5 percent or less. They did complete 14 the 5 percent testing program, but --15 COMMISSIONER ASSELSTINE: So under present restrictions, they couldn't do much more than what they've 16 already done? 17 MR. EISENHUT: I would think that's correct. And I 18 19 think two other comments. As Bob said, this is during this 20 period of the year. COMMISSIONER ASSELSTINE: Right 21 22 MR. EISENHUT: Of course, when you go into the fall 23 part of the year, the situation would be changing as a 24 function of time. COMMISSIONER ASSELSTINE: Right. 25

1	MR. EISENHUT: Because of the one other issue I
2	ought to point out, and Ed Christenbury can correct me or help
3	me we used to regulate in fact temperature controls,
4	environmental limits, chlorides, different parameters in the
5	cooling supply. Even though that's not directly a
6	safety-related system. In fact, it's not a safety system at
7	all. We used to do that. It evolved over time to the point
8	where today we are not putting those restrictions on. We are
9	relying on other federal agencies which govern the
10	supplemental cooling modes.
11	Ed, would you want to make any comments on how that
12	works?
13	MR. CHRISTENBURY: Well, I think in this case there
14	would I guess we had discussed among ourselves whether
15	there would be a need for any license condition that would
16	reflect the limitations placed on the Delaware River Basin
17	Commission. I guess our thinking now is that probably that
18	would not be an approach we would recommend, nor did we
19	include in the license. The practice, as Darrell indicated,
20	that we currently follow is that where another federal agency
21	or entity has their own federal regulatory powers and
22	enforcement powers, we rely on them to handle those papers.
23	[Commissioner Bernthal reentered the conference
24	room.]
25	COMMISSIONER ASSELSTINE: And you are satisfied they

đ

0

å

÷.,

۲

have sufficient authority to impose and enforce those 1 restrictions on their own initiative? 2 MR. CHRISTENBURY: Yes, we are. 3 MR. EISENHUT: Well, that's correct. Either way, 4 there is no safety way. If they don't take the water out, 5 they can't operate the plant. If they do take the water out, 6 they operate the plant, but they're in violation of another 7 law, but that's not necessarily a safety issue. 8 COMMISSIONER ASSELSTINE: Yes. What is the status 0 of the appeal on the Point Pleasant diversion? Are they 10 awaiting an imminent decision, or is it --11 MR. CHRISTENBURY: PECo could probably tell us. As 12 you recall, the Court of Common Pleas ruled in favor of PECo 13 and that has been appealed. There's an automatic stay of that 14 decision because it's a state entity, and I'm not certain 15 exactly where that stands. 16 COMMISSIONER ASSELSTINE: Maybe I can cover that 17 briefly. Okay. Thanks 18 COMMISSIONER ZECH: What you're saying, though, is 19 that even if full power is authorized, there are other 20 restrictions on the plant which could prevent them from going 21 to full power? 22 MR. EISENHUT: That is correct. As a matter of 23 fact, the best information we had was that there is a meeting 24 tomorrow of the DRBC. That commission, as I understand, had 25

in fact delayed its decision on whether or not to grant this interim relief to Philadelphia Electric who, as I understand 2 it, has requested authority for the withdrawal of water to 2 swap from some of their own fossil plants to their nuclear 4 plant on the Schuylkill River, and it delayed that decision 5 until tomorrow. That decision, if favorable, and if a full 6 power license would issue, would get them up to 20, 25 percent 7 power testing, covering about a month. And then they'd have A to wait and see what would be the decisions at that time, 9 after that month, or where you'd stand from a weather 10 standpoint or a water supply standpoint before you'd really 11 know precisely where they go after that. 12 COMMISSIONER ASSELSTINE: Are there other things 13 that the Basin Commission could do beyond that that would 14 permit power level, or is it basically 20, 25 percent until 15 the weather changes and the rains come? 16 MR. EISENHUT: I suppose they could do just about 17 anything they want to, but I'd certainly defer to Philadelphia 18 Electric. 19 COMMISSIONER ASSELSTINE: Okay. 20 MR. MURLEY: Could we move to slide 10, please. 21 22 [Slide.] I am going to start off with some general management 23 24 matters. The bottom line is that the regional staff believes 25

Philadelphia Electric Company is ready to operate Limerick 1 safely at full power. Philadelphia Electric is a large, 2 well-staffed, experienced utility. They have 20 some years of 3 nuclear experience, going back to Peach Bottom 1, which was an 4 HTGR licensed in 1967. 5 Peach Bottom 2 and 3, which are boiling water 6 reactors, were licensed in 1974. 7 Some of their managers and operators in fact were 8 licensed on Unit 1 back in those days. So they bring to it a 9 large staff. 10 A major strength, we find, is their large 11 engineering and construction management staff. Because of the 12 depth of talent in this area and their QA area, the 13 construction of Limerick went relatively smoothly. And Rich 14 Starostecki is going to talk about that in a little more 15 detail. 16 Now the same organizational strength does not 17 necessarily carry over into plant operations, however. There 18 have been some problems at Peach Bottom and at Limerick during 19 the last year, and Rich is going to discuss those problems and 20 what we've done about them. 21 With regard to enforcement history, Philadelphia 22 Electric has had four civil penalties in the last three 23 years. This is somewhat above the average in the region. 24 Most of these enforcement actions were taken for events at 25
1 Peach Bottom, however.

2	There was one problem at Limerick that had to do
3	with the contract security force, which I should talk about.
4	They contract out their guard force activities to Yoh
5	Securities. We found that the root catse of this problem was
6	inadequate control of their contractor force. And we also
7	found a similar problem at Peach Bottom, where they had a
8	health physics contractor that was helping them in the pipe
9	replacement at Peach Bottom 2, and we found problems there,
10	and we think that there is a broader problem with the company
11	in controlling their contractors.
12	That was the basis for a civil penalty within the
13	last few months. We have discussed this with the utility and
14	they agree that there's a problem and they have taken some
15	actions.
16	With regard specifically to Limerick, the issue was
17	inadequate training of the guard force and programmatic
18	deficiencies in their security program.
19	We've talked with them, we've had enforcement
20	conferences. Philadelphia Electric has taken steps to
21	strengthen their onsite management of the contractor at
22	Limerick, and they're required Yoh Securities, the contractor.
23	to provide more corporation oversight.
24	So we went back in April to take a look at and
25	reinspect the security program. We used a sampling technique

to have selected members of the guard force retest it, and all 1 but one group tested acceptably. That one group did have an 2 unacceptable failure rate on the exam, so we made them be 3 retrained and requalified. 4 So our conclusion today is that the security force 5 personnel are sufficiently knowledgeable to carry out their 6 duties. 7 We also believe that the management improvements 8 that were taken by Philadelphia Electric should maintain this 9 oversight to prevent recurrence of the problem. 10 COMMISSIONER ASSELSTINE: Tom, let me ask you, my 11 recollection is this is not the only place where we've seen 12 some problems with this contractor. Has the Staff thought 13 about, apart from what you've done in this particular case to 14 satisfy yourselves of the alequacy of this group here, taking 15 sort of a step back and taking a broader look at this 16 particular contractor's performance in a number of areas, and 17 asking yourselves what does this mean about the performance of 18 that organization at a number of sites? 19 [Commissioner Roberts left the conference room] 20 MR. MURLEY: Yes. I'd like to ask Tim Martin, my 21 regional director, to talk about that for a second. 22 COMMISSIONER ASSELSTINE: Yes 23 MR. TIM MARTIN: Yes, Tim Martin. We took a look at 24 the Shoreham plant, at the security organization there. We 25

also did the same thing at the Salem plant. And in both cases 1 they had had problems, but they had turned their situations 2 around. 3 COMMISSIONER BERNTHAL: Who had turned the situation 4 around, the --5 MR. TIM MARTIN: The Licensee. 4 COMMISSIONER BERNTHAL: You know, I have to say that 7 the -- I guess I don't know exactly what freedom we have to 8 discuss the OI investigation in this matter, but it strikes me 9 that the record of that particular contractor goes beyond the 10 point of sloppiness and oversight at this site, let alone what 11 problems there may have been at other sites. Am I wrong? 12 MR. TIM MARTIN: You're not wrong, but I don't know 13 what freedom I have to discuss the OI investigation, either. 14 COMMISSIONER BERNTHAL: Can anybody tell me what 15 freedom we have to discuss the OI investigation? 16 MR. EISENHUT: Well, let's see, I talked to -- I 17 discussed the matter with Ben Hayes yesterday, and I don't 18 think Ben is down this morning, but because of the present 19 status, we felt that at least preliminarily if we got into 20 this, we ought to have a closed session to discuss it. 21 COMMISSIONER BERNTHAL I see 22 COMMISSIONER ASSELSTINE: Maybe what we ought to do 23 is think about as a separate matter having a session to talk 24 about this kind of a situation and the performance of the 25

contractor. I would support something like that. 1 [Commissioner Roberts reentered the conference 2 room.] 3 MR. TIM MARTIN Keep in mind, though, 1 think we 4 have to maintain the pressure on the Licensee in the first 5 instance to make sure his contractors are doing the job, and 6 that's what we've done, in the case of Salem and Shoreham and 7 Philadelphia Electric. 8 COMMISSIONER ASSELSTINE: That's certainly true, but 0 at the same time when you see a contractor that operates at a 10 number of sites and you see a pattern of activity that is of 11 significant concern, then it seems to me that this sort of 12 case-by-case chasing around from site to site and --13 MR. EISENHUT: That is correct. 14 COMMISSIONER ASSELSTINE: -- cleaning up the 15 problems may not be the whole answer. 16 MR. EISENHUT: We have in fact also conducted a 17 survey where this guard force is, at what plants it is, and --18 COMMISSIONER ASSELSTINE: Well, that's the other 19 thing, you're looking ahead. 20 COMMISSIONER BERNTHAL: I want to emphasize that I 21 don't doubt for a moment that PECo is doing everything they 22 can. It's in their great interest, their great self-interest, 23 to deal with the problem, and from my experience and 24 discussions with the management up there, they are a very 25

capable organization. But -- and therefore, this is a 1 second-order NRC problem. Our first-order dealings are with 2 the Licensees themselves. But we are getting a pattern here 3 of a contractor that seems not to be performing up to 4 standards, and I -- maybe we should talk about that in closed 5 session a little bit, but it seems to me it bears some special 6 consideration by the Commission. 7 COMMISSIONER ASSELSTINE: I agree. 8 MR TIM MARTIN: Just some additional information 0 Tim Martin again. 10 Because of PECo's involvement with Yoh, they did 11 require some changes in the corporate staff of Yoh, and those 12 not only addressed the Limerick site, but the other sites that 13 the Licensee or the contractor is responsible for. 14 They have also brought on a vice president of 15 nuclear operations which is a former NRC inspector out of 16 Region II, and at least to our perspective at our three 17 plants, the contractor's performance under the oversight of 18 the Licensee has improved substantially. 19 MR. MURLEY: Okay. Moving on. We have received, 20 just on Tuesday, a late allegation that was relayed to us 21 through a reporter, that some safeguards information on the 22 Limerick plant was not being properly protected. We sent an 23 inspector -- a couple of inspectors out yesterday and looked 24 into this, and we determined that the material provided by the 25

reporter to us is not safeguards information. 1 But it does raise another question, and so we are 2 going to investigate further to assure ourselves that 3 Philadelphia Electric has adequate controls over safeguards 4 information. 5 We believe this allegation does not meet the test of 6 safety significance that's in the Commission's policy 7 statement on handling late allegations and, therefore, should A not hold up licensing action. 9 COMMISSIONER ASSELSTINE: Do the questions tend to 10 center on the Licensee or its contractor or a mix of the two? 11 MR. MURLEY: Well, the nature of the allegation is 12 such that the alleger, who is to us at least still anonymous, 13 said that he has some material here that is safeguards -- he's 14 an ex-security guard, as a matter of fact, is our 15 understanding. He has some material that are like plot plans 16 of the site and some drawings which we have determined are 17 freely available in the FSAR or the Public Document Room, 18 otherwise. 19 COMMISSIONER ASSELSTINE: Okay. 20 MR. MURLEY: So we satisfied ourselves that he does 21 not have safeguards information. But it does raise the 22 broader question and we are going to satisfy ourselves that 23 they have adequate controls generally. 24 25 COMMISSIONER ASSELSTINE: Okay

MR. MURLEY There are no other outstanding 1 allegations on Limerick, and I do understand that the 2 Commission has been informed by OI of the status of 3 investigations regarding Limerick. 4 I would like Rick Starostecki now to talk about the 5 construction and the operation. 6 MR. STAROSTECKI: I'd just like to very quickly go 7 through an overview of the construction situation at Limerick, 8 and then address preoperational testing and start-up testing. 4 The construction overview we conducted in October --10 would you put up slide 8? 11 [Slide.] 12 In October, prior to issuance of the low power 13 license, we prepared a report that looked specifically at 14 construction and at QA and our recommendation to NRR. And we 15 have had a number of reasons to sit back and say, okay, what 16 have we really seen from all the inspections we've done? We 17 have put over 15,000 hours of inspection time at Limerick. 18 What we find is that through a variety of mechanisms 19 -- and in particular we've seen it on our team inspections 20 where we've got a variety of disciplines going into the plant 21 -- is that the organization is pretty well controlled by 22 Philadelphia Electric Company, and that there is a very good 23 integration of quality assurance and quality control into the 24 work activities on the construction site. 25

We have had a resident inspector assigned to the Limerick site since 1979, so we have been able to verify 2 through the day-to-day activities that the QA/QC people are 3 doing the audits frequently. There's a number of stop-work 4 orders that we find have been used effectively by PECo and 5 their contractors, especially when the activity levels were 6 high in the '82-'83 timeframe. 7 All these details we have put forth in the October 8 25 assessment, so I won't dwell too much on those first two 9 bullets. 10 It is of interest to note that in 1979 we did a SALP 11 for construction and identified one Category 3 in the QA area. 12 and I think it is to PECo's credit that they were able to turn 13 that around, and quality assurance has been a strength in the 14 construction SALPs since then. 15 We have had no Category 3 areas at Limerick for the 16 SALPs in the four years that we have done them at Limerick. 17 other than the first one on quality assurance. So we have had 18 fairly consistent performance with very good management 19 oversight of the major contractor, which has been Bechtel. 20 This, in our judgment, has somewhat led to, I think, 21 a favorable situation on allegations. We had about 28 22 allegations at Limerick over the period of construction. 23

Limerick has had no special allegation management system, but

the pattern that we see at Limerick has been the same pattern

24

25

we saw at Susquehanna and somewhat the same pattern we're seeing at Hope Creek. The major contractor on the site is Bechtel. All three sites have very strong Licensee-management involvement with the crafts and the laborers, and the termination of large numbers of these workers has been done in a very organized and structured fashion.

7 The number, nature and analysis of the allegations 8 shows that there is no one area that predominates. We have 9 had, for example, three allegations from the Bechtel engineers 10 in San Francisco that we followed up on that affected all 11 three of those plants that I just mentioned. And we were able 12 to, over the course of the year, with the help of both NRR and 13 IE, either resolve the issue or not substantiate the

allegation.

14

So the allegations are clearly indicating to us that, yes, when people have a concern, they get them elevated to the right people within the organization. We have referred several allegations to the Licensee for disposition, and based on our follow-up of their handling of those allegations, we are satisfied that they do a good job on the technical end of 11

22 With that, I would say from a construction overview 23 standpoint, I'd like to go to the next slide and address what 24 started happening after we left the construction area.

25 Preoperational testing really was our first look at

how does the utility organization pull together and prepare to do all these tests, and it's our first real look at how the operating staff, the licensed operators and the auxiliary operators pull together with management in the preparation and conduct of all these tests.

We've had no significant hardware problems 6 identified during any of the preoperational start-up test 7 programs. I think just to elaborate a little bit, during the 8 preoperational and start-up tests, the regional inspectors 9 focused very much on the FSAR chapters that describe the 10 systems in preparing their inspection plans on what to be 11 observing. And it's sort of a cascading type situation, as 12 you get through each of the chapters, you then start looking 13 more at the integrated response about this point in time with 14 the power escalation program. 15

The performance of the test review board was notable 16 strength. We have had several meetings with the Licensee over 17 the preparations for these pre-op tests and the conduct of 18 them, because we've had some engineers expressing concern to 19 us over the long hours that people do work when these tests 20 21 are done, and a lot of things have been resolved over the last year in terms of the adequacy of how the tests were done and 22 the manner in which test exceptions were reviewed and allowed 23 The test review board is in fact a strength in that 24 25 that's where the utility management gets involved with the

conduct of their program, to make sure it was done right. 1 Things, I think, really were demonstrated quite 2 aptly with the turbine roll. The preparations for the turbine 3 roll again are strength in that people were trained and 4 management was involved, the simulator was used, and the 5 turbine roll was, I think, a unique, novel, first-of-a-kind 6 activity that was performed without any really difficulty or 7 problems arising. 2 During the later stages of the pre-op test, we 4 started seeing indicators that we were not happy with. In 10 particular, the resident inspectors would walk into the 11 control room and find situations that they were not happy 12 with. In particular, they would find systems out of 13 commission or components out of commission that would force 14 the operators to take certain compensatory actions in 15 accordance with the tech specs. And that was really the 16 genesis of our concern, that what we call personnel errors --17 we were seeing a lack of familiarity with the technical 1.8 19 specifications. In hindsight, that's to be understood, in that the 20 technical specifications for Limerick are much different than 21 the ones for Peach Bottom. And it took some time for the 22 people to become more aware of the limitations imposed on them 23

45

24 by these newer tech specs.

25

COMMISSIONER ASSELSTINE: I take it the concern was

the conditions were such that they should recognize the 1 situation they were in, and they weren't recognizing it? 2 MR. STAROSTECKI: Exactly right And because the 3 resident would walk in there and say, "What about this? 4 Doesn't this tech spec control you in this regard, and 5 shouldn't you be doing something about it?" And the answer is 6 7 yes. And 1 make that point simply, that's really the 8 genesis of our concern about operator error. That was further Q. confirmed when we started seeing technician errors with 10 surveillance tests and the way some other problems were 11 12 handled. Eventually it manifested itself through LERs. And 13 the point I'm just trying to make is there's a learning curve 14 that the people at Limerick had to go through, and today we 15 are more confident about the operators because the corrective 16 actions were taken. You can walk into the control room today 17 and you have a much greater degree of confidence when you talk 18 to those operators about, one, the tech specs they're familiar 19 with; two, hardware changes have been made, so the 20 surveillances are being done better. 21 But I want to put the issue in the proper context in 22 that we're not saying we're fully satisfied with everything 23

46

24 that's been done. The LER analysis shows that there are fewer 25 LERs, but that's to be expected. There have been fewer 1 challenges to the plant, since the activities have not been 2 that stressful.

Notwithstanding, we're still skeptical, and we're 3 going to keep an eye on this through the power ascension 4 phase. But by the same token, I think a lot of the learning 5 experiences early on have been well applied through both 6 hardware changes and training and tech spec familiarity. 7 COMMISSIONER ASSELSTINE: You know, the region had . done a fairly extensive readiness review, the long document, 9 before they got their low power license, and this was an 10 experienced utility. Were you surprised at the problems, the 11 numbers of these operator errors, the actuations of emergency 12 safeguard features, the hardware problems that contributed to 13 a large number of 50.72 reports and LERs? Is this atypical 14 from what you would expect for a new plant starting up, 15 particularly a new plant being started by an experienced 16 utility? 17

MR. STAROSTECKI: My personal observations were that we were surprised when Susquehanna had similar problems when they started up, so having survived Susquehanna and the kind of problems they encountered, this was at first blush not all that different.

23 What was different here --

24 COMMISSIONER ASSELSTINE: Different in terms of 25 numbers, wasn't it? I mean particularly for the first three

1 months of low power testing, I thought there were fairly 2 significant differences in the numbers.

MR. STAROSTECKI: It may be in terms of numbers, but then you start getting into the argument of what rule was applicable at the time. What's more disturbing is the commonality of the technical specifications.

7 I quite frankly attributed an awful lot of the
8 problems early on to fairly late issuance of the technical
9 specifications.

When you license these operators -- they were 10 licensed about a year ago. The plant was licensed in 11 October. The technical specifications were not issued in 12 their final form until, you know, fairly close to the low 13 power license. So the operators aren't able -- they may 14 participate in the development of the tech specs, but they 15 don't get enough training in the technical specifications. 16 They get training in accidents, in abnormal events on the 17 simulator, but they don't really sit down and look at the tech 18 specs on the day-to-day level that one would expect. 19

The observations and comments from the examiners that came back to me a year ago were related to that, and they were commenting that a lot of these people referred to their experiences at Peach Bottom, because that is what they were familiar with. The procedures from Peach Bottom, the tech specs from Peach Bottom. And we talked with Philadelphia

1 Electric about that, and that improved with time.

2 So obviously I think the sequence of events causes 3 some of those errors up front.

4 COMMISSIONER ASSELSTINE: How about the pass-fail 5 rate for operators in the first two exams? When I looked 6 through your readiness review report, that didn't look 7 terribly impressive, at least in terms of the first two 8 classes of operators. I'd be interested in your comments on 9 that, again particularly for an experienced licensee that was 10 drawing from people with previous operating experience.

MR. STAROSTECKI: The first exam gave extremely high failure rates to the point that I even had a meeting with the operators who took that first exam, and I think the first exam reflected problems we had with some of our contractors, and they were the ones who had written the exam, and I think on the part of Philadelphia Electric people who were expecting a little different kind of exam.

There is no one clear answer. I will say, I think, that some of the problems I just mentioned -- the familiarity and reliance on Peach Bottom procedures and Peach Bottom tech specs -- contributed to that. But, by the same token, I think our reliance on contract examiners to prepare the exam was also at fault.

24 Normally the experience we have for the first few 25 exams at one of these NTOLs is that we do experience a fairly

1 high failure rate -- not as high as what we experienced at 2 Limerick.

COMMISSIONER ASSELSTINE: That certainly wasn't the 3 case for Fermi. It's not your region, but that contrasted 4 rather sharply in my mind. That's one of the things I was 5 thinking about, like the 95 percent pass rate. 6 MR. STAROSTECKI: I'm comparing myself to 7 Susquehanna 1, I am comparing to Millstone 3, which we 8 currently have underway. Seabrook, which we have just done, 9 Nine Mile Point 2. 10 MR. MURLEY: They've had high failure rates. 11 MR. STAROSTECKI: Same kind of situation. The first 12 exam generally gives you fairly high failure rates, but not as 13 high as what we had at Limerick. I would say that the first 14 exam in my mind was an anomaly and I would not say that is 15 characteristic of Limerick. 16 COMMISSIONER ASSELSTINE: How about the second one? 17 That was a little better, but not much. 18 MR. STAROSTECKI: Could I have supplementary slide 19 16, please. 20 [Slide.] 21 COMMISSIONER ASSELSTINE: It was better, yes, but it 22 was still 18 candidates for SRO, and 12 out of the 18 passed, 23

24 and 11 RO candidates, and six out of the 11 passed. It's

25 still pretty high.

MR. STAROSTECKI: In February 1984, we gave the 1 initial exam for reactor operators, and you see a slide up 2 there which shows 50 percent pass rate for the reactor 3 operators, and 58 percent for the senior reactor operators 4 Subsequent, in May '84, we still had, I threek. 5 unacceptable pass rates for reactor operators, but reactor 6 operators are coming up. And the third and fourth tests I 7 think are a little more typical. 8 When you look at the numbers of people taking them, 9 I'm obviously gratified by 15 of 22 SROs having passed. 10 COMMISSIONER ASSELSTINE: What happened between one 11 and two, classes one and two and classes three and four, do 12 you think, to account for the dramatic improvement? 13 MR. STAROSTECKI: Again, one, we've had more of an 14 emphasis after the first exam on using region-based examiners 15 to do the testing, first of all. 16 When you look at the failure rates for the first 17 test, you find an awful lot of failure rates occurring because 18 of the written exam. And that's why I say I dismiss the first 19 20 one as an anomaly. The others, as I recall, were more of a balance, in 21 not so much reliance on the written exam, but general 22 familiarity with the plant and the practical exam with the 23 simulator and the oral walk-throughs. And I don't think the 24 industry is really used to us giving simulator exams. They've 25

been used to the practical exam with the walk-through and the 1 written, and we're starting to see more simulator exam 2 failures coming through now, and it's more spread out. 3 COMMISSIONER ASSELSTINE: Does NRR have any comments 4 on the operator licensing? 5 MR. EISENHUT: On this particular plant? 6 MR. RUSSELL. Well, let me give you some feel for 7 what has happened nationwide. The average is about 81 percent 2 pass rate on written exams for ROs, SROs, in that range. 9 Limerick was substantially below that on the written exams for 10 both ROs and SROs. 11 There is an anomaly, however, in the simulator 12 exams. They were below average for the senior operators, that 13 is directing activities on the simulator, but substantially 14 above average for the reactor operators, the individuals that 15 actually manipulate the controls. They're about comparable 16 for retake exams. 17 I think Rich was right, the thing that should be 18 pointed out is that they have put a far larger number of 19 candidates up, in the fact that they have 51 licensed 20 operators. 21 Recall at Diablo Canyon, you had 72 for two units. 22 That's about 36 per unit. And they have 51, and they made a 23 substantial effort to get additional people qualified, and I 24 think they are to be commended for that. 25

COMMISSIONER ASSELSTINE: I'm going to ask you to comment on one other thing, Rich's point about the other 2 plants in Region I having a bad history on the first take. Is 3 that typical across the country? My impression was that 4 wasn't the case. 5 MR. RUSSELL: It's not uncommon. There is somewhat 6 of a learning curve on the first examination. 7 MR. EISENHUT: I would suggest we could certainly R put together -- I think I agree with you, Commissioner 0 Asselstine, it varies all over the map. I remember one plant 10 that had 100 percent success rate in the first three years of 11 NTOL. I know another one with a 95 percent rate. So I think 12 it varies considerably. 13 And I think we do have, Bill, compilations of 14 15 statistics. MR. RUSSELL: We have the statistics by region, by 16 plants, and it is in the report we sent to you. 17 COMMISSIONER ASSELSTINE: Let me ask one other 18 question on the operating experience during the low power 19 testing program. Denny Crutchfield's memo makes the point of 20 -- well, if you look at the trend, things are getting 21 dramatically better, and he broke it down into three-month 22 periods. First three months, quite bad, second three months, 23 much better, and the third three months, dramatically better, 24 and in fact, well below the average for low power testing for 25

1 other plants.

(

2	How much weight should we put on that trend, given
3	the amount of work that's been done since March? The OPE memo
4	that we got said basically not much had been done since March,
5	and that is that third period. Should we still temper that
6	with caution in terms of how much weight we put on that
7	MR. EISENHUT. That would be a good
8	COMMISSIONER ASSELSTINE dramatic improvement
9	the last three months
10	MR. EISENHUT: I think that would be a good way to
11	look at it. You have to temper that, and any time you look at
12	these statistics in fact, I think the last plant I was
13	pointing out, when you look at these, you have to really look
14	at the frameworks they're taken under.
15	COMMISSIONER ASSELSTINE: Okay
16	MR. EISENHUT: I think there is a general trend of
17	improvement. I don't think it's as dramatic as these memos
18	show.
19	COMMISSIONER ASSELSTINE: Okay So the sense, I
20	take it, from the Staff is that the kinds of efforts that have
21	been made since that first three-month period really are
22	working; that you are seeing an improvement in operator
23	errors, improvement in these kinds of actuations of emergency
24	safeguard features and these other problems that you were
25	seeing early on?

MR. STAROSTECKI: If you look at LERs and recognize that they really are geared to activities at the plant, you 2 have to go back to the January-February timeframe and say yes. 3 based on limited data back then, it looks like it's improving, but I think I see an awful lot of improvements when we walk 5 into the control room and you talk to the operators, they are 6 more knowledgeable. When you talk to the resident inspector, 7 they are a little bit more upbeat. But I still think it is 9 healthy to have some skepticism once they start doing more 9 activities, to see how it all comes out. 10 COMMISSIONER ASSELSTINE: What kind of activities 11 are you planning to follow, the full power testing program, 12 higher power levels, to ensure that in fact those early 13 problems have been corrected and you are seeing good 14 performance? Have you got anything special in mind? 15 MR. STAROSTECKI: We are going to be assigning a 16 second resident inspector to Limerick here in the short term. 17 We have dedicated start-up test engineer from the region is 18 going to be at the site, and we're most probably going to have 19 two start-up test engineers from the region available to the 20 site. So in essence we'll have four people almost daily 21 following the start-up and power ascension program, which is 22 pretty much what we did during the preoperational test 23 program. We had people onsite when the activity was 24 happening, irrespective of the day and night, and I think that 25

is a little bit unusual. 1 Again, it's an advantage when the plant is 30 2 minutes away from the regional office. 3 [Laughter.] 4 COMMISSIONER ROBERTS: I guess that depends upon 5 one's point. 6 7 [Laughter.] MR MURLEY: That pretty much concludes our 8 discussion on the operation experience. 9 MR. EISENHUT: I guess that pretty well concludes 10 the items we were going to present today. 11 We concluded the plant does satisfy our 12 requirements. The plant is physically ready, operationally 13 ready to receive a full power license. 14 It was my understanding, based on discussions with 15 the utility this morning, that the plant is heating up, they 16 do plan or they're hoping to go back to criticality about noon 17 today, or early afternoon. They are awaiting the license to 18 proceed past the 5 percent point as soon as they get to that 19 point 20 That concludes our briefing at this time. 21 COMMISSIONER ROBERTS: Any other questions? 22 23 COMMISSIONER ASSELSTINE: I have a few more, but maybe somebody else wants to ask some first, since I have been 24 asking a few. 25

COMMISSIONER ROBERTS: Go ahead.

1

2 COMMISSIONER ASSELSTINE: Okay. A couple on the 3 license.

4 Page 5 of the draft license. I noticed item 9, 5 turbine system maintenance program. I was just curious what 6 led to that requirement.

MR. ROBERT MARTIN: This was an issue that came up 7 in our SER review quite some time ago. At that time we were 8 looking at protection against the possibility of turbine 9 overspeed events, and we reviewed the history of the issue at 10 the time, and identified a program that specified the Staff's 11 criteria, what we were looking for in this area. And 12 generally speaking, I understand that the utility, in 13 conjunction with General Electric, is working on a program, a 14 more formal program, to be submitted perhaps as a topical 15 report, and we plan to come in some time in the future with 16 17 it.

In the meantime, we specified certain things that must be done periodically to inspect the turbines to protect against the possibility of turbine overspeed and destructive event.

COMMISSIONER ASSELSTINE: Is that a unique problem 23 for this plant?

24 MR. EISENHUT: No, it's generic. It's not really 25 aimed so much at eliminating the overspeed as much as given an

overspeed, you want to make sure that the turbine rotor is in good enough condition that you don't have a turbine missile problem.

MR. ROBERT MARTIN: That's correct.

4

5 COMMISSIONER ASSELSTINE: Okay. The second question 6 I had was on page 6 of the draft license, item No. 12, the 7 remote shutdown system. I was interested in understanding a 8 little more about what the problem there was with the remote 9 shutdown system.

MR. ROBERT MARTIN: The Staff requirements, in response to GDC 19, are that the remote shutdown system shall have two independent trains of equipment, separate and redundant trains of equipment of safety grade equipment to bring the plant down in the event the operators have to evacuate the control room for some reason.

One train already existed prior to this issue. 16 We 17 were reviewing the capability of the other train and 18 identified a list of things at the time we issued the low 19 power license that needed to be done. Since then some of 20 those things have been satisfied, and what we were left with 21 at this time was the requirement to put transfer switches to handle the transfer of control of three specific pumps, 22 23 transfer the control from the control room to the remote 24 shutdown panel. And in that interim period, until those 25 transfer switches are put in, the Licensee has presented a

description of how jumpers, in accordance with procedures, 1 would be used to effect this control. 2 And so that is what that condition is about. 3 COMMISSIONER ASSELSTINE: Okay. And when are they 4 going to have that fixed so they don't have to lift leads and 5 rely on jumpers? 6 MR. ROBERT MARTIN: It would be prior to start-up, 7 following the first refueling outage. A COMMISSIONER ASSELSTINE: Okay. And also I was 9 interested in the next item, too, what the issue was with the 10 operation of the partial feedwater heating. 11 MR. ROBERT MARTIN: That's simply that the analysis 12 is not encompassing enough to cover that mode of operation, so 13 14 we precluded it as a possibility. COMMISSIONER ASSELSTINE: Okay. I also had a couple 15 16 of questions on the exemptions under item D on page 7. I take it the GDC 19 exemption is for the standby shutdown? 17 MR. ROBERT MARTIN: That is correct. 18 COMMISSIONER ASSELSTINE: Or remote shutdown panel. 19 Okay. 20 21 How about the first one and the second one? A, which is exemption from GDC 61, operation of that portion of 22 23 the standby gas treatment system; and the second one, exemption from GDC 56 for containment isolation values, 24 25 hydrogen recombiners.

MR. ROBERT MARTIN: The standby gas treatment 1 system, one, is basically the ductwork that would connect the 2 ductwork and other equipment that would be used to connect the 3 refueling floor area into the STGS, has not been completed. 4 Since there will be no spent fuel and thus no radioactivity in 5 that area until the first fuel is removed from the reactor 6 core, there would be no radioactivity hazard. 7 COMMISSIONER ASSELSTINE: Okay. And the second one, 8 GDC 56? Automatic --9 MR. ROBERT MARTIN: This is one of the additional 10 isclation valve on the hydrogen recombiner lines. There is 11 already one isolation value in each of these lines. Our 12 requirements, pursuant to GDC 56, is that there shall be a 13 redundant one for each line coming into and going out of 14 containment. And that condition is directed at requiring the 15 installation of the second one prior to start-up, following 16 the first refueling outage. 17 COMMISSIONER ASSELSTINE: And also I had a question 18 about H on page 8, which has to do with inerting. I guess I 19 was wondering why they won't be inerting, and is the six 20 months specific in terms of when they will be inerted? 21 MR. ROBERT MARTIN: That one was required based on 22 the stretch-out of the start-up testing program. Had the 23 testing program, for instance, proceeded without delay, it is 24 quite possible they would have completed their start-up test 25

program and gotten to a point to where they could inert within 1 the six-month time period called out in 10 CFR Part 50.44. 2 However, since the plant has been shut down since 3 April and they have not completed their testing, they needed 4 the exemption from the regulation to permit them to continue 5 the start-up test program, without having to inert the containment, which would otherwise present them with 7 difficulties as far as getting people into and out of the 8 containment to observe status of equipment and so forth as 9 10 they were starting up. COMMISSIONER ASSELSTINE: Okay. But that will in 11 fact be done within six months, so at that point they will be 12 inerted from then on? 13 MR. ROBERT MARTIN: That's --14 MR. NOVAK: Well, what they had done --15 MR. ROBERT MARTIN: The limitation would be they 16 shall inert by the time they reach either 120 effective full 17 power days of core burnup, or by the time they reach the 100 18 percent thermal power trip test, which generally marks the end 19 of the start-up test program. 20 COMMISSIONER ASSELSTINE: Okay. You mentioned EQ 21 earlier, that the plant was basically in good shape on 22 environmental qualification. I know from one of the OPE memos 23 they have given us on one of the Board decisions, that there 24 was a question at least at one point in time about the 25

1 Limerick pressure temperature profile.

C

2	Has that now been and it seemed to me that that
3	was characterizing the environment for which the equipment
4	would have to be qualified. If they had had a lower base than
5	other plants did. Has that issue now been settled so that
6	MR. ROBERT MARTIN: That was an open SER review
7	issue at the time, and it has subsequently been closed out.
8	COMMISSIONER ASSELSTINE: Okay And I take the
9	Staff is satisfied with that lower profile?
10	MR. EOBERT MARTIN: We are
11	COMMISSIONER ASSELSTINE Okay
12	MR. ROBERT MARTIN: What we did, we there was a
13	lower profile in the Licensee's documentation, and what we did
14	was verify that all the equipment would satisfy the higher
15	profile in a Staff document, NUREG 0588, directed at the
16	environmental qualification.
17	COMMISSIONER ASSELSTINE: And the last other
18	question I had, other than a couple of emergency planning, had
19	to do with the PRA, and I noticed again I think it was in
20	an OPE memo that they had given us that there were a number
21	of changes that had been made to deal with the ATWS question,
22	and that in fact those changes had resulted in reducing the
23	frequency of ATWS sequence by a factor of 10. And I guess it
24	was more curiosity on why, to what extent we considered those
25	kinds of changes when we considered when the Staff

considered the ATWS rule, and why those weren't included in 1 the ATWS rule. 2 It's basically, I think, what, improvements in the 3 automatic depressurization system, and improving the 4 reliability of RHR. 5 MR. BERNERO: This is Bob Bernero of the Division of 6 Systems Integration and the NRR Staff. 7 Those things, I don't recall them being specifically R considered in a generic way during the ATWS rulemaking. We 9 considered automation of the standby liquid control system, 10 which is one feature that Limerick has, but not those things 11 as such in the ATWS rulemaking. 12 COMMISSIONER ASSELSTINE: In view of the fairly 13 dramatic improvements they had, maybe we ought to take a look 14 at some of those. 15 MR. THADANI: Ashok Thadani, Division of Safety 16 17 Technology. During the early discussion of ATWS proposed rule, 18 there were a number of alternatives considered. In fact, one 19 alternative was very close to what Limerick has implemented, 20 what we call 86 gallons per minute capability for automatic 21 actuation, in terms of poison. 22 We had an option which also considered much greater 23 capacity, which could have taken care of additional failures 24 as well. Various options -- we did a bunch of cost-benefit 25

1 studies as well

2	COMMISSIONER ASSELSTINE I remember those
3	MR. THADANI: There were a lot of arguments, I think
4	you might recall, in terms of what is the reliability of the
5	protection system. Considerable uncertainty was involved.
6	Even today people think that a number of Staff assessments
7	were overly conservative. Judgment was arrived at as a result
8	of a number of discussions that for plants which were
9	operating, the improvements in the reactor protection system,
10	as well as improved capability for injecting poison, 86
11	gallons per minute, was adequate
12	But in terms of Limerick, the initial design had
13	already incorporated the automatic actuation capability, plus
14	they have a three-train system, which in my judgment, and I
15	think the judgment of most of the Staff members, is that
16	improved safety significantly
17	COMMISSIONER ASSELSTINE: And yet they still went
18	beyond those and did these other things as well.
19	MR. THADANI: They went well beyond the ATWS rule,
20	and they went well beyond the next level of protection that we
21	considered
22	COMMISSIONER ASSELSTINE: That's right.
23	MR. THADANI: and they're pretty close to the
24	best system that we have analyzed.
25	COMMISSIONER ASSELSTINE: I find it very

interesting, what they've done, and commendable. 1 MR. THADANI: I think so. And in fact, that is just 2 one example. Tom Novak mentioned to you earlier that there 3 were a number of other areas where they have moved forward and 4 done a number of things. Very positive, I think. 5 COMMISSIONER ASSELSTINE: Okay. I had a couple of 6 quick questions on emergency planning that basically were 7 concerns that had been highlighted in I guess it was the 8 Second Partial Initial Decision by the Board, and I was just 9 wondering what follow-up had been done on those items. 10 The first one had to do with meeting the requirement 11 in NUREG 0654, planning standard J-5, that the Licensee has to 12 be able to account for all individuals on site within a 13 30-minute time period, including construction workers at Unit 14 15 2. Can you tell me what, if anything, has been done to 16 -- or did the exercise show that they can in fact do that? 17 [Commissioner Bernthal left the conference room.] 18 MR. COLLINS: There was an inspection report that 19 was put out August 2nd which documented the results of the 20 remedial exercise, where the Licensee went through the various 21 stages of declaration of an emergency, and demonstrated the 22 capability of evacuation and accountability of personnel. 23 I think for Unit 1 that was within 23 minutes. I'm 24 quoting off the top of my head. And they also demonstrated 25

1 the evacuation of Unit 2. And the inspection report shows 2 that that area was adequate.

3 COMMISSIONER ASSELSTINE: How about the emergency 4 hospital care, too, at Pottstown Memorial Medical Center? Did 5 the personnel get the training they need in handling 6 contaminated individuals? And did the exercise confirm that 7 as well?

8 MR. MATTHEWS: It is my understanding that the 9 Applicant will be able to directly respond to that, but it is 10 my understanding that all the training that they committed to 11 with regard to Pottstown Memorial has been completed.

12 Does the Applicant have any information?

13 MR. BOYER: That is correct.

COMMISSIONER ASSELSTINE: Okay. And how about the conflicting responsibilities question for the Goodwill Ambulance Unit? Did the exercise show that in fact they would

17 be able to carry out both their onsite and offsite

18 responsibilities?

19 MR. MATTHEWS: FEMA has reviewed that, and they have 20 concluded favorably with regard to the fact that there is no 21 conflicting problem existing.

COMMISSIONER ASSELSTINE: Good. How about -- there were a couple also from the Third Partial Initial Decision. One of those was this one-lift evacuation issue where you have to get all the school children out in one wave. Did the

1 exercise show that that requirement of Pennsylvania law would 2 be satisfied?

MR. MATTHEWS. It is my understanding that the plans 3 commit to that, and FEMA has reviewed it in the form of their 4 plan review and their observation of those portions that were 5 exercised, that that is a feasible plan for implementation. 6 COMMISSIONER ASSELSTINE: Okay. And have all of the 7 letters of agreement with bus drivers, schools, health care 8 facilities, reception centers, have those been completed? 9 MR. MATTHEWS: I will have to defer on that one to 10 our representative from FEMA, who is with us today, Robert 11 Wilkerson. 12 COMMISSIONER ASSELSTINE: I gathered at the time 13 that the Third Partial Initial Decision in the record was 14 closed, most of them had, but not all of them had. 15 MR. MATTHEWS: I could say in summary that the Staff 16 was aware of all those outstanding issues that OPE had 17 identified with regard to their review of the initial 18 decisions, insofar as they related to emergency preparedness, 19 and the Staff, FEMA, and Region I have gone over those in 20 detail and confirmed to their satisfaction that all of the 21 issues raised by OPE in that memo have been satisfactorily 22 addressed. 23 COMMISSIONER ASSELSTINE: OKay. 24 MR. MATTHEWS: Would you like to hear from FEMA on 25

1 that issue?

COMMISSIONER ASSELSTINE: Yes, on that one. 2 [Commissioner Bernthal reentered the conference 3 4 room J MR. WILKERSON: My name is Bob Wilkerson. I am with 5 FEMA . 6 With direct response to your question, Commissioner, 7 all those agreements have not gone through the legal 8 formalities of completion. Our regional staff has assured 0 through review and phone contact with all the parties involved 10 that there is a meeting of the minds, and it is simply the 11 matter of the signatures, and that the training has taken 12 place, has been provided, that there is adequate assurance 13 that were the need there, that the drivers would respond, 14 there is adequate resources, and there would be no problem. 15 COMMISSIONER ASSELSTINE: Good. So the school staff 16 and bus drivers basically, the training has been done? 17 MR. WILKERSON: The training has been provided and 18 it will be provided on a repetitive basis to provide refresher 19 20 training. COMMISSIONER ASSELSTINE: Okay. Thank you. That 21 22 covers the questions I had. COMMISSIONER ROBERTS: Any other questions? We are 23 already over time. Can we proceed? 24 COMMISSIONER BERNTHAL: The only comment I would 25

make is that I would hope that we would have some time to hear 1 from Ben about this problem that I raised earlier with the 2 security force people, and I would like to hear what the 3 Licensee has to say about the steps that they have taken. 4 COMMISSIONER ROBERTS: Well, we are going to hear 5 from the Licensee. 6 COMMISSIONER BERNTHAL: Are we planning to do that 7 today, or when are we going to address that issue? I thought 8 that we were going to --9 COMMISSIONER ROBERTS: It was my intention -- not 10 11 today. MR. EISENHUT: I think, if I am not mistaken, the 12 activity of OI is complete. 13 COMMISSIONER ROBERTS: Yes. 14 MR. EISENHUT: With respect to Limerick. 15 COMMISSIONER BERNTHAL: Oh, yes, I understand that. 16 COMMISSIONER ROBERTS: Well, let's not -- what 17 you're interested in is not germane to what we are about 18 today. 19 COMMISSIONER BERNTHAL: Well, let's hear what the 20 Licensee has to say before we decide whether it's germane, 21 because they're one of the licensees that has had a problem 22 23 there. COMMISSIONER ASSELSTINE: It may be separable, 24 though. I think it's separable. 25

COMMISSIONER BERNTHAL: It's separable, I agree. 1 The question is, should we let that slide for another month. 2 But let's go ahead. I'm finished with this. 3 COMMISSIONER ROBERTS: Any other questions? 4 COMMISSIONER ZECH: No, I don't have any other 5 questions. 6 COMMISSIONER ROBERTS: All right. We thank the 7 Staff and ask them to stand by. 8 The Commission has had a request from Phyllis 9 Zitzer, president of Limerick Ecology Action, to speak. We 10 are going to ask her to speak, but please limit her remarks to 11 five minutes. 12 MS. ZITZER: I want to thank you for this 13 opportunity to address the Commissioners today. 14 My name is Phyllis Zitzer. I am the president of 15 Limerick Ecology Action, which has participated in this 16 operating license proceeding as the lead intervenor. 17 We do not believe that the NRC should grant an 18 operating license for the Limerick Nuclear Power Plant. We 19 also believe that it would be irresponsible for you to 20 consider issuing a license for this facility today. 21 It has been recently disclosed that the FSAR for 22 Limerick does not contain a site-specific analysis of how 23 Limerick would respond if there was a loss of offsite power 24 during an accident at Limerick. 25
There was some information in our newspaper yesterday. I hope that you have been informed of this. I would assume you have been.

However, the quote that was in our paper yesterday from Mr. Kelly, the NRC senior resident inspector at Limerick indicated that it was his belief that before the NRC would vote, that the FSAR would be reviewed and rereviewed for any other errors, and that as of yesterday, according to him, this matter still was up in the air.

10 We strongly object to the consideration of licensing 11 this facility until and unless the FSAR has been properly 12 reviewed and revised to include the required analysis which we 13 believe must be provided to the parties in this proceeding 14 Also, as stated by this gentleman, this omission 15 raises serious concerns about the adequacy of the FSAR as 16 well, and any other possible omissions.

Ever since the 1979 coremelt accident at the Three Mile Island facility, which forced the NRC to abandon its naive faith that no serious nuclear accident could ever occur at a licensed facility, the Commission has reexamined the wisdom of siting large nuclear power plants in major metropolitan population centers.

The hindsight of wisdom, however, could not be applied to the Limerick facility under construction prior to 1974 and sited a mere 25 miles from one of the largest

1 metropolitan population centers in the United States -- the 2 city of Philadelphia.

Preliminary probabilistic risk assessment analyses perform i by the NRC following the destruction of the agency's confidence in its own certitude of nuclear reactor safety, identified three reactors in the United States as posing a risk substantially above average: Indian Point, Zion and Limerick.

G Limerick was identified as being one of the most hazardous reactors in the country. The Director of Nuclear Reactor Regulation, Harold Denton, testified in an Oversight hearing before the Subcommittee on Energy and the Environment hearing before the Subcommittee on Energy and the Environment of the Committee on Interior and Insular Affairs of the House of Representatives at a special hearing on nuclear siting and licensing on May 27th, 1980 in Bucks County, Pennsylvania.

At that time Mr. Denton said that given the siting standards now, that with a local population density greater than 500 people per square mile, the NRC would conduct a very expensive search for alternative sites.

The population density at Limerick was twice that in 1980. Obviously it is far too late to search for alternative sites in this situation. The only possible means to reduce the risk at Limerick was to examine design changes.

24 Mr. Denton also said that if the risk at Limerick 25 were found in fact to be greater than the average reactor,

1 that the NRC would consider design changes.

Since that time the risk at Limerick has not been 2 shown to be less than the average site, but in fact 3 substantially greater. 4 The statistics that were presented before the House 5 Interior Subcommittee on Oversight concerning reactor accident 6 consequences had shown that Limerick is among the worst in the 7 country. The worst accident scenarios for every nuclear power 8 plant in the country were presented before the committee. 9 With respect to early fatalities, Limerick was the third worst 10 in the country, with an estimated worst case scenario of 11 74,000 people dead. 12 It is interesting to note that with respect to early 13 fatalities, it is plain that the State of Pennsylvania is the 14 worst state in the country for nuclear reactor risks to its 15 citizens. The top 10 reactors with the risk for early 16 fatalities include Limerick, Peach Bottom, Three Mile Island 17 and Susquehanna. 18 In the entire country, four out of the top 10 19 highest nuclear risk reactors are located within Pennsylvania. 20 With respect to early injuries, Limerick 1 is the 21 worst in the country, with 610,000 projected early injuries in 22 a worst case scenario. 23 The next closest reactor to that had 340,000 early 24 injuries. 25

With respect to cancer deaths, Limerick is projected 1 to be the fifth highest in the country. 2 With respect to economic damages, Limerick was 3 projected to be the third worst in the country. 4 The recent site-specific risk assessment done by the 5 NRC for the Final Environmental Statement shows the risk of a 6 core accident at Limerick to be one in 1000 per reactor year. 7 Over a 40 year projected operating life, the chances are about 8 one in 25. If two reactors are completed and operated at 9 Limerick, we have about a one chance in 12 that there will be 10 a core damage accident at the Limerick site. The chances that 11 1000 people would die of latent cancer caused by an accident 12 at Limerick was estimated to be a little less than 1 in 25 13 over the projected 40-year life. 14 If two reactors are operated, there is about a one 15 chance in 12. 16 Limerick Ecology Action has attempted since the 17 beginning of this proceeding, which did begin in 1981, to 18 force the NRC to seriously consider design changes to the 19 20 plant. COMMISSIONER ROBERTS: Pardon me. You have exceeded 21 your five minutes. Could you quickly finish. 22 MS. ZITZER: Certainly. 23 Despite analysis done by the Commission's own 24 contractor showing that the cost effective risk reduction 25

1 measures could be made, including some potential design 2 changes which would eliminate almost 95 percent of Limerick's 3 severe accident latent cancer risk, the Commission has 4 consistently refused to consider those design changes in this 5 licensing proceeding.

6 We have appealed these matters as well as the Third 7 Partial Initial Decision to the Appeal Board, which has 8 refused to make a decision on our appeals.

At this time we are left with no choice but to prepare to pursue these appeals before the judicial courts and are prepared to file an appeal immediately once you act, if you do so today, to ensure that judicial review is obtained so that these issues can be reviewed by the Third Circuit Court of Appeals.

We respectfully request that any order authorizing 15 full power operations for Limerick therefore be made effective 16 no sooner than 14 days after your decision, for the purposes 17 of judicial review by the Third Circuit Court of Appeals. 18 We do not believe that the court would respond 19 favorably to your failure to allow a reasonable period of time 20 21 for judicial review. I want to thank you again for the opportunity to 22 23 speak.

24 COMMISSIONER ROBERTS: Thank you. And I would ask 25 does anyone have a question of Ms. Zitzer?

COMMISSIONER BERNTHAL: I guess I don't have any

2	particular question. I would like to for the record,
3	though, I think the Staff should respond to some of the PRA
4	numbers that we've had thrown at us here.
5	COMMISSIONER ROBERTS: All right, why don't we
6	COMMISSIONER BERNTHAL: It's useful, I think, to
7	place that in perspective for the public
8	COMMISSIONER ROBERTS: All right, why don't we hear
9	from the Licensee, and then we'll hear from the Staff, and let
10	Staff comment both on the matter you speak of and whatever the
11	Licensee may have to say.
12	COMMISSIONER ASSELSTINE: Right before you do that,
13	Tom, I don't have any questions, but just a couple of comments
14	on the loss of offsite power analysis. In essence what I hear
15	our Staff telling us is that the Licensee has now done its
16	review to show that they're within the bounds of the original
17	accident analysis, and they've made sure that this is an
18	isolated problem, that this wasn't something broader; and that
19	the Staff has looked at it enough to satisfy themselves that
20	in fact the Licensee 's right. Granted, the detailed written
21	explanation of their review hasn't been done, but it did seem
22	to me that from what the Staff was saying, they're satisfied
23	that the analysis now has been done and corrected to deal with
24	that problem.
25	And I guess I'm wondering whether you still had your

1 concerns about that item. I recognize the quotes that our 2 resident inspector had said, but it does seem now that more 3 has been within the past few days beyond what he reflected in 4 the statements that were in the newspaper.

5 MS. ZITZER: My belief is that it is such a 6 significant issue that we would want additional assurances, 7 and we would hope that the NRC would want those same written 8 assurances before it took any action that would result in the 9 authorization of full power operation.

COMMISSIONER ASSELSTINE: My second one is more 10 comment with regard to your concerns about siting large 11 nuclear plants in high population density areas. I'd have to 12 say I agree with that concern. My own view is that you're 13 right, that the potential consequences are substantially 14 higher. I don't know whether your numbers are the right ones 15 or not, but -- and I personally would favor taking a look over 16 the long term for additional measures that could be taken to 17 reduce that. 18

19 I would also have to say, though, that it does 20 appear that some of the things that the Licensee has done at 21 least move in that direction. They have in some areas gone 22 beyond what other plants have done, and I think in partial 23 recognition of the fact that they are in a high population 24 density area, and the potential consequences of a severe 25 accident are worse there than at other sites.

But I would agree with you, that more should be done for the high population density sites over the long term, and second, that we ought to insist upon a very high level of operational competence and demonstrated performance from the plants in the high population density areas. Because I would agree with you, they are different.

COMMISSIONER BERNTHAL: I would just comment, if I 7 may, that beyond agreeing that we ought to take a look at R these plants, we are in the process, this Commission has 9 promulgated a severe accident policy statement, and one key 10 element of that statement and the action that will come out of 11 it will be to do the kind of evaluations that need to be done, 12 and frankly this Licensee has begun to do already for this 13 plant. There will be further work along those lines 14 associated with the source term, latest source term data and 15 research work as it fits in with severe accident policy 16 17 statements.

18 So one of the Commission's objectives, and the thing 19 we are about to begin, is an evaluation of particular plant 20 designs and further confirmation, one hopes, of the safety 21 margins that we believe to exist in those plants.

So I want to compliment you on a cogent statement, but I also want to reassure you that some of the concerns that you have are being addressed, as Jim has suggested, by this Licensee and, I would also suggest, by actions that the

1 Commission has decided to take in the wake of its severe 2 accident policy considerations

COMMISSIONER ASSELSTINE: My colleague knows that we 3 have got some differences on whether we have gone far enough 4 on the severe accident policy statement or not, but I hope 5 he's right, that the detailed plant reviews such as the 6 efforts that have been undertaken so far by this Licensee --7 and hopefully that will continue -- I hope he's right, that 8 they will continue to search for ways to improve the level of 9 safety and reduce the risk of severe accidents and the kinds 10 of consequences that you describe. 11

MS. ZITZER: If I just might comment briefly. Our major concern stems from the fact that almost a year ago we appealed the Second Partial Initial Decision, and in that appeal have documented the design modifications we believe are cost effective for Limerick and we believe the evidence shows are cost effective.

We already believe that low power operation has made it much more difficult to even consider those, and certainly full power operation will make it more difficult, if not entirely most the whole discussion.

That is the reason we are moving immediately into the Third Circuit Court of Appeals, frankly to get some kind of a decision one way or another on the issues we have raised in our appeal of the Second Partial Initiation Decision.

And again, I would like to emphasize, we would 1 appreciate your consideration of any order authorizing full 2 power operation not being made immediately effective for a 3 reasonable period of time, so that the court could consider 4 those appeals. 5 And I thank you again. 6 COMMISSIONER ROBERTS: Thank you very much. Thank 7 you. 8 Now we will hear from the Licensee. It is my 9 understanding we have Mr. Everett and Mr. Boyer. Would you 10 gentlemen please join us. And I would ask you also to limit 11 your remarks to five minutes. Of course you will be 12 questioned by us. 13 MR. BOYER: Yes. Thank you. My name is Vincent 14 Boyer. I am Senior Vice President for Nuclear Power for 15 Philadelphia Electric. 16 From the earliest part of the design stages of 17 Limerick, we recognized the limitations of the site and our 18 plant design has incorporated features which reduce the 19 potential hazards to the public. 20 The management of Philadelphia Electric Company is 21 committed to safe operation. We have been leaders in the 22 development of quality assurance programs. We have been 23 leaders in the development of and the implementation at 24 Limerick of all the Appendix R fire protection programs and 25

the equipment qualification programs. We have not had any quality problems at Limerick due to the extensive quality assurance and quality control programs which we have initiated, both in our construction and in our operational areas.

With regard to the Chapter 15 error, I will note 6 that it was an isolated case. We have spent extensive 7 investigation in a multi-pronged effort to confirm that. The 8 analysis which was in the FSAR referred to a design which was 9 changed in 1974 to effect an improvement in the plant 10 performance, so that the analysis was a bounding one and was 11 conservative, so that it was on to safe side in the FSAR, 12 though it did not truly represent the actual design that 13 presently exists. This is being corrected by a change in the 14 FSAR . 15

16 The simulator was programmed correctly, and the 17 training which has been conducted has been based on the true 18 plant design.

In the area of low level waste, we have been finalizing the preparation for shipment of low level waste with Region I. We have installed a facility at Peach Bottom for five years storage of low level waste. This facility could be used, if necessary, at Limerick, and we have plans, potential plans in the future, if necessary, to construct a similar facility at Limerick. So we do have plans,

1 contingency plans for low level waste

2	With regard to the water situation, the matter
з	relating to Point Pleasant was argued on June 6 on an
4	expedited basis before the Commonwealth Court of
5	Pennsylvania. We are presently awaiting that decision.
6	In the meantime, we have obtained a docket change
7	from the Delaware River Basin Commission so that we can
8	withdraw water from the Schuylkill River when the flow is
9	adequate and the oxygen levels are adequate, and we are
10	monitoring the oxygen levels at six points in the river, six
1 Ì	times a day.
12	Tomorrow we will review the Delaware River Basin
13	Commission will review and hopefully approve the reallocation
14	of water from two existing plants for use at Limerick. They
15	considered this a week or two ago, and decided that they did
16	not want to prejudice the decision on the part of the Nuclear
17	Regulatory Commission, so they deferred action until after the
18	NRC had acted.
19	[Laughter.]
20	They agreed, however, to hold a hearing the next
21	day, which they are doing.
22	We have also submitted a request for the discharge
23	of water from an unused strip mine near Pottsville,
24	Pennsylvania, which contains 2 billion gallons of water of
25	reasonable quality. We have submitted our applications to the

DRBC and to the state for the discharge of this water which would satisfy our needs for over a five-month period. Thus, I think that we will not suffer any extensive limitations in our plant operation due to limited water. But, of course, we will in the meantime pray for rain. Laughter.]

7 With regard to --

8 COMMISSIONER ROBERTS: Mr. Boyer, I'm sorry, could 9 you summarize quickly.

MR. BOYER: Right. We have definitely gotten the attention of our security contractor. We have made extensive changes, both in the way that we monitor his operations and the way he conducts his operations, and I can assure you that we have effected improvements, and I think that this will be seen as you conduct a review, as the Staff conducts a review in its total operation in all projects.

17 With that I will pass to Mr. Everett.

MR. EVERETT: Gentlemen, I appreciate the 18 opportunity to be here also. This is not my first time in 19 these halls. It goes back to 1954 and '55 with Fermi 1, and 20 again with Peach Bottom 1 in the late '50s, early '60s, and 21 then with Peach Bottom 2 and 3, and now with Limerick. I am 22 quite used to being here, as a matter of fact. I don't come 23 as often as I used to, because others know more about these 24 plants than I do now. In fact, I think I predate most of you 25

in my activities in the nuclear industry.

It has been my responsibility to see that the 2 nuclear interests and nuclear functions of my company, 3 Philadelphia Electric, were properly developed. With the 4 completion of Limerick 1 and hopefully Limerick 2, 60 percent 5 of our electricity will come from nuclear power plants. 6 It has organized or reorganized our entire company 7 around the nuclear functions. We are completely a different 8 company today because of our nuclear involvement than we were 9 before we got into the nuclear generation business. 10 We are highly competent, we've developed a good team 11 of people, they're dedicated, they work together as a team, 12 and they work openly with this Commission and its Staff. Most 13 often we report errors or violations voluntarily before they 14 are detected obviously by the inspectors, and that's the way 15 we'd like to be. We not only want to operate this plant 16 safely and competently, but we want it to be viewed by this 17 Commission, its Staff, and therefore the public in that vein. 18 With respect to contractor personnel, I think every 19 generation of engineering managers has to learn that a 20 contractor is only as good as you make him be. And we found 21 that out in the case of Yoh. I can assure we do have his 22 attention, and he will be a good contractor, because he won't 23 do business unless he is. And therefore we have learned that 24 again painfully in this particular case, and I suppose we will 25

1 keep on learning it, but that is the nature of the contracting 2 business.

I have Graham Leitch here, the station 3 superintendent, to my left. He has trained a very competent staff. No one is perfect. I wish we could tell you we have 5 reached that degree of human perfection that would make us 6 different than anybody else, but obviously we can't. We are 7 going to continue to strive for it, and we are going to strive 8 to be the best in the business. 9 Gentlemen, I think we are ready for license. 10 COMMISSIONER ROBERTS: Thank you, sir. 11 Are there questions? 12 COMMISSIONER ASSELSTINE: Just one brief one, and 13 that would be, I'd be interested in your perceptions of both 14 your operating licensing program and your early experience 15 with that, and also the experience with the low power testing 16 program, and both the way you perceive that program and where 17 you think you are now, and what you have done to get 18 yourselves to that point, and all summarized in one minute. 19 MR. BOYER: It was an excellent program, and we did 20 not have any difficulties of any consequence arise as a result 21 of that. Now I would ask Graham to speak to the operator 22 examination and make any other comments he'd like to make. 23 MR. LEITCH: Just another comment on the low power 24 testing program, if I might. We feel that we very 25

successfully completed both the open vessel phase and the heat-up phase of the testing program. We were particularly gratified by our ability working with the NRC to develop procedures which allowed us to roll the turbine and indeed synchronize the turbine and run the turbine for a 24-hour period at very low loads.

7 So we feel that by so doing, we have expanded the 8 envelope of knowledge of the plant, perhaps greater than it 9 would normally be the case under a 5 percent license. We feel 10 very confident with the results of the low power testing 11 program.

We have recently conducted what we call our plateau review where we summarize and review the results of all those tests. That plateau review has been conducted and approved by the plant operations review committee, and we feel that we are ready to move ahead.

17 With regard to the operator licensing area, we were, 18 as you, somewhat disappointed with the results particularly of 19 the first examination. We had some people in that exam who 20 were senior licensed operators at Peach Bottom that wore 21 candidates for senior license at Limerick. We would have 22 expected those people to have no difficulty whatsoever. We 23 were surprised.

24 I think the exam was somewhat challenging. It was a 25 very difficult exam, and I think perhaps not directed so much

1 to the kind of knowledge that one might expect an operator to 2 have.

Nevertheless, those people went through the second exam and indeed did an outstanding job. I'm recalling scores now in the cases of some of the failures on the first exam, scores of in the high 90s. Just an outstanding job on the second exam.

8 So we would agree that there was a certain amount of 9 anomaly in tht first exam. We are continuing to prepare 10 people for senior licensing exams, and we plan to put up 11 another class of about 16 candidates for senior license, both 12 operator types and engineer types, in a November examination, 13 and we are very hopeful of a high rate of success on that 14 exam.

15 MR. EVERETT: With respect to the general observations over a long, long period of time, as far as 16 17 licensing, training, et cetera, we have seen a tremendous evolution, obviously. The Peach Bottom 1 construction permit 18 hearing took one day. The construction permit hearings for 19 Peach Bottom 2 and 3 took two days The construction permit 20 21 hearings for Limerick took four years, approximately. I don't 22 know what the next one will take, but I won't be around to pursue it. 23

24 We have seen that same evolution in the requirements 25 for operator training and operator testing. As more and more

emphasis is placed on personnel, obviously more and more is required of those people, and more is required to be demonstrated of their competence. And unless there is an understanding in the Licensee's own shop of what those new requirements are going to be, we simply are going to always be running to catch up with the increasing difficulty of the nature of the requirements.

8 We have seen the same thing in the plant design 9 Peach Bottom 2 and 3 cost \$375 per kilowatt, finished. 10 Limerick will cost over \$3700 a kilowatt. They were designed 11 by the same people, built by the same people, bought from the 12 same equipment manufacturer, and supervised by the same 13 utility. And the difference, you well know, was caused by 14 inflation and additional requirements.

15 How far that is going to go, nobody knows. But 16 that's where we are today.

17 COMMISSIONER ROBERTS: Thank you.

18 COMMISSIONER ZECH: Let me just make one quick 19 comment, if I may. I think you are to be commended for the 20 many initiatives you have taken that certainly have the 21 potential for increasing the safety of operations for your 22 plant.

You are an experienced utility, and in my view you chould be well above average in all respects, but frankly I was disappointed when I heard about the personnel errors, as

Mr. Boyer knows, you had initially. And I recognize that 1 moving from Peach Bottom to Limerick is a different plant and 2 so forth, but it seems to me that no matter what, the message 3 should be that continual vigilance and supervision is 4 necessary. And I think that even though you are experienced, 5 it seems to me that if I were you, I would be very watchful 6 and very mindful of the way things went, and I think certainly 7 there should be no complacency set in. ä. I think you should have an attitude of doing it 9 right and working hard at it, rather than accepting of the 10 personnel errors for some other --11 MR. BOYER: We have not accepted them. 12 COMMISSIONER ZECH: -- as things that just happen. 13 Because they don't happen. And my view is that management 14 should be involved in analyzing those errors and benefiting 15 from them, and lessons should be learned and so forth. 16 So even though you are experienced, I think you 17 should recognize that perhaps you can do an even better job 18 than you're doing. 19 MR. EVERETT: Our motto is going to be we'll never 20 21 rest until we're the best. COMMISSIONER ZECH: Good motto. But you have got to 22 follow through on it. 23 MR. EVERETT: Absolutely. And we intend to. 24 COMMISSIONER ZECH: Good. 25

COMMISSIONER ASSELSTINE: I would agree very much 1 with the comments that Commissioner Zech just made. I think 2 he's right on the mark. I think all of us, quite frankly, 3 were a little surprised at some of the problems that occurred. 4 MR. BOYER: I think it's partly due to the fact that 5 the operators hadn't been working with the tech specs for a 6 long period of time, and suddenly this whole bible of 7 documents and requirements is thrust on them. And it takes a a while to work into them and become familiar with them. 9 MR. EVERETT: Well, we won't make excuses. We'll 10 just make up for the failures of the past by the success of 11 the future. 12 COMMISSIONER ASSELSTINE: Good. 13 COMMISSIONER ROBERTS: Any further questions? 14 COMMISSIONER ASSELSTINE: No. 15 COMMISSIONER ZECH: No. 16 COMMISSIONER ROBERTS: Thank you, gentlemen. 17 MR. BOYER. I would like to thank the NRC Staff 18 Region, Washington and Bethesda, for their cooperation through 19 the whole entire construction and preoperational program. We 20 have worked well together. They've worked hard and our 21 engineers of Philadelphia Electric and operators of 22 Philadelphia Electric have worked extremely diligently and 23 hard, too. 24 COMMISSIONER ROBERTS: Thank you. Thank you. 25

Now why don't we have the Staff rejoin us. 1 Based upon what we have heard, do any of my brothers 2 have any questions of the Staff? 3 MR. EISENHUT: I would like to try to clarify the 4 question that was referred to us just a second ago, if I 5 could, just very briefly. And that is the question of the 6 Staff did require a PRA on this plant and an examination of 7 what additional features should be in the plant. We went . through that process over the last four or five years. 0 We concluded that the probability of coremelt in 10 this plant was orders of magnitude less than was referred to 11 earlier. The number of something like 1 in 30,000 sticks in 12 my mind. But it's that order of magnitude for the probability 13 of coremelt. 14 The probability of early fatalities, of course, is 15 even less. And those numbers were done without consideration 16 of any of the source term considerations. 17 18 Some of the numbers referred to were, I believe, referred back to the numbers of the worst case estimates that 19 were in our Final Environmental Statement. These issues have 20 been debated quite a bit. In fact, they were the subject or 21 some of them were the subject of the Second Partial Initial 22

91

23 Decision, and although the Commission completed its

24 Immediately Effectiveness Review, that issue still is pending 25 before the Appeal Board.

COMMISSIONER ASSELSTINE: That's right. 1 MR. EISENHUT: And because of that and the 2 complexity of the numbers, the Staff would prefer to respond 3 in writing to the Commission if you'd want to go into the 4 detailed numbers that were gone by here real quickly 5 One other thing, so we didn't leave the Commission 6 with the wrong impression --7 COMMISSIONER BERNTHAL: Darrell, I think, though, to 8 make clear what you're saying here, I gather from the number 9 you quoted, that the judgment of the Staff at this point is 10 that those numbers of 1 in 12 or 1 in 25, whatever they were, 11 coremelt probability for the life of the plant, are somewhere 12 between 10 and 100 times too high. Is that a fair statement? 13 MR. EISENHUT: I think that's correct. I think the 14 number that sticks in my mind, as I said, is something like 1 15 in 30,000, the chance of a coremelt per year. 16 COMMISSIONER BERNTHAL: Right. 17 MR. EISENHUT: As our best estimate. And, of 18 course, the early fatality number would be less than that. 19 COMMISSIONER BERNTHAL: Certainly. 20 COMMISSIONER ASSELSTINE: All this is still a matter 21 that's --22 MR. EISENHUT: It's a matter that is in adjudication 23 before the Appeal Board, and we would prefer to go back, since 24 all the numbers were -- and address them in writing. 25

COMMISSIONER BERNTHAL: But there is no changing the 1 fact that it is in a higher population density area, and one has to simply flatly recognize that. But the question is 3 whether the plant is adequately safe, and I take it it is your 4 judgment that the plant is adequately safe, given the 5 population density of that area. 6 MR. EISENHUT: That is correct. In fact, that is 7

why we went to the extra level of requiring a full PRA 8 evaluation, looking at additional design features that might 0 be in the plant, and there are additional features in the 10 plant to accommodate the situation. 11

COMMISSIONER ROBERTS: Go ahead. 12

19

MR. EISENHUT: The other issue I wanted to clarify 13 to make sure we didn't leave you with the wrong impression 14 related to the Yoh Security guards. The OI investigation on 15 Limerick has been completed. It was summarized in the status 16 memorandum to the Commissioners, dated August the 2nd. The 17 investigation did not disclose evidence that any of the 18 Philadelphia Electric personnel were involved.

The Yoh Security situation, with respect to the Yoh 20 Company, we felt was resolved on Limerick in that the 21 situation had been corrected. The overall situation, 22 therefore, on Limerick we feel satisfies our requirements 23 We are continuing the evaluation of the Yoh matter, 24 as discussed in Ben's August 2nd memorandum. 25

COMMISSIONER ROBERTS: Further questions? 1 COMMISSIONER ASSELSTINE NO 2 COMMISSIONER BERNTHAL: No. 3 COMMISSIONER ROBERTS: All right. You have heard 4 the Staff's presentation, the Licensee and Intervenor. 5 All in favor of allowing the Licensing Board's 6 Fourth Partial Initial Decision to become effective, thus 7 authorizing the issuance of a full power license for Limerick, 8 Unit 1, indicate by saying aye. 9 Aye. 10 COMMISSIONER ASSELSTINE Aye. 11 COMMISSIONER BERNTHAL: Aye. 12 COMMISSIONER ZECH: Aye. 13 COMMISSIONER ROBERTS: All opposed? 14 [No response] 15 COMMISSIONER ROBERTS: All in favor of issuing the 16 order which you have all seen proposed by the Office of 17 General Counsel, indicate by saying aye. 18 Aye. 19 COMMISSIONER ZECH: Aye. 20 COMMISSIONER BERNTHAL: Aye. 21 COMMISSIONER ROBERTS: Opposed? 22 COMMISSIONER ASSELSTINE: No. While I agree with 23 the conclusion of the order, I have some problems with the 24 substance of the order, and I will have just a couple of 25

1	sentences to stick in the order that just lays out the areas
2	where I have a few problems.
3	COMMISSIONER ROBERTS: Adjourned.
4	[Whereupon, at 12:35 p.m., the meeting was
5	adjourned. J
6	
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

1	CERTIF	CATE OF OFFICIAL REPORTER
2		야구 가지 않는 것이 가지 않는 것이 없는 것이 없는 것이 없다.
з		
4		
5	This is to a	certify that the attached proceedings
5	before the United Sta	tes Nuclear Regulatory Commission in the
7	matter of	
э		
9	Name of Proceeding:	Discussion/Possible Vote on Full Power Operating License
10		for Limerick
11	Docket No. :	
12	Place:	Washington, D.C.
13	Date:	August 8, 1985
14		
15	were held as herein ap	opears and that this is the original
16	transcript thereof for	r the file of the United States Nuclear
17	Regulatory Commission	
13		$a \bigcirc $.
19	(Signa (Typed	Name of Reporter) Ann Riley
20		
21		
22		
23	Ann Riley & Associate	s, Ltd.
24		
25		

8/8/85

SCHEDULING NOTES

TITLE:	DISCUSSION/POSSIBLE VOTE ON FULL POWER OPERATING LICENSE FOR LIMERICK
SCHEDULED:	10:30 A.M., THURSDAY, AUGUST 8, 1985 (OPEN)
DURATION:	1-1/2 HRS
SPEAKERS:	• NRC STAFF
	• PHYLLIS ZITZER, PRESIDENT (5 MIN) LIMERICK ECOLOGY ACTION

• J. L. EVERETT, CHAIRMAN OF THE BOARD AND CHIEF EXECUTIVE OFFICER

VINCENT BOYER, SENIOR VICE PRESIDENT FOR NUCLEAR POWER (PHILADELPHIA ELECTRIC COMPANY)



SLIDE 1

BRIEFING OUTLINE

- * LICENSEE/PLANT BACKGROUND
- * SELECTED ISSUES
- CONSTRUCTION OVERVIEW
- * LOW POWER LICENSE OVERVIEW
- * MANAGEMENT PERSPECTIVE
- INVESTIGATIONS
- * 2.206 PETITIONS
- * CONCLUSION

LICENSEE/PLANT BACKGROUND

- * LICENSEE PHILADELPHIA ELECTRIC COMPANY
 - SOLE OWNER AND OPERATOR OF LIMERICK GENERATING STATION
 - OPERATOR OF PEACH BOTTOM UNITS 2, 3 FOR OVER
 10 YEARS
- PLANT
 - GE, BWR/4, MARK II, 3293 MWT, 1092 MWE (GROSS) SIMILAR TO SUSQUEHANNA UNITS 1 AND 2
 - A/E AND CONSTRUCTOR BECHTEL

* SITE

- ABOVE AVERAGE SITE POPULATION FACTOR
- LOCATED ON SCHUYLKILL RIVER IN MONTGOMERY AND CHESTER COUNTIES, PENNSYLVANIA
- NEAREST TOWN POTTSTOWN (1.7 MILES, POPULATION 23,000)
- 21 MILES NORTHWEST OF PHILADELPHIA

SELECTED ISSUES

FSAR REVIEW

- FIRE PROTECTION
- ENVIRONMENTAL QUALIFICATION
- LOW-LEVEL WASTE STORAGE
- STAFFING
- * TECHNICAL SPECIFICATIONS
- * SEVERE ACCIDENT RISK ASSESSMENT
- * EMERGENCY PREPAREDNESS
- SUPPLEMENTARY COOLING WATER

SLIDE 4

EMERGENCY PREPAREDNESS

- * ON-SITE EP REVIEW COMPLETED
- FULL PARTICIPATION EXERCISE JULY 25, 1984
 SUPPLEMENTAL AND REMEDIAL EXERCISES NOVEMBER 20, 1984, MARCH 7, APRIL 10 AND 22, 1985
- FEMA REPORTS OF ADEQUATE PLANNING AND PREPAREDNESS ISSUED MAY 21 AND 30, 1985
- STAFF SER ON OFFSITE ISSUES JULY 1985
- ASLE PARTIAL INITIAL DECISIONS MAY 2, AND JULY 22, 1985
- STAFF SER ON EXEMPTION FOR FULL PARTICIPATION EMERGENCY EXERCISE - AUGUST 1985



REGIONAL EVALUATION

* CONSTRUCTION OVERVIEW

* LOW POWER LICENSE OVERVIEW

* MANAGEMENT PERSPECTIVE

SLIDE 7

CONSTRUCTION OVERVIEW

- CONSTRUCTION READINESS ASSESSMENT REPORT (10-25-84)
- QA SPECIAL ASSESSMENT OF THE QUALITY
 OF CONSTRUCTION (10-25-84)
- ALLEGATIONS NUMBER, NATURE, AND ANALYSIS
- * SALP RESULTS FOUR REPORTS ON CONSTRUCTION ACTIVITIES

SLIDE 8

LOW POWER LICENSE OVERVIEW

* PREOPERATIONAL AND STARTUP TEST PROGRAM

- PERFORMANCE OF TEST REVIEW BOARD
- TURBINE ROLL CONDUCTED SATISFACTORILY
- NO SIGNIFICANT HARDWARE PROBLEMS IDENTIFIED DURING TEST PROGRAMS

* ASSESSMENT OF OPERATIONS

- OPERATING STAFF
- INITIAL CONCERNS REGARDING PERSONNEL ERRORS

SLIDE 9
MANAGEMENT PERSPECTIVE

EFFECTIVENESS OF MANAGEMENT ATTENTION AND INVOLVEMENT TOWARD NUCLEAR SAFETY

- * LICENSEE STRENGTHS INCLUDE:
 - LIMERICK SITE STAFF
 - ENGINEERING STAFF
 - OVERSIGHT OF CONSTRUCTION CONTRACTORS
- * LICENSEE WEAKNESSES INCLUDE:
 - OVERSIGHT OF SERVICE CONTRACTORS

SLIDE 10

SALP SUMMARY

	12/1/82 TO	12/1/83 TO	
FUNCTIONAL AREA	11/30/83	11/30/84	TREND
1. CONSTRUCTION ACTIVITIES	1*	t	CONSISTENT
2. PREOPERATIONAL AND STARTUP TESTING	2	2	IMPROVING
3. OPERATIONAL	2	2	IMPROVING
READINESS AND PLANT OPERATIONS			
4. RADIOLOGICAL CONTROLS	NOT ASSESSED	2	IMPROVING
5. FIRE PROTECTION/ HOUSEKEEPING	NOT ASSESSED	1	IMPROVING
8. EMERGENCY PREPAREDNESS	NOT ASSESSED	2	IMPROVING
7. SECURITY AND SAFEGUARDS	NOT ASSESSED	2	IMPROVING
8. LICENSING	1	1	CONSISTENT

* EXCEPT 2 IN INSTRUMENTATION AND CONTROL AND IN ENGINEERING/DESIGN CONTROL

SLIDE 11

CONCLUSION

STAFF CONCLUDES THE LICENSEE MEETS ALL THE REQUIREMENTS FOR ISSUANCE OF A FULL POWER LICENSE

TRANSMITTAL TO:	Document Control Desk,	016 Phillips			
ADVANCED COPY TO:	The Public Document Rox	om			
FROM:	SECY OPS BRANCH	BRANCH CS		C: OPS File	
Attached are copies of a Co document(s). They are bein and placement in the Public or required. Existing DCS documents wherever known. Meeting Title: <u>Mar/H</u>	ommission meeting transcrip ng forwarded for entry on to c Document Room. No other identification numbers are <u>M. Unte</u> on F	ot(s) and relat the Daily Acces distribution i e listed on the full Pau	ed meeting sion List s requested individual	_	
Meeting Date: 8/8/	185 Open)	< Closed		-	
Item Description:	Copies Advanced To PDR	(1 of Original * Document	DCS Copies f each checke May be Dup*	d) Duplic Copy*	
1. TRANSCRIPT When checked, DCS s copy of this transc LPDR for:	should send a cript to the	* 1 * *	-		
2		*			
3.		*		-	
4		· · · ·	—		
(PDR is advanced one copy of	or each document,	* * *Verify if	in DCS, and		