

ACRST-1634

ORIGINAL

UNITED STATES NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:

DOCKET NO:

333 ACRS GENERAL MEETING

LOCATION: WASHINGTON DC

PAGES: 151 - 191

DATE: JANUARY 7, 1988

ACRS OFFICE COPY

Do Not Remove from ACRS Office

Heritage Reporting Corporation

Official Reporters
1220 L Street, N.W.
Washington, D.C. 20005
(202) 628-4888

8801140063 880107
PDR ACRS
T-1634

DCD

1 MR. MARSH: My name is Tad Marsh. I'm in the Me-
2 chanical Engineering Branch. And this is Ted Sullivan, also
3 in the Mechanical Engineering Branch. We gave a presentation
4 to the Subcommittee on Reactor Operations two days ago con-
5 cerning in-service testing of pumps and valves on safety-
6 related pumps and equipment--pumps and valves.

7 And the purpose of that presentation was to give
8 a status of the IST programs and to give an assessment of the
9 problems that we see. I'll be summarizing the presentation
10 that we gave two days ago.

11 The basic purpose of the in-service testing of
12 pumps and valves is to assess the operational readiness of
13 the safety-related pumps and valves.

14 You may or may not know that IST programs are re-
15 quired by the regulations, 10 CFR 50.55A and they are also re-
16 quired in technical specifications and they have as the root
17 the ASME Code Section XI.

18 MR. EBERSOLE: Tad, can you mention when they were
19 invoked as a requirement as contrast to the ISI program?

20 MR. MARSH: Sure. The ASME code, Section XI, was
21 modified in approximately 1974/75 time frame to include in-
22 service testing. And if you are familiar with the Section
23 XI of the code, the vast majority of Section XI deals with
24 in-service inspection to the order of hundreds of pages.
25 Whereas in-service testing of pumps and valves is on the

1 order of tens of pages. There's quite a comparison in terms
2 of volume and also in terms of substance.

3 After the reorganization in April of last year,
4 new management came to NRR and there was an increased empha-
5 sis on in-service testing. We conducted a number of surveys
6 of operating plants and of the current state of in-service
7 testing.

8 We tried to put into five discrete categories the
9 problems that we face. And it's not totally possible. You'll
10 see a lot of overlap, but it does give you some idea the
11 types of problems that exist in these programs.

12 There are a number of technical problems associated
13 with in-service testing. There are inadequate and deficient
14 testing requirements in the code itself.

15 For example, the code requires that MOVs and other
16 power-operated valves be stroke time tested. And we know
17 that for motor-operated valves, -- torques, stroke time test-
18 ing is not a good diagnostic tool for assessing the health
19 of an MOV. It only tells you whether the valve went from
20 one state to another state within a time. It doesn't say
21 what's going on within the valves. It doesn't say whether
22 it's capable of doing its job.

23 DR. SHEWMON: Now, if you know the valve is clos-
24 ing, that tells you something about what's going on, doesn't
25 it?

1 MR. MARSH: Certainly, certainly. It certainly
2 does. I'm not saying that stroke time testing is zero. But
3 in terms of what you'd like to know about the valves, stroke
4 time testing is a small parameter. The parameter is that it
5 does in fact move. And that's not meaningless, it's some-
6 thing to know. But there's many more things that you need
7 to know about a valve other than it moves.

8 Another problem in the ASME code is pump testing.
9 Pump testing is basically done by vibration amplitude and by
10 testing some hydraulic parameters. Not by any means a full
11 spectrum of pump curve, but only at a discrete point.

12 We know that vibration--the state-of-the-art vi-
13 bration testing of rotated machinery is to take velocity
14 profiles on the shaft itself and do spectral analysis and
15 trend the spectral analysis, first and second harmonics.

16 The ASME code only requires at this point, however,
17 displacement and that's on the bearing housing. It's not
18 even on the shaft itself.

19 What I'm trying to give you is a flavor for some
20 of the inadequacies of the code. And there are many and
21 although the code very recently has been starting to improve--
22 and I say starting to by working on the latest standards
23 OM-6 and 10. There are still many inadequacies in that docu-
24 ment itself.

25 DR. KERR: How do you decide what it is that you

1 need to know about pumps and valves if the ASME code is in-
2 adequate?

3 MR. MARSH: We rely on the code and the code re-
4 quirements to tell us the health of the valves and this is
5 a basic reliance that started ten or twelve years ago, and
6 as our knowledge and as the deficiencies became evident in
7 testing requirements by the code--for example, it only re-
8 quires stroke time testing for, example, pump testing.

9 There's an increased state of knowledge that it's
10 deficient. We try to work with the code to get it to im-
11 prove, but--

12 DR. KERR: I guess I didn't word my question very
13 well. Given that the code is inadequate, how do you decide
14 what is adequate?

15 MR. MARSH: Okay. There are many things that we
16 know we want now compared to what the code currently tells
17 you. It comes about by looking at data. It comes about by
18 looking at the very problems that have occurred. I don't
19 mean to say that we know exactly what it ought to have in it.
20 But we know that there are many inadequacies in the code
21 itself.

22 I'm not sure I've answered your question.

23 DR. KERR: I'm not sure you've answered in a way
24 that is understandable to me. It may make complete sense to
25 people who know a lot about pumps.

1 MR. MARSH: Ask me another way. The flavor that
2 we are trying to give you--

3 DR. KERR: I'm willing to concede that the code
4 is inadequate, but you are looking for something to replace
5 it I assume.

6 MR. MARSH: Yes.

7 DR. KERR: How do you know what should be used to
8 replace it?

9 MR. MARSH: Well, we know there are deficiencies
10 in certain areas of the code, and we know that we need to
11 improve certain areas of the code. And those areas we can
12 work on. Beyond that, we have to wait for experience to
13 show us how else the code is inadequate. I can only tell
14 you the known areas of inadequacy as opposed to the unknown
15 areas.

16 MR. EBERSOLE: Bill, I can relate this to one of
17 your favorite topics which is ATWS. Remember we uncovered
18 the absence of margins of force in ATWS. It's a bistable
19 function. There's no measurement of margins of function to
20 operate under duress or wear or whatever. And this is not
21 known when it goes from red to green. Whether you barely
22 made it or not or whether you had an excess of function to
23 overcome bad grease, bad settings or packings or whatever.
24 The movats system has gone a long way.

25 MR. MARSH: Movats is much better.

1 MR. EBERSOLE: But there are other matters.

2 MR. MARSH: There are other things that are still
3 deficient other than movats itself.

4 I think the best way to answer your question is
5 given the code requirements, the code is promulgated, the
6 utilities are members of the code. The NRC endorses the
7 code. The utilities then take the code and say, "I'm going
8 to make a program out of it." Then programs are developed
9 and submitted to the NRC for review and approval.

10 We look at those programs and we see that there
11 are things that are not right. Inspectors that inspect the
12 plant see that there are things that are not right. So
13 there are a host of problem areas and the implementation of
14 the code requirements. And we try to work on those to make
15 them healthy, to make them better.

16 DR. KERR: From what you've told me up to now,
17 one can, as an individual inspector, decide that we wanted
18 to not get some information out of the code requirements and
19 maybe another individual inspector will decide he wanted
20 something different. What I'm trying to determine is whether
21 the NRC staff as an organized body could write a set of re-
22 quirements which if it were in the code would satisfy the
23 testing that provide the information that you think
24 you need.

25 MR. MARSH: We are headed down that path. We are

1 not there yet. We are getting various organizations to assist
2 us in doing that, in getting the code or getting the code
3 plus our own requirements to tell us what we want. For ex-
4 ample, we don't have confidence in the frequencies that equip-
5 ment is tested. For example, pumps are tested on a quarterly
6 basis unless they cannot be, in which case they may have to
7 be tested on refueling guidance basis.

8 We don't know whether that's the right frequency
9 for pumps. There may be some pumps that need to be tested
10 more frequently and some less frequently. We don't know.

11 DR. KERR: Do you have in mind a way of finding
12 out what the right frequency should be?

13 MR. MARSH: We've started down the path. And one
14 thing to start at is at least with the data. Let's find out
15 what these pumps are actually doing. Let's target a certain
16 type of pump. Let's look at what its operational experience
17 has been in the industry. Find out what its failure rate
18 is. Based on its failure rate, look at the appropriate fre-
19 quency to test it.

20 Right now the code says test all pumps on a quar-
21 terly frequency unless you cannot because of operational
22 problems. In which case you are allowed to do it on either
23 a fueling outage or some other frequency. The code made a
24 blanket assumption that it was right to test pumps on this
25 frequency. We know that that is not an appropriate assumption.

1 Some pumps are operated continually. Some pumps need to be
2 tested more frequently because of their failure modes. For
3 example, the--

4 DR. KERR: That's enough. Thank you. I'm holding
5 you up.

6 MR. MARSH: Part of the problem is jumping into
7 a presentation in the middle. If we went through a long
8 presentation and described the background here--and I'm
9 skirting through the background. I'm jumping right to the
10 problem areas as we see them. And it's going to be a little
11 disjointed for you.

12 DR. KERR: I'll listen for awhile.

13 MR. MARSH: Okay.

14 Given that the code has inadequate and deficient
15 testing requirements, one thing that could have been done is
16 for the staff to issue supplemental guidance on what it
17 wants so that in addition to the code, the code plus the
18 staff guidance would then result in an acceptable testing
19 frequencies, acceptable testing parameters, what you want.

20 Also the staff--the staff didn't do that. The
21 staff could have said, "This is what we want in IST programs
22 programmatically. This is what we want the format to be.
23 This is how we want to handle the relief requests. This is
24 what we want in terms of program revisions." The staff
25 didn't do that.

1 The code--if you are familiar with the code,
2 Section XII is divided down into a group of subsections. One
3 of the subsections is IWA. And IWA says "You will have cer-
4 tified inspectors." Now, the IST is in Section IWV and IWP.
5 And so because it's all under Section XI, IWA, IWV and IWP,
6 it implies that there are certified inspectors for the IST
7 area. There are no certified inspectors. There's no train-
8 ing program. There's no level of certification. There's no
9 uniform way of ensuring that the people that are doing the
10 testing and are signing it are in fact up to the same level.
11 It's all done based on experience. Operational experience
12 and training is done at the plant without their being a
13 uniform industrywide way of testing pumps and valves.

14 Those are some of the technical problems. And
15 there are more.

16 DR. SHEWMON: When you say certified inspection
17 procedures, you have implicit in that knowing what it is
18 you want to test for also.

19 MR. MARSH: Wait. I didn't say procedures. Cer-
20 tified inspectors. These are inspectors.

21 DR. SHEWMON: Well, part of my problem though is
22 you don't know what a certified inspector is until you know
23 what you want him to be able to look for.

24 MR. MARSH: Well, we know that we want the in-
25 spectors to look at pumps. We know the code way of looking

1 at pumps. The code may or may not be deficient, but there
2 at least isn't that. The code doesn't even say what these
3 things may not be the right parameters to look at, but we
4 are going to require a uniform way of looking at these para-
5 meters. It doesn't do that.

6 We know that there are a whole spectrum of ways
7 of looking at MOVs. You can look at them in movats. You
8 can look at them in stroke time testing. The code doesn't
9 recognize the various ways and say, from an inspector's
10 standpoint, an ANI, an authorized nuclear inspector, "This is
11 the way we want you to look at valves." It doesn't do that.

12 The code spends a lot of effort and a lot of
13 training of manpower, time frame, on giving levels of certi-
14 fication for an ISI inspector. He wears a patch. It's a
15 matter of pride. There is no equivalent level.

16 Another perspective here is this is the active
17 mitigation equipment we are talking about. This is accident
18 mitigation equipment. This is the stuff that you need given
19 if the passive equipment fails on you. The pipes fail on
20 you.

21 The code spends a vast majority--but let me-- I'm
22 sure everybody else got that same point. Section XI has this
23 much stuff on it, on the passive equipment. And levels of
24 certification of the inspectors on the passive equipment and
25 it spends that much time and energy on the active equipment.

1 DR. SHEWMON: Part of what they could do is sort
2 of take that from the ASNT, whereas I suspect you haven't
3 got a professional group whose stuff you can have them write
4 in.

5 MR. MARSH: That's true.

6 In addition to the technical inadequacies of the
7 code and the lack of staff guidance in implementing the code,
8 there are other problems in IST program. For example, there
9 are legal problems. 10 CFR 50.55A is inconsistent with the
10 technical specifications. The technical specifications say
11 "You should not implement any relief requests at the plant
12 until they have gotten explicit written approval from the
13 NRC staff." It's a tech spec requirement in about 90 percent
14 of the plants. There is no wording like that in the regula-
15 tion. That's not to say that--you can go beyond the regula-
16 tion in writing the technical specification. But there is
17 that first level of inconsistency.

18 The regulation doesn't imply written relief prior
19 to. In fact, it implies the opposite. The regulation implies
20 that you are supposed to have your relief request submitted
21 within twelve months of entering the program without saying
22 anything about explicit written relief.

23 MR. EBERSOLE: Tad, I just got today a copy of the
24 interim policy statement on maintenance of nuclear power
25 plants.

1 MR. MARSH: Right.

2 MR. EBERSOLE: Are you moving--isn't this under
3 the cloud or whatever, that covered that general topic?

4 MR. MARSH: Very definitely. We've had input into
5 the maintenance policy statement and we've got some things
6 in there that will improve it. This is all the area of
7 maintenance. And there are industry incentives to try and
8 improve IST from the standpoint of maintenance, from the
9 standpoint of plant life extension and other ongoing generic
10 industrywide activities. But the industry is not there yet.

11 If you read what INPO said in the attachment to
12 that letter. INPO sent a big document that was attached to
13 the Commission paper. It talked about what they are doing.
14 And there is precious little stuff there on IST. I don't
15 think IST is even mentioned in what INPO is trying to do.

16 So there really isn't--there's a discontinuity in
17 a level of consciousness difference in what we want.

18 The regulation itself is not a clear document. It
19 is self contradictory. If you try to read it you'll see that
20 it was not written for IST. It was written for ISI. IST
21 was an afterthought. It was added in parenthetically almost.

22 And the technical specification--we've already
23 talked about that problem. It requires staff approval prior
24 to implementing relief requests and the reality of this
25 situation is that because of the vast backlog in IST programs,

1 and that means about 70 or 80 percent of the plants do not
2 have approved programs, plants have to implement relief
3 requests without their being approved by the NRC staff.

4 MR. EBERSOLE: Well, those programs are, even in
5 their deficient condition as represented by the present
6 codes, it's difficult to even get that much done.

7 MR. MARSH: That's right.

8 DR. SHEWMON: Mr. Ebersole, I'm sorry. I can't
9 hear you.

10 MR. EBERSOLE: I say he's talking about it being
11 difficult to get the little that is required already, which
12 is insufficient. He's already having trouble meeting an in-
13 adequate code compliance in Section XI.

14 MR. MARSH: There are administrative difficulties
15 in the way we do in-service testing and the way the industry
16 does in-service testing as well. Because of this legal
17 difficulty, we have had to on many occasions issue interim
18 relief, and that means that if a plant happens to have an
19 inspector, a resident inspector, that's particularly con-
20 scious of this technical specification, he may say, "You get
21 written approval from the NRC that this tech spec has been
22 met or that your relief requests are all right." And in fact
23 because of the backlog and you are not being done looking at
24 the entire program, you issue interim relief until you are
25 done looking at the program. And this is the mode we fell

1 into about four or five years ago and it's a pill. It's
2 a bad way of doing business because it perpetuates the pro-
3 blem. It means that I'm going to get over this little hump
4 and in fact many cases the interim relief is either expired
5 or it was not issued at all. There is a spectrum of that
6 type of problem in the utilities right now. There are many
7 plants that have no interim relief from the NRC. For those
8 that don't have safety evaluations, I'd say about half don't
9 have interim relief and a half do have some sort of interim
10 relief which may or may not be valid. Because again, the
11 current state of affairs, the utility can spend its time and
12 its effort writing an IST program. It can submit the IST
13 program because of the past lack of a management emphasis
14 here. The Agency can take years to review that program.
15 Then the utility is left with having to make changes in
16 plants. Having to make testing modifications and they will
17 have to change the program, so implement a new program with-
18 out that even being submitted in some cases.

19 DR. KERR: But somewhere in the organization there
20 must be a feeling that this is a fairly low priority activity
21 if what you are saying is true.

22 MR. MARSH: It was and it has changed now. It has
23 a significantly increased consciousness. And it's because
24 of the management in the regions who are much more conscious
25 of the problem that have come to NRR and said, "This has got

1 to be fixed. This has got to be changed. This whole situa-
2 tion."

3 MR. MICHELSON: I thought it was the valve situa-
4 tion that really turned this on.

5 MR. MARSH: The PIV problem, pressure isolation
6 valve problem. The MOV problem. The check valve problem.

7 MR. MICHELSON: The valve problem in general is
8 what I meant of course. But I think that's what finally
9 turned it around. When they suddenly had a rash of--they
10 developed a very good understanding all of a sudden of how
11 bad off their testing was to valves.

12 MR. MARSH: I am going to go quickly through here.

13 You can get a feeling for the administrative pro-
14 blems being aware there are 107 plants and there are many
15 programs and many revisions, all of which have come and
16 have many relief requests in them that have to be tracked,
17 reviewed and approved.

18 There are resource problems associated with that.
19 The problems are not easy problems. There are things that
20 you have to think carefully about. Review the systems.
21 Review the safety analyses. So there's that part of the
22 problem.

23 We have a large contract with EG&G, a group of
24 very expert people who review the programs for us and with
25 us.

1 DR. KERR: Is this contract to help you eliminate
2 that backlog of requests for interim relief or something or
3 other?

4 MR. MARSH: Yes, it's two parts. The major part
5 of the contract is reviewing programs, getting rid of the
6 backlog and also keeping up. Once you review one, there's
7 going to be another one coming in the door for this plant.
8 So it's to review that, and it's also to write guidance.
9 It's also to take the technical positions that have been
10 developed, to articulate them, to give a bases for them so
11 that we can go on.

12 One source of the problem has been--you ask the
13 ASME code, what is the basis for this requirement? Why do
14 you apply testing on this frequency? Why do you require
15 testing in this way? There is no basis. There is nothing
16 there. You can't find out why, technically why it was done
17 in this way.

18 So when you have to entertain relief requests,
19 you don't know where to turn. You have to use recent judge-
20 ments and you do not know the bases for the original.

21 DR. KERR: Does EG&G know where to turn?

22 MR. MARSH: EG&G knows the basic--the technical
23 logic that they use, that has been developed informally ad
24 hoc to assess programs and relief requests. But that's a
25 starting point. They can write that down and articulate.

1 That's never been done. But that's a starting point. We
2 may not know the bases originally for the ASME code require-
3 ments. But at least we know where we are now as a starting
4 point.

5 And you can understand there's the enforcement
6 problem associated with technical specifications and the
7 lack of SERs. The SER is relied upon explicitly in the
8 technical instruction for the inspector. That's what they
9 use for their inspections. And if there's not a safety
10 evaluation done, they have nowhere to turn to use as the
11 basis for inspection.

12 MR. WYLIE: Let me ask a question. Under "Admini-
13 stration" in the first bullet up there, interim relief ex-
14 pired. That's "or nonexistent" is it not?

15 MR. MARSH: Yes.

16 MR. WYLIE: From your knowledge of what exists in
17 the industry, how would you say that the percentage of relief
18 requests compare to those that don't exist? They just
19 simply go ahead and do it.

20 MR. MARSH: I would say--Ted, can you help with
21 that? In terms of a fraction?

22 MR. SULLIVAN: I would say at one time or another
23 about 40 percent of the plants have received these interim
24 approvals. But many of them have not been made current and
25 by that I mean that once a utility sends in another revised

1 program, the interim approval that was given before is really
2 out of date with respect to those items that were changed.

3 MR. WYLIE: Does that imply then that 60 percent
4 of the plants are illegal?

5 MR. SULLIVAN: I would put the number lower than
6 that, because remember we have a certain percentage somewhere
7 in the neighborhood of 25 to 30 percent that do have SERs.
8 Now, about half of those SERs are out of date. In that some
9 additional relief requests have been submitted. So it's
10 really quite a mixed bag. You could say that at some plants,
11 some of the relief requests are legal and others are not.

12 MR. WYLIE: I sort of get the feeling in listening
13 to all of this that we've got a large number of plants out
14 there that are just ignoring the tech specs.

15 MR. MARSH: I do want to say that the situation
16 has been developed jointly by the industry and by the NRC.
17 The NRC is deficient in not having gotten the programs and
18 the relief requests done.

19 MR. WYLIE: Oh, I understand.

20 MR. SULLIVAN: Oh, I understand there is fault on
21 both sides. Because the situation is what it is and it's so
22 voluminous that you haven't been able to handle them and
23 we got into this situation.

24 MR. MARSH: And, you know, legally speaking, the
25 resident inspector and the regional staff are allowed to use

1 discretionary enforcement. So although the technical spe-
2 cification may say X, we are allowed to deviate from X if
3 the regional administrator says that's acceptable. If it
4 is evaluated in that way. So although there is clearly a
5 problem that way, I don't want to say that--in some plant
6 levels it may have been explicitly evaluated and thought to
7 be all right.

8 MR. EBERSOLE: Tad, I would like to make a comment
9 about the safety implications of what you are talking about
10 which I think is a major issue for us. I think it's this.
11 The plants run on everyday and they make megawatts and they
12 look like they are running pretty good.

13 And the PRA boys happily work with the statistics
14 of valve and pump operation that they see unfolding from
15 normal operations. Yet we have no real knowledge of how the
16 pumps and valves will perform if they are met with a duress
17 situation of emergency flows and pump requirements and so
18 forth. In short, we don't know whether they will rise up and
19 meet the safety challenge.

20 MR. MARSH: We have some assurance. We don't have
21 the assurance that the IST program ought to be giving them.

22 MR. EBERSOLE: Yes.

23 MR. MARSH: In my opinion the IST programs are
24 not giving what they were intended to give.

25 Let me go on. After trying to first understand

1 all of the problems that there are, and I don't want to imply
2 that we do understand all of them. Everytime we sit down
3 and collectively go through IST programs with experts and
4 with the industry with the ASME code, more problems come to
5 our knowledge.

6 There are a number of policy procedure changes that
7 we are considering. And in another session, in a closed
8 session with the subcommittee we did talk more explicitly
9 about where we are on these proposals. There are some of
10 these that are further along in terms of internal concurrence
11 and internal management decision making than just the forma-
12 tive stages, so this is just a list of potential policy
13 procedure changes, some of which are further along than
14 others.

15 Because of the deficiencies in the O&M and in the
16 section--O&M is Operations and Maintenance subgroup of the
17 Section XI. Because of the deficiencies on Section XI IWV
18 and IWP, and the lethargy of development of codes and
19 standards in IST and there is that, there are administrative
20 problems within the code itself in trying to get things
21 to move along, and the fact of the matter is the code hasn't
22 changed in the IWV/IWP area since s development. There
23 have been minor changes, but nothing substantive at all.
24 Because of that lethargy, one question that we are consider-
25 ing is should the NRC continue to rely on that code-making

1 MR. MARSH: Process? Or should we develop our own
2 code for pumps and valves, ISP standards which may be based on IMB, IWP
3 supplemented by our own technical guidance documents.

4 DR. KERR: Do you think the NRC is capable of doing this?

5 MR. MARSH: I do, I certainly do. I do because I'm
6 very familiar with the requirements in the code itself. I am
7 familiar with OM-6 and OM-10 and I am familiar with the deficiencies
8 there and I think I am familiar with the expertise that
9 that is available both here and at the contractors and I certainly
10 do. I think we have--I think we're capable of that and
11 I think we are very capable of doing that.

12 What do you mean?

13 DR. KERR: Well, the ASME code development, actually
14 I believe code development and other kinds of developments are
15 rather complicated processes and they involve expertise on the
16 part of the corporations and individuals, I assume. I didn't
17 realize that sort of expertise was available within NRC, but
18 it may be. I was just curious if you were capable of developing
19 standards superior to the ASME code.

20 I don't doubt that, but I didn't realize it.

21 MR. MARSH: Please understand, it's not very difficult
22 to go beyond the code requirements right now. It does
23 not take a great deal of expertise to build upon what--upon
24 what's there.

25 DR. KERR: I thought you had told me earlier that

1 you really weren't quite sure of what the requirements should
2 be, you were on the road to getting there, but you didn't know
3 what they should be.

4 MR. MARSH: We don't--how can I answer that? We
5 know what is wrong with the code, we know what we want today.
6 Other things may be developed further down stream.

7 DR. KERR: Okay.

8 DR. SHEWMON: If you did this, would these go out
9 for public comments or would we staff the branch technical
10 position, which is now unreviewed and becomes law by default
11 or--

12 MR. MARSH: One thing that is being considered
13 is to change the regulations, MTR-50-55-A, to explicitly
14 endorse the latest code version, which is not IWB and IWP,
15 but OM-6 and OM-10, which is better than IWB, it is better. It
16 still has deficiencies in it. We would supplement OM-6 and
17 OM-10 by our own technical guidance and requirements along with
18 some explicit guidance on how to implement the code require-
19 ments. That would be in the form of regulatory guide or some
20 other regulatory document and yes, that would have to go out
21 for rule making, it would have to go out for public comment.

22 DR. KERR: But not the regulatory guide?

23 MR. MICHELSON: But not the regulatory guide?

24 MR. MARSH: The reg guide would go out for comment
25 too.

1 MR. MICHELSON: But not for rule making. There's no
2 approval process. It can be issued immediately for that matter.

3 MR. MARSH: True. If you reference it directly in
4 the rule, and one thought is to do just that and then we would
5 send that out for public comment too because we really do want
6 comment on that type of process. It would not be done in the
7 dark.

8 MR. EBERSOLE: I wish the full committee in hearing
9 this would be listening to what should the full committee do
10 to endorse this, whichever way we go because I think this is
11 a collaborative situation.

12 MR. MARSH: It's clearly that and we do need your
13 comments and your thoughts and your feed back on this approach.

14 MR. EBERSOLE: At this time, you're not looking for
15 any letter but you're going to be looking for one in due time?

16 MR. MARSH: We'll be talking with your as things go
17 on. We will need your feed back then as we need it now.

18 What I tried to leave you with today more than any-
19 thing else is a feeling of the problem rather than of a feel-
20 ing of the way we're going to go.

21 DR. KERR: Is that list up there intended to give
22 us a feeling for the problem?

23 MR. MARSH: I'm sorry.

24 DR. KERR: Is the list up there intended to give us
25 a feeling for the problem?

1 MR. MARSH: The previous slide is intended to give
2 you a feeling for the problem, the five problem areas as we
3 saw them, the technical, legal, administrative, resources
4 and the enforcement, those are the areas of concern.

5 DR. KERR: It would appear to me that you would want
6 and could expect to get, meaningful advice from the ACRS only
7 on the technical part. The others are important, but I don't
8 think the ACRS has any particular expertise in this though.

9 MR. MARSH: I agree.

10 DR. KERR: Okay.

11 MR. MARSH: I agree, but if there is rule making in-
12 volved.

13 DR. KERR: So technical, there's inadequate testing
14 requirements. Is there general agreement among the ACRS that
15 this is a valid statement?

16 MR. WYLIE: I think so.

17 MR. MICHELSON: I think so.

18 MR. EBERSOLE: Want to take a vote? We can take a
19 vote. I'll vote yes.

20 MR. EBERSOLE: I'll vote yes.

21 MR. MICHELSON: Very valid.

22 MR. WYLIE: I think the code is out of date.

23 MR. MICHELSON: Totally out of date.

24 MR. EBERSOLE: It's antique

25 MR. MICHELSON: It's ridiculous.

1 DR. KERR: It sounds to me as if you're getting almost
2 a 100 percent endorsement for those 3 positions.

3 MR. MICHELSON: The Code Committee's are well aware
4 of how poor this is. They haven't gotten the where with all
5 to make the changes and there are a few obstructionists out
6 there.

7 MR. MARSH: There is also the administrative problem
8 in the code itself. There was Section 11, Section 11 was
9 charged with the responsibility of pumps and valves. Section
10 11 gave that responsibility to another group, O&M, Operations
11 and Maintenance, so O&M thought they had the responsibility
12 for the pumps and valves testing department. They developed
13 their own standards. That Section 11 says well, let's take a
14 look at it. So now we end up with this problem, back and
15 forth between Section 11 and O&M. Who has the responsibility
16 for pumps and valves?

17 And if you know, code committees meet plurally and
18 if you're locked in, going from one group to another group
19 to another group, there really is--

20 MR. WYLIE: Again I would think this is a problem
21 in which the ACRS can't provide much help. I don't see how
22 we can.

23 MR. MICHELSON: I think we can.

24 MR. WYLIE: I think we can tell you that we agree
25 that new requirements are needed and--

1 MR. MARSH: There's more--there's more here than
2 just the technical too.

3 DR. KERR: I agree.

4 MR. WYLIE: I am trying to separate that part of
5 the problem with which ACRS can provide assistance and that
6 part with which it can't. Maybe I'm wrong.

7 I think the complexity of the situation and the fact
8 they are unable to cope with all these interim requests has
9 got the situation to where the plants weren't even built in
10 some cases to be able to conduct the tests.

11 MR. MARSH: That's true.

12 MR. WYLIE: They've got into the situation and they
13 need a procedure and I think that's what he's leading up to.

14 MR. MARSH: A new method.

15 MR. WYLIE: A new method of handling these things
16 that will be more efficient for both the utility and the
17 NRC.

18 DR. KERR: As I said, maybe I'm wrong, I see all of
19 these as serious problems. I'm trying to pick out those to
20 which the ACRS can address itself and provide some assistance.

21 MR. WYLIE: I sort of see it on the basis that
22 you've got a bunch of plants out there that are in violation
23 of their tech specs because they got into this situation.
24 It's an unsafe situation--

25 DR. KERR: The mere fact that they are in violation

1 of the tech specs doesn't mean to me that they're unsafe.

2 MR. MICHELSON: It does in this case.

3 DR. KERR: You can't conduct the tests.

4 MR. MARSH: There is a problem--

5 DR. KERR: Mr. Steindler is trying to get a word
6 in.

7 MR. EBERSOLE: Just because he's polite.

8 DR. STEINDLER: Are there enough data available
9 to put a rational code together?

10 MR. MARSH: My opinion is yes.

11 DR. STEINDLER: Are there statistically valid testing
12 procedures based on information that exists either in the
13 literature or in experience?

14 MR. MARSH: I believe there is. The reason I
15 believe there is, we know several things. We know strobe
16 testing of MOVs doesn't afford you the kind of assurance that
17 you need. There are other diagnostic tools available to look
18 at MOVs and that's state of the art.

19 MR. MICHELSON: And that's where the argument starts.
20 There are ways to do it, but they're not easy and they're not
21 cheap.

22 DR. STEINDLER: I'm familiar with--valves and pumps
23 are not my forte'. I am familiar with the testing standards
24 for other kinds of equipment and the generation of rationalized
25 data that leads you to reliable standards so that you can

1 determine the relationship between the testing procedure and
2 the subsequent, presumed improved performances. That's a very
3 long and time consuming proposition, especially in diverse
4 services and diverse designs that you might have here.

5 So my question--that's the basis of my question.
6 I think that's available

7 MR. MARSH: I think that's available.

8 DR. STEINDLER: But I think we have how many hun-
9 dreds--thousands of reactor years of experience including
10 valve performance, pump performance do we have?

11 I'm looking, not for the performance, but the
12 relationship between testing and the diagnostics that you
13 get out of that and the subsequent performance.

14 DR. KERR: Mr. Moeller wants to get in at least two
15 words.

16 DR. MOELLER: I need some help because I have just
17 finished reading, this morning, the Commission's interim
18 policy statement on maintenance and it says that it is the
19 objective of this Commission that all nuclear power plants
20 shall be maintained in perfect working order, particularly any
21 safety related components and so forth.

22 Now is testing part of maintenance? If testing is
23 part of maintenance or if you test in order to tell if this
24 pump or valve needs some maintenance, then we're in a heap of
25 trouble because the first sentence up there said that inade-

1 quate and deficient testing requirements exist in ASME code
2 and then you're going to correct that, but you're confident
3 then you can correct all of this in time to implement this
4 interim policy statement on maintenance?

5 MR. MARSH: The interim policy statement, it's the
6 statement that says you should go out and you should be assured
7 that you have got programs and procedures in place to make
8 sure--

9 DR. MOELLER: Yes and you want every utility to have
10 written procedures for the maintenance of every safety related
11 component or piece of equipment. How are you going to do that
12 if they don't know how to test them in order to tell whether
13 they are performing adequately, either before or after the
14 maintenance?

15 MR. MICHELSON: They do know how to test through
16 many of the tests, particularly on valves, but they are not
17 simple, they are not--they're expensive, they're complex, they
18 don't want to set up the--they don't want to close certain
19 valves and pump sections of pipes so they can do reasonable tests.

20 MR. MARSH: I'm not going to take those valve prob-
21 lems, I'm not going to take them.

22 MR. MOELLER: This then is intertwined with the
23 policy statement on maintenance?

24 MR. MICHELSON: Absolutely.

25 MR. MARSH: We had input into it and--please look

1 at the attachment to it, the Commission paper, where they talk
2 about--where they test the INPO letter.

3 MR. MICHELSON: One of the big problems, Dade, is
4 after you do the maintenance how do you know the equipment is
5 now going to do what it is supposed to originally--

6 DR. MOELLER: Right.

7 MR. MICHELSON: It is supposed to originally--

8 DR. MOELLER: Correct. That's what I'm saying.

9 DR. KERR: Does that answer your question, Mr.
10 Moeller?

11 DR. MOELLER: I think so.

12 MR. MARSH: I want to give you a specific example.
13 In the Davis Vessey event, they had difficulty re-opening the
14 containment isolation valve in the off speed water system.
15 Three weeks before that--a month before that, the inspector
16 witnessed an in service test on that valve, strobe time tested
17 it. He wrote it up in his inspection report.

18 Strobe time testing is not going to make sure that
19 valve opens against the differential pressure, however, be-
20 cause it meets the code requirements, it's basically a closed
21 item.

22 Have you seen the statement that he made? And that
23 was the very valve that did not open during the event. It's
24 a deficiency in IST, it is truth.

25 MR. MICHELSON: Just like we believe that on after

1 water clean up, if we ever bust one of those non safety grade
2 pipes out there, that those two valves would close, but there
3 is no test to prove it, no periodic test to prove it, nothing
4 to prove it. It's our faith that if you do a nominal load
5 test, it's also a full load test.

6 DR. KERR: Please continue, Mr. Marsh.

7 MR. MARSH: A possible menu of things that can be
8 done and as I said some are further along in process.

9 You can read, should we continue to rely on the
10 codes to develop its own status for in service testing?
11 Should you require prior written approval on these requests?
12 To what extent should updates to the latest code wording be
13 required? Given that the code, in its position stated,
14 has not even progressed, should we continue to require ten
15 year updates to a code that hasn't progressed. To what
16 extent should the interim release be utilized?

17 I'm going through these quickly. The important ones
18 here are this one, the first bullet, should we continue to rely
19 on the codes. Should the updates be required? Should the
20 NRC in service testing methods be more inspection oriented
21 thus the program relief would be oriented.

22 One thing we're thinking seriously about doing is
23 re-formatting--revamping the IST process after better techni-
24 cal guidance is developed on how to do testing, how to evaluate
25 when you can't meet the requirements. Whether they're reviewing

1 a lot of programs to make sure what's in the plant level is
2 being done properly. In other words, turning it from an office
3 review to a plant review. Should licensees be allowed--this
4 is another important one too.

5 We find there is a very big spectrum of quality and
6 knowledge of IST across the industry. There are big utilities
7 some of which have devoted a lot of resources and a lot of
8 money developing good technology for testing equipment. It
9 goes beyond the code requirements, it clearly does, but they do
10 it.

11 Those other small utilities that don't have that
12 capital investment, can't put that dollar investment into it,
13 that symposium and a regional counterpart could give informa-
14 tion across the industry, something that could mutually be
15 beneficial for all. It would also help us in developing new
16 requirements.

17 There are some short terms changes that we are
18 thinking about doing and that is generic letters and other
19 processes to try and get control of the more immediate prob-
20 lems, that is the technical specification problems and the
21 licensees being able to change the programs without any know-
22 ledge of the NRC at all, without any concurrence.

23 MR. MICHELSON: Well, one of the bullets that is not
24 there that is fundamental to this business and that is, should
25 we allow nominal load testing where full load testing is

1 called for.

2 MR. MARSH: Right.

3 MR. MICHELSON: The code does not require full load
4 testing. You can take whatever point you want to do your
5 test, nominal load, intermediate load, full load, whatever,
6 but it is basically impractical to put full differential
7 pressure on or to put full flow the devise and why don't we
8 test them under the worst condition that we could practically
9 apply.

10 MR. MARSH: That's the question of the adequacy of
11 the of the testing procedures.

12 MR. MICHELSON: It's inadequacy of the code really.
13 The code simply doesn't require it--

14 MR. MARSH: Right.

15 MR. MICHELSON: --so they don't do it.

16 MR. MARSH: Nor do we.

17 MR. EBERSOLE: Let me give an example here. Carl
18 just used the reactor clean up valve as a case in point
19 where there is some jeopardy. I'm going to use an ancient
20 model some 20 years old which is the HPSI 10 inch main steam
21 supply line and the ancient old problem where this interfaces
22 with the machinery room of 3 units at Browns Ferry.

23 Here again, we don't know whether these valves are
24 shut or not and we know if we have a pipe breach and they don't
25 close, very likely we will lose all 3 units.

1 Now I get back down to who is responsible for this
2 state of affairs. We push it on the industry. The industry
3 says, oh, I've complied with the regulations and it comes up
4 and it floats around and everybody points at everybody. Whose
5 baby is it?

6 MR. MARSH: I'm not sure it's important to say who
7 is responsible but--

8 MR. EBERSOLE: I know, but somebody has got to say
9 who referred it to me, I'm going to fix it.

10 MR. MARSH: The in service testing is inadequate.

11 MR. EBERSOLE: I'm saying ability to fix is based
12 primarily on the party who is the who.

13 DR. KERR: if those people who have been responsible
14 for nuclear design at TVA, when the plants were built, had
15 been in on the fall, this situation would not exist.

16 MR. EBERSOLE: It's universal. That was one of the
17 reasons I ain't there.

18 DR. MARK: There was a rather spectacular situation,
19 which I think bears on this at San Onofre about a year ago.

20 MR. MICHELSON: Yep.

21 DR. MARK: Has anything happened since then that
22 removes the rather frightening thing that was discovered there?

23 MR. MARSH: You're talking about the check valve
24 incident?

25 DR. MARK: The check valve--

1 MR. MARSH: I don't want to say that things have
2 gotten much better but after the check valve phase at San
3 Onofre, there was an INPO SOER, I'm sure you're aware of that.
4 INPO developed some guidelines for testing and inspecting
5 check valves and systems, all types of systems, in that SOER.

6 In fact, there is a commission paper that is being
7 developed now to address what we have found out since that
8 SOER was developed and is supposedly implemented at plants.
9 We have done some inspections.

10 DR. MARK: So there is an example where there
11 probably has been or is in the course of becoming some improve-
12 ment.

13 MR. MARSH: Some improvement, but there is much more
14 to be done.

15 MR. MICHELSON: Was there any improvement?

16 MR. MARK: In some plants, yes, in some plants, no.
17 Plants that were inspected were Millstone, St. Lucie, Trojan,
18 Zion. Of those 5, there was some that had done pretty well
19 in implementing the SOER requirements.

20 MR. MICHELSON: Many of the valves involved in that
21 event aren't even required to be under this program.

22 MR. MARSH: That's true.

23 MR. MICHELSON: They simply aren't even in it and
24 were not deemed safety related.

25 MR. MARSH: And in that--

1 DR. MARK: It always struck me that it was something
2 about which something should happen.

3 MR. MICHELSON: But so far, they're still outside
4 the program unless Philly decides to stick them in their pro-
5 gram as a--

6 DR. SHEWMON: When you say, "outside the program,"
7 you don't mean outside Tad's program but outside--

8 MR. MICHELSON: It's outside Tad's program.

9 MR. MARSH: Some of these valves may be outside
10 our program.

11 DR. KERR: I'm convinced that things are in lousy
12 shape at the present time. What I am interested in is what do
13 we do to correct them.

14 MR. MARSH: Okay. We're working on that. I don't
15 have all the answers, but we have some things under way.

16 DR. KERR: What can ACRS do to be helpful to you?

17 MR. MARSH: I think I need your feedback. Probably
18 now, at this point in the process, it's too early in the pro-
19 cess. When we talk commission paper and rule change and
20 things of those sort, making sure you're abreast of it and
21 that I keep you informed of what's going on.

22 We are talking to the code extensively. We are in-
23 volved at the O&M in its Section 11. We carry this message
24 that we're very concerned about in service testing and they're
25 carrying that message up to their management team. We're also

1 working through research making sure they carry the message
2 to the highest levels of the industry, and the code as well.

3 DR. SHEWMON: If I kept quiet, would you add INPO
4 to that or not?

5 MR. MARSH: Yes, sir. INPO was at the O&M meeting,
6 NEWMARK was there, EPRI was there and we through basically the
7 same presentation that I have gone through here today, but in
8 more detail, and I said, this is an overlapping concern. In
9 that meeting we had service testing people, we had plant
10 life extension people, we had INPO with check valve problems.
11 We had NEWMARK on industry oversight issues.

12 There is a tremendous opportunity for the industry
13 to form a group, in some collective way, to address these prob-
14 lems and to address the policy statement the commission is
15 concerned with on maintenance. This is a window of opportunity,
16 if you will.

17 MR. EBERSOLE: Even now, couldn't you stick a little
18 life in the glacial response of the code writing groups by
19 saying if you don't move before x date, we will have moved.

20 MR. MARSH: That's exactly what we're going to do.

21 MR. EBERSOLE: When are you going to tell them that.

22 MR. MARSH: We're not giving them dates at this
23 point because that is not right yet internally. When we have
24 considered this to the extent that we're going to make that
25 statement. What I mean by that is that when we get the

1 management concurrence that says, yes, this is the way we
2 want to go, in other words when it becomes public, then we
3 can say that.

4 Al Orlotto who is on the Board of Nuclear Codes and
5 Standards can say and is saying now that the NRC is very con-
6 cerned about Section 11, IST testing. There are things that
7 are being considered like taking it away from you, like not
8 endorsing it, like doing our own and if you want a standing
9 endorsement for developing business, get hot.

10 MR. MICHELSON: There isn't any disagreement, is
11 there, on the technical issues? The disagreement, I think,
12 is coming on how to accomplish it.

13 MR. MARSH: The best way to go forward.

14 MR. MICHELSON: I think everybody that I have talked
15 to on this issue seems to have no problem with the needing
16 correction. But how to go about, there is quite a difference
17 in opinion there.

18 MR. MARSH: Even the Code Committee, even the people
19 that are responsible for writing OM-6 and 10, the working
20 group, they completely agree.

21 MR. EBERSOLE: That's why I was asking, who bears
22 the brunt, the point responsibility for this state of affairs.

23 DR. KERR: I detect so much harmony in this group,
24 that I am not sure we're getting anywhere.

25 DR. SHEWMON: Will there be a letter at this meeting?

1 DR. KERR: No.

2 MR. MICHELSON: No.

3 DR. KERR: What I heard was that he didn't want a
4 letter until he got to some point where he could say this is
5 what we plan to do, what do you think. Did I misunderstand
6 you?

7 MR. MARSH: No. A letter of endorsement would be
8 fine. A letter of endorsement saying--

9 DR. KERR: What are we endorsing, that the ASME
10 code is in lousy shape?

11 MR. MICHELSON: I don't think we should endorse
12 anything because you haven't proposed anything yet.

13 MR. MARSH: I think a letter is probably premature
14 at th is point. We want to keep you aware of the problem and
15 where things are and as we get to the proposal stage, the
16 generic letter, the commission papers, the plans and the
17 endorsement of those specific approaches, we could present
18 it at that time, would be better.

19 DR. KERR: Okay.

20 MR. MARSH: There are things the industry can do
21 and obviously improve the code, over which a group could be
22 formed, they were never formed, but it's not too late to do
23 that. NEWMARK, a high profile group could be involved.

24 One thing we noticed, when we go to these utilities
25 that have spectral plants, we say let's talk to your IST

1 coordinator, let's find out where you are in separation.
2 The first thing they do, they say, you mean ISI. We say no,
3 we mean IST. IST, you mean maintenance. All right, let's
4 talk to your maintenance coordinator.

5 They get together with us and we have several times,
6 IST people from the plant, and this is the first time they
7 have gotten together. There is no corporate coordination
8 for the utilities to have more than one plant and that's
9 not a good state of affairs. There is much to be gained
10 from a plan, from a corporation standpoint. Making their
11 programs uniform in developing one position. It hasn't got
12 to that point. And then can, of course, improve their pro-
13 grams and submittals in timeliness.

14 We find a lot of leveraging in trying to respond
15 to what we are trying to do.

16 Conclusions, I think are obvious. We have already
17 talked about them. It's going to take some time, that's the
18 main thing, to improve this situation.

19 MR. EBERSOLE: Are your own resources satisfactory
20 to you with respect to this, the rapidity with which you will
21 get into this thing?

22 MR. MARSH: Right now I have adequate people at the
23 NRC. I have a Section, Ted Sullivan is the Section Leader.
24 He had a complete section which is more than the NRC has ever
25 had for IST. But, I have a special assistance problem.

1 The contract, that I referred to earlier has just
2 been cut because of Gramm - Rudman and succeeding things, so
3 I am not sure how that is going to do at this point.

4 One of the keys in this thing is developing technical
5 guidance, that is what do we want and if my contract assistance
6 is cut to the quick where I can't do that, that hurts, that
7 hurts. How quickly I can get it done as well as the quality
8 of what I get done. Thank you.

9 MR. MICHELSON: One other comment. One of the things
10 I thought the committee might want to do is when we talk to
11 NEWMARK we ought to solicit their views on this particular
12 problem. I think we're going to talk to them tomorrow.

13 DR. KERR: Will you take it upon yourself to make
14 sure that we do?

15 MR. MICHELSON: Yes, I will. We obviously don't
16 have any position ourselves, but I think we ought to find out
17 what they are doing and how they are proceeding and if they
18 have any ideas. I am sure they are well aware of the problem
19 and so that would be about the only thing that might help a
20 little bit at the moment is to bug them a little on it.

21 DR. KERR: Next item.

22 (Whereupon, at 4:00 p.m., the committee concluded
23 this portion of the presentation.)
24
25

REPORTER'S CERTIFICATE

DOCKET NUMBER:

CASE TITLE: 333rd ACRS Meeting

HEARING DATE: January 7, 1988 (3:00 to 4:00 p.m.)

LOCATION: Washington, D. C.

I hereby certify that the proceedings and evidence herein are contained and accurately on the tapes and notes reported by me at the hearing in the above case before Nuclear Regulatory Commission, ACRS and that this is a true and correct transcript of the case.

Date:

Lawrence J. Coffey

Official Reporter
ACME REPORTING COMPANY, INC.
1220 L Street, N. W.
Washington, D. C. 20005

INSERVICE TESTING

OBJECTIVE - TO ASSESS OPERATIONAL READINESS OF SAFETY
RELATED PUMPS AND VALVES.

PROBLEM AREAS

TECHNICAL

- ° INADEQUATE/DEFICIENT TESTING REQUIREMENTS IN ASME
CODE
- ° NO STAFF OR ASME GUIDANCE EXISTS ON CODE
IMPLEMENTATION
- ° NO CERTIFIED INSPECTORS

LEGAL

- ° 10 CFR 50.55A INCONSISTENT WITH TECH SPECS
- ° POORLY WORDED 10 CFR 50.55A (SELF-CONTRADICTIONARY)
- ° TS 4.0.5 REQUIRES STAFF APPROVAL PRIOR TO IMPLEMENTING
RELIEF REQUESTS

ADMINISTRATIVE

- ° INTERIM RELIEF EXPIRED ON NONEXISTENT
- ° LARGE VOLUME OR PROGRAMS/REVISIONS/RELIEF
REQUESTS
- ° LICENSEES IMPLEMENT NEW PROGRAM REVISIONS W/O
NRC APPROVAL OR PRIOR NOTIFICATION

RESOURCES

- ° COMPLEX PROBLEMS/RESOURCE INTENSIVE
- ° LARGE CONTRACT - EG&G, 7 PEOPLE, \$800K

ENFORCEMENT

- ° TECHNICAL SPECIFICATION PROBLEM
- ° LACK OF SERs HAMPERS INSPECTION EFFECTIVENESS

NRC POLICY/PROCEDURE CHANGES BEING CONSIDERED

- SHOULD NRC RELY ON SECTION XI/O&M TO DEVELOP PUMP AND VALVE IST STANDARDS?
- SHOULD NRC REQUIRE PRIOR WRITTEN APPROVAL OF RELIEF REQUESTS?
- TO WHAT EXTENT SHOULD UPDATES TO A LATER CODE VERSION BE REQUIRED?
- TO WHAT EXTENT SHOULD "INTERIM RELIEF" BE UTILIZED?
- SHOULD THE "EXIGENCY" POLICY BE UTILIZED IN HANDLING EMERGENCY RELIEF REQUESTS?
- SHOULD NRC IST EFFORTS BE MORE INSPECTION ORIENTED AND LESS PROGRAM AND RELIEF REQUEST REVIEW ORIENTED?
- SHOULD IST PROGRAMS BE REVIEWED BY NRR IN DETAIL?
- SHOULD LICENSEES BE ALLOWED TO MODIFY/IMPLEMENT IST PROGRAM REVISIONS WITHOUT NRC REVIEW?
- SHOULD NRC HOLD REGIONAL AND INDUSTRY IST SYMPOSIUMS? STRUCTURE?
- HOW SHOULD NRC PROCEED WITH IST CHANGES? RULE CHANGES? GENERIC LETTER? REGULATORY GUIDE? NUREG? SCHEDULES?

POSSIBLE INDUSTRY ACTIONS

- ° IMPROVE ASME CODE ON IST TO INCLUDE MORE MEANINGFUL TESTING WITH TECHNICALLY DEFENSIBLE FREQUENCIES.
- ° FORM OWNERS GROUP TO ADDRESS GENERIC PROBLEMS WITH IST.
- ° WORKING WITH NUMARC OR OTHER HIGH PROFILE INDUSTRY GROUPS TO INCREASE AWARENESS OF IST PROBLEMS AND COMMITMENTS TO IMPROVE.
- ° BETTER CORPORATE COORDINATION OF IST PROGRAMS WITHIN THE UTILITY.
- ° IMPROVED IST PROGRAMS, SUBMITTALS, AND TIMELINESS.

CONCLUSIONS

- ° CURRENT PROBLEMS WITH IST ARE DIVERSE, RESOURCE INTENSIVE AND ARE A RESULT OF PAST LACK OF INDUSTRY AND NRC COMMITMENT.
- ° MANY OF THE NEEDED IST IMPROVEMENTS ARE SIGNIFICANT AND WILL REQUIRE TIME, CONTINUED NRC MANAGEMENT SUPPORT AND INDUSTRY COOPERATION.