

**UNITED STATES  
NUCLEAR REGULATORY COMMISSION**

IN THE MATTER OF:

Advisory Committee on Reactor Safeguards

334th General Meeting

Date: February 12, 1988

Pages: 1 through 229

Place: Washington, D.C.

ACRS OFFICE COPY

Do Not Remove from ACRS Office

01  
**HERITAGE REPORTING CORPORATION**

*Official Reporters*

1220 L Street, N.W., Suite 600

Washington, D.C. 20005

(202) 628-4888

1 PUBLIC NOTICE BY THE  
2 UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
3 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS  
4  
5  
6

7 The contents of this stenographic transcript of the  
8 proceedings of the United States Nuclear Regulatory  
9 Commission's Advisory Committee on Reactor Safeguards (ACRS),  
10 as reported herein, is an uncorrected record of the discussions  
11 recorded at the meeting held on the above date.

12 No member of the ACRS Staff and no participant at  
13 this meeting accepts any responsibility for errors or  
14 inaccuracies of statement or data contained in this transcript.  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



## 1 UNITED STATES NUCLEAR REGULATORY COMMISSION

## 2 ATOMIC SAFETY AND LICENSING BOARD PANEL

3  
4 In the Matter of: )

5 )

6 )

7 334th GENERAL MEETING )

8 )

9 Friday,  
10 February 12, 198811 Room 1046  
12 1717 H Street, N. W.  
Washington, D. C. 2055513 The above-entitled matter came on for hearing,  
14 pursuant to notice, at 8:30 a.m.15 BEFORE: DR. WILLIAM KERR  
Chairman  
16 Professor of Nuclear Engineering  
Director, Office of Energy Research  
17 University of Michigan  
Ann Arbor, Michigan18 ACRS MEMBERS PRESENT:19 DR. FORREST J. REMICK  
Vice-Chairman  
20 Associate Vice-President for Research  
Professor of Nuclear Engineering  
21 The Pennsylvania State University  
University Park, Pennsylvania22 MR. JESSE C. EBERSOLE  
23 Retired Head Nuclear Engineer  
Division of Engineering Design  
24 Tennessee Valley Authority  
Knoxville, Tennessee  
25

ACRS MEMBERS PRESENT (CONTINUED):

DR. HAROLD W. LEWIS  
Professor of Physics  
Department of Physics  
University of California  
Santa Barbara, California

MR. CARLYLE MICHELSON  
Retired Principal Nuclear Engineer  
Tennessee Valley Authority  
Knoxville, Tennessee, and  
Retired Director, Office for Analysis and  
Evaluation of Operational Data  
U. S. Nuclear Regulatory Commission  
Washington, D. C.

DR. DADE W. MOELLER  
Professor of Engineering in  
Environmental Health  
Associate Dean for Continuing Education  
School of Public Health  
Harvard University  
Boston, Massachusetts

DR. PAUL G. SHEWMON  
Professor, Metallurgical Engineering Department  
Ohio State University  
Columbus, Ohio

DR. CHESTER P. SIESS  
Professor Emeritus of Civil Engineering  
University of Illinois  
Urbana, Illinois

DR. MARTIN J. STEINDLER  
Director, Chemical Technology Division  
Argonne National Laboratory  
Argonne, Illinois

MR. DAVID A. WARD  
Research Manager on Special Assignment  
E. I. du Pont de Nemours & Company  
Savannah River Laboratory  
Aiken, South Carolina

ACRS MEMBERS PRESENT (CONTINUED):

MR. CHARLES J. WYLIE  
Retired Chief Engineer  
Electrical Division  
Duke Power Company  
Charlotte, North Carolina

ACRS COGNIZANT STAFF MEMBER:

Raymond Fraley, Executive Director  
  
Thomas G. McCreless, Assistant Executive  
Director

NRC STAFF PRESENTERS:

Steven D. Richardson  
  
Eileen McKenna

P R O C E E D I N G S

CHAIRMAN KERR: The meeting will come to order. This is the 334th meeting of the Advisory Committee on Reactor Safeguards. Today the committee will discuss TVA Nuclear Power Plant operations, NRC safety bill, reports on valve performance, radiography, nuclear waste management, future activities, NRC process for resolving generic issues, selection of ACRS members and ACRS practices and procedures.

This meeting has been conducted in accordance with provisions of the Federal Advisory Committee Act of the Government in the Sunshine Act. Mr. Raymond Fraley is the designated federal official for this part of the meeting. We have received no written statements or requests to make oral statements.

The transcript of the meeting is being kept. I ask that each speaker identify himself or herself and use the microphone. The first item on today's agenda is the TVA Nuclear Power Plant management operations by Mr. Charles Wylie, the appropriate subcommittee chairman.

MR. WYLIE: Thank you Mr. Chairman. This part of our meeting has been mentioned, concerns the committees continued review of the TVA organizational issues. The material is in your books under tab 6 and a number of handouts numbered four, seven, nine and I

1 believe Dick just handed out this ANI thing.

2 The subcommittee on TVA organizational issues  
3 met on February 2 of this year in Chattanooga and held  
4 discussions with both the NRC staff and TVA and visited  
5 the Sequoyah site on February 3 and inspected selected  
6 areas of the plant.

7 The members in attendance were myself, Jesse  
8 Ebersole, Carlyle Michelson, Dave Ward, Dick Savio,  
9 cognizant ACRS staff members and management consultants  
10 Paul Bartlick and Homer Hagedorn.

11 The object of the subcommittee meeting was to  
12 obtain a better understanding of the TVA management  
13 reorganization activities and how well the measures  
14 which had been taken had been implemented and reviewed  
15 by the staff and to explore other areas of concern which  
16 had been raised particularly by the NRC staff's  
17 integrated design inspection of the essential raw  
18 cooling water system.

19 In regard to the staff's inspection of the  
20 essential raw water cooling water system, the staff had  
21 identified a number of seemingly programatic weaknesses  
22 which may have had generic implications in other systems  
23 of the plant. The subcommittee wanted to review those  
24 areas.

25 The subcommittee had the benefit of the staff

1 safety evaluation report on the Sequoyah Nuclear Power  
2 Plant and other related documents prior to the  
3 subcommittee meeting. At the meeting the subcommittee  
4 heard presentations by the staff on the staff's schedule  
5 of TVA reviews; management reviews and activities; the  
6 assessment of the Sequoyah status mechanism for review  
7 of evaluating management; the discussions of the staff's  
8 integrated staff inspection of the emergency raw water  
9 system; and lessons learned from that inspection and  
10 staff's conclusions regarding the effectiveness of TVA's  
11 recovery activities.

12 TVA made presentations on their response and  
13 measures taken as a result of the findings of the IDI  
14 inspection. Design control, design verification and  
15 review, operational readiness, employee concerns,  
16 environmental qualification issues and more detail about  
17 the Nuclear Safety Review Board and how nuclear  
18 experience feedback is implemented.

19 During the visit to Sequoyah, the subcommittee  
20 met with the plant staff and discussed plant  
21 organizational issues and then toured selected areas of  
22 the plant including the control room, the separate shut  
23 down panel, the cable spreading room, switch gear rooms,  
24 compressed air systems and looked at the fire protection  
25 facilities and provisions, the diesel generator building



1 and the emergency raw water system.

2 One item of interest to the committee was the  
3 addition on the Sequoyah staff of two positions of  
4 assistant plant managers which insure that a senior  
5 plant manager is on duty 24 hours a day at the Sequoyah  
6 plant.

7 Today we have selected several items of  
8 interest that we felt that the full committee should  
9 hear and presentations by the staff and TVA will be  
10 made. Before we proceed, I would ask other members of  
11 the subcommittee if they would like the to make  
12 comments.

13 (No response.)

14 Well let's proceed then and I will call on  
15 Steve Richardson of the staff.

16 MR. MOELLER: Charlie, while we are going on in  
17 the review of Sequoyah are we going to here anything  
18 about the control room HVAC system. In the writeups  
19 that were provided to us, they said they may need to  
20 increase the ventilation inflow above the unit to meet  
21 the requirements.

22 MR. WYLIE: We had not asked that specifically  
23 but we can ask Mr. fox if they can address that.

24 MR. MOELLER: Also the hydrogen analyzers.  
25 There were questions on those.

1 MR. WYLIE: Yes, we can answer those questions.

2 MR. RICHARDSON: I'm Steve Richardson the  
3 Division Director of the TVA Division in the Office of  
4 Special Projects. With us this morning from the NRC  
5 staff Jane Axelrad who is the Deputy Director of the  
6 Office of Special Projects. Jim Clifford, Special  
7 Assistant to the Division Director. Angelo Moreno, who  
8 is the Assistance Branch Chief.

9 Eileen McKenna, the Senior Project Manager.  
10 Bob Pearson, the Branch Chief of the Plant Systems  
11 Branch. And BD Leò, who is the Assistant Director for  
12 Technical Programs. In terms of recovery schedule,  
13 Sequoyah Unit 2 is currently in mode 4.

14 (Slide.)

15 Reactor coolant system temperature is about 250  
16 degrees, pressure at about 475 psg. The Office of  
17 Special Projects director gave TVA approval to move from  
18 mode 5 to mode 4 on February 4th. They actually made  
19 the transition late in the afternoon on February 6th.  
20 They are currently in the the process of running through  
21 a number of surveillance instructions, checking out  
22 plant systems and beginning the heatup cycle. Their  
23 planned heatup is going to last on the the order of 30  
24 to 35 days depending on the types of problems they run  
25 into.



1           The NRC has an augmented site coverage team on  
2 site with an inspector in the control room most of the  
3 time, not 24 hours a day but a lot of the time. We have  
4 several shifts of augmented inspection personnel from  
5 region helping us to cover the various surveillance  
6 instructions underway.

7           We have a senior manager that is assigned.  
8 That is currently Gary Zack who is covering the site on  
9 a full time basis. The schedule for Sequoyah Unit 2 is  
10 approximately six months after the restart-- I'm sorry.  
11 The schedule for Unit 2 is, criticality on it looks like  
12 the first week in March. Unit 1 will be following Unit  
13 2 approximately 6 months later.

14           TVA is in the process, as resources become  
15 available from the various tasks in Unit 2, of shifting  
16 them over to Unit 1.

17           MR. MOELLER: Excuse me. I'm sure that  
18 question has been asked many times, the difference in  
19 timing is one of resources, not differences in the two  
20 units?

21           MR. RICHARDSON: That is correct.

22           At the Browns Ferry site Unit 2 is their lead  
23 unit to be restarted. They are currently projecting the  
24 fall of 1988. The NRC staff is beginning to shift our  
25 resources for Sequoya to Browns Ferry to support that.

3 1 Watts Bar is further down, 1990 to 1991. The staff last  
2 summer approved construction permit extensions to move  
3 that out.

4 Bellefonte, there is no specific date. The  
5 plant essentially is at a high state of completion but  
6 it is in lay up and 1993, 1994 is the projected date for  
7 that.

8 Any other questions on the schedule?

9  
10 DR. REMICK: What is the function of the NRC  
11 inspector in the control room?

12 MR. RICHARDSON: We want to monitor the TVA  
13 operations, particularly shift changeovers, adherence to  
14 procedures, formalization of control room operations to  
15 make sure that we feel that when they think they are  
16 ready to go into mode 2 criticality, we agree with that  
17 decision.

18 DR. REMICK: Is that person an experienced  
19 reactor operations person?

20 MR. RICHARDSON: Yes, sir, he normally is one  
21 of the resident inspectors and quite frequently the  
22 senior resident inspector at that site.

23 CHAIRMAN KERR: Has he had experience in  
24 operations?

25 MR. RICHARDSON: No sir, he has not been a

1 licensed individual. He goes through the normal  
2 training program that we put resident inspectors through  
3 to qualify.

4 CHAIRMAN KERR: He had not had experience, for  
5 example as a power plant operator?

6 MR. RICHARDSON: Not in the commercial  
7 business. The particular people at Sequoyah are former  
8 Navy nuclear personnel.

9 CHAIRMAN KERR: Thank you.

10 MR. RICHARDSON: Any other questions on  
11 schedule?

12 (No response.)

13 (Slide.)

14 I will briefly mention several items since the  
15 last time we met ACRS. The report was issued on  
16 November 6th. Since then, we have had a follow-up  
17 inspection that was completed last week and that report  
18 is in preparation.

19 Mr. Wylie mentioned our safety evaluation  
20 report on Sequoyah restart. We issued that on January  
21 21st. That covered 39 of the 46 programatic issues in  
22 the TVA, Sequoyah performance plan. We are about ready  
23 to issue a supplement to that SER that will pick up all  
24 of the remaining items.

25 The two items still outstanding are the civil

1 calculation area and electrical calculations and we are  
2 working on those. We have an inspection going on next  
3 week to close those items out.

4 The Office of Special Projects briefed the  
5 commission on January 20th on the status of the various  
6 items still underway at Sequoyah. We have another  
7 commission briefing scheduled before the commission vote  
8 on restart. The current scheduled date of that is  
9 February 24th. There is some discussion that that may  
10 slip, based on TVA actually not being ready to go  
11 critical until sometime early in March.

12 We are working on resolution of the employee  
13 concerns. The concerns that were applicable to Sequoyah  
14 were grouped into what is called element reports. There  
15 were 246 different element reports that were applicable  
16 that had to be done before restart. The staff has  
17 finished all but four or five of those and those four or  
18 five will be finished up in the next several days.

19 We have a large number of allegations. There  
20 were approximately 170 allegations at Sequoyah. At this  
21 moment we are about halfway through with that and that  
22 is proceeding at a fairly rapid pace so I don't see that  
23 as an issue in affecting the restart schedule.

24 We have had major inspections on the emergency  
25 operating procedures, operational readiness. We have

1 gone with the training programs. During the system  
2 alignment phase that TVA was in for four or five weeks,  
3 we have had very intense coverage of that from both the  
4 site inspectors and the region to make sure that that  
5 process went well.

6 Are there any questions along this line?

7 CHAIRMAN KERR: Perhaps you are going to get to  
8 it but how do you deal with, if you do, comments for the  
9 American Nuclear Insurers?

10 MR. RICHARDSON: The American Nuclear Insurers  
11 did an inspection at Sequoyah in December to review  
12 operations at the site for the purpose of determining  
13 risk liability. Their report was very critical of a  
14 number of things, particularly the Plant Operations  
15 Review Committee. We forwarded that report to TVA and  
16 asked them to respond to each of the findings as part of  
17 their operational readiness assessment which we are yet  
18 to review.

19 We are going to have a public meeting with TVA  
20 to go over why they think they are ready for operations  
21 and each of the American Nuclear Insurers findings will  
22 be gone over at that point.

23 MR. SIESS: You said you forwarded that report  
24 to TVA? Do you mean that TVA would not have gotten that  
25 report?

1 MR. RICHARDSON: No, sir. TVA had the report.  
2 We got the report from TVA but we, formerly on the  
3 docket, in a letter to Mr. White asking for a response  
4 on an item by item basis to each of the responses.

5 MR. MICHELSON: In the past have you audited  
6 the operations of the PORC Committee?

7 MR. RICHARDSON: Yes, we sat in on various  
8 PORC's and also the integration of the PORC Committee  
9 with the NSRB.

10 MR. MICHELSON: What was your observation  
11 concerning these meetings?

12 MR. RICHARDSON: Our observations were back  
13 during the summer. We were generally satisfied with how  
14 they went together. We noted that improvements could be  
15 made.

16 MR. MICHELSON: So, you didn't necessarily  
17 exercise the same degree of critical observation that  
18 the insurers exercised apparently.

19 MR. RICHARDSON: I think that is correct.

20 MR. MICHELSON: Have you ever sat in on the  
21 operations of the Nuclear Safety Review Board?

22 MR. RICHARDSON: I personally haven't.

23 MR. MICHELSON: I mean as an agency.

24 MR. RICHARDSON: The agency has sat in on  
25 various NSRB meetings and we get all the minutes.

1 MR. MICHELSON: And what have been their  
2 observations concerning those meetings.

3 MR. RICHARDSON: We think that they are  
4 operated successfully.

5 MR. MICHELSON: Thank you.

6 MR. EBERSOLE: What is your yardstick of  
7 successful. For instance, one viewpoint you could take  
8 is it is not in compliance with existing regulations and  
9 another you could take is that there are no regulations  
10 which are pertinent to it but it is still a safety  
11 matter. Where do you view the line there? Do you  
12 require or suggest or permit extensions of rationale and  
13 logic beyond the simple regulations and rigid adherence  
14 to at least a minimum standard of those?

15 MR. RICHARDSON: Our focus is on the safety  
16 issue.

17 MR. EBERSOLE: Yes, but what is the safety  
18 issue? Is it noncompliance with the regulation?

19 MR. RICHARDSON: Not necessarily. The safety  
20 issue is the hardware issues or operational issues at  
21 the plant and the risk to the public health and safety.

22 MR. EBERSOLE: It may have nothing to do with a  
23 particular regulation?

24 MR. RICHARDSON: I'm not sure I would say it  
25 would have nothing to do with it.



1 MR. EBERSOLE: Well, it might have a very  
2 distant interpretative relationship but that would be  
3 valid as far as the staff is concerned.

4 MR. RICHARDSON: That is true. That is right.  
5 In other words we do not insure simply compliance with  
6 the regulations. We go beyond that, if the safety  
7 conscience is there with the NSRB which is the purpose.

8 MR. EBERSOLE: Fine, that is what I wanted to  
9 hear.

10 MR. RICHARDSON: Any other questions?

11 (No response.)

12 Charlie, I didn't have anything else.

13 MR. WYLIE: Okay. Does the staff have anything  
14 else?

15 MR. RICHARDSON: Not in the overview.

16 MR. WYLIE: Any other questions?

17 MR. SIESS: Could you comment on any  
18 similarities or differences in the objective and scope  
19 of the ANI review of the plant and the NRC review of the  
20 plant? Are they interested in the same things you are,  
21 the health and safety of the public?

22 MR. RICHARDSON: We haven't covered the ANI  
23 report in sufficient depth yet to insure that. My  
24 impression is that they are coming not from a pure  
25 safety perspective that the NRC is but more from a



1 financial risk perspective and insurance liability.

2 DR. SIESS: Is this the first time you have  
3 seen an ANI report?

4 MR. RICHARDSON: This is the first time we have  
5 seen an ANI report at TVA.

6 DR. SIESS: Is this the only plant that ANI has  
7 ever inspected?

8 MR. RICHARDSON: No, ANI is going to all the  
9 plants. This is the first time that I'm aware that the  
10 NRC has gotten a specific report. I really don't have  
11 any other information on other plants at that point.

12 DR. SIESS: Thank you.

13 MR. EBERSOLE: A couple of things here. I have  
14 here and I think everybody has a copy of a letter to the  
15 commissioner dated February 3rd.

16 DR. REMICK: Mr. Ebersole, would you be willing  
17 to move that mike so that we can hear you better:

18 MR. EBERSOLE: It is a letter from a law firm  
19 but it refers to a gentlemen named Bartlick.

20 MR. RICHARDSON: Yes, sir. I'm familiar with  
21 the letter.

22 MR. EBERSOLE: What is the current disposition  
23 of that matter?

24 MR. RICHARDSON: We have met with Mr. Bartlick  
25 on several occasions and we have had lengthy interviews.

1 We are in the process of studying each of the issues he  
2 raises. He comes across as a very knowledgeable, very  
3 credible individual and we are going through his  
4 concerns in detail to insure that they are  
5 satisfactorily resolved.

6 MR. EBERSOLE: But that is still on going?

7 MR. RICHARDSON: Yes, sir, that is.

8 MR. EBERSOLE: But you don't regard that as an  
9 impediment to start up?

10 MR. RICHARDSON: These issues raised, we want  
11 to make sure they are resolved prior to operation of  
12 mode two. We have gone through his issues and insured  
13 and discussed with him whether any of these are  
14 impediments to mode 4 or mode 3 operation.

15 MR. EBERSOLE: There is another gentlemen from  
16 Congress very interested in this plan. As you know, Mr.  
17 Myers has also a comparable packet of papers and issues.  
18 What is the status of his allegations from that side?

19 MR. RICHARDSON: We have taken all of Dr.  
20 Myers' questions and we are insuring that the issues  
21 that he raised are addressed in our revise study at some  
22 point. We are not providing specific answers back to  
23 Dr. Myers but we are making sure the issues have been  
24 covered.

25 MR. EBERSOLE: Will there be some sort of a

1 documented resolution of these sort of things? Will it  
2 be put in some sort of a package?

3 MR. RICHARDSON: There will be documentation of  
4 the allegations. For example I believe that the issues  
5 raised by Dr. Myers, we have attempted to prepare a  
6 matrix and we are in the process of doing that.

7 MR. EBERSOLE: It is so complex, I can  
8 understand why you should.

9 MR. RICHARDSON: It takes a lot of time but I  
10 believe it is a useful tool for us to go through to make  
11 sure nothing has fallen through the cracks.

12 MR. EBERSOLE: So these are still ongoing?

13 MR. RICHARDSON: Yes, sir.

14 MR. EBERSOLE: Thank you.

15 MR. WYLIE: Any other questions?

16 MR. WARD: Is the staff going to cover the rest  
17 of these topics, do you know?

18 MR. WYLIE: You mean these agenda items?

19 MR. RICHARDSON: We have separate briefings on  
20 the IDI and management reviews.

21 MR. WYLIE: Okay. I guess Charlie Fox of TVA  
22 will be next.

23 MR. FOX: I'm Charles Fox, Deputy Manager of  
24 Nuclear Power for TVA. I'd like to start out as Mr.  
25 Richardson did by introducing my people. I would ask

1 that they stand. I have Bill Walley, Chief of the  
2 Electrical Branch. Jim Hutson, Assistant Electrical  
3 Branch Chief. John Hausner, Branch Engineer at  
4 Sequoyah.

5 We have John Cox an APE at Sequoyah. Joe  
6 Ziegler, Nuclear Safety and Licensing. Linda Tinker,  
7 Ken Hendricks, Nuclear Safety and Licensing. Barry  
8 Kinsey of Licensing, Mike Sidlacey, Electrical,  
9 Sequoyah. Fisher Campbell, Nuclear Safety and  
10 Licensing. Tony Caposey, our Head Manager of  
11 Engineering Assurance. Carl Seidler, Assistant Chief of  
12 the Electrical Branch. Richard McMahon, DNE Safety and  
13 Licensing. Ruben Hernandez, our Assistant Branch Chief.

14 Fred Moreno, new manager of all of our  
15 disciplines who recently joined us from Gilbert  
16 Commonwealth. Tom Epileto who is our consultant and  
17 helps run our Bethesda office. Mr. McRae, Deputy  
18 Director of Safety and Licensing. Chris Eckle from our  
19 Washington office, Doug Wilson, Chief of Nuclear  
20 Technology. Joe Bynum, Assistant Manager for Operations  
21 and John Kirkebo, our Chief Engineer.

22 We are pleased to be before the full committee  
23 today. As Steve said, we introduced a number of topics  
24 to the subcommittee in Chattanooga on February 2nd. We  
25 are prepared to cover the items on your agenda and we

1 are also prepared to answer the questions that the  
2 subcommittee has furnished us.

3 We are prepared to deal with the ANI issue with  
4 you today. We have had a subsequent reinspection by  
5 ANI. We got their letter yesterday. There is a marked  
6 improvement from the previous inspection. We still have  
7 a ways to go. So we will start on into the agenda.

8 Our first speaker will be Joe Bynum, our  
9 Assistant Manager for Operations. Your agenda shows  
10 Steve Smith. Steve is with his plan, mode 4 and Joe  
11 Bynum, Assistant Manager for Operations who recently  
12 joined us from Palo Verde where he was plant manager for  
13 all units there will be the first speaker.

14 MR. BYNUM: As Charlie indicated, I'm going to  
15 discuss the operational readiness restart and in  
16 particular focus on the operational readiness review  
17 team that Admiral White commissioned and put in place in  
18 August of 1987.

19 (Slide.)

20 Admiral White put an operational readiness  
21 review team in place in August of '87.

22 (Slide.)

23 In that he chartered several senior  
24 individuals, very experienced individuals with  
25 experience in not only commercial but military Naval

1 reactors. A very simple task to assess the restart  
2 readiness relative to resources and personnel  
3 performance, to observe the activities and personnel  
4 during heatup.

5 The activities we focused on were operational  
6 activities. This obviously included the control room  
7 and the conduct of operation in the control room and also  
8 included all other aspects that related directly to the  
9 operation of the facility and the support of the  
10 operators in the control room, covered maintenance and  
11 covered RAD control, covered chemistry and other areas.

12 The period of assessment was from August 1987  
13 through January of 88. An interim report was issued in  
14 October of '87. That is when Admiral White asked me to  
15 come on board and take the report and work with the  
16 operating organizations in assessing the report and  
17 responding to the findings.

18 In addition to the operational readiness review  
19 team that Admiral White put in place, we also suggested  
20 that INPO come in. That is one of the areas we wanted  
21 to look at not only with performance of the operators  
22 and the administrative controls and the support but we  
23 also wanted to look at the technical adequacy of the  
24 operators. So INPO came in and did an assist visit on  
25 the simulator.

1 In fact, did an audit of all of our operating  
2 crews. They came in two different periods and evaluated  
3 all the operating crews in the control rooms. As I  
4 said, the interim report was issued in October and we  
5 immediately began assessing the report and working on  
6 our corrective actions.

7 MR. MOELLER: No final report has been issued?

8 MR. BYNUM: Yes, the final report has been  
9 issued. The final report was issued in January and what  
10 we did, we sat down. We also included the two INPO  
11 assist reports. So we took the final ORR report, we  
12 took the two INPO assist visits and put them into one  
13 package. We looked at that.

14 INPO had made a couple of recommendations based  
15 on some specific areas of weaknesses that they felt like  
16 that the operating crews had in general. I will say  
17 that overall, the cover letter states that they found  
18 the performance of our operators above average on the  
19 simulator. They did find some specific areas and they  
20 made recommendations that those areas be looked at prior  
21 to restart.

22 So, we took those issues. I sat down with  
23 Frank Fogerty, who is the head of the ORR team, and we  
24 picked out certain issues that we called restart issues  
25 in the ORR report and put the two together and we began



1 working on the corrective action responses. Last week  
2 we did complete and issue all of the responses to the  
3 restart issues. And hopefully by the end of February,  
4 at least by the middle of March, we will have responded  
5 to all of the ORR findings.

6 The report is out and a response has been made  
7 to all restart issues including the restart issues from  
8 INPO.

9 DR. REMICK: Would you give us a couple of  
10 examples of what INPO pointed out?

11 MR. BYNUM: Yes, we are going to get into that  
12 in a little bit more detail.

13 (Slide.)

14 Basic areas of concern were in three major  
15 areas and this is from the ORR report, management  
16 involvement, standards of performance and administrative  
17 controls.

18 Basically, in the management involvement area,  
19 the major concern was that management was not really  
20 effective in identifying problems and correcting those  
21 problems, getting the corrective action implemented and  
22 really down to the lowest level of the organization.  
23 Standards of performance, they saw indications based on  
24 lack of formailty and indications of things that our  
25 standards of performance were not as they would like



1       them to be.

2               One thing I will point out, one of the reasons  
3       this group was picked, of course is for their experience  
4       and their background but also the very high standards  
5       that these individuals have. It was a very critical  
6       look. They did a lot of on-shift observations. They  
7       did detailed interviews with various employees. And  
8       again it was very high standards.

9               The other area of concern in the administrative  
10       controls procedures system had become very cumbersome.  
11       Some of our procedures were outdated. There were  
12       overlapping procedures. In some cases where there was  
13       overlap, there was actually inconsistency. And because  
14       of that, we had really developed a tendency to find  
15       work-arounds for our procedural problems. So that was  
16       an area of concern.

17              DR. REMICK: Could you give me a couple of  
18       examples when you say "standards of performance". I  
19       imagine all kinds of things.

20              Was this down to specific tasks, the standards  
21       of performance of that task or general?

22              MR. HYNUM: It was both. Actually what the ORR  
23       team did was they looked at a lot of specific activities  
24       and they had comments on those specific activities and  
25       then they looked globally at the types of comments they

1 had and then we lumped them into, basically, management  
2 standards and formal communication. The formal  
3 communication repeat back was not universally used in  
4 the control room night orders.

5 The use of night orders in lieu of procedures  
6 or in some cases to supersede a part of the procedure.  
7 Those types of things which were just not the standard  
8 that we need to be operating under.

9 DR. REMICK: Thank you. Us.

10 DR. MOELLER: Excuse me. You use the term  
11 night orders. Could you elaborate?

12 MR. BYNUM: The night order is the shift  
13 supervisor, not the shift supervisor but the operations  
14 group manager, operations superintendent might issue a  
15 night order giving instructions through the night on the  
16 back shifts to have a certain evolution performed. And  
17 in some cases the ORR team found that this would be in  
18 contradiction to an existing procedure.

19 MR. EBERSOLE: There was a time when controller  
20 procedures were ritualistic much in the context if  
21 system B files turn on system A and it will always work.  
22 Is it true now that I could ask an operator down there  
23 what he would do if component cooling or ERCW or some  
24 such critical supply system failed in totality? Could  
25 he tell me when the first critical result of that would

1 occur and what he would be doing to try to intercept it?

2 MR. BYNUM: Well, let me be sure I understand  
3 your question. You are talking about from a procedural  
4 point of view?

5 MR. EBERSOLE: Yes a procedural point of view  
6 in a badly degraded state.

7 MR. BYNUM: For the most part, I think the  
8 answer to your question is yes because we have a very  
9 detailed system of abnormal operating instructions?

10 MR. EBERSOLE: Yes, depending upon the degree  
11 of abnormality. That is what I'm searching for.

12 MR. BYNUM: Those procedures are very detailed  
13 and there are varying degrees of problems, varying  
14 degrees of equipment out of service and equipment  
15 launch. You go through the electrical side and  
16 something mechanical for the system such as ERCW.

17 MR. EBERSOLE: For instance, would he have a  
18 dynamic consequence if he lost, I will arbitrarily take  
19 ERCW.

20 MR. BYNUM: I think in that case more of the  
21 dynamic concept is gone through on the simulator and I  
22 think the dynamic concepts are really simulator  
23 exercised.

24 MR. EBERSOLE: And the simulator tracks these  
25 time dependent sequences.

1 MR. MICHELSON: Maybe you missed the depth of  
2 the question a little bit. Are you aware how fast the  
3 control room heats up if you lose control room cooling.

4 MR. BYNUM: I think we have done that.

5 MR. MICHELSON: Your operator would be roughly  
6 aware of how fast he would have to do something about  
7 solid state control room or cabinet cooling, control  
8 room cooling and so forth?

9 MR. BYNUM: I can't answer the specific  
10 question on control room ventilation.

11 MR. MICHELSON: I think that is the specific  
12 question Mr. Ebersole was asking.

13 MR. BYNUM: I can't answer the specific  
14 question but generally those type of things have been  
15 done.

16 MR. EBERSOLE: That is a slow moving  
17 phenomenon?

18 MR. MICHELSON: That is an example of the depth  
19 of it.

20 MR. EBERSOLE: I was getting to things like  
21 bearings are going to go in the next 15 minutes if we  
22 don't do something.

23 MR. BYNUM: Again, most of those are covered  
24 with the simulator?

25 MR. MICHELSON: They are?

1 MR. BYNUM: Yes.

2 MR. WYLIE: In this area in regard to  
3 operational readiness, has there been an assessment of  
4 the plant chemistry?

5 MR. BYNUM: Yes, sir. As I indicated, one of  
6 the things that the team looked at in the interfaces  
7 with the control room and other activities that really  
8 affected operation, radiation control or radiation  
9 protection program, chemistry program and maintenance  
10 and other activities.

11 MR. WYLIE: Were there any concerns?

12 MR. BYNUM: Yes, there were. The concerns,  
13 typically the ones that in my experience you find I  
14 think the biggest concern, was the communication between  
15 the chemistry group and the operations people in the  
16 control room on status. What is the status of the  
17 systems when chemistry does an analysis? How do they  
18 communicate with the control room to indicate what the  
19 conditions are?

20 They noted a problem that the operator really  
21 didn't have good trend information so that they could  
22 see what direction they were going in. So, we the  
23 chemistry department instituted a trend program and  
24 those trend graphs are in the control room every day.

25 The shift supervisor reviews them every day.

1 So things like that. I think as far as the technique  
2 goes, they did note in some cases that we had some  
3 inexperienced technicians and we looked to really beach  
4 that area up. We retrained some of the technicians.

5 We have looked at the shift complements very  
6 carefully to be sure that we didn't have all the  
7 inexperienced technicians that had not been through a  
8 start up before on one shift and things like that.

9 DR. MOELLER: With your simulator you, of  
10 course, are trying to simulate various accident  
11 sequences and so forth. In the room in which your  
12 simulator is located, can you have it go on emergency  
13 HVAC situation and have that room heat up like the true  
14 control room would heat up and then simulate various  
15 electronic components failing one at a time?

16 MR. BYNUM: No, to my knowledge you cannot  
17 simulate the loss of the HVAC's. You can, of course,  
18 take out selected control room components and fail them.  
19 But as far as the HVAC, you cannot simulate the loss of  
20 HVAC. There is no program in the machine, to my  
21 knowledge, that would say these are the components that  
22 would fail first in that event.

23 MR. MICHELSON: That was a slightly different  
24 answer than I thought you gave me just a minute ago.

25 MR. BYNUM: Okay.



1 MR. MICHELSON: Even though you don't heat up  
2 the simulator room, I thought you said your simulations  
3 included such affects.

4 MR. BYNUM: I was talking basically about the  
5 bearing failures and motor failures and pump failures.

6 MR. MICHELSON: That I agree with. We are  
7 talking about a slightly greater thing which might be  
8 the first thing to happen to you. You don't know. You  
9 haven't looked.

10 MR. BYNUM: Let's look at each area and talk  
11 about some of the corrective actions.

12 DR. REMICK: Can I ask you a question about the  
13 reviews. I assume that the INPO assist included SRO's.

14 MR. BYNUM: That is correct.

15 DR. REMICK: Would you give me an overall  
16 feeling of the ORR composition that came. Some of them  
17 came before the subcommittee recently. How about the  
18 general composition.

19 MR. BYNUM: The general composition was pretty  
20 much as Frank's background. It was in the military and  
21 the Navy. There were a couple of individuals who did  
22 have commercial experience who came from commercial  
23 utilities. I think in all there were seven people. I  
24 think there were three that had commercial experience  
25 and some came from laboratories and some came from the

1 Naval program.

2 DR. REMICK: Were were there any specific pier  
3 evaluators?

4 MR. BYNUM: No.

5 DR. REMICK: But people with commercial  
6 backgrounds?

7 MR. BYNUM: Yes, sir, that is correct.

8 (Slide.)

9 Organizationally, one of the first things we  
10 did was we formed the management duty roster.  
11 Essentially, what this is is we went to each department  
12 that was critical to supporting the operations and we  
13 assigned a duty roster so that an individual on  
14 off-shifts was always on call, was always available to  
15 address whatever assistance was needed for that group.

16 We formed the management duty roster and it  
17 includes RAD control, chemistry, nuclear engineer has  
18 several members on their duty roster to give response.

19 Mr. Wylie indicated one of the other things  
20 that we are actively pursuing is going to an on-shift  
21 plant manager concept. We have not implemented that as  
22 of yet. We are trying to identify the individuals to  
23 put in that position and eventually he would function on  
24 the back shifts just as the plant manager functions on  
25 the day shift.



1           We looked at the organization and we did two  
2 things. One is we reduced some of the layers of  
3 management and we increased the number of field  
4 supervisors. It may seem that those are contradictory  
5 when in fact they are not. What we did was we reduced  
6 the number of layers in order to facilitate  
7 communications.

8           But in some cases, particularly in the areas of  
9 RAD chemistry, we took individuals who were in lead type  
10 positions and made them formally supervisors as such so  
11 that they could be held accountable for the performance  
12 of their shifts. So, we felt like we got better  
13 communication through reduction of management layers and  
14 then we got better accountability in the increased  
15 number of field supervisors.

16           We made the transition to what I will call the  
17 owner operator concept. We made the transition to where  
18 the operator was clearly in charge of the unit, in  
19 charge of the equipment. We have actually taken that  
20 down all the way to the assistant unit operator level  
21 where if maintenance or modification or anyone is going  
22 to work on equipment in that individual's area of  
23 responsibility, he knows about it, the control room  
24 knows about it.

25           So we have made that transition no longer

1 design and modifications phase plant and operations  
2 phase plant. Participation in training, one of the  
3 things that we have done is set up a management roster  
4 up to and including myself where we go to the simulator  
5 and in fact watch simulator exercises ourselves. We  
6 essentially critique the critiques.

7 DR. REMICK: Do you participate in the tech  
8 staff and manager's training program?

9 MR. BYNUM: We have not as of yet. We are  
10 concentrating right now on the operator program. I  
11 certainly think we will in the future. But right now  
12 the real focus is on the operator program.

13 DR. REMICK: How about your PORC members. Do  
14 they attend that tech staff and managers training?

15 MR. BYNUM: Some of them have. We are in the  
16 process of putting together a special program for PORC  
17 members. We can talk about the ANI responses and some  
18 of the things we do in that area but we are actually  
19 putting together a package that is specifically related  
20 to PORC members that talks about 5059 training and  
21 safety evaluations and things that are germane to PORC  
22 functions.

23 Root cause analysis, we have a special course  
24 in root cause analysis for PORC managers. Communication  
25 was a big issue and here are some of the methods that we

1 have used to improve our communication. The daily plan  
2 of the day meetings. That is our war room where the  
3 status is a continuously run meeting essentially to  
4 bring issues up, resolve issues and keep plant status.

5 We have a daily plant status report that lists  
6 all the typical parameters that you see for operating  
7 plants. This one I think is unique in that it also  
8 lists all of the potential reportable occurrences and it  
9 has also got what we call an operations hot list or the  
10 items that the operators, in fact, feel like they need  
11 to have work expeditiously. So it includes those two  
12 things in addition.

13 We have quarterly meetings where plant  
14 management sits down with all the operating staff  
15 personnel, all the personnel under the plant manager and  
16 then we have totally revised our conduct of operations  
17 procedure. Based on the ORR report, a significant part  
18 of what we learned from the report was we had not been  
19 as specific in a lot of cases as we should have been  
20 about what standards we, in fact, expect of the  
21 operators. So we completely revised the conduct of  
22 operations procedures for operators.

23 In addition to that, once we complete that, we  
24 are going to look at other areas such as maintenance,  
25 chemistry and RADCON to look for a similar conduct of

1 operations procedure for those areas.

2 MR. EBERSOLE: Could I speak to communications  
3 in a little bit different context?

4 MR. BYNUM: Yes, sir.

5 MR. EBERSOLE: I saw someplace in this pile of  
6 papers here about some concern about the communication  
7 process in the face of some internal disaster like a  
8 fire. Since you all had the Browns Ferry fire you got a  
9 good background in what to do about this.

10 The observation was made that communications  
11 might become difficult because of damage to centralized  
12 communication facilities.

13 MR. BYNUM: Yes, sir.

14 MR. EBERSOLE: What I want to hear from you is  
15 it doesn't matter whether you blow out the communication  
16 room or not. You can still get word around as to what  
17 to do in the plant and I hope you will say that?

18 MR. BYNUM: That is correct. One thing you are  
19 doing and I think your absolutely right. We have, of  
20 course, radio systems and then we have sound powered  
21 phone systems as backups for the regular phone system.  
22 So, we have evaluated that and of course that is a part  
23 of Appendix R also.

24 MR. EBERSOLE: Yes.

25 MR. BYNUM: So we have looked at that. We are

1 attempting to upgrade it from just a maintainability  
2 point of view. We are having D and E look at more sound  
3 powered lines and some other methods of communication so  
4 that we can do that more expeditiously.

5 MR. EBERSOLE: Have you got an adequate supply  
6 of radio?

7 MR. BYNUM: Yes we do.

8 MR. EBERSOLE: And they work?

9 MR. BYNUM: Yes. We have had radio surveys  
10 done throughout the plant.

11 MR. EBERSOLE: Thank you.

12 MR. BYNUM: In fact, that is where some of the  
13 sound powered phone jacks we specifically put in areas  
14 where radio communications was difficult.

15 MR. EBERSOLE: Related matter, do you have  
16 enough light around the plant to do what you have to do.

17 MR. BYNUM: Yes, again we have done the typical  
18 Appendix R walkdown to make sure you have adequate  
19 light.

20 MR. MICHELSON: Did your Appendix R walkdown  
21 consider the problem of smoke in the areas when you  
22 evaluated adequate light?

23 MR. BYNUM: I'm not sure of the specific  
24 results of that. I couldn't really answer that  
25 question.

1 MR. MICHELSON: That would be, of course, a  
2 consideration if you were trying to mitigate a fire?

3 MR. BYNUM: Yes.

4 In administrative controls areas, we are in the  
5 process of revising our administrative procedures to  
6 eliminate procedures, to eliminate where there is  
7 overlap to get a consistent hierarchy of procedures both  
8 from the corporate level on down into the plant.

9 (Slide.)

10 We have just recently implemented a change to  
11 Section 6 in technical specifications. We have got the  
12 typical specification now that most plants have on  
13 qualified independent reviewer. I think all of the new  
14 tech specs are in that vein. We have implemented those  
15 at Sequoyah and as a result of that are going through  
16 our administrative procedures to make the necessary  
17 changes and corrections. Obviously, we conduct training  
18 on the procedures as they are approved.

19 On-shift observations, one of the problems that  
20 we share with everybody else out there is on-shift  
21 observations by management, getting management out in  
22 the plant, out in the field. Admiral White would call  
23 it walking our spaces. And one of the things we found  
24 is that people really don't know how to do that. Even  
25 once they get out in the plant, they really don't know

1 how to effectively do an on-shift observation.

2 So we spent a lot of time with our first line  
3 managers and supervisors in really training them on how  
4 do you do a good on-shift inspection observation and  
5 what kind of feedback is utilized.

6 (Slide.)

-12  
7 As I indicated we have updated our standards of  
8 observations again. We have just revised our AR30. We  
9 are in the process of changing our administrative  
10 control procedures and consolidating those and  
11 simplifying them. One of the other issues that came up  
12 in the ORR report were the qualifications of assistant  
13 unit operators.

14 There was a concern that in some cases they did  
15 not feel that the assistant unit operators, were really  
16 as familiar with their particular watch station as they  
17 should have been. What we have done, is we have taken a  
18 couple of significant actions. One is, in reorganizing,  
19 we have split out the duty stations of the auxillary  
20 unit operator into two basic sets. One basic set is a  
21 typical power plant auxillary unit operator stations in  
22 the control room, the turbine building, the aux  
23 building.

24 And then we have taken the water and waste  
25 treatment water plant, RAD waste and separated those so



1 we now have two distinct groups of auxillary unit  
2 operators and they, in fact only cover those watch  
3 stations in their particular group. But essentially,  
4 cut in half the number of watch stations that AUO is  
5 qualified for.

6 We also are having a complete recertification  
7 program of our auxillary unit operators. We have  
8 developed a check sheet and a walk-through for each of  
9 our selected individuals from the training center to  
10 come over and actually give the AUO's a walk through and  
11 oral exam on each watch station to certify them and that  
12 will all be completed prior to restart.

13 DR. REMICK: Your task analysis could be  
14 interpreted as not being very good or I could interpret  
15 that these people have too many systems that they are  
16 responsible for and cannot possibly know all of them.

17 MR. BYNUM: There are two basic problems and  
18 the latter is more close to the situation. Two distinct  
19 problems that we found, there were so many AUO watch  
20 stations, I think there were 11 or 12 watch stations.  
21 There were so many of them and also it was very  
22 difficult. In fact, we did not track when the last time  
23 a certain individual worked on a certain watch station.

24 So you may have run into a situation where you  
25 had an individual who had not worked a watch station for

1 maybe 8 or 9 months having to be assigned to that  
2 station to run it. The familiarity level just was not  
3 there.

4 DR. REMICK: Then I can interpret that your  
5 continuing training programs for unlicensed operator in  
6 picking up the tasks--

7 MR. BYNUM: Well, that is a part of it and that  
8 was the other thing that we put in the program is we  
9 have gone back now that we have reduced it we can cover  
10 those things much easier with a smaller number of watch  
11 stations. Your observation is correct.

12 MR. EBERSOLE: Do you rotate the AUO's around  
13 the plant until they virtually know all the systems?

14 MR. BYNUM: Yes, we do.

15 MR. EBERSOLE: And that is his educational  
16 process?

17 MR. BYNUM: That is correct. And again, we  
18 used to rotate them through all 12 stations. Now we  
19 basically rotate them through the six stations that are  
20 in their area. We probably, in the future, will get to  
21 the point of taking individuals from each of those and  
22 putting them in the other areas. But when we do that,  
23 it will be on a long term basis.

24 It won't be for a week over there and a week  
25 back in the turbine building.

1 MR. EBERSOLE: With all this focus on operator  
2 qualifications, yesterday we were hearing about the  
3 onset of similar considerations and maintenance.

4 MR. BYNUM: We are looking at some of the same  
5 things in the maintenance here, particularly some of the  
6 communications training and some of the proficiency  
7 training we are looking at also in the maintenance area  
8 and in the chemistry area and in the RADCON area.

9 MR. EBERSOLE: Do your maintenance people have  
10 documented qualification certification for whatever they  
11 do?

12 MR. BYNUM: Yes.

13 I mentioned already the RADCON shift  
14 assignments and chemistry staff shift assignments. We  
15 did take the lead individual and put them in the  
16 supervisory status so that we could get better  
17 accountability on a shift basis and improve the  
18 communications between the control room and those  
19 staffs.

20 Demonstration performance, obviously one of the  
21 things we want to know is how well are we doing. That  
22 is part of the reason we are into this heat up phase  
23 now to really look at how much improvement in fact have  
24 we made since we got the report in October. We are  
25 really measuring that two major ways. The first way is

1 that we are using shift operations advisors.

2 These are previously licensed SRO's from other  
3 utilities that are now working with TVA and we put them  
4 on a rotating shift and they have essentially a  
5 checklist and they observe shift turnovers. They make  
6 specific observations on communications. They make  
7 specific observations on several other typical items,  
8 enunciator responses, things like that. And then at the  
9 end of the shift, they actually turn into the plant  
10 manager a sheet that summarizes their observations, what  
11 they observe and the sense of what they observe.

12 In addition to that, as I mentioned, we of  
13 course have a lot of management attention in all the  
14 operating areas. Admiral White is on site full time.  
15 Myself and Charlie spends most of his time out there.  
16 So we have a lot of management involvement again on  
17 shift looking at all the operations.

18 MR. FOX: For example, a point that Joe passed  
19 over quickly that is very important, we have that  
20 operational readiness review team on the site. In fact,  
21 they are going through around the clock coverage  
22 observing RADCON operations. So they are following up  
23 to make sure that the observations that they made back  
24 in the late summer and early fall are, in fact, correct.  
25 They are still very active and they are reporting

1 directly to Admiral White the progress that they see,  
2 areas where additional attention is needed.

3 DR. REMICK: Is that a full time team?

4 MR. FOX: Yes. Our corporate maintenance  
5 manager for example, Jean Rogers, is in residence almost  
6 full time at the site. George Toto has put someone else  
7 in charge of the site at Watts Bar and he is spending  
8 more time there. He is on the ORR team. As is Frank  
9 Fogerty and the rest of them.

10 MR. BYNUM: There is also a permanent follow-up  
11 essentially to the ORR is the NMRG, Nuclear Management  
12 Review Group and that group has reviewed the responses  
13 and they are including as a part of their ongoing  
14 activities, looking one at the simulator training that  
15 we are doing now. We are doing two things in simulator  
16 training. One to address some of the INPO comments and  
17 the other to address some of the ORR comments.

18 But in week one of requal is going on right now  
19 for the operators, one of the INPO comments was that we  
20 did not have all of the emergency operating procedures  
21 that were recommended by Westinghouse. There were about  
22 eight of those that we, in fact, did not have. We have  
23 incorporated five of those into our emergency operating  
24 procedures.

25 The three that we don't have and really there

1 are two, we have technical justification really for not  
2 including those. We don't feel that they are applicable  
3 to Sequoyah. We have implemented those emergency  
4 operating procedures and are now training on the  
5 simulator.

6 In addition to that, the holes that INPO saw in  
7 their simulator evaluations, a couple of them had to do  
8 with approach to criticality, shutdown margin  
9 calculations, things like that. We are doing a three  
10 day, 10 hour a day session with each operating crew to  
11 go over specific start up evolutions and that training  
12 is currently ongoing right now. NMRG is overseeing all  
13 of that training.

14 DR. REMICK: Did you say that your operator  
15 requalification program that you referred to in total is  
16 performance based or is it still proscriptive following  
17 the old Appendix A to Part 55? Have you made the  
18 transition?

19 MR. BYNUM: We are in the transition of  
20 becoming performance based. That was one of the  
21 comments that INPO had was that you really don't do  
22 things in the simulator really exactly like you do them  
23 in the plant. You don't even have exactly the same  
24 compliment of people when you run a simulator exercise  
25 that you have on shift at the plant. And we didn't do

1 enough critiques on communications and leadership and  
2 those types of things.

3 So that is one of the things that we are  
4 emphasizing not only at week one requal but also in the  
5 special 3-day start up training that we are giving.  
6 That is one of the critiques that we are doing, NMRG,  
7 the management individuals such as myself that are  
8 involved, that is one of the things that we are, in fact  
9 looking at. But we are in that transition to get the  
10 performance based evaluation.

11 DR. REMICK: You are reviewing those critiques  
12 and observing the teams and getting your own impression  
13 of the capability?

14 MR. BYNUM: That is correct. We took INPO's  
15 overall evaluation, as I said, was pretty positive.  
16 They did have problems with one specific crew. They  
17 indicated that essentially all the crews were above  
18 average with the exception of one and we actually made  
19 some personnel changes for that particular crew and have  
20 some people in communications training and assertiveness  
21 training right now. But we reconstituted that crew.

22 MR. FOX: One other item, Joe mentioned it  
23 briefly. INPO is also going to conduct a follow-up  
24 session. Pat Beard is going to personally lead the team  
25 back into the site. Is that next week?



1 MR. BYNUM: That is right. I believe it is  
2 next week. It is at least within the next couple of  
3 weeks.

4 MR. FOX: We are working out the final date.  
5 They are following up on the findings that they had last  
6 fall when they came in in conjunction with the  
7 operational readiness.

8 MR. BYNUM: Any other questions?

9 DR. MOELLER: For an evaluation such as the one  
10 that INPO does and has done and is going to do, I gather  
11 they must send a different team than they send to an  
12 operating facility?

13 MR. FOX: I can't really comment on that.

14 MR. BYNUM: I think it was essentially the  
15 same. The people that came to do our simulator  
16 observations were essentially the same types of  
17 individuals that you would see at INPO. They were  
18 heavily loaded in the operations area obviously but they  
19 were essentially the same type of people you would see  
20 at an evaluation even though it was an assist visit,  
21 essentially the same people.

22 DR. MOELLER: Thank you.

23 MR. EBERSOLE: Let's put the shoe on the other  
24 foot. Let's ask how you rate INPO and its field of  
25 questions? Do you think they do a thorough and

1 penetrating job of examining deficiencies in degraded  
2 states, for instance?

3 MR. BYNUM: In our case I think they did a good  
4 job. I really do. In looking at their report,  
5 interestingly enough, the ORR team and some of the  
6 interviews that the ORR team had conducted, they came up  
7 with some of the same weaknesses and through some of  
8 their observations too. I think they did a good job in  
9 our case.

10 CHAIRMAN KERR: Mr. Bynum, do you consider  
11 operator inattentiveness or possible sleeping on the  
12 shift acceptable?

13 MR. BYNUM: No, sir.

14 CHAIRMAN KERR: There is some indication, it  
15 seems to me at at least one point, that this did occur  
16 for a long time without anybody being aware of it.

17 Is there some way that you think you can detect  
18 that or make reasonably certain it is unlikely to occur?

19 MR. BYNUM: Well, I certainly think with the  
20 concept that we have of the on-shift plant manager and  
21 the on-shift supervision that we have, I think that we  
22 certainly would know if anything like that were going on  
23 on any type of a consistent basis. Obviously now, we  
24 have NRC people around the clock. We have management  
25 people around the clock.

1           We have just no question in my mind right now,  
2 we obviously have to look down the road to be sure that  
3 we have an ongoing program that insures that we have  
4 attentiveness to duty. But I certainly think that is  
5 something that is really not hard to do.

6           MR. EBERSOLE: Well when the plant is running  
7 along smoothly and on and on and on, how do you keep the  
8 people's springs wound up?

9           MR. BYNUM: That is a difficult thing to do.

10          MR. EBERSOLE: Is it a parade of management  
11 through the plant with critical questions?

12          MR. BYNUM: There is no question in my mind  
13 there will always be some off-shift management  
14 observations from now on. That is a part of operating  
15 plants today, no question about that. Unannounced  
16 visits, you know, we will have specific instructions out  
17 to the security people that they don't call the control  
18 room and tell them the Admiral is on site or the plant  
19 manager is on site and things like that.

20          Those are pretty much standard activities in  
21 most operating plants as a result of the incidents that  
22 you have talked about.

23          MR. WARD: You mentioned the on-shift plant  
24 manager. When do you expect to have those positions  
25 filled?

1 MR. BYNUM: Well, we are going to try to do it  
2 before the end of the year but that may be ambitious.  
3 It really depends on the availability of people that  
4 really have the necessary qualifications to fill those  
5 jobs. I think in this interim time again there is so  
6 many observational activities in that control room that  
7 there is no question in my mind that aspect is going to  
8 be more than thoroughly covered.

9 DR. REMICK: What are the qualifications these  
10 people are supposed to have?

11 MR. BYNUM: We are looking at that right now.  
12 We haven't set the specific criteria but we are looking.  
13 Obviously, they have to be similar to the plant manager  
14 as described in ANS 31. It will be similar to that.  
15 Whether we will stick exactly to that or not, I don't  
16 know. But they will have to be similar to that.

17 DR. REMICK: And who do they report to?

18 MR. BYNUM: Well, they report to the plant  
19 manager.

20 DR. REMICK: Not the shift supervisor?

21 MR. BYNUM: No. The shift supervisor, in fact,  
22 really reports to them. It is a back shift organization  
23 that parallels the day shift organization.

24 CHAIRMAN KERR: I listened to the presentation  
25 which I must say I think is very good. The philosophy

1 is one that I would call top down management. There are  
2 those in the reactor area necessarily who think that one  
3 can improve employee's morale by having team  
4 participation and participation at all levels. Have you  
5 given any thought to that? Do you think that is  
6 appropriate?

7 MR. BYNUM: Yes, certainly. I certainly do.  
8 One of the things that we found out and I think a lot of  
9 it is the phase that we are going through. A lot of  
10 things are happening in parallel at just the right  
11 times. Particularly I'm speaking of Sequoyah, one of  
12 the things that I found and you have to realize my  
13 experience is a little bit unique in that I was with TVA  
14 for 10 years and then I left TVA in 1982 and was plant  
15 manager at Palo Verde for five years and have just come  
16 back. So my viewpoint is a little bit different from a  
17 lot of people.

18 But one of the things that I noticed in coming  
19 back that encouraged me was the attitude of the people  
20 in the trenches. They really wanted some good strong  
21 leadership. The operations people, in particular,  
22 wanted some support. They wanted to be in charge. They  
23 wanted to have the standards set for them and they  
24 wanted to be held accountable. That is one of the  
25 things that we found. There was really an eagerness.

1           So we established some of the things. We  
2           didn't really get a lot of the resentment and a lot of  
3           this is crazy, this is all Navy stuff and doesn't really  
4           apply to the commercial business. I expected more of  
5           that, to be quite honest, when I came in. We didn't  
6           really find a lot of that.

7           We found that people were really eager to have  
8           high standards, to have the standards set for them. So  
9           now that we have done that part of it, the interface  
10          with the people, getting out in the plant, talking to  
11          the operators, talking to the maintenance people and  
12          getting their feedback and in using as I indicated the  
13          quarterly meetings, we are taking their feedback now and  
14          trying to figure out how we can make the systems, the  
15          procedure system, the administrative controls and those  
16          types of things responsive to helping them get their job  
17          done.

18          And I think they recognize that that, in fact,  
19          is our attitude and that, in fact, is our intention and  
20          they are responding very well to it:

21          DR. MOELLER: Why did you leave and why did you  
22          return?

23          MR. EBERSOLE: He didn't like CE. No PRRV's.

24          MR. BYNUM: I remember that issue well. The  
25          reason I left was for the opportunity. I was Assistant

1 Plant Manager at Browns Ferry and I was offered the  
2 plant manager's job at the largest nuclear plant in the  
3 country. So as a professional opportunity for me, it  
4 was one that you just couldn't turn down.

5 Coming back, I guess I was impressed by what I  
6 saw TVA doing. I first interviewed with Mr. White in  
7 January, I guess, of '87 and I talked to a lot of the  
8 people that I had known before. A lot of the people I  
9 had worked with. He had his list of who he wanted me to  
10 talk to and I had my list of who I wanted to talk to.  
11 And so when I interviewed Palo Verde Unit 1 and 2 were  
12 both commercial at that time and were getting ready to  
13 license Unit 3.

14 I really didn't get a good feeling that there  
15 was as much support, as much backing, that really people  
16 in the right places were convinced that things were  
17 going in the right direction and I turned the job down.  
18 And once we got Palo Verde Unit 3 licensed, things were  
19 winding down there, I went back and interviewed again.  
20 And I was amazed at the change just in the seven or  
21 eight months.

22 I got a real sense that people were pulling  
23 together. They were beginning to see the light at the  
24 end of the tunnel. That is the other thing I think is  
25 happening, when you talk about operational readiness,



1 one of the important keys is we are now getting into an  
2 operation phase. So we are putting the operators in  
3 charge. That is where they belong. That is the phase  
4 that we are going into in the life of the plant.

17  
5 I was at Sequoyah for the startup of Unit 1.  
6 At TVA I was at the startup of Browns Ferry 1 and 2 and  
7 Sequoyah 1 and this is the typical phase that you go  
8 into when you put the operators in charge. I think the  
9 ORR report was perfect timing. We were going into that  
10 phase. We were able to make that transition and when  
11 you expect more of the operators, you also have to give  
12 more. We gave them more authority over their plant,  
13 authority over their equipment and put them in charge so  
14 that it all came together at the right time.

15 DR. MOELLER: Thank you.

16 MR. BYNUM: Any other questions?

17 (No response.)

18 MR. WYLIE: Thank you, Mr. Bynum.

19 Mr. Fox, let me just say that I have discussed  
20 with the staff and their presentations will not take  
21 very long. So I think that it is important that we hear  
22 from you. And so I would say if we could leave about  
23 ten minutes, which would make it 10:20, you will have  
24 that much time.

25 MR. FOX: Okay. You want us to go ahead then?

1 MR. WYLIE: Yes.

2 MR. FOX: Our next speaker is John Kirkebo.

3 John joined us last year from Stone and Webster. He was  
4 one of the original people that came down to TVA with  
5 Admiral White helping to find corrective action to fix  
6 problems. We were very fortunate to have him join us  
7 about a year ago as a permanent employee. The people  
8 you are going to hear today all wear the blue badge.  
9 They are all TVA employees.

10 I was reading some ACRS transcripts and I  
11 notice that almost all the speakers were loan managers  
12 or advisors from other companies. Every one you are  
13 going to be hearing from today is a permanent TVA  
14 employee.

15 MR. KIRKEBO: Thank you, Charlie.

16 This morning I'd like to give a brief overview  
17 of our calculation program for the design calculations  
18 for Sequoyah Unit 2 and common facilities. I think the  
19 objectives of the program as outlined on this viewgraph  
20 clearly define that the calculations effort for Sequoyah  
21 touched significant issues, i.e., confirming that we have  
22 the complete scope of design calculations available and  
23 that they exist.

24 (Slide.)

25 Secondly, to assure that those calculations are

1 technically adequate to be performed, technical reviews  
2 on the calculations. These calculations were reviewed  
3 by TVA personnel and by contractors specifically from  
4 Bechtel, Sergeant and Lundy, Stone and Webster and other  
5 contractors were called upon by TVA to perform technical  
6 reviews of the design calculations.

7 DR. LEWIS: Forgive me for my ignorance. This  
8 is segregating calculations no matter what the  
9 calculations are as long as they are involved in the  
10 plant. I guess I have never seen information segregated  
11 in that way before. It is usually segregated by  
12 function. But anything that involves a calculation  
13 which is defined as an addition or subtraction, I'm  
14 really confused.

15 MR. KIRKEBO: Let me establish a little broader  
16 base for the presentation.

17 The calculations that I'm referring to are the  
18 design calculations that were prepared to support the  
19 technical adequacy of the design going back to the  
20 original time when the plant was originally licensed and  
21 before licensing to the design process. In other words,  
22 we are talking about the calculations in the various  
23 engineering disciplines, civil, mechanical, electrical,  
24 nuclear. A scope of design calculations that was  
25 required to support the drawings, required to support

1 specifications, required to support the configuration of  
2 the plant from a design perspective.

3 DR. LEWIS: So this excludes those design  
4 features which do not require a calculation? That is  
5 what I'm confused about.

6 MR. KIRKEBO: As you will hear in other  
7 presentations, there are other programs that were  
18 accomplished by TVA and looking at the other areas of  
8 the design, other areas of engineering work.  
9

10 The specific remarks that I'm making are  
11 associated with that set of necessary calculations to  
12 support the design and in general, the design is  
13 supported by calculations. The whole design is  
14 supported by calculations.

15 Did I answer the question?

16 DR. LEWIS: Well, yes and no. Yes, you have  
17 done your best to answer the question. I will stipulate  
18 that.

19 MR. KIRKEBO: Let me, again, go through the a  
20 elements of technical adequacy as part of the program.  
21 Technical reviews were accomplished. Some assumptions  
22 were characterized as unverified and unverified  
23 assumptions were resolved during the calculation program  
24 by revision of the calculation to document the technical  
25 adequacy of the assumption.

1           The calculations were integrated. In other  
2 words, we developed a matrix which tied the results of  
3 one calculation into the input of another calculation.  
4 We refer to that as our calculation cross reference  
5 system or CCRIS as you see referred to on this  
6 viewgraph.

7           A final element of the calculation review was  
8 ensuring that the calculations support our license, to  
9 ensure that the calculations are reflective of the  
10 conditions that the license contains.

11           Finally, in some cases, the corrective action  
12 in most cases the corrective action consisted of  
13 regeneration of the calculation, revision of the  
14 calculation and in some cases, actual hardware  
15 modification.

16           The next viewgraph provides a chronology of the  
17 events that constituted our calculation effort.  
18 Actually TVA started this program early in 1986.

19           (Slide.)

20           The program was initially started in the  
21 electrical discipline and then expanded to include all  
22 major engineering disciplines.

23           MR. MICHELSON: Could I ask a question?

24           MR. KIRKEBO: Sure.

25           MR. MICHELSON: I have a little question

1 sorting out this work which is a sort of a  
2 reverification of calculation or establishing a  
3 calculation if one didn't exist. How does that differ  
4 from this baseline verification and verification program  
5 which we are going to hear about next? Why are there  
6 two different ones?

7 MR. KIRKEBO: The baseline program and the  
8 calculations effort supplement each other to provide a  
9 complete set of design documentation and assurance that  
10 the design documentation agrees with the physical  
11 configuration of the plant?

12 MR. MICHELSON: Now, did the verification  
13 program depend upon this program to make sure the  
14 calculations are okay?

15 MR. KIRKEBO: I think that is a fair  
16 characterization.

17 MR. EBERSOLE: These are TVA calculations  
18 aren't they?

19 MR. KIRKEBO: TVA calculations and calculations  
20 supplied by suppliers to TVA.

21 MR. EBERSOLE: That is what I was getting to.

22 CHAIRMAN KERR: Which plant is Unit 2 in  
23 common?

24 MR. KIRKEBO: The terminology in Sequoyah's  
25 certain facilities support both units and some of the



1 hardware is identified solely with one particular unit.  
2 So the terminology Unit 2 in common refers to system  
3 structures and components that are required for Unit 2  
4 operation, part of which is considered common facilities  
5 required also for Unit 1 operation.

6 CHAIRMAN KERR: Thank you.

7 MR. KIRKEBO: The next viewgraph goes over the  
8 number of calculations in each of the disciplines.

9 (Slide.)

10 DR. MOELLER: What is the calculation and do  
11 they not differ in amount of time required and so forth?

12 MR. KIRKEBO: Absolutely. An electrical  
13 calculation would differ from a mechanical calculation  
14 as far as the complexity a mechanical calculation could  
15 consist of anywhere from six to 60 pages. A civil  
16 structural calculation for a major structure could be 10  
17 volumes of paper. So it is not possible to look at  
18 these numbers and gain any type of comparison as far as  
19 the amount of effort or the degree because of the  
20 various ways the calculations are structured.

21 DR. MOELLER: Okay, thank you.

22 CHAIRMAN KERR: But they do make a good slide.

23 MR. KIRKEBO: They do.

24 MR. EBERSOLE: Maybe you could describe them in  
25 a context if you stacked them up how high would they be.



1 MR. KIRKEBO: I think if you stacked them up  
2 you could go all the way across this wall many times,  
3 many times.

4 The next viewgraph deals with the corrective  
5 action and in the interest of time I would like to go  
6 through the corrective action.

7 (Slide.)

8 There are two slides on corrective action.

9 (Slide.)

10 This one is associated with all the corrective  
11 actions on the previous base with the exception of pipe  
12 supports for piping. As we can see 70 percent of the  
13 calculations were okay. 4 percent needed to be revised  
14 and the balance were regenerated. The bottom line as  
15 far as hardware adequacy is much less than 1 percent of  
16 the calculations caused modifications to the Sequoyah  
17 hardware.

18 DR. LEWIS: Could I understand the 70 percent a  
19 little bit. 70 percent were okay means that the second  
20 pass through got the same answer or what?

21 MR. KIRKEBO: It means that the calculations  
22 were reviewed. The technical approach for the  
23 calculations, the assumptions for the calculations, the  
24 methodology, the way the calculation was accomplished  
25 was appropriate for the result or for the intent that

1 the calculation was accomplished for. In other words,  
2 you have a calculation designed to size piping in the  
3 fluid system. You have another calculation prepared for  
4 the purpose of designing the reinforcing steel in a mat  
5 or in a wall.

6 We went through the calculations to assure that  
7 the calculation, one, contained a complete scope of  
8 technical information to support the conclusions.  
9 Secondly, that the methodology was adequate. So I think  
10 the answer to your question is yes.

11 DR. LEWIS: But I'm trying to understand if you  
12 had written that 30 percent of the calculations turned  
13 out to be wrong, would I then be extremely concerned?  
14 Is that what you are saying but putting a nice spin on  
15 it? I don't mean that to be a nasty crack. I'm trying  
16 to understand.

17 MR. KIRKEBO: I think if you view calculations  
18 as documentation to provide assurance that if the design  
19 is totally supportable and I think that is the function  
20 of calculations. If standards that we have today are  
21 different from the standards that existed when the  
22 calculations were originally prepared.

23 I don't think it is possible to draw any type  
24 of message as far as significance. As we all know, one  
25 calculation with a very minor problem in it could have a

1 significance. What I'm trying to depict here is that  
2 TVA has undergone a considerable effort to assure that  
3 these calculations exist, are complete and provide the  
4 assurance that the design as it exists and the hardware  
5 as it exists is supportable.

6 DR. LEWIS: In fact, you meant well but nobody  
7 really doubted. Let me put it slightly differently.  
8 Presumably you did this for some reason. You went  
9 through these tens of thousands of calculations for some  
10 reason. In my experience, for example in writing  
11 software programs and things like that, the worst way to  
12 find whether there are errors is to have somebody review  
13 what has been done before because they make the same  
14 mistakes over and over again.

15 In fact, the only way to assure correctness  
16 really is to get a completely different group, put them  
17 into a dark room, well not too dark, and have them do it  
18 again without any contact with a reference to the people  
19 who did it first. Then if they get the same answer you  
20 have some assurance.

21 I'm just wondering whether this program is a  
22 result of some reason to doubt the accuracy of the  
23 earlier calculations or because they are insufficiently  
24 documented to meet the regulatory standards.

25 MR. FOX: John, let me take a crack at

1 explaining why a lot of these were regenerated.

2 One of the problems and one of the weaknesses  
3 that TVA has particularly at Browns Ferry and Sequoyah  
4 was once the plants got their operating license there  
5 was a very poor design control system. There were  
6 changes made and those changes weren't fed back to  
7 relate the as-designed and the as-analyzed condition of  
8 the plant.

9 So, a lot of this regeneration had to take into  
10 account changes that had physically been made to the  
11 plant since the operating license was obtained. A lot  
12 of those fall into that category. It doesn't mean that  
13 the original calculation was done incorrectly. It just  
14 means that that calculation wasn't properly maintained  
15 as a record. It wasn't properly updated. The  
16 communications the operations plant and engineering  
17 people left a little to be desired. There was not a  
18 good configuration management of the calculations in  
19 many instances.

20 DR. LEWIS: Well I guess the way I should  
21 really read this is that you are creating a slice of  
22 time library of what the plant is supposed to have been  
23 and you are going to have better update control in the  
24 future?

25 MR. FOX: That is correct.

1 MR. EBERSOLE: Are you saying that after the  
2 plant got into operation that there were modifications  
3 and changes played which were done by that particular  
4 sector of TVA operations but there was no feedback and  
5 verification and record keeping to the original  
6 designer?

7 MR. FOX: In many instances that is correct.  
8 That fact led to the genesis of the design baseline and  
9 verification program. You are going to hear from John  
10 Cox in just a moment. That program was aimed primarily  
11 at taking the change paper that occurred since the OL  
12 and bringing that paper up to current day.

13 MR. EBERSOLE: It is interesting that 30  
14 percent of the calculations were changed?

15 MR. FOX: I'm not saying that it was the entire  
16 amount. I'm saying that a large fraction of the  
17 regenerating calculations were to incorporate changes  
18 that were made since the operating license was obtained.

19 MR. EBERSOLE: Is the fact that 30 percent were  
20 changed but there was only one percent physical result  
21 of such change evidence that those people who made the  
22 change utilized this knowledge of margins or  
23 conservatism?

24 MR. KIRKEBO: I think that is one valid  
25 conclusion. Yes I do.

1 MR. EBERSOLE: Did you find you had to eat into  
2 any margins that they had thought were there.

3 MR. KIRKEBO: I think that the modifications  
4 that were made that were not documented, I can't draw a  
5 general conclusion in that respect.

6 MR. EBERSOLE: I notice you have an asterisk on  
7 pipe supports.

8 MR. KIRKEBO: Well, the next viewgraph is on  
9 pipe supports so let's move to that one.

10 MR. FOX: Let me mention one quick point on  
11 regenerations. John is going to cover a number of  
12 missing essential support calculations. When we pass  
13 through the essential calculations that were required to  
14 support the Chapter 15 safe shutdown and accident  
15 mitigation systems, we found missing essential  
16 calculations, calculations that couldn't be retrieved in  
17 the electrical and mechanical and nuclear disciplines as  
18 well as the civil.

19 The principal area where we were missing most  
20 records was essential but we also had to regenerate  
21 missing essential calculations in the other disciplines  
22 as well.

23 MR. MICHELSON: What fractions were missing?

24 MR. FOX: In the civil support area almost all  
25 of them.



1 MR. MICHELSON: I'm thinking out of that 30  
2 percent that weren't okay what fraction weren't okay  
3 because they were missing.

4 MR. KIRKEBO: That is regenerated.

5 MR. FOX: I can get you that number.

6 MR. MICHELSON: I got a sense that regeneration  
7 was when they went back and brought them up to date.

8 MR. FOX: No. Let me clarify that Mr.  
9 Michelson. What I'm saying is that there were certain  
10 calculations that hadn't been properly maintained with  
11 the proper design control methods. In addition to that,  
12 there were calculations that weren't retrievable. That  
13 population includes some of both.

14 MR. MICHELSON: My question was pretty  
15 straightforward. What fraction were nonretrievable.

16 MR. FOX: I will be happy to get you that  
17 number.

18 MR. KIRKEBO: It is right there. It is 26  
19 percent.

20 MR. MICHELSON: I'm getting two answers.  
21 Regeneration doesn't mean it was nonretrievable. It  
22 means it was either nonretrievable or was retrievable  
23 without data.

24 MR. FOX: We can answer that question. We have  
25 the numbers.



1 MR. MICHELSON: I'm sure you do.

2 MR. FOX: In fact, we presented them to staff  
3 in a number of views.

4 MR. WYLIE: We need to move along because we  
5 have got about 22 minutes for the rest of TVA's  
6 presentation.

7 (Slide.)

8 MR. KIRKEBO: The next Viewgraph is associated  
9 with the rigorously analyzed large core pipe support.  
10 Here is where 100 percent of the calculations were  
11 regenerated. The calculations did exist at one time.  
12 The calculations had been destroyed.

13 They were regenerated to the appropriate design  
14 criteria. The results of the regeneration of the  
15 calculations as indicated, number of modifications were  
16 required, some prior to restart and some following  
17 restart.

18 MR. EBERSOLE: Had those been done in the  
19 design sector or in the operations sector?

20 MR. KIRKEBO: These calculations that we are  
21 referring to here had been accomplished in the design  
22 responsibility.

23 MR. EBERSOLE: What did they do, throw them  
24 away?

25 MR. KIRKEBO: Yes, sir, they threw them away.

1 They were accomplished by contractors, suppliers to TVA  
2 and TVA, at some time in the past made the decision that  
3 it was not necessary to maintain these calculations.

4 MR. EBERSOLE: I'd like to know who made that  
5 but I'm not going to ask.

6 MR. FOX: It is a documented trail that is very  
7 clear.

8 MR. KIRKEBO: On the final viewgraph just to  
9 overview the objectives of the calculations program. I  
10 think I have touched upon each of these.

11 (Slide.)

12 In the area of overall corrective action I  
13 wanted to touch upon two things that are indicated here.  
14 First of all TVA has modified its procedure for  
15 reviewing calculations and to insure that the  
16 calculations prepared today are revised today, to get a  
17 truly independent review.

18 Secondly, that the calculation responsibility  
19 is no longer vested within a headquarters branch but is  
20 now, that responsibility rests with a dedicated team of  
21 project engineers assigned to each of TVA's particular  
22 projects.

23 MR. EBERSOLE: You are speaking to Sequoyah 2  
24 at the moment. Is what you are saying all so applicable  
25 in the future to Sequoyah 1 and Watts Bar and Browns

1 Ferry and Bellefonte?

2 MR. KIRKEBO: Yes, sir, it does apply.

3 MR. EBERSOLE: In short, THERE has been a  
4 drastic revision to the whole organizational structure.

5 MR. KIRKEBO: Yes, sir, it is totally  
6 applicable to all TVA facilities.

7 MR. EBERSOLE: Okay.

8 MR. KIRKEBO: Any further questions.

9 CHAIRMAN KERR: In your view has the risk to  
10 Sequoyah been significantly decreased by this rather  
11 elaborate program that you have completed?

12 MR. KIRKEBO: I think the best way to answer  
13 that question is to say that we have objective evidence  
14 of the high degree of confidence and assurance that the  
15 plant design is safe and that the plant configuration  
16 reflects the configuration of the plant.

17 CHAIRMAN KERR: That is a good way to answer a  
18 question I didn't ask. If you prefer not to answer it I  
19 guess I can understand.

20 MR. EBERSOLE: Bill wants some numbers for PRA.

21 CHAIRMAN KERR: I didn't ask for that. I asked  
22 if he thought there had been a significant reduction in  
23 the risk.

24 MR. KIRKEBO: In my view as a newcomer to TVA I  
25 came in with some personal feelings as far as the risks

1 associated with the operation of any TVA plants. As a  
2 result of the efforts, part of which is the calculations  
3 effort, I feel confident. I felt confident coming in  
4 that there was a lot of work that had to be done. We  
5 have done a lot of work and I feel that as of today we  
6 have safe designs and we have the assurance that the  
7 design is safe.

8 CHAIRMAN KERR: Thank you.

9 MR. WARD: There were about 100 hardware  
10 changes that result this program, I guess, if I  
11 understood your numbers on pipe supports were those all  
12 pipe supports.

13 MR. FOX: The 100 that he mentioned a moment  
14 ago were pipe supports.

15 MR. WARD: Where you show 1 percent hardware--

16 MR. KIRKEBO: There were modifications in the  
17 electrical and mechanical area in addition to the  
18 modifications to the pipe support.

19 MR. FOX: The 100 that I was speaking to were  
20 associated with pipe supports those were restart items  
21 and pipe supports.

22 MR. EBERSOLE: While you were doing this it was  
23 being found that the pipe supports were too rigid  
24 anyway. Where did you fall in this unfolding evolution  
25 of consideration of flexibility or rigidity in pipe

1 designs?

2 MR. KIRKEBO: I would like to have Carl  
3 Seidler, our Assistant Civil Branch Chief address that  
4 question as far as rigidity and where TVA stands in the  
5 overall area.

6 MR. SIEDLER: Sir, it is an industry-wide  
7 question. I don't think there is a real good answer for  
8 it. Basically, what we did was we designed to flashing  
9 criteria. We did not get into stiffness. That was not  
10 part of the design basis of Sequoyah and personally I  
11 feel that when you get into that, it is not a wise thing  
12 to do. There are other simpler ways to treat that  
13 problem that assure that the primary operating  
14 conditions of the plant are adequately addressed.

15 MR. EBERSOLE: Did you get rid of that in  
16 Sequoyah?

17 MR. SIEDLER: We did not do any support  
18 optimization during that program.

19 MR. EBERSOLE: Thank you.

20 DR. LEWIS: I want to take a crack at  
21 rephrasing your answer to Dr. Kerr's question a little  
22 earlier. So I'm on your side and you tell me whether I  
23 phrase it incorrectly.

24 I believe that your answer was that in fact the  
25 recalculations have not, in your view or you don't have

1 any reason to believe that they have reduced the risks  
2 but you have good reason to believe that they have  
3 increased your assurance that the previous estimate of  
4 the risk was the right one?

5 MR. KIRKEBO: Yes, sir.

6 DR. LEWIS: If that is a reasonable  
7 interpretation let me go on with a question. Is the  
8 same statement true of the hardware modifications that  
9 have been made as a result of the recalculation program  
10 that they probably have not decreased the risk but that  
11 they have increased your assurance of what the risk is,  
12 is that true?

13 MR. KIRKEBO: Yes, sir.

14 DR. LEWIS: Is that a better answer to your  
15 question? Never mind. I can't ask you questions, I am  
16 the chairman.

17 MR. KIRKEBO: Any further questions?

18 (No response.)

19 Thank you.

20 MR. FOX: John Cox, project engineer on  
21 Sequoyah is going to speak for about five minutes on the  
22 design baseline and verification program. Then we are  
23 going to spend the rest of the time on IDI lessons  
24 learned. We are still discussing and trying to resolve  
25 NRC concerns of the staff on the diesel and we will

1 defer to them to cover that during their part of the  
2 presentation.

3 MR. COX: I'm John Cox. I was the design  
4 baseline program manager during this effort and I'm  
5 going to quickly try to carry you through this for the  
6 sake of trying to keep it to five minutes.

7 (Slide.)

8 The design baseline program was established to  
9 take care of a number of design control weaknesses. I  
10 think Mr. Fox addressed a number of those a moment ago  
11 in the question about the design program, design  
12 baseline and the design control process. It was a very  
13 extensive program that encompassed over a year of  
14 activity by an equivalent number of 300 to 400 people.

15 MR. MICHELSON: What is the time frame?

16 MR. COX: The time frame was May of '86 to June  
17 or July of last year. We expected about 650 manhours in  
18 the effort. The objectives of the program, I'm going to  
19 cover two bullets at the same time.

20 (Slide.)

21 They are covered in the nuclear performance  
22 plan and the major things I'd like to get across is that  
23 we have reestablished the design control process. My  
24 next slide I'm going to go into that in some detail.  
25 The objectives of the design baseline verification



1 program was to obtain a design baseline and to be sure  
2 that the modifications post OL did not degrade the  
3 systems evaluated.

4 (Slide.)

5 The elements of the program that are covered,  
6 this is a slide on the design change control process and  
7 I want to deliberate on this in a little more detail  
8 than some of the others because I think that the  
9 subcommittee asked that we cover this which I did not  
10 cover in the subcommittee. The first thing I would like  
11 to talk about is we had some weaknesses in the design  
12 control process by issuing changes on a drawing by  
13 drawing method. We now issue these on a complete  
14 engineering package.

15 We also have weaknesses with regards to a two  
16 drawing system which we had as designed and as  
17 constructed drawings and we now have a process by which  
18 we are going to a single drawing which we call a CCD or  
19 configuration control drawing and we also are doing  
20 field walkdowns of every change package that we are  
21 looking at.

22 MR. EBERSOLE: But there will always be a lag  
23 time between the drawing and the ongoing document?

24 MR. COX: Absolutely.

25 MR. EBERSOLE: What kind of lag times are we

1 talking about?

2 MR. COX: We have a real time basis, Mr.  
3 Ebersole associated with marking up of control room  
4 drawings so that the operators, as soon as we get  
5 varifications that a change has been implemented, we get  
6 a mark up almost immediately on the thing. So that is  
7 actually a red line process.

8 MR. EBERSOLE: So sometime later on it is  
9 documented in the permit?

10 MR. COX: In a CCD permit drawings.

11 MR. EBERSOLE: How long does that take?

12 MR. COX: We are in a backlog process of  
13 catching up in that process. I personally don't know  
14 what that process will be. I know we had a very  
15 aggressive program to make that time as short as  
16 possible.

17 MR. EBERSOLE: Thank you.

18 MR. COX: We have established a change control  
19 board which we view every change coming into the  
20 processing for the the plant also. We had a large  
21 volume of changes before and so this CCD is a screening  
22 process.

23 We also had a weakness associated with the fact  
24 that the scope of the changes was very large for each  
25 ECN package. So we are limiting the scope to be what we

1 call a bite size package. And finally, the design  
2 engineering organization does maintain design integrity  
3 or design authority over the change control process.

4 MR. EBERSOLE: Well, when you close out a  
5 system to do a change and it is dead for a time, you  
6 make the change, you must inform the operator before he  
7 reinstalls the system or puts it back in operation.

8 MR. COX: That is correct.

9 MR. EBERSOLE: Do you have a routine for doing  
10 that?

11 MR. COX: That is a part of the process, part  
12 of the authorization or approval process by  
13 modifications that a design package has been worked,  
14 that design has bought off on it and it is in an  
15 operable state.

16 MR. EBERSOLE: Does the operator certify he now  
17 knows that R15 is pertinent rather than R14? Does he  
18 have some way of documenting he understands the last R  
19 number?

20 MR. COX: Maybe Mr. Bynum could address that or  
21 Mr. Hausner.

22 MR. HAUSNER: My name is John Hausner. What we  
23 do is as soon as the test is complete on the field work  
24 package the day that is done the control room primary  
25 drawings which number about 900 are marked up with a red

1 pencil. It is called red lining. So as soon as the  
2 post mod test is complete the control room operator  
3 acknowledges that is complete.

4 Modifications marks that day on the control  
5 room drawings, a red line picture of the change. Then  
6 within 15 days we issue a drawing that shows that  
7 change. That is our requirement, 15 days. We struggled  
8 with that a little bit but 15 days is our primary  
9 drawings.

10 DR. REMICK: How do you get that into the  
11 operator's initial and continuing training. You must  
12 send copies of that to the training department?

13 MR. HAUSNER: I will try to address that also.  
14 Mr. Smith who is our new plant manager has asked us to  
15 simultaneously mark up the sets of drawings in our  
16 response center. So at the same time we mark the  
17 control room drawing we mark up the plant training  
18 center drawings and emergency center drawings. That is  
19 the commitment we have now.

20 DR. REMICK: But somebody has to pick that up  
21 and say we are not just worried about the people on the  
22 shift at that time. We are talking about the people  
23 that you have that might be away from the plant or on  
24 vacation at that time. Somebody has to decide we are  
25 going to incorporate this into continuing training and

1 initial training. What is your mechanism for doing  
2 that?

3 MR. COX: John, the question was what is the  
4 mechanism for that and I'm not familiar with the  
5 mechanism.

6 MR. HAUSNER: I can't answer that.

7 MR. FOX: Here is Mike Sidlacey.

8 MR. SIDLACEY: Mike Sidlacey. The work plant  
9 process itself has a provision in the operational review  
10 of the work plant before the work is initiated that is  
11 sent to the operations department. They assess whether  
12 or not any training must be performed, any procedures  
13 must be changed prior to the plan being issued.

14 Once the work plan is executed it returns back  
15 to the operations department for them to sign off. They  
16 have change procedures and they have initiated the  
17 training and this is prior to system operability.

18 DR. REMICK: Thank you.

19 MR. MICHELSON: At the time of the subcommittee  
20 meeting we discussed this same subject and I asked for  
21 an example on namely auxillary control air system.

22 MR. COX: Yes.

23 MR. MICHELSON: And to send to me kind of a  
24 basic document that I guess you either developed or did  
25 something. I received such a document called detailed

1 design criteria and I received our copy issued in July  
2 of '86 and the question is is this document written by  
3 you people as a result of your work or how did it come  
4 about?

5 MR. COX: It was a result of the design  
6 baseline program and I will get into that in my next  
7 slide, Carl.

8 MR. MICHELSON: Is it reasonable to assume then  
9 that such a document didn't exist prior to that time or  
10 what?

11 MR. COX: In most cases we did not have  
12 documents or documents were not up to date.

13 MR. MICHELSON: Well, there is quite a  
14 difference, of course, between not having them and just  
15 not having them up to date.

16 MR. COX: Both cases existed.

17 MR. MICHELSON: You don't know which it was. I  
18 couldn't tell from this because this is R zero.

19 MR. COX: If it is R zero the product that we  
20 had before just may not have been sufficient to be  
21 revised.

22 MR. MICHELSON: I think I have seen the product  
23 before. It is a strange numbering.

24 (Slide.)

25 MR. COX: These are the major programs of the



1 baseline program. We established an EAO review team  
2 initially that was with the program from start to  
3 finish. There was about a 17 man program that was there  
4 full time looking at every element of the program. The  
5 first major element was that we did review all of the  
6 licensing documents, correspondence and so forth to  
7 establish regulatory requirements and licensing  
8 commitments.

9 We incorporated these in the creation of design  
10 criteria for all the safety systems that were designed  
11 to mitigate design events and that was the scope of the  
12 program that we were looking at for the design baseline  
13 program. Once the criteria were established, and during  
14 this process we were doing system walkdowns, a  
15 functional walkdown of each of the safety systems under  
16 the scope of the program.

17 With respect to electrical areas, we actually  
18 started with the preop test results and looked at all of  
19 those as a baseline and then looked at all of the post  
20 modification testing results that were done. The next  
21 element was that we looked at all the post OL changes to  
22 the plant for all of these systems and we evaluated them  
23 against the design criteria. The changes were assured  
24 that they met the design criteria and the design  
25 basis of the plant.



1 MR. EBERSOLE: Let me ask a question. I recall  
2 a year in which the plant management at Sequoyah, in  
3 response to a question did he want a system description  
4 and operational concept which is a narrative go along  
5 with the drawings, the P and ID and so forth. The  
6 response was I don't want anything told to me about how  
7 I should operate the plant. All I want is the P and  
8 ID's, the elementaries and schematics which was crazy as  
9 hell. Has that been fixed?

10 MR. COX: I believe it has been fixed by the  
11 fact that we have established a design basis. We have  
12 established a good criteria now reflecting that and I  
13 believe our intentions are still and I think now  
14 operations wants systems criteria.

15 MR. EBERSOLE: Do you get it now? Do you get  
16 that sort of thing, I will call it system descriptions  
17 and operations concepts as a companion document with the  
18 elementary and schematics?

19 MR. COX: Our documents are not system  
20 descriptions but I think that that is an enhancement  
21 that we may be planning for in the future.

22 CHAIRMAN KERR: TVA has about five more  
23 minutes, Mr. Cox.

24 MR. COX: Let me make one more point or two.  
25 The final major program element was that we did do a

1 system evaluation for each of these systems to evaluate  
2 the adequacy of that system to do its safety function.

3 We are in the final stages of cleaning up only  
4 a handful, maybe 12 testing items remaining for all the  
5 deficiencies that were identified from the program.  
6 Those will all be cleared up, the restart items before  
7 restart. The only remaining items are those items that  
8 are heatup testing items.

9 The last slide depicts the results of the  
10 program and acute key points is that we have a design  
11 control process in place and that we have successfully  
12 reconciled the design control issues as identified in  
13 the nuclear performance plant.

14 MR. MICHELSON: Do design process descriptions  
15 exist for each of the safety related systems?

16 MR. COX: We have not created new system  
17 descriptions as the question was before.

18 MR. MICHELSON: As opposed to design criteria.

19 MR. COX: Right, we have not developed new ones  
20 at this time.

21 MR. MICHELSON: How do you convey the system  
22 descriptions to the people who are now going to use the  
23 system for whatever reason?

24 MR. COX: The system that has been conveyed is  
25 a product of the previous information that was in place,

1 system descriptions described in the nuclear steam  
2 supply system package we got from Westinghouse and in  
3 various and sundry ways in design packages, Carl.

4 MR. MICHELSON: I'm thinking of the air system  
5 which we looked at in some detail now. How does the  
6 person who has to interface with the air system, where  
7 does he find a good description of the air system. I  
8 got a good description of the criteria documents. It is  
9 a good document no problem but I can't tell what the air  
10 system consists of.

11 MR. COX: The FSAR is a good system for that we  
12 have not established a system description as such.

13 MR. MICHELSON: That seems like sort of a  
14 shortcoming, just to comment.

15 MR. COX: Any other comments.

16 (No response.)

17 Thank you.

18 MR. FOX: The next speaker is Doug Wilson,  
19 Chief of Nuclear Branch. Prior to taking that system he  
20 was the project engineer at Sequoyah.

21 A.R. WILSON: Good morning, I was TVA's IDI  
22 engineering team leader primarily at Knoxville. This  
23 presentation of the ACRS is intended to acquaint them  
24 with the process that we went through and to give them  
25 our perspective on the findings that were made in the

1 IDI program.

2 (Slide.)

3 Our goal was to be fully supportive of the NRC.  
4 The NRC decided on June 8th that an IDI was required and  
5 as I said our goal was to be fully responsive and to  
6 determine that any programmatic issues that came out of  
7 the IDI review that we would do a broad cross-sectional  
8 review of it to make sure that it didn't impact other  
9 systems.

10 We had a dedicated team. We had 25 persons  
11 full time with 60 at the peak. We used personnel that  
12 were not readily available. They were people that we  
13 would rarely spare. For instance we used the lead  
14 engineer from Sequoyah itself. We had to make  
15 arrangements for replacements for those people. We used  
16 our senior engineers at central staff. We had top  
17 management involvement. We had a number of high quality  
18 consultants.

19 CHAIRMAN KERR: Mr. Wilson, in light of our  
20 time limitations why don't we stipulate the material on  
21 the slides. If you have something to add to the slides.

22 (Slide.)

23 MR. WILSON: NRC reviewed, as you can see it  
24 was in DEPTH. It covered a broad spectrum of issues.  
25 The thing that we began with, we began with a walkdown

1 at Sequoyah for a couple of days. We concluded this  
2 with a review of design documentation.

3 Where problems were found in the vertical size  
4 we did a broad horizontal section review to make sure  
5 that this didn't occur in other systems both at Sequoyah  
6 and our other nuclear plants.

7 (Slide.)

8 You can see these categories are split into  
9 four areas. What we call no deficiencies.  
10 Documentations and observations, engineering  
11 deficiencies and minor calculation error operations.  
12 You can see there are deficiencies and if you add the  
13 INC and electrical together you will find that they were  
14 fairly well split along this one line.

15 (Slide.)

16 Our conclusions are that although there were a  
17 number of findings in the IDI area, most of them were  
18 resolved by reanalysis. As Mr. Kirkebo pointed out  
19 earlier in the case of deficiencies we have initiated a  
20 review both for the other systems at Sequoyah and at  
21 TVA's other nuclear plants.

22 TVA believes that the IDI review has indicated  
23 that adequate margins do exist as evidenced by the small  
24 number of modifications necessary and in resolving the  
25 IDI findings we have found nothing which necessitates

1 major programmatic changes at Sequoyah or changes to our  
2 nuclear performance plant for supporting restart.

3 DR. REMICK: Could you give me a couple of  
4 examples of the systems of which they took a vertical  
5 slice.

6 MR. WILSON: Yes, sir. We looked at component  
7 cooling water systems, raw cooling water systems. The  
8 major system that was reviewed by NRC was ERCW. So we  
9 looked at the other water system in the case of civil  
10 structural items. For instance, when they found a  
11 supposed problem with one building, we reviewed all the  
12 buildings in category one listing.

13 DR. REMICK: Thank you.

14 MR. WILSON: Thank you.

15 MR. FOX: I would just like to add one remark  
16 before you turn it over to Stan. We have answered the  
17 subcommittees questions. We have them in writing. We  
18 will provide them to the Office of Special Projects and  
19 document them through the normal process.

20 We also have just received a letter from ANI on  
21 the recent inspection at Sequoyah last week. We will  
22 provide that to the staff along with the answers to the  
23 staff's questions and they can provide you copies of  
24 both responses to their questions and their most recent  
25 ANI letter if that is acceptable.



1 MR. WYLIE: I think that would be fine.

2 MR. RICHARDSON: I guess I'd like Eileen  
3 McKenna to give our quick follow-up on the IDI.

4 MS. McKENNA: Good morning. My name is Eileen  
5 McKenna, I'm the senior project manager in the TVA  
6 Product Division of the NRC Special Projects working on  
7 Sequoyah. I will try to be brief on this.

8 Staff basically had thru inspection activities  
9 associated with the IDI. It was a major program between  
10 July and September which resulted in an inspection  
11 report that was issued in November which established the  
12 items for which we felt actions needed to be taken. At  
13 that time, we were concerned about the number of issues  
14 relating to structural capacity and at that point we  
15 felt there needed to be a broader look at the overall  
16 structural capacity.

17 And then we had a couple of other specific  
18 items that were brought up in the inspection and there  
19 were a couple of programmatic aspects with respect to  
20 timeliness of corrective actions and system integration.  
21 That was based on the information up through September.  
22 Staff went back in November and conducted additional  
23 inspection with the information that TVA was able to  
24 provide or retrieve or regenerate.

25 (Slide.)



1           This briefly summarizes the results of that  
2 inspection. The result of the information that either  
3 was regenerated or otherwise retrieved. We concluded  
4 that we did not need to do this comprehensive  
5 broad-based review of the structures, the information we  
6 found where there were issues in the structural area but  
7 the reanalysis, the recalculation were able to resolve  
8 those. So we didn't feel we needed to do that initial  
9 review that was mentioned in the November inspection.

10           These were the items at that point that  
11 required additional review. You see a lot of them are  
12 civil engineering related in specific areas that we had  
13 particular corrective actions or sample approaches that  
14 we were looking at to confirm the degree of margin that  
15 was existing.

16           (Slide.)

17           As we mentioned to the subcommittee last week,  
18 there was an additional inspection being conducted at  
19 that time. I think it was very productive. We are down  
20 at this point to a very small number of issues that are  
21 still being reviewed. Most of them tie in with the  
22 inspection that is going to be conducted next week of  
23 the overall civil calculation program which was an issue  
24 we had to look at which was going to cover, for  
25 instance, looking at the regeneration of pipe supports.

1           As I say, I think we are down to about 14 items  
2 that are not closed at this point, most of which will be  
3 looked at next week.

4           (Slide.)

5           The general summary I think the staff found  
6 from this inspection was that it accomplished the  
7 purpose that was intended, that is to provide additional  
8 confidence to the staff. That there were no major  
9 program issues or problems that hadn't been otherwise  
10 addressed. As was mentioned, when a problem was found  
11 in the central cooling water system, the generic  
12 implications, whether it was a design pressure problem  
13 in that system, we looked at other systems to see  
14 whether there might be a similar problem there.

15           As a comment we made that in some cases we felt  
16 that in the past there had been refined engineering  
17 analyses done rather than relying on putting in an extra  
18 and large degree of margin or conservatism. So that  
19 required, in some cases, more detailed analysis or  
20 review by the staff to reach the same conclusions that  
21 everything was an acceptable degree of margin.

22           As I mention, we have this inspection next week  
23 which we hope will close out our review in the civil  
24 calculation issues.

25           MR. EBERSOLE: When you looked at that ARCW

1 system I suppose you noticed that it had an available  
2 pressure of 60 feet because of the big flood we had.

3 MS. McKENNA: I understand what you are talking  
4 about.

5 MR. EBERSOLE: So, when it operates through  
6 that range, I believe, how does it cope with the  
7 availability and pressure like that?

8 MS. McKENNA: Well I think that relates  
9 probably we have these issues of design pressure and a  
10 lot of those issues relate to abnormal conditions where  
11 things were operating normally that you didn't have any  
12 problems. It was either some component was out or you  
13 were in some unusual situation where you might not  
14 satisfy the design conditions.

15 MR. EBERSOLE: You get about 30 psi on  
16 discharge with the presence of the flood. Was that  
17 accounted for in the fine structure of your vertical  
18 slicing?

19 MS. McKENNA: I really can't answer that  
20 question since I wasn't on the team. I think, as I say,  
21 if you look at the documentation and the extent of the  
22 review that was done those kind of things would be  
23 considered but I can't answer your specific question.

24 CHAIRMAN KERR: Does that complete your  
25 presentation?

1 MS. McKENNA: Yes, it does unless there are any  
2 other questions.

3 CHAIRMAN KERR: I realize that one does these  
4 sort of things for other reasons than reducing risk but  
5 in your view was the risk significantly reduced by this  
6 operation?

7 MS. McKENNA: Again, I think if you look at the  
8 kinds of modifications that were necessitated as a  
9 result of this which was a relatively small list, I  
10 think we went over it with the subcommittee, I don't  
11 know that we can say that we really reduced the risk.

12 I think another part that you should consider  
13 is that this program, in isolation, did not cover  
14 everything. Some of the things that were raised in our  
15 review in the IDI were coming out of UDVP or calculation  
16 programs or some of the other aspects so that the  
17 additional--

18 CHAIRMAN KERR: I'm not trying to be critical.

19 MS. McKENNA: I understand what you are saying.  
20 It is a difficult question to answer to say the fact  
21 that you have installed an additional pipe support or  
22 made a modification, how much does that actually  
23 contribute to reduction in risk is a very plant specific  
24 and very judgmental decision, I think.

25 I think one thing you could say by the fact

1 that the overall program of better documenting  
2 situations could lead in the future, since you now  
3 understand better what the design basis is is control  
4 changes.

5 CHAIRMAN KERR: As I say, I recognize there are  
6 other reasons for doing things than to reduce risk but  
7 I'm personally concerned about that because it is also  
8 the case that when you go in and make changes to an  
9 existing plant there is the chance that you will  
10 increase risk.

11 MS. McKENNA: Yes, I understand what you say.  
12 I think that you have to look at what you are going in  
13 to modify it for, if there is a specific problem or  
14 issue that you are trying to address and to look at some  
15 of these interface problems that you go in to fix,  
16 pressure problem that you don't induce some operational  
17 problem, for instance, yes.

18 CHAIRMAN KERR: Thank you, ma'am.

19 Mr. Moeller?

20 DR. MOELLER: Could I just ask, and I presume I  
21 know the answer, the staff is following up then on these  
22 control room HVAC questions about the changes in the  
23 tech specs and you are following up on the operability  
24 of the hydrogen analyzers?

25 MS. McKENNA: Yes.

1 DR. MOELLER: So we will get a report later on  
2 that?

3 MS. McKENNA: On the total ventilation, for  
4 instance, there was a technical specification change  
5 that was submitted and we are processing a licensing  
6 amendment which should be out very shortly which would  
7 explain the reasons for why they wanted the change and  
8 our evaluation of it and that will be available to you.

9 In the case of the hydrogen analyzer there had  
10 been some problems that were identified over the last  
11 year during some inspections and would have been on the  
12 R's and in response to inspection reports associated  
13 with that we have been following that issue very  
14 closely.

15 TVA has made some modificationsto the system to  
16 try to eliminate some of these problems, problems with  
17 water traps, for instance, in terms of instrument  
18 accuracy and we have been looking at that. I believe  
19 our intention is we were going to put out an evaluation  
20 of that system. I believe that is still in progress to  
21 close out these open issues that have resulted from the  
22 past reviews.

23 DR. MOELLER: Thank you.

24 MR. WYLIE: Mr. Chairman, we have one other  
25 item if we could take a minute or two to get a response

1 on it. It had to do with the diesel generator  
2 sequencing.

3 CHAIRMAN KERR: You literally mean a minute or  
4 two?

5 MR. WYLIE: Well, I hope we can do it in a  
6 minute just to give us a report on the status.

7 MR. RICHARDSON: Mr. Moreno will give us the  
8 status on where we stand.

9 MR. MORENO: My name is Angelo Moreno, I'm the  
10 Chief of the Reactor Operations Branch in the TVA  
11 projects and I do have responsibility for resolution of  
12 of the diesel generator. Unfortunately, I have no  
13 slides. I wasn't certain about the interest of the  
14 committee on what the questions were with regard to  
15 calculations and the calculations do not lend themselves  
16 to a pretty slide.

17 So, I would be happy to answer any questions  
18 that the committee has. I will try to give you a quick  
19 overview of the recent past issues and events that have  
20 occurred.

21 CHAIRMAN KERR: Maybe we had better find out  
22 what questions the committee has. What questions does  
23 the subcommittee have, Mr. Wylie.

24 MR. WYLIE: Well, we looked into this when we  
25 were down at Sequoyah. So the subcommittee is familiar



1 with the problem. I guess my only question is have we  
2 resolved the problem?

3 MR. MORENO: We have not resolved the problem.  
4 We met with TVA yesterday. TVA is in the process of  
5 attempting to resolve the questions that the staff has  
6 raised by using a different methodology than what was  
7 presented to us three weeks ago.

8 CHAIRMAN KERR: Is TVA confident that they can  
9 solve the problem?

10 MR. FOX: Yes, sir. They have some specific  
11 concerns which we have not addressed to their  
12 satisfaction. We are going to do a count with a  
13 different methodology to demonstrate the margins and  
14 hopefully that will help resolve the issue.

15 I think we agreed to the approach as to what we  
16 need to do to get the data that the staff requires to  
17 resolve the issue.

18 MR. WYLIE: We thank you, Mr. Moreno.

19 MR. WARD: Did we hear the office evaluation of  
20 the TVA meeting?

21 MR. WYLIE: Which one?

22 MR. WARD: The the fourth slide in the staff's  
23 package.

24 MR. WYLIE: Well, we cut several things short  
25 here because of lack of time. Do you want to take the

1 time?

2 CHAIRMAN KERR: If Mr. Ward wants to hear it?

3 MR. WARD: Well, I thought the committee might  
4 be interested since that is a central issue.

5 MR. RICHARDSON: This is a brief summary of the  
6 various activities that the staff has done to review the  
7 management changes and satisfy ourselves that TVA  
8 Sequoyah is ready for operations in the near future and  
9 that the corporate changes are appropriate.

10 (Slide.)

11 Most of the changes that TVA has committed to  
12 from a corporate management or in the corporate  
13 performance plan, we provided a TVA evaluation on that  
14 last summer. Our overall assessment was that we had  
15 seen positive progress in all areas. We were satisfied  
16 with some of the specific changes that they had made.  
17 The staff has a continuing concern that the director of  
18 the office of nuclear power has too many people  
19 reporting to him. We went back and forth with TVA on  
20 several occasions.

21 The resolution of that item was that we  
22 approved the current organization with the stipulation  
23 that before new personnel are brought in specifically  
24 for the Office of Nuclear Power that we would have a 30  
25 day notification prior to that change.

1           We have recently issued the SER on the Sequoyah  
2 performance plan. We have monitored the various aspects  
3 of the TVA management changes through our inspector  
4 program. We talked briefly about NSRB, the NMRG  
5 reviews. We conducted a two week inspection during late  
6 summer. It was an inspection team with people with  
7 human factors experience, resident inspectors from other  
8 sites who had good performing records.

9           We went through and essentially evaluated the  
10 different functional areas of the plant, ops, QA,  
11 maintenance, against the criteria of was management  
12 effective in planning the work. Did the communications  
13 within those organizations seem effective. And thirdly,  
14 was the work actually being accomplished and under the  
15 direct control of management.

16           The results of that inspection should be issued  
17 within the week. We have had some trouble getting the  
18 inspection report out but we are generally satisfied  
19 with the results the internal staff of OSP took the  
20 attributes that Dr. Merly wrote up which concerns staff  
21 training, whether or not the plant has a plant specific  
22 simulator, rigorous adherence to procedures, staffing,  
23 the amount of overtime, the nuclear work effort,  
24 professional decorum in the control room.

25           There were essentially 140 of those attributes

1 and we pulled together the various people. The resident  
2 inspectors, regional base inspectors, various managers  
3 at OSP and went down through these lists.

4 The one item that stood out back in mid  
5 December when we reviewed it was that we thought the  
6 nuclear work effort which was the safety consciousness  
7 whether safety was a paramount consideration, we thought  
8 that that needed improvement at that time and we told  
9 the commission that on January 20th.

10 Recently during the heatup process at Sequoyah  
11 Unit 2, we have seen some very positive improvements in  
12 that. The items that they got into where there was some  
13 uncertainty where there was an impact on the safety for  
14 mode 4 operations, the plant manager made a very early  
15 and decisive call that it was a safety issue and they  
16 weren't going to go forward until the issue was  
17 resolved.

18 Reportability was a problem. Back last summer  
19 they had several events and they were questionable  
20 whether they were reportable to the NRC. There was a  
21 change of correspondence. We have had reportability  
22 being much better and all the unusual events at Sequoyah  
23 have been promptly reported.

24 CHAIRMAN KERR: In your view is there a high  
25 correlation between early reporting and safety.

1 MR. RICHARDSON: Yes, sir, I think there is.

2 MR. WARD: Earlier we had a question about the  
3 qualifications of the NRC staff who are observing in the  
4 control room. I guess I'd like to ask a parallel  
5 question about the NRC staff who are making the reviews  
6 and the judgments here. Do you have staff members who  
7 have experience or training or education in the areas of  
8 concern at these meetings.

9 MR. RICHARDSON: We have several people on our  
10 staff who are routinely involved in the organizational  
11 approvals like in Chapter 13 of the FSAK, the routine  
12 approval of the licensees management structure and those  
13 type things and those people were involved in this  
14 review. The remaining people on the team were more  
15 operationally based senior resident inspectors from  
16 other plants.

17 MR. WARD: So the people who do the staff and  
18 the Chapter 13 reviews are experienced in that they have  
19 done other reviews?

20 MR. RICHARDSON: Yes, sir. I don't think,  
21 offhand, I can't think of any specific training or  
22 educational qualifications that have led to their  
23 qualifications for those things.

24 MR. WARD: Thank you.

25 CHAIRMAN KERR: Thank you, Mr. Richardson.

1 MR. WYLIE: I'd like to thank the staff and TVA  
2 for the presentations. Mr. Chairman, the subcommittee  
3 was favorably impressed with what it learned and saw at  
4 TVA in Sequoyah and recommends that we write a letter  
5 expressing the views of the ACRS in closing out our  
6 letter of August 12, 1986 and we have prepared a draft  
7 that will be recommended to the committee.

8 CHAIRMAN KERR: Okay.

9 One last question. As I understand in response  
10 to Mr. Ebersole, the concerns expressed by Mr. Bartlick,  
11 I believe it is, are being looked at and it will be  
12 resolved at some point satisfactory to the staff as to  
13 when startup occurs?

14 MR. RICHARDSON: Yes, sir.

15 CHAIRMAN KERR: And we will get a report on the  
16 resolution of that as soon as it is prepared?

17 MR. RICHARDSON: Yes, sir.

18 CHAIRMAN KERR: Other questions or comments?

19 (No response.)

20 CHAIRMAN KERR: Thank you very much. We will  
21 take a 10 minute break and resume at ten of.

22 (A brief recess was taken.)

23 CHAIRMAN KERR: We will continue an item we  
24 began yesterday and did not have time to complete.

25 MR. WARD: This time slot was originally item

1 seven on the agenda. We have a couple of hours devoted  
2 to the discussion of the quantitative safety goals. We  
3 are going to postpone that for 40 or 45 minutes and pick  
4 up the staff discussion on key issues associated with  
5 advance reactor design at this time. I think we will go  
6 until about 11:30 with this topic and the subcommittee  
7 had reviewed sort of a working paper from the staff  
8 earlier and also had a presentation from the staff on  
9 the subject earlier.

10 The staff has made a number of revisions in  
11 their paper since then. We just got that revised paper  
12 yesterday so the subcommittee hasn't had a chance to  
13 look at it. But Mr. Tom King of the staff is going to  
14 present us a summary of that. I think it is a very  
15 important area and the committee is probably going to  
16 want to comment on it but I think not at this month's  
17 meeting. I think we will return to the subject at the  
18 meeting in March.

19 So, Tom King if you will tell us what you have  
20 to tell us.

21 MR. KING: My name is Tom King. I'm the Branch  
22 Chief of the Advance Reactors Generic Issues Branch in  
23 the Division of Regulatory Applications. So I'm going  
24 to give a limited presentation and in consideration of  
25 time I'm not going to cover every one.



(Slide.)

I'm going to summarize what is on the draft paper that we gave to you a couple of days ago. So, I will skip some of the viewgraphs here. Let me just, by way of introduction, describe what we are doing here, what the purpose of this paper is.

(Slide.)

Yesterday you heard about three DOE sponsored, innovative designs, the HTGR and the two Sony reactors. Those designs, as you recall, proposed different methods of accomplishing their reactor safety function based upon the predicted plant characteristics of their designs.

The staff has been reviewing these conceptual designs for about a year now for the purpose of providing guidance on licensing criteria for these designs early in the design process. This is part of implementing the Commission's advanced reactor policy statement. As part of that review, we have identified four issues that we consider key issues that have policy implications that we have prepared a paper on to raise these to the Commission and the Commission has asked that these issues be raised to them for guidance before we issue our SER's and write an SER in each of the three areas.

1           So, the paper you have is in response to that  
2 Commission request. It is a staff proposal as to what  
3 criteria we feel are acceptable in order to accept the  
4 DOE proposals in those four areas.

5           The four areas are selection of accidents. How  
6 you select source terms, the containment question and  
7 the emergency planning question.

8           We had to brief the subcommittee on this. We  
9 would like an ACRS letter on this. The timing is up to  
10 you. We would like a letter on that proposal.

11          DR. MOELLER: Excuse me. One item in the last  
12 memo was the adequacy of offsite emergency planning.  
13 How could you determine the adequacy of the planning for  
14 an advanced plant that has not been built or sited? Do  
15 you mean what degree compared to today's plants what  
16 degree of emergency planning would be necessary?

17          MR. KING: As you recall, what is being  
18 proposed is essentially setting the EPZ at the site  
19 boundary?

20          DR. MOELLER: Right, with no necessity.

21          MR. KING: Other than maybe some notification  
22 kind of things there wouldn't be the initial drills and  
23 evacuation plan.

24          DR. MOELLER: So you wanted to review and see  
25 if that was acceptable.

1 MR. KING: Yes. We wanted to see what would it  
2 take in a design for us to be able to accept that.

3 DR. MOELLER: Okay, thank you.

4 (Slide.)

5 MR. KING: I will jump to page five and quickly  
6 you recall the advanced plants you heard about  
7 yesterday.

8 CHAIRMAN KERR: Excuse me, Mr. King. That  
9 statement implies that there would be some designs that  
10 would permit you to accept that.

11 MR. KING: Say that again, please?

12 CHAIRMAN KERR: There could be designs that  
13 would permit you to accept the fact that in effect the  
14 EPZ is, in effect, no emergency plan is necessary. I'm  
15 not trying to be critical. I want to make sure I  
16 understood the implication.

17 MR. KING: That is correct. We are sort of  
18 looking at things generically and finding out what would  
19 it take for the staff to meet that. Whether the designs  
20 will meet that will be discussed. We are discussing the  
21 approach in the four areas that this paper addresses.  
22 Just quickly recall what is being proposed on these  
23 advanced designs are a selection of accidents that need  
24 to be considered in the design, anticipated operational  
25 occurrences, design basis accidents and a range of LWR's

1 we call them severe accidents or low probability  
2 accidents.

3 Each is proposing a set of those. Each  
4 designer is proposing a more mechanistic approach to  
5 siting source term selection and use. Each design does  
6 not have a traditional light water reactor type  
7 containment building and proposed something different.  
8 All three designs propose setting an EPZ at the site  
9 boundary. Those are the proposals that triggered--

10 MR. SHEWMON: A decade ago when you first heard  
11 about these things probably and maybe I did, there was  
12 talk about what I vaguely remember as a high energy  
13 dispersive accident which don't ask me where the heck it  
14 came from. All of a sudden you got a vent equivalent to  
15 how many other 100,000 jewels or whatever occurring and  
16 dispersing things. That was largely nonmechanistic too.

17 It seems to have disappeared from the scene.  
18 Can you tell me, in a few sentences basically, why we  
19 are more rational now?

20 MR. KING: Right. In the old days,  
21 particularly in the sodium plants there were HCDA's,  
22 hypothetically core disruptive accidents. FTAAA's were  
23 presumed to happen. In Clinch River, if you recall the  
24 licensing it became more of a mechanistic look, taking  
25 events in loss of decay heat removal events and taking a

1 look at how the core would behaved and what kind of core  
2 energetics you would get out of that. So it wasn't  
3 quite so hypothetical.

4 Now you have designs that are taking great  
5 pains to prevent core melt and sodium boiling and  
6 prevent the conditions that would give you energetic  
7 events. We are taking the approach that there must be  
8 someplace out there where a plant can be designed safe  
9 enough that you can say those kinds of energetic events  
10 are so remote they don't have to be considered anymore.

11 MR. SHEWMON: These rather dispersed cores  
12 which we saw yesterday then are what result from this  
13 kind of consideration?

14 MR. KING: Yes. By using negative, inherent or  
15 passive reactivity feedback, decay heat removal  
16 features, reliability of those systems becomes higher.  
17 The reliability performing those safety functions  
18 becomes higher and the probability of core melt becomes  
19 lower.

20 CHAIRMAN KERR: Let me see if I understand what  
21 you are saying. You are saying that you will ignore the  
22 HCDA if you can demonstrate that core melt is extremely  
23 unlikely. That doesn't necessarily mean that if you got  
24 core melt that the HCDA would be positive. Is that a  
25 reasonable conclusion?

1 MR. KING: That is a reasonable conclusion.

2 DR. SHEWMON: What does the bottom of the  
3 pressure vessel look like when it is hot?

4 MR. KING: It is basically a hemispherical  
5 head. It is an all welded vessel, no penetrations.

6 MR. SHEWMON: But wasn't part of the argument  
7 that there was a sodium void coefficient back when they  
8 had a compact core and things of that sort and now  
9 presumably the sodium void coefficient has disappeared  
10 to something that would be subdivided?

11 CHAIRMAN KERR: Well, you can eliminate the  
12 sodium void coefficient.

13 DR. SHEWMON: So then, you have to talk about  
14 things melting and reassembling someplace else, is that  
15 it? And if this hasn't got a flat or dispersive bottom  
16 now but it could in principal then melt and collect down  
17 there, is that it?

18 CHAIRMAN KERR: Well, my question was aimed  
19 at-- My impression is that the HCDA, if you have a  
20 completely melted core, has not gone away. The argument  
21 is that the design must be such that the likelihood of a  
22 melted core is negligibly small.

23 MR. KING: That is right. That is the thrust  
24 of what we are going to present. If you get into a core  
25 melt situation then you are back into the same concerns

1 of the energetics and the melt through and the things  
2 that were on Clinch River.

3 DR. SHEWMON: This is melting a large part of  
4 the core?

5 MR. KING: You would have to melt a large part  
6 of the core to have energetics but I think once you  
7 start into a core melt, you are into a situation you  
8 don't understand very well.

9 What we have done in trying to address these  
10 issues we, started with the Commission's Advanced  
11 Reactor Policy Statement which had in there the only  
12 requirement or firm piece of guidance on level of safety  
13 was the statement in there that said these advanced  
14 reactors must, as a minimum, provide at least the same  
15 level of protection to the public and the environment  
16 that is required for current generation LWR's. However,  
17 the Commission expects advanced designs to provide  
18 enhanced margins of safety.

19 (Slide.)

20 So in developing the criteria that is the  
21 target or the goal we have been shooting for, current  
22 generation LWR's we have interpreted as meaning the  
23 advanced ABWR's that are under review now, things that  
24 will have to comply with the Commission's Severe  
25 Accident Policy Statement.



1           The approach we have taken is we have developed  
2           some general criteria to develop some broad safety  
3           requirements. The specific criteria to address each of  
4           the four key areas in more detail is a general or broad  
5           set of safety requirements. The criteria structured to  
6           define the minimum requirements to insure at least an  
7           equivalent level of safety and then to address enhanced  
8           safety as well.

9           What we used in deriving these criteria were  
10          policy statements that have been issued for LWR's  
11          particularly the severe accident policy, safety goal  
12          policy. You will hear about those, derived from those  
13          primarily. We tried to develop an independently  
14          developed criteria type. You have to allow for some  
15          design dependent considerations.

16          Our criteria was based upon technical  
17          considerations only, we didn't try to address public  
18          perception or any other external factor you may want to  
19          think of.

20          CHAIRMAN KERR: Mr. King, is your slide  
21          representative of your overall statement, it says  
22          minimum requirements are made to assure level of safety  
23          of LWR's. Which LWR's, as they are today?

24          MR. KING: The way we define current generation  
25          are the standard plants that are under review today, if

1 evolutionary designs, the ABWR, APWR, SP 90.

2 CHAIRMAN KERR: It was my impression that one  
3 of the policy statements was that they thought the  
4 advanced LWR's should be safer than the current  
5 generation.

6 MR. KING: If you define current generation as  
7 the ones that are built and operating today, I think  
8 that is true.

9 CHAIRMAN KERR: Which group are you talking  
10 about?

11 MR. KING: We are comparing, using as a target,  
12 the standard plants that are under review today, the  
13 ones that will have to comply with the Commission's  
14 Severe Accident Policy Statement for future reactors.

15 CHAIRMAN KERR: So they are expected to be  
16 safer but we aren't quite sure how much?

17 MR. KING: Those are requirements under  
18 development, yes.

19 CHAIRMAN KERR: So they are expected to be at  
20 least an equivalent level of safety as the new LWR?

21 MR. KING: Correct, correct.

22 CHAIRMAN KERR: So since that is undefined,  
23 this is currently undefined?

24 MR. KING: Well, the requirements for future  
25 plants for severe accidents are under development.

1 CHAIRMAN KERR: That is a better way of putting  
2 it than saying that they are undefined. I agree.

3 DR. MOELLER: Well, the next sentence if I am  
4 following, says the Commission expects to provide  
5 enhanced requirements.

6 DR. REMICK: Is that definition of adequate  
7 protection to be the break point where cost benefit can  
8 enter in?

9 MR. KING: Yes.

10 DR. SHEWMON: It seems to me that if you buy  
11 the premise that there is no way you can melt a  
12 significant fraction of a core that is credible then the  
13 rest of this follows that everything is sweet and  
14 wonderful. I didn't hear anything about nuclear reactor  
15 physics considerations yesterday and I just wondered if  
16 the subcommittee went over this or if that is a history  
17 that is old enough that all right thinking people  
18 already accept it.

19 MR. WARD: I think you did hear a good bit  
20 about reactor physics considerations for the two LMR's.  
21 It has based on that there has been a very considerable  
22 effort that is really centered around analytical  
23 experimental work at Argonne West, ABR 2 primarily. And  
24 with the metal core and really a bunch of complicated  
25 calculations which have been pretty well bench marked at

1 least for ABR 2 that show some of the old concerns about  
2 LMR's have, there is an indication that they have been  
3 put to rest.

4 Now, how sure we can be about those conclusions  
5 for these bigger reactor designs is still an open  
6 question, I think.

7 DR. SHEWMON: Well, it seems to me what they  
8 have done at Argonne West is to show that the metal fuel  
9 goes through a reactivity or reaction temperature  
10 coefficient, has nice stable behavior or more stable  
11 than the oxide. The Argonne West people did not do the  
12 work on the core dispersion in the sense of distributing  
13 this with more space in between it but that was another  
14 part of Argonne.

15 And in a sense, I question not what happens if  
16 you take the control rods out and go drink a cup of  
17 coffee and come back in 20 minutes and see what happens  
18 which is certainly comforting. But the stuff on the  
19 core physics that leads to these distributions which I  
20 perhaps swept through but I really didn't hear  
21 yesterday--

22 CHAIRMAN KERR: I think you are right. I  
23 certainly didn't hear it yesterday either. I'm  
24 personally convinced that it is going to work but I  
25 didn't hear it yesterday.

1 DR. SHEWMON: That was my question that partly  
2 after hearing about this over several years we are  
3 convinced that it is essentially incredible that one  
4 could get a core dispersive accident?

5 CHAIRMAN KERR: Not yet. You can demonstrate  
6 that you don't have a positive coefficient. Whether you  
7 get a melt down is another question. That has to do  
8 with much more than the reactor physics.

9 DR. SHEWMON: Well, you can't do it by shutting  
10 off the pumps and you can't do it by pulling the control  
11 rods out and going away. That seems to have been  
12 demonstrated reasonably.

13 CHAIRMAN KERR: Well, if that is what the  
14 gentlemen stated as far as you are concerned, that is a  
15 key issue. You get rid of the positive coefficient.  
16 You get the fission heat and remove fission heat and  
17 remove the decay heat, there is no mechanism left for  
18 melt down that I can see.

19 DR. SHEWMON: If you get a decision on that,  
20 what we heard about that and who had heard enough to  
21 make themselves happy with it or satisfied at least,  
22 that was my question.

23 CHAIRMAN KERR: You mean the heat removal  
24 issue?

25 DR. SHEWMON: Yes, can you melt a core. Is

1 there any credible way you can melt this.

2 DR. REMICK: Until you see a specific design, I  
3 don't think you can answer the questions on what is the  
4 chance of something coming in like a Fermi 1 until you  
5 see complete designs and put those things to rest.

6 DR. SHEWMON: So that is where we are. And  
7 with regard to the letter we would write on there, we  
8 think it is credible and promising but we don't know  
9 until we see a final design?

10 MR. WARD: No. We as a committee aren't close  
11 to writing a letter. What is on the table for perhaps  
12 next month is not writing a letter on these designs.  
13 The staff is going to prepare an SER over the next year,  
14 several months anyway on each of the designs and we will  
15 be reviewing that and have as much time as we think is  
16 necessary to make whatever comment we would want to.

17 Before that is done, the Commission has asked  
18 the staff to prepare in advance of review of those three  
19 particular designs, he wants the staff to prepare kind  
20 of a position paper on these four particular issues  
21 which they think are sort of generic as far as all the  
22 designs and to lay out in advance what the staff's  
23 position is going to be on those issues. That is what  
24 we are reviewing today and will be reviewing further  
25 next week.

1           It is sort of an abstraction, almost, except  
2           that it helps to have the three designs in mind to kind  
3           of make some sense out of it.

4           DR. SHEWMON: It is a little bit difficult to  
5           correct the source term or an accident selection in the  
6           absence of what I was asking about. Maybe I just don't  
7           have a broad enough picture.

8           MR. WARD: Well maybe, if you have got a  
9           concern about that, maybe this is an impossible task.

10          MR. MILLUNZI: Well, if I could interrupt, I  
11          guess I would take issue with that.

12          CHAIRMAN KERR: You can't interrupt.

13          DR. SHEWMON: Well, you say you can do it in  
14          terms of probabilities instead of mechanisms.

15          CHAIRMAN KERR: Mr. King, you may continue.

16          MR. KING: We are really talking about an  
17          approach and a set of acceptance criteria that we would  
18          bounce each of these three designs off of in these four  
19          areas. We are not approving the designs. We're not  
20          asking for a letter on the designs. We are asking for  
21          what are your thoughts on the staff approach and  
22          acceptance criteria that they would use to evaluate  
23          these four areas.

24          MR. EBERSOLE: These liquid metal reactors shut  
25          themselves down if you have a general heating of them



1 for whatever reason. But what we used to call the felt  
2 hat syndrome where you have a partial blockage. I don't  
3 think that shut down would occur if you had a partial  
4 blockage of a few channels would it?

5 MR. KING: I don't think it would either.

6 MR. EBERSOLE: So that might be the basis for  
7 starting to develop some phenomena.

8 MR. KING: You have to be sure it wouldn't  
9 happen to a significant degree.

10 MR. EBERSOLE: That would be an unbelievable  
11 earthquake would close the plant all over the place  
12 would be the only thing I could see. I can't find  
13 anything else.

14 CHAIRMAN KERR: Why don't we continue.

15 MR. KING: I want to be sure there wasn't one  
16 misconception. These designs have not eliminated  
17 positive sodium void coefficients. They have greatly  
18 reduced the possibility that you would get into a  
19 situation where the sodium void would occur and if it  
20 would occur it would cause you a problem.

21 CHAIRMAN KERR: But you can eliminate a  
22 positive coefficient if you choose the appropriate core  
23 design.

24 MR. KING: You can eliminate it by core design.  
25 We have talked about that a little bit with the

1 designers. I think it would be quite a penalty in other  
2 areas to do that. But it can be done.

3 (Slide.)

4 Given that approach we have talked about a  
5 general criteria defines sort of a broad framework for  
6 reviewing these designs. I said there were two sets,  
7 one to design an equivalent level of safety or adequate  
8 protection which I will talk about first and then the  
9 ones that deal with enhanced safety.

10 Under adequate protection, the first one is we  
11 want to insure these designs comply with existing rules  
12 and regs as interpreted for the advanced reactor  
13 concepts. There will be three major exceptions and  
14 those are in the area of source term, something  
15 different than the LWR and TID 1484 approach that has  
16 been proposed. Containment function may be different in  
17 the need for a conventional containment building is  
18 being looked at and then emergency planning could be  
19 modified to reflect plant safety characteristics.

20 The other regulations would be very similar to  
21 what was done on Clinch River. A lot of the GDC's for  
22 LWR's applied to Clinch River with some minor  
23 modification. That same kind of process would be done  
24 on these plants. But I think the three major areas that  
25 would be different would be the three listed here.

1 DR. REMICK: Let me ask you a question there.  
2 The question of staffing and I realize that can easily  
3 change with time, where does that fall. Would that fall  
4 under your statement that complied with existing rules  
5 and regulations as interpreted or should they be listed  
6 as one of your bullets.

7 It is obvious from the presentation people are  
8 taking some innovative staffing of these and maybe that  
9 is possible. I want to keep an open mind about it but  
10 it seems to me that what is presented a couple of cases  
11 is inconsistent. Can the staff interpret this.

12 MR. KING: You are saying maybe there should be  
13 some other bullets listed on here?

14 DR. REMICK: My question is has that thought  
15 been given to that and that is included in the words as  
16 interpreted to see if that would require a waiver. Do  
17 you have staffing requirements in Part 50 specifying the  
18 table 5034 or what. Would that be included in your  
19 words as interpreted?

20 MR. KING: That is included in the words as  
21 interpreted.

22 DR. REMICK: There would be a waiver to that  
23 requirement and you would have to ask for exception or  
24 waiver to that specific proscriptive requirement?

25 MR. KING: Unless that requirement is

1 specifically directed toward LWR's and I haven't read  
2 that in a long time. I'm not sure.

3 DR. REMICK: You might then say that for  
4 advanced reactors you have another table?

5 MR. KING: Possibly, yes. We thought these  
6 were the three major areas that certainly had some  
7 policy implications that we couldn't do at the staff  
8 level.

9 DR. REMICK: I guess in my mind that is as  
10 important as your last four numbers in planning. It  
11 should be modified to reflect plant safety  
12 characteristics. The plant staffing should be modified  
13 to reflect plant safety characteristics also. I guess  
14 I'm not quite sure why it is not a bullet.

15 MR. KING: I guess I didn't view it as a policy  
16 question at this point in time, plant staffing.

17 DR. REMICK: Let me just pursue that a little  
18 bit. While the staffing was a policy issue based on a  
19 staff recommendation it seems to me emergency planning  
20 is a policy decision also but change in staffing for  
21 advanced reactors would certainly be a policy decision.

22 MR. KING: We certainly plan to address that.  
23 We didn't feel it was of the magnitude of the three  
24 listed there and that is why it is not in this paper.  
25 It would be in the RCR's certainly. Maybe we were wrong

1 in making that judgment.

2 CHAIRMAN KERR: It may be covered in the  
3 language here but it seems to me that since the source  
4 term of LWR's means something released in the  
5 containment as it is used at least in the 400, since  
6 these plants don't have containment in that sense, what  
7 does one mean by a source term?

8 MR. KING: There is going to be a separate  
9 slide on source term. Maybe we can talk about it when  
10 we get there.

11 CHAIRMAN KERR: All right.

12 MR. KING: The bottom item on this slide is the  
13 second criteria which says these advanced plants must  
14 comply with the intent of the severe accident  
15 requirements which are presently being formulated for  
16 LWR's. That is to meet the same procedural criteria  
17 given in the severe accident policy which is basically  
18 to do a PRA, consider the USI's and GSI's for a  
19 capability to design and have the staff review the  
20 design and have a successful outcome.

21 They will have to identify a range of severe  
22 events that have to be considered in the design. We  
23 need to evaluate the design features incorporated in the  
24 design to prevent severe accidents to be sure that  
25 anything that is not considered in the design is a good

1 reason for excluding it.

2 MR. EBERSOLE: Is it a sort of given that you  
3 have to horse around until you find a substantial  
4 release, a source term no matter how you do it?

5 MR. KING: For these designs?

6 MR. EBERSOLE: Yes, as a matter of fact it was  
7 done even in the--

8 CHAIRMAN KERR: Mr. Ebersole, he said he had a  
9 slide on the source terms.

10 MR. EBERSOLE: You are going to get to the  
11 source terms. I recall that that the worst source term  
12 in an old boiler was when you dropped a source stick.  
13 It wasn't a large local. You looked around until you  
14 found one that produced a pretty juicy answer.

15 MR. KING: Well, the intent here is to do that,  
16 to find a range of accidents that you have to look at  
17 and then whatever the worse one in terms of release is,  
18 that would be used for siting. That is the summary of  
19 what we are proposing.

20 MR. EBERSOLE: Okay.

21 MR. KING: The last item under the severe  
22 accident policy compliance is the staff needs to  
23 evaluate the design features provided for mitigation and  
24 accident management to insure that we have confidence  
25 that they will work and anything that deals with.

1 procedures or training are, in fact, incorporated in the  
2 procedures and training.

3 The third item is the criteria need to require  
4 fission product retention capability at least equivalent  
5 to LWR's. And what we mean by that is for equivalent  
6 classes of events, criteria for fission product release  
7 should be the same as for LWR's. We will get to that  
8 when we get to the source term slide.

9 We want to maintain the defense in department  
10 concept. However we realize that in its application you  
11 need to give consideration to the safety characteristics  
12 of advanced plants. They do things differently. I've  
13 got a slide and we will talk a little bit more about  
14 defense in depth on another slide.

15 Under defense in depth there are three things  
16 we want to make sure are maintained and that is that we  
17 have two diverse independent means of reactor shut down  
18 and two diverse independent means of decay heat removal  
19 and multiple barriers to fission product release. We  
20 are not willing to put all our eggs in one basket on  
21 either of those.

22 Next, because these are new designs, got  
23 reduced operating experience as compared to LWR's, to  
24 make sure where they use new innovative procedures for  
25 safety functions that they indicate their testing of



1 these new features to prevent or accommodate accidents.

2 (Slide.)

3 Testing could be done a number of ways. The  
4 specifics of the testing will have to be figured out on  
5 a case by case basis but we feel that generally they  
6 need to include some testing on a full size reactor  
7 module to demonstrate that these features work.

8 Along with that, because our new innovative  
9 features we feel need to be looked at very carefully,  
10 the need for enhanced QA's, surveillance and testing are  
11 necessary. To insure that these features perform in the  
12 plant what they are supposed to do.

13 For example the HTGR fuel is the key to the  
14 safety position on that plant, that it be of high  
15 quality, that its performance be monitored in the  
16 reactor. We may want to do something different in terms  
17 of QA requirements on the fuel, what we would monitor in  
18 terms of fuel fabrication or something different to be  
19 more stringent than what we do on LWR's.

20 CHAIRMAN KERR: It seems to me it is a slight  
21 oversimplification to say that the fuel is the key to  
22 performance of that plant. The fuel is the key to  
23 performance of that plant only if the fuel doesn't get  
24 hot. So it is not just the fuel. It is the fuel plus  
25 the absence of heat storage capacity of the core plus

1 the capability to remove decay heat.

2 MR. KING: You are right. That was an over  
3 simplification. It is the combination of heat removal  
4 and power generation and fuel performance. I just used  
5 that as an example. You can consider the reactivity  
6 feedbacks on ALMARS. You want to make sure, as the  
7 lifetime of the plant progresses and you get swelling of  
8 the material and creep and distortions, that you still  
9 have those feedbacks that you need to shut the plant  
10 down. That kind of thing you are talking about being  
11 covered by this.

12 MR. WYLIE: What is enhanced QA?

13 MR. KING: That would be like using the MHTGR  
14 fuel as an example. NRC may want to do something  
15 different in terms of what it requires of the applicant  
16 in terms of quality assurance to make sure you have to  
17 fuel quality and also what it does to oversee or  
18 independently verify that that fuel quality is as  
19 advertised?

20 MR. WYLIE: Or QC?

21 MR. KING: QC, if that is a better way to say  
22 it.

23 CHAIRMAN KERR: Do you now understand what  
24 enhanced QA is?

25 MR. WYLIE: Not really. What I think I heard

1 was more quality control.

2 MR. KING: Maybe QC would have been a better  
3 term.

4 DR. SHEWMON: I'm interested as to whether it  
5 means more paper or more quality.

6 MR. KING: The intent is more quality. Maybe  
7 that takes more paper, I don't know. The intent is to  
8 be sure that you get the quality that is needed for  
9 these plants is actually coming out and being put into  
10 the plant.

11 DR. REMICK: Before you move on, at the very  
12 top of the page I'm trying to understand what it says.  
13 Specifics of plant testing can be determined on a case  
14 by case basis but generally should include some testing  
15 on a full size reactor module. Now, I assume, and I  
16 think I understand but does that say that in most cases  
17 there should be a prototype or does that say--

18 MR. KING: What it is intended to say is either  
19 the prototype or the first of a kind plant could be  
20 built for being put on a grid. But the first of a kind  
21 ought to be used to demonstrate that these features  
22 actually do the things they are advertised to do.

23 DR. REMICK: But it does not necessarily mean  
24 to indicate that a prototype is required?

25 MR. KING: It does not mean you have to build a

1 dedicated prototype out in a desert someplace.

2 DR. REMICK: That would have to be determined  
3 on a case by case bases whether it is a prototype or  
4 whether it is the first one and the type of testing you  
5 have to do.

6 MR. KING: Generally our feeling is it could be  
7 a dedicated prototype or the first commercial unit and  
8 what will be figured out on a case by case basis is the  
9 specific tests you want to run. Those may vary  
10 depending on the plant.

11 (Slide.)

12 The second general item was dealing with  
13 requirements associated with enhanced safety. The  
14 Advanced Reactor Policy Statement had in there that the  
15 plants are expected to have enhanced marginal safety.  
16 We feel the applicant should assess and document this  
17 enhanced safety characteristics. For example, the kinds  
18 of things we are talking about are the long response  
19 times on accidents, the reduced potential for operator  
20 error, capability to retain fission products, simplified  
21 systems and so on.

22 They should also look at potential improvements  
23 when there is a small margin between the enhanced safety  
24 and what is the minimum required or when large  
25 improvements in safety can be realized as a reasonable

1 cost.

2 CHAIRMAN KERR: What does long response time  
3 mean?

4 MR. KING: Long core heat up times before you  
5 get into any release. Long time periods before you have  
6 any release of radioactive material.

7 DR. MOELLER: Why does it say in the big  
8 paragraph near the bottom, potential improvements? Why  
9 not just improvements in safety are to be considered?

10 MR. KING: It could have been. That is  
11 probably a good suggestion. What we had in mind is that  
12 there would be some things when we do the review that we  
13 will think of, why don't you consider this or consider  
14 that and we will get them to do it, consider it at least  
15 and then pick those on a judgment basis and make a  
16 decision on a judgment basis should they be in the  
17 design or not.

18 Again, the testing would demonstrate these  
19 enhanced safety features as characteristics or margin as  
20 well as demonstrating the minimum required.

21 MR. WARD: So the time for the item Dr. Moeller  
22 is asking about is explicitly cost benefit analysis  
23 going to be a key consideration there?

24 MR. KING: Yes. For those enhanced things,  
25 cost benefit would be the main consideration.

1 DR. MOELLER: Dr. Kerr, the bottom bullet  
2 answers your earlier question. They are going to  
3 demonstrate enhanced safety through testing. You were  
4 asking earlier how TVA could determine whether the  
5 safety had been enhanced. Apparently they can do it by  
6 testing.

7 MR. EBERSOLE: Let me ask you a question. You  
8 have got a baseline performance in the water reactors we  
9 have, the PWR's and BWR's. It is kind of a baseline you  
10 say these plants should be equal to or better than that.  
11 What are you going to do about the fact that out of  
12 these plants X through Z or whatever, some of them could  
13 be a hell of a lot more safe than others. Would you  
14 permit them to wonder randomly in that safety field or  
15 would you exact upon them the requirement that they do  
16 as well as they can in a practical sense or kind of an  
17 optimum enforcement? Do you follow me?

18 MR. KING: Yes, I think I follow you.

19 MR. EBERSOLE: We have got a high ceiling like  
20 the water reactors if you want to call them not nearly  
21 as safe as these might be. Nevertheless these can be  
22 just as, shall I use the word, unsafe as water reactors  
23 and there is no means my which you could prevent that.  
24 What are you going to use as a lever other than just  
25 maybe the attractiveness of the plants to the commercial

1       seen to make them do as well as they can?

2               MR. KING: Well, I think part of that enhanced  
3 safety we talked about is to try and make them do better  
4 where it is cost beneficial to do so. I think the  
5 baseline requirements that they have to complete won't  
6 vary from advanced plant to advanced plant. If it is  
7 Part 100 guidelines that will be what it is. If some  
8 are well below Part 100 more so than others, we wouldn't  
9 say because this guy is way down here, everybody has to  
10 be way down here.

11              MR. EBERSOLE: No, you wouldn't do that but you  
12 might push on him to stay there rather than loosen up  
13 and make it cheaper.

14              MR. KING: If a plant gets a license based upon  
15 certain safety analyses and saying he can do certain  
16 things, for him to come in and change the operation and  
17 design where that is now going to be different, that is  
18 the kind of thing that NRC would review as part of  
19 whether it is a 5059 change or tech spec change or  
20 something like that, we would have to agree to that  
21 change.

22              I don't see us just walking away and letting  
23 everybody go make changes after it is licensed. We  
24 still have the normal tech spec changes and 5059 type  
25 changes that take place.



1 MR. EBERSOLE: Based on the unique safety level  
2 his plant is in rather than a common level which  
3 includes the worst plan.

4 MR. KING: The SAR and tech specs under which  
5 he was licensed, that reflect the level of safety which  
6 he was licensed at. Maybe he could make changes that  
7 would raise something up in a less safe direction.  
8 Maybe he is so far down there anyway it doesn't make  
9 much difference. There has got to be some flexibility.

10 MR. EBERSOLE: Yes.

11 (Slide.)

12 MR. KING: Now, let's talk a little bit about  
13 defense in depth. Part of our material is to maintain  
14 defense in depth and in looking at this we considered  
15 defense in depth to fall in four major categories.  
16 Things that are there to prevent accidents, protect  
17 things that are there to protect the plant when  
18 accidents do occur, things that are there for mitigation  
19 purposes, mitigate radiation, mitigate the accident and  
20 then emergency planning.

21 Basically, when we say we want to maintain  
22 defense in depth, we want to provide features in all  
23 four of those categories, not throwing away any of those  
24 categories. The prevention area, the requirements that  
25 we were looking at and what the designers were proposing

1 are essentially to provide equivalent level of LWR's.

2 In other words, they are designing vessels to  
3 ASME sections, QA programs consistent with NRC  
4 Regulations and 10 CFR Part 73, secure safeguards and  
5 security. All the things that you would normally do to  
6 have a high quality system, high reliability system for  
7 the requirements on LWR's would be on these plants.

8 When you look at protection and mitigation I  
9 think that is where you see some differences. There  
10 tends to be a shift of advanced reactors putting a lot  
11 of emphasis on the protection of the plant, keeping the  
12 core in a condition where the fission products aren't  
13 released.

14 CHAIRMAN KERR: Mr. King, as one thinks about  
15 this the implication, I believe, is that one can  
16 eliminate events to the containment because of the  
17 increased reliability that is built into the advanced  
18 reactors or might be built into them particularly  
19 removal of decay heat. That might convince one of the  
20 need to remove decay heat from existing reactors is not  
21 very reliable.

22 However, if you look at what has happened, the  
23 one serious accident in this country didn't arise  
24 because of the capability for removal of decay heat was  
25 unreliable, it was because the people didn't understand

1 what was going on.

2 MR. KING: That is correct.

3 CHAIRMAN KERR: So is one of the features of  
4 advanced reactors going to be that the operators  
5 understand them much better than the operators  
6 understood LWR?

7 MR. KING: I think one of the features of  
8 advanced reactors is trying to eliminate one of the  
9 things the operator has to do to make sure safety  
10 functions are performed, two the things that he can do  
11 either inadvertently or on purpose to turn off those  
12 safety functions, and that is right in here "minimize  
13 the need for human intervention". That is an important  
14 feature in the protection of these plants.

15 Along with response time if something goes  
16 wrong, the guys have time to think about it. But they  
17 are not systems that he had to turn on or turn off.  
18 They are features in these plants that he can't turn on  
19 or turn off. They are always there. I think it is that  
20 kind of consideration that has to go into looking at it.

21 CHAIRMAN KERR: You don't think it would be  
22 plausible to make a plant idiot proof?

23 MR. KING: I think it is plausible to make a  
24 plant very, very independent of what the operator does.  
25 I wouldn't say if you turned five idiots loose in the

1 plant they couldn't find something at some time to mess  
2 it up but that is not the criteria we are using here.

3 MR. WARD: I think there is a point here Tom,  
4 if this were aimed to be an LWR design that had, let's  
5 say, an independent backup SCRAM system that had some  
6 sort of improved or perhaps qualitatively approved AE  
7 rule for passive and had maybe some more favorable  
8 inherent response characteristics to upsets and present  
9 LWR's, then by these criteria we might say that LWR  
10 wouldn't be the containment.

11 MR. KING: These criteria as presented, you  
12 could bounce any advanced reactor off of them, whether  
13 it is an LWR or anything else. So it is not  
14 inconceivable that some innovative LWR's aren't designed  
15 to come along and meet these criteria. Then you could  
16 meet the same criteria that eventually you don't need  
17 the same containment.

18 MR. EBERSOLE: Does a containment cease to be a  
19 containment simply because you transfer heat through its  
20 walls as a means of heat rejection. I don't think it  
21 does. Do the two sodium reactors not have containments?

22 MR. KING: Yes, they have a containment  
23 barrier. When I say containment they don't have a  
24 conventional LWR containment building. They have a  
25 third barrier outside.

1 MR. EBERSOLE: The additional duty put on it is  
2 that it conveys heat directly to the outside whereas the  
3 others use changers. I didn't regard that as a  
4 sufficient perturbation to its concept to not call it a  
5 containment?

6 MR. KING: I don't either. It is a containment  
7 barrier. It is not a conventional containment building.

8 MR. EBERSOLE: Sure.

9 MR. KING: The point I wanted to make with this  
10 slide was I put some asterisks on where advanced  
11 reactors have more emphasis in looking at the various  
12 components in defense in depth versus LWR's.

13 Primarily, you look in this column, that is  
14 where the advanced reactors are concentrating a lot of  
15 their effort, prevention of access. They still have  
16 mitigation in terms of long response times, physical  
17 phenomena that hold up or cause fission products to  
18 plate out and emergency planning. Basically, what is  
19 being done is you are saying you have got such a long  
20 response time out there that if you did have some  
21 accident that would cause you to exceed the protective  
22 action guidelines at the site, that you would basically  
23 substitute ad hoc evaluation for preplanned evacuation.  
24 That is the way we are looking at it.

25 MR. WARD: Have you been able to visualize any

1 sort of accidents that might require evacuation?

2 MR. KING: Sure, if you push these designs hard  
3 enough, put enough if's on the accident scenario you can  
4 get releases that will cause evacuation. It isn't that  
5 these designs just eliminate it totally. It is more a  
6 question of how low a probability or how unlikely are  
7 those kinds of events given the safety characteristics  
8 of these plants.

9 Sure, if you get into a core melt on one of  
10 these LMR's and it goes through the vessel and a guard  
11 vessel, sure, you will have to evacuate.

12 DR. SHEWMON: How do you get into the core melt  
13 under the LMR's?

14 MR. KING: You put a hole in the reactor vessel  
15 and the guard vessel around it, both vessels and drain  
16 all the sodium.

17 MR. WARD: Not only that but then you have a  
18 natural convection pump that is pumping it up into the  
19 atmosphere, the passive decay heat removal system, the  
20 aerosols.

21 DR. MOELLER: I understood the double asterisk  
22 but I'm not sure I understood the single. The ad hoc  
23 evacuation would be utilized more in the advanced  
24 reactor than in the current LWR. Why is it ad hoc  
25 evaluation?

1 MR. KING: If you had to evacuate, it would be  
2 on an ad hoc basis.

3 DR. MOELLER: So it would be more applicable in  
4 this?

5 MR. KING: More applicable, yes. And now I  
6 will talk about the four specific areas that this was  
7 leading up to.

8 (Slide.)

9 First, accident selection. What we have done  
10 is define four event categories that the plants need to  
11 consider. We have used different terms before and there  
12 has been a lot of confusion beyond design basis  
13 accidents and things like that. So we are now calling  
14 them event categories. Basically, the first one is  
15 anticipated accidents. They would include accidents  
16 that are expected to occur one or more times during the  
17 life of the plant and they would be treated the same way  
18 as they are in CFR 190.

19 The second event category would be equivalent  
20 to postulated accidents, the term as it is used in  
21 Appendix 8 of Part 50 called the design basis accidents.  
22 The engineering judgment would be complimented by PRO to  
23 generally include accidents down to about 10 in the last  
24 4 years.

25 It would be analyzed in a conservative fashion



1 like DBA's are for LWR's and you would have traditional  
2 ones in terms of external events. There wouldn't be any  
3 difference there in the way DBA's are selected and LWR's  
4 or the way they work.

5 The third category which are the severe  
6 accidents or the more remote accidents that need to be  
7 considered in the design. And what we are proposing  
8 there is selecting a range of accidents beyond the EC2  
9 or the traditional DBA's that are considered consistent  
10 with the Commission Severe Accident and Safety Policies  
11 in consideration with PRA results.

12 Generally, where they would fall would be  
13 events with a frequency down to approximately 10 to the  
14 minus 7 per year.

15 (Slide.)

16 External events would be included in this  
17 consistent with how we intend to apply them on LWR's.  
18 Then we would have in that group, in the EC3 group what  
19 we call a set of bounding events which cause our  
20 uncertainties in doing PRA's and trying to identify what  
21 accidents should fall in this category would be an  
22 engineering judgment, select some accidents and put in  
23 the EC3 category. We feel it bound the uncertainties  
24 that came out of the PRA. There are a couple of slides  
25 that talk about those.

1 DR. REMICK: How did you arrive at the 10 to  
2 the minus 7th on internal events?

3 MR. KING: This basically comes to the 10 to  
4 the minus 6 guidelines as a commission safety goal to  
5 insure that you comply with that in terms of a large  
6 release, we felt we ought to go down to at least 10 to  
7 the minus 7th. So when you look at events down there,  
8 the cumulative frequency of those would beat the intent  
9 of the 10 to the minus 6th number that seems to go with  
10 it. That is how we ended up with it.

11 DR. REMICK: So basically, any individual  
12 sequence might be 10 to the minus 6th is that it? Is  
13 that how you arrived at it.

14 MR. KING: Any individual sequence that would  
15 go down to 10 to the minus 7th would be considered in  
16 that category.

17 DR. REMICK: Yes, one tenth of 10 to the minus  
18 6th.

19 MR. KING: That is right.

20 CHAIRMAN KERR: I guess there is a good bit of  
21 logic in this. There is something a little bit  
22 artificial in that if these things were anything like  
23 LWR's you don't really get any significant release  
24 unless you have a core damaging accident.

25 Now, the original DBA's were set up on the

1 basis that you could ignore core damaging accidents  
2 except in the design of the containment. But otherwise  
3 you would assume that if you satisfied the criteria,  
4 everything would work, that is everything would prevent  
5 core damage. And it looks as if in dealing with events  
6 in category one and two, that is what you are going to  
7 assume in dealing with these.

8 You are not going to talk about reliability of  
9 equipment other than that which satisfies the same trade  
10 criteria. Then at some point, and maybe it is in  
11 category three although it is not clear, if a break  
12 occurs dealing with severe accidents you are going to  
13 shift to a PRA approach or a liability approach. There  
14 is something about that that strikes me as being  
15 different.

16 MR. KING: Well, when you get into a third  
17 category, events that have multiple failures are going  
18 to come into play.

19 CHAIRMAN KERR: Well, if they are going to come  
20 into play there, why shouldn't they come into play in  
21 the beginning. If you are going to take these events  
22 into account with the PRA, why shouldn't the PRA be the  
23 basis for the planned analysis. You can certainly  
24 predict events with higher probabilities.

25 If they are going to do the PRA, it seems to me

1 one ought to use the information which we all recognize  
2 is the criteria that is somewhat artificial and doesn't  
3 give you a uniform level of reliability.

4 MR. KING: I don't think there is any intent to  
5 ignore the PRA in the first two categories?

6 CHAIRMAN KERR: You may not ignore it but  
7 apparently you aren't going to use it. You use the  
8 conventional DBA approach because the DBA is said to be  
9 mitigated in the conventional approach. The safety  
10 system satisfies the same failure criteria independent  
11 of what their reliability is.

12 MR. KING: If you recall back in the second  
13 category, it says that reselected via engineering  
14 judgment complimented by the PRA. If the PRA is within  
15 this frequency range it has to be considered a DBA.

16 CHAIRMAN KERR: The design basis accident  
17 business doesn't make a lot of sense but I don't trust  
18 my judgment to take that too seriously.

19 MR. KING: The intent is if you look at the PRA  
20 there should be some events in this frequency range that  
21 would be considered DBA's. But then the traditional  
22 approach seems to go beyond that and includes events,  
23 DBA events that maybe wouldn't fall within that  
24 frequency range like a large tornado that is a DBA  
25 tornado.

1 CHAIRMAN KERR: I'm sort of saying if you are  
2 going to do a complete PRA it is not obvious to me that  
3 it makes a lot of sense to worry about DBA's. But you  
4 thought about that and you are convinced that it does.

5 MR. KING: I'm trying to show some equivalency  
6 with LWR's which has that grouping and has certain  
7 release limits on that grouping.

8 CHAIRMAN KERR: We are already in a very  
9 difficult situation with LWR's and we are trying to make  
10 a marriage with DBA's and PRA's. The liability analysis  
11 that comes out of the PRA from the beginning-- Maybe  
12 not.

13 MR. KING: If you find it tough to compare to  
14 LWR's in terms of demonstrating safety if you do that.

15 MR. WARD: Wait a minute. The main problem is  
16 that a designer needs a DBA to design for.

17 CHAIRMAN KERR: Well, he certainly needs a DBA  
18 if he is going to use the DBA approach.

19 MR. WARD: How does the designer design?

20 CHAIRMAN KERR: He does not now have to talk  
21 about the probability of an accident. It is assumed  
22 that if the single failure criteria is satisfied an  
23 accident won't occur in the DBA part of their program.

24 Now, once you get into the serious accident  
25 part you are now willing to talk about multiple failures

1 and reanalyze a system which has just been designed so  
2 that it meets a single failure criteria. And I don't  
3 know what you do if the single failure criteria isn't  
4 good enough. I guess you obviously can't use it.

5 DR. SIESS: You can't design for a PRA except  
6 by a highly reiterated process?

7 CHAIRMAN KERR: You can conclude that certain  
8 systems ought to have a reliability and your reliability  
9 isn't all that great.

10 DR. SIESS: That is an analysis. You have to  
11 design it first and then analyze it. Even if the NRC  
12 isn't involved.

13 MR. WARD: I promised Mr. King that he could  
14 leave by 11:30.

15 MR. KING: We can take a few more minutes and  
16 finish up.

17 The third category of events, the best estimate  
18 analysis, would be acceptable for those. The fourth  
19 category of events is an attempt to look at the same  
20 range of events for emergency planning as was looked at  
21 in new reg 0396 for LWR's to choose to look at events  
22 down to 10 to the minus 9th, frequency of 10 to the  
23 minus 9th in doing that.

24 DR. REMICK: Internal or external or both?

25 MR. KING: Those would be internal events.

1 DR. REMICK: Internal events down to 10 to the  
2 minus 9th.

3 DR. SIESS: Its better than external events  
4 down to 10 to the minus 9th.

5 MR. KING: If you look at the curves in new reg  
6 0396 that is what they went down to.

7 CHAIRMAN KERR: I wish you wouldn't put number  
8 4 on there. It makes the rest of it much less  
9 believable.

10 MR. KING: You have to see how we use it first.

11 DR. REMICK: Is that where the PRA came out?

12 MR. KING: You get those events from the PRA.

13 MR. WARD: I guess I see category 4 as take the  
14 number out and say despite all this, there is some  
15 judgment deterministic criteria we are going to lay out  
16 and this is where we do it. And I think that is really  
17 what you are doing.

18 MR. KING: The judgment events are right in  
19 this category here which are in the third category.

20 DR. SIESS: What does that leave you for four  
21 then?

22 MR. WARD: You are associating the numbers too.

23 MR. EBERSOLE: You said that is for internal.  
24 What if you include external?

25 MR. KING: In category four, you would have a



1 tough time figuring out what it is.

2 MR. EBERSOLE: That would include media  
3 strikes, I guess.

4 MR. KING: It would include the continents  
5 moving all around the world.

6 MR. WARD: I would ask you, the HTGR folks had  
7 a rather well developed methodology or strategy for  
8 picking TVA's and I haven't had a chance to see how that  
9 compares with what you are doing here. But have you  
10 compared it?

11 MR. KING: Yes. Essentially what they have  
12 done, the first two event categories are essentially the  
13 same. They have three categories. Their third category  
14 looks at accidents with five times 10 to the minus 7th  
15 frequency. They look at everything down to there and  
16 they look beyond that to see if some uncertainty would  
17 cause something to fall up in there. But anything that  
18 falls in that range they would consider in the design in  
19 terms of making sure they don't exceed the protective  
20 action guidelines at the site boundary.

21 They use it for emergency planning purposes.  
22 It may also require design changes to make sure they  
23 beat that. So essentially, they have got a 5 times 10  
24 to the minus 7th as the third category and we have got  
25 10 to the minus 7th.

1 DR. REMICK: But you have gone one category  
2 beyond?

3 MR. KING: Yes, we have one category beyond but  
4 you will see how it is used.

5 DR. REMICK: Isn't there some risk in going  
6 down to 10 to the minus 9th that unintentionally  
7 concerning the public about events that are so  
8 improbable and you just raise public concern about  
9 things, what if, what if, what if, what if, I would  
10 think?

11 MR. KING: It may raise a concern. I'm not  
12 sure but LWR's looked at the full range of accidents  
13 when they looked at what their emergency planning needs  
14 were. We are trying to attempt to look at that same  
15 range. That is part of trying to show some equivalency  
16 with LWR's in terms of equivalent safety.

17 MR. EBERSOLE: Do the French and the English  
18 and the German's and the Japanese do this sort of thing?

19 MR. KING: I'm not sure what they do.

20 MR. EBERSOLE: I'm thinking of this as being  
21 maybe a deterrent to the recovery of the option.

22 MR. KING: I can't answer what they do.

23 (Slide.)

24 Just quickly I mentioned that third category  
25 had things we called the bounding events. Those were

1 selected by engineering judgments to bound the  
2 uncertainties and we basically try to pick a bounding  
3 strength and cover the uncertainties in the six key  
4 areas. Reactivity insertion, decay heat removal,  
5 chemical reactions, loss of coolant inventory or flow,  
6 loss of supporting systems, external events.

7 Key considerations we have that we factor in in  
8 selecting those are we assume the nonsafety grade  
9 equipment fails in the worst way. We assume safety  
10 grade equipment fails for a period of time consistent  
11 with previous experience on reasonable recovery time.  
12 And we consider what the human errors can do, consistent  
13 with previous experience.

14 The bounding events would be included in the  
15 staff SER. Generally so far, just a generic list of the  
16 kinds of things that would fall in that category.

17 (Slide.)

18 DR. SIESS: Is that distinction between safety  
19 grade and nonsafety grade based upon anything other  
20 than-- PRA's don't make any distinction between safety  
21 grade and nonsafety grade reliability.

22 MR. KING: Our approach in that regard is these  
23 designs are trying to concentrate all the safety  
24 functions in the nuclear island. Anything outside that  
25 balance of plant, control room doesn't have a safety

1 function anymore. So what we are doing shouldn't be  
2 regulated by NRC. So what I mean by that statement is  
3 that if it doesn't matter what happens out there well  
4 then prove it. Let's take the worst event that can  
5 happen out there and show your plant can ride through  
6 it. That is essentially what I mean.

7 DR. SIESS: I understand.

8 MR. KING: Just quickly some generic type  
9 events that would be on the bounding list would be like  
10 inadvertent withdrawal of all control rods for a certain  
11 number of hours. Loss of all decay heat removal for a  
12 certain number of hours.

13 Steam generator tube ruptures. Loss of flow or  
14 pipe rupture, primary pump seizures, station black out  
15 and external events consistent with severe external  
16 events we have imposed on LWR's. Second would be the  
17 issue of the source term.

18 (Slide.)

19 You will recall what was being proposed was  
20 using a more mechanistic analysis to calculate the  
21 release at the plants. What we are proposing is for  
22 stating purposes, using events categories two and three  
23 and that you would look at the events in each of those  
24 categories and do mechanistic analysis, calculate what  
25 the release is into the environment.

1 For event category two they would have to meet  
2 10 percent of 10 CFR 100 guidelines. For category three  
3 they would have to meet 10 CFR 100 guidelines. If you  
4 look at the standard review for LWR's there are a number  
5 of chapter 15 accidents that allow a mechanistic  
6 calculation in source term. When they do that they  
7 generally put a requirement in there that says the  
8 release has to be a small fraction of Part 100 which it  
9 generally interpreted as 10 to 25 percent of Part 100.

10 We are taking that same approach and saying 10  
11 percent of Part 100 will be the release if we're going  
12 to use a mechanistic source term that will be the  
13 release for those.

14 CHAIRMAN KERR: Mr. King, one might use 100, is  
15 that the case?

16 MR. KING: Yes.

17 CHAIRMAN KERR: Well, I thought that there was  
18 underway before TMI 2 an effort to revise 10 CFR. So  
19 let's put it on hold. Does the staff conclude that 10  
20 CFR 100 is okay and doesn't need revision or is this  
21 referring to a revised 10 CFR 100?

22 MR. KING: No, this does not refer to a revised  
23 10 CFR 100. This would be the same dose guidelines that  
24 are in the existing Part 100. I don't know of an effort  
25 to revise Part 100.

1 CHAIRMAN KERR: It certainly was underway, an  
2 effort to revise 10 CFR 100:

3 MR. MORRISON: Bill Morrison, NRC staff. You  
4 are right, there was a plan at one time to revise Part  
5 100. At this time there is no specific action plan to  
6 do that revision. However, we are evaluating what  
7 revisions to the regulations might be warranted in order  
8 to put ourselves in a position to license the new  
9 standard so we will be putting together a strategy to  
10 get that set of regulations in place.

11 Right now that is a concept. There are a set  
12 of advanced designs that we would envision some day  
13 perhaps in addition to these in the certification  
14 process.

15 DR. SIESS: I didn't know whether you were  
16 referring to the branch reactors or the next plant?  
17 Mrs. Morrison, we think the next plant would be a  
18 so-called advanced plant and a standardized plant.

19 MR. KING: The only other thing we would  
20 suggest in citing is we want to make sure anything in  
21 the second and third category are not sitting on a  
22 threshold where some small change would cause a large  
23 change in the sources you get it from.

24 (Slide.)

25 The third issue is the question of containment.

1 We have put together a set of criteria that if a plant  
2 could meet them without a conventional LWR type  
3 containment building proposing that acceptable criteria  
4 that there are multiple barriers to radiation that there  
5 are categories 1, 2, 3 that we talked about earlier to  
6 demonstrate the same testing we talked about earlier  
7 that the above releases are achievable.

8 That additional or enhanced QA surveillance,  
9 inspection or testing as necessary is in place to ensure  
10 that those new innovative systems, structures and  
11 components contribute to performing the containment  
12 function and are, in fact, capable of performing the  
13 function. That would include the decay heat removal as  
14 well as fuel quality and reactivity shut down.

15 The design provides protection for safety  
16 related systems, structures and components and sabotage  
17 and external events equivalent to that for LWR's. It  
18 would have to meet 10 CFR Part 73 for security. It  
19 would have to show that turbine missiles and other  
20 external events, the plant is protected from them.

21 And that they eliminate core melts, significant  
22 causative reactivity feedback or other accidents with  
23 the potential of a large radiation release from the  
24 three categories. You have to go through and evaluate  
25 the design and make sure you can satisfy yourself that



1 those kind of accidents beyond 10 to the minus 7th can  
2 be excluded from consideration in the design.

3 DR. REMICK: Isn't that inconsistent? To me as  
4 I read those words that you just said, the probably  
5 should be less than 10 to the minus 7th, isn't that then  
6 inconsistent with the Commission statement of 10 to the  
7 minus 6 th on major release. You just put in a factor  
8 of 10 on what is in the safety goal. You said it must  
9 be below 10 to the minus 7th now.

10 MR. KING: Yes, we said individual events you  
11 need to look down to 10 to the minus 7th and consider  
12 those in the design. What we are saying here is when  
13 you look at those individual events down to 10 to the  
14 minus 7th, none of them can have major consequences like  
15 a core melt, graphite fire or whatever.

16 DR. REMICK: So this is not addressing the  
17 accumulation of those. It is the individual.

18 MR. KING: It is addressing them individually.

19 CHAIRMAN KERR: If a light water reactor can  
20 also demonstrate this same degree of lack of release  
21 that you consider licensing of the water plant?

22 MR. KING: If a light water reactor defines the  
23 three event categories including the bounding events  
24 that you would include in that event category to meet  
25 these criteria, then what we are saying is we would

1 consider licensing.

2 CHAIRMAN KERR: You would be willing to put  
3 enough fate and reliability in PRA to license a water  
4 reactor?

5 MR. KING: It may be a tough job to show you  
6 have got that reliability or that you can survive some  
7 of these bounding events that you rely on. But if the  
8 staff can be convinced that all of that was true, yes,  
9 you would. We would entertain licensing them without a  
10 conventional container.

11 These would have to be innovative designs that  
12 fall outside the current standard review plan type  
13 requirements.

14 CHAIRMAN KERR: The designs being designs with  
15 which there is no experience, and other things being  
16 equal I would expect to build a particular behavior that  
17 might have more uncertain than would be the case with a  
18 water reactor with which we have had a lot of  
19 experience. It doesn't necessarily follow our  
20 expectations.

21 MR. WARD: I think the reporter is having  
22 trouble hearing you. Jesse pointed that out.

23 CHAIRMAN KERR: Thank you, Mr. Ward.

24 MR. KING: The other item is the enhanced  
25 safety question. We are designs without a conventional

1 containment building an assessment of the potential  
2 improvement in safety of adding one and then with cost  
3 considerations decide whether we would still accept it  
4 without one.

5 (Slide.)

6 The last area is the emergency planning area.  
7 The proposal was to set the EPZ at the site boundary or  
8 proposing two criteria would have to be met in order for  
9 us to accept that one. First they would have to  
10 demonstrate that the lower level protective action  
11 guidelines are not exceeded at the site boundary during  
12 the first 36 hours following any event in the first  
13 three event categories.

14 You have to explain that 36 hours comes from  
15 looking at ad hoc evacuations, the history of ad hoc  
16 evacuations would show generally within two to eight  
17 hours, you can move a large population of people. We  
18 have selected 36 hours on the basis that we will  
19 conservatively say we want 24 hours to move people and  
20 12 hours for the plant staff to diagnose and correct the  
21 event before they go ahead with the evacuation.

22 We feel that all the events in that category  
23 show that you have a long time before you would have  
24 releases that exceed the PAG's and we would be willing  
25 to set the EPZ at the site boundary and then any off

1 site evacuation, if it was needed, would be conducted on  
2 an ad hoc basis.

3 The second criteria says that looking at the  
4 PRA looking at the events down through category event 4  
5 which is the same range we looked at for LWR's, we want  
6 to show that cumulative frequency of exceeding the lower  
7 level protective action guidelines at the site boundary  
8 within the first 36 hours does not exceed 10 to the  
9 minus 6th per year. That is an attempt to look at the  
10 residual risks beyond those events in the first three  
11 categories to make sure you don't have a bunch of things  
12 just beyond there that when you look at them in total  
13 can all add up to a large probability of exceeding the  
14 PAG's.

15 DR. REMICK: If I understand what those words  
16 mean you have just defined a large release in the safety  
17 goal is a release that will cause you to exceed the  
18 lower level PAG's at the site boundary?

19 MR. KING: One way to look at it is that you  
20 have a safety goal that has a 10 to the minus 7th for a  
21 large release value. That was in consideration of  
22 plants that are on the street today that have  
23 conventional emergency planning requirements out to 10  
24 miles.

25 One way to look at this is saying, okay, if you

1 want to do away with that conventional emergency  
2 planning beyond the site boundary, you have to have a  
3 ten to the minus 6th but not exceeding potential action  
4 guidelines. That is what you said is one way to look at  
5 this.

6 DR. REMICK: You basically defined it for these  
7 reactors that way, the large release? The fact that you  
8 tied it to the 10 to the minus 6th is where I'm getting  
9 the reaction.

10 MR. KING: Yes.

11 DR. REMICK: How far does that exceed the  
12 safety goal? How much of a ratchet is that over the  
13 safety goal itself? How inconsistent is that? Has  
14 anybody looked at it?

15 MR. KING: I can't give you a number. It is  
16 certainly well within the safety goal. I have looked at  
17 that but I don't have a specific value.

18 DR. REMICK: The ARCS was saying when you send  
19 these things maintain some consistency between the  
20 various levels. It seems to me this goes far below the  
21 safety goals required.

22 DR. LEWIS: He said it is well within the  
23 safety goals. He said they are not using it as a goal  
24 but as a boundary.

25 CHAIRMAN KERR: He means it goes beyond, is

1 more stringent.

2 DR. REMICK: Yes.

3 MR. ROSZTOCZY: One way to look at this is if  
4 you meet Part 100 that assumes in it emergency action.  
5 Part 100 is a two hour zone at the low density because  
6 it assumes that within two hours you can evacuate the  
7 people. But the trouble with these plans is not to have  
8 such an emergency plan. So the criteria of what you see  
9 there is consistent with the safety goal but with an  
10 addition or assumption that there will be no emergency  
11 plan.

12 We are saying that we are using this only for  
13 the emergency plans, not for anything else. We are  
14 saying that if somebody wants to eliminate the emergency  
15 plan, then what would he have to do to show us that no  
16 emergency plan is needed. Part 100 obviously is not  
17 enough so that assumes an operation. So you have to go  
18 to something lower. And if it meets this limit then  
19 there is no limit even if nobody is evacuated from the  
20 area.

21 DR. REMICK: But isn't another way of possibly  
22 looking at it, and I'm not arguing with you but trying  
23 to understand where it comes from. The other way to  
24 look at it would be to say if with no evacuation you can  
25 assure us that you would not exceed the safety goal then

1 it is okay. That might be the criteria and you don't  
2 know what you have here, how consistent it is with that  
3 or is it just kind of an arbitrary rationale approach  
4 but once again it puts in a grace conservatism?

5 MR. ROSZTOCZY: The Commission, in the various  
6 statements to us and I believe even in the safety goal  
7 statement, indicated that they considered emergency  
8 planning as an ugly line of defense and we are keeping  
9 that in mind.

10 DR. REMICK: I hear the words but I'm not sure  
11 what it means.

12 MR. ROSZTOCZY: You keep in mind that it would  
13 eliminate it only in those cases where even if the worst  
14 things happen there is still no need for evacuation.

15 DR. REMICK: But don't you admit another way of  
16 looking at that is to say even without evacuation, if  
17 they met the safety goal, that might be the possible  
18 criteria here?

19 MR. ROSZTOCZY: The safety goal in itself  
20 provides guidance but doesn't give the limit at the  
21 location where you are looking at it.

22 DR. REMICK: Right.

23 MR. ROSZTOCZY: And I think that is where the  
24 difference is that this is a lower limit. This is a low  
25 enough limit that the various agencies including EPA,



1 jointly arrived at as long as you are below these limits  
2 then no action is needed. Radiation levels are low  
3 enough that there is no action needed.

4 DR. REMICK: You are talking about the action?

5 MR. ROSZTOCZY: Yes.

6 DR. REMICK: But they didn't put in 10 to the  
7 minus 6th?

8 MR. ROSZTOCZY: No, that comes from the safety.

9 MR. KING: If there are LWR's that can meet the  
10 safety goals, maybe there are today. I don't have the  
11 numbers in front of me but they are still required to  
12 have evacuation out to 10 miles. Now, we are saying  
13 there are plans that don't want to do that. They ought  
14 to be required to have a more stringent requirement.

15 DR. REMICK: I don't know why because it seems  
16 to me if you met the safety goal of no evacuation you  
17 have met the safety goal. I realize it is not a  
18 requirement.

19 I guess the point I want to make, and I don't  
20 want to belabor it, you have got to convince me that  
21 what you have there is reasonable. I don't know if it  
22 is or not. I can't think it through at the moment. But  
23 if it is largely consistent with the safety goal then I  
24 think you are going to have to justify how you arrive at  
25 that.

1 MR. KING: If you had an LWR today that met the  
2 safety goal, would you propose they eliminate their EPZ  
3 or change it?

4 DR. SIESS: What safety goal are you talking  
5 about? I'm completely lost. People are using safety  
6 goal as if there were some number that--

7 MR. WARD: Well there is. I think Forrest is  
8 thinking about the upper level of safety goal, the  
9 health effects.

10 DR. SIESS: Quantitative health effects.

11 MR. WARD: Yes. If you could run through a  
12 whole analysis and show that a plant met that without  
13 giving any credit to an evacuation plan and then he  
14 would say what do you need an evacuation plan for, you  
15 don't. But they are starting down lower. They are  
16 starting down at 10 to the minus 6th and assuming that  
17 that has somehow been associated with existing plants  
18 where it is a given that they have evacuation plans.

19 Then they want to add another something in for  
20 these plants if they are going to be excused.

21 DR. SIESS: 10 to the minus 6th doesn't require  
22 an evacuation plan. That enters only when you try to  
23 define a large release.

24 DR. REMICK: Right. And they have defined a  
25 large release here.

1 MR. ROSZTOCZY: That is absolutely correct and  
2 I think we have to clear up the record on that. We were  
3 talking about not the safety goals, the contents of the  
4 safety goals. We were talking about the safety goal  
5 policy statement working together which includes in it  
6 the 10 to the minus 6th for large release. And the only  
7 thing that we suggested here is that there is no  
8 definition for the large release.

9 If you get into a different definition, we are  
10 saying that if you gave it a definition like Part 100,  
11 then that includes in it an evacuation and therefore you  
12 have to have an emergency planning program.

13 However, instead of defining it as Part 100, if  
14 you are willing to define it as an emergency action plan  
15 then you don't need to have an evacuation plan with it.

16 DR. SIESS: What do you mean by that, DIV.44?

17 MR. ROSZTOCZY: No, point 100 is a limit for a  
18 two hour dose and 30 day dose at two different  
19 locations.

20 DR. SIESS: So you are back to defining it, a  
21 large release, not as a release but as a does?

22 MR. ROSZTOCZY: That is right and if you do  
23 that, then you assume an evacuation so you ought to have  
24 a plan. However, if you go to the more stringent one  
25 that is on the board, in that case you don't have to

1 have an evacuation plan. And we are using this  
2 differentiation only for one purpose, to decide whether  
3 that is needed for an evacuation.

4 DR. SIESS: Wasn't it suggested one time that  
5 the definition of large release would be one that would  
6 require an evacuation?

7 MR. WARD: That is exactly what they are doing.  
8 But see there is another effort in the staff to develop  
9 the so-called implementation program for the safety goal  
10 policy. Why don't you just defer to that instead.

11 DR. SIESS: Do you know what the staff is doing  
12 on implementing the safety goal?

13 MR. ROSZTOCZY: Yes, the staff is developing a  
14 definition for the large release criteria and the staff  
15 is developing an interpretation for these cases. It  
16 kind of goes hand in hand with whatever we come up with,  
17 that is what we will be using across the board.

18 The only thing new here is that here we are  
19 trying to do it both ways, without emergency planning  
20 and with emergency planning because it is being  
21 suggested that these plans are safe enough that there is  
22 no need for the emergency plan. So we are trying to  
23 establish the criteria, how would we decide whether it  
24 is needed or no needed.

25 DR. SIESS: If the other half of the staff is

1 defining a large release as a release period, I don't  
2 see how you can say you are being consistent.

3 CHAIRMAN KERR: They are not being very  
4 consistent either.

5 MR. ROSZTOCZY: It didn't mean that the other  
6 part of the staff is divided or putting it in terms of a  
7 release. They are looking at various options including  
8 the dose as opposed to a limit. They are looking at the  
9 practicality of each of the different forms. Up to now  
10 the dose appears to be the most practical but there is  
11 no decision on it yet.

12 MR. LEWIS: In your definition you have this  
13 comment, the frequency of exceeding the lower level  
14 should not exceed 10 to the minus 6th per year. Is this  
15 the midline frequency or is this with some confidence?  
16 How are you handling uncertainty in a precise comment  
17 like that?

18 MR. ROSZTOCZY: For this specific case, the  
19 policy statement of the safety goal is specific and it  
20 says that this is the mean frequency. It is so  
21 specified and so that is how we use it.

22 DR. LEWIS: So you do this through the mean  
23 with no consideration about uncertainty.

24 MR. ROSZTOCZY: That is correct. The  
25 uncertainty consideration already has been included in

1 getting to the 10 to the minus 6th.

2 DR. LEWIS: No, they haven't been included.  
3 There is a mean with an enormous range of difference--

4 DR. SIESS: He means in setting 10 to the minus  
5 6th, they have already considered the uncertainty in  
6 choosing that value.

7 DR. LEWIS: Well, how could you do that without  
8 specifying the uncertainty.

9 CHAIRMAN KERR: You are raising a question that  
10 he is not in a position to answer. The Commission set  
11 that criteria.

12 DR. SIESS: The commission set 10 to the minus  
13 6th.

14 DR. LEWIS: But they have not taken into  
15 account uncertainty. This says nothing about  
16 uncertainty.

17 DR. SIESS: He doesn't know whether it they did  
18 or not.

19 CHAIRMAN KERR: Mr. King, we won't keep you  
20 more than two more minutes.

21 MR. KING: I'm finished. We did have a peer  
22 review of our proposal. I sent copies of the three  
23 letters from the three peer reviewers. You can read  
24 those yourselves and see what their thoughts were on  
25 this.

1 DR. MOELLER: I don't know where it ties in but  
2 I had (read|red) prior to this meeting the latest  
3 proposal for the definition of an extraordinary nuclear  
4 occurrence. Now, how does the definition which they are  
5 tying to 100 RAD, how does the ENO tie into the  
6 definition of a major release?

7 DR. SIESS: At one time the Commission proposed  
8 that that be the definition.

9 DR. MOELLER: Yes.

10 DR. SIESS: Somebody else proposed it be the  
11 BAD's.

12 DR. MOELLER: The definition of the  
13 extraordinary nuclear occurrence and I want to know how  
14 all this fits together.

15 MR. ROSZTOCZY: The two are two different  
16 limits. The purpose of the type of limits that we are  
17 discussing here are limits to assure that there are no  
18 doses which would endanger the public. In the case of  
19 the ENO, the purpose is to simplify in case of something  
20 extraordinary, simplify the legal process. The only  
21 thing that the ENO accomplishes is that there is no  
22 burden of proof of negligence on the plaintiff.

23 The plaintiff still has to prove that he has  
24 been damaged and what is the amount of the damage but he  
25 has to prove no negligence on the part of this limit



1 which is a higher limit. I think the actual damage has  
2 happened or there is a high probability that it will  
3 happen. It is a higher limit.

4 It is kind of a limit where the Commission  
5 makes a decision that it is large enough that the actual  
6 danger to human beings or to some land area has  
7 happened. And that is why we are asserting that roughly  
8 close to an order of magnitude higher than 100 RAD.

9 DR. MOELLER: And you are saying then a  
10 population can receive the PAG's without undue risk?

11 MR. ROSZTOCZY: That is right.

12 CHAIRMAN KERR: Gentlemen, we need to give Mr.  
13 Ward 15 minutes to discuss the schedule topic.

14 MR. WARD: Well, could Dr. Remick ask another  
15 question?

16 DR. REMICK: It is really a comment. I'd like  
17 to come back to the question of staffing. I must admit  
18 I have some skepticism on the ability to largely reduce  
19 the number of license personnel. But I think people  
20 should have the right to bring that forward. I would  
21 certainly want to keep an open mind on it.

22 The regulations themselves are very specific on  
23 staffing of license personnel and I doubt very much that  
24 there have been any exemptions. Licensees can ask for  
25 exemptions but this is a difficult way to go. It seems

1 to me that that is a policy question that is being  
2 seriously proposed that you should think about raising  
3 that now. Would the Commission be receptive and you  
4 might say well we don't have to decide that now. We can  
5 decide that later.

6 But don't forget a control room should be  
7 designed with the staffing in mind. We have had a human  
8 factors seminar the other day and that was one of the  
9 things pointed out. The design of the control room and  
10 the people. I would propose to you that you give some  
11 thought to that. I think that is a policy question  
12 equal to the emergency planning question. So, I throw  
13 it out to you.

14 DR. SIESS: Could I comment on that. I think  
15 the issues that they pulled out are ones that have to be  
16 settled before you can determine the viability of any of  
17 these concepts. I think that if emergency planning  
18 can't be eliminated, some of these things aren't going  
19 to fly. I think the containment requirement is not  
20 going to fly.

21 I would like to hear from the industry whether  
22 the operator staffing is really important to the  
23 viability of the concept before I put it in the same  
24 category as these things.

25 DR. REMICK: Well, I welcome to hear him speak

1 to that too but I guess I don't see whether emergency  
2 planning flies or not to have an effect on the designs  
3 and the elimination of emergency planning.

4 DR. SIESS: It wouldn't affect the design but  
5 it would affect the sales. I don't think there would be  
6 one built.

7 CHAIRMAN KERR: Now we are getting into  
8 philosophy.

9 We thank you, Mr. King. We appreciate your  
10 being flexible with your schedule.

11 MR. WARD: Your staffing, what is your budget  
12 for continuing this work? You have laid out a schedule  
13 for the SER's and so forth for the next year I guess.  
14 Are you going to be able to accomplish that within the  
15 budget?

16 MR. KING: We have gotten the budget back. We  
17 have gotten 75 percent of our budget back so we are in  
18 good shape to complete the SER's on the schedule that  
19 was in the third or fourth viewgraph in the package and  
20 it is later this year. The HTGR, I believe, is in May  
21 and the LMR is in July.

22 MR. WARD: Very good. Thanks a lot.

23 DR. KERR: Systematic assessment of operating  
24 criteria?

25 DR. LEWIS: I have no real role to play here

1 except to introduce Jack who will bring grist to our  
2 mill to be turned into flour, I suppose.

3 We are going to try to do this every couple of  
4 months just to try to get ourselves a little more  
5 abreast of what is going on.

6 MR. HELTEMES: Let me turn it over to MARK  
7 Williams who will give you the staff's presentation.

8 MR. WILLIAMS: We're glad we could come down  
9 today. The last time we got snowed out on this topic.

10 DR. REMICK: We're not going to get snowed out  
11 today?

12 MR. WILLIAMS: Well, we thought we were but it  
13 took a turn for the better.

14 DR. REMICK: I'm thinking about the committee.

15 MR. WILLIAMS: We came to talk about the NPRDS.  
16 In particular the first study we did to utilize NPRDS  
17 data. It has been a while since the Nuclear Power  
18 Commission assumed the management of NPRDS. In 1984  
19 they made an effort to resculpt the program and build up  
20 that data system which now has in it all the component  
21 failure reports that we get as far as the systematic way  
22 and collecting them from the industry. That and the LDR  
23 data base are our two major sources of data and AEOD.

24 So this is really the first systematic study we  
25 have done to try to use the NPRDS data base to draw some

1 conclusions about operating experience. It is on feed  
2 water flow control and bypass valves.

3 (Slide.)

4 So, by way of introduction I thought I would  
5 just talk a little bit and entertain any questions you  
6 had in general about the NPRDS and introduce the study.  
7 One of the interests we had in studying the feed water  
8 regulating valves and bypass valves is that our scram  
9 data from the 1986 report in particular gave us the  
10 information that most of the scrams are initiated by  
11 balance of plant equipment.

12 And when you follow it you find out that 10  
13 percent of them are caused by either feed pumps,  
14 hardware failure or feed water regulating valves. This  
15 scram data is the subject of a study for 1987 which we  
16 are working on right now and we can probably cover that  
17 in detail at a future discussion. So, we have tried to  
18 characterize the values that we see at NPRDS and the two  
19 particular components, the feed water reg valves and  
20 bypass valves.

21 DR. REMICK: Is that statement true for all  
22 light water reactors or PWR's or BWR's?

23 MR. WILLIAMS: This is an all reactor  
24 statement. All LWR's, the studies on PWR's.

25 MR. EBERSOLE: Are you GOING to go to below the

1 surface as the to why they fail?

2 MR. WILLIAMS: We will go to that level.

3 CHAIRMAN KERR: 60 percent of the scrams WERE  
4 caused by balance of plant.

5 MR. WILLIAMS: They are initiated in balance of  
6 plant systems either people or hardware. That is a  
7 round number, either 55, 58, 56 about. It bounced  
8 around there.

9 Again I thought I would bring a chart of how  
10 NPRDS has grown over the years. Since our management we  
11 have been evaluating the NPRDS every year. But you can  
12 see since INPO assumed management in 1984, we have grown  
13 up over 60,000 failure reports. The system consists of  
14 engineering records for the equipment in the plant and  
15 failure records and now we have about 60,000 failure  
16 records to analyze:

17 So this is remarkable. A lot of people  
18 remember the NPRDS back down at this level and I really  
19 want to try to get the message across that it has  
20 changed. There have been major improvements in the data  
21 base since that time.

22 DR. LEWIS: A friend of mine published a book  
23 in which we established that all such curves follow the  
24 standard growth curve of a weed and the suitable change  
25 of ordinates. That was very close to that.

1 DR. REMICK: I hope the court reporter got that  
2 for posterity.

3 MR. WARD: I have got a question that is the  
4 inventory of what?

5 MR. WILLIAMS: Failure reports.

6 MR. WARD: There are two kinds of things that  
7 happen with NPRDS as I understand it, it is descriptions  
8 of equipment and then failure reports on equipment. And  
9 these are the failure reports?

10 MR. WILLIAMS: That is correct.

11 MR. WARD: There used to be a problem with  
12 getting the equipment descriptions. Is that well in  
13 hand?

14 MR. WILLIAMS: We just finished the Commission  
15 paper on the quality of the NPRDS overall, the status of  
16 it. Right now there is somewhere over a half million  
17 engineering records in it and when a plant goes  
18 commercial they should have all their engineering data  
19 on the reportable scope systems in the NPRDS.

20 The quality of that engineering data is still a  
21 problem and we focused on that and we intend to look  
22 into that further. Bob Denning has brought down some  
23 copies of that Commission paper and you can see a little  
24 bit more about that in detail.

25 MR. MICHELSON: Since NPRDS is not event



1 oriented, how did you get this scram information from  
2 the NPRDS?

3 MR. WILLIAMS: The scrams came from the LER's.

4 MR. MICHELSON: I thought in your first slide  
5 that you were telling me that you got information from  
6 the NPRDS system. You actually got the scrams from the  
7 LER and then what did you do, go into NPRDS to look at  
8 components or something?

9 MR. WILLIAMS: That is right. They are  
10 separate and distinct. The numbers on the causes of the  
11 initiators of scrams came from AEOD scram work?

12 MR. MICHELSON: So really the scram data came  
13 from the LER's and your 60 percent balance of plant  
14 figure, did that come from LER's or the NPRDS.

15 MR. HELTEMES: The 60 percent came from LER's,  
16 what Mark is saying is that went back to the causes of  
17 the scrams and tracked back to these components which  
18 then went into NPRDS to find out more detailed  
19 information on the failure of the components.

20 MR. MICHELSON: So, I was really looking at LER  
21 data when we looked at the first slide.

22 MR. WILLIAMS: That is based on LER data, that  
23 is correct.

24 MR. EBERSOLE: When you spoke of the quality of  
25 this data, I would venture to guess that most of the

1 this equipment failed doing its normal day-to-day stuff  
2 and virtually none of it is addressing severe operation  
3 such as exposure of pipes that have failed or pumps  
4 going to run out or any of the things which are  
5 affiliated with any of the real critical transients and  
6 actions of the plant.

7 So you can therefore build a false sense of  
8 confidence on the reliability looking at performance  
9 data when everything is just cut and dried, day by day  
10 and none of it is flavored with the larger and more  
11 difficult challenge of operating in an emergency. What  
12 do you do with that?

13 MR. WILLIAMS: Let me see if I can understand  
14 the question.

15 MR. EBERSOLE: Well the classic one, most  
16 valves don't have much of a load on them when they go  
17 back and forth but when they are intercepting a pipe  
18 failure they have a big duty to perform. That is just  
19 one example.

20 MR. WILLIAMS: In an accident environment, no,  
21 the NPRDS does not capture that kind of data. It does  
22 capture catastrophic failures of equipment which is not  
23 what you are speaking to. If there is a common mode  
24 failure problem that has been experienced or if there is  
25 environmental qualification problems which would be

1 captured by a licensee event reporting system, we would  
2 look to that data base to capture that kind of a  
3 problem.

4 The NPRDS really captures hopefully three kinds  
5 of failures, catastrophic failures but it is not the  
6 adverse environment and it captures degraded failures  
7 and then sometimes incipient failures, smoking and  
8 whatnot. So that is absolutely right. There is a grade  
9 of failures in here, some of which are not too severe at  
10 all.

11 MR. EBERSOLE: But the data that you're getting  
12 is what is used in the PRA's that show that the plant  
13 could recover from failures when, in fact, it might not.

14 MR. WILLIAMS: Some of the failure rates that  
15 we would like to use should come from NPRDS.

16 Okay, this is the first study. We have another  
17 study that is in the process of being completed now on  
18 feed water pumps. Then there is another one on main  
19 steam isolation valves that is still in the process in  
20 its statistical stage.

21 I would like to introduce G. L. Plumlee who is  
22 the lead engineer and primarily responsible for the feed  
23 water rate valve and bypass valve on this NPRDS work.

24 Bob Denning is the section leader and Vic  
25 Benaroya is in between Jack and Bob. So with that I

1 will just turn it over to G. L. Were there any other  
2 questions in general?

3 (No response.)

4 MR. PLUMLEE: Good evening.

5 MR. MICHELSON: While he is getting ready let  
6 me ask a general question. You found the LER's and you  
7 found the particular trip event and then you went and  
8 found the failure report. What kind of percent luck did  
9 you have in finding the failure reports after knowing  
10 that the events were there?

11 MR. WILLIAMS: First of all on the Commission  
12 paper, AEO 1, we look at that. And in general I think  
13 the answer to your question is that we found about 63 to  
14 75 percent of the failures that occurred in LER's.

15 MR. MICHELSON: In general, I'm wondering  
16 specifically on a knowledge that you have a focus on a  
17 particular problem, how good a luck did you have using  
18 NPRDS? How many of the failure reports did you find.  
19 It is a better test than what EIE is doing because it is  
20 a real world case you are investigating.

21 MR. WILLIAMS: I think a lot of these would not  
22 be recordable to the LER requirements per se. I'm not  
23 sure they would really look at the failures we found.

24 MR. MICHELSON: Why wouldn't they be reportable  
25 if they were equipment failure?

1 MR. WILLIAMS: First of all these were feed  
2 water regulating valve failures. They didn't  
3 necessarily cause the event. They may not have caused  
4 the scram or the event and may not have been captured by  
5 the reporting requirement.

6 MR. MICHELSON: If I understood what you said  
7 you started by finding them in a LER so they caused an  
8 event enough to be reportable or maybe I misunderstood  
9 your process.

10 MR. WILLIAMS: Let me try to run through it.  
11 The processes were separate and distinct. The LER  
12 reporting system allowed us to look at the causes of  
13 scrams and from that we learned that feed reg valves are  
14 a primary initiator of scram.

15 Then we left the LER system alone and we turned  
16 to another system, NPRDS and we said what can it tell us  
17 about component failures of feed reg valves for  
18 operators.

19 MR. MICHELSON: I misunderstood then. I  
20 thought at least you looked up from the events you had  
21 and you looked at those failures in the NPRDS and then  
22 maybe others but I thought you looked at least for  
23 those?

24 MR. WILLIAMS: No, as it turns out we get more  
25 data just from the NPRDS.

1 MR. MICHELSON: You did a general study of both  
2 but not trying to couple the two?

3 MR. WILLIAMS: Right.

4 MR. MICHELSON: Thank you.

5 MR. PLUMLEE: The title of this report is  
6 Operational Experience Feedback on Main Feedwater Flow  
7 Control and Main Feedwater Flow Bypass Valves and Valve  
8 Operators.

9 (Slide.)

10 The primary purpose on this report was  
11 basically to provide operational experience feedback.  
12 Apparently, the report has gone out to all of the staff  
13 in the regional offices. You want to keep in mind while  
14 we are discussing this that we are talking about a  
15 proprietary data base.

16 At this point the report is in a proprietary  
17 form and I'm currently working on trying to issue a new  
18 reg that is in a nonproprietary version and that new reg  
19 will consist of both the valve study and the pump study.

20 As far as the scope goes, if you keep in mind  
21 during this discussion that it was the January of '84  
22 through October '85 time frame that we are dealing with  
23 and the failures that occurred within that time frame.  
24 And basically, the reason for that was 1984 if you  
25 remember the slide we had up before is when NPRDS

1 assumed management of it and we felt at that time we  
2 should see some good data start coming in.

3 And the reason we are just now getting here to  
4 discuss this is the report was actually started in 1986.  
5 We gave the data about a year to come in. As you will  
6 see in the NPOGS evaluation paper that, on the average,  
7 it takes about nine months for them to submit the  
8 reports and that is the industrial average. So we gave  
9 them a year and started collecting and analyzing the  
10 data in late 1986 and the report was actually issued in  
11 November of 1987.

12 We did, as Mark said, analyze the NPRDS data  
13 and the scope of the report was just for PWR control  
14 valves. And I did have a slide here which I didn't give  
15 you to help you visualize the scope of what we're  
16 concerned with here. Probably a lot of people are going  
17 to have questions about why did we just pick the  
18 hardware for the valves themselves.

19 (Slide.)

20 MR. EBERSOLE: Is this for motor and steam  
21 driven feedwater pumps.

22 MR. PLUMLEE: We are talking about feedwater  
23 valve.

24 MR. EBERSOLE: Sometimes with a steam system  
25 you can vary flow with steam flow and reduce the valve



1 load but motor driven of course you have to have nothing  
2 but the valve. Is this for both steam and motor driven?

3 MR. PLUMLEE: No, sir. This is simply for the  
4 feedwater reg valve, what we call control valves and the  
5 bypass valves and all of the ones in the PWR study that  
6 we did that are pneumatically operated. This is just a  
7 representative picture.

8 This one is particularly for the Bailey. Our  
9 population didn't have any Bailey's in it. So I just  
10 wanted to show you that as far as NPRDS goes, they treat  
11 the valve operator as one component and the valve itself  
12 as another component. To do our analysis, we combine  
13 these to create one functional unit. So the failures  
14 address the failure of the operator or the failure of  
15 the--

16 MR. EBERSOLE: A turbine driven pump has its  
17 own controller for feedwater flow and might not need a  
18 valve like that. Are you with me? You just control  
19 turbine speed?

20 MR. PLUMLEE: You mean for steam driven turbo  
21 pumps, right.

22 MR. EBERSOLE: Every feedwater line has this  
23 irrespective of speed control pump?

24 MR. PLUMLEE: Every pump that was in our study  
25 had this type valve and I don't personally believe I

1 have ever seen that speed water system that didn't have  
2 a valve on it no matter how much you could control the  
3 speed.

4 MR. EBERSOLE: So you had this in every case?

5 MR. PLUMLEE: Yes. We did not address what  
6 most people know as being the significant problems with  
7 feedwater control systems. That was not within the  
8 scope of this study.

9 (Slide.)

10 CHAIRMAN KERR: Did I understand you to say you  
11 did not look at feedwater control systems?

12 MR. PLUMLEE: That is correct.

13 CHAIRMAN KERR: Does that mean that the valve  
14 position is not part of the control system?

15 MR. PLUMLEE: The valve position, if you are  
16 talking about physically mounted on the valve--

17 CHAIRMAN KERR: Is that just an on/off valve,  
18 it is not a control?

19 MR. PLUMLEE: No, sir, it is the flow control  
20 valve that varies the position, to vary the flow.

21 CHAIRMAN KERR: I don't see how that could  
22 escape being part of the feedwater control. I must have  
23 misunderstood you.

24 MR. PLUMLEE: What I said was we did not  
25 address the feedwater control system, the electronics of

1 the feedwater control system. The scope of this study  
2 was simply the valve itself and its operator and the air  
3 system as far as the air solenoids which are normally  
4 mounted on the operator here and the air lines that go  
5 to operate the operator. And that is inherent in the  
6 data base that we were dealing with, speaking of  
7 components.

8 CHAIRMAN KERR: It is your view that that was  
9 the principal contributor and the control system really  
10 had nothing to do with it?

11 MR. PLUMLEE: No, sir, I don't believe that is  
12 correct. We all know, at least from my experience and  
13 from the literature that I have researched and the  
14 operating experience that I have known, the major  
15 problem is the feedwater control system.

16 CHAIRMAN KERR: So you just picked the valve  
17 out because it was there?

18 MR. PLUMLEE: The selection was done before I  
19 came here. Let me put it that way. So I don't really  
20 myself understand why they didn't choose the control  
21 system over the valve system other than the fact that we  
22 wanted to use NPRDS as a test. This is basically a  
23 pilot study, the first attempt that we made at formally  
24 trying to use NPRDS and this was an easy topic for us to  
25 address.

1 MR. DENNING: Let me add some clarification.  
2 On the figures that were based on the LER data, the  
3 figure for hardware combined for reg valves and the  
4 pumps but at least as far as the definition of the  
5 component failure and what pieces of gear you would be  
6 dealing with, it is consistent with the boundaries that  
7 G. L. just pointed out.

8 CHAIRMAN KERR: What is consistent with what?

9 MR. PLUMLEE: Let me try to show it here. I  
10 would have to say without really analyzing where this  
11 came from--

12 MR. DENNING: Where we say hardware failure,  
13 that number means that for the valve anyway, that  
14 failure had to originate within the boundary that G. L.  
15 pointed out on his diagram, within the operator,  
16 attached solenoids, local air lines, valve body and  
17 valve position.

18 (Slide.)

19 MR. DENNING: Now, the part that we didn't deal  
20 with was the electronics and the sensors and the gear  
21 that is feeding change position signals to that valve.  
22 That is a another whole ball of wax.

23 DR. LEWIS: The predominant causes of failure  
24 of this system are in that part?

25 MR. DENNING: Looking across the scram data, I

1 think that is probably correct. There is a whole lot of  
2 other BOP stuff that doesn't boil down to looking at  
3 this piece of hardware.

4 CHAIRMAN KERR: Which part when you say this  
5 part, the valve or the control system?

6 DR. LEWIS: I don't remember how I phrased it  
7 but my understanding is that most of the failures are  
8 due to the control system but they still decided to  
9 study the boundary that is in that viewgraph.

10 MR. DENNING: One of the boundary conditions  
11 was how can we use NPRDS data.

12 DR. LEWIS: Now in NPRDS, just for my own  
13 information, the failures are broken down as to whether  
14 they are a control system or the actuator or shaft? Are  
15 the failures broken down in NPRDS in that way?

16 MR. DENNING: The way they are broken down is  
17 they are charged to a piece of hardware with a boundary  
18 definition.

19 DR. LEWIS: But if the failure of that thing  
20 with the name plate and model number was due to  
21 something outside that boundary, then it doesn't appear  
22 in NPRDS?

23 MR. DENNING: That is correct. In NPRDS if it  
24 was another piece of gear that was affecting its  
25 performance that was outside the boundary, another piece

1 of hardware, the failure would get charged to that other  
2 piece of hardware.

3 DR. LEWIS: In other words, for each piece of  
4 hardware the cause of that failure is determined before  
5 it is put into NPRDS. Normally, an operator would only  
6 know that this valve failed and it takes an  
7 investigatory job to find out if that failure is due to  
8 something outside the boundaries so that it is done  
9 first.

10 MR. DENNING: In practice what happens is that  
11 the plant has people working on NPRDS that are in the  
12 stream of processing maintenance work orders. These  
13 guys know, in general, what the boundaries are that they  
14 are to report against to get a maintenance work order to  
15 come in. Maybe it is written against the valve. He  
16 looks at exactly what happened. He decides okay the  
17 thing that broke was in the boundary of the valve in  
18 NPRDS so I code this against the valve.

19 Then he looks at it and he says no, that thing  
20 failed because an improper signal was generated in a  
21 cabinet in another room. That sounds like a valve  
22 boundary. What I really have to charge that failure  
23 against is some electronic module in a control system.

24 DR. LEWIS: So he must be a generalist then and  
25 not a valve in order to make that last judgment?

1 MR. DENNING: Yes, generally the people that  
2 wind up processing the data have an overview. They are  
3 not the guys in the mechanics shop. They are not the  
4 guys writing the maintenance work requests.

5 They will go back and ask a guy in the shop if  
6 this is really what happened if they can't understand  
7 what has been put in the work order but it is a higher  
8 level that is involved in processing this.

9 MR. PLUMLEE: And I just got back this week  
10 from the NPRDS users group meeting in Atlanta at INPO  
11 and there is a big push to change over from the normal  
12 time reporters to an engineer doing the failure reports  
13 in an effort to provide better root cause analysis,  
14 better understanding of what the failure was.

15 (Slide.)

16 As far as the data analysis methodology. This  
17 was basically a two phase approach. One was a  
18 statistical analysis that was done on the failure  
19 population whereby times between failures were studied  
20 using statistical methods and model failure rates using  
21 times or failure free operation.

22 The specific component or failure rate was  
23 identified and calculated and these were compared in  
24 numerous statistical methods to the different variables  
25 that you can obtain from the NPRDS engineering records.



1 Some of those variables are such things as valve  
2 manufacturer, the valve size, the type valve it is as  
3 far as the valve operator, similar type information for  
4 the valve operator.

5 The failures were also studied as a function of  
6 calendar time to the tech shifts and the rate of  
7 component problems. And then, after the statistical  
19 8 analysis was done was where I entered the picture and  
9 the pointers that came out of the statistical analysis,  
10 I then took those and we did an engineering evaluation  
11 of those combined with our own operating experience as  
12 far as main feedwater control systems are concerned.

13 DR. LEWIS: When you speak of the statistical  
14 analysis is that deeper than just plotting the time  
15 between failures against various variables you  
16 described? Is it deeper than that?

17 MR. PLUMLEE: I believe I will let Bob answer  
18 that. He is the statistical individual?

19 MR. DENNING: Yes, I have got one slide that  
20 would give you a view of exactly what that consisted of.

21 DR. LEWIS: I'm not sure I want to know  
22 exactly.

23 CHAIRMAN KERR: How about statistically.

24 (Slide.)

25 MR. DENNING: The answer to your question is,

1 yes. It involved more than just plotting and viewing  
2 and eyeballing information. You have a professional  
3 statistician on my staff that worked with a statistician  
4 and contractor and basically utilized the BMDP package  
5 to use survival analysis techniques just to apply to  
6 component survivals.

7 And using times between failures is the  
8 response variable. Looking at the impact or the effect  
9 of the different kinds of code areas, examples that  
10 G. L. gave you about the valve manufacturer, inlet size,  
11 type operator, type of material and so on and so forth  
12 and then there was screening that was done which is the  
13 first step in any kind of a statistical analysis, just  
14 forcing out the data as a function in those covariants  
15 to look at things that just don't make sense.

16 If everybody has 500 psig on something and one  
17 guy has got 250, you go find out why that is. If it is  
18 legit, maybe you leave it in. If it is not, you make  
19 the correction. We went through that process and then  
20 went through various available packages which were used  
21 to develop these trends or outliers or hints or  
22 significant areas that the data per se was pointing to.

23 And those were starting points for the  
24 engineers to see if there was any cause/effect  
25 relationship that they could attach to that significant

1 variable.

2 DR. LEWIS: Do either of the professional  
3 statisticians know what underlies these packages.  
4 Anybody can run these packages.

5 MR. DENNING: As a matter of fact, in the  
6 process of doing this, we wound up taking a part one of  
7 the modules, one of the packages in correcting it and  
8 giving the correction back to the BMDP people and they  
9 got incorporated in the next reg. So they got down into  
10 how the thing was coded.

11 DR. LEWIS: There were failure models imbedded  
12 in all these things?

13 MR. DENNING: The methods that were used  
14 because we went with time between failures and used life  
15 lengths instead of counts, we didn't presume any kind of  
16 an exponential model and the methods themselves are  
17 fairly general. They capture an exponential model as  
18 just one specialization of a whole lot of other things.  
19 We did some fitting and for certain values of the  
20 parameter the Y bell collapses to exponential. So we  
21 went out to very general perspective.

22 DR. LEWIS: I don't want to spend time on this  
23 but that sounds very specific to me.

24 MR. MICHELSON: Does the NPRDS allow you to  
25 determine time between failures now with any degree of

1 reliability?

2 MR. DENNING: The answer is, yes.

3 MR. MICHELSON: Once they commit to starting to  
4 send the data on a particular component, would they  
5 always send the data in on that component if it fails  
6 again? Is that assured, otherwise you can't determine  
7 time between failure because you don't know if they  
8 report all the failures?

9 MR. DENNING: The same thing is true of the  
10 analysis in general?

11 MR. MICHELSON: I just wondered if there is a  
12 policy or practice wherein the utility starts to report  
13 a particular component failure that they continue it so  
14 that you realize that it isn't a long time between  
15 failure necessarily.

16 MR. WILLIAMS: They are on the hook to report  
17 those failures, each failure is reported, a reportable  
18 scope is set and within that they are required to be  
19 reported so if it fails the next time it has to be  
20 reported.

21 MR. MICHELSON: Are you telling me you are  
22 getting 100 percent participation and 100 percent of the  
23 failures by each participant?

24 MR. WILLIAMS: I wouldn't think so.

25 MR. MICHELSON: It used to be extremely poor

1 although the accumulation of time is not what would be  
2 expected.

3 MR. WILLIAMS: We think it has plateaued out at  
4 somewhere over 60, less than 65.

5 MR. MICHELSON: So time between failure, when  
6 you recognize that they aren't reporting to you every  
7 time that component fails, how do you adjust that?

8 MR. WILLIAMS: I think they do report every  
9 time a component fails.

10 MR. MICHELSON: I'm sure they do but how do you  
11 know which ones do and which ones don't so you can get  
12 some confidence in your time between failures.

13 MR. WILLIAMS: Well, one of the things we do is  
14 we do plant visits and we have an understanding,  
15 especially on important failures, on important  
16 components. They do report those every time but there  
17 is some sloppiness about the actual time it was back in  
18 service and when it was discovered. But that is the  
19 only uncertainty you have there.

20 MR. MICHELSON: But you are confident that they  
21 are reporting each failure of at least major components?

22 MR. WILLIAMS: Well, if we continually find  
23 cases where they haven't reported a failure which may be  
24 a scram breaker which is fairly important. But in  
25 general, I think we're satisfied that they are reporting

1 a lot more. For most of the component failures we are  
2 getting reports. I can't answer your question with  
3 certainty 100 percent.

4 MR. MICHELSON: If you looked at the LER and  
5 pulled that component from NPRDS you would have the  
6 answer of how successful they are?

7 MR. WILLIAMS: We have done exactly that,  
8 right. That is why I think we know the answer to the  
9 question to say most of the time--

10 MR. MICHELSON: I don't think you did exactly  
11 that or you gave me an incorrect answer earlier. I  
12 think you told me you didn't do that in this study.

13 MR. WILLIAMS: Not in this study but for other  
14 cases.

15 MR. MICHELSON: But I'm not sure that INEL is  
16 doing what I'm talking about either going to the LER and  
17 pulling the specific item and then checking to see if it  
18 was reported?

19 MR. DENNING: Yes, sir, that is what they do on  
20 a regular basis.

21 MR. MICHELSON: Yes, but my recollection is  
22 that when they have done this, they have not found a  
23 high percentage of correlation?

24 MR. DENNING: 65 to 70 percent.

25 MR. MICHELSON: Recognizing that 30 percent of

1 the time you don't report how, do you get time between  
2 failure or how to you adjust time between failure.

3 MR. WILLIAMS: It gets confusing. First of all  
4 we have gone into that 30 percent in some gory detail  
5 and the significance of the failure comes into play.  
6 What failures don't we get reported and then what is the  
7 reportable scope when you start fine tuning it.

8 When we get into this level of detail sometimes  
9 we can get up to 85 to 90 percent of the failures being  
10 reported and we can resolve it at that level. And these  
11 plant visits we were making are helping us understand it  
12 better.

13 MR. MICHELSON: But in the case of these big  
14 valves you are confident that they are doing a high  
15 percentage of reporting; is that right?

16 MR. WILLIAMS: Well, I can say that this  
17 particular study, when you see the data I think you have  
18 a warmer feeling that we overkill the statistical  
19 analysis.

20 MR. PLUMLEE: I think I can answer your  
21 question if we get down here to the data methodology  
22 analysis. Under an engineering evaluation, that  
23 consisted of personally talking to every plant that we  
24 studied.

25 (Slide.)



1           At least for the outliers that I know of, we  
2 requested all failures and there was even some utilities  
3 that volunteered to send us the machinery, the machinery  
4 history records and we did find failures that had not  
5 been reported to NPRDS.

6           This whole process was a significant effort in  
7 trying to clean up the data because of the inherent  
8 problems in the voluntary reporting data base. And it  
9 took about two man months to clean that data up. In  
10 that process we did identify numerous problems. There  
11 are 40 pages of comments that we provided INPO. I think  
12 this whole process here has had a significant amount of  
13 positive results in trying to improve the NPRDS data  
14 system.

15           DR. LEWIS: I am missing a fundamental point.  
16 This is a failure reporting system. How do you  
17 calibrate MTBF if there are comparable components who  
18 don't fail and therefore that never find their way into  
19 the system. How is that normalized out?

20           MR. DENNING: Dr. Lewis, the way the system  
21 works is that the engineering records go in. That  
22 establishes the population and establishes who is at  
23 risk.

24           DR. LEWIS: So, it is normalized out.

25           MR. DENNING: And you accumulate against those

1 components at risk.

2 DR. LEWIS: Thank you.

3 MR. PLUMLEE: So you see there is a lot of time  
4 here in contacting the licensees and the manufacturers.

5 DR. LEWIS: How are you guys doing on time?

6 MR. WILLIAMS: We will go faster.

7 MR. PLUMLEE: If we go back to the scope, this  
8 will give you an example of the failure population that  
9 we have been talking about.

10 (Slide.)

11 I tried to split this up to what you know as  
12 reg valves and bypass valves. As you see, what I have  
13 listed here is the total population we were dealing with  
14 and I listed it by what we discussed earlier, the  
15 engineering records. There was a total of 121  
16 functional components that we were dealing with, both  
17 including the valve operator and the valve body itself.  
18 Out of that 121 for the reg valves, there were 107  
19 failures and 42 units. For the bypass valves there were  
20 101 total engineering records, 52 failures and 36 units.

21 Now, we have classified this term as an outlier  
22 and they came up from a statistical study based on their  
23 high failure rate, the high number of failures there was  
24 a total of 25 units that came out of that.

25 What I tried to do is compare in the study, we

1 just looked once the statistical study was done, we just  
2 concentrated on the outlier plan. What I tried to do  
3 was show the reason we took that approach. As you can  
4 see those 25 units of the 42 contributed more than three  
5 quarters of the failures and that was broken up into  
6 just ten units.

7 For the bypass valves, there were a total of 34  
8 failures and that is over half of the total failures and  
9 that was in only six plants. So the outliers were,  
10 basically, that population of plants that had a  
11 significant number of failures so that we could go to  
12 them and try to determine in some detail what exactly  
13 the problems were and how to fix it.

14 As I have broken the outliers down a little bit  
15 further into the valve and the valve operator, for the  
16 valve the failures were 24 out of 78. The valve  
17 operator was the biggest problem with 54 failures. For  
18 the bypass valve both the valve and the operator  
19 contributed evenly.

20 As far as the types of problems that you could  
21 identify in NPRDS, I broke them up into valve and  
22 operator. Primary contributors under the valve was the  
23 packing and bonnet flange leaks and valve internal  
24 problems. I don't know whether it is any use in going  
25 through the exact numbers here.

1           As far as the operators were concerned, major  
2 problems were in adjustment calibration of the  
3 operators, piece part replacements and piece part  
4 repairs and cleaning by the operators. We will go into  
5 that in a little more detail.

6           (Slide.)

7           Under the findings, the statistical study  
8 showed in the engineering and the engineering evaluation  
9 confirmed that the differences among units and stations  
10 have a greater influence on the components than any of  
11 the component attributes studied in the statistical  
12 analysis and by attributes I mean the manufacturer, the  
13 vendor, the valve inlet size, the valve operator type,  
14 whatever the variables that we analyzed that kept  
15 showing that the major differences showed up amongst the  
16 units.

17           One station could have three units and they  
18 would have three separate failure rates. And if you got  
19 looking more closely, they have three different  
20 maintenance policies and maintenance programs. In this  
21 study there were several data quality concerns which I  
22 discussed earlier we had to take account of and correct.  
23 These data quality concerns have been fed back to INPO  
24 through my participation in the NPRDS users group and  
25 they do have a formal computerized tracking system with

1 all of our comments going to them and they track them  
2 right to closure.

3 MR. MICHELSON: You made a statement which was  
4 rather significant but maybe I misunderstood it. Did  
5 you say that on a three unit station it has different  
6 practices and procedures for each of the three units? I  
7 thought that is what you said. I find that rather  
8 profound.

9 MR. PLUMLEE: The engineering study identified  
10 that. Some plants use the same people from unit to  
11 unit. Some others don't. Each one has their own  
12 maintenance crew. Some plants, as you know, have one  
13 BWR and one PWR?

14 MR. MICHELSON: Mike say you have three PWR's--

15 DR. LEWIS: Well, you said they have different  
16 maintenance policies from unit to unit.

17 MR. MICHELSON: I find that fascinating.

18 MR. EBERSOLE: What percent of these valves are  
19 so-called safety grade and which are not?

20 MR. PLUMLEE: If you can just talk with memory,  
21 I only remember one plant and that is San Anofre that  
22 had safety grade. I don't know about the valves. I  
23 know the pumps at least were safety grade because they  
24 used that for cooling and I assume that the valves  
25 downstream are also the same.

1 MR. EBERSOLE: They are associated with swing  
2 check valves to intercept reverse flow if you have a  
3 pipe break. Reverse flow can be damaging unless it is  
4 quickly intercepted in the context of machinery damage  
5 in the plant. So you get into assessment of whether  
6 this is a safety problem or not, irrespective of the  
7 fact that it is clean water.

8 I thought there was sort of a random practice  
9 about it. Did you find most of the plant depended on  
10 swing checks for quick closure and that these things  
11 were not really included in the closing function?

12 MR. PLUMLEE: That is correct.

13 MR. EBERSOLE: But did you find some of them  
14 utilized these valves for the closure function?

15 MR. PLUMLEE: Not that I know of. We didn't  
16 specifically address that and I never heard that was the  
17 case.

18 MR. EBERSOLE: So it is kind of a random  
19 picture as to whether these do the safety function or  
20 not, isn't it?

21 MR. PLUMLEE: That's correct. I assume the  
22 ones that I remember were all nonsafety related.

23 MR. EBERSOLE: That is a funny thing because  
24 the safety aspect is not whether the feedwater comes out  
25 or not but whether it comes out in the room and keeps on

1 going. And it seems to me it would certainly have to be  
2 associated with the swing checks as a safety.

3 CHAIRMAN KERR: Are you going to be able to  
4 finish your presentation in a few more minutes.

5 MR. PLUMLEE: I hope so.

6 AS indicated here, the major causes that we  
7 identified in both of these sets of valves and  
8 significant amount of problems are due to vibration,  
9 degraded instrument air system, degraded instrument air.  
10 I don't mean to say the whole system. Inadequate  
11 maintenance procedures, improper valve and valve  
12 internals, inadequate weather tightness.

13 To clarify that some plants, the balance of the  
14 plants are located outside. So plants that have  
15 components outside have problems with the air  
16 environment. Failure modes were attributed to poor  
17 maintenance practices, valve operator ability to  
18 withstand environmental vibration. That vibration was a  
19 direct result of both the pumps and the flow to the  
20 valve itself.

21 The valve operator inability to function due to  
22 poor quality instrument air, valve operator adjustment  
23 sensitivity, valve packing, lifetime and maintenance  
24 frequency, and the literature there is currently a lot of  
25 research going on by EPRI to improve valve packing. The



1 valve trim and plug in cage lifetimes.

2 To give you an example, you have them all  
3 listed there. I don't know whether there is time to go  
4 through all of them but I have broken these down into  
5 actions to prevent the problems.

6 (Slide.)

7 These were identified through the actual  
8 plant's experience and their corrective action. This  
9 first slide is for valve operator phase. Significant  
10 contributor was due to vibrations. Some of the fixes  
11 that they used for these, not necessarily saying that  
12 these were true fixes to get at the root cause but they  
13 used flexible stainless steel.

14 CHAIRMAN KERR: Why don't you just read, in  
15 light of our time constraints.

16 MR. PLUMLEE: Poor maintenance is one of the  
17 big issues that came out of this study.

18 DR. LEWIS: You also had an entry that said  
19 maintenance frequency. I can't infer whether you meant  
20 maintenance frequency was too large or too small.

21 (Slide.)

22 MR. PLUMLEE: Major conclusions from the study  
23 is that proper maintenance and appropriate subcomponents  
24 will avoid the problems that we are seeing. System  
25 upgrades to a balance of plant system like the main

1 feedwater system will make the system more reliable.

2 In the study, we identified a lot of problems  
3 with the instrument air. There have been a lot of  
4 plants that upgraded their instrument air more or less  
5 nearing the approach of upgrading of safety system.

6 CHAIRMAN KERR: What is meant by system  
7 upgrades to make the system more reliable?

8 MR. PLUMLEE: Larger air dryers.

9 CHAIRMAN KERR: Improving the system makes it  
10 more reliable?

11 MR. PLUMLEE: That is correct.

12 CHAIRMAN KERR: Thank you.

13 MR. PLUMLEE: Basically, the only thing that  
14 came out of this report is we felt it was a good  
15 practice document, that if plants would read the  
16 document, they could gain some experience on what has  
17 happened at other plants. It is not a general common  
18 practice that plants talk to each other.

19 Staff follow-up, I was in hopes that this  
20 report would be used and it has been used for the  
21 current staff efforts and balance of plant. There is a  
22 temporary instruction where they have gone out and  
23 inspected different plants. One of the recommendations  
24 that came out of this study was that they would look at  
25 one particular plant. It continued to be an outlier

1 even after our study was finished. That has been done.  
2 The inspection was done last week and I talked to the  
3 region this morning. The relative issues that came out  
4 of that went right back into our findings in this  
5 report.

6 My concern was in the report you will see that  
7 we made some statements like if the plant does this,  
8 they should see an improvement down the road. My  
9 concern was if we put this report based on old data out  
10 today, is what we said back then a year ago still  
11 relevant.

12 So I went back and looked at current data up to  
13 July of 1987 and found one of the particular plants that  
14 was involved in the study was still considered an  
15 outlier, still having problems. So the region went back  
16 and looked at them and this balance of plant inspection  
17 and did indeed confirm that they have initiated a lot of  
18 effort to try to resolve their feedwater systems and  
19 there has been a significant improvement in trips or at  
20 least transients due to feedwater reg valves and  
21 failures as well as control system improvements.

22 MR. WILLIAMS: I think one of the biggest  
23 things out of the study was this was the first time we  
24 used NPADS to try to get anything out of it. INPO has  
25 tried to use it and we have tried to use it. We found

1 out a couple of things, one that it takes a heck of a  
2 lot of work to get anything out of it because of the  
3 data quality and a lot of other problems that Carl  
4 brought up.

5 The other thing is you can get information out  
6 of it. I remember there was one point that had four  
7 loops and one of the feed reg valves failed twice as  
8 much as the other three. And we sent this report over  
9 to NRR and two weeks after it got there the plug dropped  
10 off that valve and they had to manually scram the plant.  
11 Same exact thing, repetition of history once you wash it  
12 out we are working with INPO to try to keep NPRDS alive  
13 and well and improving.

14 We do see some advantage to studying it. We  
15 are going to continue to try to study it and get more  
16 out of it. It is labor intensive but this was the first  
17 time we tried to use it. So if you have any comments  
18 about what you think we should look at or areas of  
19 interest, we would like to take them and take them back  
20 with us.

21 MR. EBERSOLE: I'd first like to have you find  
22 out just exactly what each valve is for in the broadest  
23 context. The primary function is to modulate feedwater  
24 flow but it may have an extremely important safety  
25 feature and it may or may not have the safety essence to

1 do it. In fact, I don't even know whether it would  
2 close or not under those differentials.

3 So the picture of these feedwater valves has  
4 always been very muddy and inconsistent. In a boiler,  
5 it is somewhat clearer because it is primary.

6 CHAIRMAN KERR: Other questions, comments?

7 (No response.)

8 Thank you, very much.

9 MR. PLUMLEE: Thank you.

10 CHAIRMAN KERR: It was an interesting  
11 presentation.

12 Next item?

13 MR. WILLIAMS: The second presentation, the  
14 issue of exposure events.

15 DR. LEWIS: I think we used all our time. We  
16 have to ask ourselves whether we have to ask you to come  
17 back or whether you want to continue. That is up to  
18 you.

19 CHAIRMAN KERR: We have a full schedule through  
20 the rest of the afternoon going through 6 p.m.

21 DR. LEWIS: I think we had better say that we  
22 cannot go on. We just have to ask you back. We  
23 obviously didn't match the length of the questions with  
24 your preparers time. Sorry about that.

25 CHAIRMAN KERR: Nuclear waste management.

1 DR. MOELLER: Mr. Chairman, you have in tab 9.1  
2 the background information for this particular portion.  
3 If you look at the agenda that is presented there, one  
4 of the first items or the first item that was listed was  
5 the presentation by Dr. Michael Bell on high level  
6 waste. He is not here yet so I will go ahead and give  
7 the subcommittee report again because we are a little  
8 bit ahead of schedule.

9 We had a meeting--

10 MR. WARD: No, we're not.

11 DR. MOELLER: Your right.

12 We had a subcommittee meeting on January 21st  
13 and 22nd and that is what I'm here to report on at this  
14 time. Attending the subcommittee meeting was Dr.  
15 Steindler and myself and we were supported by four  
16 consultants of Frank Parker, John Till, Connie Crosshop  
17 and Donald Ord. We also had in attendance, of course,  
18 Jake Perry and Owen Mell.

19 The first item we heard is what you will be  
20 hearing this afternoon but from a different person.  
21 That is we heard a report by Bob Browning on the impacts  
22 of the Nuclear Waste Policy Act Amendments of 1987 which  
23 were signed on December 22nd, the impacts of these  
24 amendments on the high level waste program. As I say,  
25 you will hear about that shortly.



1           One of the interesting things that I might  
2 mention without trying to go into any detail is that  
3 these amendments called for specific attention to  
4 sub-seabed disposal. We asked the NRC whether they were  
5 going to crank up and operate in this area and they said  
6 they were not because according to the federal statutes  
7 and so forth, EPA has the responsibility nor sub-seabed  
8 disposal.

9           We also discussed the licensing support system  
10 which you heard about before and that is the  
11 computerized system where they will incorporate into a  
12 computer data bank supporting data, references, etcetera  
13 from which all parties can draw. If there is some item  
14 that comes up in contention, everybody then will have  
15 the same data bank.

16           We found that we had a number of questions on  
17 that. It is being subjected to rulemaking for decisions  
18 on how it will be set up and so forth. Some of the  
19 questions we had when you get down into it, you began to  
20 ask questions and we wondered who inputs the data, who  
21 decides what references can go in and at what time do  
22 they go in, things like that. Can a person's personal  
23 laboratory notes go in or must it be published.

24           Next, we reviewed another rulemaking item and  
25 that is, when I last heard about that six or eight



1 months ago, they were going to require that all people  
2 who submitted documents which they wished to have  
3 considered would put it in a format so they could feed  
4 it into this. Is that now in effect? Are things going  
5 into it from other people or anybody or just who is?

6 DR. MOELLER: Marty, maybe, can help me but my  
7 understanding is that it is still in the formulative  
8 stages.

9 DR. SHEWMON: Okay.

10 DR. MOELLER: The next item was all alternative  
11 methods for alternative low level waste. Alternatives  
12 to shallow land burial and that, as I say, is an item as  
13 I understand for rulemaking. In fact, I think they had  
14 to submit by a deadline of January 30th on that.

15 With the help of the Corps of Engineers they  
16 developed details on two approaches, two alternatives  
17 which they thought should receive emphasis. One is the  
18 below ground vault with the mounded concrete bunkers.

19 We found here though, we had some of the  
20 identical questions that the ACRS has on such topics and  
21 that is what determines whether you do it by rulemaking  
22 or by a regulatory guide, the standard review plan or a  
23 branch technical position. And we find we are not quite  
24 straight. So we want to get more into that.

25 The third thing we heard on the first day in

1 terms of low level waste, was a review of the event at  
2 TMI 2 where the epicore supposedly solidified resins had  
3 expanded and cracked the carbon steel container in which  
4 they had been solidified. And when they cracked, they  
5 found they weren't solidified. They sort of had chunks  
6 fall out.

7 Fourthly, we heard what I thought was a very  
8 interesting presentation both from the NRC presentation  
9 and from DOE on the cleanup of the roughly two dozen  
10 sites left over from uranium mining and milling in past  
11 years, abandoned sites as well as active sites. And  
12 they spent, I gather, some billions of dollars in this.  
13 And it was a very well illustrated slide presentation  
14 showing us before and after and showing the actual steps  
15 as they recover a site.

16 We then closed out the first day with just a  
17 general discussion. I mentioned to you sub-seabed  
18 disposal being over in EPA. It is now beginning to  
19 register with us that MRS is in neither high level nor  
20 low level waste. That is over in another group within  
21 NMSS. Transportation of waste is still another group.  
22 So we will be interacting with quite a few groups there.

23 We closed out that day on an item pertaining to  
24 high level waste in our general discussion and that was  
25 we realized that with the amendments at the BWIP, the

1 Hanford site is to be shut down I think within six  
2 months.

3 Well, Dr. Steindler asked who was going to  
4 request and obtain from DOE and NRC and so forth a final  
5 closing out document. And I got the impression not too  
6 much thought had been given to that. But our point was  
7 that the people who were there, now that they are  
8 finishing up, they have insights that are not in  
9 published documents and written reports and somebody  
10 ought to summarize all of that information so that if  
11 and when, at some future time, we find ourselves working  
12 once again with this we will have the benefit of those  
13 written documents.

14 The second day we began with high level waste  
15 research--

16 CHAIRMAN KERR: You mean Dr. Steindler, Dr.  
17 Frazier--

18 DR. MOELLER: Well,, I'm not sure we did.

19 DR. STEINDLER: I think, just on the basis of  
20 pure economics, it is going to be very difficult to  
21 salvage that information.

22 DR. MOELLER: But I think it is a mistake if it  
23 isn't salvaged.

24 On the second day we heard from Frank Costanzi  
25 on the high level waste recycling program and Frank is

1 here in case, as the discussion continues, you people  
2 have any questions.

3 One very interesting thing was his review of  
4 the research program of ground water movement of  
5 radionuclides which are being done in Australia using  
6 natural analogues to trace the movement of  
7 radionuclides. And they are tracing the movement of  
8 plutonium, the naturally occurring plutonium within that  
9 site. You know if there is spontaneous, fission some  
10 plutonium is there but I did not realize that they were  
11 doing this, neptunium, uranium, etcetera.

12 Next, we discussed environmental transport  
13 models. There, in terms of what NRC is doing through  
14 mainly Sandia and we raised the questions, once again,  
15 will the NRC models be acceptable to EPA when they use  
16 these models to show that DOE is complying or DOE uses  
17 similar models to show that they are complying with EPA  
18 standards. One interesting aspect that developed from  
19 that is the same people at Sandia, who are now doing the  
20 NRC research in model development, are the ones that did  
21 EPA's model development previously. So, it is hopeful  
22 that what they come up with will be acceptable to EPA  
23 since it is the same.

24 DR. SHEWMON: They ought to agree with EPA's  
25 models anyway.

1. DR. MOELLER: Right.

2 We also called upon the staff to look at field  
3 research in tuft and preferably at Yucca Mountain. And  
4 at the moment, I gather that DOE is the only one who has  
5 access and the only one who is really doing work there.  
6 But we hope that in time the NRC will be able to do  
7 onsite validation and so forth.

8 We also realized in our discussions that with  
9 the congressional mandate that we go to Yucca Mountain  
10 that we will be the only country in the world working  
11 with tuft. No one else is.

12 We closed out with a review of back to low  
13 level waste. The environmental transport studies that  
14 are underway in Canada which are very interesting in  
15 that they tried to have one group go in and model the  
16 site without being told how the radionuclides are  
17 moving. Another group go in and monitor the movement  
18 and see how well or how close they correlate in terms of  
19 their data.

20 They correlate pretty well. Personally and I  
21 think Marty too had questions as to how the values for  
22 these key parameters were chosen in order to get this  
23 close correlation. We wrapped up the two day meeting by  
24 drafting a letter which we want to put on the table for  
25 your consideration. It is a very simple letter

1 commenting on high level and low level NRC research.

2 DR. SHEWMON: What do the Canadians have for a  
3 source. Do they have ET exchange down there?

4 DR. STEINDLER: It is a Chalk River. It is an  
5 old dump where they released the contaminated liquid  
6 from the NRX incident plus a number of other fairly hot  
7 sources just flush on to the ground and just simply  
8 watch the movement from there on.

9 To me it was a surprisingly large amount of  
10 activity but it didn't seem to have gone, over 25 or 30  
11 years, it didn't seem to have wandered all that far.  
12 But it did wonder far enough so that you could use  
13 analytical models reasonably well and then prod the  
14 system to determine how close you were.

15 DR. SHEWMON: Did this get into the Chalk  
16 River?

17 DR. STEINDLER: No. The surprising thing to me  
18 was that this stuff flowed south instead of north. The  
19 river is on the north side and it flowed away from the  
20 river. It is a typical Canadian area which is 30  
21 percent swamp and the rest untenable. Strike that from  
22 the minutes. But it was a swampy area and I would have  
23 expected the thing to eventually end up in the Chalk  
24 River but it didn't go that way. There was a lake to  
25 the south where it drained into.



1 But it was an interesting exercise. It is the  
2 only, what I would consider, large scale following of  
3 significant activity, no analytical problems in that  
4 area.

5 DR. SHEWMON: Was it clay or sand?

6 DR. STEINDLER: It seems to be basically a  
7 sandlike material.

8 DR. MOELLER: Yes, they passed a sample of the  
9 soil around and it is almost not like peat moss but it  
10 is more of a sand but it is light and fluffy.

11 DR. STEINDLER: If you mix stand with peat moss  
12 at a proper ratio, that is what you can get. You ought  
13 to be able to grow a lot of stuff in it. And in fact it  
14 is fairly shallow. The underlying rock is not too far  
15 below the surface but it is vegetative.

16 MR. EBERSOLE: Any strange growth?

17 DR. STEINDLER: No. The trees look like they  
18 glow in the dark but no.

19 DR. MOELLER: The trees, I forget whether it  
20 was birch or what takes the strontium 90 up.

21 CHAIRMAN KERR: Wait a second. This transcript  
22 is going in the public transcript. So please say the  
23 trees only glow in the daytime.

24 DR. STEINDLER: Let me explain the comment.  
25 They did take samples of the vegetation and to me at



1 least there was a surprising selectivity of whatever the  
2 tree was, I guess it was birch for strontium.

3 MR. COSTANZI: I believe it was hickory.

4 DR. MOELLER: The interesting thing too was  
5 they said they could hold the Geiger counter by the  
6 trunk of these trees and it just buzzed and I couldn't  
7 see a beta meter doing that but they said it did. It  
8 just apparently had so much in it.

9 CHAIRMAN KERR: Well strontium 90 doesn't have  
10 a beta in it strong enough the, x-ray.

11 DR. MOELLER: I see.

12 DR. STEINDLER: These were somewhat old. So  
13 the it strontium 90 should have thrown into some extent.

14 DR. MOELLER: Martin, did you have any other  
15 comment?

16 DR. STEINDLER: The only comment I would like  
17 to make for the edification of the committee is I guess  
18 it came as somewhat of a surprise to me that the  
19 sub-seabed activity which Congress is now pushing on and  
20 is going to be turned over to the purview of the ER part  
21 of the Department of Energy rather than the waste  
22 management part, that that sub-seabed activity is going  
23 to be the purview of the EPA.

24 EPA will have to, if that takes hold, develop  
25 an infrastructure akin to, at least to some extent,

1 what the NRC has been struggling with for some time.  
2 Certainly, some of us are going to watch how efficient  
3 that process is going to be.

4 DR. SHEWMON: They would license the DOE  
5 propossal on that?

6 DR. STEINDLER: That is the impression that I'm  
7 currently under. It may not be correct.

8 DR. LEWIS: Is what you are calling sub-seabed  
9 what we used to call seabed disposal? Do you really  
10 mean below the seabed?

11 DR. STEINDLER: Yes, below the seabed  
12 penetrator.

13 DR. LEWIS: But that is within the seabed. Why  
14 are they calling it sub-seabed?

15 DR. MOELLER: You are right. It is within the  
16 seabed.

17 DR. LEWIS: That I have always supported.  
18 Seabed is a good idea. Sub-seabed is a bad idea.

19 DR. MOELLER: Are there any other comments  
20 before we call on Dr. Bell?

21 (No response.)

22 DR. MOELLER: He is going to give us a  
23 discussion of the impacts of the recent Nuclear Waste  
24 Policy Act and the waste program and NRC.

25 MR. BELL: Good afternoon and thank you, Dr.

1        Moeller. I'm Michael Bell, the Deputy Director of the  
2        Division of High-Level Waste Management of the NRC  
3        staff. I would like to spend a little time this  
4        afternoon going through the provisions of the recent  
5        Nuclear Waste Policy Amendments Act and then what steps  
6        the NRC staff is taking to react to it and what some of  
7        the impacts will be on our program.

8                Now, for completeness, I'm going to try to  
9        cover all the changes in the act although my division is  
10       really only responsible for the geologic repository for  
11       the high level waste and I may not be able to answer all  
12       the questions you may have about some of the other  
13       aspects. I will just be talking from the handout. I  
14       don't have slides.

15               Of course the major impact of the act was to  
16       narrow the site selection process immediately down to  
17       one site, the Yucca Mountain Nevada site. Under the  
18       previous law, DOE would characterize three sites and  
19       after they had studied three sites at depth in parallel  
20       for a period of several years, then would pick one.

21               The law essentially set up a process where it  
22       focused on one site now. DOE would look at that. If  
23       they found something that made that site unsuitable,  
24       then they would start a new site selection process to  
25       select a backup site. So the legislation has the

1 advantage of perhaps saving some money if the Yucca  
2 Mountain Nevada site proves suitable and can proceed to  
3 be licensed. But if something is found to make it  
4 unsuitable, then it would cause a significant delay in  
5 the program to establish a high-level waste repository.

6 The act actually provides that within 90 days,  
7 all site-specific work at the Hanford and basalt site  
8 should be terminated. So DOE is taking actions to bring  
9 work to a close at those sites and the Commission is  
10 also taking some actions on its own program which I will  
11 be describing later.

12 Another major provision of the act is it  
13 postpones any action on a second repository until into  
14 the 21st century. About the year 2005, DOE is supposed  
15 to take another look at whether a second repository is  
16 needed and if it were then a new process would start.  
17 And so in conjunction with that, they have six months to  
18 terminate all their investigations into granite and  
19 crystal and rocks that had been on again, off again in  
20 the search for a second repository site.

21 Now, another provision of the act is it annuls,  
22 is the word that the law uses, DOE's proposal to  
23 construct the monitored retrieval storage at the Clinch  
24 River site in Oakridge. The act is curious in that it  
25 authorizes an MRS facility but then it rejects the

1 facility that DOE had proposed, establishes a review  
2 commission to reopen the question about whether there is  
3 even a need for an MRS facility.

4 And then if this review commission indicates  
5 that there is such a need, then it requires DOE to start  
6 a new site selection process where they are not to be  
7 biased by the previous site selection process that they  
8 had already gone through.

9 Another key provision of the MRS part of the  
10 amendments act is it ties the schedule for the MRS to  
11 the repository schedule so that the department can't  
12 submit an application for an MRS unless constructor  
13 authorization application has been submitted for the  
14 repository.

15 So, this is intended so that the MRS can't  
16 become an alternative to the repository and if the  
17 repository never materializes, then the waste is left  
18 there permanently. But what it does is it takes away  
19 another potential backup for repository in the event  
20 that the Yucca Mountain site is found unsuitable. So,  
21 we could potentially find a situation where there is no  
22 backup geologic disposal site and there is no MRS site  
23 if the Yucca Mountain site fails and the waste would  
24 then have to remain in storage at reactor sites.

25 Moving away from the MRS, the law provides for

1 what they call benefit agreements with the State of  
2 Nevada and with the host state and Indian tribes who  
3 might host an MRS if one comes to pass. However, the  
4 benefits in the bill are significantly reduced from  
5 earlier versions of the bill.

6 I'm sure you may have seen the discussions in  
7 the trade press and the newspapers where under the  
8 previous bill, the host state, while the repository was  
9 in operation would receive \$100,000,000 a year and the  
10 host state for an MRS would receive \$50,000,000 a year.  
11 These have been reduced in each case by a factor of five  
12 to \$20,000,000 a year for the repository and \$10,000,000  
13 a year for the host state.

14 Another change from the earlier bill is that it  
15 provides for local government participation as well as  
16 state and Indian tribe participation. The local  
17 governments get to participate on these review  
18 commissions. They get to participate in the financial  
19 agreements. They have several ways in which they get a  
20 say in both the repository and MRS programs.

21 DR. SHEWMON: How was local defined? Is that  
22 just Bullfrog County or is it the county around Bullfrog  
23 County?

24 MR. BELL: I haven't focused on that particular  
25 aspect of it. I'm not sure it is that well defined. I

1 have the legislation with me. I will be happy to take a  
2 look and see if I can answer it.

3 DR. SHEWMON: It is not anymore clear than you  
4 are right now?

5 MR. BELL: As I mentioned, one of the  
6 provisions of the benefits agreements is the state that  
7 enters into the benefits agreement gets to set up a  
8 review panel and to have certain opportunities to  
9 review, critique, participate in DOE's program to  
10 develop the facility.

11 Another provision of the act is that it  
12 establishes an Office of the Nuclear Waste Negotiator to  
13 be appointed by the president and this negotiator is to  
14 try to seek out states or tribes who would be willing to  
15 host either an MRS or a repository.

16 Now, in the case of the repository it is not  
17 really clear to us how this is going to work since the  
18 State of Nevada has already designated in the law the  
19 negotiator might be trying to line up a backup state in  
20 the event that the repository in Nevada were not  
21 successful. But he would clearly have a role in trying  
22 to find a location in which to site the MRS.

23 Another provision is that it establishes a  
24 nuclear waste technical review board that reviews the  
25 DOE program and semiannually has to report both to the



1 Congress and to the Secretary of Energy on virtually any  
2 aspect of the DOE program that it feels needs attention.  
3 This review board may be of interest to the ACRS or the  
4 to be established advisory committee on waste management  
5 in that some of its functions would appear to be similar  
6 to what the Commission's own advisory committees would  
7 be doing.

8 DR. SHEWMON: Who will set that up?

9 MR. BELL: The way the act describes this, the  
10 National Academy of Sciences nominates a slate of 22  
11 eminent scientists, I believe is the term the law uses,  
12 to the president and the president selects 1 of these  
13 to serve on this technical review board. The review  
14 board has its own staff. It has essentially subpoena  
15 power. It can call on any federal agency to provide it  
16 any information or to produce documents, to show up at  
17 its hearings.

18 This appears to be very powerful. As was  
19 already mentioned, another aspect of the law is that it  
20 establishes an office of sub-seabed disposal research.  
21 This, I presume is a backup in the event that for some  
22 reason it is decided that deep disposal is an unsuitable  
23 technology. The exact functioning of this office and  
24 how it will relate to the Office of Civilian Radioactive  
25 Waste Management which is conducting the deep geologic

1 repository program and the MRS program is still not very  
2 clear.

3 DR. SHEWMON: For many years Sandia had a  
4 repository program. Is that continuing or has that been  
5 cut off?

6 MR. BELL: The Sandia program within the last  
7 two years or so has either been entirely cut off or  
8 reduced to a very low level. And I presume that is one  
9 resource that if the people are still available could be  
10 used to support this office.

11 Finally, there are several provisions of the  
12 act relating to transportation. One requires NRC  
13 certification of DOE shipping casks for both spent fuel  
14 and solidified high-level waste. Now, before the  
15 amendments, the NRC and DOE had an interagency agreement  
16 that DOE would design its casks to the same  
17 certification requirements that NRC would apply to a  
18 commercial licensee. But now the act makes that a  
19 requirement.

20 There are a few other provisions dealing with  
21 transportation such as requiring DOE to adhere to the  
22 same routing and notification requirements that  
23 commercial shippers must meet, requiring DOE to provide  
24 training for corridor states and local governments with  
25 regard to transportation accidents, emergency planning

1 for transportation accidents. And then there are some  
2 provisions relating to the transport of plutonium by  
3 air.

4 Now, I'd like to go on. I'm primarily going to  
5 focus--

6 DR. MOELLER: Question?

7 DR. REMICK: Before you leave that page, going  
8 back to the site selection process for the MRS, does  
9 that rule out Clinch River ever or is it possible that  
10 under the new process Clinch River might be revised? Is  
11 that a possibility?

12 MR. BELL: The way I understand it Clinch River  
13 might be revised but it couldn't be given priority  
14 consideration. It would have to be sort of we will look  
15 at sites for an MRS anew and Clinch River would start  
16 out on equal footing with a potential site in Kentucky  
17 or West Virginia or South Carolina.

18 The next page identifies a number of actions we  
19 are taking in our program to respond to those parts of  
20 the legislation that affect the high-level waste  
21 repository program. Under the old law and under the  
22 amendments, the NRC still is required to make its  
23 licensing determination within three years after the  
24 construction application is submitted. So basically,  
25 those aspects of our programs, developing regulations,

1 standard review plans or various guidance documents are  
2 still needed on about the same schedule as under the old  
3 law. And basically. Those parts of the program are  
4 unaffected.

5 We are continuing with site specific reviews of  
6 DOE documents in the Nevada site. As you may know, in  
7 January they published their draft site characterization  
8 plan for Nevada. The staff has that under review. By  
9 the end of this calendar year, they plan to publish  
10 their final site characterization plan and then after  
11 receiving comments on that, would expect to sink an  
12 exploratory shaft at the Yucca Mountain site in mid  
13 calendar year 1989. That is all assuming that the  
14 comments on their plans are such that they should  
15 proceed.

16 On the other hand, we also had begun to  
17 terminate all our site specific activities for the Texas  
18 and the Washington sites. Dr. Moeller mentioned the  
19 idea of summing up what was known about these other  
20 programs and the department had, in fact, developed  
21 their site characterization plans for both Texas and  
22 Nevada where they had identified what was known now  
23 about those sites and also laid out what investigations  
24 would need to be conducted in order to prove whether or  
25 not they were good sites.

1           And those documents were completed. As I  
2 understand it, DOE had just gone to put them in storage  
3 someplace and they would be available and it would serve  
4 very much the purpose that I believe you desired. But  
5 we won't be initiating any review of them. In fact, DOE  
6 didn't even release them.

7           We have eliminated our onsite representative at  
8 the Hanford site, Bob Cook. He is taking early  
9 retirement. We had not had an on site representative  
10 down in Smith County Texas. The DOE program had just  
11 moved their people down there a couple of months ago.  
12 We had not yet moved their onsite representative and so  
13 we are at least in a position where we don't have to  
14 abolish that position.

15           We have abolished our project manager positions  
16 for those two sites. In fact, those individuals have  
17 been moved over to the low-level waste program.

18           DR. REMICK: If I recall DOE had given a  
19 contract to Stone and Webster. Is that now terminated  
20 or will that be terminated in six months?

21           MR. BELL: That would really depend on how  
22 smart DOE was when they wrote the contract.

23           DR. REMICK: It was only a month or two old  
24 wasn't it?

25           MR. BELL: It was relatively recent.

1 DR. SHEWMON: The people that moved from  
2 Columbus down there are about a month or two old. How  
3 to get them back and what DOE owes them is sort of in  
4 the air or in negotiation, is what I hear.

5 MR. BELL: We are in the process of terminating  
6 all our technical assistance and research programs  
7 directed at the Texas and Washington sites and either  
8 just eliminating those contracts or refocusing those  
9 contracts to look at tuft for new generic work where  
10 appropriate.

11 Of the people who are on the review teams, we  
12 have taken five FTE's. I guess that equates to about  
13 five individuals have been transferred over to our fuel  
14 cycle licensing division. Four FTE's have gone to  
15 low-level waste and one individual has gone to our  
16 safeguards and transportation group structural engineer.

17 CHAIRMAN KERR: Mr. Bell, we had this scheduled  
18 to end by 3:15. I don't know what the presentation  
19 schedule is that you are following.

20 MR. BELL: I'm almost done. DOE itself has not  
21 reacted to the legislation by publishing the revised  
22 project decision schedules, mission plans or other  
23 planning documents. So in some respects, we will have  
24 to wait and see what some of their plans will be and  
25 some further adjustments in our programs will be needed.

1 In addition our various planning documents, the five  
2 year plans, strategic plan, things like that are all in  
3 the process of being revised.

4 Just one last page where I show you how our  
5 resources have been going for the last few years. They  
6 peaked in about 1986. As the DOE program has been  
7 slipping for the last few years, it had dropped somewhat  
8 in '87 and we had dropped from 105 to 88 FTE's at the  
9 beginning of FY '88. And then, as a result of the  
10 amendments, we have now reprogramed another 20 positions  
11 out of the high-level program and we are roughly about  
12 half the strength we were budgeted for just two years  
13 ago.

14 So that does conclude my presentation. I will  
15 be happy to answer questions at this time.

16 CHAIRMAN KERR: Are there questions?

17 MR. WARD: You have a new advisory committee to  
18 take up that slack?

19 DR. SHEWMON: There has been going on someplace  
20 over near you a review of the German shipping casks and  
21 conditions under which that would be allowed on the  
22 roads around here. Are there any reports on that that  
23 say what the status is?

24 MR. BELL: No, I can't say. I'm not familiar  
25 with that.



1 CHAIRMAN KERR: Further questions? Mr.  
2 Steindler?

3 DR. STEINDLER: I think it is necessary, you  
4 remind me, to correct the record Mr. Chairman. My  
5 ill-tempered comments about Canadian vegetation may be  
6 misunderstood. And as a consequence I wish to retract,  
7 emphatically, any comment about that for the record.

8 MR. WARD: You mean there is no swamp up there?

9 DR. STEINDLER: I was speaking largely of the  
10 radiological character of the vegetation. No, there is  
11 a great deal of swamp. In fact, the presence of the  
12 swamp made that study fairly broadly applicable if we  
13 can convince ourselves that the models that were used,  
14 it has a lot of the new reg 1150 characteristics. If  
15 the models are, in fact, broadly applicable it will be a  
16 very useful study.

17 DR. SHEWMON: It may not be too applicable to  
18 Yucca Mountain.

19 DR. STEINDLER: But for low-level waste it is  
20 very applicable.

21 CHAIRMAN KERR: We thank you very much for your  
22 presentation. We will recess until 3:30.

23 (Whereupon, the recorded portion of the  
24 hearing was concluded at 3:15 o'clock, p.m.)

25 \* \* \* \* \*

CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name: 334th General Meeting

Docket Number:

Place: 1717 H Street, N. W.

Washington, D. C. 20555

Date: Friday, February 12, 1988

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken stenographically by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



Brenda R. Pearson

Official Reporter

Heritage Reporting Corporation

NRC STAFF BRIEFING  
TO ACRS

FEBRUARY 12, 1988

STEVEN D. RICHARDSON  
ACTING DIRECTOR  
TVA PROJECTS DIVISION  
OFFICE OF SPECIAL PROJECTS

TVA RECOVERY SCHEDULE

(TVA PROJECTIONS)

PLANT		ESTIMATED RESTART	
		DATE	
SEQUOYAH	UNIT 2	MARCH, 1988	
SEQUOYAH	UNIT 1	SIX MONTHS AFTER SQN 2	
BROWNS FERRY	UNIT 2	FALL 1988	
BROWNS FERRY	UNIT 1	SUMMER 1989	
BROWNS FERRY	UNIT 3	SUMMER 1990	
WATTS BAR	UNIT 1	FALL 1990	
WATTS BAR	UNIT 2	1991	
BELLEFONTE	UNITS 1 AND 2	EARLY TO MID 1990'S	

MAJOR MILESTONES SINCE LAST ACRS MEETING

- o INTEGRATED DESIGN INSPECTION
  - \* REPORT ISSUED NOVEMBER 8, 1987
- o SEQUOYAH RESTART SER
  - \* ISSUED JANUARY 21, 1988
- o COMMISSION BRIEFING JANUARY 20, 1988
- o RESOLUTION OF EMPLOYEE CONCERNS
- o RESOLUTION OF ALLEGATIONS
- o OTHER MAJOR INSPECTIONS COMPLETED
  - \* EMERGENCY OPERATING PROCEDURES
  - \* OPERATIONAL READINESS
  - \* TRAINING
  - \* SYSTEM ALIGNMENT

## OSP EVALUATION OF TVA MANAGEMENT

- o NUCLEAR PERFORMANCE PLANS
  - \* CORPORATE PLAN (VOLUME 1) SER ISSUED JULY 1987
    - PROGRESS SEEN IN ALL AREAS
    - NRC REQUESTED 30 DAY NOTIFICATION PRIOR TO ANY PERMANENT ORGANIZATION OR PERSONNEL CHANGE
  - \* SEQUOYAH PLAN (VOLUME 2) SER ISSUED JANUARY 1988
    - 10 CFR 50.54(f) CONCERNS RESOLVED
    - PROGRAMMATIC IMPROVEMENTS SUFFICIENT TO SUPPORT NUCLEAR PLANT OPERATIONS
- o IMPLEMENTATION MONITORED THROUGH OSP INSPECTION PROGRAM
  - \* PORC, NSRB, NMRG REVIEWS
  - \* MANAGEMENT REVIEW INSPECTION CONDUCTED SEPTEMBER 1987
- o "ATTRIBUTES" REVIEW BY NRC
  - \* GENERALLY GOOD RESULTS
  - \* NUCLEAR WORK ETHIC NEEDS IMPROVEMENT
  - \* MANAGEMENT CHANGES ON SITE
- o OTHER PROGRAMS
  - \* NEW EMPLOYEE CONCERN PROGRAM
  - \* H & I COUNSELING FOR SUPERVISORS

INTEGRATED DESIGN

INSPECTION

SEQUOYAH UNIT 2

EILEEN MCKENNA  
SENIOR PROJECT MANAGER  
TVA PROJECTS DIVISION  
OFFICE OF SPECIAL PROJECTS



IDI INSPECTION REPORT (87-48)  
CONCLUSIONS

- o OVERALL STRUCTURAL CAPACITY
  - \* NEED FOR ADDITIONAL INDEPENDENT REVIEWS
- o VENDOR SEISMIC QUALIFICATION DOCUMENTS REVIEWED
- o PIPE SUPPORTS
- o PROGRAMMATIC OBSERVATIONS
  - \* LACK OF TIMELY CORRECTIVE ACTIONS
  - \* WEAKNESS IN DESIGN VERIFICATION PROCESS
  - \* LACK OF TIMELY IMPLEMENTATION OF CHANGES  
TO STATION PROCEDURES RESULTING FROM DNE CHANGES
  - \* LACK OF SYSTEMS INTEGRATION

## IDI FOLLOWUP INSPECTION (87-74) SUMMARY

- o COMPREHENSIVE BROAD-BASED REVIEW OF SEQUOYAH  
STRUCTURAL DESIGN IS NOT NECESSARY
- o CASES REQUIRING FURTHER TVA REVIEW
  - \* EQUIPMENT SUPPORTS
  - \* SHEAR CAPACITY CALCULATIONS
  - \* REINFORCING STEEL PLACED IN WALLS
  - \* GENERATION OF VERTICAL SEISMIC LOADS
  - \* VENDOR SEISMIC QUALIFICATION DOCUMENTATION
  - \* MASONRY WALLS
  - \* ACCESS CELLS
  - \* SEISMIC ANALYSIS OF CONTAINMENT
  - \* CONCRETE SLABS

#### IDI SUMMARY

- "VERTICAL SLICE" PROVIDED ADDED ASSURANCE THAT ISSUES HAVE BEEN RESOLVED AND CORRECTIVE ACTIONS IMPLEMENTED
- REVIEW EXTENDED HORIZONTALLY TO OTHER SYSTEMS, STRUCTURES, AND COMPONENTS FOR SPECIFIC CONCERNS RAISED BY IDI
- IN MANY AREAS, TVA HAD PERFORMED REFINED ENGINEERING ANALYSES TO OPTIMIZE DESIGN, RESULTING IN LESS DESIGN MARGIN IN SOME CASES
- INSPECTION PLANNED FOR FEBRUARY 15-19, 1988 TO REVIEW CIVIL ENGINEERING CALCULATIONS

# OPERATIONAL READINESS/RESTART

J. BYNUM

## OPERATIONAL READINESS

- CHARTER
  - ASSESS RESTART READINESS RELATIVE TO REQUIRED RESOURCES AND PERSONNEL PERFORMANCE
  - OBSERVE ACTIVITIES AND PERSONNEL DURING HEATUP
- PERIOD OF ASSESSMENT
  - AUGUST 1987 THROUGH JANUARY 1988
  - INTERIM REPORT ISSUED OCTOBER 1987

## AREAS OF CONCERNS

- MANAGEMENT INVOLVEMENT
- STANDARDS OF PERFORMANCE
- ADMINISTRATIVE CONTROLS

## MANAGEMENT INVOLVEMENT

- ORGANIZATION
  - MANAGEMENT DUTY ROSTER
  - REDUCTION IN MANAGEMENT LAYERS
  - INCREASE NUMBER OF FIELD SUPERVISORS
  - OPERATIONS RESPONSIBILITY FOR UNIT 1, UNIT 2, AND COMMON EQUIPMENT
  - PARTICIPATION IN TRAINING
- COMMUNICATION
  - DAILY PLAN OF DAY MEETINGS ('WAR ROOM')
  - DAILY PLANT STATUS REPORTS
  - PERIODIC MEETINGS WITH ALL PERSONNEL
  - CONDUCT OF OPERATIONS PROCEDURES



## ADMINISTRATIVE CONTROLS

- ADMINISTRATIVE PROCEDURE REVISIONS
- TRAINING CONDUCTED
- ON-SHIFT OBSERVATIONS

## OPERATIONAL READINESS

- STANDARDS OF OPERATIONS
- PLANT ADMINISTRATIVE CONTROL
- QUALIFICATION OF AUOs
- RADCON STAFF/SHIFT
- CHEMISTRY STAFF/SHIFT
- DEMONSTRATION OF PERFORMANCE

**CALCULATION PROGRAM**

**J. KIRKEBO, DIRECTOR**

**DIVISION OF NUCLEAR ENGINEERING**

## **PROGRAM OBJECTIVES**

- **AVAILABILITY AND RETRIEVABILITY**
  - **EXISTENCE**
  - **RETRIEVABILITY**
- **TECHNICAL ADEQUACY**
  - **PERFORM TECHNICAL REVIEWS**
  - **CALCULATIONS INTEGRATION (CCRIS)**
  - **UNVERIFIED ASSUMPTIONS**
  - **LICENSING/CALCULATION COMPATIBILITY**
- **CORRECTIVE ACTIONS**

## SCOPE

### UNIT 2 AND COMMON

<u>DISCIPLINE</u>	<u>NUMBER OF CALCULATIONS</u>
● ELECTRICAL	685
● MECHANICAL	411
● NUCLEAR	397
● CIVIL STRUCTURAL	1,739
● ENGINEERING MECHANICS	<u>8,998</u>
TOTAL	12,230

## CHRONOLOGY

- JANUARY 1987 INITIAL PROGRAM SUBMITTAL
- JANUARY 1987 TVA ENGINEERING ASSURANCE AUDIT
- FEBRUARY 1987 NRC AUDIT
- APRIL 1987 TVA ENGINEERING ASSURANCE FOLLOWUP
- MAY 21, 1987 MEETING WITH NRC
  - SAMPLE EXTENDED
- JUNE 1987 NRC AUDIT
- SEPTEMBER 1987 TVA ENGINEERING ASSURANCE FOLLOWUP
- OCTOBER 1987 NRC CLOSEOUT AUDIT
- JANUARY 1988 TVA ENGINEERING ASSURANCE FOLLOWUP

## STATUS AND RESULTS

### CORRECTIVE ACTION\*

- 70% OKAY
- 4% REVISED
- 26% REGENERATED
- <1% HARDWARE MODIFICATIONS

\*EXCLUDING PIPE SUPPORTS



## STATUS AND RESULTS

### CORRECTIVE ACTION

#### SUPPORTS ON CATEGORY I RIGOROUSLY ANALYZED PIPE

- 100% REGENERATED
- 3% PRE-RESTART HARDWARE MODIFICATIONS
- 8% POST-RESTART HARDWARE MODIFICATIONS

## SUMMARY

- TECHNICAL ADEQUACY
- AVAILABILITY AND RETRIEVABILITY
- CORRECTIVE ACTIONS
  - CCRIS
  - INDEPENDENT REVIEW
  - PROJECT RESPONSIBILITY

# **DESIGN BASELINE AND VERIFICATION PROGRAM**

**J. COX**

# DESIGN BASELINE AND VERIFICATION PROGRAM

## OBJECTIVES

- RESTORE CONFIDENCE IN DESIGN CONTROL PROCESS
- RETRIEVE DESIGN BASIS
- REVIEW CHANGE DOCUMENTS
- REVIEW AS-CONSTRUCTED WITH PLANT CONFIGURATION
- RECONCILE CONFIGURATION WITH DESIGN BASIS
- ATTAIN BASELINE AND CONFIRM MODIFICATIONS DO NOT DEGRADE SAFETY FUNCTIONS

## **ELEMENTS OF PRESENT DESIGN CHANGE CONTROL PROGRAM**

- **MODIFICATIONS ISSUED BY CHANGE PACKAGE**
- **RESOLVES DIFFERENCES BETWEEN AS-DESIGNED AND AS-BUILT DRAWINGS**
- **CCB EVALUATION TO ELIMINATE UNNECESSARY CHANGES**
- **LIMITS MODIFICATION SCOPE FOR TIMELY CLOSURE**
- **ASSIGNS DESIGN AUTHORITY TO ENGINEERING**

# **DESIGN BASELINE AND VERIFICATION PROGRAM**

## **MAJOR PROGRAM ELEMENTS**

- **EA OVERSIGHT REVIEW**
- **DESIGN CRITERIA AND COMMITMENTS**
- **SYSTEM WALKDOWN/TEST**
- **REVIEW OF PLANT CHANGES**
- **SYSTEM EVALUATION**
- **CORRECTIVE ACTION PROCESS**

# DESIGN BASELINE AND VERIFICATION PROGRAM

## RESULTS

- DESIGN BASE REESTABLISHED
- PLANT CONFIGURATION DOCUMENTED
- CHANGES VERIFIED
- CHANGE CONTROL PROCESS ESTABLISHED
- SUCCESSFULLY RECONCILED DESIGN CONTROL ISSUES



**TVA PERSPECTIVE  
INDEPENDENT DESIGN INSPECTION (IDI)**

**D. WILSON  
TVA IDI ENGINEERING TEAM LEADER**

- GOAL
- DEDICATED TEAM
  - 25 FULLTIME - 60 AT PEAK
- QUALITY PERSONNEL
  - LEAD ENGINEERS
  - SENIOR ENGINEERS
  - TOP MANAGEMENT
  - CONSULTANTS
- IN DEPTH SUPPORT
  - TOTAL OF 800 INDIVIDUAL REQUESTS FOR INFORMATION

- **NRC REVIEW**

- **IN DEPTH**
- **RIGOROUS**

- **REVIEWERS**

- **SCOPE**

- **DESIGN**
- **CONSTRUCTION**
- **OPERATIONS**

## TVA CATEGORIZATION OF NRC FINDINGS

	<u>MECH.</u>	<u>MECH. COMP.</u>	<u>CIVIL</u>	<u>I&amp;C</u>	<u>ELEC.</u>	<u>TOTAL</u>
● DEFICIENCIES						
- ENG.	4	9	1	4	0	18
- MINOR CALC ERROR	2	2	4	0	0	8
- OPERATIONS	2	0	0	1	0	3
● NO DEFICIENCY	1	6	4	7	2	20
● DOCUMENTATION	1	7	10	3	3	32
● OBSERVATIONS	<u>0</u>	<u>0</u>	<u>0</u>	<u>2</u>	<u>3</u>	<u>5</u>
TOTAL	18	24	19	17	8	86

## CONCLUSIONS

- MAJORITY OF IDI ISSUES RESOLVED BY REANALYSIS
- ADEQUATE DESIGN MARGINS DO EXIST
- NO MAJOR CHANGES TO PROGRAMS OR NUCLEAR PERFORMANCE PLAN

# **DIESEL GENERATOR ISSUES**

**J. HUTSON**

## **DIESEL GENERATOR ISSUES**

- **VOLTAGE AND FREQUENCY**



## **CARBON DIOXIDE FIRE PROTECTION**

- **QUESTION**
  - **SEISMIC QUALIFICATION**
  - **EFFECT ON DIESEL GENERATOR OPERATION**
- **RESPONSE**
  - **DIESEL AIR INTAKE HARD PIPED TO OUTSIDE AIR**
  - **TESTS AT WATTS BAR NUCLEAR PLANT**

# RES STAFF PRESENTATION TO THE ACRS

SUBJECT: Proposed Approach to Resolution of Key Issues Associated  
with Advanced Reactors

DATE: February 11, 1988

PRESENTER: Thomas L. King

PRESENTER'S TITLE/BRANCH/DIV: Branch Chief  
Advanced Reactors & Generic Issues Branch  
Division of Regulatory Applications

PRESENTER'S NRC TEL. NO.: 492-3765

SUBCOMMITTEE: Full Committee

## PRESENTATION OUTLINE

- PURPOSE OF PRESENTATION
- BACKGROUND
- STATUS OF STAFF REVIEW OF DOE ADVANCED REACTOR CONCEPTS
- OVERALL APPROACH TO REVIEW
- GENERAL CRITERIA FOR ADVANCED REACTORS
- SPECIFIC CRITERIA FOR KEY ISSUES:
  - ACCIDENT SELECTION
  - SITING SOURCE TERM AND USE
  - CONTAINMENT
  - EMERGENCY PLANNING
- POLICY QUESTIONS
- APPLICATION OF CRITERIA
- PEER REVIEW

## PURPOSE OF PRESENTATION

- TO PRESENT FOR THE FULL COMMITTEE'S REVIEW AND DISCUSSION A SET OF CRITERIA WHICH THE STAFF PROPOSES TO USE IN THE REVIEW OF THE THREE DOE SPONSORED ADVANCED REACTOR CONCEPTS TO ASSESS THE ISSUES OF:
  - ACCIDENT SELECTION
  - SOURCE TERM SELECTION
  - ADEQUACY OF CONTAINMENT
  - ADEQUACY OF OFFSITE EMERGENCY PLANNING
- COMMISSION REQUESTED STAFF RECOMMENDATION ON THE CRITERIA TO BE USED FOR KEY ISSUES. STAFF HAS PREPARED A DRAFT COMMISSION PAPER (COPIES PROVIDED TO ACRS).
- SUBCOMMITTEE HAS BEEN BRIEFED ON THE STAFF RECOMMENDATIONS ON JANUARY 6, 1988.
- AN ACRS LETTER ON THE STAFF PROPOSAL IS REQUESTED

## BACKGROUND

- FOR APPROXIMATELY THE PAST YEAR, RES HAS HAD UNDER REVIEW THREE DOE SPONSORED ADVANCED REACTOR CONCEPTS:
  - 350 MWT MODULAR HTGR
  - 425 MWT MODULAR LMR (PRISM)
  - 900 MWT MODULAR LMR (SAFR)
- REVIEW IS BEING CONDUCTED IN ACCORDANCE WITH THE COMMISSION'S ADVANCED REACTOR POLICY STATEMENT.
- OUTPUT FROM REVIEWS:
  - PRELIMINARY GUIDANCE ON LICENSING REQUIREMENTS
  - POTENTIAL OF DESIGN TO MEET THESE REQUIREMENTS, INCLUDING R&D NEEDS.
  - DOCUMENTED VIA SERs. (SERs TO BE PROVIDED TO NRR, ACRS, CRGR AND COMMISSION PRIOR TO ISSUANCE). SERs WOULD BE USED BY NRR AS THE STARTING POINT FOR CONDUCTING A LICENSING REVIEW, IF AND WHEN A FORMAL APPLICATION IS FILED.
- RES REVIEW CONSISTS OF:
  - STAFF REVIEW OF DESIGN (IDENTIFY SAFETY ISSUES/R&D NEEDS EVALUATE DESIGN)
  - CONTRACTOR (BNL/ORNL) SUPPORT IN REVIEW OF DESIGN AND INDEPENDENT EVALUATION OF KEY SAFETY CHARACTERISTICS

## STATUS OF STAFF REVIEW

### COMMISSION PAPERS ON:

- KEY ISSUES - DRAFT PREPARED AND UNDER REVIEW
  - TO COMMISSION - 3/88
- STANDARDIZATION - DRAFT PREPARED AND UNDER REVIEW
  - TO COMMISSION - 3/88

### SERs

- MHTGR - DRAFT ALMOST COMPLETE
  - TO COMMISSION - 5/88
- LMRS - DRAFT TO BE COMPLETED - 3/88
  - TO COMMISSION - 7/88
- PLAN TO HAVE ACRS REVIEW SERs PRIOR TO TRANSMITTAL TO COMMISSION

## SUMMARY OF DOE PROPOSED TREATMENT OF KEY ISSUES

### 1) SELECTION OF ACCIDENTS:

- \* MHTGR - SELECTED VIA PRA - AOOs -  $P \geq 2 \times 10^{-2}/\text{YR}$ 
  - DBAs -  $2.5 \times 10^{-2}/\text{YR} < P < 10^{-4}/\text{YR}$
  - EPBE -  $10^{-4}/\text{YR} < P < 5 \times 10^{-7}/\text{YR}$
- \* LMRS - AOOs/DBAs - SELECTED SIMILAR TO CRBR
  - SEVERE EVENTS - SELECTED USING PRA + ENG. JUDGEMENT

### 2) SOURCE TERMS:

- \* MHTGR - MECHANISTIC
- \* LMRS - MECHANISTIC EXCEPT FOR SSST:
  - PRISM - 100% NG/0.1% HALOGENS/  
0.1% PARTICULATE/0.01% TRANSURANICS
  - SAFR - SINGLE ASSEMBLY MELTDOWN

### 3) CONTAINMENT:

- \* MHTGR - FUEL PERFORMS CONTAINMENT FUNCTION
- \* LMRS - PRISM - GV/RV HEAD PROVIDES LOW PRESSURE/LOW VOLUME CONTAINMENT
  - SAFR - GV/RV HEAD + SECONDARY CONTAINMENT STRUCTURE

### 4) EP:

- \* MHTGR - EVENTS DOWN TO  $5 \times 10^{-7}/\text{YR}$  CONSIDERED
  - SET EPZ AT SITE BOUNDARY
- \* LMRS - DBAs + SEVERE EVENTS CONSIDERED
  - SET EPZ AT SITE BOUNDARY



## OVERALL APPROACH

REQUIREMENT - FROM THE COMMISSION'S ADVANCED REACTOR POLICY STATEMENT: ADVANCED REACTORS MUST, AS A MINIMUM, PROVIDE AT LEAST THE SAME DEGREE OF PROTECTION OF THE PUBLIC AND THE ENVIRONMENT THAT IS REQUIRED FOR CURRENT GENERATION LWRs. HOWEVER, THE COMMISSION EXPECTS ADVANCED DESIGNS TO PROVIDE ENHANCED MARGINS OF SAFETY.

APPROACH

- GENERAL CRITERIA DEVELOPED TO DEFINE BROAD FRAMEWORK OF SAFETY REQUIREMENTS, SPECIFIC CRITERIA DEVELOPED TO IMPLEMENT GENERAL CRITERIA IN THE FOUR KEY AREAS.
- THE CRITERIA ARE STRUCTURED TO:
  - DEFINE MINIMUM REQUIREMENTS TO ENSURE AT LEAST AN EQUIVALENT LEVEL OF SAFETY AS LWRs (ADEQUATE PROTECTION),
  - ADDRESS ENHANCED SAFETY
- SAFETY GUIDANCE PROMULGATED FOR LWRs USED AS THE BASIS TO DEVELOP THE CRITERIA FOR ADVANCED REACTORS:
  - SEVERE ACCIDENT POLICY
  - SAFETY GOAL POLICY
  - STANDARDIZATION POLICY
- CRITERIA DEVELOPED INDEPENDENT OF REACTOR TYPE, AS MUCH AS POSSIBLE.
- BASED ON TECHNICAL CONSIDERATIONS ONLY.

## GENERAL CRITERIA

### I) CRITERIA WHICH MUST BE MET TO ENSURE AN EQUIVALENT LEVEL OF SAFETY AS LWRs (ADEQUATE PROTECTION):

- COMPLY WITH EXISTING RULES AND REGULATIONS, AS INTERPRETED FOR ADVANCED REACTOR CONCEPTS, WITH THE FOLLOWING MAJOR EXCEPTIONS:
  - USE SOURCE TERM BASED UPON MECHANISTIC ANALYSIS IN LIEU OF TID - 14844 TYPE SOURCE TERM.
  - CONTAINMENT FUNCTION MAY BE PERFORMED IN A FASHION DIFFERENT THAN FOR LWRs.
  - EMERGENCY PLANNING COULD BE MODIFIED TO REFLECT PLANT SAFETY CHARACTERISTICS.

(SPECIFIC CRITERIA DEVELOPED FOR SUBSTITUTION IN THESE AREAS)

- COMPLY WITH THE INTENT OF THE SEVERE ACCIDENT REQUIREMENTS, WHICH ARE PRESENTLY BEING FORMULATED FOR LWRs:
  - MEET PROCEDURAL CRITERIA GIVEN IN SAPs.
  - IDENTIFY IMPORTANT SEVERE EVENTS TO BE CONSIDERED IN THE DESIGN (DESIGN DEPENDENT).
  - EVALUATE DESIGN FEATURES INCORPORATED TO PREVENT SEVERE ACCIDENTS (DESIGN DEPENDENT).

- EVALUATE DESIGN FEATURES PROVIDED FOR MITIGATION AND ACCIDENT MANAGEMENT (DESIGN DEPENDENT).
- SHOW FISSION PRODUCT RETENTION CAPABILITY AT LEAST EQUIVALENT TO LWRs (I.E. FOR EQUIVALENT CLASSES OF EVENTS, CRITERIA FOR FP RELEASE FROM ADVANCED REACTORS SHOULD BE THE SAME OR BETTER THAN FOR LWRs.)
- MAINTAIN THE "DEFENSE IN DEPTH" CONCEPT; HOWEVER, IN ITS APPLICATION CONSIDERATION SHOULD BE GIVEN TO THE SAFETY CHARACTERISTICS OF THE ADVANCED PLANTS. ENSURE "DEFENSE IN DEPTH" IN PERFORMING KEY SAFETY FUNCTIONS VIA DETERMINISTICALLY REQUIRING:
  - TWO DIVERSE, INDEPENDENT MEANS OF REACTOR SHUTDOWN, EACH OF WHICH IS CAPABLE OF SHUTTING DOWN THE REACTOR ASSUMING A SINGLE ACTIVE FAILURE. ONE OF THE SYSTEMS MUST BE CAPABLE OF BRINGING THE PLANT TO COLD SHUTDOWN.
  - TWO DIVERSE, INDEPENDENT MEANS OF DECAY HEAT REMOVAL, EACH OF WHICH IS CAPABLE OF REMOVING DECAY HEAT ASSUMING A SINGLE ACTIVE FAILURE.
  - MULTIPLE BARRIERS TO FISSION PRODUCT RELEASE.
- TO ACCOUNT FOR THE REDUCED EXPERIENCE, AS COMPARED TO LWRs, DESIGNS WHICH UTILIZE NEW INNOVATIVE FEATURES TO PERFORM THEIR SAFETY FUNCTIONS MUST DEMONSTRATE, VIA TESTING, THE ABILITY OF THESE FEATURES TO PREVENT OR ACCOMMODATE ACCIDENTS (DBAs + A RANGE OF SEVERE ACCIDENTS)

PRIOR TO DESIGN CERTIFICATION. SPECIFICS OF PLANT TESTING CAN BE DETERMINED ON A CASE BY CASE BASIS BUT GENERALLY SHOULD INCLUDE SOME TESTING ON A FULL SIZE REACTOR MODULE.

- APPLY ENHANCED QA, SURVEILLANCE, IN-SERVICE INSPECTION/ TESTING, AS NECESSARY, TO ENSURE NEW/INNOVATIVE FEATURES PERFORM WITHIN ACCEPTABLE LIMITS OVER THE LIFE OF THE PLANT.

## II) REQUIREMENTS ASSOCIATED WITH ASSESSMENT OF ENHANCED SAFETY

- APPLICANT SHOULD ASSESS AND DOCUMENT ENHANCED SAFETY CHARACTERISTICS/MARGINS:
  - LONG RESPONSE TIME
  - REDUCED POTENTIAL FOR OPERATOR ERROR
  - CAPABILITY TO RETAIN FP
  - HIGHLY RELIABLE SAFETY SYSTEMS (PASSIVE/INHERENT CHARACTERISTICS)
  - SIMPLIFICATION (SYSTEMS/ANALYSIS)
- POTENTIAL IMPROVEMENTS IN SAFETY ARE TO BE CONSIDERED WHEN THE MARGINS ARE SMALL OR WHEN LARGE IMPROVEMENTS IN SAFETY CAN BE REALIZED WITH REASONABLE COST. THESE IMPROVEMENTS COULD BE SELECTED FOR ANALYSIS AND IMPLEMENTED USING ENGINEERING JUDGEMENT.
- DEMONSTRATE ENHANCED SAFETY/MARGINS VIA TESTING.

# COMPONENTS OF DEFENSE IN DEPTH

<u>PREVENTION</u>	<u>PROTECTION</u>	<u>MITIGATION</u>	<u>EMERGENCY PLANNING</u>
<ul style="list-style-type: none"> <li>- Reliable plant systems: * reduce challenges to safety systems</li> <li>- Reduce potential for human error*</li> <li>- Conservative design: * Plant performance * Plant performance * Barrier integrity</li> <li>- Control stability</li> <li>- Quality assurance: * Design * Construction * Operation</li> <li>- Good Oper./Maint. and training</li> <li>- Safeguards and Security</li> <li>- Supporting R&amp;D and testing</li> </ul>	<ul style="list-style-type: none"> <li>- Reliable independent redundant safety systems: * Reactor shutdown (active**/passive*) * Decay heat removal (active**/passive*)</li> <li>- Maintain integrity of barriers to release of radioactive material under: * EC-I * EC-II * EC-III* * EC-IV* * Enhanced fuel integrity*(MHTGR) * Double reactor vessel*(IMRs)</li> <li>- Long response time*</li> <li>- Control stability</li> <li>- Minimize need for human intervention*</li> <li>- Emergency procedures</li> </ul>	<ul style="list-style-type: none"> <li>- ESES** * Spray systems * Filtering systems * Cooling systems</li> <li>- Conventional containment building**</li> <li>- Physical phenomena * FP holdup * FP plateout * FP decay</li> <li>- Long response time*</li> <li>- Emergency Procedures</li> </ul>	<ul style="list-style-type: none"> <li>- Preplanned Evacuation/Sheltering*</li> <li>- Ad hoc evacuation* (long response time)</li> </ul>

- \* Key features in defense in depth that are utilized to a greater degree in advanced reactors than in current generation LWR designs.  
 \*\* Key features in defense in depth that are utilized to a lesser degree in advanced reactors than in current generation LWR designs.

## SPECIFIC CRITERIA

### ACCIDENT SELECTION

ESTABLISH FOUR CATEGORIES OF EVENTS WHICH MUST BE CONSIDERED AS DEFINED BELOW:

1) EVENT CATEGORY I (EC-I)

- EQUIVALENT TO ANTICIPATED OPERATIONAL OCCURRENCES,
- SELECT VIA ENGINEERING JUDGEMENT, COMPLEMENTED BY PRA AND GENERALLY INCLUDES EVENTS WITH A FREQUENCY DOWN TO APPROXIMATELY  $10^{-2}$ /YR.
- USED FOR ESTABLISHING COMPLIANCE WITH 40CFR190 AND 10CFR50, APPENDIX I.

2) EVENT CATEGORY II (EC-II)

- EQUIVALENT TO POSTULATED ACCIDENTS/DBAs,
- SELECTED VIA ENGINEERING JUDGEMENT, COMPLEMENTED BY PRA AND GENERALLY INCLUDE EVENTS WITH A FREQUENCY DOWN TO APPROXIMATELY  $10^{-4}$ /YR PLUS SOME TRADITIONAL EVENTS,
- USED IN SITING DETERMINATION AS DESCRIBED LATER,
- CONSERVATIVE ANALYSIS (SINGLE FAILURE CRITERIA, NO CREDIT FOR NON-SAFETY GRADE EQUIPMENT, ETC.).

3) EVENT CATEGORY III (EC-III)

- EQUIVALENT TO THE RANGE OF SEVERE ACCIDENTS BEYOND THE TRADITIONAL DBAs WHICH SHOULD BE CONSIDERED IN THE DESIGN CONSISTENT WITH THE COMMISSION'S SEVERE ACCIDENT AND SAFETY GOAL POLICY STATEMENT,
- SELECTED VIA ENGINEERING JUDGEMENT, COMPLEMENTED BY PRA AND INCLUDES:

- INTERNAL EVENTS WITH A FREQUENCY DOWN TO APPROXIMATELY  $10^{-7}$ /YR.
  - EXTERNAL EVENTS CONSISTENT WITH WHAT IS TO BE APPLIED TO LWRs AS PART OF SAPs IMPLEMENTATION.
  - BOUNDING EVENTS SELECTED BY ENGINEERING JUDGEMENT TO BOUND UNCERTAINTIES, AS DESCRIBED LATER.
- USED IN SITING DETERMINATION AS DESCRIBED LATER.
- BEST ESTIMATE ANALYSIS.

#### 4) EVENT CATEGORY IV (EC-IV)

- USED TO ASSESS EMERGENCY PLANNING AS DESCRIBED LATER.
- INCLUDES EVENTS WITH A FREQUENCY DOWN TO APPROXIMATELY  $10^{-9}$ /YR.
- INCLUDED IN PRA ANALYSIS.

IN ANALYZING EVENTS FROM THE ABOVE CATEGORIES A DETERMINATION MUST BE MADE REGARDING APPLICATION TO ONE OR MULTI-MODULES.

*Internal*

*Includes a reserved set  
of extremely unlikely events which  
are analyzed to assess emergency  
of emergency planning*



### SELECTION OF BOUNDING EVENTS

- USE ENGINEERING JUDGEMENT TO DETERMINISTICALLY IMPOSE A SET OF PLANT STATES AND FAILURES WHICH BOUND UNCERTAINTIES IN EVENT FREQUENCY AND FAILURE MODES. INCLUDE BOUNDING EVENTS IN THE FOLLOWING CATEGORIES:
  - REACTIVITY INSERTION
  - DECAY HEAT REMOVAL
  - CHEMICAL REACTIONS
  - LOSS OF COOLANT INVENTORY/FLOW
  - SUPPORTING SYSTEMS
  - EXTERNAL EVENTS
- CONSIDERATIONS USED IN SELECTING BOUNDING EVENTS ARE:
  - NON-SAFETY GRADE EQUIPMENT FAILS IN WORST WAY
  - SAFETY GRADE EQUIPMENT FAILS FOR A PERIOD OF TIME CONSISTENT WITH PREVIOUS EXPERIENCE/REASONABLE RECOVERY TIME.
  - HUMAN ERRORS CONSISTENT WITH PREVIOUS EXPERIENCE
- BOUNDING EVENTS FOR EACH DESIGN WILL BE DESCRIBED IN STAFF SERs.

### EXAMPLE BOUNDING EVENTS

<u>CATEGORY</u>	<u>BOUNDING EVENT</u>
REACTIVITY INSERTION	INADVERTENT WITHDRAWAL OF ALL CONTROL RODS FOR "X" HOURS (ONE MODULE)
DECAY HEAT REMOVAL	LOSS OF ALL DECAY HEAT REMOVAL FOR "X" HOURS (ONE MODULE)
CHEMICAL REACTION	S.G. TUBE RUPTURE ("X"% OF TUBES) (ONE MODULE)
LOSS OF COOLANT INVENTORY/FLOW	RV LEAK/PIPE RUPTURE/PRIMARY PUMP SEIZURE (LMRs) (ONE MODULE)
SUPPORTING SYSTEMS	STATION BLACKOUT FOR "X" HOURS (ALL MODULES)
EXTERNAL EVENTS	CONSISTENT WITH WHAT IS TO BE DONE FOR FUTURE LWRs.

---

FOR THE MHTGR WOULD INCLUDE PRESSURIZED AND DEPRESSURIZED STATES.

### SITING SOURCE TERM AND USE

- TO ALLOW THE USE OF MECHANISTIC ANALYSIS FOR SITING SOURCE TERM SELECTION, THE FOLLOWING RELEASE LIMITS WOULD APPLY FOR SITING DETERMINATIONS:

<u>EVENT CATEGORY</u>	<u>DOSE GUIDELINES</u>	<u>METEOROLOGY</u>
EC-II	10% OF 10CFR100	CONSERVATIVE
EC-III	10CFR100	CONSERVATIVE

- ENSURE NONE OF THE EC-II AND EC-III EVENTS ARE ON A THRESHOLD WHERE A SLIGHT CHANGE IN ASSUMPTIONS CAN CAUSE AN UNACCEPTABLE CHANGE IN SOURCE.

## ADEQUACY OF CONTAINMENT

- A DESIGN MUST MEET THE FOLLOWING CONTAINMENT CRITERIA:
  - PROVIDE MULTIPLE BARRIERS TO RADIATION RELEASE WHICH MEET THE RELEASE GUIDELINES FOR EVENT CATEGORIES I THROUGH III AS DISCUSSED EARLIER.
  - DEMONSTRATE VIA TESTING THE ABOVE RELEASES ARE ACHIEVABLE.
  - PROVIDE ADDITIONAL OR ENHANCED QA, SURVEILLANCE, IN-SERVICE INSPECTION/TESTING, AS NECESSARY, TO ENSURE THAT THE SYSTEMS, STRUCTURES AND COMPONENTS WHICH CONTRIBUTE TO PERFORMING THE CONTAINMENT FUNCTION ARE, IN FACT, CAPABLE OF PERFORMING THEIR FUNCTION OVER THE LIFE OF THE PLANT.
  - PROVIDE PROTECTION OF SAFETY RELATED SYSTEMS, STRUCTURES AND COMPONENTS FROM SABOTAGE AND EXTERNAL EVENTS EQUIVALENT TO THAT FOR LWRs.
  - ELIMINATE CORE MELT, SIGNIFICANT POSITIVE REACTIVITY FEEDBACK OR OTHER ACCIDENTS WITH THE POTENTIAL OF A LARGE RADIATION RELEASE FROM THE EC-I, II AND III CATEGORIES.
- FOR DESIGNS WITHOUT A CONVENTIONAL CONTAINMENT BUILDING, AN ASSESSMENT OF THE POTENTIAL IMPROVEMENT IN SAFETY OF ADDING A CONTAINMENT BUILDING WOULD HAVE TO BE MADE. JUDGEMENT WOULD THEN BE USED TO DETERMINE NEED FOR A CONTAINMENT BUILDING BASED UPON COST AND CHANGE OF RISK.

## ADEQUACY OF OFFSITE EMERGENCY PLANNING

TRADITIONAL OFFSITE EMERGENCY PLANNING (OTHER THAN NOTIFICATION) COULD BE ELIMINATED PROVIDED THE FOLLOWING ARE MET:

- THE LOWER LEVEL PAGS ARE NOT EXCEEDED AT THE SITE BOUNDARY DURING THE FIRST 36 HOURS FOLLOWING ANY EVENT IN CATEGORIES EC-I, II AND III.
- A PRA ANALYSIS, WHICH INCLUDES EVENTS IN AT LEAST CATEGORIES EC-I THROUGH IV, INDICATES THAT THE CUMULATIVE FREQUENCY OF EXCEEDING THE LOWER LEVEL PAGS AT THE SITE BOUNDARY WITHIN THE FIRST 36 HOURS DOES NOT EXCEED APPROXIMATELY  $10^{-6}$ /YR.

POLICY QUESTIONS RELATED TO STAFF PROPOSAL

- 1) ARE THE RANGE AND SELECTION OF ACCIDENTS IN EC-I THROUGH IV ACCEPTABLE FOR USE IN EVALUATING SITING SOURCE TERM, CONTAINMENT AND EMERGENCY PLANNING?
- 2) IS IT ACCEPTABLE TO SELECT AND USE A SITING SOURCE TERM USING MECHANISTIC ANALYSIS AND THE DOSE GUIDELINES PROPOSED BY THE STAFF, IN LIEU OF THE MORE MECHANISTIC 10CFR100 (TID-14844) APPROACH?
- 3) IS A REACTOR DESIGN WITHOUT A CONVENTIONAL CONTAINMENT BUILDING ACCEPTABLE, PROVIDED THE STAFF PROPOSED CRITERIA ARE MET?
- 4) IS THE ELIMINATION OF TRADITIONAL OFFSITE EMERGENCY PLANNING ACCEPTABLE, PROVIDED THERE IS SUFFICIENT TIME FOR CONDUCTING "AD HOC" EVACUATION FOR EVENTS IN EC-I THROUGH III?
- 5) IS "DEFENSE IN DEPTH" ADEQUATELY MAINTAINED?

## APPLICATION OF CRITERIA

### CONCEPTUAL DESIGN STAGE

- CRITERIA DEVELOPED, ENDORSED BY THE COMMISSION AND PROVIDED TO DESIGNERS AS GUIDANCE
- STAFF REVIEW OF CONCEPTUAL DESIGNS ASSESSES POTENTIAL OF THE DESIGNS TO MEET THE CRITERIA AND ASSESSES ENHANCED SAFETY. RESULTS DOCUMENTED IN SERs.

### PRELIMINARY/FINAL DESIGN STAGE

- STAFF PROCEEDS TO FORMALLY IMPLEMENT CRITERIA VIA RULEMAKING
- STAFF REVIEWS PRELIMINARY/FINAL DESIGNS FOR COMPLIANCE WITH CRITERIA, WITH DUE CONSIDERATION OF IMPACT OF HAVING MORE DESIGN DETAIL AND SUPPORTING R & D AVAILABLE (I.E. RECONSIDER DESIGN SPECIFIC ASPECTS/CONSERVATISMS)

### DESIGN CERTIFICATION

- STAFF CERTIFIES DESIGN IN COMPLIANCE WITH CRITERIA VIA RULEMAKING



PEER REVIEW OF KEY ISSUES

- PEER REVIEW TEAM
  - R. MATTSON
  - R. BUDNITZ
  - J. HENDRIE
- REQUESTED TO REVIEW STAFF PROPOSED APPROACH TO THE RESOLUTION OF THE FOUR KEY ISSUES.
- REVIEWED DRAFT COMMISSION PAPER AND STAFF PRESENTATIONS ON THIS SUBJECT.
- LETTER REPORTS RECEIVED IN EARLY JANUARY 1988.


OPERATING EXPERIENCE FEEDBACK ON MAIN  
FEEDWATER FLOW CONTROL AND BYPASS VALVES

BRIEFING FOR  
THE ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

FEBRUARY 12, 1988

OPERATING EXPERIENCE FEEDBACK ON MAIN  
FEEDWATER FLOW CONTROL AND BYPASS VALVES

- BACKGROUND
  - INTEREST IN BOP CAUSED SCRAMS
  - 1986 STATISTICS -- 60% BOP  
27% FEEDWATER (ALL SOURCES)  
10% HARDWARE IN FRV OR PUMPS
- DATA SOURCE (NPRDS)
  - GROWTH IN NPRDS DATA
  - SEMIANNUAL MONITORING
- NPRDS INSIGHTS
  - ENGINEERING DATA
  - FAILURE REPORTS
- FOCUSED STUDIES
  - FEEDWATER REGULATING AND BYPASS VALVES
  - MAIN FEED PUMPS (MOTOR AND TURBINE DRIVEN)



AEOD TRENDS AND PATTERNS ANALYSIS REPORT -  
OPERATIONAL EXPERIENCE FEEDBACK ON MAIN FEEDWATER  
FLOW CONTROL AND MAIN FEEDWATER FLOW BYPASS  
VALVES AND VALVE OPERATORS (AEOD P701)

G.L. PLUMLEE III

- REPORT PURPOSE - GOOD PRACTICE DOCUMENT
  - PROVIDE OPERATIONAL FEEDBACK
- SCOPE
  - JANUARY 1984 THROUGH OCTOBER 1985 FAILURES
  - NPRDS DATA ANALYZED
  - PWR MFW FLOW CONTROL VALVES EVALUATED
- DATA ANALYSIS METHODOLOGY
  - TIME BETWEEN FAILURES VS. COMPONENT VARIABLES
  - ENGINEERING EVALUATION OF RESULTS
  - CONTACTS WITH LICENSEES, VALVE MANUFACTURERS

• COUNTS FOR COMPLETED TREND AND PATTERN ANALYSIS STUDY

	<u>MEWCV</u>			<u>MEWBV</u>		
	ENGR RECORDS	FAILURES	UNITS	ENGR RECORDS	FAILURES	UNITS
TOTAL	121	107	42	101	52	36
OUTLIER (UNITS)	25	78	10	15	34	6

OUTLIER FAILURE DISTRIBUTION

VALVE	24	17
VALVE OPERATOR	54	17

• NPRDS REPORTED PROBLEMS/CORRECTIVE ACTION

	<u>MEWCV</u>	<u>MEWBV</u>
<u>VALVE</u>		
PACKING-BONNET/FLANGE	12	13
VALVE INTERNALS	13	9
<u>OPERATOR</u>		
ADJUSTMENT/CALIBRATION	25	5
PIECE PART REPLACEMENT	17	8
PIECE PART REPAIR/CLEAN	15	4



## FINDINGS

- UNIT/STATION DIFFERENCES HAD GREATEST INFLUENCE
- MAJOR CAUSES OF MFW FLOW CONTROL VALVE FAILURES:
  - VIBRATION
  - DEGRADED INSTRUMENT AIR
  - INADEQUATE MAINTENANCE PROCEDURES
  - IMPROPER VALVE OR VALVE INTERNALS
  - INADEQUATE WEATHER TIGHTNESS
- FAILURE MODES ARE ATTRIBUTED TO:
  - POOR MAINTENANCE PRACTICES
  - VALVE OPERATOR ABILITY TO WITHSTAND ENVIRONMENTAL VIBRATION (PUMPS AND FLOW THROUGH VALVES)
  - VALVE OPERATOR INABILITY TO FUNCTION DUE TO POOR QUALITY INSTRUMENT AIR
  - VALVE OPERATOR ADJUSTMENT SENSITIVITY
  - VALVE PACKING LIFETIME/MAINTENANCE FREQUENCY
  - VALVE TRIM (PLUG AND CAGE OR SEAT) LIFETIMES

## ACTIONS TO PREVENT PROBLEMS

<u>PROBLEM</u>	<u>CAUSE</u>	<u>ACTIONS TO PREVENT PROBLEMS</u>
VALVE OPERATOR FAILURE	SYSTEM OR VALVE-INDUCED VIBRATION	USE FLEXIBLE STAINLESS STEEL INSTRUMENT AIR LINES. USE VIBRATION-RESISTANT CONNECTORS AND FASTENERS (ESPECIALLY FOR THE SOLENOID VALVES).
VALVE OPERATOR FAILURE	OIL, MOISTURE AND/OR RUST, OR FOREIGN PARTICLES IN THE INSTRUMENT AIR SYSTEM	UPGRADE THE INSTRUMENT AIR SYSTEM WITH IMPROVED DRYERS. MONITOR INSTRUMENT AIR QUALITY AND ESTABLISH MAINTENANCE SCHEDULES ALLOWING PROMPT CORRECTIVE ACTION.
VALVE OPERATOR FAILURE	OUTDOOR WEATHER CONDITIONS	USE WATER PROOF SOLENOIDS.

PROBLEM

CAUSE

ACTIONS TO PREVENT PROBLEMS

VALVE AND  
VALVE  
OPERATOR  
FAILURES

POOR  
MAINTENANCE  
PROCEDURES

USE DETAILED MAINTENANCE PROCEDURES  
THAT ASSURE THE COMPLETION OF  
PROPER MAINTENANCE AND ADJUSTMENTS  
BEFORE SYSTEM STARTUP.

PROVIDE ADEQUATE TRAINING AND  
SUPPORT OF THE MAINTENANCE PERSONNEL.

CONSULT WITH VALVE MANUFACTURERS  
TO ESTABLISH EFFICIENT ROUTINE  
MAINTENANCE SCHEDULES.

HAVE VALVE MANUFACTURERS REFURBISH  
THE VALVE TRIM INSTEAD OF DOING  
THIS IN-HOUSE.

COVER OPEN PIPES AND DISASSEMBLED  
VALVES DURING MAINTENANCE.

<u>PROBLEM</u>	<u>CAUSE</u>	<u>ACTIONS TO PREVENT PROBLEMS</u>
VALVE RELEASED LEAKAGE	PACKING LEAKS	USE NEW PACKING MATERIALS WITH LOW SHRINKAGE AND DESIGNS THAT MAINTAIN CONSTANT PRESSURE ON THE PACKING (SPRING-LOADED, FOR EXAMPLE).
	BONNET/FLANGE	IN MAINTENANCE, CAREFULLY INSPECT THE FLANGE BEFORE REASSEMBLY.
VALVE CONTAINED LEAKAGE	IMPROPERLY ADJUSTED VALVE OPERATORS	USE IMPROVED, VALVE-SPECIFIC MAINTENANCE PROCEDURES.
	DAMAGED VALVE TRIM (PLUG AND CAGE OR SEATS)	USE PROPER MAINTENANCE. CONSULT VALVE MANUFACTURERS FOR ADVICE ON IMPROVED VALVE TRIM DESIGNS AND MATERIALS FOR ACTUAL PLANT CONDITIONS SUCH AS HIGHER PRESSURE DROPS.

- CONCLUSIONS

- PROPER MAINTENANCE/APPROPRIATE SUBCOMPONENTS AVOID PROBLEMS
- SYSTEM UPGRADES MAKE THE MFW SYSTEM MORE RELIABLE
- GOOD PRACTICE DOCUMENT

- STAFF FOLLOWUP

- STUDY PROVIDED TO NRR FOR USE IN BOP INSPECTIONS
- ISSUE STUDY REPORT TO LICENSEES

IMPACT OF NUCLEAR WASTE POLICY AMENDMENTS ACT  
OF 1987 ON NRC HLW PROGRAM

MICHAEL BELL, DEPUTY DIRECTOR  
DIVISION OF HIGH-LEVEL WASTE MANAGEMENT

FEBRUARY 12, 1987

# NWPAA PROVISIONS AFFECTING NRC HLW PROGRAM

- O CHARACTERIZE ONLY ONE SITE FOR FIRST REPOSITORY (NEVADA)
- O POSTPONE SECOND REPOSITORY UNTIL 21ST CENTURY
- O ANNULS DOE'S PROPOSAL TO CONSTRUCT MRS AT CLINCH RIVER
  - AUTHORIZES MRS FACILITY
  - ESTABLISHES MRS REVIEW COMMISSION
  - REQUIRES NEW SITE SELECTION PROCESS
  - TIES MRS SCHEDULE TO REPOSITORY SCHEDULE
- O PROVIDES FOR BENEFITS AGREEMENT WITH HOST STATE OR INDIAN TRIBE FOR BOTH REPOSITORY AND MRS
  - BENEFITS REDUCED FROM EARLIER BILL
  - PROVIDES FOR LOCAL GOVERNMENT PARTICIPATION
  - ESTABLISHES REVIEW PANEL
- O ESTABLISHES OFFICE OF NUCLEAR WASTE NEGOTIATOR
- O ESTABLISHES NUCLEAR WASTE TECHNICAL REVIEW BOARD
- O ESTABLISHES OFFICE OF SUBSEAED DISPOSAL RESEARCH
- O REQUIRES NRC CERTIFICATION OF DOE SHIPPING CASKS



ENCLOSURE

PLAN TO IMPLEMENT RECENT LEGISLATION

- 0 CONTINUE PROGRAM TO PREPARE TO COMPLETE CONSTRUCTION APPLICATION REVIEW IN THREE YEARS
- 0 CONTINUE SITE-SPECIFIC REVIEWS OF DOE SUBMITTALS FOR NEVADA SITE:
  - DRAFT SITE CHARACTERIZATION PLAN IN FY 1988
  - FINAL SITE CHARACTERIZATION PLAN IN FY 1989
- 0 TERMINATE SITE-SPECIFIC ACTIVITIES FOR TEXAS AND WASHINGTON SITES:
  - DO NOT INITIATE DRAFT CONSULTATION SCP REVIEWS
  - ELIMINATE REPRESENTATIVE AT WASHINGTON SITE
  - ELIMINATE PROJECT MANAGERS
  - TERMINATE TECHNICAL ASSISTANCE AND RESEARCH DIRECTED AT TEXAS OR WASHINGTON SITES\*
- 0 REALLOCATE RESOURCES BACK TO PRIORITY PROGRAMS BY REASSIGNING/DETAILING STAFF:
  - 5 FTEs TO NUCLEAR MATERIAL SAFETY
  - 4 FTEs TO LOW LEVEL WASTE MANAGEMENT
  - 1 FTE TO NUCLEAR MATERIAL SAFEGUARDS AND TRANSPORTATION
- 0 ADJUST NRC REGULATORY DEVELOPMENT AND LICENSE REVIEWS SCHEDULES, AS APPROPRIATE, BASED ON REVISED DOE PLANS (WHEN AVAILABLE)
- 0 ADJUST FY 1989 - 1993 PROGRAMS AND RESOURCES, AS APPROPRIATE, DURING 1988 UPDATE OF NRC FIVE-YEAR PLAN TO SUPPORT DOE PLANS

---

\*Funds are being reduced as part of the \$35M Congressional reduction for FY 1988.

NRC HIGH-LEVEL WASTE MANAGEMENT RESOURCES

<u>FY85</u>		<u>FY86</u>		<u>FY87</u>		<u>FY88</u>			
<u>Budgeted</u> <u>FTE</u>	<u>1/</u> <u>\$K</u>	<u>Budgeted</u> <u>FTE</u>	<u>1/</u> <u>\$K</u>	<u>Budgeted</u> <u>FTE</u>	<u>1/</u> <u>\$K</u>	<u>Budgeted</u> <u>FTE</u>	<u>1/</u> <u>\$K</u>	<u>Current</u> <u>Estimate</u> <u>FTE</u>	<u>\$K</u>
97	7,770	116	6,745	105	7,575	88	7,435	<u>2/</u> 67	5,360

1/ President's Budget.

2/ Reflects reprogramming of 21 direct FTEs during formulation of the FY89 budget.

3/ Tentative OMB Mark.

HLWM RESOURCES