

ACRST-1672  
ORIGINAL

# UNITED STATES NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

In the Matter of:

SUBCOMMITTEE ON IMPROVED

LIGHT WATER REACTORS

DATE: May 31, 1988

PAGES: 1 through 188

LOCATION: Washington, D.C.

ACRS OFFICE COPY  
Do Not Remove from ACRS Office

## HERITAGE REPORTING CORPORATION

Official Reporters  
1220 L Street, N.W., Suite 600  
Washington, D.C. 20005  
(202) 628-4862

8806070281 880531  
PDR ACRS PDR  
T-1672

1 PUBLIC NOTICE BY THE  
2 UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
3 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS  
4  
5  
6

7 The contents of this stenographic transcript of the  
8 proceedings of the United States Nuclear Regulatory  
9 Commission's Advisory Committee on Reactor Safeguards (ACRS),  
10 as reported herein, is an uncorrected record of the discussions  
11 recorded at the meeting held on the above date.

12 No member of the ACRS Staff and no participant at  
13 this meeting accepts any responsibility for errors or  
14 inaccuracies of statement or data contained in this transcript.  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



1 UNITED STATES NUCLEAR REGULATORY COMMISSION  
2 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

3 In the Matter of: )  
4 )  
5 )  
6 )

5 SUBCOMMITTEE ON IMPROVED )  
6 LIGHT WATER REACTORS )  
7 )

7 Tuesday,  
8 May 31, 1988

9 Room 1046  
10 1717 H Street, N.W.  
11 Washington, D.C. 20555

12 The above-entitled matter came on for hearing,  
13 pursuant to notice, at 1:00 p.m.

14 BEFORE: MR. CHARLES J. WYLIE  
15 Retired Chief Engineer  
16 Electrical Division  
17 Duke Power Company  
18 Charlotte, North Carolina

19 ACRS MEMBERS PRESENT:

20 MR. CARLYLE MICHELSON  
21 Retired Principal Nuclear Engineer  
22 Tennessee Valley Authority  
23 Knoxville, Tennessee  
24 and Retired Director, Office for Analysis  
25 and Evaluation of Operational Data  
U.S. Nuclear Regulatory Commission  
Washington, D.C.

21 DR. CHESTER P. SIESS  
22 Professor Emeritus of Civil Engineering  
23 University of Illinois  
24 Urbana, Illinois

25 ACRS COGNIZANT STAFF MEMBER:

Herman Alderman

1                    NRC STAFF PRESENTERS:

2                    Jerry Wilson  
3                    Steve Crockett  
4                    Marty Malsch  
5                    Dino Scaletti  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S.

1  
2 CHAIRMAN WYLIE: The meeting will come to order.  
3 This is a meeting of the ACRS Subcommittee on the Improved  
4 Light Water Reactors. I am Charlie Wylie, Chairman of the  
5 ACRS Subcommittee on the Improved Light Water Reactors. The  
6 other ACRS members in attendance are Chester Siess, and  
7 Carlyle Michelson will join us shortly.

8 Herman Alderman is the cognizant ACRS staff member  
9 present.

10 The ACRS has been requested to review and comment on  
11 the proposed NRC Commission rule on the standardization of  
12 nuclear power plants, and that's the purpose of our  
13 Subcommittee meeting is in preparation for a recommendation by  
14 the ACRS.

15 The rules for participation in today's meeting have  
16 been announced as part of the notice of this meeting that was  
17 published in the Federal Register on May 26th, 1988. This  
18 meeting is being conducted in accordance with the provisions  
19 of the Federal Advisory Committee Act and the government and  
20 the Sunshine Act.

21 We have received no written or oral statements from  
22 members of the public. It is requested that each speaker  
23 first identify himself or herself and speak with sufficient  
24 clarity and volume so that he or she can be readily heard.

25 The agenda for today's meeting has been organized

1 along the lines of the content of the draft proposed rule, and  
2 I would like to ask the staff as they address these several  
3 items that have been raised before particularly in our letter,  
4 the ACRS letter of August 12, 1986, on the proposed  
5 standardization policy statement, you may want to, we wish  
6 that you may want to comment on those at the appropriate place  
7 in the presentation.

8           These refer to the relation of the proposed rule to  
9 the implementation of the future plant policies, the safety  
10 goal policy, severe accident policies, and advanced reactor  
11 policies, the definition of scope contained in the certified,  
12 plant certification of standard designs, and what, where the  
13 definition of essentially complete is contained, and how we  
14 intend to factor in the resolution of the generic issues and  
15 the USIs in the certified standard plant design.

16           I might ask at this time whether other members of  
17 the Subcommittee--Dr. Siess, do you have any comment?

18           DR. SIESS: Yes. There were two things that caught  
19 my attention as I went through that thing, and one of them has  
20 to do with the statements made in the proposed rule about  
21 advanced reactors, and I notice somebody has provided us with  
22 a Commission, pre-decisional Commission paper on  
23 standardization of advanced reactor designs, which is just a  
24 paper, and some part of this pre-decisional thing are  
25 consistent with the rule and some parts aren't.

1           It was, the differentiation between advanced reactor  
2 with and without a containment is not covered by the proposed  
3 rule and the prototype testing, and it seems to me there is an  
4 inconsistency there, and I will have to admit I was rather  
5 surprised to see advanced reactors mentioned at all in  
6 connection with this standardization policy, and I don't  
7 think--we never talked about it before.

8           I am not saying it is wrong, but there are two  
9 things going on that are tending to come together here but  
10 whether they are coming together in the right way or not, a  
11 rule is a lot--one of them is not even a policy statement,  
12 just a staff document.

13           The other thing that caught my attention, that  
14 naturally is what the rule says about ACRS review, and the  
15 thing that bothered me a little bit, and I think may bother  
16 the Committee, is the statement in the rule that that the OL  
17 stage for combined license, there is only a provisional  
18 operating license and then there is a real operating license  
19 that comes after they have demonstrated by some means the  
20 thing has been completed, designed and built and so forth, and  
21 where the ACRS review is called for--I have to, yes, it is in  
22 5253. It is the ACRS shall limit its review to issues on  
23 which it has not made findings of recommendations in an  
24 earlier proceeding.

25           I'm not sure the ACRS is going to react very well to

1 that kind of a restriction. To say that it may limit its  
2 review to things that is new, it hasn't looked at before is a  
3 big help, but to say it shall limit itself, we are talking  
4 about a review that may come under the best of circumstances  
5 five years after the the combined license was issued and  
6 equally likely ten years after, although if it is ten years  
7 after, we haven't succeeded very well, but ACRS changes in  
8 five years and although I think it would be sort of morally  
9 and ethically bound not to change its mind, there might be new  
10 circumstances that it ought to look at, and to limit the ACRS  
11 review is an interesting concept. I'm sure the Commission has  
12 the authority to do that. I suspect strongly that if the old  
13 joint committee of the Congress was still the patron saint of  
14 the ACRS, they wouldn't agree to it. The ACRS was supposed to  
15 be an independent review without any limits imposed on it as  
16 far as publication, openness, or whatever, so that thing sort  
17 of caught my eye there.

18 MR. MICHELSON: Chet, I had some somewhat the same  
19 reaction to it, but then I studied it more carefully and it is  
20 mentioned several places, and finally I concluded that it  
21 pertains only to the certified, certification process.

22 DR. SIESS: Well, no; 5253--

23 MR. MICHELSON: I was looking on page 17 where it  
24 was the hardest for me to buy, and--

25 DR. SIESS: I think 17 is under subpart B, which is

1 certification, and I am looking at at page 26, which I think  
2 is subpart C.

3 MR. MICHELSON: Under the combined license.

4 DR. SIESS: That's subpart B. Probably under  
5 subpart C, too. But again, I don't care where it is and even  
6 if the ACRS had reviewed and approved something.

7 MR. MICHELSON: The agreement I thought for  
8 certification, once we buy off, ACRS buys off, that's it on a  
9 particular issue, on the certification process only. That was  
10 my understanding. Correct me if I am wrong.

11 DR. SIESS: I will admit that makes sense, but  
12 suppose something comes up or ACRS review reveals it?

13 MR. MICHELSON: Then it is a new issue not already  
14 brought up.

15 DR. SIESS: This says shall limit its review.

16 CHAIRMAN WYLIE: Maybe the staff can tell us what is  
17 meant by that.

18 DR. SIESS: Under subpart C--that was under B. Now  
19 the same thing is under subpart C, which is combined licenses.  
20 I don't think it appears under early site review. We haven't  
21 done anything earlier. But again, it just struck me it is a  
22 shall, not a may, and it is clearly a limit.

23 I agree with Carl that the rulemaking design  
24 certification you are going to get stability, you just reopen  
25 it any time, but again I think that, I don't know how well it



1 sits in law.

2 MR. MICHELSON: Maybe the staff can clarify it for  
3 us, what it is supposed to pertain to.

4 DR. SIESS: Subpart C, it could be different.  
5 That's just an item, and the inclusion of advanced reactors  
6 here which is another one. My first thought is you are really  
7 jumping the gun. Haven't settle all this stuff in the  
8 advanced reactors group. I see a difference between the ones  
9 with and without containment. It isn't in the 5052. Maybe it  
10 shouldn't be.

11 CHAIRMAN WYLIE: Carl, have you got anything?

12 MR. MICHELSON: Main comment I had was the same one  
13 that was giving Chet some difficulty. I finally satisfied  
14 myself it looked all right I thought, but it would be nice to  
15 have the assurance of the staff as to what their intention is.

16 DR. SIESS: There are two other things I could  
17 mention.

18 In our letter, we have commented on definition of  
19 what is essentially complete, and asked the staff somewhere to  
20 expand on that, and I don't think it has been done here. The  
21 question is would there be another document somewhere that  
22 defines that? And the use of language in a letter that may or  
23 may not have been as clear as it should have, but I think what  
24 people were talking about was that the completeness at say the  
25 OL stage or the FDA stage, it was not defined simply by the

1 contents of the FSAR, but by the contents of the FSAR  
2 supplemented by the responses to requests for additional  
3 information, so in the past the staff has always asked for a  
4 lot more detailed information than was in the FSAR.

5 Now whether that ended up in an amended FSAR, I  
6 don't know, but that thought was in the letter. I'm not  
7 saying I agree with it, but that was the level of information  
8 that was really needed.

9 Now I think that the staff has some words in here  
10 which cover that. It says what would be in the FSAR plus  
11 whatever the staff needs to have the assurance, and I suspect  
12 that means that there will be rounds of additional questions,  
13 and if that's the intent, again, I would like to know it.

14 CHAIRMAN WYLIE: Maybe they can help us out there.

15 DR. SIESS: Yes, but now are we talking about a  
16 rule? You know, and the rule gets interpreted by lawyers.  
17 This one may be sufficiently flexible.

18 There was one other minor question if I could go  
19 through it quickly. Oh, I guess it was not minor, but the  
20 question about emergency planning, and getting commitments  
21 from local officials. That sounds real nice on paper, but  
22 what kind of commitments can local elected officials make that  
23 will be binding on their successors? Typically local  
24 officials turn over, you know, local government probably has a  
25 half life of five years or something like that.

1           It sort of seems like more of a gesture to say these  
2       guys promised but, you know, period. That's a sticky issue as  
3       to what you get on emergency planning. Hopefully the early  
4       site review and for the combined license, unless that is  
5       settled somewhere else out of court, in another court, it is  
6       still going to be a sticky issue.

7           CHAIRMAN WYLIE: Okay. Any other comment? Well,  
8       let's move on then and staff--

9           DR. STESS: I had some questions about hearings and  
10      appropriate subject. It might take a lawyer to explain that  
11      for us.

12          MR. WILSON: Good afternoon. I am Jerry Wilson.  
13      Before we get into the details of Part 52, I thought the  
14      Committee would like an overview of the staff's plans for  
15      implementing that revised policy statement on nuclear power  
16      plant standardization, and so I called this presentation the  
17      road to certification. And as I go through, I think I am  
18      going to touch on some of the questions that the members have  
19      brought up.

20          (Slide)

21          MR. WILSON: Now--

22          MR. MICHELSON: I assume everything you are going to  
23      tell us today is going to apply immediately ABWR, is that  
24      correct?

25          MR. WILSON: I think I am going to even go beyond

1 the ABWR.

2 MR. MICHELSON: I really want to make sure that's  
3 the one we happen to have in front of us at the immediate  
4 moment.

5 MR. WILSON: That's a good point, and one of the  
6 slides I have later on, I am going to show that what we are  
7 doing today is scheduled in a manner so that we can meet the  
8 ABWR's needs. What I have done is I have identified here all  
9 the plants that I know of who expressed any type of an  
10 interest in achieving certification, and in order to answer  
11 the question which is what does the NRC staff have to do now  
12 so that these plants can be certified, I am going to divide  
13 this group into two parts, the LER part and the non-LER part.

14 DR. SIESS: Under 2 with the SBWR, is that small  
15 BWR?

16 MR. WILSON: You can execute a lot of words for S.  
17 Small is fine.

18 DR. SIESS: Is that something GE is doing very  
19 recent, isn't it?

20 MR. WILSON: Yes.

21 DR. SIESS: AP600, is that the EPRI?

22 MR. WILSON: This is Westinghouse's advanced passive  
23 600. These are both passive LERs, and I am not sure if the  
24 Committee has gotten presentations on these designs.

25 DR. SIESS: Are they more than a rumor?

1 MR. WILSON: Yes. I wouldn't care to characterize  
2 how much more than a rumor. I wanted to cover the whole  
3 spectrum, everything I know about, and show how I will get us  
4 to certification for these plants, and then I believe we will  
5 have the field covered then.

6 MR. SCALETTI: Westinghouse has notified us they are  
7 planning to certify the AP600. General Electric has not  
8 formally indicated to us what their plans are for the SBWR.  
9 Later this year where they have conceptual design, the AP  
10 600--

11 DR. SIESS: Has the ACRS looked at either of those?

12 MR. SCALETTI: They have made a presentation to the  
13 Commission on AP600.

14 MR. WILSON: I want to start out by focusing on the  
15 LERs, and for the LERs, the existing body of regulations  
16 covers our licensing needs with the exception of Part 52 which  
17 we are going to be talking about today, and that provides  
18 procedures for achieving certification. Steve Crockett will  
19 present the details of that regulation, and in addition, we  
20 believe that it would help the certification process for the  
21 LERs if the Commission had a separate severe accident  
22 rulemaking prior to the specific certification rulemakings.  
23 And I don't, for this presentation, I don't plan to get into  
24 the details of the severe accident rulemaking other than say  
25 that staff presently has a meeting scheduled for June 9th

1 which we are going to be meeting with the public to gather  
2 information to help us decide if and how we are going to  
3 proceed on this rulemaking.

4 I will just point out that right now, the staff is  
5 considering procedural and performance requirements for future  
6 plants. Procedural requirements will be taken--in the severe  
7 accident policy statement, it calls for demonstration of TMI  
8 requirements, demonstration of technical resolution of the  
9 USIs, GSIs, and completion of a PRA and a deterministic  
10 review. Now it also calls for higher standard of severe  
11 accident safety performance for future plant, and we are also  
12 thinking of some possible procedural requirements, but that's  
13 nothing firm--performance requirements I mean.

14 DR. SIESS: Okay. Now does that mean you might for  
15 future plants think about having different containments or  
16 stronger containments or accident management procedures or  
17 what?

18 MR. WILSON: Yes. We are looking into all of those  
19 things.

20 DR. SIESS: You have got that slide labeled  
21 certification, but you have got three things on it. By  
22 certification you are, are you limiting it to the early  
23 permit, the certification and the combined license? In this  
24 rule it covers three things.

25 MR. WILSON: Right. I am going to be talking about

1 primarily item 2, design certification.

2 DR. SIESS: Okay, but the rule covers three things,  
3 right?

4 MR. WILSON: Right.

5 DR. SIESS: The way the rule is written, could they  
6 be three separate rules? Three separate issuances? Put them  
7 all in 52? There is very little relation between the  
8 subparts, is there? It says for certification of the. It is  
9 to your advantage to have an early permit for combined license  
10 and would be to your advantage to do that, but really any one  
11 of these options is open without regard to the other?

12 MR. WILSON: That is correct.

13 MR. MICHELSON: Could be.

14 DR. SIESS: Just been put in 52 because it is new.

15 CHAIRMAN WYLIE: Except we permit certification of a  
16 major portion thereof, whatever that is.

17 DR. SIESS: But you could still have certification  
18 without an early site permit? You could build a certified  
19 plant without a combined license?

20 CHAIRMAN WYLIE: Yes.

21 DR. SIESS: Don't know why you would, but you could.

22 MR. WILSON: The maximum benefit to the--

23 DR. SIESS: Have a full good PSAR.

24 MR. MICHELSON: Don't need design certification to  
25 build a plant. Final design approval--



1 DR. SIESS: That's right.

2 MR. MICHELSON: You go the normal route, but you  
3 could have combined final design approved. You can get a  
4 combined CP OL on non-certified plant. The whole thing works.

5 DR. SIESS: Now the combined license, have to be a  
6 standard plant? You do combined license on just a plant, have  
7 early site permit on a custom plant? These are all separate.  
8 Taken together, they are, they have a combined license for  
9 certified plant at an early previously selected site or that's  
10 obviously the ideal.

11 MR. WILSON: That would give you the maximum  
12 benefit.

13 DR. SIESS: What is the justification for making a  
14 new part? That's all right. He is asked to keep tying it  
15 back to 50 some way or another. Go ahead.

16 MR. WILSON: Anyway, my point of this slide is that  
17 when we complete these two rulemakings, we feel we would have  
18 the complete regulatory base in order to certify a light water  
19 reactor.

20 DR. SIESS: What is the other rulemaking?

21 MR. WILSON: Severe accident rulemaking for future  
22 plants.

23 DR. SIESS: Okay: That isn't, is that at all in the  
24 works?

25 MR. WILSON: Yes. Stay with me a minute here.

1 (Slide)

2 MR. WILSON: Next slide here I want to show, this is  
3 our current schedule for Part 52, and--

4 DR. SIESS: Excuse me. I--not only is that  
5 cockeyed, but you are standing just a little bit too close to  
6 it.

7 MR. WILSON: Sorry. Now this schedule shows what I  
8 call optimistic schedule for issuing Part 52 for public  
9 comments in July of this year, and if as a result of the  
10 public comment period there are significant changes, we would  
11 go through the process the second time and hope to issue the  
12 final rule by the end of the year.

13 (Slide)

14 DR. SIESS: You have already had some comment on  
15 this, haven't you?

16 MR. WILSON: Yes. We had a workshop last fall which  
17 was on that schedule, and we got comments at that time, and we  
18 are hoping that because of--

19 DR. SIESS: These are the comments that are  
20 referenced in the front part of the document?

21 MR. WILSON: Yes.

22 DR. SIESS: That was only policy statement?

23 MR. WILSON: No. That was on, well, partly on the  
24 policy statement and partly on the rule. We had a discussion  
25 of the rule at that meeting.

1 DR. SIESS: Was the rule at the workshop essentially  
2 the one we are seeing here with advanced reactors in it?

3 MR. WILSON: Well, we just had a general discussion  
4 of it at the meeting, but it was our intent at that time to  
5 incorporate advanced reactors I am going to talk about a  
6 little later.

7 Now this is our schedule for the severe accident  
8 rulemaking, and you will see on here this is the meeting I  
9 talked about we planned to have very soon, and we also plan to  
10 have a number of periodic public meetings during this  
11 rulemaking so that the LWR currently under review that uses  
12 the ABWR will be aware of what we are developing.

13 DR. SIESS: This again is severe accidents for  
14 future reactors?

15 MR. WILSON: Right.

16 MR. MICHELSON: Let me ask a background question,  
17 which is, which has been asked a number of times in the past  
18 and it is time to ask it again, and that is what are we  
19 actually certifying when we certify? Are we certifying a  
20 particular document as being the description that is agreed  
21 to, or certifying a series of documents or what?

22 You know, certification usually means a kind of  
23 listing of something you are certifying. You agree this is  
24 what you will do.

25 MR. MALSCH: The intention, you have an application

1 certification process in the application, what you are  
2 approving, what you are not approving

3 MR. MICHELSON: What do you certify in the ABWR?

4 MR. WILSON: We certify the design.

5 MR. MICHELSON: What is the design? Where? What  
6 design?

7 DR. SIESS: You have a rulemaking hearing to certify  
8 that thing, it is obviously going to be related to a document,  
9 a document.

10 MR. MICHELSON: A whole bunch of documents because  
11 the document I have in front of me so far for ABWR is hardly a  
12 description of ABWR. There will have to be a lot more  
13 documents to go with it.

14 CHAIRMAN WYLIE: I think obviously your question is  
15 one that we want to talk about. We are jumping ahead of our  
16 presentation.

17 MR. MICHELSON: They will be certifying a document  
18 or a series of identified documents. They won't be certifying  
19 some nebulous description.

20 MR. MALSCH: You will have to have defined reference  
21 of all the documents that were considered, and I think the  
22 rule itself, the design itself will have to contain the very  
23 precise indications of what precisely is being approved, what  
24 is left open.

25 MR. MICHELSON: That flavor doesn't come through to

1 me when I look at this.

2 DR. SIESS: Certifying the design, and Carl is  
3 saying certifying a design as described or as defined by--and  
4 it isn't going to be defined by just something like an FSAR.  
5 It may have to have a thousand drawings to define it.

6 MR. MICHELSON: I couldn't get that out of this  
7 rule.

8 DR. SIESS: Everything at the staff review agreeing  
9 to it as part of what--

10 MR. SCALETTI: You will not have final design  
11 drawings at this stage in the process. We will have  
12 procurement specifications. That will be part of the process.

13 DR. SIESS: Now when you issue an FSAR, you are  
14 supposed to have design drawings. The staff asks for them, go  
15 out asking for that and get back a stack of drawings.  
16 Somebody in the staff sits down and traces out circuits and  
17 asks questions about them and you won't have that in a design  
18 certification?

19 MR. SCALETTI: Not for references to content.

20 MR. MICHELSON: It is, maybe it is getting off the  
21 track a little bit, but it is directly related to this  
22 rulemaking. I couldn't read the rule and figure out what I  
23 was going to be certifying.

24 MR. MALSCH: We will be certifying by rule.  
25 Necessary step in the process would be a proposed rule, so it

1 will be a proposed certification, all form and details  
2 published for comment.

3 MR. MICHELSON: All by itself; now then let me back  
4 up one step. What are we approving when we do the final  
5 design approval, which there is no rule written yet? What do  
6 I do when I get my FDA?

7 CHAIRMAN WYLIE: Were you going to go through this  
8 separately?

9 MR. WILSON: Yes.

10 MR. MICHELSON: Okay. You have got the flavor of  
11 the question at least.

12 MR. WILSON: The only purpose of this slide is to  
13 show that relationship between these rulemakings, and the  
14 schedules for the LERs. Now don't take these as hard dates.  
15 These are a crude projections. I want to show the  
16 relationship. We are going to finish the rulemakings before  
17 we need them for the certifications.

18 (Slide)

19 MR. WILSON: Let me switch to the non-LERs. Mr.  
20 Siess brought up the question of the relationship between  
21 the--

22 DR. SIESS: Is not LER synonymous with advanced  
23 reactor?

24 MR. WILSON: Yes, or the DOE reactors. Now the  
25 situation for the non-LERs is different than the LERs in that

1 the existing body of regulations does not necessarily apply to  
2 these plants, so for each design, we would have to determine  
3 which regulations are applicable, which are not, which ones  
4 need to be modified, and which regulations would have to be  
5 added.

6 The details of this approach are covered in our  
7 paper called the licensing issue for advanced reactors. That  
8 is presently under review by the Committee and the Committee  
9 is going to be having another meeting on it in your Thursday  
10 meeting. I believe that is June 2nd.

11 And we will get into that at that meeting if you  
12 would like. As to how we would proceed for those plants, for  
13 certification, I think there is two ways to go, and I have  
14 labeled them reactive and proactive.

15 (Slide)

16 MR. WILSON: Now in the reactive process, the staff  
17 would wait until we received an actual application and then  
18 during the review we would determine which requirements would  
19 be applicable, make modifications to others, and develop new  
20 requirements as necessary. This new body of regulations would  
21 then be formalized during the certification rulemaking and  
22 would be applicable to that specific design.

23 Now this approach would minimize the draw on staff  
24 resource because we would only work on the applications that  
25 we actually received. We would also develop better regs



1 because we would be working with detailed design information.  
2 However, the public involvement in this, that approach would  
3 be delayed until the certification rulemaking.

4 DR. SIESS: Would there be new regulations, new  
5 rules, or just the rules that were embodied in the design  
6 certification?

7 MR. WILSON: Well--

8 DR. SIESS: I am not sure how you said it there.

9 MR. WILSON: There would be, probably be some new  
10 rules, and those rules would be formalized during the  
11 certification process rather than a separate rulemaking.

12 DR. SIESS: Okay.

13 MR. WILSON: Now the other way which we term the  
14 proactive process, we would initiate formal rulemaking for the  
15 non-LER designs after completion of the conceptual design  
16 reviews which are going on right now, but before the actual  
17 applications are submitted. This approach would lead to the  
18 staff spending resources for rules that may not be used or may  
19 only be used once. However, the approach would provide for  
20 early public involvement, greater influence on the designs,  
21 and result in a more predictable licensing process.

22 DR. SIESS: Well, that's an extremely optimistic  
23 view of the process, isn't it? Would you say that what we  
24 have now with general design criteria and standard review plan  
25 is a proactive approach?

1 MR. WILSON: Yes. The rules are already in place,  
2 and they are available to the designer as he designs his  
3 plant.

4 DR. SIESS: But now as I recall the process, even  
5 though a plant met all the general design criteria and all the  
6 standard review plan, there were still things the staff wanted  
7 changed after they saw how they were implemented, what was  
8 acceptable. Now that is reactive.

9 MR. WILSON: Yes. The staff has the ultimate  
10 finding of reasonable assurance, and if we felt there was  
11 additional information we needed for that, then we asked for  
12 it.

13 DR. SIESS: So 80 percent proactive and 20 percent  
14 reactive or vice-versa? I'm not sure which.

15 MR. WILSON: I won't quibble over that. I will just  
16 show this slide again to show that if we used proactive  
17 approach, we would propose to do our rulemaking for the  
18 advanced reactors prior to the actual submittals of these  
19 applications if and when they come in.

20 Now this proactive approach is the approach that is  
21 recommended in our key issues licensing paper that I discussed  
22 earlier.

23 Now the question was brought up as to how the other  
24 Commission paper which is entitled standardization for  
25 advanced reactors, how that paper relates to Part 52 which we

1 are reviewing here today. And that's the purpose of this  
2 slide.

3 Part 52 as you see here is to implement the  
4 standardization policy statement and as much of our proposed  
5 legislation as we can under our current rules, and from that,  
6 you will see we came up in the three different parts.

7 Now the other paper that you have seen before--in  
8 fact, the Committee reviewed this paper in February of  
9 '87--relates to our advanced reactor policy statement, which  
10 is in more detail in the reg 1226, and also implements the  
11 standardization policy statement. From there, we derive four  
12 issues--scope and detail, options, module plants, and we  
13 wanted to speak to the different options of a number of  
14 modules that you might certify, And prototype testing.

15 These four issues are picked up in this section of  
16 the rule. Now see you have a copy of that paper, and I want  
17 to remind the members that is pre-decisional. The Commission  
18 hasn't reviewed that yet.

19 Now the in the rule, you have a discussion of the  
20 type of information we are looking for in terms of scope and  
21 detail, and we have, in the paper we have justification for  
22 the amount of scope that should be provided and the amount of  
23 detail.

24 DR. SISSON: Everything that is in the paper should  
25 end up in the rule?

1 MR. WILSON: Yes.

2 MR. MICHELSON: Which document?

3 DR. SIESS: I said it doesn't now. Am I right?

4 Prototype, the plants with containment and location of  
5 prototypes is in the paper. I didn't see it in the rule.

6 MR. WILSON: Well, you might be right on that. I'm  
7 not sure, but I think the rule--I will refer to Steve on--I  
8 think what is in the rule doesn't really cover both  
9 situations. What we said in the paper, and this is a revision  
10 from what you saw earlier, but it is consistent with the other  
11 key licensing paper, is that for plants such as the HTGR,  
12 don't propose conventional containment. We would require full  
13 scale prototype testing at an isolated site, and I believe  
14 that is consistent with what is in the rule.

15 DR. SIESS: I don't recall it. I recall that that  
16 policy being very similar to what is in the 5052, I mean the  
17 Part 52. That said that you should have a prototype unless,  
18 and there were a list of things you could take as exceptions,  
19 and I didn't see, don't recall having a separate prototype  
20 requirement for plants with a containment and without.

21 What you are saying now is that if a plant is  
22 different, and you want to build it without a containment, you  
23 should first build one with a containment, for safety,  
24 demonstrate that you don't need the containment, and then you  
25 might be able to build it without a containment?

1 MR. WILSON: You are not reading the paper  
2 correctly. The paper says--

3 DR. SIESS: I don't see it in 52.

4 MR. WILSON: The paper says that if you are  
5 proposing a design that doesn't have a conventional  
6 containment, that you should build a prototype and either test  
7 it in an isolated site, or it has another option there for  
8 Commission consideration where you might test it at what I  
9 would call a typical standard site, but that--

10 DR. SIESS: With containment, okay, but that to me,  
11 that's the first time I have seen that.

12 MR. WILSON: That's right. That's a recent change  
13 by the staff.

14 DR. SIESS: I am not arguing with it. I am right  
15 that that's the first time I have seen it? It is not in 52.

16 MR. WILSON: Right. What is in 52 is stating that  
17 if we don't meet those criteria, you would have to provide a  
18 prototype and then during the FDA review we would work out the  
19 details of the prototype test, and what we are saying in the  
20 paper is giving an indication of where this staff thinks we  
21 would go in that.

22 DR. SIESS: Maybe it doesn't have to be in the rule,  
23 but what you do there I think is going to be very important to  
24 whether anybody ever develops one of those advanced reactors.

25 MR. WILSON: That is correct.

1 DR. SIESS: Building one at Idaho where there is  
2 nobody to use the power is going to make the cost of that  
3 prototype tremendous.

4 MR. WILSON: It is our understanding DOE has had  
5 some conversations with the utility that services the Idaho  
6 area and there has been some discussions about providing  
7 power. It is an option they are considering.

8 DR. SIESS: I mean are we trying to write a letter  
9 on that previous paper on the advanced reactor policy? And  
10 there is some stuff in here that wasn't in there.

11 MR. WILSON: That is correct. In--I shouldn't have  
12 taken this down, but in SECY, SECY 36-368, that's where we  
13 laid out the plan for this, and with the Commission, we stated  
14 we would have two Commission papers on the advanced reactors.  
15 One is called the key licensing issues, which the Committee is  
16 currently reviewing. The other one is the one you have before  
17 you which I stated the Committee reviewed in February of '87.  
18 They are both now coming up to the Commission, and so that's  
19 where I wanted to give you the latest version of that.

20 DR. SIESS: They are not separate?

21 MR. WILSON: They are two separate papers, but they  
22 are consistent.

23 DR. SIESS: Addressing the key licensing issues?  
24 Does that business I have talked about on prototype apply only  
25 to a standard plant?

1 MR. WILSON: The discussion on prototype testing  
2 overlaps between the two papers, in both papers, and they are  
3 consistent.

4 MR. MICHELSON: Clarification--the paper you gave us  
5 pre-decisional, is that SECY 88 triple X?

6 MR. WILSON: That's my, that's the paper.

7 MR. MICHELSON: I just wanted to be real sure.

8 MR. WILSON: That's what we meant to be that paper  
9 right there.

10 That's the end of my overview. I think we should  
11 move on to Part 52, and we can get into further discussions on  
12 the part at that time unless you have any more questions for  
13 me. I will turn this over to Steve.

14 CHAIRMAN WYLIE: Okay. That would be fine. Go  
15 ahead.

16 MR. MICHELSON: Question while we are waiting for  
17 the next speaker--Charlie, the standardization policy which  
18 was revised 9/15/87, did we review that after it was revised?  
19 Did ACRS review that after it was revised?

20 CHAIRMAN WYLIE: I don't remember, Carl.

21 MR. MICHELSON: I don't remember for sure, either,  
22 but I was thinking that it was before it was revised.

23 CHAIRMAN WYLIE: We wrote a letter in August of '86.

24 MR. MICHELSON: We saw the earlier version. Did we  
25 ever look at the revised standard policy?



1 MR. ALDERMAN: I don't believe so.

2 MR. MICHELSON: We had a lot of comments on the  
3 earlier version. Whatever happened to the comments on the  
4 earlier version?

5 MR. ALDERMAN: We sent a letter on it.

6 DR. SIESS: We got a copy of it with a status  
7 report.

8 MR. ALDERMAN: Got a letter.

9 DR. SIESS: We have two letters in here. One was  
10 the proposed standardization policy. That was August 12, '86.  
11 Is that a SECY or--

12 MR. ALDERMAN: That was a SECY.

13 MR. MICHELSON: August '86?

14 DR. SIESS: Yes. Then October '86 we had a comment  
15 on NUREG 1225. Did 1225 ever get issued?

16 MR. WILSON: It was sent to the publisher last week.  
17 Excuse me. No. There was never an intent to do 1225. There  
18 was originally intent. We decided not to do it because we felt  
19 the revised policy statement was sufficiently detailed.

20 DR. SIESS: You decided not to publish it?

21 MR. WILSON: Right.

22 MR. MICHELSON: Wasn't 1225 where we were going to  
23 define the scope of a standard design and that sort of thing?  
24 That still has not been determined.

25 MR. SCALETTI: We included your comments on 1225

1 just before the reorganization and turned it over to Research  
2 and the paper, it was decided not to publish the paper after  
3 that.

4 MR. MICHELSON: So we don't really--it is still  
5 indeterminate?

6 MR. SCALETTI: I do think the policy statement on  
7 the standardization picks up your comment on the bit about  
8 what is needed to issue the scope of the plan in that we need  
9 what normally is provided in FSAR plus whatever other  
10 information the staff usually requires to issue an operating  
11 license to do a review.

12 MR. MICHELSON: Can you get us a copy of that  
13 revised revision of 9/15/87?

14 MR. ALDERMAN: Yes.

15 MR. MICHELSON: Was that in the package?

16 MR. ALDERMAN: No.

17 MR. MICHELSON: Let's get a copy of it.

18 DR. SIESS: I'm sorry. What are you getting?

19 MR. MICHELSON: The policy statement that as it was  
20 revised 9/15/87, standardization policy. That's the only  
21 place where you touched on this then.

22 MR. SCALETTI: I believe there is something in  
23 there. I didn't publish it.

24 MR. MICHELSON: Can I keep this one?

25 MR. SCALETTI: Sure.

1 MR. MICHELSON: Do you want to take it, make copies  
2 of it?

3 DR. SIESS: I notice something very peculiar in this  
4 thing, in a few places the use of a language that says any  
5 person which. Is that something standard now in NRC, that a  
6 person is a which? You got a new editor?

7 MR. CROCKETT: I am going to have to edit the  
8 response.

9 MR. MALSCH: Under the Atomic Energy Act the which  
10 could actually be the approach, including corporations. You  
11 are right. It is not the usual English.

12 CHAIRMAN WYLIE: Okay. Let's go on.

13 MR. CROCKETT: I am Steve Crockett from OGC. With  
14 me is Marty Malsch from the OGC. Together we will discuss  
15 Part 52. At certain points we will need Jerry Wilson's help  
16 so feel free to direct questions to him.

17 We appreciate your willingness to look at this  
18 package on somewhat short notice. We recognized I think  
19 fairly recently that we were not dealing simply with the  
20 procedural rule, but that clearly certain points it crossed  
21 over into matters of substance; therefore, was not exactly a  
22 garden variety lawyer's product.

23 The rule is meant to implement the policy statement  
24 that was issued last fall. It incorporates comments that were  
25 received in response to a public workshop held last October on

1 policy statement, and the draft which you have before you  
2 represents the consensus among OGC, Research, and NRR. We are  
3 very close to signature. As soon as I can get out an early  
4 proofread copy and a copy also which should incorporate some  
5 changes that Marty and I will be making on the final  
6 provisions.

7 The attempt here was to transform the proposed, the  
8 legislation proposed to Congress in March of '87 into a rule,  
9 transform as much of that proposed legislation as we could  
10 under our current statutory authority.

11 The rule that you have in front of you tracks in  
12 outline and in purposes the legislation proposed to Congress,  
13 but it differs in certain important details.

14 The aim of the rulemaking package is the same as the  
15 aim of the legislation, that is, to reap the benefits, the  
16 safety benefits of standardization, and also to introduce some  
17 increased stability into the licensing process.

18 The chief device for accomplishing both of these  
19 aims simultaneously is the design certification, and following  
20 on that, is the notion of a combined construction permit and  
21 conditional operating license. At that point, the design  
22 certification bears fruit both in stability of licensing and  
23 we hope in safety.

24 I will mention just briefly the chief differences  
25 with the legislative package and we can go into them in more

1 detail as may seem appropriate as we move through the program  
2 this afternoon, but there are five principal differences.

3 The first is that we have left room for what are  
4 called right now advanced reactors, though we have tried to  
5 avoid the term in the rulemaking package.

6 We have been introduced criteria relating to  
7 prototypical testing, scope of design, handling of modular  
8 designs, and it is in these areas that this procedural rule  
9 comes closest to being a substantive rule, and it is in those  
10 areas I think we are, you would probably want to most focus

11 Second, the rule requires redress of sites which  
12 have been granted pre-approval, that is, approval, approval  
13 ahead of any construction permit, and the model adopted for  
14 the redress regulations here is the model of the Clinch River  
15 breeder reactor redress. I can discuss that more when I come  
16 to this spot on the program dealing with early site permits.

17 Third difference with the legislation, we are bound  
18 right now by statutes, and the way we handle hearings in  
19 dealing with early site permits and with construction permits,  
20 the hearings are mandatory. The legislation would have made  
21 hearings at those stages optional. There would have been  
22 opportunity for hearing, but they would not have been  
23 mandatory.

24 Also we are now bound to offer opportunity for  
25 hearing at the conversion of the combined license into an

1     unconditioned operating license. Under the legislation there  
2     would have been a chance I believe to have such hearing after  
3     the conversion of the license to a full operating license, but  
4     we have no authority to do that now. We can talk more about  
5     that later, each of these points later.

6             Fourth difference between the legislation and the  
7     rule is in the area of amendments applied for by holders of  
8     the design certification, and variances from the certification  
9     applied for by the utility referencing the design  
10    certification.

11            The legislation required that any amendment at the  
12    behest of a holder of--the design certification would be  
13    applied to all plants, references the design certification,  
14    not just plants that referenced it in the future but those  
15    which had already referenced it. Similarly, the legislation  
16    took a black and white view of variances requested by  
17    utilities. Those variances were only to, apply only to the  
18    plant requesting the variance.

19            In the rule, we have taken what we hope is a more  
20    discriminating approach. There will be occasion on which the  
21    amendment requested by a holder of a design certification will  
22    not be backfitted on plants references certification.  
23    However, there will be occasions in which the variance  
24    requested by a utility will be backfitted on the plant. We  
25    can look at that more closely later if you want.



1           The fifth and final area I want to mention in the  
2           area of difference between the legislation and the rulemaking  
3           is in the area of the legislation would have charged the costs  
4           of review of applications for certifications to the utilities  
5           references the certified design. The rule following on a  
6           decision made by the Commission over a year ago, will charge  
7           the holders of the design certification the costs of review  
8           but will do so on a deferred basis.

9           That pretty much wraps up what I wanted to say by  
10          way of preview. And with your permission, I will go on to  
11          point out to you what I think are the highlights of the early  
12          site permit provisions of the rule.

13                 CHAIRMAN WYLIE: Any questions?

14                 MR. CROCKETT: I think almost all the questions that  
15          you have raised so far we can deal with as we go down the  
16          list.

17                 CHAIRMAN WYLIE: Proceed.

18                 MR. CROCKETT: I don't intend to outline the rule at  
19          this point, but simply to highlight five or six features and  
20          perhaps interpret them to some extent.

21                 We have limited the applicants for early site  
22          permits to those persons who or which could apply for a  
23          construction permit. We are treating the early site permit as  
24          if it were in fact a partial construction permit. We do this  
25          largely because we believe that we are limited under the

1 Atomic Energy Act as it is now written to grant early site  
2 permits only to people who would have applied for construction  
3 permits. Were there legislation in the works, we might ask  
4 for a wider power, power to grant early site permits to all  
5 kinds of organizations that would never take it upon  
6 themselves to apply for a construction permit.

7 I have already mentioned that we require redress of  
8 the site. That requirement is in there largely because once  
9 the permittee--the permit gives the power to conduct limited  
10 work authorization activities at the site. That's a power  
11 simply in the permit. We, therefore, felt that there should  
12 be some provision for redress, and we try to model those  
13 provisions on the chief features of the Clinch River redress,  
14 and those features were that the redress achieve a  
15 self-maintaining and environmentally stable site,  
16 aesthetically acceptable if not actually aesthetically  
17 pleasing, suitable under whatever zoning laws may exist at the  
18 time for that site, and completed as much as possible if some  
19 alternative use should be found for the site before redress is  
20 complete.

21 That was the, a possibility which emerged in the  
22 Clinch River. That was a possibility, that is, an alternative  
23 use was going to be found, and the question came up what  
24 happened to the redress plan? The plan, under the  
25 circumstances, we simply are requiring that it be completed to



1 the greatest extent possible.

2 MR. MICHELSON: Question--I have to declare what  
3 kind of reactor I am going to put on the site?

4 MR. CROCKETT: Yes.

5 MR. MICHELSON: I can't certify a site and decide  
6 later whether it is a PWR or a BWR?

7 MR. CROCKETT: You have to say the design parameters  
8 of the range of designs which can be at that site.

9 DR. SIESS: Also the type?

10 MR. CROCKETT: Yes.

11 MR. MICHELSON: The way I read Section 5217 on page  
12 13, it sounded like I could identify the kind of facilities  
13 which, for which the site may be used and I could identify,  
14 well, I might use them for PWR or a BWR or HTGR so I will give  
15 you all three and I will get the site certified for any one of  
16 the three.

17 MR. CROCKETT: If you can do it, I think the intent  
18 was to leave that possibility open.

19 MR. MICHELSON: I don't have to certify it just for  
20 one type of reactor? I can identify several and get this--

21 MR. CROCKETT: The staff may decide that you are  
22 trying for too much, but you can try for it.

23 MR. MALSCH: We want to do an Environmental Impact  
24 Statement for the site. Something about--

25 MR. MICHELSON: Vary a little bit by the reactor

1 type, but I was wondering whether it is possible to get a  
2 multiple reactor permit for one site.

3 MR. SCALETTI: I don't think you have to specify  
4 whether it is going to be PWR or BWR up front.

5 MR. MICHELSON: Yes, it does. It says type and  
6 number, type and thermal power level, but the rest of the  
7 sentence--the facilities for which the site may be used, then  
8 I said well, gee, maybe that means I can--

9 CHAIRMAN WYLIE: Where are you, Carl?

10 MR. MICHELSON: Page 13.

11 DR. SIESS: If it is modular--

12 MR. SCALETTI: When I read it, I didn't believe you  
13 would have to identify PWR or BWR for the site. You may not  
14 know that.

15 MR. MICHELSON: I thought you did have to for sure.

16 MR. CROCKETT: May have been we have a drafting  
17 difficulty here. Our intent was, as Dino puts it, and by  
18 putting type here in the third line of this section, we meant  
19 whatever types you think the site is suitable for, so we don't  
20 mean to limit it to single type.

21 MR. MICHELSON: That was my only question. Do you  
22 really mean--

23 MR. CROCKETT: Maybe some type or types, some  
24 drafting clarification.

25 DR. SIESS: By type you did mean PWR, BWR, HTGR,

1 liquid metal? That is what you meant by type?

2 MR. MICHELSON: I can get the site certified for  
3 several different types apparently.

4 DR. SIESS: The staff would have to figure out which  
5 is the worse one in terms of environmental impact.

6 MR. MICHELSON: Certified for all those, or you  
7 might say certify it for PWR, BWR, but not for HTGR. If you  
8 asked for the three, you might get two out of three. I just  
9 wasn't sure.

10 MR. CROCKETT: I think some clarification may be  
11 helpful.

12 DR. SIESS: When you get into design certification,  
13 and it talks about modular design, you have to describe the  
14 various options for configuration of the plant and site.

15 Is there anything in the site review about a modular  
16 design? Would that be part of type? Number?

17 MR. WILSON: Well--

18 DR. SIESS: There is a reference under the design  
19 certification to the site.

20 MR. WILSON: I think it would tie in here, once  
21 again, page 13, item 1, we call for number, type, and power  
22 level for the facility, and so that would limit the number of  
23 modules that you would be able to put there.

24 DR. SIESS: Okay.

25 MR. MALSCH: I think the thinking is each module

1 would itself be utilization facility.

2 DR. SIESS: The thing is when you, if you say  
3 modular, you are thinking of small modular where you would  
4 normally have more than one. There is only a difference in  
5 scale between that and a Palo Verde, which is modular except  
6 there were three big ones, and I think there is sort of a  
7 thinking here that isn't quite consistent. I don't know.  
8 There is--the modular, you have got to talk about the various  
9 combinations that you might put there. It seems to me you  
10 almost have to do the same kind of thing if you want to put  
11 three big ones.

12 MR. WILSON: The difference between Palo Verde and  
13 modular DOE plants is that Palo Verde, each unit was basically  
14 independent except for some intake water.

15 DR. SIESS: Little ones might be, too. You don't  
16 know. You are writing rules.

17 MR. WILSON: The designs we have seen so far--

18 DR. SIESS: Are you writing rules for the designs  
19 you have seen so far, or are you writing rules for the design  
20 certification of nuclear power plants?

21 MR. WILSON: The latter; but the difference is some  
22 of these modular designs we have, for example, two reactors to  
23 one turbine generator. That is significantly different than  
24 what we have seen so far.

25 DR. SIESS: The difference in detail; you have got a

1 lot more faith than I have in how they are going to end up,  
2 what we are talking about now. Maybe it is better to wait  
3 until you get the application to write the rules! No. I  
4 think it was trivial. Go ahead.

5 MR. CROCKETT: Two other matters I wanted to point  
6 out in connection with early site limits, we have hoped  
7 throughout the rule to get emergency planning issues settled  
8 as early as possible. You are quite right that we cannot bind  
9 governments even by a document with so solemnous sounding name  
10 as certification to behave themselves five years down the road  
11 where no person holding office is the same, but we would hope  
12 nonetheless that the permit holder would have made, that this,  
13 this requirement would bring to the attention of the permit  
14 holder and the local and state governments the situation that  
15 objections and concerns would be voiced early on and that the  
16 strongest possible commitments in the circumstances could be  
17 made.

18 We certainly have no thought that we were binding  
19 any of those governments by requiring this certification. By  
20 the way, I notice that you can still apply for an early site  
21 permit even though you have no certifications. You can make a  
22 good faith effort to get them, but if you don't succeed, the  
23 Commission will still consider the application.

24 CHAIRMAN WYLIE: It actually says that here  
25 somewhere.

1 MR. CROCKETT: Yes. That distinction will become  
2 very important at the combined license stage.

3 MR. MICHELSON: What does the licensee do if he has  
4 an approved site now? Do you call--it is not a certified. Is  
5 it just approved site?

6 MR. CROCKETT: It is called a pre-approved site.

7 MR. MICHELSON: Have a pre-approved site which is  
8 pre-approved by the previous local government administration  
9 some five years ago, then I decide I want to go ahead.

10 DR. SIESS: They don't approve it.

11 CHAIRMAN WYLIE: Certify it.

12 MR. MICHELSON: Portion of the approval process at  
13 the time, now I decide I am going to use the site. What  
14 process do I go through to make sure that the local government  
15 is still on board as far as the approval before I proceed?  
16 Where do I step back into this rule and start working?

17 MR. CROCKETT: If you intend to use it, if you  
18 intend to reference the site permit in an application for a  
19 combined license, further stage of certification is required  
20 at that point. The certification--not only willingness to  
21 take part in planning, but also to take part in the exercises  
22 and to execute responsibilities under the plan in the event of  
23 an emergency. That is in subpart C under combined licenses.

24 DR. SIESS: What about the B? Suppose I want to use  
25 that site for certified site?

1 MR. CROCKETT: But you would be, if you wanted to  
2 use that site, you would be using it under subpart C. You  
3 might also have a design, but the certified, the designer  
4 doesn't need to do anything about the site.

5 DR. SIESS: I have got--I am a utility. I have gone  
6 out and got a site, early site review. You, NRC has approved  
7 it. It will be an early site approval. Now I decide I am  
8 going to buy me a General Electric certified plant X, Y, Z and  
9 put it there six years later. I have to go back?

10 MR. CROCKETT: Go back to governments and seek some  
11 further commitments, not just take part in planning. It is  
12 under subpart C.

13 MR. MICHELSON: Combined CP.

14 DR. SIESS: I didn't ask for combined license. I  
15 want to built a certified plant there. Can I built a  
16 certified plant without a combined license?

17 MR. CROCKETT: We may need some--

18 MR. MALSCH: You need--I think you follow the  
19 regular construction permit process at that point at which  
20 point you have to show compliance with the ordinary emergency  
21 planning rules.

22 DR. SIESS: Then the site review that is made to  
23 give early site approval as far as such things as local  
24 cooperation on emergency plans, topography, hazards, so forth,  
25 are simply to make, assuring that there is reasonable



1 assurance that ten years later you can get a site approval?

2 MR. CROCKETT: No. You have gotten, you have got  
3 the approval.

4 DR. SIESS: Not if I have to go back and have it  
5 reviewed again I don't have an approval.

6 MR. CROCKETT: Reviewed by whom?

7 DR. SIESS: You just said that if I go in there and  
8 want to put a plant there seven years after I got my site  
9 approval, I now have to meet the requirements for emergency  
10 planning, local cooperation, et cetera, et cetera.

11 MR. SCALETTI: You have to review all portions of  
12 the site and the design that you didn't review before. The  
13 site would have undergone a certain environmental review.

14 DR. SIESS: What I reviewed before, I reviewed the  
15 topography. I made a 40-year projection which is what we do  
16 now with the construction permit stage. Maybe it should be 50  
17 years since the review is good for ten years, but that's  
18 crystal ball by then. I have gotten the local officials to  
19 come up with some sort of a plan, to agree to something, say  
20 they will do it. I have done all of those nice things, and  
21 NRC has issued me a preliminary site approval, pre-approved,  
22 pre-approval of that site.

23 Now I come in and want to put a plant there,  
24 different local government. Population let's say hasn't  
25 changed. Seismic value might have gone up to, USGS has been



1 out working on it. That I assume we have to take into  
2 account, but what don't I have to do now because I have had  
3 that pre-approval?

4 MR. CROCKETT: Any issue that has been settled under  
5 the site permit or the design certification is settled.

6 DR. SIESS: Like--

7 MR. CROCKETT: In the permit proceedings and the  
8 certification proceeding, yes.

9 MR. MALSCH: Between the staff and the applicant if  
10 there is no intervention.

11 DR. SIESS: Okay. Presumably what--give me an  
12 example of something that wouldn't be settled, yet the  
13 Commission had given an approval.

14 MR. CROCKETT: Significant new information leading  
15 to discovery that system X was rotten to the core.

16 MR. MALSCH: Unfortunately, building on your  
17 example, let's suppose that the local government changed its  
18 mind about emergency planning. That might be something you  
19 might have to look at again just because you have before you  
20 new circumstance that the local government had changed its  
21 mind. You might have to look for the state to fill in on  
22 emergency planning, to fill in for local.

23 DR. SIESS: If I go out, get the other site  
24 pre-approved, if I am lucky, it will save me time. If there  
25 is an new intervention, I am probably not going to save any

1 time.

2 MR. MALSCH: No, because even if there is  
3 intervention, you will have adjudicated all the contested  
4 issues in connection with getting the site permit. That would  
5 be the end of it. The intervenor wouldn't be able to re-raise  
6 the same issues over again at the construction permit stage.  
7 So could the staff.

8 MR. MICHELSON: Local government.

9 DR. SIESS: Even the staff thinks the new one--get  
10 new hydrographics and that changes the local precipitation by  
11 a factor of two. We just went through that on a lot of sites.  
12 We got earthquakes.

13 MR. CROCKETT: Compared to the situation that you  
14 face now in coming in on a construction permit, very little is  
15 settled. We are coming in on the operating license, very  
16 little is settled.

17 DR. SIESS: It is not that much different than when  
18 the Con Edison came in to the ACRS. I don't know. They went  
19 to the staff, and they had three sites up and down the Hudson  
20 River, and they asked us whether those sites were unacceptable  
21 for a plant. I remember we made the finding they were not  
22 unacceptable. We have been kidded for that double negative,  
23 but we weren't asked whether they were acceptable. We were  
24 asked whether they weren't acceptable, and they just wanted to  
25 get, you know, is there something you are likely to buy?

1 MR. CROCKETT: These are not, not unacceptable  
2 findings. They are findings of acceptability. Moreover, they  
3 are not staff level findings. They are Commission level  
4 findings.

5 DR. SIESS: They are Commission level findings, and  
6 they are, that they are acceptable for ten years except if you  
7 come in, you might have to go back and look at emergency  
8 plans.

9 MR. CROCKETT: On emergency planning, yes, because  
10 you cannot ask an applicant for a permit to give you a full  
11 body of plants. You cannot ask a holder of a design  
12 certification to give you a full body of plants, but you can  
13 ask the person who is going to put plant X at site Y what are  
14 the plans.

15 DR. SIESS: Suppose in the original hearing there  
16 was no contention regarding seismicity. The staff would do  
17 the seismicity and accepted the plant at some G level. That  
18 has to be decided somewhere.

19 Now they come in to put the plant there. Somebody  
20 raises the contention of seismicity. Can they raise that? It  
21 wasn't adjudicated before.

22 MR. MALSCH: Not have made a difference; the same  
23 standard for reopening the old issues would apply, whether  
24 contested or not contested.

25 DR. SEISS: Hasn't been adjudicated.

1 MR. MALSCH: It wouldn't make any difference. They  
2 have gotten the staff review. In the absence of a contest,  
3 that would have been sufficient to resolve the issue for  
4 purposes of getting site permit.

5 DR. SIESS: Would you say that was resolved?

6 MR. MALSCH: Yes.

7 MR. MICHELSON: What happens if you have new  
8 earthquake data? You even had an earthquake in the area and  
9 now there is a new G value that clearly pertains. How is that  
10 fed into the licensing process?

11 MR. MALSCH: That's the final question.

12 DR. SIESS: Actually, Carl, the seismic issue is not  
13 a good one because the standard plants are going to be  
14 designed for.

15 MR. MICHELSON: So high anyway; the flood issue or  
16 something like that would be more likely.

17 DR. SIESS: And again the staff would do it. Like  
18 the local precipitation BLB issue. No one came out with new  
19 data and the staff is asking people to look at it.

20 MR. MICHELSON: How do you treat the new  
21 requirements?

22 MR. CROCKETT: We are still trying to find the exact  
23 wording for that. I can tell you in general that we are  
24 adopting part of the backfit rule here, namely, the adequate  
25 protection backfit, so as long as a certification is in effect

1 or permit is in effect, there will be no backfits on it except  
2 for the sake of adequate protection.

3 We have had a long discussion with you about the  
4 meaning of adequate protection in the past, and I am sure we  
5 will again in the future, but in this case, it is meant to be  
6 a decision taken without consideration of cost to determine if  
7 minimum standards require that some change be made to the  
8 certification or to the permit.

9 Now that is not consistent with the text which you  
10 now have. The text you have refers to 5109 which has two  
11 kinds of backfits or three maybe. It has beyond adequate  
12 protection backfits where cost is a consideration, or may be,  
13 and then the adequate protection backfit that I spoke of. We  
14 are, rather than conforming to 5109, conform to the standards  
15 out in the proposed legislation which is simply adequate  
16 protect or compliance.

17 MR. MICHELSON: Is that clear from this document?

18 MR. CROCKETT: It is not clear from that document.  
19 That's the last drafting change that has to be made.

20 MR. MALSCH: In your example, let's say it is new  
21 hydrological information. The staff has to ask if this is so  
22 serious as to raise a question as to whether the plant built  
23 without something in addition would have adequate protection,  
24 and the answer was no. At that point then the site permit  
25 could be reissued, some of the conditions imposed. Otherwise

1       there would be no backfit simply to include that. And we have  
2       made, to be a comparable provision with regard to certified  
3       designs, same concept.

4               MR. CROCKETT: So the sections in your documents  
5       labeled finality of X will be rewritten to reflect that  
6       legislative backfit?

7               MR. MICHELSON: When will we see that redraft, or  
8       will we?

9               MR. CROCKETT: I hope by close of business tomorrow  
10      I would have it.

11              MR. MICHELSON: I think if we are going to write a  
12      letter, we ought to either write the letter on what we have in  
13      front of us or be aware of the agreed to change. It would be  
14      easier if we just were aware of the agreed to change.

15              MR. CROCKETT: You will receive the new copy just as  
16      soon as NRR and Research receive it.

17              DR. SIESS: I just found another problem here. I am  
18      making notes here on what this says about advanced reactors.  
19      Of course, on the early site reviews it says nothing. Under  
20      design certification it says what is in that pre-decisional  
21      document plus the, less the part about containment, what we  
22      discussed earlier. Under complying with license, it doesn't  
23      say anything. So there is nothing you need for advanced  
24      reactors for combined license.

25              Is there going to be some other document that talks

1 about this prototype testing for advanced reactors some other  
2 place in the rule?

3 MR. MALSCH: It should be the same.

4 DR. SIESS: 5245 has got the prototype stuff and it  
5 is, subpart C says if it is not certified go back to 5247, but  
6 that isn't the part that has it.

7 MR. CROCKETT: The intention, I guess we have gone  
8 to the case that we expected, we expected to encounter most  
9 frequently, and that is where the advanced reactor is a  
10 standardized--

11 DR. SIESS: And certified.

12 MR. CROCKETT: Certified design, in which case there  
13 is no, nothing to change in subpart C, but you may be speaking  
14 to a situation in which somebody comes in with an uncertified  
15 advanced reactor but nonetheless would like to license it with  
16 a combined license, and in that case we may need to add a  
17 section here.

18 DR. SIESS: I don't see any objection to being  
19 realistic when you write rules but you ought to make it fairly  
20 explicit that is the assumption.

21 MR. MALSCH: The two ought to be consistent. There  
22 is nowhere the advanced reactor ought to be subject to  
23 different criteria.

24 DR. SIESS: I may be wrong, but I think--the thing  
25 that surprised me here was to find advanced reactors in there



1 so I have been looking. I am not sure they have to be in  
2 here.

3 MR. MALSCH: In fact that's a change, I mean the  
4 legislation the Commission has supported in the past was  
5 confined to so-called thermal neutron power generation  
6 facilities.

7 DR. SIESS: The advanced reactor issues are so much  
8 broader than this that it is almost jumping the gun to put  
9 them in here.

10 MR. MALSCH: In fact we tried to minimize the amount  
11 of such things that entered into here because we wanted to  
12 keep the rule as far as possible procedural in nature, but we  
13 when we got to, for example, describing the contents of  
14 applications, had to say at least a little something about it.

15 DR. SIESS: This says a lot. When you talk with  
16 prototypes, that's really not even the content of an  
17 application. A prototype ought to be done long before you get  
18 an application. That's a policy statement somewhere about by  
19 the Commission and we want prototypes under certain cases that  
20 were done. Then when you got an application that would all  
21 have been settled, and they wouldn't have to have it in here.  
22 I still think--I am not sure it belongs in here.

23 MR. MALSCH: Well--

24 MR. WILSON: On the other hand, though, right now we  
25 are dealing with rules certification, and these plants,



1 advanced plants, have indicated the desire for certification,  
2 and we have that information.

3 DR. SIESS: They won't apply for certification until  
4 after they built the prototype if the Commission tells them  
5 not to. The Commission says we are not going to consider  
6 advanced reactor design until a prototype has been built and  
7 tested, we will tell you what to build and what to test, and  
8 you won't even see an application until--

9 MR. CROCKETT: Under the scheme here--

10 DR. SIESS: This shouldn't be the place to tell them  
11 what they have to do before they apply.

12 MR. CROCKETT: Under the scheme here, you may in  
13 fact see an application for the prototype is built, and the  
14 testing requirements will be set out in the final design  
15 approval. There would be no certification before a prototype  
16 was tested. That's the way it is drafted currently there.

17 MR. MICHELSON: May be how it is drafted, but it is  
18 certainly not very realistic for an advanced reactor.

19 DR. SIESS: I wouldn't put my money in a design on  
20 that basis. I don't think anybody in their right mind is  
21 going to.

22 MR. CROCKETT: Generally you wouldn't buy a design  
23 which has not been certified.

24 DR. SIESS: NRC has got a tough decision to make.  
25 Didn't the Fort St. Vrain demonstrate anything? The German

1 test demonstrate anything? How much demonstration have we had  
2 on the gas cooled? The Germans think they have demonstrated  
3 everythin they need to know. Do we have to build a prototype  
4 of Fort St. Vrain gas cooled reactor with a containment around  
5 it to demonstrate what it will do when Fort St. Vrain will  
6 cool down with the line cooling system? There is real issues  
7 there on this prototype, and I don't think this is the best  
8 place to put them, but that's, I don't think it hurts. This  
9 is going to be settled. This isn't going to help settle  
10 anything on the prototype advanced reactors.

11 MR. CROCKETT: Procedural rule cannot settle  
12 anything in the advanced reactors except to say that  
13 prototypical testing in most cases is going to be required. I  
14 thought at least we could probably try that at this point.

15 DR. SIESS: It says unless.

16 MR. CROCKETT: There will be a prototype unless  
17 certain criteria develop.

18 DR. SIESS: There is more stuff in here about it.  
19 If it has a containment, that is one way to go. Put it out in  
20 Idaho, build it in New York with a containment, what are you  
21 going to do? Mel. It down or what kind of test do you make to  
22 be satisfied as good as it is? There are a whole lot of real  
23 good technical and policy issues involved in that prototype,  
24 and if they were settled, they wouldn't be any need to put any  
25 of that in here.

1 MR. WILSON: The point here is that we are talking  
2 about rule for certification and you could either have a plant  
3 that is what we would call mature technology such as the ABWR  
4 where you wouldn't require prototype testing, or you could  
5 have someone who is considering certification that staff  
6 wouldn't judge that to be a mature technology, and we would  
7 require prototype testing.

8 We are saying in the rule here in advance, what they  
9 are going to have to do, so those people who are today  
10 thinking about developing a design for certification, they  
11 will know what they will have to do.

12 Now the details of what the prototype test is going  
13 to be like and where it is going to be held, that stuff we  
14 would work out during the review in their approach to  
15 certification, and we certainly have that in the FDA reviews.  
16 Necessary tests would have to be done before we consider that  
17 a mature design that could be certified.

18 DR. SIESS: Let me ask you something. NRC will  
19 entertain an application for certification of reactor design  
20 which differs significantly from the reactor designs which  
21 have been built? However, certification of such design will  
22 be given only after the design has been shown to be  
23 sufficiently mature, such design shall be demonstrated by  
24 means of an isolated full-sized prototypetype reactor, except  
25 now suppose it is the isolated full sized prototype reactor

1       you are not going to certify that.

2               MR. WILSON: That is correct.

3               DR. SIESS: You will certify the next one after that  
4       has been done.

5               MR. WILSON: Prototype test is part of what has to  
6       be done in order for them to receive a certification for that  
7       design.

8               DR. SIESS: I don't see where the rule has to tell  
9       people in advance what they need to do not to get a license.

10              MR. WILSON: That's part of the stabilized process  
11      is we are letting them know ahead of time.

12              DR. SIESS: That is the kind of things that belongs  
13      in a policy statement instead of kind of stuff that has been  
14      going in the policy statements. I'm--enough said. I think it  
15      will haunt you.

16              CHAIRMAN WYLIE: Back on the earlier site permit, I  
17      thought I understood you to say and I thought I read in here  
18      somewhere but I can't find it where if the applicant takes all  
19      reasonable measures in good faith to obtain certification by  
20      the local and state government agencies, and he doesn't get  
21      that certification, through the Commission could still go  
22      forward. Is that spelled out in here.

23              MR. CROCKETT: Yes.

24              CHAIRMAN WYLIE: Where?

25              MR. CROCKETT: It may not be spelled out in the text

1 of the rule. It is consistent with the emergency planning  
2 rule as it now stands, but we may not have pointed out that.

3 CHAIRMAN WYLIE: I couldn't find it, chet. I mean  
4 on page 10, the top of page 10, it speaks to it, and then back  
5 on--

6 DR. SIESS: I am looking at the rule itself.

7 CHAIRMAN WYLIE: Page 14 of the rule, the top of the  
8 page 14 of the rule talks about it.

9 MR. CROCKETT: The requirement notice is strictly  
10 speaking not a requirement for certification. It is a  
11 requirement for a good faith effort.

12 CHAIRMAN WYLIE: I understand that.

13 MR. CROCKETT: The logical implication of that, if  
14 good faith effort is made, we are still in the position.

15 CHAIRMAN WYLIE: The rule ought to say something  
16 about assurance, either referencing to the emergency planning  
17 rule or something.

18 DR. SIESS: On early site approval.

19 CHAIRMAN WYLIE: Where?

20 DR. SIESS: 5217, top of page 14, make good faith  
21 efforts.

22 CHAIRMAN WYLIE: Yes.

23 DR. SIESS: If you get over to--wouldn't be under  
24 design certification, would it?

25 CHAIRMAN WYLIE: It is under subpart A. It has to

1 be under A.

2 DR. SIESC: I know, but then you see that's only,  
3 that's only getting an early approval.

4 CHAIRMAN WYLIE: That is all I am after here.

5 DR. SIESS: I know.

6 CHAIRMAN WYLIE: Back to the question you asked,  
7 that you get a pre, early site approval. Some years later you  
8 come slap a plant on there. Do you have to go back and get  
9 approval again?

10 DR. SIESS: I am looking for that, too.

11 CHAIRMAN WYLIE: I would assume that the answer is  
12 no if you got approval the first time.

13 MR. MALSCH: No, although there is--what would  
14 happen, we have discussed before. You actually got to use the  
15 site, there was a change in local government's thinking and  
16 government has pulled out of certification or pulled out of  
17 the original process.

18 CHAIRMAN WYLIE: Which it is not binding.

19 MR. MALSCH: No way we thought we could make it  
20 binding upon them. Without new information.

21 CHAIRMAN WYLIE: What is the difference in that and  
22 making a best efforts to get local government certification  
23 and then not get it?

24 MR. MALSCH: I don't think.

25 CHAIRMAN WYLIE: You went through the best effort

1 originally even though you changed governments.

2 DR. SIESS: Combined licenses, then you make an  
3 application for combined license, that shall contain emergency  
4 plans. This is page 32.

5 CHAIRMAN WYLIE: I understand that. But that, see,  
6 that could have been many years later, though.

7 DR. SIESS: I know. That still has got good faith  
8 effort. This is license.

9 CHAIRMAN WYLIE: I mean, just these words here don't  
10 give me a lot of assurance.

11 MR. CROCKETT: We could point out we are trying to  
12 track along the emergency planning rules as it now stands,  
13 that local and state cooperation is, under that rule not a  
14 requirement. Certain level of preparation is required.

15 CHAIRMAN WYLIE: That is where I read it.

16 MR. CROCKETT: And perhaps it can be pointed out at  
17 least in the preamble here.

18 MR. MICHELSON: Pre-approved site means that as far  
19 as the NRC is concerned, it is approved, but it may, approval  
20 may or may not pertain to local governments.

21 DR. SIESS: Local governments do not approve sites.

22 MR. MICHELSON: They certainly entered into the  
23 original process.

24 MR. CROCKETT: We try to get them in the process as  
25 early as possible.



1 CHAIRMAN WYLIE: The word used here is certification  
2 by local governments.

3 DR. SIESS: Certification--they have emergency  
4 plans.

5 CHAIRMAN WYLIE: No.

6 MR. MICHELSON: Yes, I think it is.

7 DR. SIESS: Unless you have got to get a zone law,  
8 zoning law against a zoning approval--there are lots of  
9 approvals you have got to get for sites. You have got to get  
10 Corps of Engineer approval on one, the zoning approval, maybe  
11 15 or 20. We are talking about approval for a nuclear plant  
12 and local officials here, it is always-

13 CHAIRMAN WYLIE: You are right.

14 MR. CROCKETT: Certification is the state's own  
15 certifying. It is going to--

16 CHAIRMAN WYLIE: Participate.

17 MR. CROCKETT: Calling it.

18 MR. MICHELSON: You can't get pre-approved, you  
19 can't get a pre-approved, pre-state approval of the emergency  
20 planning. You can't get that until you decide to build on a  
21 site.

22 MR. CROCKETT: Until we know that site is going to  
23 be the home for such and such a plant, of a particular design,  
24 I don't think we can have detailed emergency plans.

25 MR. MICHELSON: Right.



1 CHAIRMAN WYLIE: How do you get pre-approval then?

2 MR. MICHELSON: You don't.

3 MR. CROCKETT: You have a staged, well, by  
4 pre-approval do you mean--

5 CHAIRMAN WYLIE: Early site approval.

6 MR. CROCKETT: The Commission's approval, the  
7 Commission approves everything it can under the--

8 MR. MICHELSON: That was my original clarification.

9 CHAIRMAN WYLIE: This is under early site permit,  
10 and you talk about emergency planning.

11 DR. SIESS: It doesn't ask for approval of a plant.  
12 It says--

13 CHAIRMAN WYLIE: I know it doesn't.

14 DR. SIESS: Agency, which have responsibility to  
15 identify those agencies that have responsibility for coping  
16 with emergencies, describe the contacts made and document  
17 arrangements made with them. Arrangements may be none.

18 MR. CROCKETT: That's right.

19 DR. SIESS: Applicant shall make good faith efforts  
20 to obtain certifications for responsible local and state  
21 governmental agencies that the area surrounding the site is a  
22 amenable to adequate emergency planning, and that such  
23 agencies will participate in developing emergency plans. It  
24 doesn't say that they approve any plans or make any plans.

25 MR. MICHELSON: What does certification mean?

1 DR. SIESS: We think that this area can be handled  
2 and we are willing to work with you.

3 CHAIRMAN WYLIE: Okay.

4 MR. MICHELSON: That may even be rescinded later.

5 MR. CROCKETT: The reason we want to call it a  
6 certification rather than a letter from such and such member  
7 of the public safety staff of the mayor's office is that we  
8 want them to take, take it as a fairly solemn responsibility  
9 at that point.

10 DR. SIESS: It will help.

11 MR. CROCKETT: Five years down the road if the City  
12 Council decides to go back on that somebody can say, you know,  
13 somebody can say it was a certification. This was signed by  
14 so and so. We didn't just glance down the road.

15 MR. MICHELSON: Pre-approved site again means  
16 pre-approved by the NRC, not by local government?

17 MR. CROCKETT: Closest we come to saying local  
18 government I suppose is in the first part. That is  
19 certification that the site is amenable to emergency planning,  
20 but even if the local government decided it was not amenable  
21 to emergency planning that would still be the NRC's decision.

22 DR. SIESS: Let's say you go, are trying to get an  
23 approved site, and I get a--Suffolks County changed its mind  
24 somewhere. Maybe it didn't. Maybe they had the same idea all  
25 along. They say no way, no way we can figure out any way to

1 evacuate or shelter or whatever a three mile zone, et cetera.  
2 We don't want that plant there. We don't think you can do it.  
3 We are not going to cooperate.

4 Does NRC still go ahead and issue--

5 MR. CROCKETT: It will be faced with the situation  
6 apparently it will not have not been facing with Shoreham. It  
7 will have to decide--

8 DR. SIESS: Actually I don't think you will have to  
9 decide. I think the utility will withdraw it. It will find  
10 somebody who wants a plant.

11 MR. MALSCH: In theory if utility or applicants, the  
12 site permit, didn't withdraw, they would evaluate it on the  
13 basis of whether a plant would be sufficient, and that may not  
14 be realistic, but in theory the option would be there.

15 DR. SIESS: No utility would ever do it I hope.

16 CHAIRMAN WYLIE: I guarantee that no utility will  
17 ever build on another site without a pre-approved.

18 DR. SIESS: At least without some indication they  
19 are welcome.

20 CHAIRMAN WYLIE: Well, I just can't see, well--

21 MR. CROCKETT: We can't tie those under current law.

22 DR. SIESS: NRC's not going to pre-approve an  
23 emergency plan at the site approval point. It doesn't say  
24 anything about pre-approving a plant. Doesn't even ask for a  
25 plant. All it asks for is assurances they have talked to the

1 people, that they see no reason a plant can't be developed,  
2 and that they will cooperate in making a plant. That's all  
3 the NRC is asking for at that stage. And that may be more  
4 than you can expect to get an absolute statement on.

5 CHAIRMAN WYLIE: Well, okay.

6 DR. SIESS: The objective is great, but push these  
7 issues back as early into the system as possible and get them  
8 out of the way, as long as they get them out of the way once  
9 and for all.

10 MR. MICHELSON: But they won't be once and for all.

11 MR. CROCKETT: There is no way we can lock this down  
12 under contract law. We can't bind the local governments.

13 DR. SIESS: Still go to the courts obviously if  
14 somebody has got the money to spend. You know, nothing you  
15 can do to make it--

16 CHAIRMAN WYLIE: Okay.

17 MR. MICHELSON: I bet you won't even get the  
18 certification through some local governments, although they  
19 may not object. On the other hand, they may be unwilling to  
20 commit administration ten, twenty years down the road. I  
21 would myself would be reluctant to commit somebody elected 20  
22 years down the road.

23 MR. CROCKETT: The governments do that. Governments  
24 with some sovereignty, local governments have sovereignty do  
25 commit themselves.

1 MR. MICHELSON: Like issue bonds and that sort of  
2 thing.

3 MR. CROCKETT: Or sign treaties.

4 CHAIRMAN WYLIE: Well, let's go ahead.

5 DR. SIESS: Local governments declare nuclear free  
6 zone.

7 CHAIRMAN WYLIE: We have got a break coming up.

8 DR. SIESS: Let's take a break.

9 CHAIRMAN WYLIE: Okay. Why don't we take a, we have  
10 a 15-minute break. Come back more like ten of.

11 (A brief recess was taken.)

12 CHAIRMAN WYLIE: Let's resume our meeting. Where  
13 were we?

14 MR. CROCKETT: About to launch into, a little  
15 further into certified standard designs. We have been  
16 bouncing back and forth so although it looks like we are  
17 moving slowly through the schedule, in fact I think we have  
18 discussed a good part of what we would have discussed later  
19 on.

20 DR. SIESS: Was making a different cross-schedule; I  
21 crossed up with the advanced reactors to see where it was  
22 addressed.

23 MR. CROCKETT: I think we want to come back to some  
24 of the discussion in connection with advanced reactors later.  
25 I wanted to point out a few things about design certifications

1 before we talked about any of it in detail.

2 First, there has always been a provision, well,  
3 there is now a provision in Appendix O of Part 50 for design  
4 certification. Section 7 of Appendix O, which is only a  
5 paragraph long, does provide for a certification of designs.  
6 All we are trying to do in subpart B of the rule is articulate  
7 that paragraph into a fairly long subpart in which a number of  
8 numbers is being taken up.

9 It is our intention to leave all the various paths  
10 to standardization which exist now open, leave them open,  
11 including the plant duplication, final design approvals  
12 without certification, and in particular, plant replication,  
13 and I have included in the package I gave you what I am told  
14 is current Commission policy on the replication. So this  
15 package closes nothing off.

16 One of the issues in connection with certification  
17 is what legal forum the certification should take. We have  
18 drafted the rule to provide by, certification by rule. I  
19 believe that's the way Appendix O of Part 50 now speaks. It  
20 is certainly within our power to issue rules and regulations  
21 as we see fit to protect public health and safety, and if we  
22 see fit to issue a rule which certifies a design, we have the  
23 authority to do so.

24 The other option would be to certify by license, and  
25 as I noted in the preamble, the industry has shown some

1 reasonable interest in certification by license. They haven't  
2 really thought this through, but their preliminary thinking is  
3 that perhaps they own something in a license which they would  
4 not own were it embodied in the rule.

5 MR. MICHELSON: Where is it provided you can do it  
6 by license?

7 MR. CROCKETT: It is not provided anywhere, and  
8 that's one of the reasons that we have taken the route by  
9 rulemaking here. We know we have the authority to issue a  
10 rule. It is not so clear to us that we have the authority to  
11 license a design.

12 MR. MALSCH: The closest you come, under the Atomic  
13 Energy Act the Commission did license an important component  
14 part of utilization facility by redefining the utilization  
15 facility, so it has included the important component part.  
16 How far that would go is not very clear. We have never done  
17 that, at least not under the domestic licensing area.

18 The statute also provides that for important  
19 component parts we can issue something called general  
20 licenses, but they have always been issued--in the past by  
21 Commission rules we end up right back where we started from in  
22 terms of past practice.

23 DR. SIESS: Do you have any idea why the Congress  
24 has never acted?

25 MR. MALSCH: Well, certainly the concepts have been



1 around at least since 1973, '74, maybe even earlier. The  
2 early site permit concept has been around since the mid-to  
3 late '60s. I think the sense was that there wasn't enough  
4 movement behind it, need behind it, too confidential.

5 DR. SIESS: What is the controversy about it?

6 MR. MALSCH: Oh, I think it is not so much a  
7 controversy over bare concept of early site reviews as design  
8 certifications and combined licenses, but all the details  
9 about hearing rights, limiting scopes of hearing rights, and  
10 then concern over what people might add on to a bill like  
11 this. I don't know. In the early days people were worried  
12 about funding. Maybe in these days they were worried about  
13 other things. Once you start down the road of actually  
14 thinking about how we would license nuclear power plants,  
15 everyone has got a lot of ideas about the process, and I think  
16 the concern was once we start going, there is no way we know  
17 where we would end up. As a kind of example, Congressman  
18 Moorehead has interest in a bill for combining licensing  
19 reform with single administrator concept.

20 (There was a brief pause in the proceedings.)

21 MR. CROCKETT: Congress has given the Commission an  
22 enormous amount of discretion and room to do what it thought  
23 best. For Congress at any point to step in and write another  
24 major statute is an awful lot to expect of it, I thi  
25 especially, whenever it touches on matters of controversy as

1 this does, not only on hearing rights, but well, this rule has  
2 no effect on hearing rights. Certainly the legislation we  
3 proposed would redistribute those rights, but also on matters  
4 of finality or issues, backfitting provisions and the like.  
5 That would be difficult.

6 One other general thing about design  
7 certification--the usual rulemaking proceeding in the  
8 Commission proceeds by notice and comment entirely on paper.  
9 Anybody can take part. The burdens of taking part aren't very  
10 great. The staff carries a large burden of responding to  
11 comments, but it is not the kind of burden that would be on a  
12 party in hearing. We have adopted procedures which are more  
13 demanding I think of all concerned, but still fall short of  
14 full adjudicatory proceedings.

15 We have adopted the proceedings which have been the  
16 kind of proceedings, the degree of formality which has been  
17 used a few times in materials proceedings. There is a  
18 hearing. People do have to qualify for party status. They do  
19 submit testimony under oath. However, as much as possible,  
20 the hearing is conducted on the pleadings. There is no  
21 automatic right to cross-examination. Rather questions are  
22 asked of the parties by the members of the Board. Parties may  
23 submit questions to the Board and the Board decides in its  
24 discretion whether they should be asked or not and the Board  
25 has an opportunity to request the use of full adjudicatory

1 proceedings, make that request of the Commission.

2 DR. SIESS: Sounds like the way the ACRS operates.

3 MR. MALSCH: That is a fair analogy.

4 DR. SIESS: The Board could ask for a full  
5 adjudicatory--

6 MR. CROCKETT: The Commission, yes.

7 DR. SIESS: If it decides that was in the public  
8 interest?

9 MR. CROCKETT: It would--I can't remember exactly  
10 what the language is that we built in now, but we are trying  
11 to track the, is it a final rule that we have on informal  
12 procedures?

13 MR. MALSCH: It is a proposed rule.

14 MR. CROCKETT: Trying to track the proposed rule on  
15 informal hearings, and the standards set out in that rule I  
16 have tried to incorporate in a paraphrased form here, that is,  
17 you have to make a case this is the way the information which  
18 is needed in order to decide the issues must be gotten, and  
19 shift to full adjudicatory would mean rights of discovery, and  
20 rights of cross-examination. I think that would be the two  
21 chief differences.

22 MR. MALSCH: The Commission has held two or three or  
23 four materials licensing, contested materials licensing cases  
24 using the format of the proposed rules. In one case, the  
25 presiding officer asked for permission to conduct full

1 adjudicatory proceedings and was turned down.

2 DR. SIESS: Why did he ask for it?

3 MR. MALSCH: He thought that, that the issues were  
4 such that there needed to be more cross-examination by the  
5 parties to develop the issues, and the Commission thought that  
6 the presiding officer itself hadn't--

7 DR. SIESS: Was it a one-man Board or was this a  
8 technical Board?

9 MR. MALSCH: It was a one-man Board, with technical  
10 advisors.

11 MR. CROCKETT: We are thinking of three-man board  
12 with two technical people. I think we even used the language  
13 in here the Atomic Safety Licensing Board in which the, if you  
14 will, the majority vote rests with the technical competent  
15 people.

16 DR. SIESS: People are allowed to ask questions?

17 MR. CROCKETT: Right, not depending on the lawyers  
18 to ask the questions.

19 MR. MALSCH: I think we have even conducted under  
20 the proposed materials licensing rules hearings in which the  
21 presiding officer was a technically qualified person with  
22 legal advisors. I think it has gone both ways.

23 DR. SIESS: I guess you could get away with that if  
24 it is not adjudicatory.

25 MR. CROCKETT: The chairman of the Atomic and Safety

1       Licensing Board could be, strictly speaking, does not have to  
2       be a lawyer, but he has to be somebody--it hasn't happened,  
3       but he has to be somebody qualified in the conduct of the  
4       industry.

5               MR. MALSCH:  Actually I think several licensing  
6       Board members could probably qualify if the Commission wished  
7       to do that.

8               MR. CROCKETT:  And there have been occasions I know  
9       from my own experience where the lawyer has had to be absent  
10      for one reason or another, and a quorum has still existed, but  
11      the quorum has been entirely of the technical component, so in  
12      a way it has already happened.  .

13              DR. SIESS:  If you have got two lawyers out there  
14      arguing, it helps to be--

15              MR. CROCKETT:  It might be worth pointing out at  
16      this point that our intention on ACRS review at all points has  
17      been that mandatory duplication of review is not required.  If  
18      you have looked at the issue before, you don't have to look at  
19      it again, and we may not have found the appropriate language  
20      here, but the other thing to remember here is that the ACRS'  
21      review, there is at least a strong presumption that it will be  
22      limited in the same way that the Commission's review is  
23      limited at some later stage, by the same finality provisions,  
24      for instance.

25              DR. SIESS:  I think that the distinction Carl made

1 between the certified and the combined license case might be  
2 valid, that the ACRS probably ought to be committed not to  
3 re-review its approval of a design certification.

4 On the combined license one, that gets closer to CP  
5 OL type reviews where frequently at the OL stage you review  
6 something that we have already reviewed before.

7 I think the ACRS has an obligation not to reopen an  
8 issue that it agreed on unless there is new evidence and not  
9 just because there is new people on the Committee, although  
10 that may constitute new evidence, but the word "shall" in  
11 there replaced by "may" would put the burden on the ACRS to  
12 discipline itself at least for the combined.

13 Now for the certification, that's a little more  
14 complicated I think. Maybe the shall belongs there.

15 MR. CROCKETT: It is in dealing with certification  
16 that the provision first came to be because we noticed that if  
17 we didn't put some limiting clause in there, you were going to  
18 be looking at the whole application twice, once for FDA review  
19 under Appendix O, and then again for the actual certification  
20 proceedings.

21 DR. SIESS: We wouldn't want to have to do, on the  
22 other hand, even if it says it shall limit its to, if the ACRS  
23 has a strong opinion, nothing is going to keep it from writing  
24 a letter about it.

25 MR. MICHELSON: At one point, I think for the ABWR,

1 for instance, it discusses operator training and so forth, at  
2 some stage of that documentation, I haven't gone all the way  
3 through it all yet, but there must be a chapter where operator  
4 training is, so forth. It will be a volume on operator  
5 qualification, training, et cetera. Having written off on  
6 that, at the design certification stage, it is also written  
7 off from the CP, combined CP OL?

8 MR. SCALETTI: That is correct.

9 MR. MICHELSON: I would think so, but I bet you  
10 don't know much about, I mean you are certifying in one case a  
11 design. Maybe it is ABWR, but you don't know who is going to  
12 be the operator of that ABWR or anything. That ought to be at  
13 the CP OL, and that even though we get, we wrote off on  
14 Chapter 17 or whatever it is--

15 MR. SCALETTI: Chapter 13.

16 MR. MICHELSON: Wrote off on Chapter 13; when we  
17 certify the design, we certainly are going to reopen operating  
18 questions.

19 DR. SIESS: I hate to be legalistic, but the ACRS  
20 has never signed off by saying that we believe this plant will  
21 be operated safely. We have always said that if its  
22 buildings, construction is finished, et cetera, et cetera, it  
23 can be operated safely. As far as the ACRS approval, it has  
24 always been an approval of the design of the plant.

25 MR. MICHELSON: And not of the operating



1 organization?

2 DR. SIESS: Never; we made comments about it, but  
3 bottom line is always that plant, reasonable assurance that  
4 this can be, plant can be operated safely without undue risk  
5 to the health.

6 MR. MICHELSON: We had looked at the operating  
7 arrangement and had concluded that with that arrangement and  
8 with this design that it could be operated safely. I never  
9 realized that we were excluding the operational aspect.

10 DR. SIESS: Only the last few years the ACRS ever  
11 looked at the operating arrangements. For the first 90 plants  
12 that we wrote letters on, I am sure that we didn't even  
13 consider plant organization or the training or anything else.

14 MR. MICHELSON: It is now a part of the design  
15 certification process to include the operating arrangement to  
16 some extent.

17 MR. SCALETTI: I don't know what detail they will be  
18 going into. I got a feeling there is going to be some part  
19 that the training program is going outside of the scope of the  
20 ABWR, going to be utility applicant specific, and clearly  
21 those will be open.

22 MR. MICHELSON: Those within the scope are going to  
23 be written off as a part of the design certification?

24 MR. SCALETTI: Whatever is within the scope.

25 DR. SIESS: If we go back to the air worthiness

1 certificate as a comparable thing, I am sure the FAA doesn't  
2 certify that a Boeing 737, 757 crew will be trained in such  
3 and such a way as a condition for that plane.

4 MR. MICHELSON: I don't know.

5 DR. SIESS: I think they have to be satisfied that  
6 the plane can be flown, and can be flown and it doesn't have  
7 any serious defects in control systems and so forth.

8 MR. MICHELSON: I don't know what we are going to do  
9 on say the ABWR yet. When we get to it we will know, but I  
10 would be willing to--

11 DR. SIESS: How can we certify a plant will be  
12 operated safely?

13 MR. MICHELSON: I don't think--I think those were  
14 some of your words.

15 DR. SIESS: Without spelling out just what we looked  
16 at in terms of a management system, the training program; the  
17 staff can follow that up and know when it is not being--

18 MR. MICHELSON: That was the crux of my question.  
19 How much are we writing off in a certification process from  
20 the operating viewpoint and what are we writing off in the  
21 combined CP OL part?

22 DR. SIESS: Guess it never occurred to me. I  
23 thought we were certifying the design.

24 MR. MICHELSON: There is more than design covered by  
25 those documents.

1 DR. SIESS: Do we have to certify anything more?

2 MR. SCALETTI: Tech specs will be coming in with the  
3 ABWR also.

4 DR. SIESS: We have never looked at tech specs.

5 MR. MICHELSON: Well, we are in a new regime now.  
6 Maybe we didn't, but it is a part of the package.

7 DR. SIESS: It has always been a part of the  
8 package.

9 MR. MICHELSON: Well, I think it is part of the  
10 design certification, and that's what we are going to attest  
11 to, and if it is in that package, we have to look at it or  
12 maybe we are going to agree we won't and we will write it out  
13 in our letter.

14 DR. SIESS: That is interesting because is the NRC  
15 going to certify the tech specs will be a part of the design  
16 certification?

17 MR. SCALETTI: Certain portion of the tech spec.

18 DR. SIESS: If you want to change it, there has to  
19 be rulemaking?

20 MR. MALSCH: That's right, if we certify it.

21 DR. SIESS: A certified plant, a change in the tech  
22 specs, that volume, requires rulemaking?

23 MR. MALSCH: If the tech specs are certified, they  
24 want to go to that degree of detail.

25 DR. SIESS: They want certification. They have the

1 option of getting a design certification or one that includes  
2 tech specs?

3 MR. MALSCH: I think that is up to the staff.

4 MR. SCALETTI: The intent now is tech specs will be  
5 part of the certified design.

6 DR. SIESS: Right now it is God awful difficult to  
7 change the tech specs, requires a licensing amendment. If it  
8 is going to require rulemaking, we will never get the damn  
9 thing changed.

10 MR. CROCKETT: That's the idea.

11 DR. SIESS: I know, but somebody has got to,  
12 somebody has got to have awful good tech specs if it is going  
13 to last for the next five years without changing it,

14 MR. CROCKETT: It is the flip side of the backfit  
15 rule. Just as we are bound to try to control the changes that  
16 we would introduce, they are also bound to control change.  
17 That is they would like to.

18 DR. SIESS: Sometimes NRC wants to change tech  
19 specs.

20 MR. CROCKETT: We just can't. We have got to  
21 decide--the idea here is on both sides to decide what you  
22 want, and as soon as possible, and not to . . . making changes  
23 later.

24 DR. SIESS: But you find something is wrong with the  
25 tech specs.

1 MR. CROCKETT: Then you have to--

2 DR. SIESS: They are unsafe.

3 MR. CROCKETT: Okay.

4 DR. SIESS: Still takes a rulemaking to change them?

5 MR. CROCKETT: The Commission could change, well--

6 MR. MALSCH: You can have--

7 DR. SIESS: I agree with you. I agree the tech

8 specs need changing, item 16, X, Y, Z is wrong, ought to be

9 fixed. What do I have to do to do it?

10 MR. MALSCH: I don't think there is any, necessarily

11 a rulemaking has to take any longer than issuing an order for

12 changing tech specs.

13 DR. SIESS: Okay.

14 MR. CROCKETT: We certainly intend to leave room for

15 immediately effective action. To what extent that is

16 inconsistent with the notion of rulemaking, I am not sure.

17 DR. SIESS: One thing, just talking about a license

18 amendment, which is simply a simple action.

19 MR. MICHELSON: The thrust of my original request

20 was that really Part B is head design, and I think that if

21 the designer--that means a certain part of that plant,

22 hardware, physical arrangement, but does not mean the

23 operators, the maintenance arrangements, the organization, all

24 of that. And that's--but yet I see this stuff showing up in

25 the documents which are going to be design certified.

1 DR. SIESS: Who is asking for it?

2 MR. MICHELSON: I am not going to argue who is  
3 asking for it. It is showing up in there, identified the  
4 chapter. I haven't gone in and read the chapter yet. It may  
5 not even be in yet.

6 MR. SCALETTI: Licensing review basis, it spells out  
7 scope, and the criteria that must be satisfied for, to get  
8 agreement from NRR that this design can be certified.

9 DR. SIESS: You expect General Electric to set up a  
10 training program that the licensee buys when he buys the  
11 plant?

12 MR. SCALETTI: I can't--I have to look again. I  
13 don't know what--

14 MR. MICHELSON: At least it will be, General  
15 Electric will specify the requirements for the training  
16 programs under the certification process. I don't want to  
17 debate the issue. I just want to try to get a clarification  
18 of what is in that certification process. Maybe there is too  
19 much in it. Maybe it should be clearly defined as design  
20 only, but right now I get the feeling it is goes way beyond or  
21 considerably beyond it, and yet your document seems to be  
22 addressing the design aspects under part B.

23 MR. CROCKETT: At least at one stage we had been  
24 thinking of technical specifications. At this point, I am not  
25 sure whether it is a requirement or not.

1           CHAIRMAN WYLIE: Tech specs pertain to, a large  
2 degree to design.

3           MR. MICHELSON: Yes, but there is a lot of operation  
4 in specs.

5           CHAIRMAN WYLIE: You have in the got tech specs the  
6 things the designer has to know in order to provide  
7 facilities.

8           DR. SIESS: Design parameters and things of that  
9 that are very important.

10          MR. MICHELSON: Maybe you need a design tech spec  
11 and operating.

12          CHAIRMAN WYLIE: Batteries for so long, and this  
13 kind of thing, you know.

14          MR. MICHELSON: You can see the source of the  
15 confusion. The designer, design and operation are Part B and  
16 Part C separately, and yet I think the--

17          MR. CROCKETT: There will be new questions under C.  
18 There will still be questions.

19          DR. SIESS: I think there are going to be some  
20 interesting problems when we try to do this. I just hope we  
21 have got this thing loose enough that--

22          MR. CROCKETT: We have tried.

23          DR. SIES: It's nice to be very specific, but you  
24 know it isn't going to work right the first time.

25          MR. CROCKETT: We have gotten gradually looser in



1       succeeding drafts.

2               MR. MICHELSON:   Fuzzier.

3               MR. CROCKETT:   Flexible.

4               DR. SIESS:   There has to be room for judgment  
5       somewhere within the framework of the regulations.  We hired a  
6       lot of expensive engineers that need to use judgment.  We  
7       could go out and hire clerks or lawyers.

8               MR. CROCKETT:   There are limits and lots of room for  
9       judgment here.  We expect to hear complaints that there is too  
10      much.

11              MR. MICHELSON:   Are you going to talk to this  
12      question of essentially complete nuclear power facility pretty  
13      soon during this discussion?

14              MR. CROCKETT:   Yes.  I was wondering how much we  
15      could shortcircuit everything from where we are down to item  
16      10?  I am through with item 4.

17              MR. MICHELSON:   What are you looking at?

18              MR. CROCKETT:   The agenda item 5, in fact we have  
19      discussed everything that I was going to mention at this point  
20      about combined licenses, and I am sure we can return to some  
21      of those things.

22              CHAIRMAN WYLIE:   Let's go on down to 10.

23              DR. SIESS:   The Commission questions, they can ask  
24      any stupid questions they want.  Policy doesn't have anything  
25      to do with this anyway.

1 MR. CROCKETT: Doesn't have anything to do with the  
2 rule itself. It is going to be in here for public comment,  
3 and I suppose we would, we would appreciate whether, any  
4 comment on whether replication is still an option.

5 DR. SIESS: The single sheet that was folded in the  
6 middle here somewhere, is that something new?

7 MR. CROCKETT: No. That is something old and  
8 borrowed.

9 MR. SCALETTI: You have seen it before.

10 MR. SCALETTI: The only way it shows up there is  
11 here is the history and you can consider it if you want; 1979  
12 the standardization policy statement had included a section on  
13 replication. That was the only thing in the Federal Register  
14 print on replication. There is nothing in Part 10 CFR about  
15 replication, although there is about duplication and FDAs and  
16 the like.

17 DR. SIESS: What is replication?

18 MR. CROCKETT: Taking a plant already built and  
19 operating and replicating it.

20 DR. SIESS: Zion.

21 MR. SCALETTI: The duplicate.

22 MR. CROCKETT: The flavor was duplicate, right.

23 MR. SCALETTI: And the other one was a replicate of  
24 Byron, Marble Hill.

25 MR. CROCKETT: Okay. When the 1987 policy statement

1 came out, the 1978 policy statement was swept aside. That is  
2 when there was nothing in Federal Register print or in rule or  
3 anything about replication anymore. It is the single  
4 statement in the 1987 policy statement that replication was  
5 still an acceptable path to standardization.

6 We felt then that we needed to put some kind of  
7 guidance back into print in the form of policy or otherwise on  
8 replication, and what we have stuck in here, that single  
9 spaced page is what we understand to be the latest staff  
10 position on replication, or at least the latest thing in  
11 print. I am not even sure what its ultimate source is.

12 MR. SCALETTI: It is part of the initial SECY paper  
13 that transmitted the first crack at the, revising the 1978  
14 policy statement.

15 DR. SIESS: Replication does not require rule?  
16 Anybody just apply and say I would like to build another one  
17 like it?

18 MR. CROCKETT: Like to duplicate--except there is a  
19 time limit. You must notice about in the middle of this  
20 single page there is a--

21 DR. SIESS: Even if it wasn't, you could say no, you  
22 can't do it, start over?

23 MR. CROCKETT: The question is whether we want to  
24 follow up the, be consistent with the 1987 policy statement on  
25 standardization, and say that replication is still an option

1 for standardization.

2 DR. SIESS: It wasn't in one of the appendices?

3 MR. CROCKETT: No, it is not, surprisingly.

4 Duplication is, but not replication.

5 DR. SIESS: Just done without.

6 MR. SCALETTI: It was in the '78 policy statements,  
7 all the details of replication and what you had to do.

8 DR. SIESS: That is still a policy statement.

9 MR. SCALETTI: It was replaced with the '87 policy  
10 statement.

11 MR. CROCKETT: We need to put out, either to say  
12 replication is no longer an option that the Commission will  
13 consider, or replication is in here, we haven't given you  
14 guidance since 1978, here is a piece of guidance, policy.

15 DR. SIESS: Do that separate.

16 MR. CROCKETT: We could do it separate, but since  
17 this is following up, in fact this is superseding the policy  
18 statement, we thought this would be an appropriate place to  
19 stick it.

20 DR. SIESS: You are not replacing Appendix O or  
21 Appendix M. You have got enough in this thing now. You have  
22 got things in it already

23 MR. CROCKETT: Quite a bit.

24 MR. MICHELSON: Could I give you one comment that I  
25 have? We discussed this much earlier, but I would like to

1 suggest a word change that would relieve my pain at least. On  
2 page 15 where we are dealing with only the site, we talk about  
3 referral to ACRS. There is no limit on what the ACRS can look  
4 at on the--

5 DR. SIESS: Only safety-related.

6 MR. MICHELSON: Well, I mean, okay. At any rate, we  
7 go on to page 26 then, and at the bottom of the page we are  
8 dealing now with the design review, and I would like to change  
9 that word design there in the next to last, earlier proceeding  
10 on the site which is subject to; in other words, anything we  
11 have done on the site now, we don't do again when we get to  
12 the design, but that's the only thing I believe. Page 26,  
13 second from the bottom sentence, the word "design" should be  
14 changed to "site." If we have done it on the--we don't do it.  
15 The reason is I am trying to build a parallel structure to  
16 page 34. Look at page 34 because that seems to be the  
17 rationale you use that you have got there, and the bottom of  
18 Section 5287, it says site or design.

19 MR. CROCKETT: We are not sure why this second  
20 sentence is here on 5253 at the bottom of page 26. Perhaps it  
21 could be struck entirely.

22 MR. MICHELSON: If you put the word site in there,  
23 there would be no objection to that.

24 MR. CROCKETT: Overlap?

25 MR. MICHELSON: If you already decide on the site,

1 shouldn't be--

2 MR. CROCKETT: That's right. Should there be any  
3 overlap?

4 MR. MICHELSON: Cases where there is a new site  
5 related issue raised by the design that you are looking at?

6 DR. SIESS: You are right, though.

7 MR. MICHELSON: There might be.

8 DR. SIESS: What earlier findings would we have made  
9 on the design?

10 MR. MALSCH: That is why we are suggesting--

11 MR. MICHELSON: I would prefer to delete the  
12 sentence all together.

13 MR. CROCKETT: I think we would prefer to delete it  
14 all together.

15 MR. MICHELSON: I was just trying to make it  
16 palatable. But deletion is even better.

17 DR. SIESS: On combined license thing.

18 (There was a brief pause in the proceedings.)

19 DR. SIESS: I don't see that. If you go to page 34,  
20 the 5287, all we are talking about is license.

21 MR. CROCKETT: The issue you raised before--

22 DR. SIESS: Now there is where I object to the  
23 shall. I think may would be an improvement. You don't have  
24 to do a de novo review. We can limit ourselves to those  
25 things that are new and different on review. Otherwise, we

1 will be doing the, sort of the whole thing over.

2 CHAIRMAN WYLIE: Talking about the last sentence?

3 DR. SIESS: ACRS shall limit--5287.

4 MR. MICHELSON: That one didn't give me any pain. I  
5 thought that was the exact intent. If we decided during site  
6 review or decided during the design review, we don't open up  
7 those issues again during the combined CP OL.

8 MR. CROCKETT: The question is whether the word  
9 shall carries our intention which is that the ACRS be bound by  
10 the need not and moreover be bound by the same restrictions on  
11 its review that the Commission will be at that point.

12 MR. MICHELSON: Should I understand, but shall is a  
13 little hard, but may doesn't tell me anything. I think we  
14 should limit our review to new things.

15 DR. SIESS: Should is a little less--

16 MR. CROCKETT: A proviso there may be--

17 MR. MICHELSON: We can do anything we want.

18 MR. SCALETTI: Just say the policy statement is,  
19 says that certified design must be relied upon by the ACRS and  
20 the Commission and the staff.

21 DR. SIESS: Yes.

22 MR. CROCKETT: Except, of course, in a situation  
23 where an adequate protection backfit may be called for. I  
24 mean that must, is conditioned by whatever backfit provision  
25 goes into it.



1 DR. SIESS: The ACRS need not address those things  
2 on which it has previously made findings or recommendations.  
3 That's what, the point you are making here. Me saying it may  
4 limit itself to those things on which it has not made previous  
5 findings or recommendations is the same as saying yes, but  
6 shall says you guys can't do that, and it isn't true because  
7 ACRS can write a letter on anything it wants. The Commission  
8 cannot--the Commission may send the letter back and say go to  
9 hell, but I, or they can ignore it, but there is nothing I  
10 think in the law that gives the Commission the authority to  
11 tell the ACRS what they can or cannot do, and wasn't  
12 much--that's why the ACRS was set up.

13 MR. MICHELSON: No gag rule, but should would be a  
14 perfectly good word. It gets the connotation across that  
15 really we should be limiting ourselves to new issues.

16 DR. SIESS: We should.

17 MR. MICHELSON: Why don't we change it to should,  
18 which I think carries the same thrust?

19 DR. SIESS: I am not sure the rules like shoulds,  
20 like should and shall.

21 MR. MICHELSON: May is even worse than should.

22 MR. MALSCH: The ACRS will ordinarily limit its  
23 review to issues.

24 DR. SIESS: Or ACRS need not review issues of which  
25 it has made findings or recommendation in earlier proceedings.

1 MR. MALSCH: I think I like that the best.

2 DR. SIESS: I don't care.

3 CHAIRMAN WYLIE: I like that better.

4 MR. MICHELSON: That's fine.

5 MR. MALSCH: I kind of like need not.

6 DR. SIESS: You have got to change the rest of the  
7 sentence.

8 MR. MALSCH: We can fix that.

9 DR. SIESS: Sort of like the non-mandatory thing we  
10 went through.

11 MR. MICHELSON: That takes care of my problem on the  
12 construction. You are going to delete that sentence?

13 MR. CROCKETT: We are going to delete it.

14 DR. SIESS: I don't think it would be a real  
15 problem.

16 MR. CROCKETT: We mentioned replication. We are  
17 going to--you have no questions about the backfit analysis or  
18 the regulatory analysis, do you?

19 DR. SIESS: Yes.

20 MR. CROCKETT: Oh.

21 DR. SIESS: I have been making notes about it

22 CHAIRMAN WYLIE: What was our advice, advice on the  
23 replication? I don't remember we ever got it. Does anybody  
24 out there really want to replicate a plant?

25 MR. CROCKETT: We would put the question the other

1 way. Do we want anybody to replicate anything out there?

2 CHAIRMAN WYLIE: If they came along with another  
3 South Texas, I am not sure I would object, if somebody wanted  
4 to build one like South Texas.

5 DR. SIESS: That is fairly recent. If they came  
6 along with another Dresden I was going to say 2 which has been  
7 a fairly successful plant, works pretty good, couldn't build  
8 it for what this one cost, but we clearly wouldn't know how to  
9 build another Dresden 2, or Yankee, that's that cut off, you  
10 know.

11 MR. CROCKETT: Take a look at what the cutoff point  
12 is. I have slightly different pagination, but I think it is  
13 roughly in the middle of your page on replication.

14 DR. SIESS: Following page 30 in the one we have  
15 got.

16 MR. CROCKETT: Further requirement for qualification  
17 is that the application for a replicate plant must be  
18 submitted within five years of the date of the issuance of the  
19 staff SER for the base plant.

20 DR. SIESS: SER in the OL stage.

21 MR. CROCKETT: That is one question. Another  
22 question is does the five years start counting from some  
23 supplement to the SER? And according to the definition that  
24 you choose of SER, you have a different collection of plants.

25 DR. SIESS: Would that let Palo Verde have an out.

1       probably? We had nine plants out there somewhere that haven't  
2       got OLS yet.

3               MR. WILSON: Previously when we did replications as  
4       Marble Hill, we used that criteria, it was applied to the main  
5       SER the SER that was used to have the ACRS meeting and that  
6       started the clock.

7               DR. SIESS: Not the supplement?

8               MR. WILSON: That is correct, and so if we stayed  
9       with that definition, I don't think there are any plants out  
10      there today that could be replicated. I think even the South  
11      Texas, its main SER--

12              DR. SIESS: What about the ones that haven't got  
13      licenses? You have got a few out there that have SERs issued.

14              MR. WILSON: Main SER was issued that the ACRS  
15      reviewed it years ago.

16              DR. SIESS: For which?

17              MR. WILSON: For any plant that is--let's say  
18      Braidwood. I guess we are about to license Braidwood Unit 2  
19      but that main SER for Braidwood--

20              DR. SIESS: Is that dead yet?

21              CHAIRMAN WYLIE: No, it is not dead yet.

22              DR. SIESS: Have they got an SER out?

23              CHAIRMAN WYLIE: No, I don't think so.

24              DR. SIESS: A few out there.

25              MR. WILSON: Okay.

1 MR. SCALETTI: There is some question also on  
2 arbitrary time limit for limiting replication, until he has  
3 not been--

4 DR. SIESS: You know, I can't see that there is any  
5 harm in this kind of a replication policy. Whether I put in  
6 or not, I think I wait and see what the industry has to, has  
7 to say.

8 MR. CROCKETT: We are putting this out for comment.

9 DR. SIESS: I don't think any of them interest me.

10 MR. MICHELSON: Just for the sake of completeness,  
11 wasn't it?

12 MR. CROCKETT: Yes, simply that.

13 DR. SIESS: What are we going to do with, with it?  
14 Include it in the statement of considerations?

15 CHAIRMAN WYLIE: In the standard planning.

16 MR. CROCKETT: As proposal for comment.

17 DR. SIESS: Not in Part 52?

18 MR. CROCKETT: That's right.

19 MR. MICHELSON: It is not mentioned in there.

20 MR. CROCKETT: It would be published, some final  
21 version would be published in the Federal Register I guess as  
22 policy on plant replication, not as public rule, but I think  
23 it belongs here because we have been saying that Part 52 is  
24 and option but not the only option, and I think we are obliged  
25 then to clarify, at least clarify the remaining options.

1       namely replication. It would be better that the whole package  
2       be in front of people instead of dribble out in separate  
3       Federal Register notices.

4               CHAIRMAN WYLIE: I would be inclined to send it out  
5       to get comments on it.

6               MR. CROCKETT: I think one of the eleven Commission  
7       questions we have raised is on replication. I can't recall.

8               CHAIRMAN WYLIE: Okay.

9               MR. CROCKETT: At least we have explicitly somewhere  
10      in the preamble invited comment on it. I think it is page 2  
11      or 3 of the preamble actually. What do you want to know about  
12      backfit? We did agree to answer questions.

13              DR. SIESS: Really the two significant backfit  
14      issues are in the two sections relating to finality.

15              MR. CROCKETT: The section label backfit analysis in  
16      the preamble, and that is item No. 8 on the agenda, concerns  
17      application of the backfit rule to Part 52 itself, not the  
18      finality provision that is in the draft of 52.

19              DR. SIESS: He has indicated a separate question.  
20      He was talking about the question as to whether the rulemaking  
21      itself, this rulemaking, 452 rulemaking, is a backfit.

22              MR. CROCKETT: In here we have said no, but we felt  
23      obliged to raise and answer the question.

24              DR. SIESS: I will give you a personal opinion. I  
25      don't care. I think it is strictly a legal issue. I don't

1 know who raised it in the first place. The rulemaking calls  
2 it a backfit. It seems to me the Commission ought to make any  
3 rules it wants. I read your backfit analysis and this is not  
4 imposing any--it is not a backfit. It only applies to future  
5 reactors.

6 MR. CROCKETT: It does change life a little bit for  
7 one hypothetical group. We are not sure it exists.

8 DR. SIESS: Who cares about hypothetical groups?  
9 Let them sue. If they are a real group, they will sue. If  
10 they are a hypothetical, they will never bother--

11 MR. CROCKETT: The expectations for FDA holders, but  
12 we don't think that requiring a backfit--we thought we would  
13 acknowledge that there was a change in expectation.

14 DR. SIESS: FDA holder, that they want, if they want  
15 a design certification, how does it change the--

16 MR. CROCKETT: They have got to go through FDA  
17 review again; not done with design certification in mind.

18 DR. SIESS: They can still get their FDA?

19 MR. CROCKETT: It doesn't change what it takes to  
20 get the FDA. That's the one point we make in this.

21 DR. SIESS: If somebody before thought they could go  
22 on and just apply for a design certification, why would they  
23 have thought that?

24 MR. CROCKETT: That's the way Appendix O is right  
25 now. I didn't really quite accurately represent 52. It does



1 not simply articulate paragraph 7 of the Appendix O which  
2 talks about certification by rule making. It does change one  
3 ground rule. It says you don't, you can't just go--

4 DR. SIESS: More complete.

5 MR. CROCKETT: Go from the FDA to certification;  
6 when you come in for the application, come in applying for an  
7 FDA, you better say we also want a certification down the  
8 road.

9 DR. SIESS: This is because of the requirements  
10 proffering the interfaces and all of that, that is now  
11 incorporated in the FDA. Your FDA must indicate those things  
12 you are going to do to show that you have met the  
13 requirements? That's the new part?

14 MR. CROCKETT: Yes. The FDA in this case will  
15 represent staff signoff on all the things that the Commission  
16 will eventually sign off, except in the case of contesting.

17 MR. MICHELSON: You are use confusing me a lot.  
18 Under the old provisions, we would get an FDA. Now what you  
19 are saying is that the old FDA is not the same as a new FDA I  
20 would get under this rule which would--wait a minute. Just  
21 FDA yet. Don't get me into the design. Under this rule I get  
22 FDA also if I wish, but it is a different FDA than I got?

23 MR. CROCKETT: Not--if you wish, you have to get  
24 one.

25 MR. MICHELSON: Excuse me?

1 DR. SIESS: If you don't want a design  
2 certification.

3 MR. CROCKETT: Hang on a second.

4 MR. MICHELSON: Just at the FDA stage, so there is a  
5 new FDA under this rule and it is a little different than the  
6 FDA I would have gotten under the previously established  
7 process.

8 DR. SIESS: I don't understand that.

9 MR. CROCKETT: Could still be used.

10 MR. MICHELSON: If I use the old FDA I have got to  
11 go back.

12 MR. CROCKETT: People will still be citing FDAs  
13 granted before 52 becomes effective. What would happen after  
14 52 goes into effect is that there would be one less use for an  
15 FDA than there had been before, and that one less use--correct  
16 me, either of you, anybody, if I have got this wrong--that one  
17 less use would be that you could not go straight to a design  
18 certification with the FDA in hand.

19 MR. MICHELSON: Once this comes, out I can't use my  
20 old FDA to go straight to the design certification.

21 MR. CROCKETT: The only kind that goes straight to  
22 design certification is one which has been granted when the  
23 staff has been looking to the design certification from day  
24 one, and its review of the application.

25 MR. SCALETTI: The intent was that you, your FDA

1 would be directed toward design certification, and therefore  
2 you wouldn't put out an FDA that had too many open issues in  
3 it or had unresolved concerns that you didn't want to deal  
4 with and try to certify, so it would be just for the purpose  
5 of having a clean product when you started your design  
6 certification process, that clearly the GSAR, FDAs as they  
7 exist now do have outstanding open items, things to be  
8 resolved prior to getting a license, and so we don't want to  
9 see that in the future. We want a clean product.

10 MR. MICHELSON: Can I bring in GSAR 2 for  
11 certification?

12 MR. SCALETTI: You could. I don't think GE wants  
13 to.

14 MR. MICHELSON: GSAR 2 can be brought in for  
15 certification?

16 MR. SCALETTI: Not according to--

17 MR. MICHELSON: What do I do to it to get it  
18 to--what do I go through? What rule do I go through or  
19 process do I go through to get it ready?

20 MR. SCALETTI: Probably there is documentation in  
21 the GSAR file that indicates that they are planning to certify  
22 the design, and so I suppose you could go back and look at  
23 that. You would have to clear up all the issues that are  
24 remaining in the FDA, and I guess Appendix A to the FDA which  
25 lists a bunch of things that have to be done.

1 MR. MICHELSON: You decide that it is ready for  
2 certification? Is that what, the process?

3 MR. SCALETTI: GE would have to go through and  
4 resolve all the issues that remained outstanding.

5 MR. MICHELSON: You say when it is ready for  
6 certification, rulemaking?

7 MR. SCALETTI: Well, we would have to agree it would  
8 be ready.

9 MR. MICHELSON: Under the new rule, you are going to  
10 go through and get an FDA and--

11 MR. SCALETTI: We would have to agree, issue the  
12 FDA. Once the staff has issued the FDA, at that time they  
13 would agree that this is ready for rulemaking. Wouldn't issue  
14 it until then.

15 DR. SIESS: Isn't there different content to the  
16 application if it is going to go to design certification?

17 MR. SCALETTI: We could conceivably issue, agree to  
18 issue final design approval with issues still to be resolved  
19 if it wasn't going to be certified.

20 DR. SIESS: I am talking about the, there are  
21 certain things in here that you have to include in your  
22 application on how you are going to prove that the thing has  
23 interfaces and so forth. Is that required for an FDA or just  
24 for a design certification?

25 MR. SCALETTI: That would be required for design

1 certification.

2 DR. SIESS: That means the scope of the FDA  
3 documents have to be different if there is going to be a  
4 design?

5 MR. SCALETTI: Have to identify the tests,  
6 inspections, et cetera.

7 DR. SIESS: Take old an FDA cleaning up the  
8 outstanding issues, add some things to it, and it would be  
9 acceptable? It is a start. A big start.

10 MR. SCARLETTI: Has a long way to go.

11 MR. MICHELSON: Can I start with an old FDA and go  
12 to a combined CP OL application?

13 MR. CROCKETT: Yes.

14 MR. MICHELSON: And at the time of that application,  
15 then I tell the staff how I am going to clean up these  
16 leftover items?

17 MR. SCALETTI: GSAR FDA is good for another couple  
18 of years I believe. They come for, for a combined license.

19 MR. MICHELSON: Now if I have got a new FDA, and I  
20 didn't clean up all my open items, I can take that, I don't  
21 get a final, you are saying I don't get a final design  
22 approval unless you say it is ready for certification under  
23 this new rule?

24 MR. SCARLETTI: YES.

25 DR. SIESS: When I apply for an FDA, you have to

1 tell them you want it recertified? They tell you what has to  
2 go in it?

3 MR. MICHELSON: Tell them you don't want it  
4 certified; you are allowed to do that, too.

5 DR. SIESS: You are allowed to do that, but they  
6 don't change your mind.

7 MR. MICHELSON: Then you are allowed more open items  
8 because you will clean up for the CP OL. I think I  
9 understand.

10 MR. CROCKETT: You end up with a licensed plant  
11 using a design with a final approval, but it would not be,  
12 would not be a certified--

13 MR. MICHELSON: Not a candidate for certification  
14 under the rulemaking.

15 MR. CROCKETT: Standardized to the extent that FDAs  
16 are a form of standardization, but not to the extent--

17 MR. MICHELSON: I think I understand.

18 DR. SIESS: Vender is out trying to sell plants;  
19 probably not going to go for FDAs without getting design  
20 certification.

21 MR. MICHELSON: I thought Westinghouse asked for  
22 certification.

23 CHAIRMAN WYLIE: Westinghouse is going for PDA.

24 MR. MICHELSON: Then FDA, but not necessarily--

25 MR. SCARLETTI: Westinghouse has indicated their

1 intent to, once they get the PDA, to proceed for an FDA design  
2 certification.

3 MR. MICHELSON: Why did they go to PDA? Because  
4 they are allowed to I guess.

5 MR. SCALETTI: I guess the state of the design at  
6 the time.

7 DR. SIESS: Westinghouse is going to sell those in  
8 Japan, not here.

9 MR. CROCKETT: I think whether that hypothetical  
10 case comes alive depends on whether the utility thinks it  
11 needs the finality given by certification.

12 MR. MICHELSON: I was thinking of GSAR 2.

13 MR. CROCKETT: Or ready to barrel ahead without such  
14 assurances; then it might want to go the FDA route without  
15 certification. Contents of applications--we are already on  
16 it.

17 DR. SIESS: I would think a vender would be the one  
18 trying to sell the plant, has got a better chance of selling  
19 with an FDA.

20 MR. CROCKETT: But the case raised was could either  
21 utility come in and apply for a CP OL citing an FDA?

22 MR. MICHELSON: Old FDA.

23 MR. CROCKETT: The answer is yes, if anybody wants  
24 to do that under current or near-term future conditions.

25 CHAIRMAN WYLIE: Where do you say in here that



1 limits them to having applied, indicating that you want  
2 certification?

3 MR. CROCKETT: I think in the application section.  
4 Let's look at 5245 and 5247.

5 CHAIRMAN WYLIE: I am looking at 5245 and all it  
6 says is anybody holding an FDA can do it.

7 DR. SIESS: The bottom of page 20, application for  
8 final design approval, shall state whether the applicant  
9 intends to seek certification of the design.

10 MR. MICHELSON: You are looking at?

11 DR. SIESS: 5243B.

12 CHAIRMAN WYLIE: Page 20 he is talking about.

13 DR. SIESS: 52--

14 CHAIRMAN WYLIE: That is sort of hidden down there.

15 MR. CROCKETT: I was looking under filing of  
16 applications.

17 CHAIRMAN WYLIE: That is what I am looking under.  
18 It don't say that. It says anybody who holds an FDA can do  
19 it.

20 DR. SIESS: Found the right place.

21 MR. CROCKETT: That may be something that needs to  
22 be moved.

23 CHAIRMAN WYLIE: That is relationship to.

24 DR. SIESS: I don't see anything that says it is in  
25 relation to anything. It is a flat-out sentence. I think the

1 sentence, it ought to apply to whatever paragraph it is in,  
2 shouldn't it? I'm speaking like a lawyer.

3 MR. MICHELSON: Referring back to MN and O.

4 DR. SIESS: That sentence stands by itself.

5 MR. MICHELSON: As it applies to Part O.

6 MR. CROCKETT: We are trying to keep the whole, we  
7 are, were trying to keep the whole picture in mind in 5243,  
8 but the result is we may have cut out a piece of the picture  
9 when we got to requirements for filing.

10 DR. SIESS: Certification, application for final  
11 design approval shall state whether--to me that's  
12 straightforward English language.

13 CHAIRMAN WYLIE: It is not in the right place.

14 DR. SIESS: Not anything in the regulations are in  
15 the right place. How many places do you find--I couldn't even  
16 find the authority for the ACRS.

17 CHAIRMAN WYLIE: Whole paragraph that addresses  
18 application.

19 MR. CROCKETT: We will have to--

20 DR. SIESS: I gave up years ago on expecting to find  
21 things in the right place.

22 MR. MICHELSON: When you standardize a design, you  
23 are not certifying it. You are just standardizing. That's  
24 the FDA kind of state. Is that what with you mean by  
25 standardized design, appendix O?

1 MR. CROCKETT: Standardization includes FDA  
2 certification.

3 MR. MICHELSON: Does it say so in Appendix O?

4 MR. CROCKETT: We have said somewhere--let's see.

5 DR. SIESS: You have to make distinction between  
6 standardize a design and licensing a standard design. Anybody  
7 can standardize a design. The question is how does the NRC  
8 treat it for licensing? The GE could put out one design ten  
9 years ago, say this is, this is it, fellow, take it or leave  
10 it. Now it is treated for licensing, it is replicative or  
11 whatever, the regulations.

12 MR. SCARLETTI: GE put out the design reference  
13 system design. That's one of the--

14 DR. SIESS: They built them in Dresden before we  
15 even knew what the duplicates were, didn't they?

16 MR. CROCKETT: Page 13 of the preamble says the  
17 Commission's existing rules regarding standard designs have  
18 found Appendix M, N, and O to Part 50, so in the preamble we  
19 establish that the term standardization covers more than just  
20 certification.

21 MR. MICHELSON: Not with the sentence you just read  
22 me, it didn't establish that.

23 MR. CROCKETT: It cites M, N and O to  
24 standardization.

25 MR. MICHELSON: There isn't much doubt of that, but

1 it doesn't tie it to certification yet.

2 MR. CROCKETT: No. That's true.

3 MR. MICHELSON: That's why I asked the question, the  
4 sole difference between the two or what? This Appendix O just  
5 doesn't talk about certification. It talks about  
6 standardization.

7 MR. SCALETTI: Also talks about certifying the  
8 design in Appendix O.

9 MR. MICHELSON: It does? What section? Paragraph  
10 7, okay. It just says you can take a, you can accept the  
11 design by rulemaking if you wish.

12 MR. CROCKETT: The Commission approves the design by  
13 rulemaking. At that point that is not called certification,  
14 but that is certification.

15 MR. MICHELSON: But that is a certification process.

16 MR. CROCKETT: That is what 52 proceeds for is  
17 Commission level approval of the design by way of rulemaking.

18 CHAIRMAN WYLIE: Let me ask a question. I believe  
19 you said that the reason that you didn't want to certify a  
20 final design approval that had already been given that was not  
21 stated as intended for certification was that there was  
22 probably more open issues and things to be resolved under that  
23 FDA that would be under certification. Is that the only  
24 reason?

25 MR. SCALETTI: The intent is to keep it up front,

1 when we come to the ACRS, that you know exactly what is going  
2 on, where we are heading, what the staff is doing, and what  
3 the applicant is doing and also for the staff to know what the  
4 intent of the vender or the applicant is when he files his  
5 application, so that we, again we may look at the application  
6 in more detail.

7 CHAIRMAN WYLIE: Why would you look at it in more  
8 detail if somebody is going for FDA?

9 MR. MICHELSON: I thought FDA was also final.

10 MR. SCALETTI: It is final, but as you are well  
11 aware, the GSAR FDA, we have a number of issues that are still  
12 to be resolved.

13 MR. MICHELSON: Would those--

14 CHAIRMAN WYLIE: Suppose you, suppose GE took the  
15 GSAR and said okay, I would like to use that in a certified  
16 design. You said oh, no, you can't do that. You have got to  
17 resubmit and go through the whole process again. It seems  
18 like to me there ought to be a road by which they can clean up  
19 the act and get certification.

20 MR. SCALETTI: As I mentioned before, there is  
21 probably indication in the GSAR record that, the transmittal  
22 letters, that GE has so indicated they would go to rulemaking  
23 on the design. Clearly a lot of the GSAR FDA would have to be  
24 cleaned up to do it.

25 I am not saying that they couldn't do it. I am

1 saying that there is a whole bunch of issues. Not a whole  
2 bunch--there is probably ten issues, fifteen issues that have  
3 to be resolved before you could certify the GSAR design or  
4 before we would feel it was sufficient for certification. GE  
5 does not plan on doing that, though, as far as my  
6 understanding.

7 CHAIRMAN WYLIE: That may be just academic.

8 MR. MICHELSON: I guess it is. It is just a  
9 question of what we call these things. They are both FDAs,  
10 but one is a little more finished FDA than the other, although  
11 both of them are final except for open items. The old FDA,  
12 you had to clean up the open items before it was really final,  
13 final except for those items.

14 Now you are saying we don't like that many open  
15 items when we are doing a certification I think is all you are  
16 saying.

17 MR. SCALETTI: GSAR FDA we have indicated certain  
18 things had to be done prior to issuing a CP on this license,  
19 on this reference, to an applicant that referenced this final  
20 design approval. And you would find that or as much of that  
21 or I don't know to what degree you end up with it, but  
22 discourage that if FDA was going to certification.

23 MR. MICHELSON: Wasn't ready for certification.

24 CHAIRMAN WYLIE: Where are we?

25 MR. CROCKETT: May not be anybody who wants to go

1       that route. There isn't right now.

2               MR. WILSON: That's right.

3               MR. CROCKETT: We are on 10. We have been on 10  
4       sort of half the time all afternoon.

5               MR. MICHELSON: However, are we going to now talk  
6       about essentially complete?

7               MR. CROCKETT: And scope of design and things like  
8       that, and I will, the lawyers will have to defer to people who  
9       really know something about this quite frequently, and of  
10      course, in this discussion--just a second. We are really  
11      dealing with two sections at this point--5245, which is headed  
12      up filing of applications, and 5247 on content of  
13      applications, and under the first one, filing, we have at  
14      least two important issues here.

15              First is the willingness to accept what we now call  
16      advanced designs but which the rule calls by a more general  
17      phrase, designs which differ significantly from those which  
18      have been built and operated. We were trying for a phrase  
19      that would not be tied to 1988 or early 1989, so that we  
20      wouldn't have to go back and revise the rule at some, just to  
21      remove terminology at some later point. I am sure we will  
22      have to revise it at some later point, but not for the sake of  
23      terms.

24              Here you find on page 22 the requirements in  
25      connection with full sized prototype. In fact we have



1 discussed that already. You may want to come back to it. We  
2 have not discussed, however, the criteria relating to scope of  
3 design. We have left open the possibility that we would have  
4 a design of less than a complete plant and we have tried to  
5 state in a single phrase or a single sentence the condition on  
6 which we would accept such an amplification, namely, that  
7 everything essential to the safe operation of the plant would  
8 be part of the design, and that the balance of plant could be  
9 left outside of the scope of design, and I think that that  
10 puts the issue where it belongs. That is, if you can get all  
11 the safety stuff inside the design, then why should we care  
12 about what is left out?

13 The question is whether the designer can get that  
14 stuff inside the design. If he can, everything else I think  
15 Jerry and I feel is a question of economics.

16 MR. MICHELSON: There is two kinds of scope, the  
17 kind that deals with how many, how many of the things that  
18 this plant requires is going to be within this envelope, and  
19 the other is in what depth will they be presented so that you  
20 can do a reasonable safety analysis PRA? So that essentially  
21 is complete two kinds--if I have got all the right components,  
22 have I got enough on each of those right components to do the  
23 job?

24 MR. CROCKETT: I understand. Jerry and I have been  
25 in the habit of distinguishing between questions of level of

1 detail, and questions of scope of design, but I agree when you  
2 use the phrase essentially complete you may wrap up much.

3 MR. MICHELSON: Under 5045 that essentially complete  
4 nuclear facility, it wasn't clear to me whether you meant it  
5 is, it has got all the right components or it has sufficient  
6 information in-depth.

7 MR. WILSON: User terminology, item D on page 22,  
8 refers to the components, scope of the design. Now we also go  
9 on to say in the, actually it is in the bottom part of that  
10 page under contents, that that portion now that is in the  
11 scope of certification should have a final detail, the type of  
12 detail that you would see in a final design approval.

13 MR. MICHELSON: Now were you referring to--

14 MR. WILSON: Contents of application, application  
15 shall contain level of design information equivalent to that  
16 required for an FDA.

17 MR. MICHELSON: Who knows what that is? Do you know  
18 what that is for this kind of a plant now under this  
19 circumstance? We know what it is for plants that have already  
20 been built. If you have any doubt about what it is, that you  
21 go down and look at it. You can't go look at anything here.  
22 Just paper; it is a new problem. That is why I wondered where  
23 is it going to be defined, what we mean by whatever scope we  
24 are talking about such as final, that of a final design  
25 approval?

1 MR. WILSON: For the purposes of the rule that's a  
2 correct definition.

3 MR. MICHELSON: What does that definition mean to  
4 you and to you, for instance, or to even Dino? What does that  
5 statement mean?

6 MR. SCALETTI: Level of detail for the advanced LWRs  
7 that we are dealing with now, it would be at least to  
8 procurement, performance level and procurement information.

9 MR. MICHELSON: Why don't we put some words that  
10 says that? This doesn't say that. This, this just doesn't  
11 say what it is.

12 CHAIRMAN WYLIE: You had that in that document you  
13 never issued.

14 MR. MICHELSON: We used to have it written down, but  
15 the document never got issued. I don't find it in the rule or  
16 any guidance in the rule as to how you decide what it takes  
17 for final design approval, and I can't use previous precedents  
18 in any way because we haven't even gone through one of these.  
19 Every time we have gone through--

20 CHAIRMAN WYLIE: I thought the words were pretty  
21 good in that--

22 MR. MICHELSON: They were getting close at least;  
23 1225 which was never issued. If you go go back and clean up  
24 1225 and issue it and then I wouldn't even maybe reference--do  
25 it in here would be nice.

1 MR. CROCKETT: We used to have references to 1225 in  
2 here so questions of level of detail were handled by shutting  
3 them off. Now apparently there is a bit of a vacuum.

4 MR. MICHELSON: No. There is a total vacuum.

5 MR. WILSON: We felt that all the details that were  
6 in 1225 ended up in revised standardization policy statement.

7 CHAIRMAN WYLIE: It didn't though, really. It  
8 didn't.

9 MR. MICHELSON: I don't know. I haven't read--

10 CHAIRMAN WYLIE: Wait a minute.

11 MR. MICHELSON: What are you referring to?

12 MR. WILSON: Yes.

13 MR. MICHELSON: I honestly would have to read it. I  
14 think that after the meeting I will read it, but then it is  
15 too late to have the problem. I would be very surprised if it  
16 is in here.

17 MR. WILSON: Getting back to the detail, I think  
18 that the precedent has been staff has done FDA reviews. It is  
19 staff level of detail that we are looking at.

20 MR. MICHELSON: It is not based on plants that he  
21 can look at anyway. In GSAR you had an enormous amount of  
22 detail on GSAR because the plant was being built. It was, one  
23 unit was 40 percent complete. Already the depth of detail was  
24 enormous, far more than you needed, but this is non-existent.  
25 We don't have a plant anywhere in the country with this

1 layout. We don't have a plant with any of this kind of stuff  
2 engineered down to the detail that GSAR 2 was engineered to.  
3 Now how about the other, what other FDA position?

4 MR. SCALETTI: CSAR; Palo Verde.

5 MR. MICHELSON: Built three dimensions, so it is  
6 different. Then if there is any question about it you can go  
7 look at the details, the real details, get it cleared up, but  
8 here there is no real details to go to.

9 CHAIRMAN WYLIE: You are right. It does say  
10 that--all good words.

11 MR. MICHELSON: Were the good words.

12 CHAIRMAN WYLIE: It is right this page right here,  
13 right down here, last two pages.

14 MR. MICHELSON: I've got you.

15 CHAIRMAN WYLIE: Does say all the good words, but  
16 didn't I read something in here that says this rule now  
17 replaces this?

18 MR. CROCKETT: Yes, you did.

19 CHAIRMAN WYLIE: If you replace this, you have got  
20 to have this.

21 MR. CROCKETT: I tried to carry across things in the  
22 policy statement.

23 MR. MICHELSON: When you are reading this, this  
24 doesn't count.

25 MR. CROCKETT: It is still in effect. This is

1 issued.

2 CHAIRMAN WYLIE: These words got to find--

3 MR. MICHELSON: You have got to get these words into  
4 here.

5 MR. CROCKETT: What words where? This is in the  
6 preamble to the policy statement?

7 MR. MICHELSON: Yes.

8 CHAIRMAN WYLIE: This would be in the preamble to  
9 the rule.

10 MR. MICHELSON: Yes.

11 MR. CROCKETT: Or put something into the rule  
12 itself. Well, I think we are in agreement on the level of  
13 detail we want. I think even judging from the workshop, the  
14 industry is anxious to put in everything short of a name  
15 plate. They may get less anxious when they are actually  
16 bringing information forward to the staff, but the  
17 understanding was they want to get everything settled that we  
18 can, and that's going to require a high level of detail.  
19 Since then, we are struggling with adequate expression for  
20 that.

21 MR. MICHELSON: We are ahead of the game admittedly,  
22 but tomorrow we are going to hear about everything up almost  
23 to the name plate I guess. I don't find it in the ABWR  
24 document. You are going to tell me how this stuff gets in.  
25 It is not in the FSAk. That kind of detail just is not there.

1           MR. SCALETTI: The license review basis with GE only  
2 indicates a design must be at least to procurement level, and  
3 so I mean procurement level is quite away away from  
4 nameplate, but it is still--the design is there. Performance,  
5 system performance level information should be there, and  
6 everything you need to try to--we are concerned to certify the  
7 design.

8           MR. MICHELSON: Are you going to--you are writing  
9 off on four modules in the process, and it is, the first one  
10 is going to be next spring that you write off, and if by that  
11 time are you saying all this information will be in even  
12 though it may not be there today?

13          MR. SCALETTI: Hopefully if it is not there today,  
14 it is going to be by everybody by the time we write off.

15          MR. MICHELSON: Certainly not there by reference in  
16 the PCAR. I look at the references that are there, and they  
17 don't include such things as equipment specifications and so  
18 forth, not at all. I have yet to see the first one that  
19 refers to a section or to a document called equipment  
20 specification, reactor coolant pump, for instance. They call  
21 it now reactor internal pumps or something, and I would expect  
22 that that spec is a basic design document that is a part of  
23 the certification process.

24          MR. SCALETTI: There is--certainly we review the  
25 design record files on that.



1 MR. MICHELSON: We will get into it more, but I'm  
2 not sure that I am seeing yet anything closely related to what  
3 you are saying, namely, everything but the name plate. That's  
4 what you think is included. The fact I can only find the  
5 crude elements of what I would call a PSAR document. I think  
6 I have in front of me about the same level of detail as I have  
7 seen in PSARs.

8 MR. WILSON: It was something the staff is going to  
9 have to consider as they do the review, and if they find that  
10 level of detail is inadequate, as we discussed earlier, we are  
11 going to have to ask questions.

12 MR. CROCKETT: We have tried to draft a, what I was  
13 calling flexibility, what you suggested might be called  
14 fuzziness, into the paragraph A on page 23. The staff will  
15 advise the prospective applicants for certification on whether  
16 the information required is appropriate to the staff's  
17 consideration and whether any additional technical information  
18 on the design is required. This again doesn't occur in the  
19 sentence which actually speaks to final design approval, but  
20 at least in this case it comes right after it.

21 MR. MICHELSON: It says staff the staff will define  
22 what it means by essentially complete design. That is what  
23 that sentence says.

24 MR. CROCKETT: Going to happen in that--

25 MR. MICHELSON: That sentence says it is up to the

1 staff to decide what they need to consider essentially  
2 complete and they will get it.

3 MR. CROCKETT: This is certainly flexible, but it  
4 may mean that we need a bit more specification in the sentence  
5 before paragraph.

6 MR. MICHELSON: This is probably--

7 MR. CROCKETT: Jerry and I will look at the policy  
8 statement again, the language there.

9 MR. MICHELSON: That one there probably does it.  
10 You know, after a while you get to reading all of these and  
11 read them right.

12 MR. CROCKETT: I hope. I don't know. Could we  
13 treat the scope of design meaning how many pieces of a plant  
14 are in the design now? Could we go to that issue?

15 CHAIRMAN WYLIE: Sure.

16 MR. WILSON: That is on page 22.

17 MR. MICHELSON: Before you do, though, you think now  
18 that this sentence you read me on page 23 is the thing that  
19 addresses the required depth of presentation and it simply  
20 says the staff will be allowed to get whatever it needs and  
21 there won't be a backfit to get it or anything? It is a  
22 straightforward process. Thank you.

23 MR. CROCKETT: Yes.

24 MR. WILSON: On scope, item B on page 22, the  
25 standard is essential to the safe operation of the plant.

1 This has been varying, depending on the design and the staff  
2 in its review of FDA will decide what needs to be in. It is  
3 going, like I say, is going to vary from design to design. We  
4 point out that there are certain things that they would like,  
5 intake structures that are going to have to be left out of the  
6 design certification because that is going to vary from site  
7 to site. I want to get all the safety systems into the  
8 certified scope of the plant.

9 CHAIRMAN WYLIE: That taken with I presume on page  
10 24, paragraph D1, regarding interface requirements, will  
11 satisfy that?

12 MR. WILSON: Let me clarify. Page 24, what that  
13 covers is after we have determined what is the scope of  
14 certification, we then go to item D on page 24 and this states  
15 the information you need to provide for the non-certified  
16 portion of the plant. And that's items 1, 2 and 3. We need  
17 that information in addition to the full detailed information  
18 on the certified portion to do the overall review  
19 acceptability of the design. So what you need is the  
20 interface requirements and demonstrate that you can comply  
21 with the interface requirements, and a representative design  
22 to cover that non-certified portion. So I item B on page 24  
23 and item D on page 22 would then encompass the entire scope of  
24 the plant. So let's take an example.

25 CHAIRMAN WYLIE: Take the one you used.

1 MR. WILSON: Intake structure, it could not be in  
2 the certified portion of the plan, in non-certified portion of  
3 the plant, and the information you would have to provide for  
4 the intake structure is specified items 1, 2 and 3.

5 MR. MICHELSON: The interface requirements for the  
6 intake structure are certified as a part of the--

7 MR. SCALETTI: That is correct.

8 MR. MICHELSON: All you have to do is check to see  
9 that you, they met the interface requirements?

10 MR. WILSON: Yes.

11 MR. MICHELSON: How do we get around the problem of  
12 doing a, now a real PRA and so forth when we don't know what  
13 the intake structure looks like and so forth? Would you be  
14 able to do a PRA when you don't know what kind of valves there  
15 are and whether it is air operated, all that sort of thing?

16 MR. WILSON: You should be able to do one based on  
17 the interface requirements.

18 MR. MICHELSON: No.

19 CHAIRMAN WYLIE: How complete they are.

20 MR. MICHELSON: You would almost have to have the  
21 design in mind.

22 CHAIRMAN WYLIE: Only performance related as far as  
23 flows and temperatures and stuff like that, and then you can't  
24 do it because that won't help you, but you have to know the,  
25 you would have to know the design criteria for the structure.

1 MR. MICHELSON: Either that, or maybe they can write  
2 reliability criteria. I guess they could do that, write a  
3 reliability interface requirement. Whatever you do out there  
4 must be thus and so reliability.

5 CHAIRMAN WYLIE: Almost have to have a spec.

6 MR. WILSON: I think we have got that covered by  
7 item 1. It says requirement of--the interface requirements  
8 must be sufficiently detailed to allow completion of the FSAR  
9 and the PRA.

10 MR. MICHELSON: Okay. What page are you on?

11 MR. WILSON: Twenty-four

12 CHAIRMAN WYLIE: I see it there. Now let me ask you  
13 about that. I assume that what you said in your opening  
14 statement, your road map to certification or whatever you call  
15 it, that all of these requirements for severe accident  
16 requirements somehow that has got to be resolved to specify  
17 say what type of PRA you are going to do?

18 MR. WILSON: Right.

19 CHAIRMAN WYLIE: So you are going to, that is going  
20 to be done on faith I guess? There is nothing in here that  
21 says that.

22 MR. WILSON: That is one of the reasons we believe  
23 we need to proceed with that, also so that we can do a proper  
24 certification.

25 MR. MICHELSON: How do you do a pipe break review

1 out in the service water system that you have only got  
2 interface requirement? I guess interface requirement, pipe  
3 breaks, thus a certain size and I guess that's what your  
4 testing is.

5 MR. WILSON: You have the specific type.

6 MR. SCALETTI: It is difficult. You specify your  
7 reliability and your performance information, get whatever  
8 else you needed to interface with the PRA.

9 MR. MICHELSON: External events.

10 MR. SCALETTI: When an application came in, a  
11 utility applicant would have to demonstrate that that PRA  
12 performed on that portion of the plant met the reliability  
13 requirements of the main PRA.

14 MR. MICHELSON: What I was really asking is will  
15 there be interface requirement relative to the kinds of pipe  
16 breaks that postulate out in that black box? I would think  
17 you would have to--

18 MR. WILSON: Things like safety-related equipment,  
19 and the pipe failures could cause environmental effect on  
20 non-safety related equipment.

21 MR. MICHELSON: Those would be a part of your  
22 interface that--

23 MR. WILSON: Yes.

24 CHAIRMAN WYLIE: Let me ask you, in this--

25 DR. SIESS: Excuse me. He just said something that

1 doesn't sound right. It says here that compliance with  
2 interface requirements dealing with reliability of components  
3 or systems--that's what you were talking about, wasn't it?  
4 You said something about balance of plant shall be verifiable  
5 through previous experience or testing.

6 MR. MICHELSON: Where are you reading from?

7 DR. SIESS: Page 24, item 2 on that page; it says,  
8 second sentence, the first sentence says compliance with  
9 interface requirements is verifiable through some way or  
10 another. It says if you specify an interface requirement in  
11 terms of reliability. It doesn't say you can do a reliability  
12 analysis on that system after it is designed. It says it  
13 shall be verifiable through previous experience or testing.

14 MR. MICHELSON: Means you have to have.

15 DR. SIESS: For components I can understand, I can  
16 understand that, but this says system. Am I right?

17 CHAIRMAN WYLIE: Yes, you are right.

18 MR. MICHELSON: Both components and system.

19 DR. SIESS: You assume a certain reliability for a  
20 motor.

21 MR. MICHELSON: System may be the first time you  
22 have ever built it.

23 CHAIRMAN WYLIE: For example, the interface on page  
24 22, item D, you see, it allows deletion from the certification  
25 certain systems such as the, this particular one that is given



1 is the intake structure, but that could also be electric power  
2 systems, and balance of plant auxiliary system.

3 DR. SIESS: Site specific it says. The power system  
4 can be site specific.

5 CHAIRMAN WYLIE: I mean there are any number of  
6 systems that could be outside the certification and you are  
7 going to have to have interface requirements on them.  
8 Electric power system is one, probably the most--probably  
9 would be if they chose to do that, and I think some of them--

10 MR. MICHELSON: It is getting less than essentially  
11 complete. You start leaving too many things for interface  
12 requirements.

13 CHAIRMAN WYLIE: That's what I believe the, that  
14 Westinghouse is doing.

15 MR. MICHELSON: They are certifying. Maybe they  
16 won't be ready for certification when they get done if they  
17 leave too many items out.

18 DR. SIESS: Did the Commission tell them they wanted  
19 more plant than the standard plant, didn't they? Now what, GE  
20 is going to more, isn't it?

21 MR. WILSON: That's my understanding.

22 DR. SIESS: Westinghouse also is going to more. The  
23 Commission suggested to the industry that they wanted to see  
24 more included in the standard design than just the nuclear  
25 island.

1 MR. SCALETTI: The Commission in its meeting with  
2 GE, Chairman indicated he would like to see the complete  
3 plant.

4 DR. SIESS: Now they are going closer to that.

5 MR. SCALETTI: GE is providing what they consider  
6 the balance of plant information. There is still site  
7 specific stuff which won't be included.

8 DR. SIESS: Site specific, it can't--is Westinghouse  
9 doing the same thing?

10 MR. SCALETTI: Westinghouse is not committed yet to  
11 my understanding.

12 DR. SIESS: How far does GE's turbo generator--Voice

13 MR. SCALETTI: Rad waste system and turbine island.

14 DR. SIESS: Is GE the best person to design rad  
15 waste systems? Or go out and get somebody that knows how to  
16 do it.

17 MR. SCALETTI: You have to ask them that.

18 DR. SIESS: That's what bothers me. You want a good  
19 design, and I think that's the most important thing.

20 MR. WILSON: We are going to encourage  
21 standardization and have standardization.

22 DR. SIESS: Could have a standardized rad waste  
23 systematic hang on to any project. I mean somebody else can  
24 go--

25 MR. CROCKETT: The policy statement had left room

1 not only for balance of plant not to be standardized. I  
2 believe there was even language in the policy statement to the  
3 effect that you, to standardize a discrete element of the  
4 plant. That suggested a piece of the safety machinery,  
5 something less than all of it.

6 DR. SIESS: That didn't make a whole lot of sense.

7 MR. CROCKETT: We pulled away from that, but still  
8 left the notion that our interest in standardization is  
9 safety, and that if there is any standardization beyond the  
10 stuff that has impact on safety, that we will leave that up to  
11 the--we are not going to be interested in that.

12 DR. SIESS: You just coined a new phrase. Something  
13 has an impact on safety. I know what is safety-related, and I  
14 know what is important to safety, and now it is--you see, and  
15 essential to safety.

16 MR. CROCKETT: Let's stick with essential to safety.

17 DR. SIESS: It is hard to find things that aren't  
18 important to safety. We are finding the staff saying that an  
19 awful lot of things out there triggered by balance of plant  
20 upsets.

21 MR. CROCKETT: It may be applicants are not able to  
22 meet this standard. It may well be.

23 DR. SIESS: We really haven't designed what is  
24 essential to safety and so forth.

25 MR. WILSON: Getting back to what you said, you

1 wanted flexibility built into this, and the staff will make  
2 that judgment along with the ACRS as we do the review, decide  
3 what is essential to safety, and to a certain extent, it is  
4 going to be design specific.

5 DR. SIESS: What would be nice--I think it will  
6 work. You know, as Carl was bringing out earlier, the  
7 operators are pretty important to safety, and we can't  
8 standardize them.

9 MR. CROCKETT: We may be able to standardize their  
10 training, quality control, and we raise the question in the  
11 question section whether standardization should proceed beyond  
12 the design even to those factors.

13 MR. MICHELSON: Your policy statement had that long  
14 sentence about standard training programs, maintenance, whole  
15 bunch of things.

16 MR. CROCKETT: We have retained that as a question  
17 here.

18 DR. SIESS: It is a question now I think that was  
19 going a little too far. We have got to standardize the  
20 utility next.

21 MR. MICHELSON: You have convinced me that 5247A  
22 allows the staff to ask for anything they want and get it  
23 without further fuss.

24 DR. SIESS: I think that's right.

25 MR. MICHELSON: And if that is the case, then I am

1 all for a--

2 DR. SIESS: I don't know whether anybody out there  
3 is going to give it to them.

4 MR. MICHELSON: If they don't give it to them, I  
5 don't think there is any, there is no recourse. It is awfully  
6 arbitrary.

7 DR. SIESS: No. If you can get somebody to--they go  
8 through this once, they will sell ten of them, they will be  
9 willing to go through the process. It is a lot better than  
10 going through a tech, which is what we have been doing.

11 MR. MICHELSON: After about four years.

12 DR. SIESS: Same questions asked on three successive  
13 plants on the same design, asked over again because it is a  
14 different applicant, you know.

15 CHAIRMAN WYLIE: On the rule, I mean the policy  
16 statement that was issued where the--this is the next to the  
17 last page, the bottom right.

18 DR. SIESS: This thing?

19 CHAIRMAN WYLIE: Yes. Next to the last page down at  
20 the bottom right, where it begins the Commission expects to  
21 implement the following policies with regard to design  
22 certification and review, and it goes on, and in the bottom it  
23 says in addition, it must address the following four licensing  
24 criteria for new plant design set forth in the Commission  
25 severe accident policy statement.

1 Do you address that in here? I don't remember  
2 seeing it.

3 MR. WILSON: In fact, in my presentation we are  
4 going to pick that up in the severe accident rulemaking future  
5 plans. That is where we plan to pick that up.

6 DR. SIESS: Those are the severe accident  
7 requirements.

8 MR. MICHELSON: Isn't that a part of the licensing?

9 MR. WILSON: Yes. These are lifted right out of the  
10 policy statement.

11 MR. MICHELSON: Why aren't they in the rule that we  
12 are dealing with on licensing?

13 MR. WILSON: The same reason all other requirements  
14 aren't in 52. We refer back to Part 50.

15 MR. MICHELSON: How long before the severe accident?

16 MR. WILSON: It is in that schedule. Our intent was  
17 to have both the rulemakings done before we would start  
18 certification rulemaking for any of these plants.

19 DR. SIESS: Ruling doesn't mention severe accident  
20 policy statement, does it, as such?

21 MR. CROCKETT: No.

22 MR. MICHELSON: How do we review an ABWR for severe  
23 accident before you get your rule out?

24 MR. SCALETTI: That's a good question. I have that  
25 same question.

1 MR. MICHELSON: You are almost, on day one you start  
2 looking at severe accident.

3 DR. SIESS: Why don't we grab for the ABWR? Why  
4 don't we just grab for the ABWR? Nobody is going to build one  
5 in this country anyway.

6 MR. MICHELSON: I am thinking it might be the design  
7 for the next 60 years which I think is allowed to be designed  
8 for. With re-licensing, could be 60 percent. if I am going  
9 to live with it for 60 years, or somebody will, we have got to  
10 think about it.

11 DR. SIESS: I don't think they can sell one.

12 MR. MICHELSON: Accidents do happen.

13 MR. CROCKETT: Some of these items, I would say two  
14 and a half of them, are in the rule. Let's go down the  
15 list--demonstration of compliance with requirements of current  
16 Commission regulations, well, that's, we are saying, the rule  
17 says we are going to say which ones are applicable, which ones  
18 aren't.

19 CHAIRMAN WYLIE: Does say so.

20 MR. CROCKETT: The staff will determine which ones  
21 are applicable and which ones aren't in the discussion with  
22 the applicant because we can't, we cannot simply cite 5034F  
23 that says this applies to the following five plants, but a  
24 good deal of material which is in 5034F--

25 DR. SIESS: What is 5034F?



1 MR. WILSON: It is the requirement that the--  
2 CPML rule.

3 MR. SCALETTI: Clearly doesn't apply now. If this  
4 replaces the policy statements, and if the severe accident  
5 regulation doesn't get promulgated in time, we will have to--  
6 that was the point we made the other day.

7 MR. CROCKETT: The point applies most of all to item  
8 No. 2. Item 3 is in there. PRA is required. Item No. 4, I  
9 don't even know where that is listed as a requirement. It is  
10 going to happen. It doesn't have the same form or substance  
11 as the other three items in the list, and it is really  
12 included anyway, so we are really talking I think most of all  
13 about item No. 2, demonstration of technical resolution of all  
14 applicable GSIs and USIs alike.

15 DR. SIESS: I know what applicable means. And it  
16 says all resolved. The unresolved, why don't we, how do you  
17 demonstrate the technical resolution of unresolved issue?

18 MR. WILSON: You have to provide--

19 DR. SIESS: Once it is resolved, it is going to be  
20 implemented or imposed on some basis. Presumably it will be  
21 forward fit on to the reactors, right?

22 MR. SCALETTI: Some of them may have designed  
23 specific resolutions that are not the generic resolution.  
24 That may be not even thought of yet, and/or that may be in the  
25 process. Now a designer may say I get around that problem by

1 designing it this way and this USI goes away. However, it may  
2 not be a resolution for all plants but only that one specific  
3 design.

4 DR. SIESS: Okay. If I looked at the EPRI  
5 requirements, I would find some of those in there?

6 MR. SCALETTI: Yes.

7 CHAIRMAN WYLIE: Yes.

8 MR. MICHELSON: There is a real problem with what  
9 you find in there and that is that they used a cutoff date of  
10 last July. Is that still a cutoff date for USIs, GSIs?

11 MR. SCALETTI: That is only EPRI. The advanced  
12 light water reactor before us now must deal with all medium  
13 and high priority generic issues and unresolved safety issues  
14 that are prioritized up to the date of their issuance of the  
15 final design approval, so the same deal that we had on GSAR.  
16 If an issue comes up two days prior to scheduling, issuing the  
17 final design approval, you have got to deal with that issue  
18 before you can--

19 MR. MICHELSON: So let's take a specific example.  
20 Let's say that A-47, for instance, is resolved by handling a  
21 part of the problem, and maybe identifying a new problem for  
22 the rest of it. That new problem would still have to be  
23 picked up by GE provided it was identified and prioritized,  
24 final prior to the issuance of the final design approval, not  
25 the preliminary drafts, the module, but the final, so we need

1 to worry about things slipping away unless they are very close  
2 to the end.

3 DR. SIESS: Now what happens a year after the FDA is  
4 approved, we now get a design certification, and what happens  
5 to the USIs and GSIs that are resolved now in that interim  
6 period, or for that, those matters, those that are resolved  
7 after the design certification? Is the resolution going to  
8 address their imposition on certified designs or standard  
9 designs? Is that going to be a part of the resolution process  
10 now?

11 MR. WILSON: If I understand your question, by  
12 achieving technical resolution during the review, they  
13 shouldn't significantly be affected by the actual  
14 implementation.

15 DR. SIESS: Only those that have been identified up  
16 to a certain point?

17 MR. MICHELSON: This is a new one.

18 MR. WILSON: Let's say we have issued design  
19 certification and then a new USI comes up.

20 DR. SIESS: Gets resolved.

21 MR. SCALETTI: Resolution of that.

22 DR. SIESS: Resolution of that has to decide on the  
23 imposition. Can that be imposed on a standard design?

24 MR. WILSON: It would depend on the backfit rule  
25 applicable to that design certification.

1 DR. SIESS: Does it depend at all on what the issue  
2 was?

3 MR. MALSCH: How serious the issue was, if it was  
4 necessary for adequate protection.

5 DR. SIESS: Necessary for adequate protection.

6 MR. MALSCH: Backfit it immediately.

7 DR. SIESS: Backfit it immediately, and the fact  
8 that the certified design was by rule, also have to be  
9 achieved in the rule, that is covered somewhere in here?

10 MR. MALSCH: That's right.

11 MR. MICHELSON: How was that covered?

12 MR. MALSCH: I think it is covered probably in the  
13 finality provisions. Or well, which are--

14 MR. MICHELSON: It really needs to be covered in the  
15 rule.

16 MR. MALSCH: If it is not that serious but still  
17 would qualify as incremental cost effective increase in the  
18 protection and it was resolved by rule, you would pick it up  
19 at the renewal stage.

20 DR. SIESS: I would assume if it was required for  
21 adequate protection, we would do it, but now--if we have the  
22 mechanism for doing it.

23 MR. MALSCH: Do it by rule and do it by rulemaking.  
24 We would approve that.

25 DR. SIESS: Won't take you as long as it does now.

1 MR. MALSCH: Should be a lot shorter than it does  
2 now. Rulemaking currently takes a hell of a long time. In  
3 principle--

4 DR. SIESS: Implementation takes even longer.

5 MR. MICHELSON: Can you help me with what you refer  
6 to which I assume--

7 DR. SIESS: At page 28.

8 MR. MICHELSON: 5263A, is that right?

9 MR. MALSCH: Final provisions are going to be--yes,  
10 that's the provision.

11 MR. MICHELSON: The one you say will take care of  
12 me.

13 MR. MALSCH: That's right. We are in the process of  
14 changing that.

15 MR. MICHELSON: It looks like it says, though, that  
16 I have to go through a backfitting. I mean I have to go  
17 through a rulemaking to do it.

18 MR. MALSCH: That's right.

19 DR. SIESS: Because the design.

20 MR. MICHELSON: I can't--but you are saying orders  
21 are rulemaking?

22 MR. MALSCH: We would go through rulemaking to do  
23 this.

24 MR. MICHELSON: Can you do that real quick?

25 MR. MALSCH: We're hoping we can do that real quick.

1 DR. SIESS: It is a rule. There you are changing--

2 MR. MICHELSON: The rule says you can't change  
3 anything unless you go through rulemaking.

4 DR. SIESS: Can't change a rule without a  
5 rulemaking, and the design certification is a rule.

6 MR. MICHELSON: Why didn't you word in here  
7 something a little less stringent? It would require an order  
8 by the Commission to make such changes, but not a, I mean not  
9 a change in the rule.

10 DR. SIESS: You have to, Carl. The design  
11 certification is itself a rule, and you can't change a rule  
12 without a rulemaking.

13 MR. MALSCH: It shouldn't be any more time-consuming  
14 and complicated in principle.

15 DR. SIESS: By making design certification itself a  
16 rule, any change in that certification is a change in the  
17 rule, and that's a rulemaking.

18 MR. MICHELSON: That's where you get that same  
19 question with the tech specs. You can get some very  
20 minor--there is no provisions that give, avoid minor stuff.

21 DR. SIESS: Tech specs get in part of that  
22 certification. You have got trouble.

23 MR. MICHELSON: Did you put a provision for minor  
24 stuff?

25 MR. CROCKETT: Provision for minor stuff.

1 MR. MICHELSON: Where is that?

2 MR. MALSCH: Variances.

3 MR. CROCKETT: I can't remember. It is on that

4 same--

5 MR. MALSCH: It is on Section 5263C.

6 DR. SIESS: Variance, yes, page 29.

7 MR. MICHELSON: Variance by your definition is minor  
8 stuff?

9 MR. CROCKETT: D is even more minor.

10 DR. SIESS: Applicant can request a variance. Now I  
11 have already got a license, and I request a variance there?  
12 The licensee, in D it says the licensee may make a change only  
13 if the change does not involve changes to the design as  
14 described in the rule.

15 MR. CROCKETT: You have to read 15 words into  
16 Section C, but C also allows the licensee to be, to ask for a  
17 variance. That is an applicant for one of the following three  
18 things, or a licensee.

19 DR. SIESS: I am sorry. I missed it.

20 MR. CROCKETT: It is hard.

21 DR. SIESS: I just missed it.

22 MR. CROCKETT: It is one of the 50 word subjects.

23 DR. SIESS: Seventy-five word predicate; I think you  
24 have got a good approach to this thing. I just wish there  
25 were some way of doing it without a rule because you know



1 damn--

2 MR. CROCKETT: Certification by some means other  
3 than rules? Is that what you mean?

4 DR. SIESS: The policy by some other, because there  
5 are going to be bugs in it and if it doesn't work, you might  
6 could change it, but--

7 MR. MALSCH: That says you have got to be very  
8 careful in the rule as to exactly what you are approving and  
9 what you are not approving, and the detail involved.

10 MR. CROCKETT: That is in the certification rule.

11 MR. MALSCH: In the certification rule.

12 DR. SIESS: But this rule that sets forth the  
13 procedures, I think you probably have got enough flexibility  
14 to do the first couple.

15 MR. MALSCH: We are going to have to learn by  
16 experience.

17 DR. SIESS: I hate to see it as a rule, but I don't  
18 know any other way of doing it. Sure, we are.

19 MR. CROCKETT: But in order to get some stability  
20 and some standardization, we have to say on the one hand we  
21 are prepared to look at the following kinds of applications,  
22 and there is nothing in the rules now which says that.

23 Second, we impose on ourselves and on the applicants  
24 or the holders of the certifications certain, we impose on  
25 them certain stability. They can only ask for so much, and

1 when they ask for it, certain consequences follow. If we  
2 grant it, we can only change so much, and only under certain  
3 conditions, and people ought to be bound at that point I think  
4 by rules. Simple statement of policy is probably--

5 DR. SIESS: The way the French operate, they build  
6 about ten or twelve plants and as they find things they like  
7 to improve, they make a little list of them and then when they  
8 come to the next set, they make those improvements and build  
9 ten or twelve more like that. They don't try to go back and  
10 fix it each time. They try to keep it standard even though it  
11 isn't the best. And we--that's the hardest thing to accept.  
12 It really is. Standard, but day after tomorrow I think of  
13 something I could do to make the second one better than the  
14 first one.

15 MR. CROCKETT: We have accepted it apparently in  
16 dealing with airplanes.

17 MR. MICHELSON: I understand there is a lot of  
18 variation from one 747 to another or 727 to the rest of them.  
19 Each airline also has its little things that it adds to the  
20 cockpits.

21 MR. CROCKETT: Only in certain areas. There is, if  
22 it touches something that affects the air worthiness  
23 certification--

24 MR. MICHELSON: Then they are blocked.

25 MR. CROCKETT: The FAA moreover is blocked except

1 for equipment.

2 DR. SIESS: I assume that is covered in the air  
3 worthiness thing, but it is a GE or Pratt Whitney engine or  
4 whatever.

5 MR. MICHELSON: They have got engine choice.

6 MR. CROCKETT: There is a certain mix and match that  
7 they can do.

8 MR. MALSCH: If you looked at the law on what  
9 procedures you have to follow to amend a rule and contrast  
10 that with the procedure you have to follow to amend the  
11 license, on its face, a license amendment looks a lot more  
12 complicated, so in principle there is no reason why the  
13 process for amending a design certification needs to be any  
14 more complicated procedurally than the process for amending a  
15 license. I think we are just accustomed to taking so much  
16 time in rulemaking, going through so many internal loops, it  
17 appears to be more complicated.

18 MR. MICHELSON: Four, five years.

19 DR. SIESS: Used to run a list of rulemaking actions  
20 in nuclear safety meeting--here is something I had forgotten  
21 about. It was 15 years ago, public comment, nobody has done  
22 anything about it.

23 MR. MALSCH: Our office has managed to go through  
24 complete cycles of rulemaking in three or four months. If you  
25 have got the desire to do it and you want to do it, devote the

1 staff to do it, you can do it.

2 DR. SIESS: An interesting point.

3 MR. CROCKETT: In the meantime, you can still order  
4 shutdown.

5 MR. MICHELSON: If you find a problem and the  
6 utility wants to fix it, changes in design, can they do that  
7 without changing the rule of if it is something that is  
8 defined in the rule?

9 MR. CROCKETT: They can ask for a variance, and that  
10 is Section C.

11 MR. MICHELSON: This is big variance. I thought it  
12 meant something small.

13 MR. CROCKETT: Make, make a big change.

14 MR. MICHELSON: Big and defined in the certification  
15 and everybody agrees it has got to be fixed, it is going to  
16 take four months to get the rule and they change, can they  
17 change it before that by mutual agreement, you know, and then  
18 let the rule catch up with it later?

19 DR. SIESS: We never had anything in the past like  
20 this.

21 MR. CROCKETT: I suppose at their own risk.

22 DR. SIESS: I can't think of anything in the past  
23 that had to be done in four months.

24 MR. MICHELSON: I am just giving you a hypothetical  
25 case, and I am not sure you can get rules in four months.

1       either. That is also hypothetical maybe.

2               MR. MALSCH: We have done it on occasion.

3               MR. MICHELSON: Now you have got to talk about  
4 participation.

5               DR. SIESS: We have had major issues that required  
6 plant changes that took five years and nobody shut the plant  
7 down in between. Only thing we shut plants down is for  
8 management problems. Am I right?

9               MR. MICHELSON: I think.

10              MR. MALSCH: We have shut some plants down some  
11 years ago for design problems.

12              DR. SIESS: Not for five years.

13              MR. MICHELSON: By definition, you don't ever make a  
14 change in this plant unless it is something that has caused it  
15 to be less than adequately safe.

16              MR. MALSCH: I think that's the underlying  
17 philosophy.

18              MR. MICHELSON: Do you shut down and wait for the  
19 rulemaking before you make the change, or can you change the  
20 plant while the rule is in progress even though you don't  
21 start up again?

22              MR. MALSCH: I think what you probably do is issue a  
23 rule, an interim rule on that so immediately effective interim  
24 rule on that basis.

25              DR. SIESS: If it is a change that has to be made to

1 make the plant adequately safe, the plant ought to be shut  
2 down until it is fixed.

3 MR. MICHELSON: Can you start making the change  
4 right away while you are going through the rulemaking to  
5 identify the--

6 MR. MALSCH: I think we can work that out with  
7 interim effective rule followed by some final rulemaking.

8 DR. SIESS: In this kind of change first you have  
9 got to design it and procure it. You won't do that in five  
10 months anyway. Before you start changing anything physically,  
11 they could get the rule changed I think.

12 MR. MICHELSON: What do you do in the case where you  
13 have got a particular system that is designed into this plant,  
14 and you suddenly realize that the valve that ought to be  
15 normally closed in order to--instead is normally open? The  
16 design certification holds for normally open valve? Is that a  
17 minor change? There is plenty of those, GSAR has lots of  
18 identified valves with certain alignments.

19 DR. SIESS: Wouldn't that be a tech spec change?

20 MR. MICHELSON: Well, that also requires rulemaking.

21 DR. SIESS: If the tech specs are in--

22 MR. CROCKETT: I think that is where Marty's  
23 immediately effective interim rule would work rather well,  
24 because the policy--

25 MR. MICHELSON: There ought to be a procedure in

1 here on how you handle those immediately effective things  
2 while you are straightening out the paperwork.

3 DR. SIESS: Would close the valve.

4 MR. MICHELSON: The NRC and everybody agrees that it  
5 ought to be closed instead of open. How do you change it?  
6 Because it is certified to be kept in the open position.

7 MR. MALSCH: Why don't we give thought to maybe  
8 sticking something in there?

9 DR. SIESS: Just don't tell anybody, Carl.

10 MR. MICHELSON: Well, you can't do that, either. I  
11 don't think it is a problem. It would be nice to have a--

12 CHAIRMAN WYLIE: What do you stick in?

13 MR. MICHELSON: They are just going to think. They  
14 are not sticking anything in. They are going to think about  
15 how you handle those things. You really need to do it  
16 immediately once you realize you have a problem.

17 DR. SIESS: What, what is the alternative to having  
18 design certification by rule?

19 MR. CROCKETT: Having it by license.

20 MR. MALSCH: License a design.

21 MR. CROCKETT: We are not sure that the agency is  
22 empowered to license designs.

23 DR. SIESS: What did we do with the old standard  
24 plants?

25 MR. CROCKETT: They were never certified for



1 license.

2 DR. SIESS: Approved the design.

3 MR. MALSCH: Only at the staff level; there was  
4 never any agency signoff on that. The closest the agency ever  
5 came, the agency ever came was--

6 DR. SIESS: What was wrong with that? It was done  
7 at the staff level.

8 MR. CROCKETT: Because it did not tie, didn't tie  
9 the adjudicatory Boards.

10 MR. MALSCH: Or the Commission.

11 MR. CROCKETT: It says explicitly in O on FDAs this  
12 does not bind decisions arrived at in adjudication.

13 DR. SIESS: Somebody came in with a GSAR or one of  
14 the, approved as a standard plant or something, it was still  
15 adjudicated.

16 MR. MALSCH: That's right, for purposes of hearing.

17 DR. SIESS: Ever had one with balance of plant, it  
18 would have been adjudicated the same way? I don't think we  
19 ever got one that came in with all the balance of plant.

20 MR. MALSCH: For purposes of the hearing process and  
21 final Commission approval an FDA is really no more than a, has  
22 no more status than a safety evaluation report.

23 DR. SIESS: So if we don't have a hearing process,  
24 the whole thing could be done rapidly?

25 MR. MALSCH: No. There is still the question as to

1       whether the Commission itself wanted to impose an elaborate  
2       process on top of the staff approval that it was going to sign  
3       off on.

4               DR. SIESS:  If we just wanted to standardize plants  
5       and approved standardized designs and so forth, if there were  
6       no hearing process, that can be done without a rule, and--

7               MR. CROCKETT:  That really is speaking  
8       hypothetically.

9               DR. SIESS:  Well, for example--

10              MR. MICHELSON:  Unrealistically.

11              DR. SIESS:  Well, yes, theoretically, and I'm not  
12       sure--idealistically we could probably have a pretty good  
13       nuclear power system in this country without any rules.

14              MR. CROCKETT:  Yes, I suppose we could have them  
15       without hearings or nothing more than the French have which  
16       are limited appearance session, what we call limited  
17       appearance sessions.

18              DR. SIESS:  Any worse or any better.

19              MR. CROCKETT:  I don't see that happening in this  
20       country.  It doesn't matter who is in office or what the  
21       Congress is like.

22              DR. SIESS:  Not in this country.  The French are not  
23       going to be able to get away with it forever.

24              MR. CROCKETT:  We may license airlines without  
25       public hearings I guess, adjudicatory hearings.  I am sure

1       they are public hearings of some sort.

2               DR. SIESS: I don't think they are.

3               DR. SIESS: A purely technical review.

4               MR. CROCKETT: Just does not look like--I don't know  
5       who is going to ask for that.

6               DR. SIESS: Nobody is against airplanes.

7               MR. MICHELSON: A shortcoming of this whole process  
8       appears to be that really to do it right you are locking  
9       yourself into things that are hard to change. Maybe you can  
10      come up with some words and fix it up for changes that then  
11      follow through with the process.

12              DR. SIESS: What you want is stability but not  
13      rigidity.

14              MR. MICHELSON: It is rigid. It is very rigid.

15              MR. CROCKETT: We are talking about matters of  
16      degree here between what we have now and what this may appear  
17      to bring it to be.

18              MR. MICHELSON: Such a simple thing as you know,  
19      those internal pumps that GE has shown now, maybe they are  
20      going to have to change the design after a certification.  
21      They have got to go through another certification amendment or  
22      something to change the material or to change the bearing  
23      configuration and things of that sort, and I just--

24              DR. SIESS: The Japanese are testing the hell out of  
25      them.

1 MR. MICHELSON: We thought we would--tested a lot of  
2 other things in these plants that turned out later to be sour.  
3 I don't buy the idea because we have tested them for a while  
4 they will never need to be changed. When they do, every  
5 change in rulemaking is defined in the certification process  
6 as being a specific configuration, specific term.

7 DR. SIESS: Every plants that one changes the same  
8 way.

9 MR. MICHELSON: That's another issue.

10 MR. CROCKETT: If it has a certain level of  
11 significance, yes.

12 MR. WILSON: I think that points out one of the  
13 reasons we want to have an applicant declare prior to the  
14 review that, FDA stage he is going to seek certification, so  
15 we can review it with that in mind.

16 MR. MICHELSON: I hope the potential buyer of this  
17 realizes how hard it is going to be to fix things that  
18 everybody agree needs to be fixed and that they were defined  
19 in the certification, therefore require revised rulemaking.

20 DR. SIESS: May not be that hard.

21 MR. CROCKETT: License amendments.

22 MR. MICHELSON: Rulemaking is not simple even if it  
23 is a four-month rulemaking.

24 DR. SIESS: It has to be published.

25 MR. MALSCH: Nor commented, analyzed, and final

1 rule.

2 DR. SIESS: Somebody has to analyze it.

3 MR. MICHELSON: Public intervention.

4 MR. MALSCH: All that is necessary is opportunity  
5 for written comment.

6 DR. SIESS: No hearing is necessary for rulemaking.  
7 We do it all the time. So actually the three or four months  
8 you are talking about, that is drafting time.

9 MR. MALSCH: That's right.

10 MR. CROCKETT: The problem is there. We agree.

11 DR. SIESS: You always have published as a proposed  
12 rule, don't you?

13 MR. MALSCH: Well, on emergency basis you might be  
14 able to publish effective rulemaking. Normally it is  
15 published as the other thing first.

16 MR. MICHELSON: Let's assume for the moment that the  
17 specifications are a part of certification. A particular spec  
18 was a part of the certification. Any change in that spec then  
19 required later would require a rulemaking?

20 MR. CROCKETT: The way this is written now, yes.

21 MR. MICHELSON: I have been through specification.  
22 It is not unusual to get 20 or 30 changes to specification  
23 before the component is delivered.

24 MR. MALSCH: That is why you need to think carefully  
25 before you get your design certification exactly what you want

1 certified.

2 MR. MICHELSON: You have got to think awfully  
3 carefully about what you are certifying. Inm that base you  
4 don't want anything, you don't want any word, one paragraph  
5 for the whole plant.

6 MR. WILSON: The tech specs you feel are necessary  
7 or essential for safety, you want to put those in. and others  
8 you wouldn't do it.

9 MR. MICHELSON: That's an aspect I hadn't  
10 appreciated I guess until just now.

11 MR. MALSCH: In terms of the--

12 MR. MICHELSON: Level of difficulty of correcting  
13 what we know are going to be multitude of small, relatively  
14 small errors, but they all might be things defined already in  
15 the certification.

16 CHAIRMAN WYLIE: Take a simple item like electrical  
17 penetration on containment. Manufacturers go out of business.  
18 Now you have got to get a replacement.

19 MR. MICHELSON: You have written a spec around a  
20 known supplier and he no longer supplies. Now you have got to  
21 write a new spec around a new supplier. When you do,  
22 specifications are not generic.

23 DR. SIESS: Suppose you describe performance  
24 criteria.

25 MR. MICHELSON: That is a little easier.

1 DR. SIESS: That is what you should be doing.

2 CHAIRMAN WYLIE: You have got structural  
3 considerations as well as just performance. In that case--  
4 which means a replacement would have to be specified to hit  
5 right back in that position.

6 MR. MICHELSON: Procurement specs are pretty well  
7 detailed. If you want to change the configuration, it will be  
8 all right to do. If that spec was a part of the certification  
9 process, I can't change the detail without getting--

10 DR. SIESS: I am trying to understand. I have got a  
11 standard plant now, have got two standard plants, two copies  
12 of the same standard design, and do you consider them not  
13 standard if this one has a penetration of 3 eighths inch  
14 shell, this one penetration of 5 16ths inch shell, although  
15 both of them will meet the requirements?

16 MR. MICHELSON: I think they are both the standard.  
17 However, however, you, if the design, the procurement spec  
18 said what, 3 eighths or 5 eighths, I bet you it did.  
19 Depending on--most of them I have ever seen for procurement  
20 purposes are pretty detailed in that sort of thing.

21 DR. SIESS: Is t' standard design going to get that  
22 detailed down to procurement specs?

23 MR. MICHELSON: That is one of the questions asked  
24 earlier. Is the procurement spec part of it? If it isn't,  
25 then you have got other problems.



1 MR. SCALETTI: That level of detail.

2 MR. MICHELSON: Procurement spec is written to that  
3 level of detail.

4 MR. SCALETTI: The requirement at least for the ABWR  
5 is to be level of detail at which you can develop the  
6 procurement specifications. Whether the procurement  
7 specifications will be part of the certified design or not, I  
8 can't answer that.

9 MR. MICHELSON: That's a little different answer  
10 than I thought I heard earlier today. I thought you said they  
11 were in the procurement level.

12 MR. SCALETTI: Procurement level of detail.

13 MR. MICHELSON: Developed for certification  
14 purposes; I think you are saying a little statement a little  
15 different. You said the information available would permit  
16 you to write a specification to that detail. That is a  
17 different answer.

18 DR. SIESS: Real standard plant would be a turnkey  
19 job. They might all be the same standard design, but you get  
20 three different guys building it.

21 MR. MICHELSON: Not exactly. That's--I am just, all  
22 of a sudden realize that we have some real problems if we  
23 certify, got to write a rule every time we change it, what I  
24 consider the minor details.

25 DR. SIESS: Without the lawyers.

1 MR. MICHELSON: Maybe you can avoid this, but you  
2 know, a lot of stuff is defined. Even in the ABWR there are  
3 cases where there is a fair amount of detail, but I can't  
4 imagine that frozen in concrete quite that exactly.

5 MR. SCALETTI: Well--

6 MR. MICHELSON: Little nuances have to require a new  
7 rule.

8 DR. SIESS: If the people that are asking for that  
9 design certification understand this, then they ought to do it  
10 right.

11 MR. MICHELSON: What is wrong with having a  
12 provision that says if the--maybe it is in there. If the  
13 licensee wishes to make a change in the design, that the NRC  
14 looks at the change and has no problem, you don't have to  
15 write a, go back and change a, write a rule. Say there is no  
16 problem.

17 MR. CROCKETT: That is there for licensees.

18 MR. MICHELSON: Latter part; if a tech component is  
19 defined in the FSAR. Let's take a specific example. If the  
20 reactor phlange seal detail is in the FSAR, and I suspect it  
21 may be, I am not going to say it is. Let's assume it is. If  
22 that phlange--I mean it shows there are two O rings and there  
23 is a leak off and so forth, if that's in the FSAR, in the  
24 process of deciding, you know, buying and starting to build  
25 this, it got certified with that configuration there, they

1 decided they want to put three O rings instead of two, two  
2 leak off, the NRC says that's even better than we had before,  
3 but it is not what has been certified, can you make the change  
4 to three O rings without going back and changing, doing, going  
5 through the paperwork of rulemaking?

6 DR. SIJESS: Page 19, item B.

7 MR. WILSON: Furthermore--I am not sure.

8 DR. SIJESS: Amendment to the design certification by  
9 way of rulemaking; what is more, if it is significant to  
10 safety, it will be applied to all plants.

11 MR. WILSON: That's my point, though, that if adding  
12 this additional O ring just makes it a little safer, we don't  
13 want to make the changes. We are trying to fix these plants.  
14 One of the benefits of standardization is that we have the  
15 same design and what we learn in operation of double O ring  
16 design we want to apply that to other plants, and if we have a  
17 double O ring design in triple W, pretty soon we are back to,  
18 we have lost that benefits in standardization.

19 DR. SIJESS: You can't deny it. The holder may file  
20 a request for amendment by way of rulemaking. The Commission  
21 shall grant the amendment requested if it determines it will  
22 comply with the Atomic Energy Act and the Commission's  
23 regulations. And what would you point to in the Commission's  
24 regulations that said they shouldn't add a third O ring?

25 MR. SCALETTI: If they have to go through

1 rulemaking, they are really going to have to want it badly.

2 MR. MICHELSON: We will assume for the moment they  
3 want it badly. I am beginning to understand the process a  
4 little better.

5 CHAIRMAN WYLIE: I think it is going to be  
6 counterproductive.

7 MR. MICHELSON: It is.

8 CHAIRMAN WYLIE: Countersafety if you make it so  
9 tough for them to make changes.

10 DR. SIESS: I said a long time ago that  
11 standardization was a state of mind. If you want to, you can  
12 get it, and I am not sure that the Commission wants it  
13 although they are getting more and more to want it, but I'm  
14 not sure people out there want it, either. If they really  
15 want it, they will buy the plants. And probably if NRC will  
16 let them, and if both parties want it, they can get along with  
17 standardization, but it is going to be traumatic for both of  
18 them because people haven't been used to the idea of leaving  
19 things like they are.

20 MR. MICHELSON: Small changes have been made  
21 routinely by just writing a 50.59 and filing it and an  
22 inspector looks at it once a year and everybody is happy.  
23 That's all it takes. But now if I want to change the O ring  
24 material I am going to keep sticking with the two rings. I am  
25 going to change the material, put chrome plating or something.

1           If that chrome plating had been defined in the FSAR  
2   as being there, I have got to write a rule to take it off and  
3   change it.

4           MR. CROCKETT: The song that is usually sung at this  
5   point is that 30 years ago, it would have been a bad idea to  
6   block change, but we are now 30 years wiser.

7           CHAIRMAN WYLIE: We haven't solved all the problems  
8   by a long shot.

9           MR. MICHELSON: I think you are going to get to,  
10   HTGR is even going to get more interesting.

11          DR. SIESS: State of mind; as I recall, Dresden  
12   Units 2 was in the SEP program. Dresden Unit 3, which is  
13   identical more or less, wasn't. It was, 3 had a full-term  
14   license and 2 didn't. And there were a number of changes that  
15   came out of the SEP program. Commonwealth told us they were  
16   going to make all the changes, not just the two but the 3.  
17   What is more, we are going to make them in 1 and 2 also, keep  
18   these four plants alike. Now that was their attitude toward  
19   some standardization. I don't know how wide that is in the  
20   industry. How much did Duke do to keep, how close were Oconee  
21   1 and 3 to each other?

22          CHAIRMAN WYLIE: Well--

23          DR. SIESS: One and 2 came first and then 3?

24          CHAIRMAN WYLIE: Yes. One and 2, they were  
25   identical except I think they were laid out opposite.

1 DR. SIESS: Oh, yes.

2 CHAIRMAN WYLIE: Then Unit 3 was like Unit 2.

3 DR. SIESS: How much have they done about making  
4 fixes and making them uniform through all units?

5 CHAIRMAN WYLIE: They are pretty much the same.

6 DR. SIESS: Some interest in doing it.

7 CHAIRMAN WYLIE: Where they are different is McGuire  
8 was going to be the same. It was a condenser plant, but the  
9 first thing they did was went out and bought different turbine  
10 generators.

11 DR. SIESS: That's an example of making the same  
12 mistake four times. I read a book called standardization of  
13 error. It didn't really mean what it said. The  
14 standardization of men, really that's one thing that worries  
15 me.

16 MR. CROCKETT: It is possible, but there is  
17 counterbalancing; also be more easily changed. You won't have  
18 four different areas to contend with. You will have one.

19 DR. SIESS: We expect to have more thorough review.  
20 That's always been one of the thoughts behind it.

21 MR. CROCKETT: More thorough design up front, more  
22 thorough review, greater ease of correction of review because  
23 it applies to a whole bunch of plants at once.

24 DR. SIESS: That doesn't follow exactly because if I  
25 have got to shut down 40 plants, I am going to think twice.

1 People need that juice up there. I want to do it on a hot day  
2 in June.

3 MR. CROCKETT: It is with such a thought in mind  
4 that you take greater care while you are reviewing the design.

5 MR. MICHELSON: Is there a definition or does  
6 everybody understand what a variance is? Is there a legal  
7 understanding of what variance means? What does variance mean  
8 in the case of the, where we are using it on page 29 under  
9 section subsection C? We talk about variance is granted  
10 without changing.

11 MR. MALSCH: You have got to show something  
12 different about your plant, something special about the  
13 situation.

14 MR. MICHELSON: Variance could mean almost anything  
15 as long as I somehow satisfy the NRC that it is all right to  
16 have that variance and there is no rulemaking required.

17 MR. MALSCH: The criteria are limits.

18 MR. MICHELSON: Where are are the criteria?

19 MR. MALSCH: 5012A and the principal limiting one I  
20 think is 5012A.

21 MR. MICHELSON: It has got to be minor.

22 DR. SIESS: If it is generic, it says it will apply  
23 to all licenses, but somewhere else it said applies only to  
24 essential to safety.

25 MR. CROCKETT: There are two sections. There is



1 amendment and variance. Amendment, they are defined by  
2 context. Amendment is what a holder of the certification asks  
3 for, and that requires a rulemaking. Variance is what a  
4 licensee or an applicant who wants to refer to the  
5 certification asks us for, and that does not require a  
6 rulemaking, though a fairly high threshold is set. Otherwise  
7 it is like turning over a stock model car to a bunch of guys  
8 who are good with engines and they produce souped-up models.

9 MR. MICHELSON: Your next Section D says you can't  
10 make changes to the plants that are defined in the  
11 certification process.

12 MR. CROCKETT: Within variances, there are two  
13 categories--those changes which can be made without prior  
14 approval. Section D speaks to those--and those changes which  
15 require prior approval. Section C speaks to those.

16 MR. MICHELSON: You are saying that under Section C  
17 if the licensee asked to change something, no matter what it  
18 is--

19 MR. CROCKETT: If it affects, changes something in  
20 the design, it needs prior approval. If it does not change  
21 something in the design, if it falls somewhere between--

22 MR. MICHELSON: Let's stick with the one that  
23 requires change in design. If that design had been certified,  
24 but only if the licensee asked for it.

25 MR. CROCKETT: He has got to come to the Commission.

1 Rulemaking is not--

2 MR. MICHE' SON: Asks for variance and it is granted,  
3 then no rulemaking is required, so I can change a,  
4 significantly change a design of the, of a sub-system in this  
5 plant, and as long as I am the licensee, and request the  
6 change, you can grant it without rulemaking.

7 MR. CROCKETT: If you can clear 5012; I am not sure  
8 with that case that you could.

9 MR. MALSCH: Criteria for granting exemptions and  
10 regulations.

11 MR. MICHELSON: That's considered as exempt from the  
12 regulations.

13 MR. MALSCH: That is how we analogize.

14 MR. MICHELSON: Exemption from a rule in this case.

15 MR. CROCKETT: That's right.

16 DR. SIESS: There is something in there. One of  
17 those 50 somethings indicate it is safety-related because you  
18 go backfit it to everybody.

19 You mean you are going to apply it to all the, you  
20 can apply it to all licenses?

21 MR. WILSON: That is one of the means that we  
22 restrict these variances. There is a group of them out there.  
23 It is going to affect all of them, so fellow licensees may not  
24 think too much of this.

25 DR. SIESS: Somewhere else you said if it is

1 significant for safety, it would be applied to all of them.

2 And here you say--

3 MR. CROCKETT: We--our language is not, our language  
4 is not parallel on that.

5 DR. SIESS: B says if it is significant to safety,  
6 then it will be applied to all plants references the design.  
7 Here on the variance you say if it has generic applications,  
8 it would be applied to all licenses references the design.  
9 Does that mean one licensee can affect other licensees? And  
10 that bothers me.

11 MR. MALSCH: I think procedurally we have to  
12 probably go through rulemaking to apply to all licensees.

13 MR. MICHELSON: I would think so.

14 DR. SIESS: Unless there is something in 501292  
15 that--

16 MR. MALSCH: No.

17 DR. SIESS: Significant to safety, he asks for a  
18 variance, you approve it, then you probably should apply it to  
19 all of them.

20 MR. MALSCH: It is unfair to do that without giving  
21 them a say in it, so we probably would go through rulemaking  
22 before we did that.

23 MR. CROCKETT: We probably should do some fiddling  
24 there.

25 MR. MICHELSON: I think the versatility is needed

1 all right. It is just a question of providing it, correcting  
2 it.

3 MR. CROCKETT: They are going to end up with less  
4 versatility than they have now unless there is some decision  
5 before.

6 MR. MICHELSON: Even if they did it, of course they  
7 can request--there is nothing in here that requires you to  
8 grant a variance.

9 MR. MALSCH: That's right.

10 MR. MICHELSON: You have this route available  
11 providing you are, you accept it.

12 MR. CROCKETT: If they meet certain standards, we  
13 shall grant it.

14 MR. MICHELSON: Does it say that?

15 MR. CROCKETT: If the variance will comply with--

16 MR. MICHELSON: That's right. It did say that.

17 MR. MALSCH: The criteria are fairly stringent.

18 DR. SIESS: Have you guys ever heard of a decision  
19 table?

20 MR. CROCKETT: Yes. You want, you want the rule in  
21 the form of a decision table?

22 DR. SIESS: No. I write codes for buildings, and we  
23 don't do it all the time. We find a decision table extremely  
24 helpful in writing to be sure that you have covered all the  
25 things you want, but given this set of circumstances, you come

1 out somewhere, every once in a while we find gee, here is a  
2 sets of circumstances that is there is no provision for, and  
3 there is several of these things that could benefit from  
4 looking at in the form of a decision table even--

5 MR. CROCKETT: There are many crude ones which have  
6 since found their way in the waste basket, my waste basket.

7 DR. SIESS: I have trouble with them myself. I used  
8 to make a decision chart rather than a table, one that does a  
9 table and the other one is a flow chart type.

10 MR. CROCKETT: Right.

11 MR. MICHELSON: That 5012 is a pretty limiting--

12 MR. CROCKETT: It is hard to clear 5012.

13 MR. MICHELSON: If you read it as meaning you have  
14 got--any one of these can hang you up, which I would read it  
15 that way, there are quite a few there to hang you up.

16 DR. SIESS: You have got three sources for changes.  
17 One is the holder of a certification. One is the applicant  
18 for license, and one is the NRC.

19 MR. CROCKETT: I had a rough decision table taking  
20 just that form downflow. The NRC is controlled by some  
21 backfitting provision harsher than the, more limiting than  
22 the one we now have in effect because it is limited to  
23 adequate protection cases without consideration of cost, the  
24 holder is limited by this amendment process, by the prospects  
25 that he is not simply changing things for future plants but

1 may come up with something that we would backfit on all  
2 presently operating plants references that design, and the  
3 licensee is limited by having to meet 5012 and the like and  
4 also the possibility that his variance also would be  
5 backfitted on other plants, or some other way generically  
6 apply. So we are all controlled by hurdles which have not  
7 existed before.

8 DR. SIESS: The real advantages to the industry in  
9 the standard plant approach is that all of those things that  
10 happen up on the time it starts up, expediting, many  
11 competitive hearings and so forth. The disadvantage is  
12 starting after he is operating and changes have to be made.

13 MR. CROCKETT: From the industry's point of view, if  
14 you put them in order, it is the person who has applied for or  
15 is constructing, especially the person constructing that needs  
16 stability. Next the person who is operating, and then maybe  
17 last the designer himself need some kind of stability at least  
18 during the period in which this permit or this certification  
19 is in effect.

20 CHAIRMAN WYLIE: Okay.

21 DR. SIESS: I haven't lost my enthusiasm for  
22 standard plans.

23 CHAIRMAN WYLIE: You say you have?

24 DR. SIESS: Have not.

25 CHAIRMAN WYLIE: Okay. Let's see. Where are we?

1 MR. CROCKETT: I am trying to think if there is  
2 anything else.

3 CHAIRMAN WYLIE: I think we pretty well covered it.

4 DR. SIESS: I still have that concern about the  
5 advanced reactors relative material in there and whether  
6 that's loose enough to do it and the timing, and the reason I  
7 say that is that we are in the process of writing a letter to  
8 the Commission on those licensing issues on advanced reactors,  
9 and some of the things we are doing we have been talking about  
10 there you see are settled in this rule.

11 MR. WILSON: We are just going out for public  
12 comment.

13 DR. SIESS: You need to call attention to that,  
14 Charlie.

15 MR. CROCKETT: We have tried.

16 DR. SIESS: Not to make that nice distinction  
17 between within and without containment, maybe that is a  
18 detail, but it is going to be hard for some people to buy what  
19 is in here until that is settled, the policy statement and  
20 sort of going on at the same time.

21 MR. WILSON: I think we can fit it in the schedules.  
22 That's the reason the commissioners are going to speak to the  
23 other items before we get ready to issue a final rule on this.

24 MR. MALSCH: I suppose you could reserve on that.

25 MR. CROCKETT: We mean to conform this to--where



1 ever things come out in the paper on standardization on  
2 advanced reactors, there are overlap between the two papers,  
3 it is leading because it is the most substantial, most safety  
4 substantial part of Part 52, and we would conform Part 52 to  
5 however those issues come out.

6 DR. SIESS: Still have some real concerns about how  
7 we are going to use a prototype to demonstrate something. I  
8 don't know. I am looking for a LOFT or the kind of tests they  
9 have been making, little one over there.

10 MR. WILSON: As we said before, on these prototypes,  
11 we are looking at, for the advanced reactors, tests like ATWS  
12 type tests so they can demonstrate tests sufficient to  
13 demonstrate the safety features that they claim.

14 DR. SIESS: They will walk away. How many, what  
15 if--for that I don't know. It is not easy.

16 MR. WILSON: Have to figure that out during the FDA  
17 review.

18 CHAIRMAN WYLIE: Well, for presentation to the Full  
19 Committee, we have got an hour.

20 MR. MICHELSON: An hour, hour and a half?

21 MR. ALDERMAN: One hour, thursday, ten to eleven.

22 CHAIRMAN WYLIE: Ten to 11; what is after it?

23 MR. CROCKETT: One hour.

24 MR. MICHELSON: You don't get whatever is after.

25 CHAIRMAN WYLIE: Report on international meetings

1       regarding nuclear power programs, that's his.

2               DR. SIESS:  If you are boiling it down to the  
3       issues.

4               MR. MICHELSON:  You are not going to get any more  
5       time!

6               DR. SIESS:  What do you think the issue is on the  
7       early site permits?  Anything?  Develop any questions on early  
8       site permits?  Except the finality?

9               MR. CROCKETT:  Except finality--

10              DR. SIESS:  I don't think we have spent much time  
11      talking about early site permits.

12              MR. CROCKETT:  We did discuss--

13              CHAIRMAN WYLIE:  We discussed it some.

14              MR. MALSCH:  Suggested emergency planning; I don't  
15      think any concrete suggestion came out of it.

16              DR. SIESS:  The only part of the early site permit  
17      part that I think needs some explanation and discussion is  
18      what it says about the emergency planning, what it means.  
19      Okay.  That could take care of that, right?  Charlie?

20              MR. CROCKETT:  I don't think there is any  
21      disagreement about what should be there.  It is the question  
22      of whether it adequately says it.

23              DR. SIESS:  Now what about the combined license?  We  
24      had the question about the ACRS review of it.

25              MR. CROCKETT:  We took care of that.

1 MR. MALSCH: We need to reference the technical  
2 criteria as we had in the case of standardized designs for  
3 advanced reactors be consistent.

4 DR. SIESS: The scope of the application  
5 essentially, which is if you talked about the certified design  
6 first, how much? What is the difference there? It is not  
7 that much, is it? It seems to me that most of our issues here  
8 in this meeting have been related to the certified design.

9 MR. CROCKETT: And within that really to the filing  
10 and contents requirements of the applications because it is  
11 there that such things as scope, level of detail--

12 DR. SIESS: And the changes.

13 MR. CROCKETT: And changes, finality, are variances,  
14 amendments, all of that.

15 DR. SIESS: It would seem to me, Charlie, we  
16 wouldn't have to cover everything. Just cover the kind of,  
17 you know, I hate to say that the Full Committee is not going  
18 to come up with different things than the Subcommittee, but  
19 they will come up with them whether or not you present it.

20 CHAIRMAN WYLIE: Yes.

21 DR. SIESS: And then that's their time.

22 CHAIRMAN WYLIE: Well, let's see. What about the  
23 overview that we looked at as far as the beginning here?  
24 Where are we going? Do you think the Committee--

25 DR. SIESS: That's worthwhile presenting.

1 CHAIRMAN WYLIE: Lead off with something like that.

2 DR. SIESS: That sort of sets the stage; a little  
3 bit to tie it back to LMO.

4 MR. WILSON: The problem is if I get started into  
5 that, the Full Committee will eat up the whole hour on that  
6 one.

7 MR. MICHELSON: That's all right.

8 DR. SIESS: Leave out the time schedule and that  
9 kind of stuff. Just indicate what it applies to. I think the  
10 Committee does need just a little bit of orientation on--

11 CHAIRMAN WYLIE: Overview.

12 DR. SIESS: LMOs; the replication thing I don't  
13 think is a big issue. Frankly whether the rulemaking comes  
14 under the backfit rule, most people would say leave it to the  
15 lawyers. Somebody might have an opinion on that.

16 MR. CROCKETT: I would be glad to have that one left  
17 to the lawyers.

18 DR. SIESS: I think that is so trivial. It is only  
19 a hypothetical person that would be affected.

20 MR. CROCKETT: That is why we tried in this schedule  
21 to reduce the--

22 DR. SIESS: Let him sue.

23 MR. CROCKETT: Reduce the importance of both that  
24 and the regulatory analysis; those are obligations that we  
25 have to fulfill under the rulemaking procedures, but we don't

1 think they present any substantive issues.

2 DR. SIESS: Especially good advice from the ACRS on  
3 it.

4 MR. CROCKETT: Somebody will say damn the backfit  
5 rule, but that's all right!

6 CHAIRMAN WYLIE: Let's see. You are going to do  
7 something on overview, and then what about--you just want to  
8 get the early site permit certified design as far as the scope  
9 and detail?

10 DR. SIESS: Early site permit is just that one item.  
11 I think that it is likely to rouse some interest and it  
12 doesn't solve the problem, but it really is what is expected  
13 through the emergency planning at that stage. And on the  
14 combined license, it is sort of like the other. It is a  
15 question of what is the scope of the FDA, the scope of the  
16 thing, and there is a lot of questions about that. All you  
17 can do is Carl's question--what are you approving? You know,  
18 what is the design?

19 CHAIRMAN WYLIE: That is on certified design.

20 DR. SIESS: Might get some interesting questions  
21 about--I think we have raised some points here about the  
22 amendment variance thing that might need to be looked at. I  
23 think that has to be gone into to see what other things people  
24 can think of.

25 MR. WILSON: Fine.

1 MR. MICHELSON: A little more reflection perhaps and  
2 a good explanation of what kind of changes can be made to a  
3 certified design without going through a rulemaking, how far  
4 can you go in making, correcting all the little trivial stuff  
5 and what does require going through the rulemaking?

6 CHAIRMAN WYLIE: Changes.

7 DR. SIESS: There is really two questions, Carl.  
8 One is what kind of changes can be made to a certified design,  
9 and the other is what kind of changes can be made to a plant  
10 that is going to be licensed, going to be built according to  
11 that design?

12 Changing the design is one thing. You know, that's  
13 what is certified, and changing what you actually build. They  
14 call--the variance is something else and--

15 MR. MICHELSON: The variance provision is under the  
16 design part of the rule, not under the construction.

17 DR. SIESS: Applies to a particular plant licensed  
18 by a particular utility.

19 MR. MICHELSON: No. It is under Part B.

20 MR. CROCKETT: But--

21 MR. MICHELSON: Page 23.

22 MR. CROCKETT: That is true, but it says here is,  
23 here again it is a question of where does it best fit? And at  
24 least it fits under subpart B, but notice it is a provision  
25 which applies to applicants for CP OLs.

1 MR. MICHELSON: You are saying there has to be now  
2 an applicant for a construction permit.

3 DR. SIESS: The variances in the plant that you  
4 build.

5 MR. MICHELSON: I thought the application referred  
6 to there was the application for certification.

7 MR. MALSCH: No.

8 MR. CROCKETT: Application for CP OL or combined.

9 DR. SIESS: Construction program; P refers to holder  
10 of design certification. That is GE.

11 MR. CROCKETT: That we had to take up in subpart G.

12 MR. MICHELSON: I thought GE was the applicant for  
13 design certification.

14 DR. SIESS: C says applicants for construction  
15 permit, operating license or combined license, or a licensee  
16 whose license references a standard design. Now you are  
17 talking about a utility.

18 MR. MICHELSON: I am still on Section B, though.

19 MR. CROCKETT: We wanted to treat in one section of  
20 subpart B all possible sources of changes to the  
21 certification.

22 DR. SIESS: He is talking about sub little B.

23 MR. MICHELSON: Deals with standard design.

24 MR. CROCKETT: Because it deals with standard  
25 designs. It deals with final standard designs. Because it



1 deals with final standard designs, we have to deal with  
2 applicants for CPs.

3 MR. MICHELSON: I am not as fast as you are. I read  
4 subpart B and then it starts, talks about filing of  
5 applications. I assume filing for certification. Under file  
6 for certification is this--

7 DR. SIESS: Where are you, Carl?

8 MR. MICHELSON: Filing for certification is on page  
9 21.

10 DR. SIESS: I thought we were talking about  
11 finality.

12 MR. MICHELSON: No. I am just trying to go through  
13 the process. I am reading the session on filing for  
14 certification, filing of applications rather, and an applicant  
15 is the guy who files for that certification.

16 MR. CROCKETT: Right.

17 MR. MICHELSON: Now content of application, page 22,  
18 I thought now this is what the guy who is filing for  
19 certification is going to put in his application, and in there  
20 is where we are talking about the, these variances and so  
21 forth. The staff will advise--this is where the Section 20,  
22 page 23--

23 MR. CROCKETT: Those aren't where we are talking  
24 about the variances.

25 DR. SIESS: I think the language is quite clear.

1 CHAIRMAN WYLIE: Back in 60 something, 63.

2 MR. CROCKETT: Sixty-three, right.

3 CHAIRMAN WYLIE: Sixty-three, Part 63.

4 MR. MICHELSON: This is all in Part B yet, though.

5 MR. CROCKETT: Still in part B.

6 MR. MICHELSON: B is dealing only with I thought  
7 design certification.

8 MR. CROCKETT: It is.

9 MR. MICHELSON: The variance is the applicant in  
10 that page 29, is the guy who applies for a certification.

11 DR. SIESS: Carl, it deals with the design  
12 certification only down to 5263; 5263 now deals with the  
13 finality of a design certification. You have got it.

14 MR. MICHELSON: That is in the wrong damn place  
15 then.

16 DR. SIESS: No, it isn't. You have got the  
17 certification.

18 MR. CROCKETT: I was trying to spell out a slippery  
19 slope for you.

20 DR. SIESS: How final is it? How solid is it? How  
21 cast in concrete is it?

22 MR. CROCKETT: Here we go on the slippery slope.

23 MR. MICHELSON: The applicant shifted from the  
24 applicant for certification to the applicant for construction.

25 DR. SIESS: Now they use the language of holder of

1 certification and applicant for a construction permit. The  
2 only place applicants is used is in C, and it says applicant  
3 for a construction permit, operating license, and combined  
4 license. Applicant for construction permit is not the holder  
5 of the design certification.

6 MR. CROCKETT: Sixty-three presumes the  
7 certification has been granted. Now the question is how final  
8 is it?

9 MR. MICHELSON: Okay.

10 MR. CROCKETT: If you use the applicant, use the  
11 word--

12 MR. MICHELSON: Applicant shifts to the CP OL  
13 applicant.

14 MR. CROCKETT: You have to talk about that applicant  
15 ahead of Part C because you are still dealing with finality of  
16 certifications.

17 MR. MICHELSON: The holder is the designer.

18 DR. SIESS: Then you get to D, there is another word  
19 used.

20 MR. MICHELSON: Okay.

21 DR. SIESS: D is now the licensee of a project.

22 MR. MICHELSON: He has got one now.

23 MR. CROCKETT: That's confusing.

24 CHAIRMAN WYLIE: He is limited.

25 DR. SIESS: They are all limited, but the point is

1 it is looking at the finality of this thing at three stages.  
2 The guy--that is the General Electric--wants to do it. The  
3 guy that is applying wants to do one and the guy that has  
4 already got one wants to change something.

5 MR. MICHELSON: Under C the variance you get there  
6 is only while you are building the thing. Once you are  
7 operating it, you can't get that.

8 MR. CROCKETT: That is another case. The subject is  
9 about 50 words long, so you have to read into it. It is the  
10 application for one of those things and the licensee who  
11 refers to the design, reference the design.

12 DR. SIESS: See, it could either be applicants or  
13 could be before you get your license or after you get it.

14 MR. CROCKETT: It is not easy.

15 MR. MICHELSON: D is the licensee. Now we talk down  
16 to the licensee. The licensee only can't get a variance is  
17 that right?

18 MR. CROCKETT: He can under Section C.

19 MR. MICHELSON: Somewhere.

20 DR. SIESS: Applicant or a licensee, just read it,  
21 short version.

22 MR. MICHELSON: I am thinking of once it is built,  
23 once it is operating, I want to make a change. I am a  
24 licensee now. I can't change it once I am operating it?

25 DR. SIESS: That's D.

1 MR. MICHELSON: I can't get a variance once I am  
2 operating it.

3 DR. SIESS: They don't call it change. They call it  
4 a change.

5 MR. CROCKETT: You could get a variance while you  
6 are operating.

7 MR. MICHELSON: You don't call it that in E.

8 MR. CROCKETT: We call it that in C.

9 MR. MICHELSON: Only while you are building it.

10 MR. CROCKETT: It is a long subject joined by an  
11 inclusive cord.

12 MR. MICHELSON: The first sentence is covered.

13 MR. MALSCH: Or a licensee whose references a  
14 certified design may request.

15 MR. CROCKETT: First line says C. This applies to  
16 an applicant.

17 MR. MICHELSON: Operating license or combined  
18 license or a licensee whose license is a certified--okay. Now  
19 why did you need Part D then?

20 MR. CROCKETT: That deals with, C deals with changes  
21 which fall inside the design, whether they are changes sought  
22 while the plant is under construction or operating. D deals  
23 with changes outside the design.

24 CHAIRMAN WYLIE: Certified.

25 MR. CROCKETT: Only during operation.

1 MR. MICHELSON: That deals only with--

2 MR. CROCKETT: That's the only time--

3 MR. MALSCH: D might also apply to construction  
4 permit.

5 MR. MICHELSON: Are you a licensee when you get a  
6 construction permit?

7 MR. CROCKETT: Under the Atomic Energy Act, the word  
8 license refers to permit and license.

9 MR. MICHELSON: You are only an applicant until they  
10 give you the license to construct?

11 MR. MALSCH: That is theoretically true, that's  
12 right.

13 MR. MICHELSON: The Part C applies only before you  
14 start building it?

15 CHAIRMAN WYLIE: I think we can conclude we ought to  
16 talk about changes.

17 MR. CROCKETT: That was certainly your first point,  
18 and I agree.

19 DR. SIESS: Again, I am not sure of the distinction  
20 between the licensee in C and the licensee in D again now.

21 MR. MALSCH: I think in both cases we might need to  
22 include both construction permittees and licensee.

23 DR. SIESS: It doesn't say CP OL. If that licensee  
24 wasn't referenced in C, I guess I would say that he wants to  
25 change the design before he builds it. He wants to change B,

1 wants to change the design after it is built.

2 MR. MICHELSON: You are--

3 DR. SIESS: C could be before he does the OL.

4 MR. MICHELSON: You can't start construction until  
5 you get that combined CP OL.

6 MR. MALSCH: At least a CP.

7 MR. MICHELSON: You could--the old rule, you are  
8 really thinking CP OL. You are a licensee once you get your  
9 CP OL. Then you are a licensee, and no longer an applicant.

10 MR. MALSCH: That's right.

11 MR. MICHELSON: I think you might want to think  
12 about C and D just a wee bit.

13 DR. SIESS: What is your decision?

14 MR. MICHELSON: He is going to fix it.

15 CHAIRMAN WYLIE: Okay. So let me ask you in the  
16 overview that you have covered you would cover the part about  
17 the severe accident?

18 MR. WILSON: Right.

19 CHAIRMAN WYLIE: And so what we have got then is the  
20 overview of the early site permits and as it relates to  
21 emergency planning, the combined license activity and the  
22 discussion of the advanced plants.

23 DR. SIESS: Do you think whether proactive, reactive  
24 discussion in the overview is essential?

25 MR. CROCKETT: The distinction seems to be



1 essential.

2 DR. SIESS: You decided to do the thing in advance.  
3 As far as we were concerned, it was always the way you were  
4 going.

5 MR. MALSCH: I don't think that is fixed in  
6 concrete, though. I think that is still an open issue.

7 MR. WILSON: Right.

8 DR. SIESS: It is not an open issue in this  
9 document? This was decided to go this way. This proposed  
10 rule is clearly a proactive document. I just tried to save a  
11 little time.

12 MR. CROCKETT: I think--

13 MR. MALSCH: For example, a new collection of  
14 criteria for advanced reactors is not yet the subject of a  
15 proposed rule, and in theory you could defer all the big  
16 issues until the plant certification rule. This rule is  
17 proactive, but if you are talking about such issues as need  
18 for emergency planning at all, containment, all big questions  
19 about advanced reactors, there is a question as to whether you  
20 resolved those in advance or wait for the design  
21 certification.

22 DR. SIESS: This is all headed up certification. It  
23 wasn't very clear.

24 MR. CROCKETT: Part 52 could fit into a proactive  
25 scheme or a reactive scheme. Depends on what follows it.

1 DR. SIESS: I think what needs to be addressed is  
2 the ongoing policies on advanced reactors and how that relates  
3 to this, but I think it only confuses the issue here to talk  
4 an awful lot about what is going on there. I don't know. We  
5 are still working on that advanced reactor thing, and the  
6 changes being made in it. This document is important, and it  
7 may be more important to us.

8 MR. CROCKETT: I think that's quite possible.

9 DR. SIESS: We tried to write a letter.

10 MR. CROCKETT: I think if we had--

11 DR. SIESS: This document has a lot of bearing on  
12 what we are writing. But I don't know.

13 MR. CROCKETT: The questions of scope, level of  
14 detail, they are all treated in that paper on standardization  
15 for advanced reactors, and those are half more of the issues  
16 that you focused on here today.

17 DR. SIESS: There was never any question the  
18 advanced reactors wouldn't be standardized.

19 MR. WILSON: That's right. All they stated, they  
20 were going to seek certification.

21 DR. SIESS: It is just a question of what the  
22 criteria would be. And if the criteria weren't in this rule,  
23 to some extent, then the issues would be completely separate.  
24 The fact that they are, some of those criteria are in there,  
25 developed more completely in here, and we still are in the

1 process of discussing them, and we have got to confound the  
2 issue to some extent.

3 MR. WILSON: Well, standardization policy statement  
4 spoke to both mature design and advanced designs. We are  
5 providing an opportunity to achieve certification by testing,  
6 way of referring to it.

7 DR. SIESS: The point is that in the hour we have  
8 got to discuss this rulemaking.

9 MR. CROCKETT: What part do you want to focus on?

10 DR. SIESS: Get hung up partly on the advanced  
11 reactor part which is--

12 MR. WILSON: We shouldn't start discussing advanced  
13 reactors, especially since it is on the schedule later that  
14 day anyway. Discuss those at that time.

15 DR. SIESS: If there is something something about  
16 advanced reactors, we can talk about that later.

17 MR. CROCKETT: Could we leave out then things like  
18 scope of design and modular reactors?

19 CHAIRMAN WYLIE: I think--

20 DR. SIESS: What you have got on modular designs--

21 CHAIRMAN WYLIE: I think we ought to talk about  
22 scope and design in the context of certifying the plants.

23 DR. SIESS: Have we got advanced reactors on  
24 tomorrow later?

25 CHAIRMAN WYLIE: I think so.

1 MR. WILSON: On Thursday.

2 DR. SIESS: That's right, Thursday; I know we are  
3 discussing our letter. I don't know. Is this--

4 CHAIRMAN WYLIE: It is on the main Committee meeting  
5 for discussion of their letter in the afternoon, yes.

6 DR. SIESS: We going to hear the latest on that  
7 because there is some stuff in the standardization.

8 CHAIRMAN WYLIE: I don't think, that is not--

9 DR. SIESS: That is different than what is in the  
10 issue.

11 CHAIRMAN WYLIE: Available to discuss it?

12 MR. WILSON: As I stated earlier, there is two  
13 papers that cover advanced reactors. There is the paper you  
14 have right there that was previously presented to the  
15 Committee in February of '87, and the key issues paper that we  
16 presented in February of '88, and we are still waiting for  
17 your letter on the key issues paper. On this one, the one you  
18 are looking at, the Committee reviewed that February of '87.

19 DR. SIESS: Reviewed this in '87?

20 CHAIRMAN WYLIE: Isn't the appropriate place.

21 DR. SIESS: The Idaho, all that.

22 MR. WILSON: The only change from what you said  
23 before is that issue of prototype testing that is consistent.

24 CHAIRMAN WYLIE: I will be glad to give you some  
25 time off for B&W.

1 DR. SIESS: It was the part that as new to me.

2 MR. WILSON: We will bring that up.

3 DR. SIESS: This particular paper we have in review?  
4 We have reviewed?

5 MR. WILSON: In substance you have.

6 DR. SIESS: Except the prototype testing.

7 CHAIRMAN WYLIE: Looks like to me we ought to talk  
8 about this in that Thursday afternoon. Looks like to me the  
9 appropriate place to talk about that is Thursday afternoon in  
10 the Advanced Reactor Subcommittee meeting.

11 DR. SIESS: If we can talk about what is in that  
12 document.

13 MR. WILSON: Yes. As I said, the words are the same  
14 in that document and the key licensing.

15 CHAIRMAN WYLIE: Why don't we--

16 DR. SIESS: There is new words in this document.

17 MR. WILSON: They are consistent between the two  
18 papers.

19 DR. SIESS: Just can't pass it on.

20 MR. MICHELSON: Do we have to have a closed session  
21 to do that?

22 MR. WILSON: No. We discussed it before without--

23 DR. SIESS: Can't give anybody the paper, but we can  
24 do anything else.

25 CHAIRMAN WYLIE: I frankly don't believe--well, we

1 may need that much time on the B&W.

2 DR. SIESS: What is in the rule is what we looked at  
3 before.

4 MR. MICHELSON: I don't think--how much time do you  
5 have?

6 CHAIRMAN WYLIE: Two hours here, hour and 45  
7 minutes.

8 MR. WILSON: Mr. Wylie, I heard the item that is the  
9 first item on the agenda Thursday is being cancelled. Is that  
10 correct?

11 DR. SIESS: They moved something else in there.

12 CHAIRMAN WYLIE: The ECC.

13 DR. SIESS: Yes. That ECCS goes how long? To ten?

14 CHAIRMAN WYLIE: Hour; 8:45 to 9:45.

15 DR. SIESS: After 9:45?

16 CHAIRMAN WYLIE: Break, break and then this subject.  
17 This is on ten to 11.

18 DR. SIESS: What Ray wanted to put in for that first  
19 hour was the important issues discussion in our ongoing thing  
20 from the Saturday afternoon, and I told him I would do it, but  
21 I wasn't all that enthusiastic about it because I was going to  
22 suggest we drop the whole damn thing anyway since we are not  
23 getting anywhere. So if you want to talk to Ray, I would be  
24 glad to give you that hour. I will give you 45 minutes of it  
25 and I take 15 minutes to ask the Committee what they want to

1 do about these things and reorganize them, and I don't think  
2 that's at all urgent and I think this is a lot more  
3 interesting.

4 CHAIRMAN WYLIE: Take this up.

5 DR. SIESS: I would be happy to give you my time.

6 MR. MICHELSON: May I ask can you move stuff on up  
7 on the agenda when the public--

8 DR. SIESS: Ray was changing the agenda this  
9 morning.

10 MR. MICHELSON: As long as it is on the published  
11 one at the beginning of the day, maybe that is all that is  
12 needed.

13 DR. SIESS: We announce it, and that's it. I would  
14 be glad to, you know, we could then have another hour.

15 CHAIRMAN WYLIE: Why don't we do that then? That's  
16 all right with me.

17 MR. MICHELSON: We will figure out questions to fill  
18 the time available.

19 MR. CROCKETT: There will be no difficulty I'm sure.

20 CHAIRMAN WYLIE: Basically introduce it as part of  
21 the consideration of the standard plant discussion on the  
22 advanced plan.

23 DR. SIESS: We have got to mention that, too. I  
24 think you ought to ask Ray for that other hour because I don't  
25 want to--



1           CHAIRMAN WYLIE: I mean that's what you are  
2 proposing? Let's discuss that at the same time?

3           MR. WILSON: I'm sorry. Do what?

4           CHAIRMAN WYLIE: I assume what he is saying is take  
5 another hour. That gives us two hours.

6           DR. SIESS: Ray wants to reschedule to start at 8:45  
7 on this and go to eleven o'clock with the break in between--

8           CHAIRMAN WYLIE: Which would give us more time to  
9 discuss.

10          DR. SIESS: I hate to rush this thing.

11          CHAIRMAN WYLIE: Yes.

12          MR. MICHELSON: It didn't seem that important when I  
13 first looked at it. It is just getting better now. I can  
14 realize how slippery some of these things can get.

15          MR. CROCKETT: The further we have gone with it, the  
16 before we realize--

17          CHAIRMAN WYLIE: Let's see what we have got then.  
18 Okay.

19          MR. MICHELSON: We are on new ground.

20          CHAIRMAN WYLIE: We will take that, the overview as  
21 shown here then, and the early site as related to emergency  
22 planning.

23          DR. SIESS: You can tell the Committee what you  
24 think of the only important issues.

25          MR. MICHELSON: You may not want to record all of

1 this.

2 CHAIRMAN WYLIE: I guess we can end the record.

3 (Whereupon, at 5:40 p.m., the recorded portion of  
4 the meeting was adjourned.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceedings before the  
United States Nuclear Regulatory Commission in the matter of:

Name: ACRS--Subcommittee on Improved Light Water Reactors

Docket Number:

Place: Washington, D.C.

Date: May 31, 1988

were held as herein appears, and that this is the original  
transcript thereof for the file of the United States Nuclear  
Regulatory Commission taken stenographically by me and,  
thereafter reduced to typewriting by me or under the direction  
of the court reporting company, and that the transcript is a  
true and accurate record of the foregoing proceedings.

ISI Catherine S. Boyd

(Signature typed): Catherine S. Boyd

Official Reporter

Heritage Reporting Corporation

# RES STAFF PRESENTATION TO THE ACRS

SUBJECT: THE ROAD TO CERTIFICATION

DATE: MAY 31, 1988

PRESENTER: JERRY N. WILSON

PRESENTER'S TITLE/BRANCH/DIV: SECTION LEADER,  
STANDARDIZATION & ADVANCED REACTORS  
DIVISION OF REGULATORY APPLICATIONS

PRESENTER'S NRC TEL. NO.: 492-3729

SUBCOMMITTEE: IMPROVED LWRs

### PLANTS TO BE CERTIFIED

1. Evolutionary LWRs - ABWR, CE80+, SP/90
2. Passive LWRs - SBWR, AP600
3. Modular HTGR
4. Modular LMR - PRISM, SAFR

## LWR CERTIFICATION

### NECESSARY - 10CFR52

1. Early Site Permits
2. Standard Design Certification
3. Combined CP/OL

### DESIRABLE TO HAVE - Severe Accident Req'ts

1. Modify 10CFR50.34(f)  
TMI Req'ts  
USIs/GSIs  
PRA  
Deterministic
2. Consider Requirements for a higher standard of severe accident safety performance

# SCHEDULE - 10CFR52

TASK	PROPOSED	FINAL
Workshop	10-20-87	
CRGR Ltr	06-16-88	11-01-88
ACRS Ltr	06-06-88	11-01-88
Commission	06-27-88	12-01-88
Issue	07-11-88	12-31-88



# SCHEDULE - Severe Accident Req'ts

TASK	PROPOSED	FINAL
Workshop	06-09-88	Biannual
	09-14-88	
ACRS Ltr	11-11-88	08-11-89
CRGR Ltr	11-18-88	08-18-89
Commission	04-14-89	02-17-90
Issue	06-16-89	03-16-90

## NON-LWR CERTIFICATION

NECESSARY - 10CFR52

### DESIRABLE OPTIONS

1. Develop needed rules and regulations after receipt of application
2. Develop needed rules and regulations before receipt of application

Advanced Reactor Policy Paper recommends Option 2

REACTIVE vs PROACTIVE process

## NON-LWR CERTIFICATION - REACTIVE

Criteria Formalized During Certification


1. Minimize Resources Expended
2. More Detailed Design Information
3. Delay Public Involvement

## NON-LWR CERTIFICATION - PROACTIVE

### Criteria Formalized Before Certification

1. Expend Resources for Rules that may not be used
2. Incomplete Conceptual Designs
3. Early Public Involvement
4. Greater Influence on Designs
5. Predictable Licensing Process

# CERTIFICATION TIME SEQUENCE



ADVANCED REACTOR  
POLICY STATEMENT  
NUREG - 1226  
SECY-86-368

STANDARDIZATION  
POLICY STATEMENT  
(revised 9-15-87)

STANDARDIZATION  
AND LICENSING  
ACT OF 1987

10 CFR 52

STANDARDIZATION  
FOR DOE REACTORS  
(SECY-88-XXX)

EARLY SITE  
PERMITS

STANDARD DESIGN  
CERTIFICATIONS

COMBINED  
LICENSES

SCOPE	-----	52.45d & 52.47d
DETAIL	-----	52.47
OPTIONS	-----	52.47c
PROTOTYPE TESTING	-----	52.45C