

ORIGINAL

UNITED STATES
NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:

DOCKET NO: LRP

INQUIRY INTO THREE MILE ISLAND
UNIT 2 - LEAK RATE DATA
FALSIFICATION

LOCATION: BETHESDA, MARYLAND

PAGES: 4165 - 4299

DATE: TUESDAY, OCTOBER 28, 1986

TR-01
91

ACE-FEDERAL REPORTERS, INC.

Official Reporters
444 North Capitol Street
Washington, D.C. 20001
(202) 347-3700

8610300288 861028
PDR ADOCK 05000320
T PDR

NATIONWIDE COVERAGE

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3 BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

4 - - - - -X
5 In the Matter of: :
6 INQUIRY INTO THREE MILE ISLAND : Docket No. LRP
7 UNIT 2 - LEAK RATE DATA :
8 FALSIFICATION :
9 - - - - -X

9 Nuclear Regulatory Commission
10 Fifth Floor Hearing Room
11 East West Towers
4350 East-West Highway
Bethesda, Maryland

12 Tuesday, October 28, 1986

13
14 The hearing in the above-entitled matter convened at
15 8:30 a.m.

16 BEFORE:

17 JUDGE JAMES L. KELLEY, Chairman
18 Atomic Safety and Licensing Board
U.S. Nuclear Regulatory Commission
Washington, D. C.

19 JUDGE JAMES H. CARPENTER, Member
20 Atomic Safety and Licensing Board
U.S. Nuclear Regulatory Commission
Washington, D. C.

21 JUDGE GLENN O. BRIGHT, Member
22 Atomic Safety and Licensing Board
23 U.S. Nuclear Regulatory Commission
Washington, D. C.

24
25

1 APPEARANCES:

2 On behalf of GPU Nuclear Corporation:

3 ERNEST L. BLAKE, JR., ESQ.
4 JOHN N. NASSIKAS III, ESQ.
5 Shaw, Pittman, Potts & Trowbridge
6 1800 M Street, N.W.
7 Washington, D. C. 20036

8 On behalf of the Employees:

9 HARRY H. VOIGT, ESQ.
10 MICHAEL McBRIDE, ESQ.
11 LeBoeuf, Lamb, Leiby & MacRae
12 1333 New Hampshire Avenue, N.W.
13 Washington, D. C. 20036
14 MOLLY BOAST, ESQ.
15 LeBoeuf, Lamb, Leiby & MacRae
16 520 Madison Avenue
17 New York, New York 10022

18 On behalf of Jack Herbein:

19 JAMES B. BURNS, ESQ.
20 Isham, Lincoln & Beale
21 Three First National Plaza
22 Chicago, Illinois 60602
23 CHRISTOPHER W. FLYNN, ESQ.
24 RICHARD O. WOLF, ESQ.
25 Isham, Lincoln & Beale
1150 Connecticut Avenue, N.W.
Washington, D. C. 20036

On behalf of Gary P. Miller:

MICHAEL W. MAUPIN, ESQ.
M. CHRISTINA HENSLEY, ESQ.
Hunton & Williams
707 East Main Street
Richmond, Virginia 23221On behalf of Former Metropolitan
Edison Employees:SMTIH B. GEPHART, ESQ.
Killian & Gephart
217-218 Pine Street, Box 886
Harrisburg, Pennsylvania 17108

On behalf of the NRC Staff:

JACK R. GOLDBERG, ESQ.
MARY E. WAGNER, ESQ.
U.S. Nuclear Regulatory Commission

C O N T E N T SWITNESSEXAMINATION

Raymond R. Booher
by Mr. Gephart
by the Board
by Mr. Gephart
by the Board

4175
4178
4195
4196

Kenneth R. Hoyt
by Mr. Maupin
by the Board

4233
4236

RECESS:

NOON - 4232

LAY-IN - PREPARED STATEMENT OF BOOHER, Follows Page 4175.

LAY-IN - PREPARED STATEMENT OF HOYT, Follows Page 4233.

P R O C E E D I N G S

JUDGE KELLEY: We are on the record this Tuesday morning. We have been having an off-the-record discussion on the schedule. I just began to refer to witnesses and their status. In that regard, there are several rulings and statements concerning the status of witnesses that I can now make.

Of the various people who have been put forward as potential witnesses in the case, we have already indicated, I believe, that we do not wish to -- not a matter of wishing -- we don't intend to call Dr. Chung, subject only to this outstanding discussion that is still taking place between the Staff and counsel for the employees regarding a particular position that Dr. Chung took at one time. We would like to hear from counsel on that; not immediately but in the next day or so, so we can, hopefully, nail that down.

We have already the discussion from the parties with regard to several other witnesses and we have reviewed the pertinent sections of the record, most notably prior statements by various people concerning their participation in leak rate and we decided that we will not call Mr. Stair, we will not call Mr. Weaver, we will not call Mr. Germer, and we will not call Mr. Brummer.

Very briefly in those regards, Mr. Stair by his statement and by all other indications we have got, was

1 merely serving essentially a clerical function in connection
2 with the LER. We don't see that his input was significant
3 other than to write down some words. It may well be that his
4 statement in the record will be useful and is in the record,
5 but the issue is whether we ought to call him in addition to
6 having the statement. We don't think so.

7 Mr. Weaver is the gentleman involved in various
8 efforts by engineers to work with the loop seal. Again, his
9 statement is in the record and it shows what it shows. We
10 don't see any real need to call him to testify in addition.

11 Mr. Germer is, I believe, in Maine these days.
12 His involvement in leak rate testing was minimal. The same
13 is true of Mr. Brummer; he's not in Maine but his role was
14 very minimal and it appears that at most he may have had some
15 role in writing procedures, but it's not the procedure
16 writing we are concerned with, it's the procedure
17 administration. So we believe that Mr. Brummer's appearance
18 is also not warranted.

19 There is an outstanding question with regard to
20 Mr. Bettenhausen, the author of an affidavit having to do
21 with Units 1 and 2 and the significance of evaporative
22 factors. I won't try to characterize it beyond that, but in
23 any event, we began to call Mr. Bettenhausen and then it was
24 decided we should all read his affidavit. The affidavit has
25 been provided, the Board has read it, and sometime in the

1 next day or so we would like to hear a little further
2 discussion as to whether Mr. Bettenhausen or his affidavit or
3 -- whatever ought to be done about this. But, maybe first
4 thing tomorrow morning; is that all right?

5 MR. MAUPIN: That will be fine.

6 JUDGE KELLEY: Okay.

7 MR. MAUPIN: May I just raise a point of inquiry,
8 Judge Kelley? That is that we very much appreciate the
9 Board's attention to Mr. Germer and Mr. Brummer, because I
10 had requested the Board decide whether it was necessary to
11 call them. But we will then have a procedural matter that
12 we'll have to attend to, which is that each of those
13 gentlemen has prefiled testimony.

14 JUDGE KELLEY: Right.

15 MR. MAUPIN: I would propose in the absence of an
16 objection from a party, that the statements be incorporated
17 in the record at some point as a stipulation that if they
18 were here that's what they would say and let it go at that.

19 JUDGE KELLEY: In the absence of an objection,
20 that would seem to be a pretty reasonable approach. Perhaps
21 counsel could consider whether they have any objection and we
22 can get a reading from you a little later.

23 MR. MAUPIN: In that connection, I wonder if I
24 might raise one other subject. On a review of the record
25 over the break that we've had in the last week and a half or

1 so, I discovered that when we had Mr. Haverkamp as a witness,
2 at least my copy of the transcript does not include his
3 prepared statement. It was not bound into the record as if
4 read.

5 I think what may have happened is we had the prior
6 panel of technical witnesses, most of whom were authors of
7 voluminous reports and of course we weren't binding those
8 into the transcript and I'm not sure we fell into the pattern
9 of binding these statements into record as if read until we
10 got to our clients.

11 I'm not certain about Mr. Kirkpatrick and Wermiel
12 -- that just occurs to me now; I can go back and check on
13 that -- but if those statements were not bound into the
14 record as if read, it would seem to me appropriate that it be
15 done so they would be incorporated into the physical
16 transcript of these proceedings for convenience later.

17 JUDGE KELLEY: Well, certainly let's check on what
18 happened in that regard. Your suggestion would seem to be
19 eminently sensible -- except for one item you forgot,
20 wouldn't know about. I got a memorandum from Judge Cotter
21 and the subject was how much it costs to bind things into the
22 transcript. I would say very high. It's a buck and a half a
23 page per copy.

24 We have been asked to use a little discretion
25 here, and if we are now going to be asked to put 30 or 40

1 pages in, at that rate, we may pause a bit and just use them
2 as exhibits.

3 You are going to let us know, right, what happened
4 to the other?

5 MR. MAUPIN: I just thought for consistency we
6 ought to do the same thing for those as we did with the
7 others, but we can discuss it. We'll talk to you later about
8 it.

9 JUDGE KELLEY: There are two witnesses,
10 Mr. Bezilla and Mr. Morck that the Board would like to
11 continue to keep in a holding pattern, so to speak. They are
12 concerned or involved one way or another with the LER, and it
13 may be that our -- that the presentations from Seelinger may
14 obviate the need to call them; however, it may make it a
15 stronger need to call them. We realize we are not ruling on
16 that yet but we would like to have that matter to stay with
17 the understanding that we are deferring them now -- have you
18 had a chance to get in touch with these gentlemen?

19 MR. MAUPIN: Where we left that, Judge Kelley, was
20 that I certainly indicated to the Board that we would be
21 willing to contact those gentlemen if the Board so desired.
22 Since the Board had them in a holding pattern when we were
23 last together and still does, I haven't felt the need to do
24 it.

25 I don't anticipate there will be any problem in

1 getting ahold of them; certainly in the case of Mr. Bezilla,
2 and I believe that's also the case of Mr. Morck. Whenever
3 the Board indicates, if it does, that they would like to hear
4 from them we'll give them a call, but I would like to hold
5 off making those calls until it is necessary to do so.

6 JUDGE KELLEY: My only concern is with delay. My
7 only concern is with somebody like Mr. Morck saying, gee
8 whiz, you should have called me last week. I'm off to
9 Hawaii.

10 MR. MAUPIN: If you are concerned about something
11 like that we will certainly call them --

12 JUDGE KELLEY: You might call and alert them. I
13 would think if we go over with -- well, it could be the end
14 of next week, certainly, hopefully during the following week,
15 we would be done.

16 Okay. That leaves, I believe, just two people in
17 a deferred status, in a sense. I'm referring to two nominees
18 that Mrs. Aamodt made some time ago, Mr. Tim Martin and
19 Mr. Queen.

20 With regard at least to Queen, arguably we haven't
21 reached that yet because we haven't gotten to the management
22 phase so it's not really timely to consider them, but I had
23 thought Mr. Aamodt was going to be here this morning. She
24 had said she was going to be here this morning and I thought
25 maybe we would talk about these people. She is not here.

1 Time goes by and I can only say that the passage of time and
2 the interests of wrapping this case up some day suggest that
3 the continued delay in addressing these issues, due to the
4 absence of their sponsor, may work against their being
5 called.

6 Did you have something else, Mr. Voigt?

7 MR. VOIGT: Yes, sir. This has to do with
8 Mr. Kunder, who is going to be testifying a week from today.

9 The Board may recall that there's a rather
10 extensive discussion in Mr. Stier's report about a steam leak
11 that was being experienced in the plant during the first
12 couple of weeks of January 1979. And there is a discussion
13 about whether or not the plant should have been shut down
14 because of the steam leak and who was responsible for
15 decisions and so forth and so on.

16 In his prepared statement, Mr. Kunder has
17 indicated that he believes those matters are outside the
18 scope of a hearing on leak rates and therefore he hasn't said
19 anything about it. But I wanted to point that out to the
20 Board because, if you tell me either now or sometime between
21 now and next Tuesday, that you are interested in that
22 subject, Mr. Kunder will certainly be prepared to address
23 it.

24 JUDGE KELLEY: Thank you. That's helpful. We'll
25 try to give you an indication as soon as possible.

1 Mr. Booher? Good morning, sir.

2 Whereupon,

3 RAYMOND R. BOOHER

4 was called as a witness and, having first been duly sworn,
5 was examined and testified as follows:

6 EXAMINATION

7 BY MR. GEPHART:

8 Q Mr. Booher, do you have before you a six-page
9 document entitled "Prepared Statement of Raymond R. Booher"?

10 A Yes, I do.

11 Q Did you have an opportunity to again review this
12 document last night?

13 A Yes, sir.

14 Q Do you have any additions or corrections that you
15 desire to make at this time?

16 A No, I don't.

17 Q Do you wish this to be bound into the record as
18 your statement?

19 A Yes, sir.

20 JUDGE KELLEY: So ordered.

21 (The document follows:)

22

23

24

25

While I was a control room operator at TMI 2, John Blessing was a trainee and Harold Hartman was an operator on my shift.

Kenneth Hoyt was the foreman and Bernard Smith the shift supervisor. According to technical specifications, we had to perform one successful leak rate test at least once every 72 hours. My employer required us to perform the tests more frequently, but I no longer recall how often we actually did run the test. I have no reason to doubt that we ran the tests on a shiftly basis. Tests that did not come out within the specified limit for unidentified leakage were discarded. I discarded them because I believed that I only needed one acceptable test with less than 1 gpm unidentified leakage during the 72-hour period. I do not know who taught me this interpretation of the technical specification; all I can remember is that that was how I operated.

I recall that generally my shift performed either one or two leak rate tests in order to obtain a successful one. There were times when we had to run the test more frequently, and times when we did not get one for an entire shift. I recall that satisfactory leak rate test results became more difficult to obtain as 1979 progressed.

I tended to show tests with over 1 gpm unidentified leakage to the shift foreman. While he initially might have told me to run another one, it did become a habit for me to run another one without his directive. The foreman also sent the control room operators or the auxiliary operators to search for leaks if plant instruments showed that there might be leakage.

Although I cannot remember specific values, I do recall submitting negative leak rates to the shift foreman for filing. At some point, however, I was told that negative test results would no longer be accepted. I do not know who told me this or why.

I attributed problems I had in obtaining a good leak rate test to variations in instrument accuracy and then to increasing leakage from either the pressure operated relief valve or the code safety valves. This increase in leakage did cause me to experience some concern as to whether I would be able to obtain a satisfactory leak rate test; however, I never felt that my job would be in jeopardy if I did not produce a successful test result. All that I can recall hearing from my superiors on the subject was that I should keep trying to get a good test.

I remember logging only the completion time of the surveillances that my shift performed. I do not believe that I ever logged the start time of a surveillance, and I do not recall anyone bringing the matter to my attention. I have learned, of course, that my practice was not in compliance with the NRC's interpretation of the administrative procedure governing logging practices.

I no longer recall the November 1, 1978 Licensee Event Report other than from investigators showing it to me. I know that my interpretation of the technical specifications for leak

rates did not change, so I can only conclude that the LER had no effect on me.

I recall that I added hydrogen to the makeup tank on my own initiative to maintain a specified pressure band. I do not think that I would have considered adding hydrogen during a leak rate test to have been prohibited by the leak rate test procedures. I no longer recall whether I thought hydrogen had an actual effect on leak rate tests. I do recall some discussion on this subject, although I can no longer pinpoint the time. I am certain that I never deliberately added hydrogen to affect the makeup tank level.

I am aware that there is one "definite" leak rate test that I filed where hydrogen was added during the test. This test, dated October 20, 1978, was signed by me, but Leonard Germer was on the panel. He logged the addition of hydrogen. I am not sure that if I had seen the hydrogen entry in the log, I would have invalidated the test because I do not remember being aware that a hydrogen addition could affect a test result. Edwin Stier claims that another test dated, March 15, 1979, shows a possible hydrogen addition. Although I performed this test I was not assigned to the panel and I did not collaborate in manipulating this test, or any other, by adding hydrogen.

We were required to log water additions made during the performance of a leak rate test. The operator performing the test was supposed to check the log for water additions. Although the NRC has accused me of deliberately adding water

during the leak rate tests to affect the results, I never did this, and I believe that I have been unfairly accused. For three of the tests where I was allegedly involved in manipulation, specifically, January 13, 1979, February 2, 1979, and February 23, 1979, I logged the water entry as I was supposed to. The operators who performed those tests did not enter the water additions on the computer printout. I did not "jog" water, as the NRC claims, for tests dated March 10, 12, 13, and 15, 1979 (two of which I signed). I really cannot understand how the NRC experts distinguished supposed jogged additions on strip charts showing similar effects for the entire day, but I do know that I did not engage in the practices they attributed to me by their analysis of these documents.

I do not know why Harold Hartman stated I added water to falsify leak rate tests. According to the NRC investigators, he believed that I was not a good operator; perhaps that is why he feels that I was involved in the conduct similar to his. All I can ask of the Presiding Board is that it fairly scrutinize the evidence compiled against me, and conclude that I did not participate in leak rate falsification. While the evidence shows that my shift discarded tests and made mistakes in recording information on the computer printout or the log, it does not show that I willfully falsified leak rate tests. What that evidence really proves is that the NRC investigators gave a highly subjective and questionable interpretation to my

four signed leak rate tests, and the strip charts from my shift's tests, to fit this data into the Hartman allegations.

In conclusion, I would like the Presiding Board to know that I sincerely regret the mistakes I made as a control room operator at TMI-2. My experience as a shift supervisor at LP&L's Waterford 3 has taught me that I was far too casual about the interpretation of the technical specifications at TMI-2. At Waterford, I learned the absolute necessity for strict compliance with the technical specifications and plant administrative procedures. Because of what I have been through, I am confident that I could do an excellent job if I can preserve my option to apply at a future date for an NRC license.

1 JUDGE KELLEY: Mr. Booher, I have a short
2 statement that I'll read for the sake of context, largely,
3 and then we'll get into our questions.

4 This Board has been charged by the Commission to
5 determine the extent of involvement of employees at TMI-2 in
6 1978 and '79 in leak rate test falsification and other
7 improper practices in leak rate testing. This is your
8 opportunity to state on the record your recollections and
9 your perceptions about your involvement in leak rate testing
10 at that time and to rebut any adverse statement about you by
11 other employees or investigators with which you might
12 disagree.

13 We have reviewed your prefiled testimony. We
14 considered it in the light of the record that has already
15 been made in this proceeding, and we are in the process now
16 of hearing people from your shift. We heard from Mr. Hartman
17 some time back, Mr. Boyd is coming later today. I mentioned
18 Mr. Blessing, I don't know whether he's coming or not; and
19 Mr. Smith will be here tomorrow. And I guess yours is the
20 last complete shift that we are hearing from.

21 Typically that's what we've done, we've heard
22 from the CROs, and the foremen and also the shift
23 supervisors.

24 We'll have some questions based on your prefiled
25 testimony and we'll also have some questions, possibly based

1 on statements you have made in the past or statements that
2 other people have made.

3 As you may know, there are in the record of this
4 case already, two extensive studies on leak rate testing. I
5 think you were interviewed by the NRR/NRC people in that
6 connection, perhaps by Mr. Stier as well.

7 Their studies are in the record and they include
8 rather detailed analyses of every test -- in the case of
9 Stier, every test that was conducted, leak rate test that was
10 conducted at TMI-2 that wasn't thrown away; and in the case
11 of NRR, all the tests that were retained during the last six
12 months of operation.

13 In those circumstances it has not been our
14 approach with witnesses, and it won't be our approach with
15 you, to go through each test you ever had anything to do
16 with; but rather -- those analyses are in the record -- we
17 may focus on a few tests so as to get a better look at
18 exactly what you did at a particular time, but we are not
19 going to go through an exhaustive, point-by-point
20 discussion. Those tests, and the studies that concern them,
21 are in the record and they are entitled to whatever weight
22 they are entitled to in light of the entire record, including
23 your testimony here this morning.

24
25

EXAMINATION BY THE BOARD

BY JUDGE KELLEY:

Q I would like to begin by asking you to describe how leak rate tests were performed on your shift, in terms of who did what.

A A little bit of background on how I remember the shift being organized at that time was, there were essentially three people on a shift, RO-wise: One person had the panel with the control room logbook; one person had surveillances; and one person had tagging. Something of that nature.

The person that had surveillances would actually do the leak rate. That was done on a shiftly basis. Physically, how you did a leak rate, you would put some kind of a code into the computer and the computer would ask you questions.

Q At the beginning of the test, as I understand it, you'd type in the code, RCSL -- wasn't that what it was?

A It could be.

Q That's what I've heard, anyway -- and tell the computer how long the test was supposed to be; is that right?

A Yes, sir.

Q Then you are referring to questions, would those questions then come at the end of the test? At the end of the hour?

1 A At the end of the hour -- or whatever; I think it
2 was a variable time period could you put in there.

3 Q You could change it, yes. I'm just assuming --

4 A There were questions. If you added, I think if
5 you added water, yes, sir, that was one of the questions at
6 the end.

7 Q Right. Okay. So the person who was starting the
8 test would punch the codes into the computer?

9 A Yes, sir.

10 Q And at the end of the test he would answer the
11 questions put to him by the computer, including, let's say,
12 water additions, and you'd get a result. Right?

13 A Yes.

14 Q The computer would --

15 A When you put the required answers in for the
16 questions, then the computer would calculate some value.

17 Q Okay. Now, if in the course of a leak rate test
18 you had some need to add water, let's say -- would that
19 happen, from time to time?

20 A Yes, sir.

21 Q Typically who would do that?

22 A The person that had the panel. The panel operator
23 would do that.

24 Q I put the question in terms of "typically who
25 would do it?" Put a little differently, would the panel

1 operator always do that, if water were to be added?

2 A I don't think the panel operator was the sole
3 person to ever perform action on a board so someone other --
4 some other operator in the control room may manipulate some
5 actions on the board, including add water.

6 Q But, in the typical case would -- let's take the
7 leak rate situation. If there were some need, whatever the
8 need may be, to add some water to the makeup tank -- well,
9 let's take a specific case.

10 The makeup tank, as I understand it, was
11 maintained at a certain level, certain minimum and maximum
12 levels; correct?

13 A Yes, sir.

14 Q And I went up to TMI last week and at least as of
15 last week the indicator said 55 inches and 85 inches; does
16 that sound about right?

17 A It sounds good to me; sure.

18 Q Okay. Now let's suppose that the level is heading
19 down below 55 and -- would the surveillance guy, then, be the
20 guy who would put water in to bring it up above -- to prevent
21 it from going below 55 or would the CRO guy, or who would do
22 that?

23 A It would be the panel person, or the operator that
24 had the duty of the panel.

25 Q So the panel guy would do that? And, again, we'll

1 say this is typically the case.

2 A Sure.

3 Q Now, in order for the leak rate test to come out
4 accurately, the fact that water was added during the test has
5 to be communicated to the surveillance man; right?

6 A Yes, sir.

7 Q Again, typically, would the CRO on the panel tell
8 the surveillance guy? Or how did this work? How was that
9 communication maintained?

10 A The way I remember it, sir, it was the person
11 performing the surveillance would check the logbook for any
12 addition of water.

13 Q Just as a matter of routine?

14 A Yes, sir.

15 Q So, if you were running the test and you were at
16 the end of the test and you were answering the question,
17 you'd look in the logbook for an addition?

18 A Yes, sir.

19 Q Would you also ask him orally: Did you add any
20 water? Or would you just look in the book and assume --

21 A I would think in lieu of looking in the logbook, I
22 would ask the operator if he had added water in the last time
23 period for the leak rate.

24 Q Would you also tell the panel operator,
25 particularly if you were running a leak rate test, tell him

1 in advance: I'm starting a leak rate test?

2 A I don't remember if I did that or not but that's
3 good practice.

4 Q How would you -- let me ask you first. You say
5 there were typically three CROs. That's yourself and Hartman
6 and Blessing; is that correct?

7 A Yes, sir.

8 Q Was Blessing a trainee during part of the time?
9 Let me be more specific. Were you and Hartman on the same
10 shift throughout the time of commercial operation? Or what
11 was your time of service as a CRO?

12 A If I remember correctly, Hal Hartman was my peer
13 throughout the operation of TMI-2.

14 Q Do you recall whether you were a CRO throughout
15 the time of, let's say, commercial operation at TMI-2?

16 A Yes, sir. I went for the initial license of Unit
17 2.

18 Q You did say in your prefiled that John Blessing
19 was a trainee. Did he become a CRO during that time, do you
20 recall?

21 A I don't remember, sir.

22 Q Okay. We can check that in the record, I think.
23 I just thought I would ask you.

24 But, if he had been a trainee during a portion of
25 that time, then with regard to leak rates, could he have run

1 leak rate tests himself?

2 A Yes, sir.

3 Q If he had done so as a trainee, would he have done
4 it just like a CRO? Or would he supposedly have been under
5 some kind of supervision while he was doing it?

6 A Typically, a trainee could perform surveillances
7 and tagging without direct supervision. But if the person
8 was on the panel he would have direct supervision.

9 Q So, yes, sir, he could run a surveillance.

10 Q How would you describe -- and we have as context
11 how these leak rate tests were run and who does what. Just
12 to fill that out, if you were the operator on leak rate
13 tests, you would run the test and the computer would then
14 print out a final result and give -- then you would, what,
15 review the test? Review the number that came out of the
16 computer?

17 A I would look at the final result; yes, sir.

18 Q And if it was under 1 gallon a minute you would
19 sign it; right?

20 A Yes, sir.

21 Q And then would you take it to the foreman or leave
22 it on his desk or how was that step carried out?

23 A I think the routine was for the person performing
24 the test after receiving the final result, would be to take
25 it to the foreman for authorization and then it would be

1 entered into the logbook, I think.

2 Q Okay. With that context of who does what, how
3 would you describe your working relationship, first with
4 Hartman and then with Blessing?

5 A Working relationship was professional.

6 Q I think I understand what the word connotes. Is
7 that a little bit different from saying it was a close
8 working relationship?

9 A Pardon?

10 Q Is that a little bit different from saying it was
11 a close working relationship?

12 A As in saying best of friends?

13 Q Okay. Yes.

14 A Hal Hartman was not my best friend, so therefore,
15 we were not extremely close, then.

16 Q But you managed to get along okay on shift?

17 A Yes, sir.

18 Q How about with Blessing? How would you
19 characterize your relationship with him?

20 A The same. Professional but not the best of
21 friends.

22 Q Are you aware -- I take it you are aware of the
23 various statements that Mr. Hartman and Mr. Blessing made,
24 statements about leak rate tests generally and, in the case
25 of Hartman, Hartman has made at least one statement about

1 you, I'm certain you know about. How would you respond to
2 Hartman's claim that -- excuse me, let me get a page
3 reference. Well, I'm looking at page 73 of the NRC interview
4 with you. That's dated November 15, 1984.

5 Looking at page 73, if you could just show him
6 that?

7 A Where are we?

8 Q I think on page 73 there's a solid cap
9 "EXAMINATION" called "Examination by Mr. Christopher."

10 A Yes, sir.

11 Q Starting below that Christopher says: "Okay,
12 particularly here I'm talking about water additions."

13 And you say: "I don't know of anybody right now
14 that tried to manipulate a leak rate by adding water."

15 And Christopher says: "I asked Hartman this
16 question on July 26, 1983 'what specific operators did you
17 witness add water to a makeup tank in order to manipulate
18 leak rate tests?'

19 "And the answer was 'Ray Booher, because he was on
20 my shift.'"

21 You had seen this statement before? Of course it
22 was put to you in the context of the interview.

23 A Yes, sir.

24 Q From reading your prepared testimony and your
25 other testimony, I understand that you deny that you did add

1 water for the purpose of manipulating the leak rate test and
2 here is Hartman saying that you did. What comment would you
3 have about Mr. Hartman's statement?

4 A Mr. Hartman's statement is not true.

5 Q Can you suggest any reason why he would make such
6 a statement?

7 A No, sir.

8 Q The particular statement we have just been looking
9 at strikes me as a little bit ambiguous. He says: "Ray
10 Booher, because he was on my shift." Would you read that to
11 mean anybody who was on my shift would have added water? Or
12 would you read it some other way? I'm not sure how to read
13 it myself.

14 A I can't justify anything that Mr. Hartman has
15 commented on in the past. But I did not manipulate any leak
16 rates.

17 Q You indicated that your relationship with Hartman
18 was professional, meaning, I think, that you got the job done
19 working in the same room but you weren't close. Can you
20 think of any reason why, if, as you characterize Hartman's
21 statement, it's just a false statement, why he would have
22 some vindictive feeling towards you?

23 A No, I don't. Socially we got along okay also. I
24 do not know why he made the statement.

25 Q I take it you are familiar with both the Hartman

1 and Booher statements about what they did. Now, I'm not
2 talking specifically about you, necessarily, but about what
3 they did in terms of manipulating leak rate tests.

4 MR. MAUPIN: Excuse me, Judge Kelley, you said
5 Hartman and Booher's statements?

6 JUDGE KELLEY: Forgive me. Blessing. I'm
7 sorry.

8 BY JUDGE KELLEY:

9 Q You are familiar with their statements that are in
10 the record?

11 A I believe so.

12 Q And here is Hartman describing various different
13 techniques that he had for manipulating leak rate tests,
14 involving both hydrogen and water additions.

15 Here is Booher saying --

16 MR. GEPHART: Blessing.

17 JUDGE KELLEY: I'm very sorry. The names --
18 forgive me.

19 BY JUDGE KELLEY:

20 Q Here is Blessing saying somewhat more briefly, in
21 a couple of interviews with the NRC, and speaking somewhat
22 more generally, that he would add hydrogen in an effort to
23 change leak rate results. He wasn't successful very often,
24 he says, but he did it. And he said he thought everybody
25 knew it, that it was common knowledge throughout, at least on

1 his shift and more broadly among operators at the plant.

2 So, if two out of the three CROs, Hartman and
3 Blessing, are saying, yes, sure, we were manipulating tests,
4 why is it that you wouldn't at least know what they were
5 doing? Wouldn't they have to have actively concealed what
6 they were doing from you, in order for your testimony to be
7 consistent with theirs?

8 A I would think they could manipulate leak rates, if
9 in fact they did, without my knowing it.

10 Q Based on what I've heard here, I would agree with
11 you it's possible. Maybe not a lot of the times, maybe not
12 all the times, but sometimes, at least, if I wanted to
13 manipulate a leak rate test with water or hydrogen I might be
14 able to do it without the other guy in the room knowing about
15 it. But why would they conceal it from you, if that's what
16 they were doing?

17 A I don't know, sir.

18 Q I would like to go over with you two or three of
19 the tests that you were involved in, either as CRO or
20 operator on the panel. Can we look at NRR-94, first of all?

21 MR. MAUPIN: I'll get it for him.

22 THE WITNESS: Okay.

23 BY JUDGE KELLEY:

24 Q Looking at 94, just to establish two or three
25 things about it -- have you got 94?

1 A Yes, I do.

2 Q The arrangement here begins with the computer
3 printout page followed by a Xerox copy of the CRO log,
4 followed by -- sometimes several pages -- and then followed
5 by the strip chart, makeup tank strip chart.

6 Looking at the first page, the computer printout,
7 NRR test 94 was run on the 13th of January, '79, between 9:37
8 and 10:37 in the morning. The operator, surveillance
9 operator is Hartman; correct? Judging by his signature
10 there?

11 A Yes, sir.

12 Q And Ken Hoyt approved it as foreman?

13 A Yes, sir.

14 Q And this showed a leak rate of .269 unidentified
15 leak rate.

16 A Okay. Yes, sir.

17 Q If the turn the page, the first Xerox copy of the
18 logbook shows you signing in at 0700, I gather; is that
19 right?

20 A Yes, sir.

21 Q And the leak rate test we are talking about was
22 run between 9:37 and 10:37, as indicated there in the left
23 margin. The heavy ink markings there, the arrows and all of
24 that, that's NRR write-in there.

25 Then, if you skip over to the makeup tank strip

1 chart you'll see that test number 94 is bracketed with the
2 heavy ink lines a little bit left of center with the time
3 marked up at the top.

4 I'll just note for the record that once again
5 there's no complete agreement between the strip chart and
6 clock time. Typically it's off.

7 Do you recall that very often the makeup tank
8 strip chart time would be off from clock time to some degree?

9 A Not only the makeup tank but most of the charts.

10 Q Off clock time?

11 A Yes, sir.

12 Q Okay. Sure. And what has been done here, the NRR
13 analysts have attempted to historically establish when things
14 happened by cross referencing, let's say log entries which
15 show clock time and then finding that on the strip chart to
16 the extent that that is possible. That, sometimes, I think
17 is pretty accurate. Sometimes it's more debatable.

18 But the main thing I wanted to look at here, if
19 you look at the strip chart at about, what, 9:45 clock time,
20 you see a rather sharp rise in the trace; correct?

21 A It looks like more -- like 10:00 a.m.

22 Q Okay.

23 A But, yes, there is a sharp increase.

24 Q Right. Then at the bottom there's two typed
25 lines. That, again, is the NRR analysis of what happened

1 here. They say that this reflects a water addition of 117
2 gallons at 9:50 and they note that it was logged in the log
3 but not included in the calculation.

4 Just looking back at the log, there is an entry at
5 10:00, "batched 117 gallons of water to makeup tank."

6 A Yes, sir.

7 Q So the log time in the time indicated at the
8 bottom of the strip chart is 10 minutes off, 10:00 versus
9 9:50. But, in any case, the 9:37-10:37 time, it would
10 clearly fall within the leak rate test; correct? The water
11 addition?

12 A Yes, sir.

13 Q When you say that this was a batched water
14 addition, you were on the panel. I would assume that you as
15 panel operator would have been the person who would have
16 added the water; correct?

17 A Yes, sir.

18 Q And by "batched," that means that you did it by
19 means of the batch controller; is that the right term?

20 A Yes, sir.

21 Q And by that I mean there was on the panel there a
22 -- what will I call it, a knob? A valve?

23 A A box.

24 Q A box. Okay.

25 A Okay.

1 Q I can't describe it very well because it's not
2 there anymore. But it used to be and that was -- I was shown
3 this black hole in the panel where there used to be a batch
4 controller, last week. But you can dial the amount you want,
5 correct, on the box?

6 A That's why I'm taking such a long time. I don't
7 remember exactly what the box looked like nor how you
8 performed water addition. But I do remember there was a box
9 and its purpose was to add amounts of water.

10 Q I guess what I'm trying to get at is, I have
11 understood that the batch controller is something where you
12 can tell this machine: Put a certain amount of water in the
13 makeup tank. You dial it, you set it to that setting;
14 correct?

15 A Whatever you do; yes, sir.

16 Q And then it proceeds to do that and then it shows
17 you some kind of result. Here it shows you a result of 117
18 gallons.

19 A Yes, sir.

20 Q As opposed to -- there are other ways you can put
21 water in the makeup tank other than the batch controller, are
22 there not? It's not the only way that one can get it in?

23 A There has to be because I can remember the batch
24 controller being out of service frequently --

25 Q And --

1 A -- but I don't remember how you performed that.

2 Q Maybe we'll get to that later. But in any case,
3 the log indicates this was batched in. This particular entry
4 -- not entry -- this particular injection of 117 gallons was
5 put in through a batch controller; correct? At least the log
6 so indicates?

7 A I would think so; yes, sir.

8 Q And what you get on the strip chart, as I see it,
9 is a sharp, almost vertical rise, which would indicate to me
10 that that 117 gallons went into the makeup tank in a matter
11 of -- how much time would you say?

12 A Well, let's see here. 10:00, 11:00 -- each one of
13 those lines is 15 minutes, I think. You are talking about 7
14 minutes, approximately. I think each division of the chart
15 is 15 minutes.

16 Q Well, if that's so, though, I'm looking from the
17 bottom up to the top of that water addition.

18 A Yes, sir.

19 Q And I see an almost vertical line which -- if it
20 were going to take 15 minutes, it would be lying across like
21 that at a 45-degree angle, would it not, slicing that box?

22 A Yes, sir.

23 Q Since it isn't doing that, I would guess it would
24 take two or three minutes for the water to go on.

25 A Well, the way I read this particular chart is you

1 take the 10:00 a.m. dark line, vertical line, take the next
2 vertical line, which is a 15-minute increment, and it's
3 approximately one half of that 15-minute increment for the
4 vertical line to go from the bottom to the top.

5 Q Let's do this slow. I guess I'm not with you.
6 Can I show you a comparison? Take a look to the right where
7 they put in 1200 gallons, apparently with a batch
8 controller.

9 MR. MC BRIDE: I'm sorry, at 1200 hours it's
10 400 -- 900? The 9 looks like a 4.

11 BY JUDGE KELLEY:

12 Q 900 gallons at noon?

13 A Yes, sir.

14 Q Now, that whole 900 gallons went in in what?

15 A I'd say 20 minutes, thereabouts.

16 Q Give or take. Okay, 20 minutes.

17 A Okay.

18 Q So if it could go in at a rate of 2 minutes per
19 100 gallons, very roughly -- when you turn the batch
20 controller on a pump starts to activate and it pushes water
21 into the makeup tank; right?

22 A I don't remember that.

23 Q I'm just assuming it. How else would it get
24 there? Wouldn't you turn on a pump?

25 A The demin water tank may have been pressurized. I

1 don't know. Pressurized water went into the tank; yes, sir.

2 Q Well, at any case, what I'm looking at is the
3 rate. I don't want to be obscure here. It seems to me when
4 you use the batch controller you get water into the tank
5 pretty fast. You get an almost vertical line showing water
6 going in and that's a rather distinctive, I think, signature
7 of batch control water additions. At least on this
8 indicator --

9 A Sure.

10 JUDGE KELLEY: Why don't we take -- I think that's
11 really it on this test. Why don't we take a coffee break, 10
12 minutes or so and we'll pick up again.

13 (Recess.)

14 JUDGE KELLEY: Let's go back on the record.
15 Mr. Gephart indicated interest in making a clarification. Go
16 ahead.

17 MR. GEPHART: Yes, Judge Kelley. We were more
18 interested in substance than anything else with Mr. Booher's
19 prepared statement. I would like to have a correction made

20 EXAMINATION

21 BY MR. GEPHART:

22 Q Mr. Booher, you have the statement in front of
23 you?

24 A Yes, sir.

25 Q And you want to make a correction, I believe, on

1 page 1 as to address and current employment?

2 A Yes, sir. Since this statement was made I have
3 recently moved to Sacramento, California, and I'm working at
4 a nuclear power plant there as a lead office planner during
5 an outage at that facility.

6 JUDGE KELLEY: Is that what we know as SMUD?

7 THE WITNESS: That is SMUD.

8 JUDGE KELLEY: All right. Thank you.

9 EXAMINATION BY THE BOARD

10 BY JUDGE KELLEY:

11 Q Just a couple of more points. We are back on the
12 record now; right?

13 About test 94 we were looking at. Again, that
14 indicates that Hartman was the operator, was the surveillance
15 CRO and you were on the panel and you did log that addition
16 during the test.

17 Do you have any thought as to why Mr. Hartman did
18 not include that amount in the calculation of the leak rate?
19 I'm just looking at the questions on the computer printout
20 and it says "0." No indication of water addition.

21 A No, I don't. I have no idea why he didn't add
22 that to the computer leak rate program. It may have -- he
23 may have forgot to look in the logbook or he may have forgot
24 to even, ask me if there were any water additions during that
25 particular time period.

1 Q Well, it appears to me that the noninclusion of
2 this 117 gallons -- correct me if I'm wrong, but 630 gallons
3 in a test run over 1 hour has an effect of 1 gallon, right,
4 per minute?

5 A Yes, sir.

6 Q 117 gallons is almost 120, which is pretty close
7 to 2 gallons a minute.

8 A Yes, sir.

9 Q So, if you didn't include that amount here, the
10 result indicated by the computer is .2639 -- say .3 gallons
11 per minute. That would indicate to me that the inclusion of
12 the 117 in the calculation would have produced a leak rate of
13 something like 2.2; right?

14 A Yes, sir.

15 Q So the failure to include it has a rather dramatic
16 effect on the bottom line, does it not?

17 A Yes, sir.

18 Q Since you did log it, you indicated it should have
19 been Hartman's responsibility as a surveillance operator to
20 check the log?

21 A Yes, sir.

22 Q There it is in the log -- this strikes me as very
23 sloppy, frankly, and I'm not sure it has anything to do with
24 you -- I assume it's Hartman's problem -- but not to include
25 something that's right in the log and it throws you off by

1 such a huge amount strikes me as pretty sloppy. Would you
2 agree?

3 A Yes, sir. A little bit of background on that.

4 Compared to how I've performed on the shift at
5 different facilities and different positions in different
6 facilities since those days at TMI, looking back on those
7 operations we performed, they were very sloppy. Lack of
8 communications is one item I can recognize right now.

9 Q Then Hoyt proceeds to approve it.

10 What do you recall about his process of approval?
11 What do you recall him doing, when you presented him with a
12 computer printout that stated a leak rate of under a gallon a
13 minute, whatever it might have been, what did he do?

14 A I would assume he went over the leak rate
15 calculation.

16 Q Well, in what sense, though?

17 A Probably to verify the plant was in a stable
18 condition and look at the bottom line leak rate result. I
19 don't know what specifics he reviewed during his review
20 period.

21 Q What is your recollection, though, about his
22 review? Was it perfunctory? Or did he actually study the
23 numbers, check the log, do other things to satisfy himself
24 that the leak rate test was correct?

25 A I don't remember.

1 Q This would suggest, though, would it not, that he
2 didn't check the log?

3 A I don't think he'd have to check the log --

4 Q For a water addition, I mean.

5 A Yes, sir.

6 Q Do you recall this time frame? This is January
7 13, 1979; mid-January '79, about three months before the
8 accident, a little bit more. If, in fact, you needed to add
9 almost 120 gallons of water to get this -- well, let me
10 rephrase that.

11 A Here is a case where you got a leak rate of .26,
12 round off to .3, which is fine, but you know by looking at
13 the log that it wasn't anywhere near that. You added all
14 this water to come up with this. Was that at a time when it
15 was difficult, do you recall, to obtain a leak rate under 1
16 gallon per minute?

17 A I can remember as time elapsed closer to the
18 accident, getting a leak rate within limits was harder.

19 Q What is striking me -- and we heard a lot of
20 testimony to that effect and I think typically it comes a
21 little later than January but your statement has a lot of
22 agreement from other people. But, still, looking at the
23 record now and realizing that this leak rate, this "good"
24 leak rate, in quotes, of .3 gallons per minute, was actually
25 off by at least a factor of 2 gallons a minute -- it wasn't

1 even close, in other words -- was that a period of time when
2 getting such a nice, low leak rate would have been rather
3 surprising? Do you have any recollection about that?

4 A Yes, sir. I agree.

5 Q Well then, if you were on the panel and you are
6 working in some degree of coordination with Hartman and along
7 comes Hartman with this marvelous leak rate, .3, and if
8 that's sort of a surprising result, wouldn't that have caught
9 your attention? I realize you are not primarily responsible
10 for that test, but wouldn't that have seemed to you to be a
11 rather surprising result, even leading you to say: Hey,
12 Hartman, did you include that water in the calculation? He
13 would say: What water? And then you could tell him about
14 the 117 gallons.

15 A That would be called good communications and
16 communications is something we didn't have back then, as I
17 realize now.

18 Q Let's turn over to test 148. If you want to just
19 take a minute to look at the computer -- it's a computer
20 printout, couple of pages of log followed by copies of the
21 makeup tank strip chart. Okay?

22 A Yes, sir.

23 Q Now, just to identify it a bit and identify the
24 players, number 148 was run on the 15th of March of '79,
25 between 4:50 and 5:50 in the morning. In this case you were

1 the surveillance operator. It was approved by Bernard Smith
2 who, I understand, is shift supervisor; correct?

3 A Yes, sir.

4 Q Would that have been a case when Hoyt was just off
5 doing something else or would you have a particular
6 recollection?

7 A In those days, the shift supervisor and shift
8 foreman would go for tours in the plant to check plant
9 status. Evidently Mr. Hoyt was taking a plant tour at this
10 time.

11 Q I don't mean to suggest it's particularly
12 significant. I just wanted to clear that up, if we could.

13 Now, we indicated you are the surveillance CRO and
14 Mr. Blessing is on the panel. So I gather he is licensed, at
15 least at that time.

16 A That's not necessarily true. He may have been a
17 trainee under Hartman, perhaps.

18 Q Looking over his shoulder, do you mean?

19 A Exactly.

20 Q If we look at the strip chart for test 148, again
21 you can see that the time is bracketed in the heavy line
22 drawn in by the NRR analyst. They show the location of 4:50
23 to 5:50 on the strip chart. In this instance the times seem
24 to be pretty much in agreement.

25 Again, their analysis is towards the bottom of the

1 page. They read this strip chart as indicating a water
2 addition of 100 gallons starting at 5:25, a little more than
3 halfway through the test and they note that there is no log
4 entry corresponding to that and also that there is no
5 inclusion of water in the calculation. The other thing of
6 interest is that they refer to this as a jogged,
7 j-o-g-g-e-d, water addition.

8 Are you familiar with the term "jogged water
9 addition"?

10 A I have heard of it.

11 Q What does it mean to you?

12 A "Jogged" means adding amounts in a slow rate.

13 Q That's my understanding, too. I don't know as
14 we've ever had a definition on the record but that seems to
15 be the context in which it is used.

16 Now, if you can recall our discussion of that last
17 test, 94, where there was this sharp jump when there was the
18 batched addition, how would one make a jogged water addition
19 to the makeup tank as a matter of mechanics? How do you do
20 it?

21 A I don't know.

22 Q Well, first of all, the batch controller, we
23 talked about that some earlier. Is it possible to operate
24 the batch controller in such a way that water goes in
25 relatively gradually, as opposed to a fairly quick injection?

1 A I don't remember if boric acid went through the
2 batch controller or not. But boric acid went in at slow
3 rates.

4 Q Do you remember -- and believe me, I'm in the dark
5 here, too; I don't know how to run a batch controller -- but
6 -- that's what I would like to get from you.

7 I can imagine setting a batch controller, in
8 effect telling the batch controller, put 300 gallons in the
9 makeup tank, and hitting a button and it would do so.

10 A Right.

11 Q And I assume in a high speed way it would produce
12 almost a vertical line on that strip chart; right?

13 A Yes, sir.

14 Q Is there any other way that those batch
15 controllers could be operated?

16 A I think there's a bypass around the batch
17 controller when the batch controller is out of service.
18 There would have to be.

19 Q It would give you a slow injection of water
20 relative to the quick injection?

21 A I wouldn't know how to do that.

22 Q Apart from the batch controller, are there other
23 ways to feed water into the makeup tank?

24 A Boric acid, I think, has a different source of
25 liquid.

1 Q No. Just water. Just plain old water. Well, I
2 guess we don't use plain old water. Demineralized water,
3 whatever kind of water one puts in?

4 A I can't think of any other way.

5 Q Only through the batch controller?

6 A Or associated bypass.

7 Q Can you elaborate a little bit on what this bypass
8 involves?

9 A If I remember correctly, just open a valve and
10 water goes in.

11 Q So if you opened the valve halfway water goes in
12 more slowly?

13 A If that was possible. But I think it was an
14 air-or motor-operated valve. If that was the case it would,
15 I think, go all the way to the open position. But I don't
16 remember exactly how that batch controller and its bypass
17 worked.

18 Q Well, obviously all I am trying to understand is
19 Staff analysts say this looks like a jogged water addition
20 and I see the difference on the strip chart. It is not a
21 sharp vertical rise. It's a leveling out of the trace. And
22 if they are right -- that's a very simple question: How did
23 you do that? You don't know; right? Neither do I.

24 A Yes, sir.

25 Q So the two of us are sort of stuck. But looking

1 at that makeup tank trace, do you agree that what appears on
2 the trace at about -- they say 5:25, about a little more than
3 halfway through the test, there's a leveling out of the
4 trace?

5 A Yes, sir. That's obvious.

6 Q Okay. And that, it seems to me, appears to
7 continue for a time interval of, from the beginning of that
8 leveling out through the end of the test of, what, 25
9 minutes?

10 A It appears to be 25 minutes.

11 Q And then it starts to drop off again at the
12 previous rate of decline; is that fair?

13 A Yes, sir.

14 Q What would you make of that particular part of the
15 trace? What would you attribute it to?

16 A It looks to me like it could be a plant parameter
17 change. If primary coolant system temperature would increase
18 there would be less of a makeup situation required and the
19 makeup tank would hold at a more stable level.

20 Q Temperature change in the reactor could have this
21 effect?

22 A Yes, sir.

23 Q Where it appears, just at a glance, to be a change
24 in water level, that's not a real change in water level?

25 A I don't know.

1 Q Or would the temperature change actually change
2 the mass of the water, thereby changing the level?

3 A Well, if a temperature should increase in the
4 primary coolant system, the volume, as you said, would
5 increase. The pressurizer level would increase and,
6 therefore, reduce the need for makeup to the primary coolant
7 system. With a decrease in makeup, the makeup tank level
8 would appear to be more stable or level off. And exactly the
9 opposite on a temperature decrease. It would make the makeup
10 tank level look like a straight line down, so to speak.

11 BY JUDGE CARPENTER:

12 Q Mr. Booher, to follow up on your comment that
13 there might have been changes in plant, would you turn to the
14 log for test 1478.

15 A Yes, sir.

16 Q On my copy of the NRR report there is a "58" in
17 the upper left-hand corner. Do you see that?

18 A 58?

19 Q Upper left-hand corner. I just want to be sure we
20 are looking at the same page.

21 A Yes, sir. A log page number. Yes, sir.

22 Q Right. Now, at 0527 it reads: "Pressurized GEN.
23 to 76 pounds of hydrogen pressure." I guess it says. What
24 does that mean?

25 A That entry refers to hydrogen being added to the

1 main electrical generator in the turbine building and,
2 evidently, Mr. Blessing had the generator pressure increased
3 to 76 pounds.

4 Q Does that represent a change in plant conditions
5 or is it just a routine adjustment on hydrogen pressure?

6 A That would have no effect on the primary coolant
7 system.

8 Q The next entry is 0530. Can you translate the
9 hieroglyphics for me, please?

10 A "DF -- 1-A" refers to emergency diesel generator
11 alpha. And it started in 7 seconds from a dead status.

12 Q Does that have any relationship to the reactor
13 coolant system? Any effect on the reactor coolant system?

14 A No, sir.

15 Q The next entry is 0535. Once again, hieroglyphics
16 that I don't understand?

17 A Well "breaker." Evidently BKR refers to
18 electrical breaker 2-A-1 E2, and "pull to lock." I fail to
19 remember what 2-A-1 E2 refers to. It is some breaker. And
20 with an E in it, I think it's a safeguards breaker. But I
21 don't remember what that breaker -- what it supplied power to
22 or from.

23 Q Can you remember whether or not that breaker would
24 have an effect on "plant conditions" in terms of --

25 A I would guess not.

1 Q Is that a common action, pulling a breaker?

2 A PTL?

3 Q Yes.

4 A Yes, sir.

5 Q So it doesn't indicate to you anything unusual is
6 going on?

7 A Just by that terminology; no, sir.

8 Q What does "pull to lock" mean?

9 A Okay. "Pull to lock" means grabbing a pistol-grip
10 handle, twisting it in a certain direction -- if I remember
11 correctly, in a counterclockwise direction -- and then
12 pulling it in a direction away from the console. The handle
13 would stay in that position and that would interlock the
14 breaker from changing its current position.

15 Q Where were these breakers located? There's a
16 picture of the control room up there, if that can refresh
17 your memory.

18 A Most of the breakers were located on a panel, the
19 console which is closest to you in the picture. It is the
20 one with the telephone in the center of the picture.

21 One thing about Three Mile Island, they had a good
22 electrical panel as a MEMIC, and in that MEMIC system they
23 had breakers that controlled power. And those breakers had a
24 pull-to-lock position, PTL. When you want the breaker not to
25 change position you would select that option on the handle.

1 I would assume that that particular breaker is on
2 that panel.

3 Q Then at 0545 the log says he started "CWP-1-A."
4 What is CWP-1-A?

5 A That would indicate circ water. P would indicate
6 pump. 1-A would mean the alpha pump.

7 So, John Blessing started circ water pump alpha.

8 Q What does that do in terms of plant conditions
9 with respect to this surveillance test?

10 A It would have a potential effect. Starting a circ
11 water pump would essentially increase cooling to the main
12 condenser, which should increase condenser vacuum, which
13 should increase plant efficiency, so to speak, and that may
14 have an effect on the primary coolant system.

15 Q Where are the controls that he would have gone to
16 to start this circulating water pump?

17 A Geez -- if I remember correctly, all support
18 systems are on the back upright panels. If I could have some
19 time I could go over and look at the picture and try to
20 locate them but I don't remember where they are located in
21 the control room. It wasn't a normal occurrence to be
22 starting and stopping those pumps.

23 Q This is somewhat of a surprise at 5:00, almost
24 6:00 in the morning, all of a sudden he starts the
25 circulating water pump?

1 A That is surprising to me too, sir.

2 Q There are a number of these circulating water
3 pumps, are there? Were there?

4 A There were 4 or 6 of them. I forget how many.
5 But typically you keep them all running for increased plant
6 efficiency.

7 Q Well, in March would that necessarily be so?

8 A Pennsylvania may have been cold in March. You may
9 not need all of the circ water pumps.

10 Q Well, to summarize this, you don't see during the
11 time period of this test, any entry in the log which would
12 reflect change of plant conditions with respect to the leak
13 rate surveillance test requirement of steady state?

14 A Leak rate test started at 0450 and was completed
15 at 0550. And if he, indeed, did start that circ water pump
16 at 5:45, which is five minutes away from the end of the leak
17 rate surveillance, I can't see how that would have an effect
18 on that chart.

19 Q What about the condition that led him to decide to
20 turn it on?

21 A I would have no idea why he turned that particular
22 pump on at that time.

23 Q Well, this involved the supply of water to the
24 condenser, which is somewhat removed from the primary reactor
25 coolant system?

1 A Yes, sir. A circ water pump would take a suction
2 from those famous towers and pump it through the condenser
3 and return it to those towers as a cooling method for
4 quenching the steam going through the main turbine.

5 Q With an effect, primarily, on the secondary
6 system?

7 A Yes, sir.

8 JUDGE CARPENTER: Thank you very much. I just
9 wanted to see what was going on during that hour.

10 BY JUDGE KELLEY:

11 Q We were talking about possible reasons why the
12 makeup tank strip chart would level out as we discussed. You
13 indicated that it might be a result of temperature changes in
14 the primary system; right?

15 A Yes, sir.

16 Q Is that something we can determine? I have been
17 just looking at the computer printout, test 142. There are a
18 number of data points included on the sheet. I was looking
19 particularly at the T av, if that's how it's pronounced,
20 entry. And it shows that piece of data at the beginning and
21 end of the test with a change of .172.

22 By the way, I think those numbers written in are
23 NRR calculations. But that calculation shows as a bottom
24 line 13.7 gallons. Would that mean 13.7 gallon difference in
25 mass? Or what would that mean to you?

1 A It looks to me, from viewing some of the other
2 parameters, that pressurizer level increased over the leak
3 rate period. That would cause the makeup tank level to
4 become more horizontal. Like it's shown on the graph.

5 Why pressurizer level went up 1.411 inches, I
6 don't know. That may be because T av went up 1.72 degrees.

7 Q You indicated the temperature rise might account
8 for the level. Was that consistent with what we see on the
9 computer printout here, a change of .172 change in
10 temperature?

11 A That may be the effect; yes, sir.

12 Q I'm looking for help here. I frankly don't know
13 what 13.7 gallons means. I thought it might mean that it
14 would account for a difference of, in the level, of 13.7
15 gallons, which isn't very much. Certainly a lot less than
16 the 100 that's referred to as jogged water, but I may be
17 misreading this.

18 A And I don't remember. There's a thumb rule for,
19 let's see, gallons per inch in the pressurizer versus --

20 Q Yes. It's 30 gallons per inch?

21 A Some thumb rule like that, but I don't remember
22 what the actual thumb rule was.

23 Q Well, I just told you. 30 gallons per inch, so
24 100 gallons is a little bit more than 3 inches, which is
25 about what that offset is, roughly. Wouldn't you agree?

1 A Yes, sir.

2 Q So, again, I'm groping a bit, but looking at the
3 computer printout page under T av, there's a reference to
4 13.7. If that means that the difference that could make in
5 the makeup tank wouldn't be very significant, it wouldn't be
6 anywhere near the amount shown on the trace, would it?

7 A No, sir. So I can't -- I don't know why the
8 makeup tank level was straightened out at that particular
9 point.

10 MR. MAUPIN: Judge Kelley, a point of
11 clarification, in the Newtonian world, temperature changes
12 don't change mass, they change density.

13 JUDGE KELLEY: Fine.

14 BY JUDGE KELLEY:

15 Q In connection with running this test, Mr. Booher,
16 would you as a matter of routine have looked at the strip
17 chart?

18 A Yes, sir. When I had the panel; sure.

19 Q Okay. But in this particular test you didn't have
20 the panel, you were the surveillance operator; correct?

21 A Yes, sir.

22 Q So, in that situation, would you look at the strip
23 chart?

24 A No.

25 Q If you had looked at the strip chart in this

1 particular case, would you have regarded this as a valid
2 test?

3 A I don't know but I would inquire why the makeup
4 tank level decrease -- decreased.

5 Q So you would have looked into it, in any case?

6 A Yes, sir.

7 Q But you would have considered it to be the job of
8 the panel operator to look at the strip chart?

9 A Yes, sir.

10 Q Did you do that routinely when you were panel
11 operator?

12 A Yes, sir.

13 Q But did you do it just as a matter of part of your
14 job to keep an eye on the trace? Or did you do it in
15 relationship to leak rate tests?

16 A I did it because it is a good operating practice
17 to keep conscious of plant parameters. Not only would I look
18 at makeup tank level but also T av, THTC, rod position,
19 pressurizer level, various parameters that would indicate a
20 potential change.

21 Q My question is, did you look at strip charts in
22 specific relationship to leak rate tests?

23 A No, sir.

24 Q Okay. Let me ask you to assume that this may
25 reflect a, what we are calling a jogged water addition; that

1 is to say, gradual addition of water as opposed to a fast
2 one. Can you suggest any valid plant-related reason to add
3 water in that fashion?

4 A Waterwise; no, sir.

5 Q Anywise?

6 A Like I said before, boric acid goes in at a slow
7 rate.

8 Q But water addition? Is there any reason you can
9 think of to add water very gradually as opposed to pumping it
10 in the way the batch controller apparently pumps it in most
11 of the time?

12 MR. MAUPIN: Excuse me, Judge Kelley, but there
13 seems to be perhaps a disconnect between you and the
14 witness. Boric acid, I think you could put to the witness
15 the question whether boric acid is added in solution, in
16 water solution, and so it actually does constitute a water
17 addition of a different sort.

18 BY JUDGE KELLEY:

19 Q Okay. You were indicating -- would you agree with
20 counsel that you don't put pure boric acid in, you put in a
21 solution of water and boric acid; is that correct?

22 A I think there's a mixing T in there somewhere in
23 the system. I don't remember where that mixing T is located
24 in relationship to the makeup tank.

25 Q You mean before the makeup tank?

1 A It would have to be before the makeup tank
2 somewhere. I don't know how the batch controller was related
3 to the mixing T in the boric acid system. I don't remember.

4 Q Well, you can see what I'm after here.

5 A Yes.

6 Q Let's assume that the Staff is right and that
7 whatever this is, whether it's boric acid or water, got
8 jogged in at some gradual rate. Since it has been suggested
9 that jogging water is one way to manipulate a leak rate test,
10 I would like to know whether there's any reason to jog water
11 in other than that? That's what I'm preparing for. Do you
12 know of any such reason?

13 A I don't know of any reasons to put water into the
14 makeup tank at a slow rate.

15 Q Okay. Assume for the moment, again, that that's
16 what happened in test 148. But Blessing is on the panel;
17 right? And you are the surveillance man in that particular
18 test.

19 A Yes, sir.

20 Q If Blessing were doing the water addition here and
21 he were jogging water -- and I should add I don't believe
22 that he has said that he did do that; I believe he simply
23 said that he added hydrogen. But, in any case, it's a CRO
24 operator, other than you. Assuming that another person other
25 than you were jogging water in to affect a leak rate test,

1 would they -- do you think they would tell you that or not?

2 A I don't think anybody would tell me if they were
3 manipulating a leak rate.

4 Q But you are the guy who is going to sign for it;
5 right?

6 A I guess, especially in that case.

7 Q In my hypothetical -- let's take one. You are the
8 operator who has got surveillance duties and you are the one
9 who is going to sign for it.

10 A I wouldn't expect them to tell me if they were
11 trying to manipulate something if I'm going to sign for it.
12 In this particular case I did sign for this test.

13 Q Pardon?

14 A In this particular test I did sign.

15 Q 148. Yes.

16 A 148. Yes, sir.

17 Q Right. But if they do that to manipulate a test
18 -- and by "do that," I mean jog water in, and they are
19 jogging it -- in my mind anyway, if it's their intent to
20 manipulate the test the reason they are jogging is so it
21 won't show up on the strip chart, at least not as obviously
22 as it would if it were batched in. It's a way of sneaking
23 water in, so to speak.

24 They are doing that and you are the operator on
25 surveillance. Then the situation, as I see it, is that they

1 are causing you to make a false certification; isn't that
2 fair? If you don't know?

3 A Since I don't normally look at the makeup tank
4 charts and only a visual looking at the logbook, that is a
5 fair statement.

6 Q Do you think that either Hartman or Blessing would
7 have done that to you?

8 A Obviously one of them has, if Hal has alleged that
9 he has done it. Obviously he has performed that action.

10 Q We have been talking about 148 and the record
11 shows what it shows about 148. I'm using it -- here it
12 really is an example. I'm asking you to assume that somebody
13 jogged water in, whether it was Blessing or Hartman or
14 anybody else than you.

15 When your -- you are running the test as the
16 surveillance operator you are going to sign for it and I'm
17 just trying to get your opinion as to whether your fellow
18 operators would have pulled the wool over your eyes in that
19 fashion?

20 A It is possible.

21 Q Will you take a look at 143. This test is similar
22 in certain respects and different in others, in terms of what
23 you were doing. You were on the panel in this particular
24 case as contrasted with being a surveillance operator at
25 148. And here the surveillance operator was Hartman and it

1 is approved by Mr. Boyd. The test was run on the 10th of
2 March between 3:51 and 4:51 p.m., producing a leak rate of
3 .80, .81.

4 Let's turn over to the Xeroxed copy of the makeup
5 tank strip chart. The Staff has analyzed this test. Again
6 you can see the times bracketed to the right of center. They
7 analyzed this to be a jogged water addition of 80 gallons
8 starting at 4:40 in the morning. Again, like 148 there's no
9 log entry. It is not included in the calculation. And note
10 it started 11 minutes prior to the end of the test.

11 Mr. Booher, do you see the portion of the strip
12 chart where the Staff believes that this jogged water
13 addition occurred?

14 A There does appear to be a leveling-off at around
15 5:00 a.m.

16 Q Okay. I think we are looking at the same place.
17 In comparing 143 and 148, if you just look at the two strip
18 charts, would you say that one is more the phenomenon -- the
19 level-off phenomenon is more pronounced in one than in the
20 other?

21 A They look similar to me. But, also looking at
22 that time period, looking back earlier in the day, there
23 seems to be a leveling-off at around 2130 also, as well as,
24 it looks like, around 0200 or 0215.

25 Q Let me stick with you here. I think I see what

1 you are referring to. Well, is there one at 12:30?

2 A 12:30?

3 Q You tell me again. Which one --

4 A I was looking at around 2130.

5 Q 2130.

6 A 9:30. Just a minute --

7 JUDGE CARPENTER: This is chart time?

8 THE WITNESS: Chart time; yes, sir.

9 BY JUDGE KELLEY:

10 Q You are looking at chart time and 9:30 seems to
11 reflect a level-off. Let's see if there's a water entry at
12 that point. Is chart time and log time about the same? They
13 are pretty close.

14 MR. MAUPIN: Judge Kelley, just for clarification,
15 according to the Stier analysis in the green volume there is
16 no difference between chart time and clock time in this
17 particular case.

18 JUDGE KELLEY: Fine. That's helpful. Thank you.

19 BY JUDGE KELLEY:

20 Q Your shift is 11:00 to 7:00, the night shift here?

21 A Yes, sir.

22 Q So do we even have the logged tech spec 11:30 --

23 A I don't see it here.

24 Q We could take that up if we had to.

25 A If you want a justification of that leveling-off,

1 I can't give you one.

2 Q Well, would you agree with the Staff's analysis
3 that it is -- that so-called jogged water addition?

4 A It appears there could be one.

5 Q Could be. Well, I think you have testified before
6 -- am I clear that it's your testimony that you did not add
7 jogged water to affect the leak rate test?

8 A Yes, sir.

9 Q But you can't suggest another specific explanation
10 for that phenomenon there?

11 A No, sir.

12 MR. MAUPIN: Judge Kelley, I think I've got this
13 right. If you turn back to test 142, I believe you'll find
14 the previous page of the log, in case you were looking for
15 it.

16 JUDGE KELLEY: Good.

17 MS. WAGNER: That's correct. It would be page
18 47.

19 JUDGE KELLEY: What page?

20 MR. MAUPIN: It has a chart -- or a log numbered
21 47 in the upper right-hand corner. In my version it has got
22 an NRR reference of number 142, just below that.

23 JUDGE KELLEY: Does this show Hemmila?

24 MR. MAUPIN: Yes, sir.

25 JUDGE KELLEY: 3:00 to 11:00 shift. So there

1 ought to be an entry -- we were looking at 9:00 something --
2 9:15 in the evening.

3 THE WITNESS: It looks likes it would be 9:15 to
4 about 9:45.

5 JUDGE KELLEY: Well, 9:00 is 1900; right?

6 MR. MAUPIN: No, sir.

7 THE WITNESS: 2100.

8 JUDGE KELLEY: I'm sorry. 2100. 300 gallons of
9 demineralized water to the makeup tank, 2135.

10 THE WITNESS: 2135. That's indicated by a
11 straight line upward. Right prior to the water addition it
12 seems to be a leveling-off.

13 JUDGE KELLEY: Yes. The 300 is the vertical
14 line.

15 THE WITNESS: Yes, sir.

16 JUDGE KELLEY: So, according to the log, we don't
17 know why it flattened out just before that. At least the log
18 doesn't tell you, apparently.

19 THE WITNESS: Yes, sir.

20 BY JUDGE KELLEY:

21 Q If you had made a water addition in the course of
22 143, normally I guess you would have logged it; is that
23 right?

24 A Yes, sir.

25 Q And if Hartman were running a test and you would

1 have known that, you would have told him, or he would have
2 found it in the log?

3 A If Hal was on the panel and made an addition he
4 would have logged it.

5 Q If you are on the panel -- I'm not hypothesizing;
6 on 143, you were on the panel.

7 A Okay.

8 Q So you would have logged the water addition if
9 there would have been one and, in any case, you may have told
10 him -- or he may have asked you -- about water additions; is
11 that right?

12 A Yes, sir.

13 Q Okay. So it should have shown up in the
14 calculation. Okay.

15 BY JUDGE CARPENTER:

16 Q Mr. Booher, I'm still looking at this test 143.
17 This is the time period where there was substantial
18 identified leakage; is that correct?

19 A Repeat the question again.

20 Q This was a time period, this March 10th, is a time
21 period where there was substantial identified leakage at
22 TMI-2?

23 A I don't remember, sir.

24 Q You don't recall some valves over a good many days
25 in March had a substantial leakage?

1 A One of the pressurizer codes or pour valves had
2 some leak; yes, sir.

3 Q That's what I meant by identified leak.

4 A Yes, sir. We did experience leakage through one
5 of those valves.

6 Q What I'm trying to get your help with, if we look
7 at this strip chart for 143, there are a series of water
8 additions necessary to keep the makeup tank level up, going
9 all the way back to the 2100 time period you were talking
10 about with Judge Kelley.

11 A If I look at those several additions, five, and
12 the time period right after them, they all show a pretty
13 consistent slope. Then my eye is caught by the fact that
14 right after the leak rate test there's an extended period
15 where water wasn't added, running from roughly 0500 to 730,
16 where the slope is significantly less. Do you have any idea
17 how this happened? We are still trying to learn, even after
18 six weeks, we are still trying to learn.

19 A I'm sorry, sir. The slope looks the same to me.
20 It looks longer but the same.

21 Q Well, I have the advantage of having a ruler and
22 pencil.

23 A Oh.

24 Q Let's assume hypothetically that if you did draw a
25 straight line through that extended period there you would

1 see obviously a slope more like the other line that is drawn
2 through the leak rate surveillance test time interval. Do
3 you see that, that NRR has drawn two lines there, one with a
4 lesser slope and one with a greater slope?

5 A Yes, sir.

6 Q See, in that following period it corresponds more
7 to the line with the lesser slope. And if you use that
8 lesser slope line you don't see any jogged water additions.

9 What I'm trying to do is look for times after the
10 leak rate test and before the leak rate test to see, on the
11 average, what is the slope? What was the rate of decline?
12 And there seems to be this big change in slope at about the
13 time of the leak rate test. I'm just curious as to whether
14 that valve leakage was very constant with time or whether it
15 went up and down, up and down, if you recall?

16 A I don't remember any change in valve leakage. I
17 wouldn't know how to tell that.

18 JUDGE BRIGHT: Mr. Booher, I have a few more
19 questions for you. We won't pull any more charts on you for
20 a little while, anyway.

21 BY JUDGE BRIGHT:

22 Q On page 3 and 4, bottom of page 3, very top of
23 page 4 of your prefiled testimony, you mention this LER, so I
24 presume you know what that was. Is that true?

25 A Yes, sir.

1 Q Are you familiar with the circumstances that led
2 up to it? That the NRC inspector came around --

3 A Yes, sir.

4 Q There were two things about that period of time
5 that I'm interested in. We have some testimony about shortly
6 after this occurrence happened that the word came out to not
7 leave bad leak rates, leak rates in excess of 1 gallon per
8 minute, laying around on tables somewhere. Or to be very
9 careful in your handling. But the main thing was, don't
10 leave them out where the casual passerby can see them.

11 This appears to be the sense of it.

12 Do you remember any instructions to that effect?

13 A Yes, sir. But I don't know when exactly I heard
14 or read that instruction.

15 Q You remember getting an instruction like that, do
16 you?

17 A I do remember a conversation on it.

18 Q Do you recall who told you?

19 A Yes, sir.

20 Q There are two possible -- well, I guess three ways
21 that I have been able to figure out how you all exchanged
22 information. One would be information coming from your
23 supervisors. Was it ordinarily Mr. Hoyt's -- he was your
24 shift supervisor -- I mean, he was your shift foreman, was he
25 not?

1 A Yes, sir.

2 Q Do you recall talking with him about this
3 particular thing?

4 A No, sir.

5 Q Another way, someone comes around with a piece of
6 paper and puts it in a book somewhere. And if you ever get
7 the time and inclination to look into that book, then you
8 might have noticed it there. Would you --

9 A No, sir. I don't remember seeing it in the
10 required reading book, but I do remember seeing and reading
11 the required reading book.

12 Q As nearly as I can tell, it was with some
13 difficulty -- you apparently signed off on the sign-off
14 sheet. You initialed it for this particular item, which
15 would generally indicate that you had read it. Now, would
16 you say that was a fair statement?

17 A Are you referring to the LER?

18 Q Yes, sir.

19 A I do remember seeing that I did sign the LER. But
20 what time I signed it I don't remember. I don't remember
21 reading it, either.

22 Q Well, I'm not concerned about that. It's fairly
23 well established that whatever this instruction was, it came
24 out not too long after the occurrence of October 17th, 18th
25 or 19th, if we could ever get those numbers straight.

1 The other way that information seemed to percolate
2 around the system was at shift change. Could you possibly
3 have received the word there from someone that you just
4 happened to talk to when the shift was changing sometime?

5 A It's possible; yes, sir.

6 Q But you don't remember how you did get the
7 information?

8 A No, sir.

9 Q Mr. Booher, this is a standard question that I
10 ask. During your training or your experience or talking with
11 your colleagues, whatever, did anyone ever really give you a
12 good explanation of what the safety implications of this
13 particular leak rate test were?

14 A During those days, no, sir. The basis was there
15 in the tech specs. But we all realized the safety concept of
16 leak rates. But --

17 Q Could you explain what you mean by "you all
18 realized the safety context." What was the safety context?

19 A I'm hoping that I'm not confusing what I have
20 learned from other plants, tech specs, and referencing it to
21 a TMI tech spec basis. But, basically a leak rate
22 surveillance is performed to indicate primary coolant system
23 leakage. A primary coolant system leakage, a minute amount,
24 can generate itself into a larger amount, and that's the
25 basis for a tech spec surveillance and a tech spec LCO and

1 the associated tech spec action statement.

2 The training in those days wasn't as good as it is
3 today. So I don't think I had the education or the training
4 then as I should have.

5 Q Would it be a fair statement to say that you do
6 not recollect knowing that in your present state of knowledge
7 at the particular time that you were CRO-ing on TMI-2?

8 A It wasn't as big an issue as it should have been
9 in those days.

10 JUDGE BRIGHT: Well, thank you, Mr. Booher.

11 BY JUDGE CARPENTER:

12 Q Mr. Booher, to follow up on what you were saying
13 to Judge Bright, page 6 of your prefiled, your concluding
14 paragraph. We don't want to explore Waterford. You say at
15 Waterford you learned the absolute necessity for strict
16 compliance with the technical specifications and plant
17 administrative procedures.

18 Can you tell us -- there's been a lot of changes
19 in the whole industry since 1969, but, in particular, how was
20 that experience at Waterford different than your experience
21 at TMI-2, 1978 and 1979?

22 A For my being licensed a CRO, at TMI, the policy
23 there was to know a tech spec, to know that there's a general
24 subject on a particular item. To know the action statement
25 or to know the basis in detail, being an RO, was not as great

1 an issue as it is today.

2 Today in training programs at various plants the
3 ROs must know the tech specs almost in as much detail as
4 SROs, now. In the TMI days, like I said, the ROs only had to
5 know a general subject. Say, for example, leak rates,
6 primary chemistry, plant radiation levels -- just know that
7 there are items associated, LCOs.

8 In respect, today, the training is much better
9 than it was then. And at Waterford I did get the training
10 relating to tech specs in much more detail.

11 JUDGE CARPENTER: Thank you.

12 JUDGE KELLEY: Follow-up questions?

13 MR. MAUPIN: Yes, sir.

14 MS. WAGNER: None from the Staff.

15 BY JUDGE KELLEY:

16 Q Mr. Booher, we have just a few follow-up questions
17 from your counsel.

18 When did you first hear the term "jogged water
19 addition"?

20 A During the investigations and interviews
21 post-accident.

22 Q Okay. I think that answers this. I'll give you
23 the next question, though.

24 Did you ever hear the term when you were a CRO at
25 TMI-2 prior to the accident?

1 A No, sir.

2 Q Can you tell, just from the CRO log, what was
3 going on in the plant in the period of a leak rate test? Or
4 were your log-keeping practices such that one could not
5 necessarily tell what was going on in the plant?

6 A The logs were somewhat sloppy then. I can
7 remember a statement that came out, that during the accident,
8 on March 28, that there was, like two or three lines of
9 entries made during the accident itself.

10 Now, I would have thought that there would be more
11 entries made of the different various parameters. So, in
12 that respect, yes, the log-keeping was very lax back then.

13 Q Well, to put it a little differently, I think what
14 the question is driving at: Let's assume that you did make
15 all the log entries that the procedures told you to make and
16 that they were put in at the right time. Could one then just
17 sit down and by reading the log tell what was going on in the
18 plant? Would it give you a full picture?

19 A I don't know about a full picture, but it should
20 give you an indication of any major parameters' changes.

21 JUDGE KELLEY: Did that get at what you were
22 after?

23 MR. MAUPIN: Yes, sir. Thank you.

24 JUDGE KELLEY: Okay, Mr. Booher. That takes us
25 through the questioning process with you. We appreciate your

1 coming. I know you are joining us from California; is that
2 right?

3 THE WITNESS: Yes, sir.

4 JUDGE KELLEY: Well, it's a long trip. We
5 appreciate your coming very much and your attention to the
6 questions. Thank you very much.

7 THE WITNESS: Thank you, sir.

8 (Witness stood down.)

9 JUDGE KELLEY: Our sense is just to break and come
10 back at 1:30 for the afternoon witness. Is that all right?

11 MR. MAUPIN: That should be fine.

12 JUDGE KELLEY: Let's do that. Back at 1:30.

13 (Whereupon, at 11:30 a.m., the hearing was
14 recessed, to be reconvened at 1:30 p.m., this same day.)
15
16
17
18
19
20
21
22
23
24
25

1 AFTERNOON SESSION (1:30 p.m.)

2 JUDGE KELLEY: Mr. Hoyt, good afternoon.

3 Whereupon,

4 KENNETH R. HOYT

5 was called as a witness and, having first been duly sworn,
6 was examined and testified as follows:

7 EXAMINATION

8 BY MR. MAUPIN:

9 Q Would you please state your full name for the
10 record?

11 A Kenneth Richard Hoyt.

12 Q Mr. Hoyt, do you have before you a four-page
13 document entitled "Prepared Statement of Kenneth R. Hoyt" and
14 bearing the caption of this proceeding?

15 A Yes, I do.

16 Q Do you have any additions or corrections you wish
17 to make to that testimony at this time?

18 A No, sir.

19 Q Do you adopt that statement as your sworn
20 testimony in this proceeding?

21 A Yes, sir.

22 MR. MAUPIN: At this time, Judge Kelley, I'd ask
23 to have the statement bound in the record as if read.

24 JUDGE KELLEY: So ordered.

25 (The document follows.)

2

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

BEFORE THE PRESIDING BOARD

_____)
In the Matter of)

INQUIRY INTO THREE MILE ISLAND)
UNIT 2 LEAK RATE DATA)
FALSIFICATION)
_____)

Docket No. LRP

PREPARED STATEMENT OF KENNETH R. HOYT

My name is Kenneth R. Hoyt. I reside in Elizabethtown, Pennsylvania. I am currently employed by GPU Nuclear Corporation as a Decontamination Supervisor in Recovery Operations.

I spent nine and one-half years in the United States Navy. I began employment with Metropolitan Edison Company in 1971 as an auxiliary operator at Unit 1. I became a control room operator at Unit 2 in 1976 and served in that position until 1977, when I became a shift foreman. I was a shift foreman at Unit 2 until 1981, when I attained my current position.

My essential duties as a shift foreman were to operate the plant safely, to monitor daily evolutions, to carry out the required routines for a shift and to supervise the personnel assigned to my shift. During a typical shift, I would spend approximately one-half of my time in the control room, and the balance of my time touring and inspecting the plant.

I never personally performed a leak rate test, although it was my responsibility to review leak rate tests run by operators on my shift. In light of that information and the information I learned from my routine plant tours, I determined whether or not the plant was being operated in a safe manner.

As a shift foreman, I was aware that unidentified reactor coolant system leakage was not to exceed one gpm. I was also aware that part of my responsibility as a shift foreman was to ensure that this limit was not exceeded.

During 1978 and 1979, I was aware that the method by which we measured reactor coolant system leakage was not always accurate. The principal reason for this problem was that the computer program that ran the leak rate test was inaccurate. At that time, however, I believed that I could ensure that unidentified leakage did not present a safety problem by checking other monitoring methods, which I used routinely. These methods included observing makeup tank level, pressurizer level, system temperature and the sump pump. I believed that despite inaccuracies in the leak rate test, I could nevertheless obtain a "ballpark estimate" as to whether we were operating within the one-gpm limit by observing the parameters described above, and by tours through the plant looking at system leaks or other problems. I realize now that my review of these parameters did not enable me to determine precisely whether unidentified leakage exceeded one gpm. However, my primary concern was to operate the plant safely.

My understanding of the action statement was that unidentified leakage had to be brought to below one gpm within several hours after a bad leak rate test or the process of plant shutdown had to commence. Due to inaccuracies in the leak rate test, I was not always able to determine precisely whether unidentified leakage was below one gpm. Thus, I now recognize that there may have been instances when I should have entered the action statement but failed to do so.

I was aware that TMI-2 operating procedures required that exceptions and deficiencies be filed with invalid leak rate tests. However, I never filed an exception or a deficiency with any leak rate test that I deemed invalid.

I estimate that I approved about one-half of the leak rate tests that were brought to my attention. The remaining tests were discarded. I discarded all leak rate tests showing unidentified leakage in excess of one gpm because in my judgement those tests were invalid. If my shift ran a leak rate test showing unidentified leakage in excess of one gpm, we would run other leak rate tests until a good result was obtained.

I did not attend Plan of the Day meetings, and was not informed of the results of such meetings unless that information was relevant to my shift. I did attend meetings among the shift foremen, although I do not recall discussing problems with system leakage at any of these meetings.

I maintained a log which contained entries concerning leak rate test results and other indications of system leakage. I also maintained a list of active leaks, which I would hand over to the next shift foreman. I logged only satisfactory leak rate test results, because it was common practice at TMI-2 to do so.

I was not aware that during December 1978 one level transmitter was very unreliable, although I am now aware of that fact. To my knowledge, no one under my supervision deliberately used a faulty level transmitter so as to affect a leak rate test result.

I was aware that adding hydrogen to the makeup tank during a period when the makeup tank level instrumentation was faulty could produce a false reading. However, I was unaware during that time that the addition of hydrogen to the makeup tank during a leak rate test could affect the result. To my knowledge, none of the operators under my supervision attempted to manipulate leak rate tests in that way.

I was aware that it became increasingly difficult to obtain a satisfactory leak rate test result before the accident. None of my superiors ever pressured me to violate TMI-2 technical specifications or operating procedures concerning system leakage.

I realize today that I made some mistakes in my actions but I never tried to falsify any information. If I had it all to do over again today I definitely would be doing things differently. I would log all results of tests and not make any assumptions on my own.

1 JUDGE KELLEY: I have an opening statement just
2 for the sake of context, and then Judge Bright -- Judge
3 Bright is on my right, by the way, and Judge Carpenter on my
4 left. My name is Kelley.

5 The Board has been charged by the Commission to
6 determine the extent of involvement of employees at TMI-2 in
7 1978 and '79 in leak rate test falsification and other
8 improper practices in leak rate testing. This is your
9 opportunity to state on the record your recollections and
10 perceptions about your involvement in leak rate testing at
11 that time and to rebut any adverse statement about you by any
12 employee or investigator group with which you may disagree.
13 We have reviewed your prefiled testimony and we have
14 considered it in light of the testimony that has already been
15 developed in this proceeding.

16 As I expect you are aware, we have been talking
17 with -- we will talk with just about all of the CROs and
18 shift foremen and shift supervisors in that time period, and
19 talk with them on roughly a shift basis with respect to the
20 shift that you were with at that time. We heard from
21 Mr. Hartman some time back. Mr. Booher, as you probably
22 know, was here this morning. Mr. Smith is going to be here
23 tomorrow. We are not sure about Mr. Blessing, whether he's
24 going to come or not.

25 But, in any case, we have pretty well talked to

1 everybody in those positions at that time, including your
2 shift.

3 We'll have some questions based on your prefiled
4 testimony, possibly on statements you made in the past. We
5 may have a few questions based on statements of others, such
6 as others on your shift may have made.

7 As you are probably aware, in addition there are
8 in the record of this proceeding two rather extensive studies
9 of leak rate practices at that time -- in that time frame:
10 One by the NRC Staff; and the second one by Mr. Stier, which
11 was commissioned by GPU Nuclear. Those studies cover the
12 whole subject pretty comprehensively, including analyses of
13 particular tests that were run during the period of TMI-2's
14 operation. The Stier study, for example, has an analysis of
15 every test run during that period that wasn't thrown away,
16 and the NRC Staff study analyzes every retained test coming
17 out of the last six months of operation.

18 We won't have detailed, test-by-test questions for
19 you. These studies are in the record for whatever light they
20 shed on the subject. We may have a few questions about
21 particular tests, but by and large the tests themselves, the
22 analyses of them, will be in the record for whatever
23 evidentiary weight they are entitled to, but we'll certainly
24 consider them in light of the entire record including your
25 testimony here this afternoon.

1 So, with those contextual remarks, let me turn the
2 microphone over to Judge Bright.

3 EXAMINATION BY THE BOARD

4 BY JUDGE BRIGHT:

5 Q Good afternoon, Mr. Hoyt.

6 I think I have been through essentially all of
7 your prefiled testimony and your previous statements, et
8 cetera, and I have compiled a number of statements here from
9 those documents that, in the interest of time, I'll just ask
10 you -- make a statement and see if you agree with it.

11 You have testified that you have discarded
12 out-of-specification tests; by that I mean what are
13 ordinarily called bad leak rates.

14 A Yes, sir.

15 Q That you personally have not run any leak rate
16 tests?

17 A No, sir.

18 Q You did not ensure that out-of-spec LRTs were
19 documented; that is, entered in the log?

20 A I didn't hear your first part, sir.

21 Q I guess the first part was: You have not made
22 sure that the out-of-spec LRTs, the bad ones, were documented
23 in the log?

24 A No, sir, I did not.

25 Q You have no knowledge of hydrogen additions?

1 A No, sir.

2 Q No knowledge of water additions?

3 A No, sir.

4 Q And no knowledge of manipulation?

5 A No, sir.

6 Q Or the use of those two to manipulate tests?

7 A No, sir.

8 JUDGE KELLEY: Excuse me, the mikes are off.

9 THE WITNESS: I am having a hard time
10 understanding.

11 JUDGE KELLEY: Hearing Judge Bright?

12 THE WITNESS: Hearing all of you.

13 JUDGE KELLEY: Is this better now?

14 THE WITNESS: I can hear you real good now.

15 JUDGE KELLEY: When you say you have no knowledge
16 of hydrogen additions, did you mean no knowledge of hydrogen
17 additions for the purpose of affecting leak rate tests?

18 THE WITNESS: Yes, sir, that's what I meant.

19 JUDGE KELLEY: And the same with respect to adding
20 water?

21 THE WITNESS: Yes, sir.

22 BY JUDGE BRIGHT:

23 Q That you personally nor anyone on your shift, as
24 far as you know, ever made out an E&D on the leak rate
25 mechanism?

1 A No, sir.

2 Q And you have never put the plant into the action
3 statement as a result of a leak rate test?

4 A No, sir, I never did.

5 Q Okay. I would like to just go over some of the
6 points that have been made previously and kind of flesh out
7 what goes on when we have a little trouble because we weren't
8 there, seeing how things went.

9 Could you just briefly give me your general
10 opinion of the computer leak rate test procedure, what its
11 value was, how it worked?

12 A Well, what am I going to say? The procedure
13 really was for the CRO to go to the computer and put in a
14 code asking for a leak rate of the reactor coolant system.
15 The computer then would start monitoring certain parameters
16 throughout the system that it needed to look at. It would do
17 this for whatever interval of time the operator had
18 programmed the computer for, which normally was for one
19 hour. At the end of the hour the computer would print out
20 certain questions for the CRO to answer, and when he answered
21 those questions, it would print out what it seen as the leak
22 rate for the time interval.

23 Q What was your personal opinion as to the value of
24 this test?

25 A My personal opinion?

1 Q Personal opinion.

2 A It had a lot of inaccuracies into it. The
3 computer was not given accurate enough information, really,
4 to be judging whether the plant had 1 gpm leak rate or not.

5 Q In what way was it not given information?

6 A The accuracy of the instruments feeding it were
7 not accurate enough to give a computer program that would be
8 accurate enough to look for a 1 gallon per minute leak rate
9 when you are talking -- you know, you have 88,000 gallons in
10 the reactor coolant system and you are looking over an hour
11 period for the thing to lose 60 gallons. The instruments
12 that they had this computer -- they had maybe plus or minus,
13 say 1 percent accuracy on them and you are asking the
14 computer to give you plus or minus 1/15000 accuracy.

15 There was other problems in the program that
16 certain things were not compensated for, temperature
17 variations and things like that for the reactor coolant leak
18 tank, drain tank. Those things were not properly
19 compensated. The computer had been reprogrammed at least
20 once, as I now remember, to compensate for this but still
21 there were these little inaccuracies that fed into it. The
22 computer was too, too variable. That was my opinion of the
23 computer leak rate.

24 Q This point has come up before, people saying that
25 you are trying to determine a gallon or so in a 60,000-gallon

1 system or something like that, whatever the gallonage of the
2 system is. Isn't it true that you are not really doing
3 that? Basically, for unidentified leakage anyway, you are
4 depending upon measuring in the makeup tank, which is a much
5 smaller system?

6 A No. If that was all the system was looking at,
7 that would be the only thing it would monitor, in my opinion,
8 just the makeup tank level and see if anything was put in or
9 if anything was taken out. But it looked at plant pressures,
10 tank levels, drain tank levels -- these all are independent
11 of the makeup tank per se. Sort of independent systems. Why
12 would the computer look at them if the only thing it was
13 worried about was the makeup tank level change?

14 Q But that was the only thing you could measure, in
15 terms of the water? You can measure temperature and all that
16 but you had to manipulate that only for the amount of water
17 that actually went out of the makeup tank; wouldn't that be
18 true?

19 A Yes, sir.

20 Q Well, all of that being said, did you really
21 regard this particular surveillance as really being
22 necessary, except for the fact that it was in the tech spec?

23 A I believe it was a useful tool. All right? I
24 don't believe that the 1 gpm, as I said, was really a good,
25 accurate number. But I did use it as a tool to see what the

1 plant trend was. In that respect, yes, I did rely on it.

2 JUDGE BRIGHT: Does Mr. Hoyt have the Stier
3 compilation of previous statements?

4 MR. MAUPIN: Do you mean the Stier assessment,
5 Judge Bright?

6 JUDGE BRIGHT: Well, his interviews.

7 MR. MAUPIN: Yes. I believe we've got them all
8 here. Which one would you like him to look at?

9 JUDGE BRIGHT: Stier investigation 2/14/85.

10 MR. MAUPIN: All right, sir.

11 JUDGE BRIGHT: Page 43.

12 BY JUDGE BRIGHT:

13 Q Have you looked at it?

14 A Yes. I read it.

15 Q I just want to refresh your memory here on this
16 particular thing. You make a statement that you never
17 remember seeing a leak rate test in excess of 1 gpm which
18 agreed with other plant conditions.

19 A Yes, sir, I did make that statement. The answer
20 was no.

21 Q I guess it would be handy if you would turn to the
22 Stier interview of 2/26/85.

23 MR. MAUPIN: Mr. Hoyt, it's to your right.

24 BY JUDGE BRIGHT:

25 Q Page 11 -- no. Pardon me. Yes, that is page 11.

1 What I would like to do is go through these other
2 indicators and get you to give me some idea of just how
3 accurate they were, and what kind of information you could
4 get from watching these other things. This is what you said
5 they were back at that time. Would you take them one at a
6 time? You look at makeup tank level --

7 A Yes, sir. Well, makeup tank level, as you are all
8 aware, you get a readout on a strip chart and I roughly had
9 30 gallons per inch on the chart. So you could look at the
10 trend in the chart and see which way leakage was going, see
11 what water was being put into it and what water was going
12 out, and mathematically, you know, calculating ahead, what
13 the plant is doing.

14 Q How accurate would you say that was? That looks
15 like a little bitty chart to me.

16 A Yes.

17 Q Those lines are awfully close together. You have
18 a pen width to concern yourself with. Plus the fact there is
19 an oscillation. It doesn't draw a straight line.

20 A Well, you never really looked at it as small
21 increments. You would look at it over a time frame, and as
22 the NRC people have done, you sort of put an imaginary
23 straight line across it and averaged the thing out. Never
24 really picked out a five- or 10-minute interval or something
25 like that; no, sir, you couldn't, because of the

1 oscillations.

2 Q Well, with the method you described, how accurate
3 do you think you could actually be?

4 A I think that instrument had something like about 1
5 percent accuracy.

6 Q That close?

7 A Yes.

8 MR. MAUPIN: Excuse me, Judge Bright, could you
9 clarify whether you and the witness may have been talking
10 about the same thing? Were you asking him how accurate was
11 the methodology or how accurate was the instrument?

12 JUDGE BRIGHT: I'm asking him how accurate,
13 considering the instrument was correct, how accurate was his
14 eyeball guess on it.

15 THE WITNESS: I misunderstood you, then. I'm
16 referring to the instrument, was approximately 1 percent
17 accurate.

18 BY JUDGE BRIGHT:

19 Q Yes.

20 A To say my accuracy of eyeballing it, I probably
21 was -- could have been anywhere from, I don't know, 2.5
22 percent, I would say. Somewhere in that neighborhood.

23 Q Could you characterize this in gallons? I believe
24 that was the scale that was used.

25 A Yes, sir. By eyeballing it and drawing your

1 imaginary line you pick a reference of say 60 inches and it
2 drops down to 55; you have got a difference of 5 inches, you
3 multiply that by your 5 gallons per inch, and that is the
4 methodology you would use to determine what the level change
5 had been, how many gallons.

6 Q And you think that you could defend that to
7 yourself at least?

8 A Yes, sir.

9 Q Within 5 percent?

10 A Yes, sir.

11 Q Now you say you look at the pressurizer level.

12 A Yes, sir.

13 Q How did that go?

14 A Well, pressurizer level, depending on plant
15 conditions, if you were running stable, pressurizer level
16 should be staying stable, makeup tank levels should be
17 maintaining stable. Ideal conditions.

18 If the makeup tank level was going down and
19 pressurizer was not changing and temperatures and pressures
20 were not changing, that is an indication that water is going
21 someplace and not showing up as an addition to the reactor
22 coolant system, which would indicate you have a leak
23 someplace.

24 If you see makeup tank level going down and a
25 corresponding increase for the same amount of gallons into

1 the pressurizer, once again without temperature changes or
2 pressure changes, it is safe to assume that the water leaving
3 the makeup tank is being added to the pressurizer and vice
4 versa.

5 Q Could you have quantify the amount of water being
6 added to the system by looking at the pressurizer level?

7 A Yes, sir. There was a -- I don't remember the
8 exact number now -- but there was a correlation of inches in
9 the pressurizer versus gallons added.

10 Q Was that a recorded intelligence?

11 A Yes, sir, I believe it was.

12 Q The pressurizer level?

13 A Yes, sir.

14 Q It had a record made of it, much as the makeup
15 tank had?

16 A What I remember right now, yes, sir, it did.

17 Q And you say you looked at reactor coolant system
18 temperature changes?

19 A Yes, sir. And that's just the, you know, change
20 in temperature is going to change the volume of the system.
21 So, if you see something increasing and you have a
22 significant change in temperature to increase, you can pretty
23 much relate that the increase in level came from the increase
24 in temperature. And we had a rule of thumb on that, that
25 would say so many degrees should show so many inches of level

1 rise in the pressurizer, so we could relate that.

2 Q Okay. This was a correspondence between
3 pressurizer level and temperature?

4 A Yes.

5 Q It was not a correlation between 1 degree equals
6 50 gallons or something like that?

7 A I don't remember what we used for the rule of
8 thumb right now, sir; no.

9 Q Did you ever consider the reactor drain tank in
10 that list of parameters that you gave to me?

11 A Yes, sir. They were looked at.

12 Q Exactly what went into the reactor's drain tank?

13 A Well, pressurizer release went in there; valve
14 leak-offs drained into that tank; reactor coolant pump seal
15 leakage went into that tank. I think there might have been a
16 couple of other things I can't remember right now.

17 Q That would be, or would it be automatic valving?
18 Or overpressure valving? Manual valving? Let's say, on
19 the --

20 A Well, outside of the pressurizer release, it would
21 have been manual valving prior to plant start-up. If there
22 had been any valves in the line that would have been open
23 they would have stayed that way while you were operating.

24 Q Now, with all of these things, without the use of
25 the computer method, do you think you could determine the

1 difference between, say, .9 gallons per minute and 1.1
2 gallons per minute?

3 A No, sir.

4 Q So, it would be a fair statement to say that the
5 only prayer you had was that the computer could detect
6 this --

7 A Yes, sir.

8 Q -- that small of change?

9 A Yes, sir.

10 Q Something that I was curious about. If you had a
11 leak in the, oh, say one of the main pipes in this system,
12 the primary system -- maybe a weld or just -- you had a bad
13 radiography job and there was a flaw in the pipe that nobody
14 detected or whatever -- generally, where would the leakage
15 from such a flaw, hole, whatever you want to call it, crack
16 -- where would that leakage go?

17 A That would end up in the reactor building sump.

18 Q In the sump.

19 Now, I don't think we need to take worst case, but
20 just someplace that is, oh, relatively not very close to the
21 sump tank. How long do you think it would take for that to
22 get to the sump?

23 A I can't think of any place in the plant where it
24 should take more than one to two minutes before you start
25 seeing the inflow of water into the sump and seeing your

1 level increase.

2 Q Now, we are not talking about a lot of water here.

3 A No, but the plant was fairly new. The piping was
4 fairly clean. There was very little, let's call it dust and
5 crud in there to create traps. Water should have flowed
6 through pretty readily, I would think.

7 Q Was this something that was really considered very
8 carefully in the construction of that plant, do you know?
9 That is, how well all leaks lead to the sump? We have a
10 garage downstairs that I park in and it's fantastic. It
11 looks flat, but it is fantastic how often you have to wade
12 through that sucker. I'm just curious --

13 A But other places in the plant -- I can recall
14 right now that we did have puddles prior to getting to the
15 drain. What I can remember today, these were outside of the
16 D ring, which would be in areas away from the reactor coolant
17 system piping.

18 Inside of the D ring itself, no, sir. Today I
19 really can't recall any places where we formed any puddles
20 from any leaks.

21 You know, wet spots, we'll call it that way, but
22 not depth accumulation of water.

23 Q When you say the "D ring," what precisely is
24 that? Is that a protecting shield inside containment?

25 A Yes, it's a concrete protecting shield built

1 around the reactor loop and that is inside the reactor
2 building.

3 Q Is this the sort of thing -- I have seen it in a
4 plant or two -- where you actually have a polar crane or
5 something like that that uses it as a trap?

6 A No. You don't use the D rings. You use the outer
7 walls of the reactor building.

8 Q Now, you, of course, were familiar with the tech
9 spec on leakage out of the reactor.

10 A Yes, sir.

11 Q And if you couldn't determine whether the
12 unidentified leakage was less than 1 gallon per minute, in
13 light of the requirements of the tech spec, how could you not
14 go into the action statement? This is something that is
15 puzzling me.

16 A That's really hard to answer. I don't know what I
17 was thinking back prior to the accident. I guess I felt safe
18 with the computer printout that said we were less than 1 and
19 that was sort of the direction that was given to the
20 operators and the foremen. You get your computer printout
21 and if you feel the plant is safe, you file that and go on.

22 Today I realize that was all wrong thinking, it
23 was wrong training to even assume that.

24 So, it has just been too many years and too many
25 people showing me where I made my mistakes that I really

1 can't go back to that point and tell you what I was thinking.

2 Q That is difficult.

3 Were you familiar with the safety significance of
4 that leak rate test?

5 A Yes, sir.

6 Q The reasoning behind the requirement for the 1
7 gallon per minute?

8 A My understanding of that reason was to detect a
9 leak prior to it really becoming a problem, where you could
10 lead into, well, basically like the accident that we did
11 have. Yes, I am aware of that fact.

12 Q Were you aware back in those days?

13 A Yes, sir.

14 Q Did you ever talk to people in the control room
15 about it?

16 A I don't understand what you mean by "talk to"
17 them.

18 Q Well, did you ever point out to them that this was
19 why we needed the leak rate; it wasn't just a nuisance that
20 some bureaucrat had put in to devil the poor operator?

21 A Not that I recall, sir. This pretty much was
22 brought out in the training and I can't recall ever stressing
23 that on my own to the operators.

24 Q Let's see. On page 4 -- first let me ask you, did
25 you -- the operator would come to you and give you a leak

1 rate test for your approval and it would be below 1 gallon
2 per minute unidentified leakage. Would you try to validate
3 that before you approved it?

4 A In which way do you mean "invalidate"?

5 Q "Validate," not "invalidate."

6 A Excuse me. Validate? I would look at the
7 information on the printout and I -- usually this was
8 something that was made after I made my plant tour and if
9 things liked right there and it was less than 1, that's, to
10 the best of my recollection, about all I looked at to see
11 whether I felt it was a good leak rate or not.

12 Q Well, now, you state here on page 4 that all of
13 the discarded tests were greater than 1 gallon per minute?

14 A To the best of my recollection; yes, sir.

15 Q Let me ask you this: Does that mean that there
16 were no tests less than 1 gallon per minute that were
17 discarded?

18 A Not that I can recall; no, sir.

19 I would like to clarify one thing, though. There
20 was some times when the computer would come out with some
21 large negative numbers, okay? Now, those are definitely
22 negative numbers less than 1 but they were discarded because
23 they were definitely an invalid thing. You can't have a -- I
24 can remember as high as a negative 5 gallons a minute leak
25 rate with nothing happening to the plant to indicate and no

1 way for the plant to make its own water.

2 I do recall at least one of them. So, in that
3 respect, there was something else less than 1 that was thrown
4 away. I'm sure there might have been others.

5 Q Well, with the exception of those negative leak
6 rate tests, did you ever throw away a less than 1 gallon per
7 minute?

8 A No, sir. Not that I recall.

9 Q On page 10 you make a statement. In your answer
10 at the bottom of the page, the last sentence --

11 A Yes, sir?

12 Q Just for the record the sentence reads: "We were
13 told to look at these parameters, to do our own evaluation of
14 them, and to make our best judgment call on the condition of
15 the plant."

16 You say "we were told." Who told you?

17 A By "we" what I'm saying is the training department
18 had basically trained us, the crew, okay? Myself, shift
19 supervisor, CROs, we all attended training normally at the
20 same time, same class. That is what I'm referring to as
21 "we." As the whole crew.

22 Q Yes. But who told you, the training people?

23 A Yes, sir. That's what I'm referring to there.

24 Q So it wasn't a matter of somebody wrote you a
25 letter or memo, as a condition of your -- well, no, strike

1 that. That's going nowhere.

2 What I was curious about, I presume you applied
3 this to this leak rate.

4 A Yes, sir.

5 Q And then the question is: Did you think that this
6 was what gave you the authority, ability, carte blanche, you
7 describe it how ever you wish -- to use your own judgment
8 rather than what the leak rate test told you?

9 A Yes, sir, I did.

10 Q A little thing happened. Do you remember "the"
11 LER on leak rate tests?

12 A Yes, sir.

13 Q I wonder if you would turn to page 58; 58, 59,
14 60. Why don't you read that. At least the bottom of 58.

15 I think, rather than go through some line of
16 questioning here, let me make a statement and see if you
17 think it's a fair statement of what is on these three pages.

18 That you didn't recall seek this LER, 78-62 --

19 A No, sir.

20 Q -- until people told you about it; and yet your
21 initials appear on the check-off sheet?

22 A Yes, sir.

23 Q And you would not ordinarily sign off on something
24 unless you had read it?

25 A That's correct.

1 Q But, regardless of that, that the practices used
2 previous to the incident that led to the LER were not changed
3 as a result of the LER being issued?

4 A No, sir.

5 Q In connection with that, let's go back to page
6 22. Let's see, this goes quickly up to page 30. If you
7 could just refresh your memory.

8 The only thing I'm interested in here, they are
9 talking about pressuring people on shift to do one thing or
10 other, particularly to get good leak rate results. And you
11 stated that there was no pressure. The only thing you could
12 think of was shortly after this problem with the NRC and the
13 leak rates came up, that you did receive the intelligence
14 that had leak rate tests were not to be laid out on
15 somebody's desk, or whatever, but were to be thrown away?

16 A Yes, sir.

17 Q And you also state that your recollection was that
18 it was communication from your supervisor, the shift
19 supervisor?

20 A Yes, sir.

21 Q And it was your deduction, informed guess or
22 whatever, that this did come from upper management through
23 your shift supervisor to you?

24 A Yes, sir.

25 Q And your shift supervisor at the time was Bernie

1 Smith?

2 A As I said in here --

3 Q Yes.

4 Q -- normally; yes, sir.

5 Q But. It would have been a shift supervisor?

6 A Yes, sir.

7 Q You make a statement in here that they were
8 curious as to why this was the first time you had ever
9 revealed this information to anyone and your statement was
10 "it is probably the first time I had been asked about it."
11 Is that a true --

12 A Yes, sir.

13 Q Then, farther on down you state that you weren't
14 present when the inspection was made, the NRC inspection.

15 A That's true.

16 Q And then you think that it was a pass-on, the
17 information that you got, telling you that this had
18 happened --

19 A Yes, sir.

20 Q -- came from a pass on of information from one
21 crew to another.

22 A Yes, sir.

23 Q Could you elaborate on that just a little bit? We
24 are trying to get the lines of communication here.

25 A I don't know whether it was a matter of, you know,

1 one day's shift or whether I might have been off and come
2 back after a weekend or something, but it was normal practice
3 for me when I come to relieve the foreman, to ask what had
4 happened, essentially, since last time I was on shift. Lot
5 of times you get a rundown. It could have been anything such
6 as this NRC inspector has been here, or it could have been
7 something as simple as somebody dropping something and
8 hurting their toe, type of thing. That is what I mean,
9 gossip type things, things that's happening that's really not
10 the plant itself but it's happening to people. That kind of
11 information got passed on right along with the technical
12 information on the plant.

13 Q So, generally do you feel you had a pretty good
14 idea of what was going on in the plant, people-wise?

15 A Yes, sir.

16 Q I see.

17 Q Something else: Different companies, different
18 outfits, different parts of outfits, companies, all have
19 slightly different ways of doing business. I'm just curious
20 about lines of authority in your particular situation there
21 at TMI-2.

22 What was the company attitude about adhering to
23 line of authority word? I mean, on your shift, you had a
24 shift supervisor and there was a line of progression that
25 went through you down to the CROs.

1 Now, I guess, if, for example -- just a
2 hypothetical situation -- if someone other than your shift
3 supervisor had told you to quit leaving bad leak rate tests
4 out on desks, would you really have considered that to be the
5 definitive word? Or would you have gone to your shift
6 supervisor to find out whether this was -- which was the
7 proper thing to do?

8 A I believe I would have talked to my supervisor
9 about it and asked him if that's the same word that he had
10 received. Because that's normally where I took all of my
11 directions from, was from my supervisor.

12 Q Well, for example, if Mr. Floyd had done this,
13 would you have cleared it with your shift supervisor before
14 you would have complied?

15 A Yes, sir. I would have made sure that he at least
16 was told the same thing that I was.

17 Q Or that he had been told something?

18 A Yes, sir.

19 Q Just one other thing. Mr. Hoyt, did you feel it
20 was your responsibility or was it your practice to make sure
21 that your CROs were aware of such things as this LER? Let me
22 put a little finer part on there.

23 I realize that supposedly the LER, or whatever the
24 intelligence was, was taken and put in a book and it was
25 supposed to be read by everybody. And you had a book, shift

1 supervisor had a book, and the CROs had a book. But did you
2 feel that it was your responsibility to make sure that in one
3 way or another the CROs had this intelligence, this
4 information? That they knew about it? That they were aware
5 of it?

6 A Yes, sir. I'll say yes from the fact that this
7 book you are talking about, and the sign-off sheet, had the
8 CROs right along with the foremen. Normally my practice, if
9 I had read it and initialed it and seen that my CROs had not
10 done so yet, that I would leave the book out and tell them
11 when they have the time, please read it and initial it.

12 Q That was something else I wanted to ask you
13 about. I noticed that all of the initials are on one sheet
14 of paper. You have six shifts with, let's see, two CROs,
15 perhaps three shift foremen, shift supervisor -- that's a
16 minimum of five. That's 30 people and they are scattered out
17 in time so they don't get to reading their little book every
18 so often. It must take a tremendous amount of time for that
19 single sheet of people to get around to everybody?

20 A Yes, sir.

21 Q This appears to me to be a rather inefficient way
22 of getting the word passed and to make sure that everyone has
23 seen it. Who is going to check on this, when it will take a
24 month to get everybody to sign off on it?

25 A I guess I don't really have an answer to that,

1 other than agree with you. Today I can see how it really was
2 a very poor method of doing it. But I guess sort of the
3 philosophy was there would be people on vacation, people off
4 for a week in the training; with rotating shifts you have
5 four-day weekends, so to speak. So, theoretically, at least,
6 people could be out of the control room for -- it's not hard
7 to imagine two weeks, without getting into the control room.

8 So, basically within a two-week time frame,
9 anyhow, somebody, or all the shifts should see it.

10 For something like this LER, that definitely was
11 too long a time frame. I don't believe that would be done
12 that way today but I don't have any other theory for it
13 then.

14 Q That's the part that I have not been able to
15 understand in this case at all. Everybody says they read the
16 LER. Everybody initialed the check-off sheet. Nobody can
17 recall what it said at the time. And there was absolutely no
18 change in the way anybody did business. This seems extremely
19 strange.

20 Are you sure those were your initials on there?

21 A I don't remember the piece of paper. All I'm
22 saying is it looks like my initials. I can't argue that I --

23 Q At one time you thought that was probably your
24 initials?

25 A I do today, sir. I can't say they are not.

1 Q I'm not arguing the point. I'm just asking you.

2 JUDGE BRIGHT: I think that's it.

3 THE WITNESS: Thank you.

4 JUDGE KELLEY: Let's take a 10-minute break.

5 (Recess.)

6 JUDGE KELLEY: Back on the record, Judge Carpenter
7 has some questions.

8 BY JUDGE CARPENTER:

9 Q Mr. Hoyt, I would like to turn to your prepared
10 statement. On page 2, the third full paragraph you state,
11 "During 1978 and 1979 I was aware that the method by which we
12 measured reactor coolant system leakage was not always
13 accurate." I'm still trying to understand, did you think
14 sometimes it was accurate? Most of the time it was
15 accurate? I don't understand what "not always" means.

16 A What I'm saying is the inputs to the computer I
17 did not feel as being totally accurate but I cannot say that
18 the computer printout was accurate or not accurate. I guess
19 I have no way of giving you that answer. So that's why I
20 made my statement that way.

21 Q I take it what you just said you mean to imply --

22 A The computer could have been correct.

23 Q -- there was a doubt in your mind?

24 A I'm not saying it wasn't, all right? But I'm
25 saying I felt there were enough inaccuracies, that I could

1 not believe it 100 percent.

2 Q That's what I'm trying to get at. Why you would
3 believe it at all, if you had a doubt about it?

4 A It was the best tool that I had to be looking at
5 something that small. I had to have some faith into it but I
6 didn't have 100 percent faith into it.

7 Q We are trying to understand the root causes of
8 this situation where a surveillance test wasn't considered to
9 be really reliable and yet it was used, day after day, month
10 after month, without any remedial action taken to make the
11 test do what it was capable of. And that's what I'm trying
12 to understand.

13 A The only answer I can give you on that, that was,
14 you know, for the accuracy that we were looking at that was
15 the best tool that we did have to use. To my knowledge, the
16 program was looked at prior to the accident at one time and
17 was changed and even up at the time of the accident I thought
18 that the computer people were still trying to come up with a
19 way of programming it to make it more accurate.

20 Q I recognize we are forcing you to strain your
21 memory back to eight years ago and we are talking about
22 feelings, impressions, not things written down someplace that
23 you make reference to. If you thought there was an
24 inaccuracy in the computer program, wouldn't that make every
25 result that the computer produced inaccurate? I'm having a

1 hard time understanding the sort of whimsical -- and you are
2 not the only person that expressed this view, I want you to
3 understand that.

4 A I know I'm not. I find it hard to put into
5 words. I have a feeling what you are looking for but I guess
6 I don't know how to put it into words.

7 Q If I have a calculator and I put 2 times 2 in it
8 and it tells me 5, I expect the next time I do that it will
9 also tell me 5. It will do whatever result --

10 A But you are always putting in the same value, you
11 are putting in 2 times 2 all the time. The computer was not
12 getting the same values all the time. It was getting
13 different numbers; all right? And what's to say that these
14 numbers that it was getting was accurate; all right?

15 Q That's very different from the computer having an
16 error.

17 A That's what I'm referring to. The computer
18 compiled all the information; all right? It had to take the
19 information that it got and that may not have been receiving
20 accurate information. I'm sorry, maybe I didn't state it
21 clearly enough.

22 The computer itself, I'm sure calculated what it
23 seen. But did it see the accuracies? That I am not sure
24 of. That's where I had my doubts. The instruments that were
25 feeding the computer was not accurate enough so that the

1 computer could be accurate.

2 Q We certainly have evidence that, in particular the
3 level sensors, malfunctioned over extended periods of time.
4 What I'm trying to understand is how somebody trying to
5 change the computer program would have helped the
6 malfunctioning level sensor problem.

7 A I can't answer that. I'm not a computer man. I'm
8 only telling you what I know the computer people were doing.
9 They were doing something with the program. I can't tell you
10 anything outside of that, sir. I'm sorry.

11 Q But you just explained that in your mind there was
12 the computer program, which took whatever signals the sensors
13 provided it, and manipulated them.

14 A Well, the one thing that I do know, that the
15 program prior to the accident was not getting proper
16 compensation for temperature in the reactor coolant drain
17 tank. All right?

18 Now, that was -- I don't know how they did it but
19 it was fixed so that supposedly the computer was getting a
20 proper compensation for temperature. And my definition of
21 that is part of the computer program. Maybe I'm using the
22 wrong terminology, I don't know.

23 Q There was in, towards the middle of March, a
24 temporary change order that called for the individual running
25 of the leak rate surveillance tests to carry out a manual

1 calculation. The essence of that manual calculation was to
2 correct the volumes measured in the reactor drain tank back
3 to reactor temperature. So far as I have seen so far, this
4 was never done by a change in the computer program, it's a
5 manual calculation. Is that what you are referring to?

6 A I believe we are talking the same thing. That,
7 somehow, did get into the computer. To the best of my
8 recollection, this change had got put into the computer
9 somehow. If not we would have been running hand calculations
10 up until the time of the accident. We never would have went
11 back to the computer.

12 Q That's what I believe the record shows, at least
13 the records that I have looked at after the temporary change
14 order, attached to each test is this hand calculation.

15 A I don't recall, sir.

16 Q Do you recall that temporary change order?

17 A No, sir, not right now.

18 Q What were you doing during the month of March?
19 Were you on shift? Or were you at Lynchburg in training? Or
20 were you on vacation, do you recall?

21 A Well, the week of the accident I was in Lynchburg,
22 on training. Prior to that I was on shift.

23 Q So there might have been a week or so where this
24 temporary change order was in effect. From my quick review
25 of the tests, I didn't see any for your shift where the

1 manual calculation was made?

2 A No. Normally the week before our training week
3 was a relief week and we were -- you know -- not really
4 involved directly with the operations in the controlling
5 room. We were picking up the odds and ends that needed to be
6 done so the week before, if my recollection is correct; no,
7 we would not have been involved with it.

8 Q In the next sentence of your statement you say
9 "the principal reason for this problem," referring to the
10 inaccuracy referred to in the previous sentence, "was that
11 the computer program that ran the leak rate test was
12 inaccurate."

13 Did you ever report that to anybody?

14 A Yes, sir, I talked about that with my shift
15 supervisor. That's where I got my information that the
16 computer people were trying to look into this situation and
17 get it corrected.

18 Q What I couldn't begin to try to understand, this
19 sort of a casual hopefulness that the computer people some
20 day will get the problem solved. And yet the whole time
21 TMI-2 was operating, the problem went on day after day.
22 That's what I don't understand. I don't understand the
23 management strategy here which allows a surveillance test
24 that is required by the technical specification to go
25 essentially unfulfilled, not for a few shifts or a few days,

1 but month after month.

2 A I can't explain for management, sir. The computer
3 people was an entirely different department from mine. I did
4 not have a direct interface. I did not have the authority to
5 tell them: Hey, get in here and fix it. This was something
6 that had to go up my chain, over and down another chain in
7 another department.

8 Q But as you said, this was the tool that you had to
9 see whether the plant was being operated in accordance with
10 the technical specifications?

11 A Yes, sir.

12 Q And you recognized that the tool was deficient?

13 A Yes, sir.

14 Q And yet you were patient. That's what I don't
15 understand.

16 A I'm a very patient person.

17 Q If you had tried to energize this system, going up
18 the chain of command and down some other chain of command, to
19 get somebody to really come and do something about this,
20 would there have been resistance to your doing that?

21 A I can't answer that today. I don't know.

22 Q Well, did you have the feeling that it was wiser
23 not to make waves?

24 A No, sir. I had a feeling that I should take that
25 to my supervisor and it was his responsibility to come back

1 to me with an answer for my question. And his answer, to the
2 best of my recollection, always was: Well, they are looking
3 into it.

4 Q Well, I can think of a lot of things, looking into
5 it might be the appropriate action, but where there's
6 uncertainty about compliance with the technical
7 specification, that seems too limp to me.

8 A I can't offer you anything else. I'm sorry.

9 Q Well, the information in the order concerning
10 these proceedings asks the Board to make findings concerning
11 who participated in, who had knowledge of or condoned or by
12 their dereliction or culpable neglect allowed the leak rate
13 falsifications. And clearly these falsifications would have
14 never appeared if somebody had paid attention to this leak
15 rate test and gotten it straightened out. The situation
16 would not have existed in January, February and March of '79,
17 if it had been fixed in October, November or December of '78;
18 isn't that true?

19 A Yes, sir.

20 Q So you see what I'm trying to understand is where
21 this neglect occurred. Is it at the initiating end or at the
22 end where the response should have been?

23 A The way you are stating it, my answer to that
24 would be it looks likes everybody fell short of what they
25 should have done, the top end all the way to the bottom.

1 Q That's certainly the impression we have gotten
2 over the five weeks we have been sitting here. That it was
3 -- nobody feels that what was done was proper. On the other
4 hand, you can't really say: Well, this individual should
5 have been the prime mover. That's what I call a management
6 deficiency in the structure that we see.

7 You, as the foreman, you would think -- not only
8 you but the other foremen, recognize that this is the tool
9 that you had to use to do this surveillance, and every
10 foreman I talked to had reservations about it. But he
11 couldn't get it fixed. That seems strange to me.

12 A Well, I guess I sort of have to say you would have
13 had to have been there at the time, '78 and '79 time frame to
14 realize that this wasn't our only concern. We had concerns
15 with other things in the plant and even those things took
16 time to get anything done with.

17 So, maybe -- just stick on the foreman level,
18 maybe we got in a rut of just assuming everything takes time,
19 paperwork takes time. So, therefore, got to be patient and
20 wait for the whole wave of paperwork to make its round before
21 we'll see the results.

22 Q We haven't seen any evidence that any paperwork
23 was ever started. It sure takes a long time if it never gets
24 by go.

25 A I'll agree with you.

1 Q Apparently, in your conversation with Judge
2 Bright, apparently you never felt that it was appropriate to
3 identify any of these surveillance tests as representing
4 either a deficiency or exception as required by
5 administrative procedure 1010?

6 A That's true.

7 Q Can you tell us why, looking at these surveillance
8 test results, they didn't look like a deficiency?

9 A No, sir. I really can't tell you what my thinking
10 was other than I felt the plant was safe and I had good
11 results, good computer results. That's the only answer I can
12 give you today.

13 Q Well, you had "good" computer results which you
14 didn't believe. The computer might have said the leak rate
15 was a half a gallon a minute. Did you believe it?

16 A I believe it gave me a good ballpark number and
17 that it was telling me the best information it had. Through
18 my own observations, tours through the plant and other
19 things, I didn't really have any reason to doubt that the
20 computer was giving me its best information. I may not have
21 believed .5; I may have believed it was anywhere from 0 to 1
22 gpm, but --

23 Q In your tours of the plant, what fraction of the
24 primary piping system could you inspect?

25 A I could inspect it all.

1 Q You could see all of the primary piping?

2 A Anything that was outside of a concrete wall.

3 Q What about inside concrete walls?

4 A I couldn't see in there other than seeing leakage
5 coming from -- running down the walls.

6 Q You didn't feel that there were places that you
7 couldn't inspect visually --

8 A No, sir.

9 Q -- in the primary reactor coolant loop?

10 A No, sir.

11 Q That's a little bit of a surprise because others
12 expressed the view that there was a substantial fraction of
13 it that they couldn't see, couldn't visually inspect?

14 A With the reactor under power you were not allowed
15 without good reason to go into the D rings. But I think you
16 all know that -- it is on record -- that I did enter the D
17 rings under power to observe a leak on a pressurizer valve.
18 So that proves that you can go into the D rings for
19 observation.

20 Outside of that, you could walk over to the sump
21 and see what is running in the sump, which will tell you that
22 there's leak inside. You can stand on top of the D rings and
23 look for steam, which is what you would see coming up in the
24 atmosphere, which would tell you there's a leak someplace
25 inside.

1 You may not physically see every inch of the pipe
2 but you could definitely see the indications if there was a
3 leak in that area or not.

4 Q Well, I accept that. That's the basis, in your
5 mind, you felt you didn't know exactly what the leak was --
6 leak rate was, but you didn't think it was large or you would
7 have seen these visual indications.

8 MR. MAUPIN: If I might just make a suggestion
9 that the Board have this witness -- if you'll recall
10 Mr. Voigt's suggestion to you this morning about Mr. Kunder's
11 testimony in the Stier assessment of Mr. Kunder with respect
12 to leakage in January of 1979, that whole controversy, I
13 believe you'll find, if you inquire, that Mr. Hoyt is
14 referring to the same testimony.

15 JUDGE CARPENTER: Would you state the beginning of
16 it again? I got most of it.

17 MR. MAUPIN: I'm trying to be helpful but not be
18 too suggestive to the Board. There was a period in January
19 1979 in which there was a steam leak inspected, of which
20 Mr. Stier has made an assessment. Mr. Hoyt is a
21 knowledgeable witness on that subject.

22 JUDGE KELLEY: Is this the reference to the time
23 when you went inside the D ring to observe the leak?

24 THE WITNESS: Yes, sir.

25

1 BY JUDGE KELLEY:

2 Q Just a follow-up question. You have been
3 exploring with Judge Carpenter the notion that by walking
4 around the plant and looking for leaks you could derive some
5 level of confidence that some large amount of leaking wasn't
6 taking place. I haven't heard you place a number on it. But
7 I assume that you are not saying that a walk-around of that
8 kind is not a complete substitute for an accurate leak rate
9 test, which is supposed to quantify it right down to the
10 tenth of a gallon; correct?

11 A Correct.

12 Q Okay. But just how much confidence do you get by
13 that kind of an inspection, in terms of gallons per minute?
14 Could you give us an estimate? Could you be fairly sure that
15 you weren't experiencing unidentified leakage of 2 gallons
16 per minute?

17 A Yes, sir. I think I could.

18 Q Because effectively, if you don't really believe
19 the computer in the leak rate test and you are really going
20 on other indications of leakage, you are really, in effect,
21 setting aside the leak rate test and looking at something
22 else; right?

23 A Yes, sir.

24 JUDGE KELLEY: Okay.

25

1 BY JUDGE CARPENTER:

2 Q And isn't it true, Mr. Hoyt, that in this whole
3 area of leak detection you were encouraged to use all these
4 other ways of qualitatively detecting leaks?

5 A Yes, sir.

6 Q So that fits in with what you are saying: You are
7 saying, quantitative, 2 gallons a minute is roughly 3000
8 gallons a day. That's an appreciable amount of liquid that
9 one might look for.

10 A Yes, sir.

11 Q Well, I think the perception you have been
12 providing us is useful. Turn over to page 3 of your
13 statement. In the middle of the third paragraph you say "I
14 discarded all leak rate tests showing unidentified leakage in
15 excess of 1 gallon per minute because in my judgment those
16 tests were invalid."

17 That's based on what you felt was your knowledge
18 from other indications of what the leak rate might be?

19 A Yes, sir.

20 Q Not that you thought high numbers were invalid and
21 low numbers were valid --

22 A No, sir.

23 Q -- in terms of the computer output? It hasn't
24 been so clear to us that other foremen had quite that
25 perception. They simply felt that the high ones were suspect

1 so they discarded them without emphasizing the fact that they
2 needed some backup, namely, visible observation, to be sure
3 that numbers like 2 weren't real.

4 A I can't speak for the other foremen. I can only
5 speak for myself. And it was a very religious thing for me
6 to make my tours of the plant. And in those tours I did
7 inspect everything that I could as far as systems, whether it
8 be RCS connected system or whether it be just a secondary
9 system. I tried very hard to look at all of this and see
10 where any problems were that needed repair work. So I sort
11 of feel, myself, that I had a pretty good estimate of what
12 was going on in the plant as far as any kind of leakage.

13 Q Well, I see your posture, that you didn't feel
14 that this leak rate test was -- the absence of the leak rate
15 test, in the sense of producing a result that you could have
16 confidence in, was a serious safety problem in your mind
17 because of your visual inspection. And apparently it just
18 made you tolerant of the fact that this thing went on week
19 after week after week; somebody looking into it.

20 A Yes, sir.

21 Q Well, the upshot of all this, of course, is that
22 some people, as it begins to get more difficult to get
23 computer printouts with numbers smaller than 1, which some
24 people termed good, a lot of people got into manipulating the
25 test as it became more difficult to get those kind of

1 results. In your mind, where does the fault lie for this?
2 For this situation? It isn't something that was short term
3 at all. The plant had been operating almost a year; almost
4 October to March. It was reasonably up to speed. It was
5 commercial.

6 You mentioned there were a lot of other problems.
7 Was it that the work load was so high that this thing just
8 never got a chance to be given the proper attention?

9 A I really can't answer that. I don't know what the
10 work load of the other departments were, you know, that
11 really should have been -- let's say the computer people. I
12 don't know what their work load was. I don't know what the
13 work load of the upper management people that should have
14 been involved in this, I don't know what their work load was.

15 Q Was your shift generating items that they had to
16 give attention to?

17 A I would say no more than any other shift. Every
18 shift we generated paperwork that had to go up through the
19 chain for different people to review and to look at. Some of
20 them may be such things as work requests for something to be
21 repaired. It may be some other surveillance that a
22 surveillance engineer had to look at and prove. There were
23 just volumes of paperwork created every shift that went off
24 in different directions for different people to review.

25 Q You didn't have the feeling that it was excessive?

1 A That I can't answer. Only the people receiving
2 the paperwork would know whether it was excessive or not.

3 JUDGE CARPENTER: Thank you very much.

4 THE WITNESS: Thank you.

5 BY JUDGE KELLEY:

6 Q Mr. Hoyt, I have three or four areas I would like
7 to talk to you about. Could I ask you, first, to turn to
8 test number 94 in the NRC study. I mentioned this to your
9 counsel before we resumed.

10 MR. MAUPIN: Yes, Judge Kelley. He's had a chance
11 to look at those two.

12 JUDGE KELLEY: That's fine.

13 BY JUDGE KELLEY:

14 Q Okay. This is the test that occurred on the 13th
15 of January, 1979. We don't need to go into every detail of
16 it. There is a specific point that I wanted to ask you about
17 but it does reflect on the computer printout page that you
18 approved it, that Hartman was the surveillance operator. I
19 think the log indicates that Mr. Booher was on the panel for
20 that test.

21 And if you look at the Xerox copy of the makeup
22 tank strip chart about three or four pages past the computer
23 printout, the test itself, you will note, is bracketed by
24 heavy lines just to the left of center of the chart. And the
25 analysis line at the bottom of the page, those two typed-in

1 lines, those are typed in by the NRR analyst. They read this
2 as reflecting a water addition of 117 gallons at 9:50.
3 That's an addition that was logged in the CRO log and I think
4 we can find an entry for it. It was not included in the
5 calculation.

6 Do you see on the strip chart where the increase
7 of water, where the insertion of water is reflected?

8 A Yes, sir.

9 Q Okay. And then over on the log you have an entry
10 right about in the middle of the page at 10:00, an entry that
11 reads, "batched 117 gallons of water makeup tank." Entered
12 apparently by Booher; correct?

13 A Yes, sir.

14 Q Then going back to the computer printout sheet, if
15 you look at the questions just above the top half of the
16 page, the second question asks for operator-caused changes,
17 which I understand to include, where applicable, water
18 additions; correct?

19 A Yes, sir.

20 Q And it says zero. So, apparently when Mr. Hartman
21 answered the questions at the end of the test for the
22 computer and he entered the zero in response to that
23 question, he didn't, for some reason, reflect the fact that
24 117 gallons of water had been added. Is that right?

25 A That's right.

1 Q Okay. Now, 60 gallons of water in a one-hour test
2 would mean 1 gallon per minute leakage; correct?

3 A Yes, sir.

4 Q So 117 is close enough to 120 to say it's about a
5 2-gallon difference; right?

6 A Yes, sir.

7 Q So, if that water had been included in this
8 calculation instead of a leak rate of .26 -- forget about the
9 39 and say .26, or even .3, the leak rate would have been
10 something like 2.3 gallons per minute; right?

11 A Yes, sir.

12 Q Okay. So, would you think -- we talked a couple
13 of minutes ago about just walking through the plant looking
14 for leak, that you would have seen a leak of 2.3 gallons per
15 minute?

16 A Yes, sir.

17 Q But apparently in this case you hadn't. If there
18 was a walk-through associated with this test -- I don't know
19 whether there was or there wasn't -- but that would have
20 flagged the fact that there was a high leakage rate if that
21 thesis is correct?

22 A Yes, sir.

23 Q So what does this indicate? That the whole test
24 is just completely out of whack? Or what do you conclude
25 from looking at this test and looking at the fact that a

1 substantial water addition was not included in the test?

2 A Well, what I conclude there was a lack of
3 communications between the two CROs.

4 Q Okay.

5 A And there was a lack of identifying it to myself
6 when I signed this.

7 Q In a case like this, whose would be, in your
8 opinion, the primary responsibility for making sure that this
9 water addition got included in the leak rate calculation?
10 I'm assuming that -- if my assumption is wrong tell me -- but
11 I'm assuming that normally the person on the panel, in this
12 case, Booher, would have actually batched the water in;
13 correct?

14 A Yes, sir.

15 Q Where would the responsibility properly be in
16 seeing to it that it got reflected in the leak rate test?

17 A I'd say it is the man running the surveillance.
18 He's the man that didn't ask the question.

19 Q So the computer says to him: Did you add any
20 water? In effect, he, then, could look in the log and he
21 would have found this if he had done this, I take it?

22 A He could have looked in the log or just verbally
23 add.

24 Q One way or the other he should have found out;
25 correct?

1 A Yes, sir.

2 Q Would this indicate -- back up a bit.

3 When asked a while ago about the nature of your
4 review -- I think Judge Bright asked you about that -- and
5 you said words to the effect that you would look at the
6 computer printout and look at the bottom line, in this case,
7 .3. If the numbers on there made sense and the amount were
8 under a gallon, you would approve it; is that correct?

9 A Yes, sir.

10 Q So I gather, then, that your review process would
11 not encompass normally your own -- for example, your own
12 reading of the waters, see if water got added?

13 A No, sir, logs, normally I reviewed them at the end
14 of the shift, not in the beginning or middle. I waited until
15 all entries were made. When I was referring the CRO log,
16 that's when I did it.

17 Q But would you do it with a particular eye toward a
18 leak rate test or just to see whether the log looked okay?

19 A Just to see whether the log was correct.

20 Q So, in a case like the one we just looked at where
21 there was, in fact, a log entry of that water, you wouldn't,
22 I take it, have necessarily matched up the two in the leak
23 rate, to see if the two got put together?

24 A No, sir.

25 Q As I'm sure you are aware, Mr. Hoyt, two of the

1 three CROs on your shift, Mr. Blessing and Mr. Hartman, in
2 interviews, have acknowledged manipulation of leak rate
3 tests. Turning first to Mr. Blessing, who has not testified
4 and we are not sure whether he will be here, but in any case,
5 we have earlier statements from him. Let me just, rather
6 than paraphrasing, I'll just quote from the statement of his
7 given to NRC investigators on April 10, 1980. And this is an
8 excerpt that I'll read:

9 "He" -- meaning Blessing -- "He acknowledged that
10 it was common practice, by a large portion of the control
11 room operators, to add hydrogen to the makeup tank while
12 running a leak rate surveillance test in order to assist in
13 getting good leaks rate results; i.e., results that met
14 technical specification requirements.

15 "At this time Blessing did not specifically
16 identify individuals who had actually added hydrogen to the
17 makeup tank but reiterated that it was common practice and
18 well known to personnel, at least up to the shift foreman
19 level of management."

20 So, here's Blessing saying, as I understand him,
21 it's perfectly common practice to add hydrogen in the hope
22 that the leak rate would turn out better and that was
23 generally known, including by the foreman, and at a later
24 point, I believe he refers to you specifically.

25 Yes, let me go on and read the next section from

1 the next page in the same vein. Again, this is Blessing
2 talking to NRC investigators in 1980. "He emphasized that it
3 was not secret that hydrogen was being added to the makeup
4 tank during the running of the reactor coolant safety test
5 and it was a total common practice. He said it was his
6 opinion that supervisors and foremen were well aware of this
7 practice. He again reiterated that nine out of 10 times the
8 hydrogen addition did not work and therefore was not
9 pertinent to this issue. When specifically asked what
10 foremen were aware of the hydrogen additions, he stated that
11 he was confident that Dick Hoyt, his shift foreman, was well
12 aware of the hydrogen additions during the leak rate tests."

13 I'll stop there.

14 So, comment on Mr. Blessing's statement?

15 A As far as adding hydrogen affecting leak rate; no,
16 sir. I was not aware that it would and I do not believe that
17 it would.

18 Today, I have been, by some of the experts -- they
19 showed me their opinion but I'm still of a different
20 opinion.

21 As far as adding hydrogen during a leak rate, by
22 procedure there was nothing that said you couldn't do it. It
23 is not up to -- it's a gas, it increases pressure, which is
24 no different than if I add water and increase the level, I'm
25 still increasing pressure. So, even if they did do it, I

1 wouldn't tell them not to.

2 Q Well, more specifically let me ask you this: In
3 light of what I read to you, Mr. Blessing, at least, says
4 that he in fact was adding hydrogen, hoping that it would
5 improve the leak rate result.

6 One, do you believe that that's a true statement
7 by Blessing or do you know one way or the other?

8 A I don't know. I'm saying my opinion is that it
9 wouldn't affect it and you didn't know that it affected it if
10 it did. All right?

11 Q Okay. That's two points. I've got a third
12 point. Regardless of what you might have thought about the
13 technical efficacy of adding hydrogen or not, were you aware
14 of the fact that one of your operators, namely, Blessing,
15 thought that it was helpful in that regard and was using it
16 for that purpose?

17 A No, sir.

18 Q Let me shift over, then, to Mr. Hartman.
19 Mr. Hartman gave a number of interviews. I won't try to
20 quote from them but Mr. Hartman, as you are probably aware,
21 described a variety of ways in which leak rate tests could be
22 manipulated, hydrogen addition being one. He also spoke of
23 water additions that would not be included in the calculation
24 and therefore would affect the leak rate test. Whether
25 number 94 that we just looked at is an example of that or not

1 I don't know. That could have been, as you suggested, a
2 miscommunication.

3 I suppose alternatively it could have been
4 Mr. Hartman deliberately manipulating leak rate tests. But,
5 be that as it may, he spoke of a general practice on his part
6 to use both water and hydrogen to manipulate leak rate
7 tests. And so, I have really the same question: Were you
8 aware of the fact that Mr. Hartman was engaged in those kinds
9 of activities?

10 A No, sir.

11 Q Did you ever -- I gather if you weren't aware of
12 it you had no discussions with him along those lines?

13 A No, sir.

14 Q What we have to grapple with here is, to
15 understand what was taking place and satisfy ourselves that
16 what you tell us and they tell us took place can both be made
17 to fit together and, if not, who is telling the truth and who
18 is not.

19 We have these descriptions of activities by
20 Blessing and Hartman. We don't have, to my knowledge, any
21 very explicit statement involving you as far as they were
22 concerned, with the exception of the statement I just read a
23 few minutes ago where Blessing said he thought that you knew
24 about these hydrogen additions. He didn't flat say that he
25 told you or refer to any specific incident. But, if they

1 were engaged in those kinds of activities, how are we to
2 understand that those activities could have taken place and
3 you wouldn't have known about it? What was going on between
4 you and them, if you were supervising their work very
5 closely. What are we to make of this?

6 A You say "supervising them very closely." I
7 wouldn't say that I supervised them very closely. In fact,
8 looking over their shoulder --

9 Q Fine. I don't want to build in an assumption
10 that's not true. By all means, clarify that.

11 A I had full confidence in May operators that they
12 knew how to do their work. I did not stand to look over
13 their shoulders to see what they were doing. As I stated
14 previously, you know, I had tours of the plant to do. I had
15 other paperwork to do. I had lots of things that I had to do
16 on the shift also.

17 I would have to make a special effort if I wanted
18 to look over somebody's shoulder to take the time to watch
19 and see what they were doing and I never felt that I had to
20 do that with my operators.

21 Q So are we to conclude -- I think I understand what
22 you are saying -- are we to conclude from that, then, that
23 Blessing and Hartman were using various tricks and devices to
24 give you a computer printout under a gallon a minute without
25 telling you what they were doing?

1 A If in fact they did that; yes, sir.

2 Q So, in a sense, they are producing a desired
3 result in the sense that a computer printout under a gallon a
4 minute is what the system wants. And yet in another sense,
5 if we believe their statements, they are doing it in a
6 deceptive manner and then walking up to you with a piece of
7 paper and saying: Hey, sign here. And you proceed to do
8 that without knowing, I take it, that the result has been
9 manipulated.

10 Knowing what you know -- again, using hindsight,
11 knowing what you know about the situation at the time, your
12 relationship with the two gentlemen I have referred to,
13 Hartman and Mr. Blessing -- I am not referring to Mr. Booher
14 simply because he testified this morning and I'll ask you
15 about him in a moment. But he is not like Hartman and
16 Blessing, admitted that "I manipulated results." Hartman and
17 Blessing did. So that's why, I think, I'm emphasizing them.

18 But, taking into account your recollection of the
19 situation and your relationship with them and your own
20 estimate of them as people, do you think it plausible for us
21 to conclude that they were pulling the wool over your eyes on
22 these tests?

23 A Yes, sir.

24 Q Mr. Booher testified this morning, and the
25 situation is different with Mr. Booher. We have the evidence

1 before us and we'll have to assess that, consider his
2 testimony. We haven't reached any conclusions about whether
3 Mr. Booher was engaged in manipulation or not. But would
4 your view be any different with regard to Booher than it
5 would be with regard to Hartman and Blessing, so far as
6 manipulation is concerned?

7 A Are you asking me do I feel that Ray may have
8 manipulated things along with them?

9 Q Yes. I'm asking you that. Maybe not as neatly
10 and directly as I should, but that's a fair statement of it.

11 A I find it hard to believe that any of them
12 manipulated any of it. I really had not given any thoughts
13 along the line. I really felt that I could trust all three
14 of them, to having everybody admit that they were doing it
15 and to say whether Ray was doing it or not, I couldn't say.

16 Q Can you draw any distinction but I'm -- and I'm
17 not trying to put words in your mouth but, in your own mind:
18 Do you think it more or less likely that Mr. Booher would be
19 engaging in manipulation than would Blessing or Hartman?

20 A I think it would be less likely for Ray because of
21 the three, Ray was the more professional CRO on the shift.
22 He was the man really that carried the shift, so to speak.
23 My right-hand man when I wasn't in the control room.

24 Q Was he the senior of the three or just the one you
25 relied on more or both?

1 A No, I think Hartman was really the senior but Ray
2 was the one I could rely on because I knew I could trust him
3 when I wasn't there.

4 JUDGE KELLEY: Excuse me a moment.

5 (Discussion off the record.)

6 BY JUDGE KELLEY:

7 Q Mr. Hoyt, I wanted to ask you a couple of
8 questions about a certain type of water addition. The
9 typical batched water addition will show a sharp, almost
10 vertical line on the makeup tank strip chart; correct?

11 A Yes, sir.

12 Q We have had the term introduced in this hearing
13 that speaks of a jogged, j-o-g-g-e-d, water addition, which I
14 take it means a water addition put in the makeup tank
15 gradually, at least compared to the rather quick way in which
16 a normal batch addition occurs. Is that your understanding
17 of it also?

18 A Yes, sir.

19 Q Can you tell us how, at TMI-2, as a matter of
20 which controls one manipulates, how one makes a jogged water
21 addition? How is that physically done?

22 A Well, you say "how was it physically done?" That
23 I can't answer for you because I never seen anybody do it. I
24 can only theorize, knowing the plant and if I wanted to do
25 that, all right, I can tell you how I would do it.

1 Q All right. Please do.

2 A Well, most of the time we took water out of what
3 we called a reactor coolant bleed tank with a pump, and on
4 the discharge side of that pump there was an air-operated
5 valve which had a variable position to it depending on the
6 air pressure applied. That fed into the batch controller and
7 into the makeup tank.

8 If you wanted to jog water into the system, I'd
9 have to have a man on the pump to start the pump to regulate
10 my little air-operated valve here. I would have to have a
11 man over on the batch controller. He would either have to
12 manipulate batch controller or have an operator out in the
13 plant by passing the batch controller. The batch controller
14 -- I don't know if Nick brought this thing up -- had a very
15 loud distinct click to it every time a gallon went through
16 it. You could hear it throughout the control room, sit there
17 and go click, click, click, click. If they wanted to hide
18 this they wouldn't want to have that this clicking. I would
19 see an operator out in the plant to bypass that and get water
20 into the makeup tank. Under that type of arrangement I'm
21 sure I could jog water into that makeup tank that would not
22 show up on a strip chart.

23 Q That's the reason for doing it, I assume? If you
24 want to manipulate a test you don't want any telltale blip on
25 the strip chart?

1 A I assume that's what this is all about. People
2 trying to get water in without anybody noticing it.

3 Q Right.

4 A It could have been -- could be done.

5 Q Under the procedure that you described, though,
6 you have three different operators cooperating in this
7 venture?

8 A You would have to to have three because you have
9 the discharge and volume of the pump, which was air-operated,
10 tends to fluctuate a little bit, up and down a little bit;
11 you have somebody watching the makeup tank chart and he has
12 to stay up there continually watching this thing, is it
13 continuing my slope normally as it goes, I'm not going flat,
14 I'm not going uphill.

15 So you would have to have a collaboration of
16 several people in order to do it. I don't think it was done
17 that way.

18 Q Can you think of any other way to jog water into
19 the makeup tank rather than just the way you just described?

20 A I'm sure -- there were probably some other ways,
21 but off the top of my head; no, sir.

22 JUDGE KELLEY: Okay. Thank you.

23 BY JUDGE CARPENTER:

24 Q Are both the demineralized water and this --

25 A Reactor coolant bleed tank.

1 Q -- reactor coolant bleed tank water, both came
2 through the back controller?

3 A Yes, sir.

4 JUDGE KELLEY: Anybody have any other questions?

5 MS. WAGNER: Yes, sir.

6 (Discussion off the record.)

7 JUDGE KELLEY: Questions from counsel?

8 Mr. McBride?

9 MR. MC BRIDE: No, sir.

10 MR. MAUPIN: No, sir.

11 JUDGE KELLEY: Anybody else?

12 JUDGE BRIGHT: Bear with my reading, Mr. Hoyt.

13 BY JUDGE BRIGHT:

14 Q If you were obtaining only "ballpark estimates" of
15 leakage, as stated on page 2 of your prefiled testimony, and
16 were unable to determine precisely whether unidentified
17 leakage was below 1 gallon per minute, what was the basis for
18 your belief, as stated on page 2 of that testimony, that you
19 "could ensure net unidentified leakage did not present a
20 safety problem"?

21 A Well, throughout my tours of the plant to look at
22 all these different parameters, piping and valves, et cetera,
23 just from that if I never found anything that told me, hey, I
24 had a hazard here that could develop into something
25 dangerous, then I assumed I was safe. And my tours normally

1 included enough of the systems that that was my deduction at
2 the end of it.

3 Q In light of your testimony that you were not
4 always able to determine precisely that unidentified leakage
5 was below 1 gallon per minute, on page 3 of your prefiled
6 testimony, was it your view that leakage in excess of 1
7 gallon per minute did not present a safety problem?

8 A I guess my answer to that would have to be if I
9 found something that was leaking, it would have to be
10 determined where it was leaking from. I've never given much
11 thought as to where I had a cutoff, what was safe or unsafe.
12 It would be determined by where it came from.

13 JUDGE BRIGHT: Thank you.

14 MS. WAGNER: Could we get some expansion on that
15 answer? He is saying, then, that unidentified leakage in
16 excess of 1 gpm might not be a safety problem? It depends
17 where it comes from?

18 THE WITNESS: If I went to a valve and the valve
19 packing is leaking, all right? Now, one thing, I identified
20 where the leak is, all right? The valve may be one of these
21 type of valves that I can open up onto the back seat and seal
22 the packing from the leak. All right? There, I'm not
23 endangering the plant, I'm not endangering anything, I can
24 just completely open the valve and put it on the back seat
25 and seal the leak.

1 If I go up to a pipe at a weld and I have a weld
2 that's bad, it's leaking, I cannot isolate that. It may be
3 just a trickle. But I call that unsafe because it's on a
4 weld; I cannot isolate it, because it's going to grow. It
5 may be anything from a valve that's leaking to a weld that's
6 only a trickle, not greater than 1 gpm. Therefore I'm going
7 to say it's unsafe, no matter how much it is leaking.

8 BY JUDGE CARPENTER:

9 Q Mr. Hoyt, I would like to have you turn to NRR
10 test 120, please. All you are going to need to do is look at
11 the strip chart. This is a surveillance test that doesn't
12 involve your shift at all.

13 In this test, apparently, Mr. Adams ran a test of
14 the so-called hydrogen effect, as best we can understand.

15 You notice in the center of the strip chart it's
16 labeled "leak rate test 120." About in the middle of that
17 there's an arrow showing a time point where hydrogen was
18 added, and what I wanted to find out was: We look at this as
19 a pretty clear demonstration that at least on this occasion
20 when you add hydrogen to the makeup tank it changes the
21 signal that is fed to the strip chart recorder, apparently
22 because this differential pressure sensor didn't sense that
23 additional hydrogen on both legs equally.

24 I wanted to get your opinion. Is there an
25 alternate interpretation here? When you said earlier you

1 didn't believe the hydrogen had an effect. This is one of
2 the bases for a tentative view, at least on my part, that
3 perhaps hydrogen did have an effect.

4 A I can't answer that for you, sir. The
5 transmitters I'm referring to had a leg that went into the
6 top of the makeup tank in the gas space, and you had a leg
7 into the water side. If I put pressure in there, both legs
8 should see it.

9 You don't put pressure in that stays at the top of
10 the tank and sometime later drifts down to the bottom. It is
11 felt equally at all places.

12 I can't see where -- I don't know if this is an
13 effect from the hydrogen or not. I can't explain it.

14 Q As far as we can tell is that's the only thing
15 that happened. The hydrogen was added and the makeup tank
16 level recorder went up.

17 A Well, that may have been. But also looking at
18 this same strip I see -- not quite as elaborate, but I can go
19 over a couple of hours, I see another rise in there where
20 nothing is indicated of anything done. I can go all the way
21 back right straight to the beginning of this strip, I see a
22 little bit of a levelization there. I don't know what that
23 came from.

24 You know, so, because hydrogen was added at this
25 time frame, maybe it had effect. I don't know. But I won't

1 say that it did. I don't believe it did.

2 Q Are you saying you think the amount of deflection
3 here is not large enough to be unusual? That you
4 periodically would see upward movement equivalent to,
5 perhaps, three chart divisions?

6 A Well, that's roughly two or three and -- yes, I
7 can go along this strip chart and find two to three in other
8 places. Maybe not over the same duration, but definitely two
9 or three increments.

10 Q If the reference leg, the leg that went to the gas
11 phase at the top of the tank, had a low spot in it and liquid
12 accumulated in that low spot, wouldn't that influence the
13 transmission of pressure from the tank gas phase to the
14 sensor; in the sense that the gas you are sensing would have
15 to push that slug of water up the hill?

16 A I can't answer that for you without taking,
17 really, some time to think about it.

18 Q Well, we are trying to get your help.

19 A The tank would normally run around 30 pounds of
20 pressure. That would take quite a bit of water to -- for me
21 right offhand to say that the water wouldn't affect it.

22 Q We are talking about pressure changes here that
23 correspond, as I understand it it, to inches of water. We
24 are looking at a change here that's two to three inches of
25 water as expressed by pressure. So these are really small

1 changes in pressure that are being reflected in the strip
2 chart recorder, aren't they?

3 A Well, I don't know. Does the log say what they
4 changed pressure to? May I go back and review it? It says
5 "added hydrogen." It doesn't say what they changed the
6 pressure by, so I don't know. I don't know where the
7 pressure was when they added it or what they ended up with.
8 That may have had some effect. I just -- I'm sorry, I just
9 can't really help you with this.

10 Myself, I don't believe it was the hydrogen that
11 caused this.

12 Q Well, I say, I just wanted to get your view.
13 Others expressed the view that this is unequivocally a
14 demonstration of how hydrogen can affect a leak rate test.
15 You add the hydrogen and the sensor temporarily shows bias,
16 in this case, in a positive direction.

17 A What I see here, it looks to me it's showing over
18 pretty near a half-hour range. That doesn't make sense to
19 me. Even in light of you saying it has to push the water
20 uphill, why would it have to take a half hour to push a
21 couple of inches of water uphill?

22 No, sir. To me -- I can't agree that there's
23 hydrogen additions shown there that affects that leak rate.

24 Q Well, certainly it's difficult to reach a firm
25 conclusion based on a sample of 1. As opposed to --

1 A Yes, sir. If it would have been a blip, maybe I
2 could agree with you. But this time duration and my feelings
3 and understanding of the way the instrument worked, et
4 cetera, I can't help you. I don't believe that that hydrogen
5 addition is what caused that trace.

6 Q You don't feel that a slug of water in the
7 so-called dry sensing line would produce a bias and pressure
8 on that side so that it wouldn't equalize?

9 A Not anything that would look like that.

10 Q What would you think it would look like?

11 A I said, maybe a blip when you added the hydrogen.
12 As soon as you stop adding and changing pressure you should
13 be right back to a normal-type reading. At least what you
14 had before. You would have had to have the water in there
15 before you added the hydrogen.

16 Q Yes.

17 A And why should it take a half hour for this to
18 stablize after you add the hydrogen? It should only have
19 been the fluctuation at the time you were changing the
20 pressure on that sensing line.

21 Q Well, if the increased pressure doesn't cause the
22 gas to bubble through that slug, which simply displaces the
23 slug as if it were a piston and then for some time later for
24 some reason it begins to bubble through, then it would come
25 back, then the pressure would equalize.

1 A I cannot argue that with you because right off the
2 top of my head I don't remember the directions of the sensing
3 lines. I don't remember any place in those lines, though,
4 that this effect would occur. You may be right. I wouldn't
5 argue that point.

6 Q Thank you very much. Since others have pointed
7 this test out to us I just wanted to get your reaction.
8 Thank you.

9 MR. MAUPIN: Judge Carpenter, I wanted to point
10 out to you but I didn't want to interrupt the colloquy, you
11 began by saying this was an experiment performed by
12 Mr. Adams. The NRR may have typed his name on the sheet, but
13 if you will recall his testimony he did not recall
14 participating in this and he denied that the handwriting to
15 the best of his recollection was his.

16 I also wanted to point out to you that you may
17 recall the testimony of Mr. Chwastyk, which was to the same
18 effect about the same test. The same effect as what Mr. Hoyt
19 just stated.

20 JUDGE CARPENTER: Mr. Maupin, I accept your
21 products. I recall Mr. Adams' views about whether or not
22 this is his writing, whether or not this was the test, since
23 his memory was he did a series of them which we cannot find
24 any evidence for. That's not the point here. I just was
25 trying to get Mr. Hoyt's evaluation to almost a hypothetical,

1 if you will. If you saw a strip chart record like this and
2 saw this excursion, upward excursion in the makeup tank level
3 strip chart record that correlated with adding hydrogen, how
4 would you feel about that?

5 THE WITNESS: I would feel there was something
6 besides the hydrogen that caused this trace.

7 JUDGE CARPENTER: Thank you very much.

8 JUDGE KELLEY: Mr. Hoyt, that completes our
9 questioning process. Thank you very much for coming down
10 here today and your responses and attention to questions.
11 Thank you very much, you are excused.

12 THE WITNESS: Thank you.

13 (The witness stood down.)

14 JUDGE KELLEY: Off the record.

15 (Discussion off the record.)

16 JUDGE KELLEY: If there's nothing further, we will
17 stand adjourned until tomorrow morning at 8:30.

18 (Whereupon, at 4:00 p.m., the hearing was
19 adjourned, to reconvene at 8:30 a.m., on Wednesday, October
20 29, 1986.)
21
22
23
24
25

CERTIFICATE OF OFFICIAL REPORTER

This is to certify that the attached proceedings before the UNITED STATES NUCLEAR REGULATORY COMMISSION in the matter of:


NAME OF PROCEEDING: INQUIRY INTO THREE MILE ISALND
UNIT 2 - LEAK RATE DATA
FALSIFICATION

DOCKET NO.: LRP

PLACE: BETHESDA, MARYLAND

DATE: TUESDAY, OCTOBER 28, 1986

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission.

(sig) 

(TYPED)

JOEL BREITNER

Official Reporter

ACE-FEDERAL REPORTERS, INC.
Reporter's Affiliation