## TRANSCRIPT OF PROCEEDINGS

## BEFORE THE

3-23-85

COPY

THE RECORD HEVER FORGETS

APPENDIX

CS

UNITED STATES NUCLEAR REGULATORY COMMISSION

5

5

s

S

5

WASHINGTON, D FOLA - 85 - 59

IN THE MATTER OF MEETING TO CONDUCT FEEDBACK DISCUSSION WITH MESSRS WALSH AND DOYLE RE CONCERNS ABOUT THE COMANCHE PEAK PLANT

DISCUSSION MEETING

BE IT REMEMBERED that at 12:00 noon on Saturday, the 23rd day of March 1985, the above-entitled matter was had at the Ramada Inn, 700 East Lamar, Highway 157, Arlington, Texas 76010, before CHET POSLUSNY, Chairman; and the following proceedings were reported by Aloma J. Kennedy, a Certified Shorthand Reporter of:

> KENNEDY REPORTING SERVICE, INC. 7800 Shoal Greek Bivd., Suite 346-W Austin, Texas 78757 (512) 458-3297

> > F0IA-85-59

8607030101 860623 PDR FOIA GARDE86-A-18 PDR

(817) 469-8930 Dallas - Fort Worth

•		PAGE NO.
3	PROCEEDINGS - SATURDAY, MARCH 23, 1985	2
•	PRESENTATION BY DON LANDERS	3
5	PRESENTATION BY DAVE TERAO	22
3	PRESENTATION BY JOHN FAIR	70
7	PRESENTATION BY DR. PAUL CHEN	112
8	CLARIFICATION OF ISSUES (Rom Lipinski and Charles Hofmayer)	191
	MEETING CONCLUDED	232
5		
5		
,		
8		
2		

AUSTIN, TEXAS 78757

(512) 458-3297

1	PROCEEDINGS
2	SATURDAY, MARCH 23, 1985
3	
4	MR. POSLUSNY: Good afternoon Ms. Ellis,
5	Mr. Beck. I want to welcome everybody. The purpose of
6	this meeting is to conduct a feedback discussion with
7	[Messrs. Walsh and Mr. Doyle] regarding their concerns
8	about the Comanche Peak Plant, to also request comments
9	and any clarification from them and to allow the
10	Applicant to also comment and ask questions.
11	As far as structure, each NRC team member here
12	today will identify the key issues for each area,
13	provide the status discussion of our effort and, lastly,
14	request comments and clarification comments from Messrs.
15	Walsh and Doyle and the Applicant.
16	We would ask that [Mr. Walsh and Mr. Doyle] do
17	not address new issues at this meeting. We feel that if
18	you have new items, we would like for you to take them
19	to Mr. Noonan through the proper channels. We have a
20	lot to cover today,
21	As you know, the meeting is being transcribed,
22	and we ask that each speaker identify himself when you
23	first start speaking. And copies of the transcripts
24	will be provided to all parties.
25	What we would like to do is cover the summary

Π

R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 W AUSTIN, TEXAS 78757 S (512) 458-3297

disposition items this morning -- or this afternoon -first, then go into cable tray concerns. And we have a few structural allegations.

So we would like to start off with Mr. Landers, please.

## PRESENTATION BY DON LANDERS

MR. LANDERS: Good morning or good afternoon. I'm here to talk really about the draft report that I submitted to the Staff on February 21st, and I'm sure that by now everyone has had a chance to review that so I will not spend a lot of time discussing specific items other than to indicate that in reviewing the design process that was in place over a period of years at Comanche Peak, that I did arrive at some concerns. And based on those concerns, I made some recommendations to the Staff, that further work had to be done before I could make a judgment on the adequacy of the design that is currently in place.

21 What I would prefer to do is to respond to any 2.2 questions or go into detail on issues that I have 23 addressed in the report, rather than go over them again 24 in detail since I have already done that in the previous 25 meeting. If that's acceptable to everyone, I would

> KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346.W R AUSTIN. TEXAS 78757 S (512) 458-3297

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

1 prefer to do that. MS. ELLIS: I think that -- Juanita 2 3 Ellis. I think that probably Mr. Doyle and Mr. Walsh) 4 are much more interested at this point in hearing the 5 6 Staff's assessment of the particular technical matters rather than so much, you know, the design QA aspects of 7 it. I think that's the primary thing that we would like 8 9 to have you address if possible, as much as possible. 10 The others on design QA issues -- as I 11 mentioned before, there are certain other matters that 12 we are concerned about which we do want to get some more information from the Staff regarding. 13 14 But I think that if I could, I would like to 15 mention a couple of things here. One thing, the summary disposition motions, I realize that this is the format 16 17 that you want to follow here, but I want to mention a 18 couple of things about that. 19 One is that first of all, many of the summary dispositions, if you have not noticed, were signed by 20 21 Mark Walsh, and I want to be sure it's clear in your minds that does not mean that Jack Doyle has no input to 22 23 them. And, in fact, many of the things he testified about are included in those summary dispositions. So, 24 25 in other words, this was not just [Mark] talking or

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 (512) 458-3297

1	anything like this; this goes far beyond that.
2	Also, I would like also to mention that as far
3	as we are concerned at this point in time, our current
4	thinking and our current feeling is that basically all
5	bets are off as far as the plan that the Applicants
6	presented, proving whether or not the design of Comanche
7	Peak was adequate. We think that they are more in
8	trouble now than when they were when they started out.
9	And they have not done what they said they were going to
10	do as far as Cygna, as far as addressing the Walsh/Doyle
11	concerns. Their expert is somewhere in Wyoming
12	somewhere on horseback, I suppose. We haven't heard
13	anything from him yet.
14	The motions for summary disposition leave out
15	many items which and to be and the state of

5

15 many items which need to be addressed. And I think at 16 this point in time we are very concerned about the 17 issues and about the Staff's approach to these issues 18 because we think at this point, based on what the Staff 19 has already seen and what we have seen, the Staff should 20 not be narrowing your perspective to just these motions 21 for summary disposition.

1912 - 191 - 1814 - 181

22.54

12

Een mentioned something about that, I think, in the last meeting, and I think that that's something that we want to be very clear about. As far as we are concerned, all the Walsh/Doyle concerns are still valid

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK ELVD. 346-W AUSTIN, TEXAS 78757 S (512) 450-3297

concerns. They've not been adequately addressed, and we 1 think they all need to be. So with that caveat -- I 2 know that you do want to continue with the motion for 3 summary disposition on that basis, but I want to make 4 clear that that was our position. 5 MR. POSLUSNY: Chet Poslusny. 6 Is there nothing that you want to hear further 7 from Don? 8 MR. WALSH: This is [Mark Walsh] speaking. 9 10 I wasn't aware what the agenda was going to 11 be, so I'm not prepared. 12 MR. POSLUSNY: Your items here and able 13 to answer questions. MS. ELLIS: Both Mr. Walsh and Mr. Doyle 14 15 have read the transcript of the last two meetings, the 16 February 26th and 27th meeting, so you don't need to, 17 you know, repeat the things that were said there. If 18 there is anything -- what we would like to do is to find out the Staff's position on these matters as much as 19 20 possible. 21 Go ahead. [MR. DOYLE:] This is Jack Doyle.] 22 23 I think we would also still like to know what 24 the Staff position is and what he had to say in his 25 report. So I think his question is valid, is what I'm

6

KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 (512) 458-3297 trying to say.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

MR. BOSNAK: This is Bob Bosnak.

If you read the draft report that Don Landers prepared, do you have any questions, because he went into more than just QA. He covered a lot of technical things. So we wondered if you had any questions that you might want to ask Don Landers on that report, particularly on the technical areas.

MR. DOYLE: Not really because most of what he had to say, obviously I concurred with. What I would like to know is what is the Applicants' position on his report and what the Staff position is on his report.

MR. BECK: John Beck.

Can I interject here if I may? And I'm not making an observation on what the Staff's intent in this meeting or get-together was today. Let me make clear what our intent is and what we would like to assure happens to the best we can in the course of the afternoon.

As we've indicated in our meetings with Staff earlier, we're in the process of preparing a comprehensive response plan to a number of PRT issues. As a composite piece of that plan, we have also included what we refer to as "design adequacy." Within that

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN. TEXAS 78757 S (512) 458-3297

design adequacy umbrella will fall a number of issues, not the least of which are Walsh/Doyle concerns, if I could use that in quotes, that are before the ASLB at this point in time.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

8

Our desire today is to be sure that within the constraints of those Walsh/Doyle] concerns that are on the table that there are not any issues that Mr. Walsh and Mr. Doyle] feel have not been adequately covered or amplified or clarified in the record because that record is certainly available to the CPRT.

So we want to have that interaction that will assure us that we're not missing anything if, in viewing that record, we haven't got the whole story. So it's an opportunity for CPRT, the Comanche Peak response effort being led by Mr. Levin, certainly as a whole on design adequacy, that he has this opportunity to interact.

I would like it to be as free and as open and as comprehensive as (Mr. Walsh and Mr. Doyle) would make it, and that's the prime reason we're here.

MR. DOYLE: Mr. Doyle again.

That's my feelings exactly, is that it should not be limited to a narrow scope which encompassed only the summary dispositions because, in the first place, the summary dispositions only addressed a few areas. And many of the areas that were discussed as long as

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 W AUSTIN, TEXAS 78757 S (512) 458-3297

almost -- going on three years ago now, were never 1 touched upon in the summary dispositions. 2 In addition to that, there are other areas 3 that came out as a result of Cygna which for some reason 4 also fell by the wayside. We have one motion for 5 summary disposition that's been answerable within 20 6 days that's now going on six months with no answers. 7 And I think what we want to do is get all the points up 8 now; otherwise, we'll just be going over the same 9 network all over again at some future date. 10 MS. ELLIS: This is Juanita Ellis again. 11 12 One of the things, John, that I think needs to be clarified perhaps that would be helpful to us to know 13 14 is how much does your new team know because at this point in time we're not really sure, having reviewed all 15 the records, you know. If so, then I think maybe there 16 is a basis for talking. But if the record hasn't been 17 thoroughly reviewed as of yet, I think we need to know 18 where you're coming from at this point in time and what 19 the status is of that. Could you maybe clarify that for 20 21 us? 22 MR. BECK: I won't put words in 23 Mr. Levin's mouth. I'll let him speak for himself in 24 that regard. 25 MR. LEVIN: Maybe the first thing,

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 W AUSTIN. TEXAS 78757 S (512) 458-3297

Juanita, would be to discuss how we're going about our development of initiatives to just the entire design adequacy question.

1

2

3

4

5

6

7

8

9

I think what we want to be sure of is that we've, in terms of breadth, identified the full range of issues that may exist on the part of CASE and Jack Doyle and Mark Walsh, as well as the Staff, as well as Cygna. And we have been in the process of trying to define those boundaries.

We're not, as part of our program, going to specifically go after, even though it will include this, but it will not be limited to specifically going after issues that are brought forward by any of those parties. The program is intended to be able to provide an umbrells that would include those as well as anything else.

17 So if we achieve our objective in these series 18 of meetings -- and this is the third in a series. We've 19 met with Cygna; we've met with the Staff back in 20 February and here today -- our objective would be to come up with a program that is broad enough, 21 22 comprehensive enough that even if we didn't know about 23 the specific issues that have been raised by any of the parties, we would be able to detect those as well as 24 25. others.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 438-3297

1 So I'm not sure that in terms of this meeting, 2 for example, we would have to get involved in every -you might say microscopic issue, if I can just term it 3 that way, but we want to be sure that we've got the 4 general areas identified, the key problems identified so 5 that we can go forward and know that our program has the 6 attributes, that we'll be able to identify issues that 7 8 are similar to ones that have been brought forward by 9 the three parties I mentioned, and resolve them. 10 So, yes, I understand there are these 16 11 areas. We want to be sure that we have a comprehensive 12 understanding of what they are, anything that's related 13 to them, and any clarification you would like to 14 provide. And we'll come forward and undoubtedly have 15 future meetings where we'll discuss a program that will deal with those. 16 17 And I want to assure that you it will not be 12 limited to the explicit express concern that may be on 19 the table right now. It wouldn't be a very good program 20 if we weren't able to address why we don't believe there 21 are similar concerns that have not been detected today. 22 MS. ELLIS: I think you've hit on one of 23 the things, one the problems as we see them right now. 24 You mentioned these are 16 areas. The Walsh/Doyle 25 concerns go far beyond that, and that's one of our

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 (512) 458-3297

concerns is how much of the record you have reviewed at this point in time, how much will you have reviewed at the time you make your proposal April the 1st or thereabouts, how much have you read of all of this?

And I would like to point out, too, you mentioned that this is a series of meetings. This is really the first opportunity that Jack Doyle and Mark Walsh have had to sit down with the NRC Staff people on a basis like this, on a one-to-one more or less basis, and discuss these issues. I think it's long overdue, and I'm awfully glad that we're getting this opportunity now.

But I think that that's one of the primary reasons that we wanted to have Jack down here is so that he could discuss some of the technical issues with the Staff and find out what the Staff's thinking is.

17 MR. LEVIN: Juanita, in the regard, I 18 believe there are issues beyond the scope of the 16 19 summary dispositions that, for example, Cygna has 20 raised. And we've had an opportunity to sit down with 21 those people and review those. I believe there are some 22 that are extensions of the 16, for example, that we 23 extracted out of our February meeting with the Staff. 24 MS. ELLIS: Excuse me before you go on

with that.

1

2

3

4

5

6

7

8

9

10

11

12

25

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD- 346.W AUSTIN, TEXAS 78757 5 (512) 458-3297

MR. LEVIN: Sure.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

MS. ELLIS: The Walsh/Doyle allegations are closer like 30 -- just for the record.

MR. LEVIN: Okay. But I wanted to assure you that the effort is, in fact, much broader than those. Our intent -- and I think John expressed it very well -- is to get a full understanding of that from this meeting if we could, make sure that those are fully clarified in our minds in terms of not necessarily in detail -- okay? -- but to be sure that we have input that our program will have the key components in it to address the full range of issues that may be related to design adequacy question of Comanche Peak.

MR. DOYLE: My feeling is that if you don't have a complete layout of all of the problems, all of the shortcomings, particularly in the engineering, and you go through and take another bite at the apple, then we'll be right back here again for the ones that we still have in our head.

20 MR. LEVIN: I agree. I agree with your 21 intent, and I want to make it absolutely clear that our 22 intent is not to go after the specific issues that have 23 been expressed. We want to develop a program that has 24 the capability to detect anything at all that may be 25 related in terms of the generic implications of the

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAB 78757 S (512) 456-3297

concerns that you've expressed. 1 Now, what we will be able to do in our program 2 development is deal with the key areas that have been 3 identified to date, and we have provisions in the 4 program. We discussed, in the February 26th meeting, a 5 means of dealing with issues that will come up as our 6 7 investigation is ongoing to be sure that components of the program that need to be added, as the review goes 8 9 on, will in fact be added; in other words, that an issue 10 coming into the process gets properly categorized and, 11 in fact, there is a program developed to deal with it. 12 I think we would all be somewhat naive to 13 believe that we could be 100 percent complete at any 14 point in time, but we need to be flexible enough that 15 our program can deal with it as time goes on. We're 16 taking a crack at the record, and I can't quote verbatim 17 of the specific sources of information that represent 18 our data base, but it's guite long. And we're in the 19 process of assimilating that, categorizing it, 20 cross-referencing it so that we do have a grasp of the 21 issues. 22 We believe that there are certain sources of information that get us 90 percent there very guickly --23 24 okay? -- and other sources that either are redundant to 25 or, you know, represent the last 10 percent, so to

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN. TEXAS 78757 S (512) 458-3297

speak, that we will have to eventually capture, and 1 we'll present a methodology for capturing that. But 2 what we're concentrating on right now is getting the 3 4 biggest bang for the buck, so to speak, to get all the major things categorized first. And you'll see shortly 5 a program and initiatives that will address those, and 6 there will be a methodology defined on how we'll deal 7 with those parts of the record in terms of volume that 8 need to be addressed but possibly are not -- it would 2 take a longer period of time to get up front in a 10 program plan immediately, but there will be a process 11 defined on how we'll deal with it. 12 13 MR. DOYLE: My feeling has always been --14 and I've said it in testimony and I've said it in affidavits with caveats -- that I believe the plant can 15 16 be saved. However, I don't believe you can address a problem until you first understand what the problem is, 17 and that's why I was willing to come down here, is to 18 19 get all the factors that I know on the record. 20 MR. LEVIN: I share that objective. MR. BECK: John Beck again. 21 22 To that extent, Jack, anything that you feel is not on the record, that's exactly what we want to 23 hear today because, you know, the record will speak for 24 25 itself. And our examination of it and the process of

> R KENNEDY REPORTING SERVICE INC. 7600 SHOAL CREEK BLVD - 345-W AUSTIN, TEXAS 78757 S (512) 458-3297

developing CPRT is going to incorporate what we see. 1 MR. DOYLE: Well, we currently have --2 MR. BECK: If there is something missing, 3 that's what we want. 4 MR. DOYLE: We currently have, if I 5 recall, something on the order of -- what? -- 15,000 6 pages of testimony, several thousand documents plus tons 7 of summary dispositions, affidavits, answers to summary 8 dispositions, fourth round answers to summary 9 dispositions. And for somebody to have to pore through 10 all of that to have to pull out the elements that are of 11 12 concern is overwhelming, and I think we could better 13 serve ourselves if at this particular point in time we get all the issues on the table in one concise small 14 record. 15 16 MR. POSLUSNY: Could we start with the 17 Staff's discussion of this. 18 MS. ELLIS: One more thing I would like 19 to mention again, if I may, before we go on. 20 I think one of the things that we're concerned 21 about, Howard, is what about things like trends that have already been identified where you already know 22 23 there is a problem? What about correcting those 24 problems? We're concerned from several aspects. One is 25 I guess the efficiency of operation, also the cost to

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN. TEXAS 78757 S (512) 458-3297

the ratepayers, which we're also concerned with. Why go ahead, if you know there is a problem, are you going ahead and building the same type of supports, say, in other areas of the plant?

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

10

20

21

22

23

24

25

This is the kind of thing I think that we're concerned about as well as looking at the specific items. MR. LEVIN: I agree with you. I think there is a key difference in the way we are approaching this design adequacy effort as opposed to the way an effort may have been started a year and a half ago by Cygna, for example, when they came in and -- essentially relative to the design question and design verification of Comanche Peak -- where they had to start with, let's say, a broad filter and identify areas that required further resolution.

I think to some degree we are at an advantage of being able to rely upon the work of a lot of other people, including the Walsh/Doyle efforts in the past. And so to that extent we're starting there. I think there is a degree of verification that goes along with that in terms of trying to appropriately define what the issues are that we want to attack.

But we're not, for example, starting off with a fresh IDVP. We're, in fact, starting off with the issues defined. We'll qualify them in terms of

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 346.W AUSTIN, TEXAS 78757 5 (512) 455-3257

describing what problem we really want to attack. Now, some of them are going to be very direct. We've already --I think we've indicated in past meetings that we're not going to start, you know, a similar process as may have existed in the past again. We're going to take direct solutions. There are certain pieces of hardware that we believe the most direct path of resolution is to modify them directly. We're not starting from where maybe you were two years ago. Okay? We're going to try to take advantage of that, learn from that, and go and take that corrective action if it's indicated.

So I agree with you.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. WALSH: This is Mark Walsh. In regards to your program, a trend that I have seen coming out of these hearings and the motions for summary disposition is that the Applicant has not had an effective quality assurance audit program either from Gibbs and Hill or Grinnell or NPSI or we wouldn't have these problems right now. So when you go looking at specific problems, there is the problem. There is not an effective audit, and it's more than just one organization. It's the whole plant as a group.

Gibbs and Hill structural group had problems with their cable tray supports, the upper lateral restraint. The audits that were supposedly occurring

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

were not effective. And just to say, "Well, cable trays are a problem," it's the whole organization that's a problem because they failed in their technical audits.

1

2

3

4

5

6

7

8

9

And, you know, essentially what I'm getting at is the solution to that problem is go back and audit, do a technical audit on all the calculations or whatever, not just cable trays but the whole smear because they have failed or we wouldn't have these problems right now.

MR. LEVIN: [Mark, I think that certainly 10 in terms of approach and the way we would like to deal 11 12 with that, we are developing a methodology that, for 13 example, let's say we have an issue in the cable tray area and we know a few things about that. We know who 14 did the work; we may be able to learn something about 15 16 their programs. Certainly our initial focus would be to 17 verify the quality of that end product design. Okay? 18 We need to deal with that.

But, you know, as we ask ourselves questions as to why that occurred, the first place we'll start, to try to define how broad or narrow it may be, is to test the work of that group. The first question we ask is: What else have they done? Okay? And if they have contributed to other design products on site, then we will, in fact, go look at those products.

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

But I want to make one thing clear. We still 1 again -- getting back to Juanita's point -- want to take 2 advantage of existing work. Cygna has audited 3 calculations that may be of value or give us some input, 4 insight into that question as well. It won't be 5 6 starting from scratch. I think that Cygna probably has looked at or other organizations likes TRT -- for 7 example, you mentioned other calcs in the civil area --8 where we'll learn something that will have, you know, 9 10 some impact on that question. 11 You know, I look forward to the opportunity to 12 show you how we're going to do that. I'm trying to pull out some paper here of the kinds of attributes that 13 might be considered in such a question in terms of our 14 15 trying to either isolate it or, if it is broader, to 16 identify that fact. 17 Let me list some attributes that would tend to qualify this, and this is going into the development of 31 10 a logic. 20 The first point I mentioned was what was a 21 common engineering discipline, what the related 22 engineering disciplines might be, responsible manager or 23 supervisor, responsible organization, responsible work 24 centers, interface with other groups, whether it was done under the same program or related program, same 25

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S 15121 458 3297

1 procedures, related procedures, same QA/QC organization, the same process. Questions like that will be asked to 2 try to isolate -- either isolate or expand it, as the 3 4 case may be. 5 And the list is longer, and we hope to be able to define a logic that -- this is input into that, and 6 it's ongoing right now as to how we'll accomplish the 7 8 intent. 9 MS. ELLIS: We'll look forward to getting 10 more on that. One more comment, and then we would like to 11 12 hear from the Staff. 13 I just want to point out that Jack and Mark 14 will do the best they can to respond off the top of 15 their head here today, but I want to emphasize again, as 16 far as we're concerned, all the Walsh/Doyle concerns are 17 still open questions. MR. POSLUSNY: We'll get started. 18 I just 10 wanted to answer one question. We have not developed 20 our position on Mr. Landers' report yet. 21 So should we begin. Dave. 22 23 24 25 KENNEDY REPORTING SERVICE INC. K

RENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 (512) 458-3297

## PRESENTATION BY DAVE TERAO

MR. TERAO: Dave Terao. Okay. I think the first item of the motion for summary disposition I would like to talk about is the issue of.

1

2

3

4

5

6

10

20

7 Let me ask one question before we get into that. As Chet mentioned, that Don Landers' report is 8 still in draft form. It's not formally reviewed and C accepted. But at this point one of the purposes of this 10 11 meeting, we thought we would like to get your comments on it so that we could factor it into the final Staff 12 13 position. So if you did have any comments, I would like 14 to hear that today.

MR. DOYLE: Well, the only point in there 15 16 with which I couldn't 100 percent agree with is he kind 17 of treated seismic lightly. While I do agree that the 18 transients are more critical and can cause more grief, -----

Binger Stringer & Bertyperson British & Star 107 97 516 2 19 2 - 1 Sin

MR. LANDERS: May I?

I think, in fact, Jack, that I exclude 21 22 stability from that argument, that when I suggest that 23 I'm not overly-concerned about seismic, I exclude the 24 stability situation because I'm concerned about the 25 stability situation in a non-seismic environment.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 .W R AUSTIN. TEXAS 78757 (512) 458-3297

MR. DOYLE: Yes. MR. LANDERS: So when I say my concerns with respect to seismic, as pointed out on Page 8, are related to a number of other issues which have nothing to do, in fact, with the stability issue, but it is really related to the loadings that are imposed on the plant versus the loadings for which the plant was ---MR. DOYLE: A lot of times I'm reading this stuff, I kind of read it through a fog. I'm working 12 hours six days, and then I have to in my spare time go through all this material. MR. LANDERS: I understand. That is an appropriate point. I also separate stability from my lack of seismic "oncerns --MR. DOYLE: Yes. MR. TERAC: Okay. This is David Terac again. And with that, I think it leads right into stability. What I will basically be doing is getting into some of the details of the Staff review of the stability issue. At the February 26th and 27th meeting with the Applicant, I really did not get a chance to get into the details. So actually this meeting is beneficial for both the Applicant and for CASE today. I think, Howard, you wanted me to get into the

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN. TEXAS 78757 S (512) 458-3297

details at that meeting, but apparently it wasn't 1 structured for me to do so. 2 Let me just basically try to summarize what 3 the issue on instability is. This may be a little 4 rough, and I apologize. But the issue of instability of 5 pipe supports first came up back in about 1982 when CASE 6 witness Jack Doyle submitted several preliminary design 7 8 drawings of the Comanche Peak pipe supports which he alleged were unstable. And in particular (Mr. Doyle 9 10 alleged that the summer and the 223144 18 . . . 11 1 7 12 13 That was the initial issue of stability back in the September 1982 hearings. 14 15 (Mr. Doyle also expressed concern about similar 16 supports without gaps between box frames or U-bolts as 17 also being unstable because these gaps could be formed 18 by yielding and cause permanent deformation of the pipe, 19 box frame, or U-bolt and bom Win man and the state and an entry and the second second second 20 That's rotation of 21 the frame around the pipe. 22 So according to the Applicants -- Mr. Doyle 23 also raised the concern with double-strutted single 24 plane frame pipe supports. Following the presentation 25 of evidence on this issue by the parties, the Board KENNEDY REPORTING SERVICE INC. K

R AUSTIN, TEXAS 78757

decided in their December 28, 1983, design decision that the Applicants had not presented sufficient evidence on the issue of stability, including the safety significance of the unstable designs and an explanation of whether or not the problem was promptly detected by the Applicants' design QA organization.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

25

So in response to the Board's two orders, the Applicants committed to provide a detailed description of the evolution of the instability issue, and these are provided in the motion for a summary decision positions on stability.

That's basically the background of the issue. What I would like to do is first address the Staff's response to the Applicants' summary disposition motion.

15 The Applicants discuss the nature of 16 instability in the context of individual pipe support 17 and piping system design. The Applicant referenced the 18 ASME code, Subsection NF, Appendix XVII, Paragraph 19 XVII-2221(a) which states, guote;

20 "General stability shall be provided 21 for the structure as a whole and for each 22 compression element," 23 end quote. 24 Sc according to the Applicant, there was not

just one form of instability. Stability for each

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 (512) 458-3297 compression element -- that is, individual pipe supports -can occur due to column buckling or rigid body instability. And the instability discussed in these hearings, according to the Applicant, was the rigid body instability.

6 The Applicant also discussed general stability 7 in terms of piping system stability. Although an 8 individual pipe support, when viewed unattached to the 9 piping, may appear to be unstable, the relevant 10 consideration is whether the entire piping system with 11 the pipe supports attached to the piping is stable when 12 considered as a single system.

Furthermore, the Applicants did not believe it was necessary to explicitly address the stability of piping systems in piping analyses because through the normal design process, the piping designers achieve a system which will stay within the specified deflection limits, assuring system stability.

19 That was basically a summary of what the 20 Applicant had said in his motion for summary 21 disposition. The Staff position on that -- before I get 22 into the Staff position, I would like to discuss a 23 little about the concept of instability and its 24 consideration in the design of piping systems and 25 individual pipe supports.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOA! CREEK BLVD - 346-W AUSTIN. TEXAS 78757 S (512) 458-3297

1	There has always been a problem in defining
2	"instability." I think we've recognized that. The
3	Board recognized it in its design decision. There have
4	always been examples given of what an unstable pipe
5	support is, but no one really came out with a
6	definition. That was one of the difficulties that the
7	Staff had in trying to review the Applicants' summary
8	disposition motion because, in reviewing the hearing
9	record, we never found that anyone ever accepted one
10	definition of what an unstable pipe support was.
11	Basically we're talking about a static
12	instability. And the textbook definition can be
13	understood as follows this is taken from Elementary
14	Structural Analysis by C. H. Norris and J. B. Wilbur.
15	To quote:
16	"If a system is displaced slightly
17	from its equilibrium position, does it
18	. tend to return to its original position,
19	or does it tend to displace further when
20	the disturbance is removed? If it returns,
21	the system is stable; if it displaces
22	further, the system is unstable,"
23	end guote.
24	Now, that's the textbook definition of "static
25	instability."

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

All right. Now, pipe support instability, as 1 addressed by CASE and Applicant in this proceeding, does 2 not really fit this classical textbook definition of 3 instability. As I said, the Staff review of the record 4 on that case is concerned with box frames and U-bolt 5 pipe designs is the potential ability for the box frame 6 or U-bolt to rotate around the pipe or slide along the 7 axial length of the pipe due to a loose or unpredictable 8 clamping mechanism between the pipe and the support. 9 10 CASE has also characterized the unstable support as a three-bar linkage which, of course, cannot 11 12 accept the load in compression. 13 The Applicant has defined pipe support 14 instability in terms of, one, a collapse or a buckling 15 of a column or, two, rigid body instability where a 16 support can carry no load in compression. 17 The second definition was this presented by 18 Cygna in the April and May 1984 hearings. But, of 19 course, Cygna's definition has changed considerably in 20 their February 19, 1985, letter. 21 The Staff finds that instability of pipe 22 supports as discussed in these hearings is related to 23 the overall condition of a pipe support being no. functional; that is, unable to perform its intended 24 25 ion. £.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, YEXAS 78757 S (512) 458-3297

Now, the Staff believes that instability of an 1 2 individual pipe support should be defined as the capability of a support that shifts to an ungualified 3 position; that is, a position other than the position 4 assumed in the piping stress analysis which could 5 significantly affect the validity of the piping analysis 6 7 results. Now, that's a very broad definition of 8 instability. Instability of a pipe support could lead 9 10 to failure of the piping system by various failure 11 modes, including instability of the piping system 12 itself. That was basically a discussion of the 13 definition of stability. Maybe I should stop there and 14 15. get any feedback from CASE at this point. 16 (MR. DOYLE:) I don't think I have anything 17 to add to it. I think what you're saying is an accurate 18 statement. Once you get rotation, then you do not have the same condition that was assumed for the stress 10 20 input. MR. TERAO: Okay. What I would like to 21 22 discuss next is, in the Applicants' summary disposition 23 motion, there was a discussion of industry practice 24 regarding consideration of stability and piping and pipe 25 support design process.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD- 346-W AUSTIN, TEXAS 78757 S (B12) 458-3297

Okay. In general, the Staff agrees with the 1 Applicants' discussion of standard industry practice 2 3 regarding consideration of stability. However, the Staff does not regard this discussion as being relevant 4 to the situation regarding the pipe support instability 5 at Comanche Peak. The Applicant stated in its statement 6 7 of material facts, Paragraph 1; quote: 8 "Instability of a particular pipe 9 support, when viewed in isolation from the 10 piping system, is of little or no significance. 11 The relevant consideration is whether the 12 entire piping system and associated supports 13 are stable when considered as a single system, 14 end quote. 15 Now, for standard industry practice related to 16 pipe support design -- that is, when one uses your 17 standard pin-to-end supports together with conventional 18 pipe clamps -- the Applicants' first statement is valid. 19 For this situation, a pipe clamp with a support, when 20 viewed without the pipe, appears to be unstable. It's 21 not self-supporting, in other words. 22 I think this was substantiated by Mr. Doyle. 23 He noted in the transcript that STRUDL cannot 21 analytically model a two-pin strut compression without 25 the pipe because the analysis will result in unlimited

> R KENNEDY REPORTING SERVICE INC. R 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78787 S 15121 458-3297

rotations at the pin joints, and this results in an unstable condition.

1

2

3

4

5

6

7

8

9

However, the Staff notes that while the STRUDL analytical model cannot calculate its condition of pin struts without the pipe, the problem which arises is the limitation of the analysis and the analytical model due to the decoupling of the pipe from the support and not necessarily the fact that the pin strut attached to the pipe is an unstable condition.

10 The Staff does not believe that there is any 11 disagreement on this point by CASE. The Staff would 12 also note that industry practice dictates that pin 13 struts do not have to be analyzed using STRUDL because 14 these struts are classified as component standard 15 supports which have been previously qualified by a load 16 rating method by the manufacturer.

17 And the same principle applies to other 18 component standard support items such as clamps, 19 extensions, brackets, and U-bolts. The standard 20 industry practice dictates that the application of component standard supports in a conventional manner 21 precludes the need for subsequent analyses based on 22 years of previously established and a proven design. 23 24 The Staff's concerns stem from the fact that 25 many of the pipe support designs at Comanche Peak

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN. TEXAS 78757 5 (512) 436-3297

represent either an unconventional application of the component standard supports which have not previously been proven to be acceptable, or the use of unconventional support designs.

1

2

3

4

5

6

7

8

2

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

It should be noted also that when one connects the pipe clamp to the piping system, the Staff concurs with the Applicant that the relevant consideration is whether the entir: piping system and associated supports are stable as a single system. Again, I'm talking about a conventional type clamping support.

The Staff's understanding of the Applicants' statement, that each individual pipe support is not required to be self-supporting or self-standing if it is not attached to the pipe, with which the Staff agrees. The Staff would not necessarily concur that if a particular support were unstable when viewed with a piping system, that there is little or no significance if the system as a whole could be determined to be stable.

And it was in this context of standard industry practice that the SIT Report made its statement at Pages 27 through 28. I won't necessarily read what the SIT Report said at that portion, but what the SIT Report on Pages 27 and 28 was referring to was that a cinched U-bolt with no gap would function similar to a

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 S (512) 458-3297

pipe clamp.

1

2

3

4

5

6

7

8

2

10

And the SIT Reports also stated that for a non-rigid box frame -- that's the box frame on pin-end supports -- which could potentially rotate around the pipe, the SIT Report addressed the proposed modifications to prevent the rotation of the box frames around the axis of the pipe in order to assure system stability. So the Staff does not believe that the SIT Report was incorrect in what it had said on Pages 27 and 28.

For piping systems, the SIT Report was referring to the fact that system instability cannot be determined using established piping stress analysis techniques but can be assessed most effectively by piping and support designers using good engineering judgment and based on years of experience and common sense rules for supporting piping.

18 Now, the Applicants stated in its Statement of 19 Material Facts, Paragraph 2:

Stability of piping systems is not
as explicitly addressed in piping analysis.
However, it is not necessary to do so
because through the normal design process,
the piping designers achieve a system which
will stay within the deflection limits and

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 (512) 458-3297

1 thus will be incapable of the instabilities at issue here," 2 end quote. 3 The Staff does not concur with the Applicants' 4 above statement, that staying within specified 5 deflection limits for piping or supports will maintain 6 7 system stability. If a piping system were supported in a manner which resulted in an unstable system, then that 8 system, if displaced slightly from its equilibrium 9 position, would tend to displace further, per the 10 11 textbook definition of static instability. Furthermore, the Staff is not aware of any 12 13 specified deflection limits for piping thermal expansion 14 at Comanche Peak which can also cause system 15 instability. The Applicants in the above statement have 16 17 incorrectly relied on the validity of the piping 18 analysis results to predict the piping and support 19 deflection in order to assure stability while the analysis itself is incapable of calculating unstable 20 piping system behavior and large deflections associated 21 22 with pipe support instabilities discussed in these hearings. 23 Thus, the Applicants' justification of staying 24 within the analytically predicted deflection limits to 25.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3287

assure system stability is not valid. And, as a result, the Staff found -- I believe it was imperative that the piping engineers assure system stability by reviewing the piping and support configurations. And we mentioned those back in the February 26th and 27th meeting.

1

2

3

4

5

6

7

8

9

10

To conclude: The discussion on standard industry practice, the Staff review of the Applicants' discussion on industry practice regarding consideration of stability and piping and pipe support designs includes the following:

11 The Staff finds that unstable pipe support 12 designs at Comanche Peak do not conform to standard 13 industry practice; that is, the unstable designs are 14 unconventional designs.

Furthermore, although the normal iterative design process is adequate for ensuring the stability of piping systems utilizing conventional pipe support designs, the process is not adequate for ensuring the stability of unconventional pipe supports which have not been adequately reviewed in its initial design conception.

Thus, the Staff finds the Applicants' discussion of industry practice for stability and piping and pipe support designs is irrelevant. The relevant consideration is whether the basic performance

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 (512) 458-3297
requirements have been adequately considered in the initial pipe support design in order to ensure the functionality of the pipe support and overall acceptability of the piping system.

1

2

3

4

5

6

7

8

9

That concludes my basic discussion of the overall issue of stability. I can get into some of the more specific examples given in the summary dispositions, but at this point let me stop and get any feedback from CASE.

MR. DOYLE: I can't really think of much 10 11 to add to that. The point you made about using standard 12 components, I made in my initial summary disposition, 13 that if you do have a double pin, strut, snubber, or 14 what have you, with a conventional clamp, while the 15 double pin, if you've undone the clamp, would collapse, 16 attached to the pipe with up and down stream supports to 17 assist, there would be no instability. It is only in 18 the unconventional where we address it or where I 10 address it and what have you.

20 MR. WALSE: In regards to the cinched 21 U-bolt, that not being clamps, at the time the SIT 22 Report came out, an attachment has not been tested, and 23 there was no verification of the program in place to 24 verify that the bolt had sufficient torque to hold it in 25 place.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 346.W AUSTIN, TEXAS 78787 5 (512) 458-3297

1 And from what I understand right now, is the 2 Applicant has gone in there and painted the bolts. So 3 if they're going to go in there and torgue them now, 4 they're going to be getting false readings. 5 So the items they tested in Unit 2 do not 6 necessarily mean they were torqued the same way in 7 Unit 1. And to go in there now and torque the ones in 8 Unit 1 will give false readings because of the paint. 9 MR. TERAO: That's because of the paint 10 on the threads themselves. And if they torque them, 11 they will get a false reading of what the bolt torque 12 is? MR. WALSH:) Correct. 13 14 MR. POSLUSNY: Are there any other 15 comments? 16 MR. LEVIN: Chet, do we have an 17 opportunity to clarify things that they've mentioned? 18 Let me make sure I understood at least one 19 portion of your discussion. It had to do with the 20 concept, which I think is very fundamental, that in 21 crder to qualify a piping system design, you want to 22 have evaluated it and its expected behavior completely 23 and understand the way that we believe it will behave 24 represented in the piping system model. And that 25 concept I think there is full agreement on.

R AUSTIN, TEXAS 78757

And I think that's inherent in your definition 1 also. And also inherent in the definition is the 2 concept that what we're really dealing with here is the 3 system. That's what we're after -- I mean, you know, 4 meeting certain performance requirements of the system. 5 But if we could just hypothesize something --6 and it's not that I have anything particularly intended 7 or particular configuration in mind -- but if we had 8 9 fully evaluated a system and there were a particular component whose behavior may exhibit an individual 10 basis, things that people felt might represent 11 instability, but the system as a whole still met its 12 performance requirements, is that in your mind still --13 I mean, how does that fit within your definition of 14 15 "instability"? 16 Is that an unstable situation, if, in fact, we could agree that we analyzed that condition and we could 17 18 get agreement that its behavior was adequately 19 represented in a model? 20 MR. TERAO: Well, I think the difficulty 21 there, Howard, is that with many of these unstable 22 designs, there is a question of whether or not the assumptions used in the piping stress analysis are 23 24 valid, whether or not one can assume that the support is 25 as modeled in the stress analysis.

> K KENNEDY ALFORTING SERVICE INC. 7800 S-DAL CREEK ELVD - 346-W AUSTIN, TEXAS 78787 S (512) 458-3257

If you can somehow demonstrate that the 1 2 analytical model is appropriate then, of course, yes, you can look at system stability. 3 MR. LEVIN: You've clarified my point. 4 MR. TERAC: But I think the difficulty 5 that we're having is that we believe these designs, 6 because they are unconventional, tend to invalidate the 7 type of assumptions used in the stress analysis, and 8 it's very difficult to analytically show in a model how 9 these pipe supports are going to behave. 10 MR. LEVIN: I recognize that some of them 11 may be difficult to represent analytically. And we may 12 not have, you know, a full -- it may be very difficult 13 14 for us to come to some kind of agreement, or anybody, as 15 to how to do that for certain support designs. And I 16 think we've recognized it very early. 17 And certain types I think we're going to want 18 it -- for that reason -- is correct. It's just the 19 easier solution path. But I believe there may be a 20 subset that doesn't quite exhibit such difficulties in 21 either modeling or it could be -- maybe we could learn 22 something through a test or something that would tend to 23 qualify its behavior so we could represent it in a 24 model. 25 The objective is, though, to get the Okay?

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK ELVD. 346.W AUSTIN. TEXAS 76757 S 15121 458-3257

information in front of us that provides the proof, if you will, that, in fact, this is how it will behave; and, in fact, given that, this is how it should be represented in the system model.

1

2

3

4

5

6

7

8

9

10

11

12

13

23

24

25

So I don't think it's a black/white. I think there are certain particular pieces of hardware that are. We can look at them very readily and say it just isn't appropriate to try to do anything, either detailed analytical studies or testing, because of the nature of that configuration is not going to get us anywhere. It would still leave very many open questions as to our ability to be analytically represented in the system.

MR. TERAO: Right.

14 MR. LEVIN: But I believe there are some possibly -- at least I want to allow that conceptual 15 16 possibility -- that we could develop some better 17 improved understanding as to the behavior and possibly, 18 you know, as we reconcile behavior as we believe it will 19 be out in the field, in revised stress analyses, that 20 that avenue be left open. There are a lot of tools in the box, and that's still one of the tools, I believe 21 22 anyway,

MR. TERAO: I believe Don Landers mentioned that in his report, in his discussion on as-built reconciliation. He believed that it was

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 34C - W AUSTIN, TEXAS 78757 5 (512) 458-3297

necessary for an experienced piping designer to look at some of these support designs in conjunction with the pipeing system to assure that the assumptions he used in his analysis have not been negated.

1

2

3

4

5

6

7

8

9

21

22

23

24

25

MR. LEVIN: And I just wanted to assure you that that exists in our program, and we intend to do that.

MR. WALSH:] Excuse me. This is Mark Walsh speaking.

Gary Krishnan who was the site stress leader, 10 11 group leader, we have in the record, and he could not tell an unstable support if you showed it to him because 12 13 he's not a pipe support designer. I take that to mean 14 that even people below him would not be able to look at a support and determine if it was stable or unstable, 15 16 and they would still continue to analyze it, if it was 17 unstable, as a stable support. So you cannot rely on 18 pipe stress analysis or the person doing the analysis to 19 model in if it's a stable or unstable support. That's 20 going to come out of the pipe support group apparently.

MR. TERAO: Well, maybe I didn't make it clear. I wasn't inferring that only the piping people should look at it. Of course, the program should include both experienced piping and pipe support designers working in conjunction in looking at the pipe

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK ELVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

1 supports and the piping system, not only the piping 2 designers. [MR. DOYLE:] One thing I would like to 3 state, though, is in the case of all of these 4 double-pinned struts or snubbers with either a box frame 5 or a U-bolt with a gap, I don't think there is a prayer 6 of saving those because they are unstable in and of 7 themselves. 8 MR. TERAO: I would concur with that. 9 10 On the other hand, maybe the Applicants should 11 address this. But I'm under the impression that they 12 fixed all the box frames with gaps so that all of them 13. either had zero gaps and all the U-bolts which had gaps 14 in them, U-bolts on trapeze designs have been cinched 15 up. So . . . MR. DOYLE: But at this point in time, 16 17 we're not certain that cinching up is a viable solution. 18 MR. TERAO: I agree. That's another --19 (MR. DOYLE:) That's another can of worms. 20 MR. TERAO: But as far as what you've 21 just mentioned with U-bolts and frames with gaps around 22 them, I believe those have been corrected. 23 MR. DOYLE: In other words, we're not 24 discussing that particular aspect of the instability 25 problem.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 (512) 458-3297

DR. CHEN: I will pick up this point, 1 Jack, when I come to discuss U-bolts. 2 MR. DOYLE: Oh, okay. 3 MR. LEVIN: [Jack,] I just wanted to add 4 one thing. I believe that the particular types of 5 hardware you mentioned are under serious consideration 6 by us and strong candidates for modification. 7 [MR. DOYLE] I'm think I'm lost. 8 9 MR. LEVIN: You indicated particular 10 pieces of hardware that may exhibit properties, you 11 know, possibly the support to get in a position that 12 would be indeterminate. And you mentioned box frames 13 and single struts, things like that, and that's the type 14 of configuration that we're prioritizing right now and 15 taking a very serious look at. And that's one of the 16 things at the top of the list. It's one of those things 17 . that kind of jumps at you first. And we're taking a 18 serious look at it, and they are strong candidates for 19 being corrected. MR. WALSH: This is Mark Walsh again. 20 21 Earlier I said something about a QA audit, 22 technical audit. Why wasn't a QA technical audit 23 catching these unstable supports up to the Cygnz Report 24 that came out a few weeks ago? Why didn't someone from 25 Texas Utilities or Grinnell or Gibbs and Hill, say,

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 346.W AUSTIN, TEXAS 78757 5 (512) 458-3297

"Hey, this stuff is no good," through a technical audit, 1 if that did exist? 2 MR. TERAO: I could only speculate on 3 that, Mark. 4 When one reviews a support design, especially 5 in the bulk that was transmitted in the as-built 6 process, if one looks at the drawings without going up 7 to the site and looking at the supports themselves, 8 there are just too many details in the support design to 9 look at. And stability, of course, is one of them. 10 If the person had the support design drawing 11 and went to the field and looked at it, he may spot 12 those kind of things. But because they are 13 unconventional, it is very difficult to look for those 14 15 kinds of characteristics in a support. In fact, that was one of our conclusions, is that the design review 16 17 required under ANSI N45.2.11 was really not sufficient to catch those kind of unstable characteristics. 18 19 It is very unique to Comanche Peak, and it's 20 very difficult in this nuclear industry to have someone 2: look at a support characteristic that no one else has 22 ever looked at before. So it is a very difficult thing to catch. But now that we're aware of it, we're hoping 23 24 that at least now the support designers know what to 25 look for. So initially it was very difficult to catch

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 W AUSTIN, TEXAS 78757 S (512) 458-3297

1	those kinds of things because of the unconventional
2	designs.
3	MR. LEVIN: [Dave] amplifying on that
4	and I would like to say a few things.
5	No. 1, you know, the process that existed is
6	somewhat water over the dam with respect to Unit 1. And
7	the appropriate thing to do with Unit 1 is to deal with
8	these problems and correct any that exist.
9	I certainly hope that in the process of our
10	investigation, we'll learn some things towards the
11	answers to your question that we will factor into Unit 2
12	as well as, if they're appropriate, in terms of what we
13	learn problematically, into the operations phase of the
14	two units.
15	So I think it's an appropriate question from
16	the standpoint of lessons léarned, cause, and trying to
17	correct things in the future. Relative to the specific
18	hardware in Unit 1 and trying to correct it, I think it
19	may help focus our investigation. But the important
20	thing with Unit 1 is, in fact, to make sure that the
21	quality of the design and construct of the product is
22	acceptable.
23	MS. ELLIS: This is Juanita Ellis again.
24	I would like to make just one comment just to
25	throw in for whatever it's worth.
1 ·	

Π

K KENNEDY REPORTING SERVICE INC. R 7600 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 436-3297

I understand what you were saying about the difficulty in identifying these things. But at the same time, once the problem has been identified -- which it has been in these hearings sometime ago -- then it would seem to me that this is the kind of thing that people would be more on the alert to look for.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

And I remember specifically -- I've seen Jack look through drawings and Mark look through drawings, and there is unstable support, you know. And it seems to me that it has been very slow in coming, that the Applicants have really looked at these problems and identify the problems.

I just wanted to mention that because I remember specifically, you know, when flipping through drawings that we received, say, on some other motion for summary disposition, (Mark) would flip through those and say "Oh, here is an unstable support."

MR. TERAO: But to address that, Ms. Ellis, it gets back into the difficulty that no one really defined what an unstable support was. So even though you clearly knew what an unstable support was, the Applicant may not have agreed with that definition and was looking for maybe a different type of instability.

[MR. WALSH;] This is [Mark Walsh] again.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 W AUSTIN, TEXAS 78757 (512) 458-3297

In regard to what the Applicants wanted defined, what we were talking about was engineering mechanics, not English. The thing was mechanically inoperative. They may have not realized it, and maybe that's why they're having a problem.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

25

If they cannot recognize a problem now, how would they be able to recognize it when they get an operating license? They've got to look now -- we look at these problems in the Applicants' position, as maybe their position when they get an operating license. They're not going to come out and say, you know, "We've got thousands of supports unstable." They're going to come out and say, "We've only got 15." And that's the why they're going to operate that plant.

15 MR. TERAO: I can address that. The Applicant -- it is both a question of English and 16 17 mechanics, and both of them are important. From the 18 mechanics point of view, you have to understand -- at 19 least from my understanding of the record -- that the 20 Applicant relied on his engineering judgment to justify the mechanics of the support. Now, of course, the Board 21 22 ruled that was not appropriate, and the Staff would concur that with unconventional designs, that is 23 24 inappropriate, too.

But it wasn't totally just that he did not

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD . 346.W R AUSTIN, TEXAS 78757 S (512) 458-3297

understand the mechanics of it, but maybe his judgment differed from what your judgment was. One can't deny that there is friction of some kind between a U-bolt or a box frame. But your point is well-taken, that it's uncontrolled and there is too much uncertainty involved, although you cannot deny that there is friction there. But the Applicant relied on that friction.

1

2

3

4

5

6

7

10

13

14

15

16

17

8 [MR. WALSH:] And he had no basis for that 9 That's how I see ic. They had no tests; they reliance. had an unconventional design; they had no method of proving the thing would work; yet, they went along with 11 12 the idea that it was okay.

MR. LANDERS: Excuse me. Could I ask a question that addresses the going forward with respect to the stability problem? Is it acceptable to step in here?

## MR. POSLUSNY: Go ahead.

18 MR. LANDERS: One of the points that you 19 brought up, Howard, with respect to asking Dave about 20 black and white issues with respect to stability, you 21 said there are some that perhaps cross the line. I 22 needed just a little bit more input on that, if you have 23 it now, as to what you're thinking because I see a 24 philosophy with respect to your approach in that and I 25 would like to . . .

> KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346 .W R AUSTIN, TEXAS 78757 (512) 458-3297 S

MR. LEVIN: Well, I guess fundamentally 1 2 what we're talking about, [Don,] is that when we get into a position where we feel that we have understood the 3 behavior of a particular support configuration, where 4 that understanding is derived from an analytical 5 investigation or a test or whatever -- okay? -- that 'if 6 that can be represented in a conventional piping 7 analysis, that that be an avenue that's open to us. 8 You know, just like we know how to -- I think 9 a clamp and a strut pin-pin configuration is a 10 conventional configuration. We know how to represent 11 12 that, and there is enough input on the record that we 13 have confidence as to how you deal with that in a stress 14 analysis. 15 MR. LANDERS: I had not heard your statement with respect to the fact that when we get to 16 17 the point that we understand --18 MR. LEVIN: Absolutely. 19 MR. LANDERS: -- through the test or an analysis that would be acceptable to all of us. 20 MR. LEVIN: Yes. 21 MR. LANDERS: Fine. 22 23 [MR. DOYLE:] But I would like to add one 24 thing to that. Many of the tests that have been done in 25 the past and many of the analyses done in the past by

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 (512) 458-3297

Applicant have always been uncoupled; in other words, they will prove that the clamp will create friction, there is no doubt. However, the clamp now introduces several new factors. Are the new factors also going to be taken into consideration?

6 In other words, there would be a study to 7 determine any adverse impact from whatever modification 8 is required because we have noticed in the past that an 9 Applicant has had a tendency to jump off the deep end 10 when the fix fails. As an example, the clip angle -- I 11 don't know if anyone was at the Cygna -- but the clip 12 angle failed, wouldn't function. The bumpers are not 13 too swift. The bracketry for the same one that now has 14 the bumpers was bound up and picked up or in this moment. 15 that . . .

So we would be assured that any modifications or any acceptance goes beyond just an uncoupled analyses and would determine what adverse impact would result from the fix or modification or as is.

20 MR. LEVIN: I agree conceptually, Jack. 21 I mean, it's not a very good fix if it doesn't work. I 22 think that's what you're saying.

MR. DOYLE: Yes.

MR. LANDERS: Could I again add

25 something?

23

24

1

2

3

4

5

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

1 I think that's probably the most important 2 part of my draft report, that you can't separate issues, you can't separate a support from a system, you can't 3 separate a portion of the support from the whole 4 support. And I would hope that if the Staff doesn't 5 accept any other part of my report, they will accept 6 7 that part. [MR. DOYLE:] I have been saying the same 8 9 thing for three years, that many of the issues that I'll 10 mention later in and of themselves may seem 11 insignificant, buy when coupled in a half a dozen to a support, the support could actually be in trouble before 12 13 you apply the design. 14 MR. LANDERS: I would go beyond that. If 15 you can't separate the support from the --16 (MR. DOYLE: That is true. That is 17 correct. 18 MR. LANDERS: It's a system. 19 MR. DOYLE: One of the problems seems to 20 be everybody thinks that their pipe is delivering the 21 load to the support; whereas, it is the reverse -- that 22 is, the actual fact. So you have to look at the total picture in order to see what has been presented. 23 24 I concur. 25 MR. LEVIN: Don, in that regard, I know K

R RENNEDY REPORTING SERVICE INC. R AUSTIN, TEXAS 78757 S (512) 458-3297

the Staff hasn't taken a position, but we're very quickly evolving to a position and a program. And I might just add that I personally concur with that aspect of your report. And it's our intent to integrate many, if not all, of the factors that you identified in your list in terms of a system evaluation, as part of our program. And that will be done.

1

2

3

4

5

6

7

24

25

MR. TERAO: Let me just briefly run 8 through some of the specific examples that were given in 9 the motion for summary disposition on stability. If you 10 have any questions or want to discuss it in detail, then 11 we could discuss it in detail. But what I would like to 12 do is just basically go over what the Staff has found 13 14 with some of these specific examples and the 15 modifications to them.

The first support is your basic box frame with 16 17 single strut. According to the motion for a summary disposition, those box frames with single struts which 18 had gaps in them had all been modified, and modification 19 consisted of one of three different modifications. The 20 first modification was to add a U-bolt to the box frame; 21 22 that was what you were referring to at the Cygna 23 hearing.

> MR. DOYLE: Yes, sir. MR. TERAO: I would like to defer that to

KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346.W R AUSTIN. TEXAS 78757 (512) 458-3297 S

the discussion later on when I talk about cinched U-bolts.

1

2

The second one is the use of index lugs on the 3 box frame. With the index lugs, what the index lugs 4 apparently were intended to do was to prevent the box 5 6 frame from rotating around the pipe itself. The Staff found that to be an acceptable modification to prevent 7 8 the rotation of the box frame around the pipe; however, they were also concerned about any out-of-plane seismic 9 10 motion which would disengage the frame from the lugs 11 themselves, and we're back to an unstable condition 12 where then the frame, if disengaged from the lugs, could 13 rotate.

It wasn't really clear in my reading of CASE's response to the Applicants' summary disposition motion whether you, Jack, recognized what these index lugs were for.

18 MR. DOYLE: Yes, we recognize that.
19 MR. TERAO: You seem to say that the
20 frame could still rotate around the pipe, even with the
21 index lugs.
22 MR. DOYLE: No. It is a walking problem.

23 MR. TERAO: Staff actually did go out to 24 the site and look at this support. I do want to point 25 out that there is only one of this index lug

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 (512) 458-3297

modification in Unit 1 that we're aware of. That was 1 the only one that the Applicant has found. 2 [MR. DOYLE: ] I was only aware of it from 3 the standpoint of Cygna's concern over it. Cygna had --4 I believe it was Cygna -- Cygna had got involved in the 5 index lugs. 6 MR. TERAO: I don't recall the index lugs 7 8 being addressed by Cygna. 9 MR. WALSH: Do you have the diagram of 10 this index lug that I could look at? MR. TERAO: Yes. 11 12 [MR. DOYLE:] I've been involved in so many 13 hearings, I can't remember anymore. But at any rate, I 14 was aware of the index lugs. I was not aware of how 15 many or if, in fact, they were installed. 16 MS. ELLIS: I believe in Cygna's February 17 19th letter, they mention that all three of these fixes 18 have been completed. (MR. DOYLE: ) That's right. 19 20 MS. ELLIS: Right. But I don't know if 21 they ever really said anything about index lugs. MR. DOYLE: Anything about it in the 22 23 summary disposition, probably didn't put in there. The 24 only recollection that I have that I was sure of was 25 Cygna.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

MS. ELLIS: Yes. 1 MR. WALSH: This is Mark Walsh here. 2 I'm looking at Drawing CT1-008-S22K. The lugs 3 that are indicated on this drawing appear to support the 4 frame and do not restrain the frame from rotating. 5 MR. TERAO: Okay. But if you look 6 carefully, I think I noted -- I circled it in red --7 there are four notched plates that are welded to the 8 frame to which the index lugs themselves fit into. In 9 other words, the lugs are welded to the pipe, and the 10 11 four notched plates are welded to the frame and the lugs fit into those four notched plates. 12 MR. DOYLE: I think Cygna pointed out 13 14 that they're only on one side, so you could get walking. MR. TERAO: You still can get walking, I 15 agree; but the rotation is still taken care of. 16 17 MR. DOYLE: Yes. MR. LANDERS: If you don't get walking. 18 19 MR. TERAO: If you don't get walking. 20 MR. DOYLE: Right. 21 MR. WALSE: I recognize that now. 22 MS. ELLIS: For the record, this is Exhibit F-1 from the September 24th, '84, Applicants' 23 24 letter, Section F on stability. 25 MR. TERAO: The third modification was

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 S (512) 458-3297

the addition of a strut; in other words, making a single strut box frame into a double strut box frame. And in some cases they became triple strut box frames.

1

2

3

4

5

6

7

8

9

10

11

12

I would like to discuss that later, too, because the fourth category are the double strut supports, so I'll discuss that. But with respect to the use of snubbers, the Staff found that the Applicants' discussion really didn't address the snubbers. The Applicants' modification, when using snubbers, can still walk along the length of the pipe. And the Applicants' discussion only addressed the limitation of the double struts.

The second example given in the motion for a summary disposition are the U-bolts with single struts with gaps. The U-bolt with single struts with gaps, apparently there are two modifications done. One was to snub the U-bolt, and the second one was to add the stability bumpers.

19 The Staff basically agrees that the use of 20 stability bumpers was not acceptable because support 21 could cock against stability bumpers and thermally 22 constrain the pipe from expanding. So even if the 23 analysis showed that the support was not necessary, we 24 still believe that it's imperative that those stability 25 bumpers be removed.

> R KENNEDY REPORTING SERVICE INC. R 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

With respect to the snug U-bolts, I'll get 1 into that next because the third one are the U-bolts 2 with single struts without the gap; in other words snug 3 U-bolts. 4 Basically this issue, the Staff has not 5 completed our review because it interfaces so closely 6 with what Paul Chen is reviewing; in other words, the 7 use of U-bolts on the pipe itself. 8 But from a stability aspect alone, perhaps we 9 10 could have a discussion on what your concerns are with 11 the use of U-bolts from a stability aspect. 12 MR. DOYLE: With or without gaps? 13 MR. TERAO: Without gaps. 14 MR. DOYLE: Well, without gaps, we again 15 get into the problem of an uncoupled approach. First, 16 once you cinch the U-bolts, particularly at the loadings 17 that they're discussing now because of the walking 18 problem, you're approaching the limit that the 19 manufacturer has indicated that that particular U-bolt 20 is good for. Now, that is prior to the pressure in the 21 pipe, which is a minor contributor, the thermal, which 22 could be a major contributor, and the design loads 23 which, while not additive, will increase the load. 24 So therefore, now, even if the U-bolts prove 25 to be a good system for establishing stability, you CENNEDY REPORTING SERVICE INC. K

R AUSTIN, TEXAS 78757

still have the problem of qualifying the U-bolt because you are now outside of the manufacture's LDS. The U-bolt is not qualified.

1

2

3

4

5

6

7

8

9

20

21

22

23

24

25

In addition to that, as was pointed out, you have the pipe. The pipe is now receiving the effect of the load induced by the cinching, the thermal and the pressure constraint on the pipe itself. These are additive to the MNS of the pipe under whatever conditions it is determined.

Particularly -- the one that concerns me the 10 11 most is the cinching because that is a sustained load. 12 That particular load will be there throughout the life 13 of the plant, or the fix is no good. So I have a 14 feeling that the allowables will no longer be similar to 15 what they are for faulted conditions or thermal where 16 you get into -- what it is, 1.25 SC, SH? I have a 17 feeling we're in the area of sustained loads, or there 18 will have to be something established to qualify higher 19 loads than are currently existing for sustained loads.

See, this is again a unique problem. Once you cinch that U-bolt, 40 years, whatever the loads induced into the pipe or whatever the loads on the U-bolt, whatever the loads on the frame that supports it.

MR. TERAO: The reason I brought this up --I agree that those are concerns. I won't say those were

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

the concerns which related to stability. Those concerns 1 are being looked at by Paul Chen. 2 MR. DOYLE: Right. 3 MR. TERAO: In this discussion of 4 stability, I saw no problem with code violations for 5 using a cinched U-bolt to prevent the rotation of the 6 support around the pipe. I believe this is what the SIT 7 Report was saying, too, that at that time, just the fact 8 that you cinch up a U-bolt, you will establish a 9 friction between the type of a U-bolt -- the SIT Report 10 was relying on that friction to prevent the rotation of 11 12 the support around the pipe. MR. DOYLE: Well, I concur that the 13 cinching of U-bolts will prevent rotation. My only 14 15 statement is that we can't drop it at that point. TERAO: I see. Fine. 16 I would agree that Staff also has other 17 18 concerns about the use of U-bolts on large bore pipes --19 not related to stability. The fourth category, this is double-strutted 20 21 supports, double-strutted frame supports. The 22 Applicants' basic argument with the double-strutted 23 frames was that the two struts now prevent the frame from rotating around the pipe axis. The Staff has had 24 25 several meetings with the Applicant where we also

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

expressed concern about the out-of-plane citation of the support, walking along the length of the pipe to an ungualified position.

1

2

3

4 And we asked that the Applicant identify all 5 double-strutted supports. And in the September 24, 6 1984, letter, the Applicant did provide us with 44 7 double-strutted supports. And as I mentioned before, 8 the one concern is that the Applicant still has not addressed the use of double-snubbers because the 9 10 snubbers can extend as the frame walks along the length 11 of the pipe.

12 The Staff is also concerned with a subcategory 13 of these double-strutted supports which is the 14 multi-supported frame which has four piping systems 15 going through it. Again, the Applicants' summary disposition motions and supplements to it really did not 16 address the Staff concerns brought up at the previous 17 18 meetings, including the dynamic interactions of the 19 frame and the four piping systems, the twisting motion 20 of the frame. So basically at this point, there still 21 is not enough information provided to the Staff to 22 address our concerns.

Also in the 44 supports, the Staff noticed that there were some double-strutted frames which did not have a zero clearance gap on all four sides. The

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 348-W AUSTIN, TEXAS 78757 S (512) 458-3297

> > ١

zero clearance gap were only provided on the two sides; and on the other two sides, there was a gap. The Staff also believes that those supports are unstable, similar to what's the Cygna concern was because now you have a gap on two sides of the frame, the support frame can now cock itself. So we find those to be potentially unstable, too, and those had not previously been identified.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Also among the 44 supports, there was a support which we mentioned at the February 26th meeting which was a triple-strutted frame resting on a structural steel. Apparently, there was a vertical pipe and there was a box frame around it which -- three supports all in one direction. It appeared to be quite a heavy support that probably slid down the pipe, and the structural steel was added to prevent the support from sliding down. We have concern with that because of the out-of-plane excitation of the pipe can impact that structural steel. So although it may not be a stability concern, it is the concern with the modification to the stability.

Those were basically the specific examples given in the motions for summary disposition. And at this point, I would like to ask CASE if they have any other examples of unstable supports that have not been

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN. TEXAS 78757 S (512) 458-3297

1	addressed by the Applicants or the Staff?
2	MR. DOYLE: Yes. There is one in
3	particular. I was going to mention also the one you
4	just mentioned of a gang hanger. There are about four
5	or five in that one there. A specific is CC41-710-A63,
6	which is triple-strutted and also has thermal movement.
7	But that one again has the same walking instability, if
8	we can call it that.
9	Then in addition to that, there is another one
10	which is a single trunnion running perpendicular to the
11	run pipe with a horizontal strut so that the delivery is
12	eccentric to the line of action.
13	I have got some pictures of it here, I hope.
14	Yes, here it is there. That's the one that I told
15	Juanita over the phone.
16	MS. ELLIS: It's the one that was
17	mentioned toward the end of the meeting on the 27th. It
18	was mentioned specifically in the transcript.
19	[MR. DOYLE:] There are at least three of
20	them in this set of drawing, related action; it's
21	eccentric.
22	MR. POSLUSNY: Could we get the drawing
23	number for the record.
24	MR. DOYLE: CC2-011-A63 can't read the
25	last letter "K" I guess.

R AUSTIN. TEXAS 78757 S (512) 458-3297

MR. BECK: I want to make sure I get the 1 specific identifications, Jack, of the ones you just 2 mentioned. I think we've probably got them, if they 3 were read into the record before, but --4 MR. DOYLE: Yes. I called Juanita -- oh, 5 she didn't have the support numbers. 6 7 MR. BECK: That's fine, then. Perhaps this is an appropriate time to 8 comment. As Howard alluded to earlier, we're looking 9 very closely at more than a few supports. There are a 10 number of supports that from a stability perspective are 11 12 not candidates for adequate analytical representation, and those supports will be either modified or removed 13 and replaced with those which can be analytically 14 15 represented. That identification process has proceeded to 16 the point where we have identified some hundred few-odd 17 18 supports that we definitely are going to modify or 19 remove. Included among those are the gang supports, for example, that we talked about earlier, a number of 20 21 single-strut box frame supports. 22 Until we have done our QA on this list, I'm not going to mention specific support numbers, but let 23 me just say that it's going to include that whole family 24 25 that you've talked about earlier today and that have

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 345.W AUSTIN, TEXAS 78787 S (512) 458-3297

been discussed on the record before. 1 . We'll identify with specificity which ones 2 those are, either in a letter in the very near future or 3 as part of our comprehensive submittal in early April --4 more likely in a letter prior to that time, just to make 5 it specifically clear which supports those are. 6 I wish I were at the point now where we had 7 done the OA check sufficient to lay the paper on the 8 table and put it in this transcript. We just simply 9 haven't gotten to that point yet. But I would certainly 10 like the record to reflect the fact that we are doing 11 12 this. And it's very important, given that fact, 13 Jack, that we get those specific supports identified to 14 see whether we agree with you or not. 15 MR. DOYLE: I'm sure you will. 16 MR. TERAO: I've got one question about 17 that support, Jack. I agree that there are some 18 concerns to be addressed regarding the eccentricity of 19 the loading which can induce torque to the pipe. But my 20 question is, why is that considered an unstable support? 21 I agree it's an unstable system or it's a system that is 22 not accurately represented in the piping analysis. But 23 why is that considered an unstable support? 24 MR. DOYLE: In the pipe stress run, the 25 KENNEDY REPORTING SERVICE INC. K

(

R AUSTIN. TEXAS 78737

load is delivered through the center line. Actually, the pipe is a line from node to node, and the loads are delivered along this line here. If you deliver a load along this line here (indicating) -- particularly there is a kick in this one -- then you can get rotation. You look at it that way.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

22

23

25

MR. LANDERS: I think -- I would agree with Dave, that that is not a supporting stability problem. It's the problem of matching the support that's installed to the analysis that is done; that, in fact, the analysis doesn't represent the offset of the support.

MR. DOYLE: That is correct.

MR. LANDERS: I think that one is a different issue in my mind. It's not an instability issue; it's more a matching of the analysis to the as-built situation.

MR. TERAO: I guess the difficulty I have 18 19 is, if we threw that in the stability hopper and it doesn't fit our definition, then I would say: What is 20 your definition? Why is that support unstable? I agree 21 there is a concern there, but I don't agree it's a support instability concern; it's a system instability 24 concern.

(MR. DOYLE: Yes, right. I want to keep

KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346 . W R AUSTIN, TEXAS 78757 (512) 455-3297 S

that one for --1 MR. TERAO: That's an interesting 2 3 concern, too, because the torsion that is induced into the piping may not necessarily be accounted for, even in 4 the stress analysis. 5 [MR. DOYLE:] It also will have effects all 6 7 the way down the line. Once you hit a --8 MR. LANDERS: Why do you say that? MR. TERAO: Well, from the equations --9 10 MR. LANDERS: It's mx, my, mc-squared, 11 square root of. You don't separate torque out. It's 12 conservative but, in cases like this, it covers you 13 nicely. 14 MR. TERAO: Okay. I agree. .15 MR. WALSH: With regards to the 16 Applicants' comment about fixing some of these unstable 17 supports, I'm curious if they're going to go to 18 conventional designs or unique designs -- for example, 19 the stability, bumpers would be a unique designs; 20 whereas, if they had gone to a clamp for the fix, it 21 would have been more a conventional fix. 22 MR. BECK: The modifications, Mark, will 23 eliminate the question of stability for the supports 24 that are on the list. 25 MR. DOYLE: Those will also be dictated

(

10.00

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD- 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

66

1 by space. 2 MR. BECK: The specific modifications will be individually dependent upon what's there and 3 what is the most efficient means of doing it. So I 4 can't answer the question specifically until you get 5 down to the actual individual supports. 6 7 MS. ELLIS: I quess from a layman's viewpoint, John, the problem I see with that is that if 8 it's a unique fix, we may be back talking about that 9 10 unique fix next year about this time. We would like to 11 avoid that if we can. 12 MR. BECK: The fix will be adecuate. 13 What more can I say? 14 MR. DOYLE: I think a unique fix is not 15 the critical factor. It is if they address it. I mean, 16 the fact that it's unique doesn't bother me. 17 MR. BECK: But it has to be adequate by definition, you know. We're not going to do anything 18 19 that will leave room for argument. Let me just put it 20 that way. 21 MS. ELLIS: Good. 22 MR. TERAO: That basically concludes my 23 discussion on stability at this point. Maybe ask if 24 there are any more comments to be made by either the 25 Applicant or CASE?

> KENNEDY REPORTING SERVICE INC. R 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 456-3297

MR. POSLUSNY: Would you like to take a 1 10-minute break? 2 MR. DOYLE: That sounds good . 3 (Brief recess) 4 5 MR. POSLUSNY: [Dave had one more point 6 for the record before we finished up with him. 7 MR. TERAO: The other summary disposition 8 motion item that I had was ASME -- AWS/ASME on weld 9 designs. But because that was formally submitted to the 10 11 Board, our Staff response, that is the Staff position. So I won't be discussing that today. 12 13 MR. WALSE: I would like to comment on something you stated in your response to the Applicants' 14 motion there, and it related to what the Applicants 15 called the compensatory requirement. I addressed it at 16 17 some length because it was in their motion and in the affidavit. 18 19 The compensatory requirements that they were 20 referring to, they are not following. It was an attempt 21 by the Applicants, I believe, to mislead the Board into 22 showing that they are using a conservative value, that 23 that number is not being utilized by the Applicants, 24 which I believe you indicated the point is very relevant 25 in regards to how the Applicants are handling these

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD- 346-W AUSTIN, TEXAS 78757 (\$12) 456-3297

motions of summary disposition and what their attitude is towards a safe design and proving that they have a safe design.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

That's all I would have to say about your response on that.

MR. TERAO: Well, my responses were intended to address the technical issue. I really don't want to address that particular aspect of it. We recognize -- in fact, the Staff even asked the Applicant whether or not those compensatory requirements were still being followed. When we found out that they weren't, we just dismissed them, did not follow that portion of the summary disposition motion.

(MR. WALSE:) I believe that it's part of the NRC duty to require the Applicants, though, to be truthful and not attempt to make misleading statements, technical or otherwise. This was a misleading statement by the Applicants in an operating licensing hearing. The Staff should have followed up on it and found out why were they doing things like that.

MR. BECK: I would like to comment for the record -- John Beck -- that we came here this afternoon to participate in a technical exchange, not to be subjected to pejorative comments by CASE about misleading statements or anything else that you feel

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN. TEXAS 78757 S (512) 458-3297

1	should be discussed. And to that extent, I object, and
2	I want the record to reflect that I object to that
3	pejorative remark.
4	MR. WALSH: Well, maybe the Staff here
5	can find out what the real problem is here as far as
6	these misleading statements that were written in there
7	that was not even relevant.
8	MR. POSLUSNY: We'll take a look at the
9	transcript when we get it back exactly.
10	John Fair.
11	
12	PRESENTATION BY JOHN FAIR
13	
14	MR. FAIR: Yes. This is John Fair with
15	the NRC Staff.
16	I have several of these summary disposition
17	motions. Luckily, some of them are somewhat less
18	technically complex than the ones that Dave just went
19	over, so I'll try to go over them in as brief a summary
20	form as I can.
21	The first one has
22	And essentially the crux of this was that two of the
23	Applicants' design groups made an assumption in
24	calculating the support loads. And that assumption was

Π

.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (\$12) 458-3297

1 than 1/16th of an inch, they could neglect this friction force in the support calculation.

2

CASE objected, that the Applicants -- and I'll 3 4 try to paraphrase you -- did not have an adequate basis for making this assumption. So in order to resolve the 5 issue, what the Applicants did was to essentially make 6 two arguments. One, that via the code rules they had 7 some additional reserve to accommodate stresses due to 8 9 friction; and, secondly, these stresses would be fairly 10 insignificant such that if they were added to the other stresses in the pipe support, they could still be able 11 to maintain stresses and loads within allowables. 12

13 To support this, they selected a sample of six 14 pipe supports which were supposed to be the ones that 15 would be representative of the worst cases; that is, 16 fairly short and stiff type of supports.

17 In the analysis of these six supports, it 18 turned out that one support had an error in calculation 19 of a bending moment. The Applicants agreed that there 20 was an error in this calculation, went back and redid 21 the analysis. When they redid the analysis, they 22 changed the method of analysis for this particular 23 support.

24 Now, CASE has pointed out -- they've argued 25 with the method of analysis. And I essentially agree

> KENNEDY REPORTING SERVICE INC. K 7500 SHOAL CREEK BLVC . 346 .W R AUSTIN. TEXAS 78757 S (512) 458-3297
that the Applicants didn't submit anything to justify 1 that particular analysis assumption. And that assumption was that this was a bending load between an I-beam and a base plant. And the Applicants' revised assumption was that there was an even bearing between 5 the beam and the base plate such that the negative portion of the moment would be taken out by direct bearing on the plate.

2

3

4

6

7

8

18

I didn't agree that the Applicants submitted 9 anything to justify this assumption; and therefore, my 10 position at this point in this summary disposition 11 12 motion is that the two assertions made by the Applicants --13 No. 1, that their evaluation showed the friction forces 14 to be fairly small and not significant and, No. 2, that 15 even including these forces, they were able to meet 16 applicable allowables -- I disagree with both of those 17 assertions.

Turn it over, if you have any --

19 (MR. DOYLE: I have one thing, in the 20 particular case of open section or the Y flange or an 21 I-beam, particularly on short ones, due to a shear lag, 22 it's actually on either a flange from which the member 23 rests that probably will see the entire friction load. 24 And another point is, as anybody who has ever 25 participated in a hot functional test knows, when you

> KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346 .W R AUSTIN, TEXAS 78757 S (512) 458-3297

start out with stress outputs that say you have a deflection of .060 in the specific direction, when you get to hot functional testing and you're now working with a fully coupled plant, it is not necessarily so.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

For that matter, in many cases, the thermal movements of the pipe will go in a direction opposite of what you have anticipated due to impacts, et cetera. So the only time that I could ever see that the 16th of an inch could be considered as insignificant is, as I said at the hearings themselves, if I did an analysis and I wound up with a stress ratio of -- I'm going to say .6 -and found that I had failed to include friction by engineering judgment and in so marking it on the calculation, I could write it off because I would be fairly certain that there would be no c idition where the one-third increase in load that I would be receiving due to friction would affect the final safety of that particular support. But I don't think in any case would I ever allow it to just go totally unaddressed on generic basis.

That is about all I have to say,

MR. FAIR: Well, I would like to try to read into your comment here. What I hear you saying is that regardless of whatever analysis the Applicants did for the motions that they calculated from the plate

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

stresses, that you wouldn't agree with it anyway? 1 2 (MR. DOYLE: ) Not as a generic solution. In other words, what I'm saying is, I wouldn't tell a 3 group, "Forget about friction if it's less than a 16th 4 5 of an inch, period," because there are instances where the 16th of an inch could be critical because we've all 6 7 been involved with supports where we were running stress 8 ratios of .9, .98, and we try to massage them as much as we can to keep them from getting stress ratios in excess 9 10 of one. And in a case like that, there is a high 11 probability that the inclusion of friction would then 12 run it over the limits. 13 Additionally, on real short supports, if you 14 have a 6-inch deep member and it's only a foot long, 15 then you don't have a flexural member. If you're riding 16 on the upper flange of the beam, the friction load is 17 delivered to that upper flange and will be carried to 18 that upper flange. It will never get to the lower 19 flange. So that the effect on the weld particularly --20 I'm mostly concerned about the effect on welds as 21 opposed to the structural member. 22 And those are the two areas of concern that I 23 have with just a generic negating of the losing of

MR. LANDERS: Don Landers.

24

25

friction.

R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S 15121 458-3297

Jack, based on what you said, one of the 1 hypotheses was that designing supports to know your 2 ratio of .9 on the allowable, do you find that is a 3 common practice in a design process, or is that the 4 situation where I'm trying to now reconcile something 5 I've found in the field? 6 MR. DOYLE: That's where I would see it. 7 MR. LANDERS: Okay. All right. 8 Therefore, in a design process leading up to that point, 9 10 is it reasonable in your mind to establish some cut-off point on consideration of displacement versus friction 11 12 loss? MR. DOYLE: It has been done in other 13 14 plants. 15 MR. LANDERS: Okay. [MR. DOYLE: And I feel easy with it 16 17 mostly because they don't have a number of other 18 elements that are neglected. I know what they've 19 included, and I'm satisfied with what they've included. 20 And then comparing the 16th -- if I don't feel 21 comfortable, I'll put it in, regardless of what their document says. And generally most places I've been --22 23 well, let me say at least half the places I've been, 24 they've included it regardless; and half the places 25 don't include it it. I've been in places that I will KENNEDY REPORTING SERVICE INC.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 (512) 458-3297

include it every time regardless of what they say 1 because I'm afraid of their other numbers. 2 MR. LANDERS: I just wanted to clarify 3 that there is a difference, I think. 4 [MR. DOYLE:] Yes, yes. Many times we'll 5 get as-built loads, and we have a stress ratio and we 6 take the loads here and we come up with a factor and we 7 multiply it, and we say, "Well, it's .8, so that's as 8 far as we'll have to go." 9 [MR. WALSH:] I have a few comments in 10 11 regard to frictions, more or less to do with the weld. My concern now with this is how the Applicants handled 12 the analysis. Now, we have found that they change their 13 assumptions, and they don't consider pressing forces on 14 that weld on this particular support. But this support 15 has been modified. I think we've seen a drawing 16 17 indicating it was unstable. They got rid of the 18 friction forces. But the supports where they have now qualified them, because they don't consider this 19 compression forces, that hasn't been addressed by the 20 21 Staff. 22 And the Applicant is coming up with a new 23 plan. And in that plan, they should discuss how they 24 are going to handle these calculations where they don't 25 consider the compression forces in welds. You might say

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S 1512) 456-3297

it's a new issue, but it came out of this particular motion and was not one that Jack and I discovered until we saw their calculations.

1

1

2

3

4

5

6

7

8

9

10

17

18

19

20

21

22

23

24

25

Jack and I, while we were down there, we didn't have much of an opportunity to review the calculations. Therefore, we hadn't really said, "Well, this is a generic problem they have down there." But it appears that that's how they passed a lot of their welds, based that they were doing this on motion for summary disposition.

MR. FAIR: Well, I disagree with your statement that the Staff hasn't pursued it. I think we've asked the Applicants at least twice, in two different meetings, to provide both a justification for that assumption and, secondly, to clearly spell out what their criteria is supposed to be for that evaluation.

MR. WALSE: I'm again sorry to imply that you didn't pursue it that way. My indication was that there has been no effort to go back and look at other calculations to see what was done to pass the weld or show that it was acceptable by the Applicants on other supports, as well as in regard to some qualifications.

I'm not that familiar with their welding procedures, but I believe they are allowed a gap between flange and bearing, and it would not be in violation.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 (515) 458-3297

I I'm not sure what the gap is. There is an allowable gap and that's why I feel it's not addressed in any code we have on compressor forces on the welds.

C

MR. FAIR: Well, I guess I don't agree 4 with that statement either. I believe that there are 5 provisions in the code that do address these situations. 6 And they're extracting from the AISC but in subsections. 7 Appendix XVII they pulled out the criteria for bearing 8 joints on columns. And there are a couple of criteria 9 10 in there -- depending on whether you're looking at great 11 bearing stress or bearing stress -- but the critical 12 point in the specification is that you have to have finished-to-bear item in order to take credit for 13 14 bearing stresses between the beam and plate.

And that specifically is the question I asked in the meeting a couple of meetings ago, whether they have any justification for that assumption and did they specify this joint as a finished bearing joint.

 20
 MR. FAIR: That's correct.

 21
 MR. WALSH: All right. I agree.

 22
 MR. POSLUSNY: Other comments?

 23
 MR. FAIR: I guess I would like to now

 24
 try to seek a clarification from CASE on their response

 25
 to the Applicants' summary disposition motion. And it

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 W AUSTIN, TEXAS 78757 5 (512) 456-3297

has to do with the appropriate allowables for the 1 evaluation of the load combination and considering these 2 friction forces. 3 There were two areas in which CASE took issue 4 with the Applicants' analysis allowance. In one case, 5 it had to do with what they called their yield share 6 criteria for the base material of being .6 S-sub-Y as 7 opposed to .4 S-sub-Y in the AISC specifications. 8 And the second additional comment that CASE 9 had, they were concerned that the Applicants weren't 10 using the provisions of Regulatory Guide 1.124. 11 Now, I would like clarification as to what was 12 being argued in this particular response by CASE as to 13 whether the Applicants are required to go to the AISC 14 15 specification or that the ASME code in conjunction with 16 the Regulatory Guide is inadequate. And it was not 17 clear to me. MS. ELLIS: Without seeing this, I think 18 we would almost need to take a look and get back with 19 20 you on that. (MR. WALSH:) Do you know what page that 21 was on in the affidavit? 22 MR. FAIR: I don't know exactly what page 23 it was on, but in terms of the difference between the 24 25 ASME code -- I quess this goes back to some of the

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 346.W AUSTIN, TEXAS 78757 S (512) 458-3297

original arguments, that there is a provision in the ASME code, when you're looking at stresses due to the strained, free, and replacements that allows you to increase the normal allowable stresses, on top of that, the Staff has a regulatory guide that puts some restriction on that.

1

2

3

4

3

6

7

8

9

10

11

12

13

14

15

20

21

22

Now, it wasn't clear to me whether you were arguing that the ASME code criteria, coupled with these restrictions, were inadequate and therefore you needed to go to the AISC which was a little bit more restrictive.

MS. ELLIS: I think we would have to look as that and get back. I think we really need to take a look at that summary disposition and see if we understand exactly what we're talking about.

(MR. WALSH: You're saying why didn't we 16 17 refer back to the AISC code?

18 MR. FAIR: As opposed to the ASME. I did 19 bring copies of your submittal also if you wanted to take a look at them. I can pull them out.

> MS. ELLIS: We'll do that at the break. MR. FAIR: Okay.

23 MS. ELLIS: I'm talking about being just 24 strictly off the top of my head. I may not know what 25 I'm talking about, but I kind of think that if I recall

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 .W R AUSTIN, TEXAS 78757 S (512) 458-3297

the particular answers, that what was being said at the 1 time was that you do have to address 1.124, but if you 2 3 didn't have to do that, then the other requirements, there are other requirements that still would have to 4 come from -- I believe that that's right, but I would 5 have to check back and see. 6 MR. WALSH: But you're asking why didn't 7 we look at the AISC code over the ASME? 8 9 MR. FAIR: That's correct. MR. WALSH: I don't remember that 10 11 portion. 12 MR. FAIR: Any other questions on the AP 13 friction forces? The next issue I had was backing values. 14 15 mbic started out as a the NSSE. I ssue. S MITERSTATING TO ... believe the original issue had t 16 15 Indian Lar 1 -17 support and the fact that for some 18 Participation of the state of t 19 20 In addressing it, the SIT wrote in their 21 report that there were no problems with the loads, the 22 OBE load being greater than the SSE load because of the 23 damping specified for the building. And they put in two 24 values of damping which were pointed out to be 25 inappropriate damping values per Guide 161.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

The Applicants put a response in, in which they attached the computer run of that particular stress problem when the issue was raised. In reviewing that particular analysis that the Applicants have put forth, it appeared to be a different -- later run than the original run that was in question by the SIT evaluation.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Now, Dr. Chen had retained some documents for comparative purposes that he originally had reviewed during the SIT inspection. And when I compared the two documents, they were different, although in reviewing the input specter, they seemed to be fairly similar but they were not exact. Therefore, I was unable to draw any conclusion on the original analysis that was reviewed by the SIT team since the documents did not have anything that clearly identified which damping was used in the specter input.

And at the point I am right now with the Applicants, I'm awaiting their response. And I believe that they are gathering all historical documents associated with that particular stress analysis problem to clearly define which dampings were used and when they were used.

MR. DOYLE: Essentially then, this is still an open area?

MR. FAIR: Yes.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 (512) 458-3207

MR. DOYLE: That's all. 1 2 MR. FAIR: Any other questions? AD-1 MR. WALSH: 3 No. MR. FAIR: The next issue I had, had to 4 do with a start and a start an 5 And it came up in two separate -- I call it 6 7 two phases of the issue. The first phase had to do with the fact that the Applicants had three different texts 8 9 which they were able to pull out the member properties 10 and all three of them were different. And these 11 different properties were based on what was the assumed 12 corner radius of the tube steel sections.

The SIT originally reviewed this and found that they had no problems with what the Applicants were doing; however, CASE also brought up a point with the corner radiuses that could affect the weld thread area, depending on which section that you assumed in the analysis.

Now, the Applicants have stated that their tube steel sections conformed to the Eighth Edition of the AISC specifications. And therefore, if this is the case, there would be only one set of property values that could be unconservative from the point of stress calculations in the member itself. Also, the Staff had evaluated the concern with corner radius and weld thread

> K KENNEDY REPORTING SERVICE INC. 7600 SHOAL CREEK BLVD - 346-W AUSTIN. TEXAS 78737 5 (512) 458-3297

area, and that was Mr. Tapia who had submitted an affidavit on this subject quite awhile back now.

C

1

2

3

4

5

6

In reviewing some work that was going on with Cygna, I ran across a response by the Applicants to a Cygna question when calculating thread area for welds from these tube steel sections.

7 It appeared that the Applicants had changed the criteria on the method of calculating the thread 8 9 area from what Mr. Tapia's affidavit contained. And 10 therefore, the last meeting, I asked the Applicants to 11 clearly define the criteria that has been used for this 12 calculation, the basis for it, and all changes to the criteria. Therefore, this particular aspect of the 13 14 issue is still open, waiting for Applicants' response.

As far as the member properties, CASE has argued that certain of the tube steel sections used by the Applicants conform to the Seventh Edition of the AISC specification which essentially gives lower member properties than the more recent Eighth Edition.

I am unable to understand the bases of why CASE thinks that the Seventh Edition property members are more applicable to the tube steel sections of Comanche Peak. I would like to request, if there is some reason or basis on which you feel that there are tube steel sections with corner radius and member

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (312) 458-3297

properties that are more in conformance with Seventh Edition than Eighth Edition, to tell me.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

And the reason I'm asking is, as part of this review, I did go personally through the facility looking at the thicker tube steel sections, the ones in which the corner radius would make the greater differences; and in all cases, it appeared to me that the corner radius on tube steel sections were approximately the 2T assumed by the Eighth Edition.

MR. WALSH: I can respond to that. Early on in the design, Grinnell, I believe, had utilized some of these tube steel shapes. This was back in '78. I believe at that time the Seventh Edition steel was being used. And that's why they were using Seventh Edition member properties. The steel had been purchased prior to the change-over within the steel industry. Those members would have the Seventh Edition radius which changed based on the size of the member.

I forget at what time the steel industry went to a 2T uniformly for all steel members. But the present steel they're purchasing, assuming that it has been milled since like 1980, will have the 2T. But if they go out and they use steel that was purchased prior to the change-over, that steel would be with the Seventh Edition.

> K KENNEDY REPORTING SERVICE INC. 7300 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

And there is no indication on the drawings 1 when that steel was purchased. They could look it up. 2 But the drawings, a lot of them were at issue in 1978, 3 that indicate the steel was purchased in that time 4 5 frame. MR. FAIR: Well, is there a specific 6 reason or document that tells you that there was 7 8 actually a difference in tube steel, a change in the actual properties of the tube steel when the AISC 9 10 changed their specification? And the reason I ask is, is because the 11. 12 material specification in both instances would allow you to go up to what was assumed in the Seventh Edition, a 13 value of 3T, and whether there was a change in the code 14 15 on its assumptions or whether there was actually a steel change between those editions. 16 17 (MR. WALSH: There was a steel change in 18 the milling of the steel, fabricating of the steel. 19 That's the change. There was a physical change. That's 20 why the member properties changed. For someone to be in 21 compliance with the Eighth Edition, they have to be using the 2T. The Seventh Edition varies. 22 And someone buying tube steel back in '78, you 23 24 know, they would be buying that steel -- larger sections 25 with the 3T. That's where the concern was. KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346.W R

AUSTIN, TEXAS 78757

(512) 458-3297

S

0

The Applicant, you know, they can go out there 1 and measure the corner radius of the tube steel member 2 or verify that it was milled to the dimensions for the 3 Eighth Edition. But if it's old steel, the Seventh 4 Edition would have the larger tube steel members, 3T 5 6 radius. It's not included on the mill test reports. 7 8 It's a member property problem. It's like a Y flange, dimension for a Y flange. You get a mill test report, 9 10 it's not going to indicate what the dimensions are on 11 the Y flance. 12 MR. FAIR: Were there any cases at the 13 facility where you actually saw some tube steel sections 14 with corner radiuses of 3T? 15 MR. WALSH: I never went out there and 16 measured it, no. - 17 MR. LANDERS: What I'm hearing is that 18 the basis of this is that prior to the Eighth Edition 19 issue of the AISC, industry made tube steel in a certain 20 fashion; and after the issue, they made it in a 21 different fashion. Is it possible that the Eighth 22 Edition reflected what the industry is doing? Do you 23 know that to be a fact or not?

MR. WALSH: No. I do not know the reason for the change in the edition. I know the Applicant --

24

25

K KENNEDY REPORTING SERVICE INC. R 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

this is a point I think I -- or I should have made clear in the affidavit -- is the Applicant used a Lefland or Welded Steel Institute, tube steel properties, with no justification if they were higher values. That's the one with the 1T. And they didn't bother to look at -this is the generic type of thinking that problem -didn't realize that maybe that steel doesn't exist, when they used it, didn't match the properties of that to what was being out in the field.

1

2

3

A

5

6

7

8

9

10

11

12

13

14

15

22

23

24

And to be more specific, when I was working in the industry, this became a concern. We were using three different member properties. And it was around January, Landley Hoghouse decided to go to the Eighth Edition instead of using this Welded Steel Institute values.

It was John Finneran that informed me what was 16 actually out in the field, and this never came about 17 18 when I was working. When I left in June, I still had 19 not heard what steel are they using out there. But the 20 problem of going a whole year using these higher values and not recognizing that they have to reflect what's in 21 the field is a design problem that should be looked into more than just -- I was working on the STRUDL. That was not my responsibility. I wasn't designing those forces. 25 I just saw that type of problem.

> KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346 . W R AUSTIN. TEXAS 78757 S (512) 458-3297

MR. FAIR: I understand what you're 1 saying. We're still trying to understand what are the 2 appropriate properties to be using at this facility and 3 why -- I think everybody agrees that the other set of 4 higher properties were not the appropriate properties 5 because the Applicants switched back to the Eighth 6 Edition and did some reevaluation. 7 MR. WALSH: I believe the properties that 8 should be used for steel milled after 1980 would be the 9 Eighth Edition for all three type supports groups, not 10 just PSE. ITT and NPSI, they were putting steel in and 11 purchasing steel after 1980. That's when the mills were 12 doing the, you know, producing properties conforming to 13 the Eighth Edition, the numbers they should be using. 14 It's as simple as that, I think. 15 If that's what's out there, Eighth Edition, 16 they should be using Eighth Edition. And if there is no 17 Seventh Edition used on that plant, then they'll just 18 19 use Eighth Edition everywhere. MS. ELLIS: Does that answer what we were 20 MR. FAIR: Yes, I guess to the extent 21 22 that it can be answered. 23 a change the the man and the set 24 we had on the summary disposition motions -- that is, 25 KENNEDY REPORTING SERVICE INC. K

KENNEDY REPORTING SERVICE INC. 7800 S-40AL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (SI2) 458-3297

between the Staff and the Applicants, which was guite 1 awhile back -- I had come to the conclusion that this 2 was a fine analytical study, but it was not particularly 3 useful on this plant to resolve the issues because it 4 was a bunch of generalized types of studies which are in 5 line with some other things that have been produced in 6 the industry. But other than that, that's about as far 7 as I took the review of that particular issue. 8 MR. POSLUSNY: Comments, anyone? 9 MS. ELLIS: No. 10 MR. FAIR: The next issue that I have has 11 an subsequences on only make the m 7 846-4 12 to do with the I would like to defer that into the section 13 lorancoc Contractor Secondaria with the Richmond inserts. 14 Could I interrupt for one MR. DOYLE: 15 16 minute? 17 MR. FAIR: Certainly. MR. DOYLE The service of the second second 18 horas and a way and a state and a second prover 19 MR. FAIR: That's what I just asked if I 20 could defer. 21 (MR. DOYLE: I tell you, I'm foggy. 22 MR. FAIR: And with that, I'll just leave 23 24 it open as to whether anybody has any questions, 25 comments, et cetera.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 346-W AUSTIN. TEXAS 76757 5 (512) 458-3297

1 MS. ELLIS: No. Nothing we say is going to 2 MR. WALSH: 3 make . MR. FAIR: The next item I had, had to do 4 And simply put, the concern is with generic stiffness. 5 used a set of generic the 6 ALT BARRANCE AND THE 7 1 45 1. 1. 5 M 41 5 5 7 1 8 I LELA LO design Contraction of the second 9 deflection guidelin was 10 11 These two assumptions are not exactly the 12 same; and therefore, you have a concern as to whether 13 there is a match-up between the two analytical 14 processes. We also, the NRC Staff, had a concern with 15 this and with the Applicants' results in their summary 16 disposition motion. Therefore, we requested that the 17 Applicants go back and reevaluate piping systems, 18 looking for cases where the supports could be 19 particularly soft. And the basis for looking for these 20 supports being particularly soft had to do with the 21 supports that had the lowest loads from the piping 22 analysis and what you would expect based on a load 23 deflection criteria to come out with softer spring 24 rates. 25 At this point, the Applicants had given us a

> K KENNEDY REPORTING SERVICE INC. 7000 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78737 S (512) 438-3297

1	screening criteria for performing the evaluations, but
2	they have not given us any results of these evaluations.
3	So at this point, it's still open.
4	(MR. WALSH: ] Do you know when you'll be
5	,getting this?
6	MR. FAIR: I have no idea.
7	MR. WALSH: I haven't seen that screening
8	criteria that the Applicants were using.
9	MR. FAIR: I believe that was in the
0	September submittal, the final large submittal that the
1	Applicants made to the NRC Staff.
2	MS. ELLIS: Okay.
3	MR. DOYLE: In this evaluation they're
4	doing, are they considering, particularly in the
5	containment when the state of t
6	a second tas a second s
7	type connection and arso
8	exhibit, just from the tests alone, the start of ,
9	
0	the support?
1	MR. FAIR: I would have to defer that
2	question to the Applicants because I don't know what
3	specific supports their screening criteria is going to
4	yield for this reanalysis effort.
5	[MR. DOYLE:] It would be well if they

R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN. TEXAS 78757 S (512) 438-3297

1

include some of them, I would think. 1 2 We're most concerned in that particular type of a screening effort is not a soft system, it is a 3 random system. In other words, if we have a system 4 that's all soft supports, that doesn't present really 5 critical problems. It's where you have very stiff 6 supports and intermingled you have soft supports. Is 7 this the type of thing you're looking for? 8 MR. FAIR: I think that the screening 9 criteria is supposed to be looking at both cases. Now, 10 11 the Applicants have agreed with what you've said, that the case that's likely to be a problem is a soft support 12 in the middle of two stiff supports. 13 14 MR. DOYLE: Yes, right. 15 MR. FAIR: However, the other case I agree is not a problem. If the supports are all soft, 16 17 that may very well change the total load input. (MR. DOYLE:) Well, that's true, 18 19 particularly if it goes more than 10 percent below 20 generic. MR. FAIR: That's correct. 21 22 [MR. DOYLE: What I probably should have said is less of a problem than you could run into with 23 two million pounds an inch on each side of 50,000 pounds 24 25 an inch.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S 1512) 458-3297

MR. FAIR: Well, I guess my opinion is, 1 either one could be a significant problem. 2 MR. LANDERS: Again, it's this system 3 concept of the fact that we have something attached to 4 the end of that pipe. A soft one could in fact be a --5 [MR. DOYLE: That's right. I do what I 6 tell everybody not to do. 7 MR. FAIR: I quess -- Dr. Chen just 8 reminded me. It appeared that -- at least your position 9 was that this 10 percent number which was an argument 10 which was put forth by the Applicants, that if they were 11 within a factor of ten of their assumed generic studies --12 MR. DOYLE:) Yes. Right. Single order of 13 magnitude, I found no problem with that. Many of the 14 places I have worked, as long as you're within one order 15 of magnitude you don't even get concerned about it. If 16 17 you go beyond the first order of magnitude, you go talk to the pipe stress people, What we call "confirmation 18 required." You get confirmation that you're -- I forget 19 20 what that is -- but they'll go so much over the first order of magnitude before they get excited. 21 22 MR. FAIR: I guess I would agree. It depends on what the generic stiffness was in the first 23 24 place. MR. DOYLE: Yes. 25

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 15121 458-3257

MR. FAIR: If it were stiff enough, then 1 2 an order of magnitude lower would not be a big problem. 3 But if it were soft to begin with, then it may be a problem, even less than that. 4 MR. DOYLE: Right. 5 MR. FAIR: Any other questions, comments? 6 The There are a to a grand and Themas are the 7 AD - 1 8 199.00 9 Hopefully I said it so that it's clear which ones I'm 10 talking about. In this particular case, the Applicants had 11 12 U-bolts on rigid frames where they intended them to act

in the strong direction of the U-bolt and assumed that

U-bolt. The basis for their assumption was that these

they would take no load in the weak direction of the

movements in the other direction were so small that

13

14

15

16

17 there was enough gap in the U-bolt so that the U-bolt 18 would never see a load. 19 They have said that they had identified 20 approximately 70 cases, gave the deflections output from the computer analysis of the piping, and identify eight 21 22 cases where they expected the deflection of the pipe to exceed this assumed amount. They did some analysis, 23 24 some seismic reanalysis of a couple of cases and 25 concluded that stresses in loads would still remain

> K KENNEDY REPORTING SERVICE INC. R 7800 SHOAL CREEK BLVD - 346-W AUSTIN. TEXAS 78757 S (512) 458-3297

1

3

4

5

5

7

8

9

10

11

12

13

below allowables.

Now, in order to make this conclusion, the Applicants had to do some actual physical testing of a couple of U-bolts to come up with a load rated allowable that was higher than the original manufacturer's allowable.

In confirming whether the Applicants' assumptions were correct, I went out to the field to measure the gaps on these particular eight U-bolts where the deflections were the greatest and was unable to confirm the Applicants' assumption that a gap existed in this particular direction, that the U-bolt didn't intend to take load.

And therefore, I disagreed with the basis of 14 the Applicants' analysis. The Applicants went back and 15 did a reanalysis and submitted it to us on the September 16 17 submittal. The reason the Applicants did a reanalysis 18 was because the original analysis included seismic only 19 with the assumptions that the gap existed and was larger 20 than the thermal load; and therefore, the original thermal analysis was still valid. 21

In the reevaluation effort that was given to us, it was unclear to me that the Applicants had gone through and evaluated the new loads on the supports, including the U-bolts, to determine whether they would

KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346 . W R AUSTIN, TEXAS 78757 (512) 458-3297 S

be within acceptable limits. And I requested that the 1 Applicants go back and reverify this. 2 The bottom line conclusion that I had out of 3 this at this point is that the Applicants originally had 4 no basis for making the assumption that these U-bolts 5 6 provided no lateral support. 7 The issue as to whether there is a problem with the existing U-bolts is still open. 8 MR. DOYLE: I don't really believe we can 9 comment on that one until the issue is resolved. 10 At least I can't. 11 12 MR. FAIR: Any comments from --13 MR. BECK: No. We understand your AD-14 position, John. MR. FAIR: STREET 15 STATIS ANALISA ST3 16 17 inserts, and I'll try to group them as the Applicants 18 did in their summary disposition motion into three more general categories. 19 20 One had to do with the actual capacity of the Richmonds and the basis for the allowable on the 21 22 Richmond. Another category of issues had to do with the 23 design assumptions you used to model the joints between 24 the Richmond inserts and tube steel connections. And 25 the third general issue had to do with bending loads on

K KENNEDY REPORTING SERVICE INC. R 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

the bolts that were going into these tube steel connections into these Richmond inserts.

1

2

3

4

5

6

7

8

9

17

.18

19

20

21

22

23

24

25

As things stand right now, we have a concern with the Applicants' modeling assumptions for the Richmond insert tube steel connections. They have done some evaluations in their summary disposition motions and at our request have gone back and looked to see if these evaluations covered all cases that existed at Comanche Peak.

And they have identified some cases where they had to do some additional analysis. There was also a part of the summary disposition motion that was very confusing to me, and that had to do with the Applicants' discussion of when they released what we'll call the torsional moment and when they released the bending moment along the tube steel:

It is my understanding at this point that the position is that they always model the bending moment as a released condition and that, depending upon the designer's judgment, the torsional moment would be either released or fixed. And I'm awaiting a clarification on that particular point and a particular discussion in the Applicants' affidavit.

If the case is that on the frame structures that the Applicants in some cases assumed that these

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN. TEXAS 78757 5 (512) 458-3297

moments were fixed, I don't think the Applicants have presented enough basis to justify that the stresses in the tube steel members and the inserts are adequate.

1

2

3

My opinion is that the appropriate modeling 4 assumption is assumption for these frame structures. 5 Now, I distinguish between the frame structures and the 6 ones on which the Applicant has a long length of tube 7 steel with the inserts along the length of the tube 8 where the only method of stability is to take reactor 9 loads out and forget them. And this indeed in my 10 opinion will occur. They will eventually react the load 11 12 out in torsion.

Bowever, the Applicants' analysis currently has identified the problem, especially with cases where the insert is offset from the center line of the tube steel members; and therefore, you get a very short couple to react the load out, and you primarily have to take the load out with bending of the bolt.

19 The Applicants had identified some items in 20 which they calculated fairly high bending stresses in 21 the bolt and had said that they were going to modify or 22 correct these situations. However, there are still some 23 concern between the Staff and the Applicants on the 24 evaluation criteria for which bolts to be looking at; 25 that is, the Applicants developed a formula based on the

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 W AUSTIN, TEXAS 78757 5 (512) 458-3297

results of their finite element analysis. It was a formula which you won't find in any of your standard industry code. And at this point in time, we're not in agreement yet with the Applicants that this evaluation of criteria was adequate.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

Specifically, we've asked them to go back and evaluate the results of their evaluation of these tube step members for bending stresses and loads in the Richmonds, considering assumptions or field installation procedures such at bolt hole angular and bolt hole gaps, et cetera, and determine that their evaluation conservatively considers all those cases.

And that's at the point where we are on Richmond.

MR. WALSH: Will the NRC be using any of Cygna's questions or comments that they recently submitted to the Applicant, in the the NRC's evaluation?

MR. FAIR: I will be reviewing them, yes. I have not really had time to understand the basis of their comments or what points they were trying to bring out. I've seen their comments.

MR. LEVIN: John, with respect to TUGCO's development of an interaction formula or method of dealing with the bending and tension and shear in a bulk, for example, was your concern with that approach

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 (512) 458-3297

conceptually or the value, for example, of the acceptable interaction, whether it be 1.0 or 1.75 or whatever the number may be? I mean, given that there is not ready guidance and codes on these kinds of things, I'm trying to find out if --

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

23

24

25

MR. FAIR: That's specifically my concern, was the fact that TUGCO had developed a higher limit than you would normally use for bolts. The basis for this was two-fold. One was the fact that their finite element analysis showed that the method that they were going to use for these calculations of bending was conservative compared to the finite element analysis, and they were going to screen the bolts at the field based on the more standard type of calculations and not the finite element.analysis.

The second basis in their affidavit was the fact that you were looking at bending in these bolts and that the normal allowables were strictly in terms of tension and shear, and that if you go to the ASME code or Structural Steel Code, they generally allow higher stresses in bending than they do in direct tension or shear.

So, yes, it's the basis for the increase in the allowables.

MR. LEVIN: So it's more toward the

R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD- 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

allowable versus whether or not one can add bending into 1 the interaction equation, per se -- I mean, you would 2 3 like to see the bases for the specific value, the allowable, as compared to a conceptual problem with 4 whether bending could be included in the interaction. 5 MR. FAIR: Well, since we have the 6 situation, it has to be included, some method. 7 MR. LEVIN: Okay. 8 MR. POSLUSNY: No other comments? 9 MR. DOYLE: Are you going to get into the 10 stiffness of those bolts? 11 MR. FAIR: That was the end of my 12 13 comments. I'll leave it open with you. MR. DOYLE: Yes. Well, I have two major 14 concerns within A36, and one of them is they're not 15 recommended for dynamic applications. And the other, 16 17 many of the supports, the distribution of shear and 18. tension -- tension being the lesser of the two -- but 19 the distribution of shear is based on the concept that 20 all of the bolts are in contact equally. And 21 particularly for some of the ones at Comanche Peak, there were a multiplicity of bolts -- it could be 12, 22 15, 18 bolts in a single frame. And because of the 23 nature of the beast, we know that there is no time when 24 25 we will have all of those bolts actively engaged. So

.

K KENNEDY REPORTING SERVICE INC. R 7800 SHOAL CREEK BLVD - 348-W AUSTIN, TEXAS 78757 S 15121 458-3297

therefore, some of the bolts are getting higher load than would be indicated by the STRUDL analysis. And I was wondering whether or not that was looked into.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

24

25

Additionally, there were other supports -- I had a couple of them in my summary disposition, one of them being a Class 1 support -- where you have a single piece of tube steel hanging off two Richmonds and then a cantilever hanging off of that. Effectively, the bending of the bolt renders the entire support far softer than the analysis would indicate because the analysis indicates that those two points are literally fixed.

Beyond that, that's the only two comments I have in regards to --

MR. LEVIN: (Jack,) I have a question with respect to that comment. Is there anything with regard to these particular connections that -- I mean, I think what you explained might generally be true for bearing connections, but is there anything that would make that particularly different here on this plant?

(MR. DOYLE:) I don't understand.

22 MR. LEVIN: In terms of the sharing of 23 loads between bolts.

MR. DOYLE: Yes, because the entire support -- before the entire bolt pattern becomes

> KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN. TEXAS 78757 S 19121 458-3297

1 effective, a number of bolts are going to have to 2 displace perhaps as much as an eighth of an inch. So in 3 addition to the support stiffness factor, you have to take the ratio of the sum of the --4 MR. LEVIN: Am I to understand your 5 concern being more with the impact of that on softening 6 7 of the system or the fact that there may be a different load distribution to bolts? 8 9 [MR. DOYLE: There would be a different 10 load distribution, depending on the total load of the 11 support. But the tests indicate that the shear 12 displacements of those bolts were rather horrible. For 13 that matter, when you get up around a 16th of an inch, 14 you've almost reached the limits of the allowable for 15 the particular bolt and shear. MR. LEVIN: Is that particular tests or 16 tests in general? 17 18 MR. DOYLE: No. That was Applicants' 19 Exhibit 142. Anyway, they did a test at the request of --20 DR. CHEN: It was 142, it was another --21 MR. DOYLE: Oh, well, at any rate, there 22 was a test done that showed very high displacements. 23 MR. LEVIN: I'm trying to understand, 24 though, if that was in a specific test of a particular 25 bolt or that was a general trend noted in the entire

.

K KENNEDY REPORTING SERVICE INC. 7600 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 (512) 458-3297

testing program.

1

2

3

4

5

6

7

3

9

10

11

12

13

14

15

16

17

18

20

21

22

23

24

MR. FAIR: That was four particular -- as I recall, four particular bolts, tested out at very large deflections at the bolt allowable load in shear. At the last meeting I asked an explanation of those particular results.

I, too, would like to ask the question, now that the subject has arisen, as to the concern on the sharing of loads on bolted connections, as to whether this concern is particular to the Richmond insert, tube steel connections, or whether it's in general for base plated anchor bolted connections?

MR. DOYLE: No, because most of the anchor bolted connections are friction. They prescribe torque. And a friction joined connection, until you reach separations, there is no shear involved, although they may be analyzed as if there is. In fact, there is none.

19 On this tube steel, again we're into a unique design. The friction is indeterminate because the torque is indeterminate. They can't torque down like they can on a base plate. On a base plate, you can take it up to whatever is required according to your particular specification or the manufacture's 25 recommendation.

> KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346.W R AUSTIN. TEXAS 78757 (512) 458-3297 S

So it is only for those connections which are 1 essentially either indeterminate or vary in type but not 2 for base plates in general. 3 MR. FAIR: I would still like to pursue 4 5 it a little further. In terms of general bearing connections, is it your position that it should be the 6 practice to analyze each individual bolt separately 7 within the tolerances of the gaps around the bolts? 8 MR. DOYLE: I'm not sure exactly what 9 you're saying. However, if there was a practice in IO 11 place that would have assured the lesser gap, then of 12 course we would have less problem. But currently the 13 condition is such that you could actually have to 14 deflect some of the bolts an 8th inch before the 15 remainder come into action. 16 MR. FAIR: Well, I guess I would turn it 17 around. If they would be used with the AISC which are considered standard hole sizes which would cut the gap 18 19 effectively in half from an 8th to a 16th, would you 20 still have a concern? 21 MR. DOYLE: Myself, yes. MR. LEVIN: Well, Jack, then I guess -- I 22 23 was interested in that same line of questioning, John. 24 I think people recognize differences between friction and bearing connections. So if we get to just 25

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78787 5 (512) 458-3297

1 looking at bearing connections, what I'm interested in 2 is understanding whether or not the concern is, in fact, 3 with industry practice, or there is something that has 4 been done on this project that particularly would -5 exacerbate it.

And you're saying that going in the direction of a larger hole size would, but I am interested in your thoughts on the point that John just make on the 16th, and the fact, you know, that that's a tolerance adopted by AISC, and --

6

7

8

9

10

25

MR. DOYLE: Yes. But you've got to remember that AISC, for the most part, wherever they do have large shears like at base plates and things, they put in shear keys, so they're not relying on the bolts to take shear load.

16 In the remainder of the structure, except 17 under the new SEAH codes, they took an equivalent 18 horizontal shear into the building and therefore that 19 really structures subject to dynamic conditions. So 20 here we have a unique case where we have the supports 21 suspended off of tubes which are bolted to Richmonds 22 with an indeterminate friction qualification; and yet, 23 every bolt in the pattern is treated as if it is 24 receiving equal load.

And I marked under a number of the supports

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757
1 out there where there were problems even at that, bringing the bolts into qualification. And had they 2 been done as the real world, which you would never do, 3 you would probably find that several of those bolts went 4 5 way over the allowable. MR. LEVIN: Is there any indication that 6 the connection doesn't perform? 7 MR. DOYLE: The fact that it's A36. 8 9 MR. LEVIN: I mean any experience. That's what I'm after. 10 11 (MR. DOYLE:) Well, that's what I'm saying. 12 I have never seen that particular type of support used 13 anyway, except for perhaps, you know, a coathanger or 14 something. Every plant I have ever been in either used 15 embeds or surface-mounted plates or through bolting or 16 something of that nature, and I can't recall of any that 17 weren't using friction type joints. 18 (MR. WALSH: 7 The other point that I would 19 like to make is with regards to the AISC code -- and I 20 don't know if it was submitted in our answer on gaps or 21 on the Richmond insert -- but the AISC code, as far as oversized holes and base plates, was written with the 22 23 assumption that you have got a heavily loaded column, 24 that column has sufficient press, of course, on that 25 base plate that you don't even really need anchor bolts,

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S 15121 456-3297

you put the anchor bolts in just the same. 1 And I believe it was one of those motions that 2 the Applicant was relying on, saying, "Well, we could 3 have made the holes even bigger." 4 That is not the case. If that's how the 5 Applicant really feels about it, it's either a question 6 of judgment again of the Applicants to rely on that type 7 of premise. 8 MS. ELLIS: I would like to ask you, 9 Paul, I believe that the test, wasn't that attached to 10 an affidavit of yours? I sort of believe it was, but 11 12 I'm not positive about that. DR. CHEN: I don't remember, but I think --13 let me look through my, guote, boxes unquote, and I'll 14 get back to you on that. 15 (MR. DOYLE: One of the major problems 16 with that particular type of connection, again, if you 17 uncouple it and you look just at the shear, eventually 18 all the bolts in the pattern will share the shear. But 19 you've got to recall that some of the bolts at the point 20 you get to where the load is fully distributed, have 21 higher shear loads than was anticipated. Now you must 22 add the tension load and also the interaction of 23 24 bending. But I don't recall having seen -- the closest 25

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 19121 458-3297

1	thing I can recall to that type of a situation is where
2	some people were using Unistrut. I disagreed with that
3	strongly, too, because again you're getting to bending
4	of the little ears.
5	MR. LEVIN: What about a situation where
6	it's just simply a base plate?
7	MR. DOYLE: How is that again?
8	MR. LEVIN: Just simply a base plate
9	configuration and a bearing connection. It seems to me
10	implicit in the concept of that type of connection is
11	the fact that there will be some redistribution of loads
12	between bolts and in the concept of that
13	(MR. DOYLE:) Yes. But first you have to
14	displace two or more of the bolts to the point where the
15	remainder become effective.
16	MR. LEVIN: Yes.
17	MR. DOYLE: When you do that, you have
18	got shears or shear stresses in some of the bolts that
19	are considerably higher than you had anticipated. Those
20	could be the bolts which also are taking the majority of
21	the tension, if you have a couple in that direction. So
22	now you're well beyond the allowables established for
23	that particular bolt.
	MR. LEVIN: Okay. I understand your
24	

C

question of experience. And it seems to me that people 1 2 as a matter of practice have accepted that, possibly 3 supported by the fact that those types of connections do perform in a certain way. And I was curious as to how 4 you believe that would impact the overall integrity of 5 6 such a connection. MR. DOYLE: Like I say, I haven't seen it 7 done. All the building columns I worked on, if you 8 receive 30 percent of the friction, then you go to shear 9 10 keys in the diretions it's required. 11 MR. LEVIN: Okay. 12 MR. POSLUSNY: Are there no more comments 13 on Mr. Fair's items? 14 If we can think of anymore, we'll take a quick 15 break. 16 (Brief recess) 17 18 MR. POSLUSNY: If we could get started. 19 Okay. Ready. 20 Paul Chen is going to continue. 21 22 23 24 25

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEN BLVD - 348-W AUSTIN, TEXAS 78757 S (812) 456-3297

1	PRESENTATION BY DR. PAUL CHEN
2	
3	DR. CHEN: Okay. I have four summary
4	dispositions.
5	Terante and the second s
6	This summary disposition is concerned with
7	dual snubber or seismic restraint types supports and
8	force distribution and lug type supports. The concerns
9	relate to piping stresses and loads on the supports.
10	. To expand on bit on that, the concern is
11	related to the rotational restraints offered by the dual
12	type supports, the effects of offset masses in the
13	piping analyses, CHEME stresses and trunnion type
14	supports and local stresses due to the attachment. I
15	would like to ask at this point whether or not that
16	covers the concerns that you have?
17	(MR. DOYLE:) There are a co' _e of other
18	points. One of them is particularly in reference to
19	snubbers. Snubbers are generally set for a specific
20	they're acceleration sensitive, so they're set for a
21	specific g loading for example, .02 g. Any gain
22	type, whether it's 2 or 8, like they've got in the upper
23	lateral restraint, like of a snubber arrangement, you're
24	never going to get exactly, precisely .02.
25	And most often, they assume the total load on

R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S 1912) 456-3297 one support. If they can't make it by that, they'll go to 75 percent. And I think the manufacturers by test have shown that if you go below 60 percent of the total load on one support, then you're going to find yourself in real trouble because the two snubbers will not lock up simultaneous.

1

2

3

4

5

6

7 The second problem is, when you have two 8 snubbers or two struts and they're attached to literally . 9 different frames of the same frame system but 10 independent frames -- for example, say you had a 11 cantilever off the wall a foot long, same tube steel 12 coming up off the floor ten feet long, you have a 13 differential in stiffness which will affect the loading 14 distribution. And this, of course, is why most places 15 like to try to make it pass with a total load on one. 16 If you can't do that, many of the places I've worked at, 17 you can arbitrarily adopt a 75 percent. To get down to .6 and below, you have to get confirmation required type 18 19 of thing.

So besides the thermal rotation, if it's on a horizontal run above the "Y" axis and "X" number of ratings or what have you, have those two considerations, you should also go into snubber loadings. MR. LANDERS: Jack, is there anything in

25 the procurement process that would alleviate some of

R KENNEDY REPORTING SERVICE INC. 7000 SHOAL CREEX BLVD. 346.W AUSTIN. TEXAS 78757 5 18121 456-3297

I	that concern?
2	[MR. DOYLE:] With respect to
3	MR. LANDERS: With respect to procurement
4	of the snubbers and specification thereafter.
5	(MR. DOYLE:) I don't think that, to the
6	best of my knowledge, they never can get two snubbers to
7	lock up precisely at the same time. They come very
8	close, and it is a precision piece of equipment. But
9	due to the fact that you are dealing with an
10	acceleration and the reaction of the snubber to that
11	acceleration will vary so that the snubber, within the
12	limits of human capability, I don't think they could
13	ever get two snubbers to lock up precisely at the same
14	time. The result is, the (unintelligible). And once
15	you start getting rotation and the acceleration picks
16	up, the other one will lock in which is why in many of
17	the plants I've worked you are allowed to go down to .6
18	of the total load but I don't it's possible, but I
19	don't think I've ever worked at a place where they
20	divided 50/50.
21	MR. LANDERS: That was precisely my
22	question. Going down to .6, do you know if in those
23	instances there are very specific procurement
24	requirements with respect to those two snubbers, that
25	that was defined to be accurate?

(

K KENNEDY REPORTING SERVICE INC. " R 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 S 15121 456-3297

MR. DOYLE: We only buy them in pairs. 1 In that respect, yes, if you have a dual snubber set-up, 2 you should buy them in pairs. But as far as CPSES, I 3 have no idea what their procurement did about that. If 4 you don't buy them in pairs, then you're going to have 5 even more problems. 6 7 MR. LANDERS: Okay. DR. CHEN: The Applicants' motion for 8 summary disposition does not address these two concerns 9 10 that you brought. 11 Additionally, the arguments presented in the 12 summary disposition are contrary to what the Applicants 13 had committed to two years ago to the SIT team. The 14 motion contains analyses for (unintelligible) piping 15 system which supposedly show that if the rotational 16 restraints of a dual snubber installation are 17 considered, it has very little effect on the piping 18 stresses, but that support load will increase by a 19 factor varying between 2 and 3. 20 The Applicants proposed new allowables and 21 these new allowables are based on the -- assuming that 22 the rotation is a secondary effect and that increase on 23 loads can be treated as secondary loads, basically what they were proposing was that the allowables be increased 24 25 by three times what the allowables were. And we would

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 (512) 456-3297

disagree with that. The analyses showed that the loads increased by around 2 and 3; the proposed allowables increased by 2 or 3. Basically what they were saying is that there is no problem, and I have a problem with that.

1

2

3

4

5

6

7

8

9

10

11

The load type supports -- the information is based on inspection of 29 supports -- showed that in each instance there were always two lugs which were fairly equidistant from the support structure. A maximum distance between the structure and the nearest lug was about 1/16th of an inch.

They then did elastic-plastic analysis of a lug attached to a pipe and displaced the lug by 1/16th of an inch and said that it was also indicated that the plastic deformation localized. I cannot accept that analysis because it does not address what happens on the separate loadings. This analysis just shows what would happen in the case of a one-time loading.

Some of these comments were passed on to the Applicant in a meeting we had about a month ago, and I haven't heard anything back from them as yet. Basically this item is --

23 MR. DOYLE: Also, in a substantial 24 earthquake, you could have a fairly large number of zero 25 crossings. So the fact that you're displacing a

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 348-W AUSTIN, TEXAS 78757 5 (\$12) 458-3287

1 particular lug a 16th of an inch -- well, coming back to that 16th of an inch, again we end up somewhat similar 2 3 to the shear on bolts if we're displacing a 16th of an inch. I wonder what the BLR would have to say about 4 that in reference to the pipe or what does anybody have 5 to sav about that? 6 DR. CHEN: They prepared some results of 7 analysis for piping system when one lug was loaded --8 9 or, rather, a pair of lugs was loaded. And the result 10 of that analysis indicates that the piping stresses are acceptable. The results of those analyses are still 11 open as far as I know. I'm not sure. 12 13 MR. LANDERS: Could I say something? 14 I think I addressed that in my draft report. 15 That's where they do an elastic-plastic analysis. 16 DR. CHEN: Yes. You mentioned this was 17 unacceptable as an analysis. 18 MR. LANDERS: Yes. (MR. WALSE:) In your discussions with the 19 20 Applicants, did you find out why they decided not to do 21 what they said they were going to do? 22 DR. CHEN: Well, the meeting at which 23 this was said was a meeting to relay to the Applicants 24 some of the concerns that we had regarding the reason 25 for some of these positions. I have not gone in to find

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78737 5 (512) 458-3297

1.1	
1	out why what they're proposing now is different from
2	what they proposed two years ago.
3	(MR. WALSH:] I'm concerned with maybe they
4	forgot. It was one procedure, and then someone came
5	along and said, "We need to consider this." And by that
6	time, it was too late to go back and start doing
7	reanalysis on piping systems. You know, maybe it's a
8	problem with the quality assurance program, the piping
9	stress analysis; people that were really going to work
10	didn't realize that they were committed to modeling
11	these types of restraints.
12	DR. CHEN: That could be. But more along
13	these questions related to QA, I would hope that in
14	Applicants', quote, get-well plan, unquote, that all of
15	these kinds of things are going to be considered.
16	(MR. WALSH: No, because I remember that
17	was a dead issue as far as modeling struts and then
18	getting this motion to find out that they're not going
19	to do it, I would be surprised.
20	DR. CHEN: That in a sense they were
21	going to model and they were going to
22	(MR. WALSH: Sure. It was no longer a
23	concern.
24	DR. CHEN: That was my understanding two
25	years ago.

C

÷

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

MS. ELLIS: I guess what we're saying is that sort of thing needs to be analyzed as well, hing you can tell us in the report, how all this out. DR. CHEN: It has QA obligation as well. MS. ELLIS: All right. DR. CHEN: Any other questions or nts? MS. ELLIS: That analysis that you
that sort of thing needs to be analyzed as well, hing you can tell us in the report, how all this out. DR. CHEN: It has QA obligation as well. MS. ELLIS: All right. DR. CHEN: Any other questions or nts? MS. ELLIS: That analysis that you
hing you can tell us in the report, how all this out. DR. CHEN: It has QA obligation as well. MS. ELLIS: All right. DR. CHEN: Any other questions or nts? MS. ELLIS: That analysis that you
out. DR. CHEN: It has QA obligation as well. MS. ELLIS: All right. DR. CHEN: Any other questions or nts? MS. ELLIS: That analysis that you
DR. CHEN: It has QA obligation as well. MS. ELLIS: All right. DR. CHEN: Any other questions or nts? MS. ELLIS: That analysis that you
MS. ELLIS: All right. DR. CHEN: Any other questions or nts? MS. ELLIS: That analysis that you
DR. CHEN: Any other questions or nts? MS. ELLIS: That analysis that you
nts? MS. ELLIS: That analysis that you
MS. ELLIS: That analysis that you
oned, was that part of the September '84
mation which the QF provided for the Staff?
DR. CHEN: Yes, it was well, just a
e. Which analysis, elastic-plastic analysis? The
ic-plastic analysis was part of the original
n, and the analysis for the just two lugs loaded
so part of the original motion, I believe.
MS. ELLIS: Okay. Just wanted to be
[MR. DOYLE:] One other point, and that is
ugs not only are sometimes spaced differently, you
, actually along the pipe, but also on angularity
at the net result on the clamp can be more
ficant than would be apparent on the surface
se if the angularity is such that you're way out on
nd of the particular lug or trunnion or whatever it

K KENNEDY REPORTING SERVICE INC. 780C SHOAL CREEK BLVD - 346.W AUSTIN. TEXAS 78757 S (512) 458-3297

is, then you have induced moments and shears into the I welds and into the pipe which would not be so if it were 2 3 a perfectly square surface. DR. CHEN: More along those lines, Jack. 4 Recognizing that nothing is going to be ever built 5 perfectly, what kind of tolerances would you see as 6 being acceptable? 7 MR. DOYLE: I don't see a tolerance. 8 What I see is usual industry practice. And if you have 9 four lugs, then count two, sort of an arbitrary 10 11 situation. 12 DR. CHEN: And in the case of just two 13 lugs --(MR. DOYLE: -- you count one. If you're 14 15 going to do a Bjillard type analysis additive to M and S 16 and P, existing pipe, then again we use about the same 17 numbers, try to do it all which is conservative, 18 approximately 75. We can get authorization to go to .6. 19 MR. LANDERS: Where in the lug would you put your load? 20 (MR. DOYLE: When you are overloading 21 22 under those conditions, then you would put it something 23 like Malcolm Hobbit does with bolted conditions. You 24 put it inside of the -- if you're coming down on a 25 support, you would put it at the tangent point plus,

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK SLVD - 346-W AUSTIN, TEXAS 78757 5 (512) 458-3297

say, a 16th, because you're going to get some local 1 deformation at that point so you would go to the tangent 2 point of a tube. If you had a trunnion coming out and 3 you're sitting on a piece of tube steel, you go at least 4 to the tangent point plus a 16th of an inch. 5 Generally, based on what I know, we go to the 6 center of the tube which is even more conservative. But 7 if we get into a real bind, we'll back off a little. 8 MR. LANDERS: What if you had a pipe 9 clamp with a lug? 10 [MR. DOYLE: How is that again? 11 MR. LANDERS: A pipe clamp with a lug. 12 MR. DOYLE: A pipe clamp with a lug? You 13 put it to the center of the thickness of the pipe clamp. 14 But if you start trying to take advantage of all four 15 16 clamps, you are going to take it all the way out to the worst possible condition. 17 18 MR. LANDERS: What about a situation 19 where construction in welding lugs on pipes uses jigs; 20 that is, if they are going to put a clamp on with lugs, 21 they in fact have the clamp there and put it in place? MR. DOYLE: If you specify on the drawing 22 that you want these particular lugs to be within a 23 24 specific plane, then you would use that plane, whatever 25 it is.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 346-W AUSTIN, TEXAS 78757 5 (512) 456-3297

MR. LANDERS: I just wanted to ask that 1 because you said you wouldn't use tolerances. In fact, 2 in situations where you can control a construction --3 (MR. DOYLE: For that matter, in 4 submarines they do that all the time. That's exactly 5 how they put their pipe supports up; they jig them in. 6 7 Theresearches DR. CHEN: A LOUGH MANAGERE 8 . 9 ORE RODICST TELO Taking dave allow is 10 Letter Lore meda in l'entry and a main sain 11 12 13 The last item is the depression in the walls 14 of tube steels, was covered in Applicants' motion, 15 according to AWS versus ASME requirements. What is in 16 this motion is basically a summary of what was in the 17 other motion. And Mr. Terao, I think, has addressed all 18 of those concerns. 19 Did you have any questions on that? MR. DOYLE: Are they doing the analysis 20 on the basis of AWS Section 10? 21 22 MR. TERAO: That's our understanding, 23 yes. [ME. DOYLE:] Well, if they're doing that 24 25 on that basis, obviously there can be no question.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 (512) 458-3297

DR. CHEN: The zero clearance box frames, 1 Applicants are relying basically on two analyses, one 2 which was done by Cygna for a zero clearance box frame. 3 I think that goes in the -- I forgot -- it might have 4 been under SI system. And they also presented some 5 analyses on three supports -- two or three, I forgot 6 exactly -- well, the methods of analyses, and there were 7 also analyses I find at this point unacceptable. Some 8 of my comments have been transmitted to the Applicants, 9 and we haven't heard anything back yet, so that's 10 basically an open item. 11 MR. DOYLE: Still open. I didn't agree 12 13 with the analysis at all. 14 DR. CHEN: The same comments apply to 15 stresses and anchors and piping system. That's 16 still --17 (MR. DOYLE: | Constraining thermal? DR. CHEN: That's correct. 18 19 For local deflections, this is somewhat 20 related to the issue of generic stiffness, and that's 21 still open. Cinching down of U-bolts, as I understand it, 22 CASE's concerns relate to unusual design issues, A36-A37 23 material, for the use of those materials, questions 24 related to stability and stresses and the pipe and the 25

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN. TEXAS 78757 (512) 458-3297

1 U-bolt itself and local deflections and stresses. Is there anything else that --2 MR. DOYLE: Yes, well, specifically on 3 4 relaxation, there is no information on A36. The closest they have had, DS60, and it's not really related to A36 5 6 material. But, in fact, that is the lesser of the 7 problems. It then comes to one of these cumulative 8 9 things where you have cinching first, VF terminal. You 10 have pressure. All three of these are contributing to 11 high levels of stress. And also you have bending of the 12 U-bolt which is one of the analyses Applicants never 13 even considered the bending because you have to take 14 that U-bolt, conform it to the configuration of the 15 pipe. 16 When you consider all of those, they will have 17 an effect relative to the various differences on the U-bolt type and whatever it's connected to, whether it 18 19 be a plate and what not. 20 HOLD BE TO THE WAY A MANAGE WE AN 21 bending 22 itsel 23 MR. DOYLE: Yes. Those can be as much as 24 four times the actual. 25 DR. CHEN: In fact, most of the KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346 . W R AUSTIN. TEXAS 78757

S

(512) 458-3297

1 measurements -- well, all of the measurements, if 2 they're taken on the U-bolt, were just taken in straight 3 portion. And as to the U-bolt, some of the cross 4 5 pieces, I do not believe that configuration was tested nor analyzed, were sufficient to cover a broad range of --6 (MR. DOYLE:) There are many cases of the 7 8 plate and the cross piece. DR. CHEN: I think that was brought up in 9 10 a meeting that we had with them. 11 The motion basically covers the results of an inspection for torques. I mentioned in the meeting with 12 13 Applicants that that is still an open item, some of our 14 test program and analysis program. 15 The torque versus free load tests, questions 16 relating to conforming, which you just mentioned, as it 17 relates to bending in the U-bolts was mentioned. 18 For the friction tests, the results of the 19 tests indicated that there could be problems associated just with dead loads, that which could be more 20 21 significant than some of the problems that we're looking 22 at. 23 The thermal cycling, there are givens, rested 24 heavily on relaxation effects, as you pointed out. 25 There is very little information available on relaxation KENNEDY REPORTING SERVICE INC. K

. \*

R REINEDY REPORTING SERVICE INC. R 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

and the kind of U-bolts we have. 1 Pre-tests, the test data was still inadequate 2 for the 32-inch U-bolts. And for the two dynamic tests, 3 the normal vibration and similation test and seismic . 4 loading similation tests, I have a lot of questions 5 related to the results of the so-called unofficial test. 6 And have you had a chance to look those over? 7 MR. DOYLE: No, not really. I didn't 8 9 look over the tests, and I found a lot of problems. 10 But do we have anything on that? Generally their test procedures don't seem to 11 12 follow the ASTM requirements for one thing. 13 MS. ELLIS: We submitted some information 14 on that. I'm not sure that we submitted everything. I 15 won't go through the whole spiel again that you've heard 16 so many times about the timing constraints. 17 DR. CHEN: Again, basically the U-bolt 18 issue is open. And so this is a result related to 19 stability or the stiffness; they're still open. I think 20 in a meeting that we had with Applicants, I think I 21 pointed out that there were several concerns which were 22 raised in CASE's proposed Findings of Fact which were 23 not addressed by the motion. 24 The 12 25 different KENNEDY REPORTING SERVICE INC. K

7800 SHOAL CREEK BLVD . 346 .W

AUSTIN, TEXAS 78757 (512) 458-3297

R

S

1 to-ceiling pipes works. Again, during a - CHARDEN BUSE 1. 1. 1. M. 2 some concerns which neroned and an event an event of the same wat the set of N. .... Some of these relate 3 to wall-to-floor and -- well, the question as to whether 4 or not the wall-to-floor and wall-to-ceiling supports 5 6 are more critical or terminal in as-built conditions. 7 Maybe you can explain to me why you consider those more critical than wall-to-wall and 8 9 floor-to-ceiling. MR. DOYLE: I don't really consider them 10 11 more critical, but the displacements within the wall 12 vertically -- you know, taking the vertical component --13 would be far less than the slab to which it comes out 14 and ultimately attaches. So whatever the displacement 15 of that slab is, will be taken up in the frame itself. 16 And there was never no consideration obviously given to 17 that. 18 But as far as is it more critical, I've never 19 run no firm numbers on it. In the first place, I don't have the displacement history of the plant. 20 21 DR. CHEN: The reason I asked that 22 question is because in the proposed Findings of Fact, I 23 think it was stated that these were more critical, the 24 wall-to-wall and floor-to-ceiling. 25 MR. DOYLE: Probably what I was thinking

127

R AUSTIN. TEXAS 78757

11	
1	at the time is, if you're going from floor to ceiling,
2	particularly in any given plane, you probably would get
3	compensating displacements, although differential.
4	DR. CHEN: Would that not be
5	unacceptable?
6	MR. DOYLE: Yes, that's why I mentioned
7	it. But I don't know if it would be more serious. I
8	think it would be less serious than when you come off a
9	wall and you come off a ceiling, you got the ceiling
0	coming this way and in that direction the wall moving
1.	very little. But the wall could be moving this way
2	while the slab is moving very little this way
3	(indicating).
4	So you could get larger displacements,
.5	particularly as you pass the points of curvature in the
.6	wall and the slab, you get out into the area where the
.7	deflection is actually occurring.
8	MR. LANDERS: You would have to have a
9	large span restraint is what you're saying?
20	(MR. DOYLE:) Yes.
1	MR. LANDERS: You would have to get away
2	from the wall on the slab and away from the slab on the
3	wall quite a ways?
24	[MR. DOYLE:] Yes, try to get to the point
5	of neutral

C

.

R AUSTIN, TEXAS 78757 S (512) 458-3297

1	MR. LANDERS: Yes.
2	DR. CHEN: There was a problem also in
3	the Proposed Finding that treating wall-to-floor and
4	wall-to-ceiling supports as building supports, as common
5	practice.
6	MR. DOYLE: How is that again?
7	DR. CHEN: I think it was stated that
8	these kinds of supports were usually treated as building
9	supports.
10	MR. DOYLE: They would be considered as a
11	building support without a slip joint. If they have a
12	slip joint, they're just a post, but if you tie solid
13	from the floor to the floor above, you are going to pick
14	up building load because you're going to get time
15	displacement, you're going to get whatever lag-load is
16	put up there. And it's going to act as if it were a
17	building column. [MR. WALSH:] In regards to that, go out
18	to the D-FW Airport. I think it's the new Terminal 3E
19	or 2E, whatever the new terminal is. In pre-cast, the
20	pre-cast numbers failing the shear to support them, they
21	argue is in tubes just like pipe support from floor to
22	ceiling. Out there they're using it to literally
23	support the building, tube steel members to be used in
24	the concrete tower.
25	MR. LANDERS: With respect to that,

C

.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 W AUSTIN. TEXAS 78757 S (512) 458-3297

really all you're saying is that if there is any 1 displacement, it should be considered the fact that it's 2 referred to as a piece of building steel or is 3 inadequate for sure. In this case, the Applicant would --4 in any case any applicant would prefer to call any piece 5 of steel NFR. 6 MR. LANDERS: But the recommended concern 7 is making sure that the broad --8 9 (MR. DOYLE: Yes. 10 MR. LANDERS: What would call --11 MR. DOYLE: | Call them anything. 12 DR. CHEN: More along those lines: Considering that the differential displacements both are 13 14 of the order of .006 of a flange, would you consider the 15 slop at the attachment point as being significant or 16 not? [MR. DOYLE: No. You have to take worst 17 18 case; you have to assume that they literally got that 19 thing in tight. Additionally, from the time they got it 20 in relatively tight until the time we get concerned with 21 .006, you are going to get time displacement which 22 occurs rapidly for the first few years, but it still 23 goes on. 24 At that point -- now you've got .006. And if 25 you want to get back with me, you've got a hell of a KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD - 346 - W R AUSTIN, TEXAS 78757

(512) 458-3297

5

load on the column. 1 MR. LANDERS: What time displacement? 2 [MR. DOYLE:] Of the concrete. When you 3 4 first put it in and pour the forms, you get a certain displacement. As time goes on, you'll get additional 5 displacement. It's rather rapid for the first year or 6 so. In the next five or six years, you're getting some, 7 although it's not as much as you're getting in the first 8 9 five years. 10 MR. LANDERS: Have you seen this kind of time dependent displacement in the nuclear power plant 11 with the kind of reinforced slabs that we have? 12 13 [MR. DOYLE: No, I have never seen it. MR. LANDERS: Have you seen the 14 15 displacement occur over -- I can understand what you're talking about with a simple poured slab on a tray, but 16 when you're talking about a slab that, in fact, only has 17 18 concrete in it so you won't fall through and catch yourself on the rebar, I'm a little concerned if you're 19 20 worried about time dependent displacement of a slab. 21 MR. DOYLE: Well, if you put the column 22 in and get a craftsman and he puts it in rather tight, it doesn't take too much beyond tight to make it fully 23 24 engaged. 25 MR. LANDERS: I understand. That's

\*

K KENNEDY REPORTING SERVICE INC. 7500 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (\$12) 456-3297

another issue. But I want to make sure about this time 1 2 dependent displacement. [MR. DOYLE: I'm not talking of 10,000 or 3 15,000. I'm talking about they put the plate up here 4 which they usually try to get it all snug; otherwise, 5 then they're going to have to pull the bolts and bend 6 the plate. So they try to get it as accurate as they 7 can or as tight as they can. 8 Now, you get even a tenth of a thousandth, now 9 10 you're tight. Now you get the seismic displacement of 11 even a thousandth of an inch on a large column, which is 12 essentially a pipe support but now is going to take 13 building loads. You have to account for what will 14 occur. 15 MR. LANDERS: Okay. 16 DR. CHEN: More along those lines. In 17 the case of zero clearance box frames, where the 18 pressure displacements -- and again, this order of 19 magnitude -- would you say that for a conservative time, 20 that they should assume that the stresses in loads will 21 occur for infinitesimal displacement? 22 MR. DOYLE: I'm lost. You say box 23 frames? 24 DR. CHEN: Yes, where the differential 25 displacements again of similar magnitude, are you saying

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 (512) 456-3297

that for conservatism the analysis should assume that 1 2 there is no slop between the pipe and the box spring? [MR. DOYLE: Oh, I see what you're saying. 3 4 You're getting thermal growth. DR. CHEN: Right, at the unstable 5 6 support. MR. DOYLE: Okay. Yes, for conservatism, 7 because Applicant himself assured us that there is no 8 9 tolerance, then there was no tolerance, zero net zero. 10 I guess what they do is really wedge it in there. 11 DR. CHEN: Well, in the case of the zero times box frames, they did assume that zero meant zero? 12 13 MR. DOYLE: Yes. 14 DR. CHEN: This summary disposition is 15 basically open. MR. DOYLER 16 Yes. 17 DR. CHEN: That's all I have. 18 MR. POSLUSNY: Okay. Before we change 19 topics, I wanted to see if Mr. Walsh or Mr. Doyle wanted 20 to add anything or make any comments in general about 21 this first section or perhaps --22 MR. DOYLE: What's the next section? 23 MR. POSLUSNY: The next section we're 24 going to talk about is cable tray supports. 25 (MR. DOYLE:) What I have is a list. The

R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 - V. AUSTIN, TEXAS 76757 S (512) 458-3287

133

1	vast majority of it is stuff that has been discussed,
2	and there are points, and I put it into various
3	categories. Some of them we have discussed already.
4	What I would like to do is read it into the
5	record and then it's all in one place, and then
6	Applicant can look it over, he can disagree. Like I
7	say, a lot of it not a lot of it, but there are many
8	points which could be classed trivial alone, which means
9	that when some of the major points are cleared up, then
0	these might go away, some of them might go away. But
1	they can't go away until we get the plant into a
2	condition where when you read a stress ratio of .6, you
.3	can be fairly certain that that is the stress ratio in
4	which case you can now write off.
.5	And we
.6	had:
7	(a) We had box frames both with struts and
8	snubbers.
9	(b) We had U-bolts with struts and snubbers.
0	And these are all in the condition that they were back
21	three years ago; this is before all the fixes.
2	(c) We had U-bolts with two struts; for
3	instance, trapeze type of item.
4	(d) And then we had the one that I was
5	showing earlier, the clamp with a one trunnich eccentric

R RENNEDY REPORTING SERVICE INC. R 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297 134

ARG

to the pipe, which is more of a system stability in that 1 the pipe has to torsionally support -- it works in 2 combination with the pipe. 3 4 And then there was -- under (e) I put structural frames of the gang hanger type which was 5 strut supported and had thermal displacements out of 6 plane. And the one I listed as an example is 7 CC41-710-A63. And that is in our 669B. 8 Over the time we have had fixes on these. The 9 first fix was (a) brackets that were placed at the upper 10 end of a particular strut which was supposed to stop the 11 strut from rotating and thus prevent the instability. 12 13 But unfortunately, a strut is so long and the brackets 14 were so small that we picked up some horrendous moments, 15 at least in our finding. 16 And (b), they put clip angles in to hold the 17 U-bolts around box frames; and they were, of course, 18 overloaded, particularly when you talk numbers like 84 19 pounds of torque. And (c), they had lugs to stop the arial but 20 it didn't stop the walking. 21 22 (d) They instituted a double strut program 23 to stabilize the box frames. Then they still ended up 24 with an axial to the type of an instability in the 25 finding.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 W AUSTIN, TEXAS 78757 5 (512) 458-3297

(e) They placed bumpers to replace the strut 1 2 bracketry. And then (f), they shimmed the box frames to a 3 zero inch gap which created a thermal impression in the 4 5 screen. And (g), they went to cinching up of the 6 U-bolts, and that we all know is still an open item. 7 Even if that one is solved as a method of solving the 8 instability problem, there is still the problem of 9 10 qualifying the U-bolt for the loads which are not in the manufacture's LDS. 11 And then the and the and the state of the st 12 13 int the man with the 14 (a) The self-weight excitation of the hardware 15 is not taken into account. 16 (b) The swing angle of struts and snubbers 17 were down under five degrees, is assumed negligible. 18 (c) Friction loads, when they're under a 19 16th of an inch. 20 (d) The load differential, including the 21 snubbers, which is what we just went over, due to 22 stiffness differential in two independent frames; and 23 also the inability of the snubbers to lock up precisely 24 at the same acceleration. 25 (e) The actual section properties, KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346 .W R AUSTIN. TEXAS 78757

(512) 458-3297

S

particularly for the large holes for one and a half inch . diameter Richmond bolts which is mostly all removed from the extreme "Y" distance.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

And (f) was hanging the supports literally off of Richmond bolts, particularly in the case where they are using only one tube and then cantilevering or hanging off of that single tube.

3, under Hardware: The crossbars were used for cinching down U-bolts, not necessarily tube steel as has been discussed in the analysis. One of them may be noted on CC-008-006 where we had a span of 14 inches, 7,500 pound load, on a three-quarter by 3 inch bar, piece of bar stock, which obviously was overstressed. I believe they replaced that two or three years ago.

(c) Double axial restraint -- looks like I have repeated this one -- load distribution relative to stiffness.

And (d), thermal rotation about the "Y" axis in the horizontal run, delivering different distribution and intensification to the snubbers, struts. AD.3

And And Descention

(a) Excessive deflection of the bolt in the 22 Richmond, alters the stiffness of the support. 23 24 (b) Bending in the bolt. (c) Bearing joints are not acceptable for 25

w and a state of the second state of the secon

KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346 .W R AUSTIN. TEXAS 78757 (512) 458-3297 S

ı	dynamic loadings.
2	(d) Shear loads are not based on proper
3	distribution since all bolts are not active
4	concurrently.
5	(e) The Mz moment in the tube steel which
6	induces prying action was not considered.
7	(f) Incorrect procedures for coupling of
8	torsion from the bolt, particularly, as Dr. Chen pointed
9	out, on those with eccentric holes.
10	And some of the local effects that are not
11	considered now, these are some that were brought up
12	earlier. I think these have been repaired 16-inch
13	diameter diaphram, CC-08-709.
14	(b) The tube wall of an 8 by 8 by quarter inch
15	tube steel yielded.
16	(c) The failure of a W6 by 12 light beam
17	at CC-028-039; that was a stability problem also.
18	(d) Failure of the plate I already
19	mentioned that one. That's that one with the
20	three-quarter by 3 inch.
21	(e) Torsional problem with CC-107-008.
22	That's the one the load went up 660 percent.
23	I think all of those plus there was the
24	failure of the clip angle, and I think those have all
25	been fixed.
1.1	

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

138

(f) Calculation -- oh, in their calculations, we found this particularly with the Phases 1 and 2. They have supports as short as three inches and four inches deep, and they're analyzing them flexionally; whereas, the real problem was in the clamp. The flexural analysis of such short beams is not conservative, most generally.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

Rationally because of the shear lag, you'll literally have a plate with a gusset behind it. Where this will particularly show up is not so much the support itself but in the weld, because the load is delivered to the weld. You have to have yielding in the area where it is loaded before it will move on up the line.

We had a problem with the skewed welding. One of the problems, Applicant in the closed angles of less than 60 regrees as opposed to the open angles, Applicant analyzes them as a groverweld which, in fact, they are.

However, you run into a problem there. You are putting a vast amount of weld material relative to base plants with a very short phased diameter. So they exceed the usual criterion of face of weld over depth of weld, keeping it between 1 and 1.4. This can create a problem with internal cracking, and internal cracking is

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 346.W AUSTIN, TEXAS 78737 S (512) 456-3297

something that visual inspection will miss. There is no way to pick it up.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

.

When we were looking at the same Cygna calculations, we could find no calculations for the pads which were integral with the piping nor the effect of trunnions on such pads.

There was several supports. If you would like to see an example, I've got them with me. When they take a piece of tube steel and they put two flared double welds to a base plate horizontally -- the two that's sitting horizontal to the base plate -- they would put a bracket for a strut or a snub-up and load it. They analyze it as a beam. Unfortunately, the 1/d of those is usually less than 2.

15 But, worse than that, what we're into here is 16 more of warping, and they never considered that as --17 side walls are taking all of the load ready because 18 we're delivering a load from here down to the welds down here. You have to transfer it to the side walls. And 19 20 every one of those I've seen have been analyzed. I have 21 two or three if you would like to see what they look 22 like.

23 Punching shear: The Applicant at one time 24 thought that if he made the cumulative thickness of 25 throat area of the weld equal to the thickness of the

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 (512) 458-3297

tube, that he had no punching shear problems. But as Dr. Chen pointed out and, Mr. Terao, I believe you said that they are now doing the AWS Section 10 procedure.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

And U-bolts, when they're put in as one-way support but ultimately end up with a two-way load on them, in addition to the load from the one or two-way, you still have friction there. And I have never seen friction considered on any of the U-bolts at Comanche.

And unfortunately, once you get into friction, particularly if it's on a hot plate, you could also actually get into a binding and create yourself an anchor.

Cinched-down U-bolts, the loads exceed the manufacturer's LDS allowables and therefore have to be requalified if they're to be used for procedures other than acceptable to the manufacturer.

The bolts, the U-bolts that pass through tubes, particularly on thin-walled tubes and are bolted to the far side, you have a pull-through problem and a very serious local problem there. For that matter, that's the one that took the Kansas City Hyatt walkway out. The bolts just literally pulled right through.

Also this could have an effect on your pre-torqueing. But if you yield that area, the plant has to last 40 years. And if it gets intermittent loads

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 346.W AUSTIN, TEXAS 78757 5 15121 458-3297

and plant transients, you could yield much the same as we found with that PSA phrase by quarter. You yield the walk and you have got your present load and you are back unstable.

1

2

3

4

5

6

7

8

9

.

And loads on the pipe affecting local stress, half the hardware plus the clamps are actually acting as masses on the pipe, and particularly where you have U-bolts that are hung on large structural box frames, beams, Y flanges, et cetera.

Another area is angular struts. We found some that were angled as much as 39 degrees, but there was no component. If they were taking a vertical load downward and they were sitting at 39 degrees, there was no horizontal component considered.

The cinched-up U-bolts, we never received what the effects -- the total effects are, particularly insofar as the bending at the upper portion of the bolt. You've got the old 1931 Sealy where they used to have to analyze the chain links, you know, see an example of what occurs when you try to bend a curved beam.

And the box frames, of course, I didn't agree with most anything that was done on the calculation there because in the first place they had temperature at the area where it contacted the pipe varying outward. They had a different temperature at the top of the box

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

beam varying outward, so you had differential temperatures top-to-bottom which induces bending which was never considered in the formula. You have gaps, air gaps which are infinitesimal, but in many cases they equal more than the thickness of the steel that you're considering as far as heat transport, but there are many things that didn't look too swift about that.

1

2

3

4

5

6

7

11

20

21

22

23

24

25

Additionally, I think there are more severe 8 9 problems in the box beams and the thermal pressure and loading is at the welds, right at the major section 10 itself.

12 And then the one that Dr. Chen was discussing, 13 there are many anchors that have opposed trunnions and 14 then they are locked fairly tight. As the pipe expands, 15 all of the thermal expansion is taken up as loads within 16 the structure itself. And they have been considered 17 recently by the Applicant, but I don't know what I have 18 to say about them. I wasn't particularly pleased with 19 the approach.

AD and then the one we just got through milding load on support member discussion wall-to-floor, calling-to-floor, wall-wall, on't hink I have to and on that Τ We et colera. just went through. And also they act as a seismic restraint.

> KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD - 346 - W R AUSTIN. TEXAS 78757 (512) 458-3297 S
Stiffnesses, the actual stiffness versus the generic stiffness. Many places, what they're doing to solve that particular problem, rather than worry about the actual stiffness, is to use a lower generic. Of course, the trouble when we get into these higher generic stiffnesses, go through and sample and find out AD-11 where any soft supports are.

1

2

3

4

5

6

7

8

9

10

11

12

manmately a water of the state to comply by the code as long as you develop a code of your own, one that's acceptable, and particularly in the case of undersized welds.

maized welds

The purpose of the provision in AWS, ASME, 13 AISC, they all have the mc -- everybody carries the same 14 provision, is for a pre-qualifying weld. If you do 15 16 that, then you can visually inspect it, and you're on your way. If you don't do that, it doesn't mean you 17 have to take the weld out, you don't have to make a wash 18 19 pass. What it means is, you just have to go into a volumetric examination. If there are no cracks, the 20 21 weld is great. That's the end of it.

22 That's the same as with plug welding. If you 23 can see the plug welding was done improperly and it's 24 proper, the weld is fine. You don't have to go and render it out and put a whole new weld in. You have to 25

> KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346.W R AUSTIN, TEXAS 78757 (512) 458-3297 S

144

Ser. 1.4. 84

ſ	
	do a volumetric because on many occasions the cracking
	turns the material to shrinkage.
	Then the welds where you attach tubes,
	particularly circular tubes and you drop below the
	one-third Beta consideration, it is not really
	sufficient to say, "Okay. I won't count the welds out of
	this particular area," because it will receive stress.
	If it cracks, then you have a whole new
	problem again. You have a problem of cracked
	propogation. You have a notch. In your weld, you start
	with a notch. So you just don't disregard the fact
	that, "Well, it's not going to work but it's going to
	break out there so I won't count it."
	And we addressed Appendix XI as long ago as
	in fact, in my summary disposition, I heard nothing from
	the Applicant in any respect on how they are complying.
	I brought in two support this bad rigid frame
	something wrapped right around a Class 2
	the the had it so that was the minimum had
	never heard if that was a real problem or if that was an
	isolated incident.
	MR. TERAO: Excuse me, Jack. Is that
	Appendix XI or Section 11?
	DR. CHEN: You're thinking of the

C

R AUSTIN. TEXAS 78757 S (512) 456-3297

inspection requirements?

1

2

3

4

5

6

7

8

9

10

MR. DOYLE: Yes, right, in-service inspection requirements.

And anybody that's read the first motion found that -- well, Cygna found that 78 percent of the calcs they went through all this iterative process in which we were assured, you know, and done by the best people in the world, wound up they had major calculational errors even at a point where one of them had to be -- one of the supports had to be reworked.

And as I just got through mentioning, I found that the upper lateral restraint was no good. The guy went through 40 pages of calculations and blew it. And the moment restraints, they used the wrong k factors for the attachments to the concrete. And, of course, there was a diaphragm, et cetera.

17 So I found that there was a large number of 18 calculational errors. And the thing that's so alarming 19 about that particular problem is, they were alerted to 20 the fact that, you know, we were on their back and they 21 were going through a number of iterations to check to 22 make certain that there were no problems; yet, the 23 problems somehow slipped through. So that if they 24 intend certification -- like I say, Cygna found that 78 25 percent -- actually, the number is much higher than

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, 1 2XAS 78757 5 (512) 458-3297

that, but there were a lot of trivia. I didn't even bother to catalog them.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

But of the problems that could be considered significant, particularly generic, 78 percent of the calculations contained problems in fundamentals. The guys didn't know how to calculate a weld on a line basis, composite section, fairly serious problems.

That's about all I got to say. But at least it will put it all in one box. You don't have to go through 15,000 pages -- there are a few new items here, but really not that many. Anybody that's been around is aware. We get lost in the shuffle, we'll mention something, then we get onto something else and that gets forgotten. Two years later you say, "My God! I got Appendix XI, forgot all about that one."

MR. TERAO: I would like to clarify one thing, Jack, on the punching shear where I may have misrepresented what the Applicant is doing. The Applicant is using or has used Section 10 of the AWS code to evaluate punching shear on those supports which had a chord thinness ratio greater than, I believe, 10. Those were the supports that the Staff were concerned with. Punching shear is a problem.

(MR. DOYLE:) Well, most generally you are correct. If you take a 2-inch and put it into a

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 - WA AUSTIN. TEXAS 78757 S (512) 458-3297

1 12-inch, almost regardless of what the thickness is, 2 you're in trouble. If you take an 8-inch and put it 3 into a 10-inch, most generally you don't have a problem. 4 MR. TERAO: Maybe we should discuss that 5 a little bit more because the punching shear that you 6 have just mentioned -- in other words, the Beta factor 7 of, say, a 2-inch support or 2-inch tube steel on a 10-inch or a 12-inch support does not reduce the 8 9 punching shear capacity on that support. The critical 10 element is the chord thinness ratio, which is the ratio 11 of the tube steel thickness --12 MR. DOYLE: D to D. 13 MR. TERAO: -- and not the ratio of the 14 small area onto a --15 MR. DOYLE: Yes. Then it's only .6 of 16 that. 17 MR. TERAO: -- larger support? 18 [MR. DOYLE: ] Yes. That is .6 of that. 19 But where I have found from my own personal 20 calculations, where I get into the most problem is when 21 I did get wide -- when my Beta ratio was under five. 22 Then all of a sudden I started getting into problems. 23 And, if they were straight angular, you pick up the same to assist you. 24 25 MR. TERAO: Well, as I read the Section KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD - 346.W R AUSTIN, TEXAS 78757

S

(512) 458-3297

10, then, that Beta factor increases and can only 1 increase the allowable; it does not decrease the 2 3 allowable? (MR. DOYLE: No. We just start out with a 4 5 .6 times the D/2T, divided into FY, times AFB2 --6 whatever it is. That gives you your allowable. And in many of our cases where we're using thin wide members, 7 8 the allowables got down so low that we ran into a 9 problem. So whenever I get into a Beta of under 5 with 10 a wide thin member, I generally wound up with problems. 11 MR. TERAO: I would agree that if you had 12 wide thin members, that Beta can exacerbate the 13 situation. MR. DOYLE: Yes. 14 15 MR. TERAO: But if the chord thinness 16 ratio is below 7, even the paper by Toe Crack 17 (phonetically), which, of course, gave the basis for 18 punching shear, says that the material has its full 19 punching shear capability, has its full shear 20 capability, and that the Beta factor can only help you; 21 in other words, when you have Beta greater than I 22 believe .5, then your allowable can actually increase. MR. DOYLE: Yes, sir. 23 24 MR. TERAO: For Beta less than 5, you 25 follow the Beta view of Section 10. It just says use a

> K KENNEDY REPORTING SERVICE INC. 780C SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 (512) 458-3297

1	factor the 1.0.
2	MR. DOYLE: Yes.
3	MR. TERAO: It does not decrease your
4	shear capacity.
5	MR. DOYLE: Yes.
6	MR. TERAO: Another area that I just
7	wanted to ask you a question on as an engineer. It has
8	to do with the five degree swing angle you mentioned.
9	MR. DOYLES Yes.
10	MR. TERAO: Recognizing that construction
11	and design, you have to have tolerances, the five degree
12	swing angle appears to be standard industry practice
13	MR. DOYLE: Oh, yes.
14	MR. TERAO: for accepting a support
15	installation. Why is there any particular concern on
16	Comanche Peak for installed less than five degrees?
17	MR. DOYLE: Oh, no, that's not the point.
18	There is a component. Because you're at five degrees,
19	you pick up .085. You pick up .085 of whatever your
20	vertical load is, which puts a horizontal load into your
21	structure which in many cases is not even included in
22	the calculation. Somebody has the idea that since the
23	codes or the guidance says you can go to .05, no sweat,
24	then that means you don't include that component. But
25	that component can be the straw because .085, if you've
1	

Π

(

.

. 1

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN. TEXAS 78757 S (512) 458-3297

1 got a Size C, BIET 211, 4,500 pounds down, just to round it off, you've got 450 pounds which is eccentric to the 2 3 centroid of the beam which is not included in the 4 analysis. That all gets back to your weld. Do see what I'm saying? 5 MR. TERAO: Yes. I understand what 6 7 you're saying but I also -- I don't understand why the 8 situation is any different at Comanche Peak than at any 9 other plant. /MR. DOYLE: Well, most places I worked, 10 11 they include -- whatever the swing angle is, you take 12 the component and put it into the analysis. 13 MR. TERAO: I guess the point I'm trying 14 to make is, in any other plant, the five degrees is a 15 tolerance, is it not, if not a tolerance that people 16 have that they don't have to evaluate the effects if 17 this board is installed five degrees or less than the 18 design shows? [MR. DOYLE: No, no. Most of the places 19 20 I've worked, whatever that angle is, you take the 21 component it will deliver at the bracket, put that into 22 the weld for the bracket and put it into the tube steel 23 or whatever you're attaching. 24 MR. TERAO: That seems to defeat the 25 definition of what a tolerance is.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN. TEXAS 78757 5 (512) 456-3297

MR. DOYLE: No, but the tolerance is not 1 2 to eliminate loads. The purpose of the tolerance is to prevent you from binding up the strut between the 3 bracket and the pin. 4 5 MR. TERAO: Well, that's the 6 manufacturer's tolerance that he imposes for that 7 particular problem. But I'm speaking of the industry 8 tolerance to reconcile design and construction. 9 (MR. DOYLE:) No. I'm talking of the swing 10 angle which is incorporated into the design to overcome 11 the thermal movement, It is not a tolerance for the 12 field. It is put in to compensate for a condition which 13 exists, the fact that it's going to move that away. So 14 what you do is, you offset in your design. Now when you 15 heat up the pipe, now you are vertical. 16 Do you see what I'm saying? See, if you put -- if we went out here to 17 18 Comanche and put every single strut plumb, as soon as 19 the plant heats up, now you have put a component in 20 there you don't want. 21 So what they do instead, just about -- I can't 22 think of any place I've ever worked where they don't do 23 it -- you find out what the pipe movement is and you 24 offset it so that your bracket is now setting where the 25 node point will be at hot operating conditions.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 S 1512) 458-3297

MR. TERAO: Is the concern, then, that in addition to the five degree tolerance, you can have thermal movements which can exceed that five degree tolerance?

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

25

MR. DOYLE: Because you tell the man to set it at a specific angle in order so it will thermally come back over to where you want it. If you don't do that, then under hot operating conditions, you've got the thermal movement carrying the clamp out from under the center of the particular support. So now you've-got this angle in here during hot operating conditions which is putting the component into the support.

That component can be pretty healthy; like I say, .085 times whatever the vertical load is. If it's a larger support -- say you have got 8,000 pounds, got 800 pounds, and that's not only a bending moment here, it puts a torsion here, puts a bending moment on the weld, creates all kinds of additional loads in the system.

20 MR. TERAC: All right. I think I 21 understand what your concern is.

One more area which has to do with the bending on the upper curved portion of the U-bolt. You said that the stresses can be four times larger.

MR. DOYLE: No, no. I said, you know, I

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK SLVD - 346.W AUSTIN, TEXAS 78757 S (512) 456.3297

<pre>1 think. I don't know. Man, I'm pulling from 2 years ago. 3 MR. TERAO: Several factors 1 4 MR. DOYLE: Yes, much larger.</pre>	arger?
<ul> <li>2 years ago.</li> <li>3 MR. TERAO: Several factors 1</li> <li>4 MR. DOYLE: Yes, much larger.</li> </ul>	arger?
<ul> <li>MR. TERAO: Several factors 1</li> <li>MR. DOYLE: Yes, much larger.</li> </ul>	arger?
4 [MR. DOYLE:] Yes, much larger.	That, of
	211407 01
5 course, is peak.	
6 MR. TERAO: Right. That was	the point I
7 was going to make. That is a peak stress.	
8 MR. DOYLE: Right.	
9 [MR. DOYLE:] Of course, it's d	lerived
10 analytically. If that peak stress, of cours	se, shows
11 very high stresses, one might assume that th	e analysis
12 is telling you that the U-bolt is going to f	ail. But
13 the Applicant has done testing of the U-bolt	s in this
14 is testing by ITT Grinnell in that summary d	lisposition
15 on U-bolts acting as two-way constraints. T	hey have
16 actually tested the U-bolts to	
17 MR. DOYLE: Well, before we e	even start,
18 we know that. All we have to do is go to IT	T Grinnell's
19 handbook and it says right down there at the	bottom of
20 the page that these loads that you're recomm	ending and
21 in the LDS these loads that you're told to u	ise have at
22 least five-to-one safety factor.	
23 When I go to build this building r	ight here
24 and I put a piece of steel in there, I am al	lowed to go
25 to 22, 24 ksi. I know I can put 26, and it	ain't going

T

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

1 to fall down. You have to justify going over what the 2 LDS says or what the building code says. If I come down 3 to the Building Code Committee and tell them, say, "Hey, 4 I just built a building, and it's 28 ksi. But that's 5 okay because I know and I can prove and I can show by 6 tests," they don't care.

7 MR. TERAO: I guess that was the point I 8 was trying to make here, is that when the Applicant has 9 now gone to lengths to test these U-bolts to tensile 10 failure, there appears to be a good justification why 11 the peak stress on these U-bolts, at least in the curved 12 portion, should not be a concern and one should then 13 look more at the test results to tell you where these 14 U-bolts are going to fail, rather than the analysis.

.

MR. DOYLE: In the first place, I don't think too much of the test results. To do a proper test result, the first thing you have to do is get the actual tensile capability of the steel. What you get from the plant is a high speed test. It gives you the upper yield limit for starters. So it's not necessarily the yield point at which you are concerned.

Second, you have to have the exact physical properties and mechanical properties, and then you have to ratio that. You multiply those two factors, then you come up with another factor based on the fact you only

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

did so many tests. You multiply that. 1 Now, you're sitting at your ultimate logical 2 load. Then from that you work backwards and find out 3 4 what you rely on. 5 But the fact that his U-bolts went up to such 6 and such doesn't surprise me at all. They also 7 deflected an inch and a half or two inches before they 8 failed. 9 MR. TERAO: I think I would like to 10 clarify that point, too. 11 We have discussed this with -- as far as the 12 inch and a half and 2-inch deflection -- we have 13 discussed this with the Applicant and Grinnell and those 14 that testing that you -- those test results that show 15 those deflections were not only of the U-bolt. A U-bolt 16 itself, at its tensile, a Florence U-bolt at tensile 17 only deflected about a guarter of an inch. 18 It was really the test set-up that deflected 19 an inch and a half to two inches that was shown in those 20 plots different. 21 MR. DOYLE: So in other words, we're not 22 testing to the stiffness of the U-bolt, we're testing 23 for the combined stiffness of several items? 24 MR. TERAO: Well, it was tested to the 25 tensile failure of the U-bolt, but I just want to

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 W AUSTIN, TEXAS 78757 S 15121 458-3297

1 caution you not to be misled by what those plots show. This is not the U-bult --. 2 MR. DOYLE: That presents me with a 3 4 second problem: How can I answer things when they don't 5 send me the right numbers? MR. TERAO: Yes. 6 7 MR. DOYLE: We -- not me. 8 See, you're correcting me on something I know 9 nothing of. 10 MR. TERAO: That's true. I agree. We 11 just found out about it just recently. 12 MR. DOYLE: How can I answer it? I mean, 13 I am given a mass of information, and I worked my tail 14 off to answer it. And I am working on the wrong 15 information? This is insanity. I'm spinning my wheels. 16 MR. TERAO: Well, if you recognize that 17 the plots themselves were intended to show where the 18 U-bolts failed, the load at which the U-bolt failed; 19 that is valid. We can use it for that. But I just was 20 trying to caution you not to be misled by what the 21 deflection was telling you. It was not only the U-bolt 22 deflection, it was the test set-up deflection; whereas, 23 the clocks can tell you where, at what load the U-bolts 24 failed. 25 MR. DOYLE: Yes. But here again, we're

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 S (512) 456-3297

faced with a dilemma. I don't believe that ITT can be 1 considered an independent testing organization. I mean, 2 in order to evaluate the results of the tests, we have 3 to know precisely what went in and precisely what we can 4 buy because if I put in steel that tests out at 70 ksi, 5 but I can buy steel that will actually come out 54, 55, 6 56 ksi, then how can I rely on the test results? 7 So I have to have what the manufacturer 8 9 guarantees as his size and his ultimate capacity, SU, and the numbers that are based on this item, not the one 10 11 he tested on. We tested -- I don't know if you're acquainted 12 13 with International Nuclear Safeguards which were the 14 first ones to make snubbers, dry snubbers. We tested 15 their snubbers up at the 300 area or at the FFTF. 16 The numbers they gave us in several cases were 17 off by a factor of four because they were tested 18 improperly. They were tested in the first place 19 horizontally which already established which way they 20 were going to fail, which mode they were going to fail. 21 And then they bounced off the table, which gave them a 22 third point which is what we finally found out. 23 Also, the test data didn't supply enough 24 information that we could determine that on our own.

> R RENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 346.W AUSTIN, TEXAS 78757 S (512) 456-3297

That's why we had to go and actually do all of the

25

measurements to find out that this is exactly this, the 1 2 yield of the material or the element of the material is 3 exactly this, and get all the exact precise numbers. 4 Then we did it in an environmentally-controlled area. 5 And when we come up with the new numbers, as 6 you're well aware, we throw them all out. So in order 7 for me to evaluate what somebody is telling me, I would 3 have to have the precise information of what he did 9 because I can only go from what I got. What I got told 10 me it was deflecting all over the place. 11 This is the first time I heard about that. 12 MS. ELLIS: I think that Jack has hit on 13 one of the things that I wanted to comment on at the 14 end. I might as well go ahead and mention it now, and 15 that is that one of the things that we need to get is 16 the same facts and documents the Staff has seen on some 17 of this stuff. And in a lot of cases, we don't know 18 what you've seen. We're not operating from the same 19 data base that you are in some of the instances. That's 20 a big problem. MR. TERAO: I do want to point out, you 21 22 have everything that we have. What I was referring to 23 with this last testing is something we just found out 24 this week, and the Applicant is sending that in, and 25 you'll get a copy and we'll get a copy. But it was

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 (512) 458-3297

something that we found out from an informal discussion, 1 that then we told the Applicants to document it and make 2 sure that you get a copy and we get a copy. But it take 3 a long time for us to get this particular point out in 4 5 the open. MR. DOYLE: No. But you see, my point is 6 7 that I did something -- what? -- five months ago. Now all of a sudden I find out I didn't have all the 8 9 criterion. MR. TERAO: I understand. But as far as 10 Ms. Ellis' concern, you have everything we have. 11 MS. ELLIS: Or will have it. 12 13 MR. TERAO: I think you have more than 14 what we have, a lot more. 15 MR. DOYLE: I do. I've got rooms I can't 16 get in. 17 MR. BOSNAK: Jack, I had a point there 18 that I wanted to clarify, to make sure I understood what 19 you were getting at. It was in the area of undersized welds. Let's just say that the minimum size is 5/16ths, 20 21 and I go along with the full weld gauge, and I assme 22 you're talking about full welds? 23 MR. DOYLE: Yes. 24 MR. BOSNAK: And I find that it's a 25 couple of mils under. What were you getting at because, K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD . 346 .W R AUSTIN. TEXAS 78757

(512) 458-3297

S

1 as you know, it's very difficult to volumetrically 2 examine a full weld? MR. DOYLE: No. I'm not talking of a 3 4 couple of mils under. What I'm talking of, where the engineer puts on the drawing, "Use guarter inch." And 5 if a quarter inch is incorporated in the field, it's in 6 7 violation of whatever one you want to use -- ASME, AISE, 8 AWS --MR. BOSNAK: So you weren't getting at 9 10 the fact that it might be --11 (MR. DOYLE: No. For that matter, you can 12 be a 16th of a inch under for 10 percent of the wall 13 length. Beyond that, there is discussion now in the 14 industry that if it's good for 10 percent under for --15 or a 16th under for 10 percent, why not give it 16 tolerance and say that a quarter inch minus a 16th, plus 17 or minus a 16th? So I don't get overly concerned with a 16th 18 19 under. Where I really get concerned is where you've got 20 a 2-inch plate, two and a half inch plate and all of a 21 sudden somebody has got a 3/16th weld on there, you've 22 got a heat sink in there that won't guit. You could crack the roof. 23 24 MR. BOSNAK: Okay. I understand what you 25 were saying. Before it sounded like you wanted to K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD . 346 .W R AUSTIN. TEXAS 78757

S

(512) 458-3297

11	
1	examine almost any undersized welds, volumetric or
2	MR. DOYLE: No, no, no.
3	MR. BOSNAK: Okay.
4	MR. DOYLE: I'm talking of the
5	intentionally installed by "intentionally," I'm
6	talking about some designer gets up there and has got a
7	14-inch Y flange, 426-pounds, and, "Here. Use a
8	3/16ths. That's all I need." You can have some very
9	serious problems, be it heat effective zone or the roof.
10	MR. BOSNAK: Right.
11	(MR. DOYLE: But what I was saying is,
12	though, doesn't mean you're going to put a wash pass
13	over it or cap it. All you have to do is prove it
14	didn't crack. If the weld isn't cracked, the weld is
15	fine.
16	In the aircraft industry, a lot of times
17	they'll have a they'll take a piece of thin plate to
18	a big thick piece of plate, very thin, then weld on
19	there. But they make sure it's not cracked. If it's
20	not cracked, it's a great weld.
21	But if you go in and they put less than the
22	same volume of medal back on as a cap or wash pass or
23	whatever you want to call it, you've intensified the
24	problem. You have done it twice now. So if you didn't
25	crack it the first time, you could have cracked it the

KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 S (512) 458-3297

1	
1	second time.
2	Like I say, a 16th inch doesn't concern me.
3	But if you've got a 16th inch urder and then somebody
4	goes a 16th under that, now you've got a real serious
5	problem.
6	But the codes do carry a little fat. One of
7	them is, is that 10 percent you can be under.
8	MR. BOSNAK: Okay.
9	MR. POSLUSNY: Do you have any comments?
10	MR. FAIR: Yes. I had a couple of
11	clarifications.
12	Going down your list, you mentioned something
13	about holes for Richmond inserts and section properties.
14	MR. DOYLE, Yes.
15	MR. FAIR: You didn't comment and I don't
16	believe it was mentioned in your response to their
17	summary disposition.
18	(MR. DOYLE:) They probably didn't respond
19	to it. That's a long standing argument. What they do
20	is, you take a piece of tube steel, you go put a one and
21	a half inch diameter bolt through there so they cut out
22	a bolt hole that's maybe one and three-quarter inch.
23	That's all your extreme fiber is gone or a large portion
24	of it.
25	And you'll find that if you analyze it, it

C

R AUSTIN, TEXAS 78757

163

comes out as much as 40 percent under that. That is the 1 2 section property you thought you had. 3 MR. FAIR: Is your concern that they don't consider the bolt holes in the stress calculation 4 at all? 5 MR. DOYLE: That's right. 6 MR. FAIR: I recall reading that from the 7 8 original Findings of Fact. And I think it was back 9 about a year ago I had asked the Applicants to give me a 10 sample of a calculation where the bending moment was at 11 the location of the hole and they did submit that. And they did -- at least the calculation they submitted, a 12 13 sample calculation doing a code type of stress 14 evaluation. That is, if there is a certain percentage 15 of the fibers gone where the hole location was, they 16 recomputed the section modules at that location. 17 [MR. DOYLE:] I was out there for over a 18 year and a half, and the only analysis they took was the 19 one right off of the STRUDL. I have never seen one 20 analyzed for a hole -- I'm not going to say there 21 aren't, but I didn't see any calculation. As a matter 22 of fact, I've only seen a dozen, two dozen calculations. 23 (MR. WALSH:) In regards to that very 24 problem, I think it was a year and a half ago, in one of 25 the affidavits that we turned in or something -- and

> KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 (512) 458-3297

1 maybe it was from the Findings -- that the Applicant 2 noticed it and John Finneran wrote a potential 10 CFR on 3 that item. So he may have pulled it out of the findings, I don't know. But it's only been since that 4 5 time the potential was written that they did start considering it. Before then, they did not consider it 6 7 as far as I know. There was no evidence in the 8 potential 10 CFR that they had, and I forget what the 9 closure was on that. MR. FAIR: Just to understand --10 11 DR. CHEN: I spoke to John about that, 12 and I called it 50.55(e) related to this issue. It's my 13 understanding that it's a slightly different issue. I'm 14 going to have to dig up the 50.55(e) to see exactly what 15 it is. 16 MR. FAIR: I just want to follow up on 17 the guestion. Since you hadn't mentioned it in response 18 to a summary, I had presumed that you had been satisfied 19 on this particular concern. [MR. WALSE:] In regards to that statement, 20 21 we were only given a week essentially to respond to 22 this, and this covered a lot of territory. We just 23 couldn't sit down and cover everything we wanted to. It 24 was just impossible. 25 Like the design QA, I just came to a point I

> KENNEDY REPORTING SERVICE INC. 7500 SHOAL CREEK BLVD. 346.W AUSTIN, TEXAS 78797 S 1012: 456-3297

just had to quit because it was not enough time. MR. FAIR: I understand that. I just wanted to follow up on it. In discussing the modeling assumptions for the Richmond insert tube steel connection, the Applicants

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

have stated that they generally considered what you called the Mz moment pin connection in the model. And therefore, unless you had a continuous beam where you had two loads giving you an additive moment, you might generally not get large bending moments at the location of the inserts. And I just wanted to know if, when you were doing these calculations, and you came across a high bending moment or did you come across a high bending moment at the location of the insert where you didn't look at the stresses?

16 MR. DOYLE: No, we weren't doing that. 17 All we were doing, we were doing the STRUDL import. If 18 the numbers at the back of the page looked all right, 19 that's as far as we went. If it came out that you were 20 getting 100 ksi, stop right there. But if the numbers 21 were all right, we didn't get concerned over any of the 22 problems with the design of it. That wasn't our 23 function at all.

24 MR. FAIR: Were there many instances of 25 cases where there were high bending moments at the

> R KENNEDY REPORTING SERVICE INC. 7600 SHOAL CREEK ELVD - 346-W AUSTIN, TEXAS 72757 5 15121 456-3297

1	location of the
2	[MR. DOYLE:] We didn't even go that far.
3	All we were concerned is that it go over stress. And I
4	don't think in retrospect that I would care. I had
5	already created quite a few waves out there. I don't
6	think I have ever cared to create more. So I just
7	looked at the stresses. If the stress is okay, that's
8	as far as it went.
9	I was in a particular spot. The guy I worked
10	for wasn't particularly interested in looking at
11	anything.
12	MR. FAIR: Just to follow up in a similar
13	light: Another issue you checked off your list was not
14	accounting for the Mz moment.
15	[MR. DOYLE] Yes. I am speaking locally
16	"X" axis and the "Y" horizontally, assume a horizontal
17	number.
18	MR. FAIR: Which is the bending moment
19	along the tube steel?
20	MR. DOTLET Right, the one that would
21	prying, what we generally consider prying.
22	MR. FAIR: Now, the Applicants' motion
23	was an attempt to demonstrate that that effectively was
24	a pin connection for the majority of their tube steel
25	insert locations using their standard families.
1.1	

Π

C

۰.

R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 348-W AUSTIN, TEXAS 78757 S 15121 458-3257

MR. DOYLE: It's a pin connection mainly 1 2 due to the fact that the bolt is yielding under the load so it will come away from the wall. So you can develop 3 a Beta angle in the tube steel. I can see that. But 4 then, again, they cut you back to another problem, that 5 bolts into the Richmond are rather soft. 6 7 MR. FAIR: I guess it's a degree of 8 relativity. [MR. DOYLE: No. But added to all the 9 10 other softness factors, some of the supports are 11 extremely soft. But particularly if it's one tube with 12 a support coming off of it. 13 MR. FAIR: That's the torsional moment 14 you're talking about? 15 MR. DOYLE:) Yes. 16 MR: FAIR: Which is different from --17 [MR. DOYLE:] No. It's different from 18 other one; that's true. But what I'm talking about is 19 one of the main reasons you can call it a pin 20 connection, you can develop the Beta angle at that point 21 where that bolt is going through because you're 22 stretching the bolt out. You don't have the whole fix. 23 MR. FAIR: I agree with you. That's what 24 their analysis was attempting to demonstrate. 25 [MR. DOYLE:] Okay. Now we get back to how KENNEDY REPORTING SERVICE INC. K 78CO SHOAL CREEK BLVC . 345.4 R AUSTIN, TEXAS 78757

(512) 458-3297

S

soft that bolt is. You develop that Beta angle in there. Do you see what I'm saying? If you have got a piece of 6-inch tube steel that is hardly even moving and you have bolts that are literally moving all over the place, the bolts are the key to what the stiffness of the support really is because you've got bending on these bolts, you've got shear displacement on those bolts, you have got stretch due to the tension between them.

1

2

3

4

5

6

7

8

9

12

13

14

15

16

17

18

19

20

21

22

23

24

25

10 MR. FAIR: Let me back it up a little 11 bit.

Have you still a concern on the Mz moment? MR. DOYLEY I don't know because I'm faced with two problems. If I say no, I'm not, and eliminate that one completely, now we get into a strange argument over the other problem of stiffness. So the two have to go together. It's much the same as the old thermal problem and the stiffness protlem. If you take advantage of the weakness of the one, you get into a problem on the other.

In other words, first, before we start deciding what is not significant, before I ever started I said a lot of this stuff is not significant provided that we get enough of the information into the support analysis so that now we can say, in fact, it is

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 (512) 458-3297

insignificant. 1 For instance, you take self-weight excitation 2 3 of the steel itself, that puts about 5 or 10 percent on the weld so that you'll find that the weld generally 4 ends up to be the critical point. If you take the mass 5 6 of hardware, and it happens to be a pretty big support, you'll find that adds a percent. 7 If you take a swing angle, that adds another 8 9 percent. And before you apply any load, you're using up 25 percent of your allowable. So for me to say that, to 10 11 get the swing angle, okay, now we got that out of the 12 way, forget the self-weight. You get that out of the 13 way. Pretty soon you have got nothing left. The 14 support is fine. 15 But in the meantime, you've discarded the 16 cumulative effect of a large number of minor problems in 17 addition to some serious ones. 18 MR. FAIR: I would still like to get back 19 to the one point. 20 (MR: DOYLE:) You are not going to get an 21 answer. You have my answer. 22 MR. FAIR: I would agree that it would be 23 inappropriate for the Applicants to compute a stiffness, 24 assuming you had a joint and it was fined. 25 (MR. DOYLE: But they were willing to do

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 S 19121 456-3297

1 it to prove that there was a theta development in there. 2 MR. FAIR: But back to my question. The 3 Applicants have done this evaluation to determine 4 whether or not prying exists at that joint for their 5 standard span lengths. Are you still in disagreement that you think that prying will exist? 6 7 MR. DOYLE: I am not going to say 8 anything on prying until we find an answer on stiffness. 9 At such point, it may be that we have to change all 10 those bolts to 325, maybe a different problem entirely, 11 because I have explained my position. There is enough 12 displacement that you can develop a theta angle. If you 13 develop a theta angle back here, you have no prying. 14 But for me to say that, "All right. I drop 15 it, all concerned with it," you are not going to get 16 that out of me because there is another factor involved 17 which is stiffness. 18 MR. FAIR: I'm trying to get out of you 19 whether you still had a concern after their submittance, 20 after their calculations, on whether their proof was 21 adequate or not, but there was not, in fact, prying. 22 MR. DOYLE: No. But what you're trying 23 to do is, you're trying to put it in piecemeal. See, I 24 know how Applicant thinks. As soon as I say that, 25 that's the end of that. Forget the joints; the joints

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 1512: 458-3297

1	are fine.
2	MR. FAIR: Well, the Applicants may try
3	to put it in piecemeal, but the Staff may think about it
4	differently.
5	And as I said in my summary on Richmond
6	inserts, I still had a concern with the Applicants'
7	evaluation being adequate for the frame structures where
8	they assumed the torsional constraint as fixed.
9	MR. DOYLER Uh-huh.
10	MR. FAIR: Which was both in terms of
11	stresses and stiffnesses.
12	MR. DOYLE: That's as far as I can really
13	go with it. I can state that if we have a weak bolt and
14	that bolt.moves up, then we have no Beta, and we are
15	simply supported, but contingent on the fact that we now
16	have a very soft number back there that's yielding
17	MR. FAIR: I would agree that it's softer
18	than the tube steel as far as deflection. I don't
19	necessarily say that that means it's a soft very soft
20	strength.
21	(MR. DOYLE:) It could be, particularly if
22	you've got a short couple this way and now you're moving
23	out here. It could be that even the dead bolt is in
24	trouble because your support may be moving down enough
25	that you've relieving load on this support and placing
	K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346 W AUSTIN, TEXAS 78757 S 19121 458-3297

1	the supports up and down.
2	MR. FAIR: Are you going back to the
3	torsional stiffness?
4	MR. DOYLE: No. I'm going back to the
5	stretch on these two bolts. Just for argument sake,
6	move this point out one inch, and you've got a
7	cantilever coming out there, now your support out here
8	magnified by the ratio of these two, you could be
9	relieving half your dead load.
10	I think what I'm saying is essentially the
11	same thing the Staff is saying. It's open until I get
12	all the answers to that.
13	MR. FAIR: I was trying to determine
14	whether there was something specific
15	[MR. DOYLE:] No, no, just part of the
16	overall before I started, I said a lot of these are
17	trivia, a lot of them if I had at least 25 percent of
18	them on a given job, I could probably write them all off
19	because I would have stress ratio here of .1. I've seen
20	them for .0. I've seen them less than .1 for stress
21	ratios.
22	All of a sudden, I got a self-weight
23	excitation. The guy forgot to do it. I am checking it.
24	I ain't going to make them to do a calculation over for
25	something as stupid as that. There is no way in the

5

R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.V AUSTIN, TEXAS 78757 S 1512) 458-3297

world that that is going to be ten times as big as the 1 2 design loads. But I'm not going to go into a group and say, "From now on, everybody can forget self-weight 3 4 excitation," doesn't mean a thing. Stress ratio of .98, now it's important. 5 MR. FAIR: Let me go to one other -- I 6 7 don't think we'll go any further with this one. You brought up again on your list the bearing joints --8 MR. DOYLE: Uh-huh. 9 MR. FAIR: -- not being acceptable, and I 10 11 think you have to --MR. DOYLES 12 No, no, I never said --13 MR. FAIR: From seismic events. 14 MR. DOYLE: Yes, right. 15 MR. FAIR: It's seismic events that 16 you're concerned with. 17 (MR. DOYLE:) Well, dynamic load, water 18 handling, steam handling, although those are usually one 19 shot in one direction, but they still damp out. So you 20 have to consider those, too. 21 MR. FAIR: Now, let me get it clear as to 22 exactly what's the basis of the concern on bearing 23 joints and dynamic or seismic events. 24 (MR. DOYLE:) Well, it's not the joint as 25 much as it is the particular bolt that's holding the KENNEDY REPORTING SERVICE INC. ĸ 7800 SHOAL CREEK BLVD . 346.W R

AUSTIN, TEXAS 78757 (512) 458-3297

S

joint together. One of the things wrong with the joint 1 2 is, you're only going to get higher damping values in the specter because of the damping effect of the varying 3 joints. You're also going to get a higher peak. 4 So the joint itself is unpredictable. You 5 don't have a predictable joint. Remember the Japanese 6 are very concerned about damping factors. They're going 7 to shake some of their plants pretty hard, and they 8 9 already are using half. MR. FAIR: The concern is unpredictable; 10 11 yet, the loads, you may underestimate them? [MR. DOYLE:] It's unpredictability of the 12 1:3 effect of the joint on transferring the load from the 14 building to the support. MR. FAIR: Do you have a concern of 15 potential fatigue problems with the bolts? 16 17 MR. DOYLER It's not a fatigue problem. 18 1t's --(MR. WALSH:) Excuse me. I think you got 19 that out of the -- we didn't say that. We haven't 20 addressed this. --21 (MR. DOYLE:) I don't address the fatiguing 22 23 problem; it's up more than 20 zero crossing. 24 MR. FAIR: Well, I just wanted to get 25 exactly what your concern was with the dynamic -- is it KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346.W R

AUSTIN, TEXAS 78757 (512) 458-3297

S

1 you're under-predicting the load on particular bolts? MR. DOYLE: That's what I'm saying. It's 2 3 unpredictable. I don't know. I do know that it is not 4 going to act as they have said it would. That is input at a fixed point, which for a friction joint you can 5 6 establish what that fixed point is. You can go to a 7 certain point, and you know you're going to get 8 separation on parting, so you know what that joint will 9 do. 10 You don't know what these various other joints 11 will do. You don't have the foggiest notion. They can 12 sit there and just jump up and down every time the sign 13 wave changes -- probably will, don't know. 14 What I'm asking for is -- you are asking me 15 the question I am asking them: What happens at that 16 joint? Because it is a --17 MR. FAIR: So your concern is more the 18 unpredictability rather than the -- you have some 19 concern with fatigue failures -- --(MR. DOYLE:) No. I am not concerned with 20 21 fatigue failure. It probably could be a problem. I 22 don't know what the limit of vibration -- what the 23 vibrational situation is on the particular pipe out 24 there. But I do know that sometimes it gets interesting 25 what happens to those pipes, high frequency vibrations,

> K KENNEDY REPORTING SERVICE INC. 7000 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 (512) 458-3297

low frequency vibrations going on for years, poles, anchor blots onto the wall eventually. I never got into that. I don't think so.

1

2

3

4

5

6

7

8

9

10

11

1.2

13

14

15

16

17

18

19

20

25

No. I was just concerned with two factors: One, A36 is not in any way, shape, or form recommended for dynamic loading; and, two, if that is a bearing connection, unpredictable, capable of moving over an 8th of an inch, all kinds of locations and everything else, how come it's analyzed if it were a fixed portion with a million pounds or whatever stiffness.

Do you see the point? So what is happening is, you're asking me what I am asking the utility, what is occurring there? Because I have seen test reports on joints where they set out on a friction joint, vibrate it, loosen it up, vibrate it again, loosen it up, vibrate it again. And from that, they develop response factors which had much higher damping values. But they also had peaks on some of them. And that's one of the reasons why, for dynamic loadings, you should be able to predict the action on that joint.

MR. FAIR: Well, you said two things that kind of contradict each other. One is, if you have a higher damping factor, you should be lowering the response.

MR. DOYLE: Not necessarily.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

1	MR. FAIR: The peaks you're worried about
2	are very localized impacts?
3	MR. DOYLE: Yes. On bolts that are
4	already designed to take 18, 20 what's the lowest we
5	went? we have had as many as 40, 50 bolts sharing
6	equally all of the load that was put on them. We know
7	better than that. It's not going to happen.
8	So I think the only thing we've ever said or
9	alluded to or what we're trying to say is, you can't
IO	predict what's occurring when you transfer the seismic
11	loading from the structure through the supports to the
12	pipe because there is a weak link there.
13	But to answer your question, I can't tell you
14	the magnitude of the problem. 'I wouldn't even attempt
15	to.
16	MR. FAIR: How was this concern different
17	from bolts, let's say, and struts and snubbers with
18	bushings and gaps such as that?
19	MR. DOYLE: Well, we get fixed k from the
20	factory. There is a k rating on every snubber and every
21	strut.
22	(MR. WALSH: Stiffness does change through
23	the psi values. For an item like the snubber, it
24	decreases a considerable amount because it takes into
25	account that dead

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

MR. DOYLE: But to answer your question, 1 2 we got numbers; we have no numbers of that joint. 3 MR. FAIR: Fellows, is your concern more the softening of the stiffness due to this additional 4 5 joint flexibility? MR. WALSH: It could be soft at one 6 support and the next one, instead of being loaded in 7 shear, it may be resting right there above the floor or 8 9 maybe he just hung from the ceiling. It's not going to 10 want to lie flat. It's going to be the case that 11 probably for use of a 1/16th inch deflection criteria, 12 you end up with a soft support and hard support. The 13 hard support may not be able to take it, and it goes 14 back and forth and it's unpredictable. 15 If you're saying the support doesn't move at a 16 certain point, it shouldn't move. It you're saying it 17 does move and you're going to allow it to move, your 18 1/16th inch correction criteria will probably -- the 19 support has already moved 1/8th of an inch before it 20 even starts acting, since the 1/16th inch deflection 21 criteria is peanuts. See what I mean? 22 MR. FAIR: Well, the deflection criteria 23 is really a backwards stiffness criteria, the way it was 24 used at this facility? 25 (MR. DOYLE: Yes. KENNEDY REPORTING SERVICE INC. K

R 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

179
1	
1	MR. FAIR: And we have that as an issue
2	in itself.
3	(MR. WALSH:) I think this was mentioned in
4	part of our response to that. I think this thing with
5	the soft support/hard support is also included in one of
6	The responses. And I think you get into some gaps. The
7	fact would be, it was just a simple three-span support,
8	but you can see that now.
9	THE REPORTER: Would you talk up a
10	little.
11	MR. WALSH I think I'll stop.
12	MR. FAIR: I think I'll stop, too. Those
13	are the only notes I jotted down for clarification.
14	DR. CHEN: Just one question. Sometime
15	or other you said you had a few more in your head. Are
16	those out on the table now?
17	MR. DOYLE: Yes. There are probably a
18	couple more buried, but that's about all I can think of.
19	MS. ELLIS: As I mentioned before, Jack
20	and Mark tried to, you know, come up with what they
21	could based on what you told them today. But at the
22	same time, I think we need to have the opportunity to
23	come back later after we've had a chance to review the
24	transcript and think about some of the other things and
25	look at them. This shouldn't be construed to limit what

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

our concerns are about.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

24

25

(MR. WALSH: I do have another item in regards to these Richmond inserts, these tests that were preformed. I don't know if you included it in the replies, but Tack bought it up in regards to the testing of the U-bolt; and that is, the test materials they used. They tested the 736 rod and at yield point was 60 ksi. That's not specified off of the plant. They may get threaded rod out there that just meets stress, and that's out there, but that's not what was tested.

The same thing goes for the tube steel member they utilized for their test. That tube steel member -and the Applicants already said a lot of this high strength tube steel, that that's what they used for the test. Then what's out in the field has got to be at least that or better, and it may not be on all the supports. They have had some questionable supports out there because the tests did not reflect what was out there.

20 MR. FAIR: You can take the results of 21 their submitted material property values and extrapolate 22 them in a backwards fashion, to what the expected -- the 23 worst expected case may be.

MR. WALSH: Then you start losing the purpose of having a test if you can just extrapolate.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 S (512) 458-3297

And then their 1.75 stress ratio was out the window. Their testing was to verify so that they could use normal analytical techniques to approve these designs. And what they tested did not match what was out there, and that's where they have a problem.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

MR. FAIR: I'm not catching your point. MR. WALSE: There are too many elements. The concrete is stronger in their test; the bolts are stronger, the tube steel is stronger. So all these items that they tested, if they're stronger than what is out in the field, how can you say, "Well, decrease this this much and this this much and this this much," or increase, for example, deflection.

Now, I don't know what the deflection will go up when concrete strength goes down because the concrete is not as strong. And that's what, you know, the requirements was for 4,000 pound concrete. I think they tested 5,000 or something like that.

Now you've got, you know, a large increase in strength which is not reflected, but there is a difference. And like Jack -- the increase is not linear, it could be the square root of the concrete strength. You know, there are a lot of variables involved, and the only way to get around that is when you test, test the weakest point. And then when you

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN. TEXAS 78757 5 (512) 458-3297

install it in the field, it will be greater, it will be stronger so you know it will work, instead of getting your good steel and testing it. I don't know if it was good steel. I didn't see any material properties in their report as far as the strength of the steel or concrete was in there.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

MR. FAIR: I guess I'm still missing the crux of your point. I understood from your submittal the difference between the tested concrete strength and the minimum specified concrete strength argument.

[MR. WALSH:] Okay.

MR. FAIR: And that's fine, that's no problem. As far as the other tests, when the torsional load on the Richmond inserts, the only one that I can think of is another test they were using, it was a test used by them to try to demonstrate that their analytical method was highly conservative. And what you're saying is that that's an inappropriate test?

MR. WALSE: Well, if they had the threaded rod with the yield strength of 60 -- okay? -and they go out and test it, and their results are going to come out good. Now, if they go out there and they test the A36 rod and they had a yield point of 36, the results are a little different; you might even see a yield point on the test. It was nothing, you know.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78737 5 (512) 438-3297

1 That's what I'm getting at. 2 MR. FAIR: But for that particular test, 3 even the Applicants aren't trying to use the results of that test establishing direct allowable? 4 MR. WALSH: They are, that stress ratio 5 6 of 1.75 because of their test results. And that's how 7 they came up with that new allowable. The allowable 8 normally established in their code is stress ratio less 9 than or equal to one. Well, also they're going to use 10 1.75 now as a test result, and then at the finite 11 element analysis that it performed that is questionable. 12 MR. FAIR: Well, we have that as an open 13 issue. 14 MR. WALSH: Correct. 15 MR. FAIR: But I just wanted to get the 16 point, that the test itself wasn't one where you divide 17 what they call failed or deflected load by a certain 18 factor and said this is the allowable, it was, "We've 19 get this method. And look at how much more strong this 20 support is than what we calculate." [MR. WALSE:] Right. So what you're 21 22 talking about --23 MR. FAIR: Which is somewhat different --24 MR. WALSH: It's so much stronger because the materials are stronger because, see, what happens 25 KENNEDY REPORTING SERVICE INC. K

R 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

1 when they get the material that's used out in the field, 2 now are they still going to be able to say it's still 3 stronger? That is what I'm getting at. The results of that test could draw a 4 5 conclusion that they could use a stress ratio of more 6 than 1.75. If they go back and test it with weaker 7 items, maybe they can't come up with that statement 8 ther. MR. FAIR: As I said, we still have that 9 10 as an open issue with the basis for the 1.75 anyway. 11 But I wanted to make a clear point, that it wasn't --12 the NRC Staff isn't looking at the results of that test 13 and saying, "Hey, we can divide that load by a factor of 14 4 and show that everything is within allowables," or 15 take that as an allowable. We're not looking at it from 16 that point of view. 17 MR. POSLUSNY: I guess I'll let you go 18 ahead. 19 We have one request. Would you have a problem 20 if we made a copy of your notes to put into the record? 21 MR. DOYLE: You mean that thing I read? 22 MR. POSLUSNY: Yes. 23 MR. DOYLE: No. 24 MS. ELLIS: As I mentioned earlier, we 25 primarily were interested in the issues anyway. But KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346.W R AUSTIN. TEXAS 78757 S (512) 456-3297

since we were talking about summary dispositions, I 1 2 think it probably ought to be noted for the record that 3 there are three others. The Board said they were treating A500 steel information as a motion for summary 4 5 disposition. So that is one. The other one is the upper lateral restraint. 6 And we would like to find out about that. And then the 7 design QA which we understand won't be addressed until 8 9 you get through with all the rest. 10 I guess the next thing is where is the upper 11 lateral restraint? 12 MR. DOYLE: ] Oh, way up. 13 MR. POSLUSNY: We're going to speak to 14 that. I know one of our consultants is working on that. 15 I don't know what the status is. 16 MS. ELLIS: And here again, I might 17 mention we have some concerns about that because I know --18 I want to be sure again we're working from the same data 19 base. 20 MR. TERAO: I think the difficulty there 21 is maybe oversight on our part, but that was one of the 22 summary dispositions that was given to one other person 23 in the NRC. He contracted it out to Appropriated 24 National Labs. And that was always treated as isolated 25 with us, the four of us. So it did slip through the

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

1	cracks. We didn't bring the right person down to talk
2	about it today.
3	DR. CHEN: If I might add something, said
4	for the Commission or has been said fairly recently in
5	response to that question related to Level B or Level C
6	loads, it's still open as far as I know.
7	MR. POSLUSNY: Design QA we've covered.
8	MS. ELLIS: It's still open.
9	MR. POSLUSNY: Just one minor comment.
10	Just bear in mind we've given you a, quote, status on
11	each of our items, and they're not the official NRC
12	position yet. Many things may change. I just want to
13	make that clear.
14	MS. ELLIS: Right. I take it that you
15	did pretty well find an answer as what your concerns are
16	at this point. Right?
17	MR. POSLUSNY: (Nods affirmatively)
18	Mr. Beck, anything you would like to say?
19	MR. BECK: No.
20	MS. ELLIS: There are a couple of other
21	things. Those probably ought to be discussed. One
22	thing is that I want to say again that I think this is a
23	very productive sort of meeting, and I think that it's
24	long overdue and that it will help a lot when we finally
25	do come to a hearing on hearings by mail or whatever

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 456-3297

187

kind of hearings we end up having to decide the issue. 1 I think it will save a lot of time when we 2 finally do get to the final point of this. I think that 3 is very important and something to be desired by 4 everybody. 5 I want to mention one other thing, too, that 6 is a little bit of concern still to us, and that is that 7 while we appreciate your efforts, you have got to 8 realize by now that there is no way that Jack Doyle and 9 10 Mark Walsh found all the design problems that there are 11 at Comanche Peak. And I think it's pretty obvious from the ones that have been identified by just these two 12 13 individuals, on a very limited perspective of what went 14 on at the plant, that there are serious problems. 15 And I think also you have to recognize that 16 the manner in which these have been handled has to be 17 considered to be generic as far as the Applicants' 18 manner of handling these. And if this is generic, I 19 think the Staff has got to look much, much deeper than has been looked at so far. 20 I know that's just what y'all wanted to hear, 21 22 that you need to do more work, but I think that's really

that you need to do more work, but I think that's really almost mandatory at this point in time because I think it's been proved that there are some really serious problems. Otherwise, you have got to realize how is it

23

24

25

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 S (512) 458-3297

1 that after going on three years, these two individuals 2 have -- why their concerns have not yet been answered? 3 I think one of the basic things that has to be 4 recognized and the main reason for that is Applicants were not able to simply say, "Okay. This is what we 5 did, and here's the calculation and documentation. This 6 7 is why we did it." 8 That's all it ever would have taken and Jack Dovle and Mark Walsh's questions would have gone away. 9 10 And that hasn't happened, and I think that's got to be 11 recognized as a real underlying problem that has to be 12 addressed by the NRC Staff. 13 Obviously, Jack and Mark can't look at 14 everything. But to me, one of the most telling things 15 that occurs through all of this with Cygna is the fact 16 that the few things that were looked at that were 17 outside the area that you normally -- such as the upper 18 lateral restraint and the -- well, the cable tray 19 supports, for instance, when those were looked at 20 closely by these individuals, they found that there were 21 just as many problems with those as there were with the 22 other things. To me that's a clear indication that this really is a generic sort of problem, and I wanted to 23 bring that out very definitely. 24 25 Another thing that I wanted to do with the

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLYD. 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

1	Applicants here, we have now asked in the February the
2	7th, at the end of the February 27th meeting, and now
3	we're asking a third time today for information on just
4	who the Applicants' team is, what their qualifications
5	are, you know, all of this, all of these details. And
6	the third time is a charm. We're not going to ask
7	again. We're going to try to take whatever steps are
8	necessary to get that information. I just wanted to
9	make sure.
0	I guess unless the Commission has some other -
1	y'all have any questions or anything, that it might be
2	well to take a break now and go into cable tray
3	supports.
4	MR. POSLUSNY: Okay. Make this 15
5	minutes.
6	(Brief recess)
7	
8	MR. POSLUSNY: Shall we begin.
9	Charlie Hofmayer, would you like to start or
0	did you want Charlie Hofmayer and Rom Lipinski will
1	both address the outstanding issues.
2	
3	
4	
5	

6

٠.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

190

1	
1	CLARIFICATION OF ISSUES
2	(Rom Lipinski and Charles Hofmayer)
3	
4	DR. HOFMAYER: My name is Hofmayer,
5	H-o-f-m-a-y-e-r, NRC.
6	MR. LIPINSKI: Rom Lipinski,
7	L-i-p-i-n-s-k-i.
8	The purpose of this meeting that we want to
9	take an opportunity to discuss with you, it is
10	clarification of the issues that have been discussed
11	during the meeting of November 7th.
12	The meeting of November 7th, there were some
13	points made. And in order to make sure that we proceed
14	in the right direction, we welcome this opportunity to
15	meet with you. And we would appreciate your cooperation
16	to clarify what you said during that meeting. It will
17	make our work much easier to accomplish what we want to
18	do.
19	I have in front of me some of the pages from
20	the transcript of that meeting, and I am going to
21	address these questions with Dr. Hofmayer as we go
22	along.
23	Let's start with damage study. On Page 110,
24	[Mr. Walsh] said something and I will quote.
	"When they did that study did they

R AUSTIN. TEXAS 78757

.1	consider 2/1 projectile; for example,
2	going,
3	end of quote.
4	And the question that we wanted to ask you is
5	what did you actually mean by saying "2/1"? Did you
6	mean the projectory of the non-safety related components
7	or did you mean the interface of Category 1 components
8	with non-Category 1 components?
9	MR. WASSH:) The projectory.
10	MR. LIPINSKI: Projectory. Okay.
11	Would you be more specific in your concern.
12	In other words, you found any specific knowledge of this
13	being not treated properly?
14	[MR. WALSH:] This was in regards to the
15	control room, I believe, we were discussing at that
16	point, and it was stated somewhere along the line that
17	there was a damage study performed. And although I
18	haven't got any proof of it, evidence of it, but because
19	of the problem in the control room and them saying there
20	was a damage study performed, I was wondering if they
21	had considered that type of item in the damage study
22	when we went out and looked at the plant.
23	MR. LIPINSKI: By "item," you mean the
24	correct zone of influence directed in the damage study.
25	Is that what you mean?

C

.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

(MR. WALSH: Yes. When they decided this 1 2 was a non-seismic item, could it still fall --3 MR. LIPINSKI: In other words, because 4 you mentioned 2/1, what do you mean by that? Do you mean two vertically and one horizontally, or the other 5 6 way around? MR. WALSH: Two horizontally, one 7 8 vertically. 9 MR. LIPINSKI: Two horizontally and one 10 vertically. 11 DR. HOFMAYER: Just to clarify, your real question was whether to consider any horizontal motion. 12 13 (MR. WALSE:) Correct. That's the main 14 thing, the way they treated it. 15 DR. HOFMAYER: You haven't specifically 16 looked at the damage study at this point to have any specific concern. It was kind of a question in passing, 17 18 I take it? 19 MR. WALSH: Correct. 20 DR. HOFMAYER: As you know, this issue 21 stemmed out of the control ceiling question, and there 22 is an action on the part the Applicant to relook at the damage study. As far as we're concerned, that is open. 23 24 We just wanted to be sure there was nothing specific 25 that you had in mind, that at this point you come to the

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 346.W AUSTIN, TEXAS 78757 S (512) 458-3297

table and that you addressed. 1 MR. WALSH: Well, the other item would be 2 3 the HVAC containment, treating that as a -- that was closed as part of the SSER which was published recently. 4 DR. HOFMAYER: Maybe we need to clarify 5 that. I'm not sure what you're referring to. 6 7 MR. WALSH: There was a -- I believe it's an SSER that was written, that came out of the TRT 8 findings, and it's wherein the last month -- or that's 9 10 when I read it -- which closed it. But the concern I 11 have is the HVAC did not actually have any -- the way I looked at it, it was not adequately braced and it would 12 be acting as a projectile also. 13 14 MR. LIPINSKI: Well, again, let me 15 interject here -- Rom Lipinski -- that your concern is 16 again not the overall picture of this interfacing 17 between non-Category 1 and Category 1 systems, but the 18 projectory. Right. 19 MR. WALSH' Correct. You know, did they 20 take that into account? 21 MR. LIPINSKI: Okay. 22 MR. LEVIN: Excuse me. Are you 23 questioning the implementation of the program and the 24 zone of interaction or the actual definition of the zone of interaction? 25

R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

MR. WALSH: If they took -- if they had 1 2 utilized proper zones. I don't know what the zone of interaction was -- that's where it is -- it was two 3 horizontal, one vertical, or one horizontal, one 4 vertical. I don't know what the criteria was. 5 But since there was a problem already with the 6 7 control room, you know, that was based on a damage study 8 on what was -- the damage study, you know, what did they 9 use as a criteria for projectile? 10 MR. LEVIN: You mentioned 2/1. And to my 11 knowledge, there is no one zone of interaction. That 12 varies as a function of the elevation 1 is above -- the 13 item might be above the floor and the floor that the 14 item may -- the elevation that the item may be on. 2/1 15 most generally refers to the name of this issue in the 16 industry. Sizing of 2/1 doesn't refer to the zone of 17 interaction. MR. WALSH: That's correct, and I meant 18 19 to say 2/2/1. 20 DR. HOFMAYER: You know, basically, the 21 damage study is an action that's still pending. And 22 certainly that matter and how it can be treated, you 23 know, what impact, you know, Category 2 might have, 24 non-seismic might have on Category 1, if this question 25 is to be resolved.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN. TEXAS 78757 S (512) 458-3297

1	And we just wanted to make sure you weren't
2	aware of more things about the damage study that come to
3	light now and be folded into this review, you know. I
4	understand your question, and that will certainly be
5	incorporated into the review.
6	MR. LEVIN: Charlie, we indicated on I
7	guess our recent meetings on the 6th or 7th that we had
8	undertaken a third party review of the damage study, and
9	assumptions such as the zone of interaction are included
10	in the scope of that review.
11	DR. HOFMAYER: All right.
12	MR. LIPINSKI: Well, my part, I want to
13	assure you that we have followed this rather closely and
14	we are working on it.
15	Then shall we go to the next one?
16	DR. HOFMAYER: Yes.
17	MR. LIPINSKI: On Pages 115 through 119,
18	there was a question raised of use of a preliminary
19	study method.
20	And are you aware of that particular issue, I
21	guess? Could you be more specific on misuse of this
22	method anywhere in the implication?
23	(MR. WALSH: Well, they did not use it on
24	a cable tray supports.
25	MR. LIPINSKI: They did not?
Ľ	K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757

1 (MR. WALSH:) And they have this dynamic 2 amplification factor of 1.5 unless shown to be less. 3 And when Cygna did their review -- and they retained their calculations they worked, that dynamic application 4 factor had not been used. 5 Recently, with the Cygna meeting, that item, I 6 believe, was indicated as Item 9, and I believe they 7 8 indicated it was closed, and the Applicants would be 9 using an amplification factor of 1.14. 10 MR. LIPINSKI: Could you be more specific 11 about that meeting? When was that? You said recently? 12 When was it? 13 MR. WALSH: It was in California last 14 Thursday. 15 MR. LIPINSKI: Uh-huh. 16 MR. WALSH: There were no references 17 indicated for that item. They were reported later. I 18 haven't seen the justification yet for the 1.14 in lieu 19 of 1.5 that is indicated in the FSAR that they would 20 use. I have seen a preliminary report that was done by 21 Gibbs and Hill saying that they could use a dynamic 22 amplification factor of one. In fact, there is one part 23 in there I think they said that was conservative. 24 MR. LIPINSKI: Do you remember when that 25 report -- time of the publishing for that report or

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

whatever?

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. WALSH: It was a draft report in May of '84. I went through some of the Cygna correspondence. And of September of '84, that issue of a dynamic amplification factor was considered an open item, depending on Dr. Bjorkman's conclusions or whatever.

I haven't seen anything from Cygna, how they came to a conclusion. The FSAR at the time of the Cygna report differs than what was actually out there. Cygna did not pick up this non-conformance to the FSAR requirements in more than one way.

In the FSAR, at the time the Cygna review assumed trays were flexible and supports were rigid. And they designed, using the equivalent static load method and utilizing the 1.5 factor above the peak. They hadn't done a dynamic analysis.

MR. LIPINSKI: That's what Cygna said? MR. WALSH: That's what the FSAR had. When Cygna did their review, they did not realize that the supports are not rigid. They just went out and analyzed them as if they were flexible, and they assumed then the tray was rigid, still not realizing that the dynamic amplification factor had not been used. So even after they issued their report, the Applicants

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 (512) 458-3297

revised their FSAR to reflect what is going on now. 1 2 Now, as far as the dynamic amplification factor, I do not know what the Applicants have done to 3 the FSAR, if they're going to change it to say they're 4 using 1.14 or they are using the 1.5. 5 DR. HOFMAYER: One thing I believe in the 6 FSAR, the requirement is that they will use 1.5 --7 okay? -- but they can justify a lower value. I don't 8 believe that they are strictly limited to the 1.5. 9 MR. WALSH: Yes, but they had not used 10 11 1.5 until I brought it up. We don't know where in that 12 plant, if they ever used it. It would appear to me 13 Cygna just looked at cable trays that came out of Gibbs 14 and Hill, and there was nothing to indicate that they 15 had ever used the 1.5 factor. 16 DR. HOFMAYER: Or as adjusted might be 17 used in the lower factor? 18 [MR. WALSH: Correct. They're adjusted --19 DR. HOFMAYER: What I'm saying is, you're 20 not required to use 1.5. You're entitled to use 21 something less if you can justify it? 22 (MR. WALSH:) Correct. I am aware of that. 23 Yes, you justify in advance, not after someone 24 has done a review and someone has figured out you have 25 to do this. And the supports that Cygna had looked at,

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

1 Gibbs and Hill reran them using a NASTRAN program to get 2 the -- instead of going to the peak, they got the correct frequency, and they still had supports 3 over-stressed, 7 percent, with utilizing the dynamic 4 5 amplification factor. 6 MR. LIPINSKI: Excuse me. When you talk about supports, you talk about --7 8 MR. WALSH: Cable tray. 9 MR. LIPINSKI: -- cable tray supports of 10 the channels that -- ladder type members, these were 11 over-stressed? MR. WALSE Yes. But, you know, they are 12 doing it now and they're going back -- I don't know if 13 14 they're going back and looking at their calcs for other 15 supports. There has been no requirement for them to do 16 that as far as I know. 17 DR. HOFMAYER: What do you mean by "other 18 supports"? MR. WALSH: Cygna didn't look at all the 19 20 supports. They only looked at a select few. And the 21 ones Gibbs and Hill ran, Cygna did not require them to 22 rerun. From what I understand, it was at their own 23 choice, and they picked them up. I don't know how they 24 came up with a sample of which supports they would send 25 back to Cygna to show there was no problem.

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

1	MR. LIPINSKI: You say of their own
2	choice. That was Cygna's choice or Gibbs and Hill's
3	choice?
4	MR. WALSH: Gibbs and Hill.
5	MR. LEVIN: Maybe I could clarify the
6	record in this regard, first with a few comments on what
7	Cygna has concluded in their current activities.
8	To the best of my knowledge, they have
9	concluded that the factor of 1.14 has been established
10	as an appropriate factor. However, they haven't halted
11	their work at that point. It's going to be included
12	when they look at the effects of other items, in terms
13	of drawing their overall assessment.
14	I might add that we on the CPRT are going to
15	be doing a similar activity. We'll verify the validity
16	of the 1.14 and evaluate it along with the impact of
17	other items that have been expressed in the cable tray
18	area.
19	DR. HOFMAYER: I might add, you know, we
20	don't have much more detail than you do in terms of the
21	basis of the 1.14 or, you know, all of that information
22	that recently came out of that meeting. But certainly
23	we're far from beginning in any way to express a
24	position on this matter.
25	MR. LEVIN: Charlie, the basis is in fact

×

.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

calculations by Gibbs and Hill. And as I indicated, we plan in our third party verification activities to take a look as that calculation as well as the applicability of that dynamic amplification factor to the cable tray 5 systems as a whole.

1

2

3

4

DR. HOFMAYER: The main concern is that 6 7 in applying the equivalent static load method, there are 8 several options that were given in the FSAR. One option 9 would be to apply a 1.5. Another option might be to 10 justify a factor of less.

11 The question raised is, when the designer did 12 it, did he indeed go through that process to determine 13 what is the appropriate factor under the rule? And that 14 should be a function of your review, and it would be 15 something we would follow up on in terms of why.

16 MR. WALSH: Yes. Well, see, my concern 17 is more than just the cable trays. There are other 18 structural items-out there. Someone has got to look at, 19 is the whole plant designed that way and can they use 20 that 1.14 for the stairs or what other structural items 21 that are out there?

22 MR. LEVIN: We have initiated a survey to 23 identify all areas of the plant or all hardware that may 24 have been designed using equivalent static methods and 25 determine what dynamic amplification factor was used.

> KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346.W R AUSTIN, TEXAS 78757 S (512) 458-3297

1 DR. HOFMAYER: At this point in the 2 question of your concern -- okay. I can see where your 3 concern came from, your review of what other people may 4 have done and whether they did it or not. Have you 5 looked at some cable tray analyses or reviewed anything 6 that leads you to believe that 1.5 is necessary or what 7 might have been done was not correct? Have you looked 8 at any --9 MR. WALSH: I have looked at the 10 calculations where they did not use it. Now, these are 11 generic designs. The FSAR at the time I looked at it, 12 at the time Cygna looked at it, the FSAR said 1.5. 13 There are no other studies to say they could use 14 something less. 15 It's after the May hearings of '84 -- it is 16 after the May hearings of '84 that this came to light. 17 I received the calculations on -- I essentially started 18 looking at them on a Saturday. We had hearings starting 19 Monday. I had worked with Bechtel. We used 1.5. 20 MR. LEVIN: (Mark, I think we have to 21 separate out some of these issues. One, relative to our determination of the acceptability of the design, I 22 23 think we're going to look, at, you know, the quality of 24 the product. I think the question you're raising now is 25 maybe related to recause in the design QA area but not

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 346.W AUSTIN, TEXAS 78757 (512) 458-3297

design adequacy. Okay? I want to be sure that we 1 properly separate those issues. 2 MR. WALSH: Well, see, the problem that I 3 see is, I had two days to look at this. And if I can 4 find -- you know, if I can find something like this --5 and I don't have all the calculations -- why didn't a 6 technical audit pick it up? The other thing is, why 7 didn't Cygna and why didn't Gibbs and Hill? It's their 8 9 design. 10 It is like a design QA problem. It should not 11 have courred. It should have been picked up is all I 12 can say. 13 MR. LEVIN: All I can tell you is that 14 it's our intent to look at the generic implications of 15 that if it occurred. 16 MS. ELLIS: I think what you said, 17 Howard, is true to a certain extent. But I think also 18 that the concern here also goes to the adequacy of 19 what's out there because at this point in time we don't 20 know, we haven't --21 MR. LEVIN: Well, in fact I think that's 22 the most important aspect right now, and that's what 23 we'll deal with first. 24 MS. ELLIS: But also there is this 25 continuing concern of how did this happen? And also

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 345.W AUSTIN, TEXAS 78757 S (\$12) 458-3297

what else is out there that may have been the same way? 1 [MR. WALSH: ] Those other items that I 2 3 picked out in that two days in that 1.5 factor, that was not considered by the Applicant to the best of my 4 knowledge. 5 MR. LIPINSKI: Are you saying it was not 6 7 considered? In other words, they must have considered some factor, you mean factor of one? 8 (MR. WALSH:) Factor of one, sure. 9 It's 10 better than zero. DR. HOFMAYER: Well, that's 11 mischaracterizing it since they don't use the peak --12 [MR. WALSE:] They don't, that's the 13 14 problem. They do sometimes; sometimes they don't. When 15 they did their reanalysis, they did not use the peak, 16 and they did not use the 1.5 factor. 17 DR. HOFMAYER: They did not perform any 18 frequency test? MR. WALSH: They did perform a frequency 19 20 analysis to determine what the applicable frequency was 21 and used the appropriate g value. 22 MR. LEVIN: I don't want to get in a 23 position of defending that in view of our ongoing 24 activity of reviewing that, but there are differences 25 between what one does in the design basis evaluation

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 (512) 458-3297

where, in fact, yes, your criteria is to apply some factor times the peak; yes, in fact, you do that, as opposed to an evaluation where you're trying to verify the validity of some factor.

1

2

3

4

5

6

7

8

9

10

24

25

In that case, what I understand has been done is, a dynamic analysis was completed where, Charlie, as I think you were suggesting, values and item factors were known and response can be calculated also. What you might say is, that an equivalent dynamic amplification factor.

11 You know, there are differences -- you have to 12 look at the purposes of that study. That study was a 13 study and not a design basis analysis from the 14 standpoint of, you know, trying to implement some 15 criteria like a factor times the peak. It was to be 16 used to actually calculate what that factor should be. 17 MR. WALSE: That's one of the reasons why 18 I want to see the calculations. If they're using one 19 assumption, and if they are going to verify something 20 else -- and we've seen the studies having erred before. 21 I just wanted to be sure that they concide with what I 22

22 have seen in this other stuff that we have received from 23 Cygna or the Applicants.

DR. HOFMAYER: I think I understand your concern.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN. TEXAS 78757 S (512) 458-3297

MR. LIPINSKI: Go to the next one. 1 2 The next is that we understand the difference 3 in allowable stresses for cable trays in considering building stresses containment. And that's mentioned on 4 Transcript Pages 119 through -22. And we want to 5 clearly understand why are you concerned about the 6 7 stresses to each cable tray's design or cable tray supports are designed, different stress allowables in 8 containment of stresses? 9 MR. WALSH: In their FSAR, under the 10 containments, steel structures, maximum axial and 11 bending stress in a member under the SSEOC Commission 12 13 can only be .9 Xy. DR. HOFMAYER: Could you clarify that. 14 15 MR. WALSH: It's in the Cygna issue, 16 should you pick it up. But in the Aux Building, they 17 don't have that stipulation. And the generic designs 18 did not consider what happens when they use an increase 19 of 60 percent for the allowable that the stresses co 20 above yield. MR. LIPINSKI: Well, it goes just about 21 22 two percent, which is a very small amount. You multiply 1.6 times .6, you get just about 1.02. 23 24 THE REPORTER: Will you speak up, please. 25 DR. HOFMAYER: Maybe we could clarify the

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-14 AUSTIN, TEXAS 78757 S (512) 458-3297

1 reasoning because when I reviewed your concern, I looked up the FSAR, Sections 383, which is for structures 2 inside containment and Sections 384, which is for 3 structures outside containment, and read their criteria, 4 their structural acceptance criteria for both steel for 5 both sections. And basically they're identical except 6 for one statement. 7 I didn't see any reference in there to the 8 9 concern of (inaudible) but there is a statement on Page 10 3.8-83 which says that, 11 "The steel is designed so that the 12 maximum stress for any load combination 13 which includes differential pressure is 14 less than the yield stress, thus assuring that it behaves." 15 16 Is that the basis of why you believe that the 17 cable tray design should be different in inside 18 containment as opposed to outside, or is there some 19 other criteria that I haven't seen that would lead you 20 to that conclusion? I'm just trying to get an 21 understanding of what we're trying to address. MR. WALSE:] I thought it was .9, the 22 yield stress of the steel. It might be a different 23 24 version, too, than what you're looking at. It may have 25 been revised.

10.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 (512) 458-3297

But just the same, if you looked at the Cygna 1 2 Phase I and 2 report, the final report, they had the allowable stresses that they did use and they did see 3 yield strength in the material. 4 DR. HOFMAYER: Unless the Applicant has, 5 6 you know, a different position -- the last time we discussed this, where we raised this question, my 7 understanding is that your criteria you believe are the 8 same, are the same for both inside and out. 9 10 MR. LEVIN: That's my understanding also, 11 Chuck. 12 MR. WALSH: They're a generic design; 13 they can't be. 14 DR. HOFMAYER: My problem is, if your 15 concern stems directly from this statement -- I don't 16 know -- this particular statement which would require 17 the steel to be less than yield on the basic and remain 18 elastic, which will establish some difference in 19 criteria, is really in there for a load combination 20 which includes differential pressure. And if you read the current standing review plan where basically this 21 22 criteria is almost identical, there really is no 23 stipulation like that, that that type of requirement 24 placed more for structures that would stand guite alone. 25 And this same requirement is there. Okay?

×.,

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 (512) 458-3297

The Staff originally took the position and still 1 maintains the position that when you design a structure 2 for pressure load, they wanted to be assured that the 3 structure would remain elastic. And that's the way I 4 interpreted the statement in meaning. I'm not sure -- I 5 can't put words into the Applicants' mouth. But 6 certainly I don't interpret that the requirements are 7 different for the cable trays inside containment or 8 9 outside. MR. WALSH: Well, see, there is the other 10 11 thing, one of the load combinations --12 DR. HOFMAYER: That's pressure load. MR. WALSH: Without pressure, just the 13 14 temperature effects is in the steel section of the FSAR. 15 You have to include temperature. When you include 16 temperature, you have a LOCA environment, you're going 17 to decrease your yield strength of the material. I 18 think Cygna is also trying to address that. Applicants 19 did not consider the LOCA environment on the cable tray 20 supports. 21 MR. LIPINSKI: You're talking now about 22 behavior of the material? MR. WALSH: Yes. 23 24 MR. LIPINSKI: Elevate the temperature. 25 You are not talking about the structural -- the KENNEDY REPORTING SERVICE INC. K

R AUSTIN, TEXAS 78757 S (512) 458-3297

. 1	temperature lows imposed on the structural members due
2	to elevated temperatures.
3	(MR. WALSH:) Because you have a
4	determinate structure, no stresses due to thermal, just
5	the increase in the yield strength.
6	MR. LIPINSKI: So in other words, what
7	you consider, that in spite of the fact that the
8	criteria might be the same, the high the elevated
9	temperature should be considered in the design?
10	MR. WALSH: It would be right. They
11	are different structures and under different behavior.
12	Now, LOCA values would be considered in the
13	Aux Building, but I would be less concerned with that
14	because the temperatures aren't going to get as high in
15	the containment; they won't. And considering a we
16	have used that normalization process with a large SSE
17	loading condition.
18	MR. LIPINSKI: Well, okay.
19	DR. HOFMAYER: I think that's a slightly
20	different twist, but I'll think about it, I guess.
21	But
22	MR. LIPINSKI: Well, it just proves that
23	it's beneficial to have this kind of a meeting so that
24	we can exchange our interpretations, our views.
	De new bine een energieis beenlades should be

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (812) 458-3297

instances where yield stress was exceeded? 1 MR. WALSH: Well, see, when they used 2 their normalization process, they didn't consider the 3 SSE condition. But when they did the old condition, it 4 was 7 percent overstressed. It's part of the record. 5 There are CASE exhibits from the May hearings of '84 6 which we -- I don't know if they're --7 MR. LIPINSKI: Do you remember what 8 particular structures, structural members were designed 9 10 that way? MR. WALSH: I don't remember right now. 11 MR. LIPINSKI: But still we need 12 13 something to prove out --14 (MR. WALSH: It was their calculations; 15 it's a CASE exhibit in the record. 16 MR. LIPINSKI: Do you remember the number 17 of the -- something to give us more --18 MR. WALSH: Somewhere between 900 and 19 1,200. 20 MR. POSLUSNY: Maybe you can check on it. 21 MS. ELLIS: We can check on that. 22 MR. LIPINSKI: In other words, you don't 23 refer just to cable trays, you refer to any structural 24 members in general. Are you talking about cable trays 25 in particular?

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78737 5 (512) 458-3297

1 (MR. WALSH: During that meeting, I'm 2 pretty sure I was just talking about cable trays. But, 3 sure, why not? They didn't consider LOCA on the upper lateral restraint. They didn't consider it on the cable 4 5 trays. So why not? You know, we haven't looked at that many calcs. There has been, I think, three of them. 6 7 MR. LIPINSKI: Yes. 8 MR. WALSH: Three areas. 9 MR. LIPINSKI: I guess we can go to the next item about the seismic gap. Do you remember the 10 11 specific door opening that you made the reference that there was integral part of the one building or part of 12 13 the other building? 14 (MR. WALSH: ] I don't know where it's at. I know they were attached going through a door. It 15 16 appeared to be attached concrete to concrete. 17 MR. LIPINSKI: Yes, but that was --18 DR. HOFMAYER: Well, let me clarify that. 19 When you say "attached," first of all, was this a door 20 that you went through, the Containment Building? 21 MR. WALSH: No, no. It was in 22 safeguards. 23 DR. HOFMAYER: You went through a doorway 24 in the Safeguard area? 25 MR. WALSH: ] Safeguard. KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346.W R AUSTIN, TEXAS 78757

S

(512) 458-3297

DR. HOFMAYER: Actually, as you walked 1 2 through the safeguard area, you would see the gap between those two buildings, potentially see the 3 4 containment wall, so you could observe the potential gap between the Auxiliary Building and the Safeguards 5 6 Building? (MR. WALSH: ] Yes. 7 8 DR. HOFMAYER: But through that doorway, you couldn't necessarily see the Containment? 9 10 [MR. WALSH:] Right. I saw there was a gap on the floor. Let me see. 11 12 But above the door, it is a gap. 13 DR. HOFMAYER: When you say "connected," 14 do you mean --15 MR. WALSH: ) Concrete to concrete, as they 16 used the Containment as a form -- that's how it 17 appeared. But it bowed up. I don't know if there is 18 any rebar in there or not. 19 DR. HOFMAYER: You couldn't have mistaken that for the --20 MR. WALSH: I could --21 22 DR. HOFMAYER: I guess what potentially 23 in that particular location, with the air gap would have 24 been closed, potentially not open. Are you saying by 25 design, they were physically joined?

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

MR. WALSH: By construction, they were 1 2 joined. I don't know what the design would have been, 3 but I really can't pinpoint the location. Sorry. DR. HOFMAYER: You realize, I think, 4 certainly this is an issue that we have open right now 5 in terms of the overall adequatecy gap, and the 6 7 Applicant has a real expensive program to go back in and 8 look. 9 MR. WALSH: The Applicants may have fixed 10 it since I was there. 11 DR. HOFMAYER: If they have, you have no 12 problem with that? For the matter, they may have -- as 13 long as they provide an adequate air gap, that's what 14 we're primarily concerned about. 15 So absent more specific locations, it's very 16 hard for us to say that we will go and look. We can 17 look at a particular location. We certainly would address the overall adequacy of the air gap as part of 18 19 the overall open item that we have. 20 (MR. WALSH: Isn't -- I may be mistaken. Isn't there a walkdown for it, so if there is, it would 21 22 be caught there? 23 DR. HOFMAYER: Our concern was, it was 24 sounding like something, when we first read this, as 25 some kind of integral attachment to the containment and

۰.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 456-3297
1 structure itself. 2 MR. WALSH It looked that way to me. 3 DR. HOFMAYER: We did go out and look around all the openings to the Containment, or at least 4 5 three of the four, I guess. We didn't observe anything unusual in those areas. That's why we wanted to get a 6 7 little more specific. MR. WALSH: I can't. I'm sorry. 8 9 MR. LEVIN: I think it might be 10 appropriate to clarify a few things. No. 1, there are 11 locations where this type of material is permitted per 12 design. And relative to the question of is material in 13 locations where it hasn't been evaluated in design, as 14 Charlie indicated, we have a program under my direction 15 undergoing where we are inspecting all locations of the 16 gap between buildings on site. 17 DR. HOFMAYER: There was one other item 18 we left out on the cable trays, and that was the 19 question that you raised about the holes drilled in the 20 channels on cable tray supports. 21 As you recognize, it is an open item, and 22 Cygna addressed this at some time. That is another 23 matter that needs to be resolved. But again, I guess I 24 would like to get a little more of your perspective of 25 your knowledge of the facts of these holes.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78797 S (512) 458-3297

1 Have you analyzed cable trays with big holes 2 in them? Do you have any knowledge specifically that would help pinpoint where the potential problems are? 3 (MR. WALSH:) Well, when they drill holes, 4 5 see, they don't use the high strength bolts to attach the trays to the channels. The Staff has permitted them 6 7 to use A307 bolts there also. And then they take the bolt and they drill the hole in the channel, there is a 8 reduction in the suction lines. And that -- I forget if 9 10 it's over 15 percent. 11 When I did the Cygna, I had those two days 12 over that weekend to look at it. I did a quick analysis in subtracting the hole, and I can't remember offhand 13 14 what the results were, but it was a substantial amount, 15 considering it's more than 15 percent of the flange 16 area. And I haven't totally read or seen what Cygna has . 17 done, but it looks like they're looking at it very 18 seriously. 19 Other parts of the hearing where they were 20 using -- they were calling -- it's hard to say if they 21 were plug welds or they were filling up misdrilled

holes. I don't know if they did that on these cable tray supports. But the hole could be where the load is being applied by the Cygna in the case; in fact, their result on stress.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 346.W AUSTIN. TEXAS 78757 S (512) 458-3297

That is not considered by the Applicant for 1 the reanalysis for Cygna in May of '84, did not consider 2 the holes. I don't know if any of those beams or those 3 channels would have been overstressed at those load 4 5 points. DR. HOFMAYER: The concern is clear. 6 Again, I'm just bringing it up. I wanted to be sure 7 there was not more to it. 8 MR. LIPINSKI: One of the things that was 9 10 in that transcript was the concern about the ?an? plate 11 be welded to liner plate and was overstressed -- I mean stressed at about 100 ksi if I remember right. 12 . 13 And then again we have to rely on your help 14 because we went there and we looked there, and we couldn't find it. 15 16 (MR, WALSE: Jack, do you remember that, 17 those supports Jean was working on, and they told us not 18 to model the plate that was attached to the liner? When 19 Jean modeled it in, it was 100 ksi or something? Is 20 that psi? MR. DOYLE: Containment spray system? 21 22 MR. WALSH: May have been. 23 MR. LIPINSKI: On containment spray 24 system, I remember that very well. And there is no --25 to my knowledge at least, there is no (inaudible) at the K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD . 346 .W R AUSTIN, TEXAS 78757

S

(512) 458-3297

1	scrubber to liner plate. The member which is welded to
2	the thick end portion of the liner plate is a built-up Y
3	flange with the strong axis horizontal, with the web
4	horizontal.
5	[MR. WALSH:] That's not the work I was
6	talking about.
7	MR. LIPINSKI: That's what we saw. Then
8	there is a vertical flange plate face that the end of
9	that horizontal member, and the rectangular tubing is
10	welded to that plate, and that is surrounding the
11	vertical pipe which is a part of containment spray
12	system.
13	Now, the only horizontal plate that we found
14	was the plate that was supporting electrical conduits.
15	That was a small plate about a quarter of an inch thick
16	and about five to six inches in span, spanning from the
17	liner plate. And the loading on the conduits are large,
18	that it would be highly improbable that it would be
19	stressed 100 ksi. So the basis for our difficulty, we
20	cannot locate a plate. If you could be more specific
21	then.
22	(MR. WALSH:] I'm going try to draw you a
23	picture
24	MR. LIPINSKI: All right.
	MR. WALSH of how I best remember how

S

0

1 this thing looked. MR. LIPINSKI: We looked at the elevation 2 close to the springline. I don't remember which 3 elevation it is. There is a bridge going across the 4 containment that went from one end of the bridge on the 5 other. I looked at both sides of the containment. 6 7 MR. WALSH: At the time we were analyzing it, this is two tubes with 3/8ths inch plates -- I think 8 it's 3/8ths. 9 10 MR. LIPINSKI: Is that a flange? 11 MR. WALSH: This is a containment line, .12 this is an elevation they had further on. 13 This went between these tubes. They had 14 another plate, I believe, that went like this that was part of the cantilever. I think it came out something 15 16 like this. That was part of the -- that would be 17 overstressed model. 18 DR. HOFMAYER: This is this liner plate? 19 (MR. WALSH: Right. This plate here --20 MS. ELLIS: Why don't you label each one 21 of those. 22 MR. LIPINSKI: The elevation of this 23 plate --24 MR. POSLUSNY: This is off the record. 25 (Off the record) K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD . 346 . W R AUSTIN, TEXAS 78757

S

(512) 458-3297

MR. POSLUSNY: Back on the record. 1 DR. HOFMAYER: When you analyzed this, 2 3 was this pipe that was not installed or were you analyzing as-built conditions? 4 [MR. WALSH: That is for vendor 5 6 certification. 7 DR. HOFMAYER: This was as-built 8 conditions? MR. WALSH: Yes. 9 10 DR. HOFMAYER: To the best of your 11 recollection, does this contain spray system piping? 12 MR. WALSH: I don't know. 13 DR. HOFMAYER: As far as I know, that's 14 the primary piping system --15 MR. WALSH: Is that another one that 16 starts with "vh" or something like that? 17 It was NPSI, if that helps narrow it. 18 DR. HOFMAYER: NPSI pipe support? 19 MR. WALSE: NPSI pipe support. 20 DR. HOFMAYER: Do you know whose pipe, 21 whose piping? Are you aware of any other -- Howard, are you 22 23 aware of any other --24 MR. LEVIN: Charlie, I'll look into it. 25 To the best of my knowledge, you would be talking about

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 5 (512) 438-3297

221

1	the containment spray line. But, you know, we'll take a
2	look into it.
3	DR. HOFMAYER: As far as our review, we
4	basically review the containment spray piping lines,
5	look at all the detail. We don't see the detail.
6	Angling up to the top of the containment, you know,
7	looking up, see the supports, the lines go up vertically
8	and then split and go up higher like this, like a
9	u-shape in piping halfway up.
10	Are you saying that this type of support would
11	be general support design for this entire line, or could
12	it be one location?
13	(MR. WALSH:) There was more than one.
14	Now, I don't know if there were ten of them like that; I
15	can't say how many.
16	MR. LEVIN: Could you say when the line
17	was installed?
18	MR. WALSH: Yes. The supports we were
19	analyzing for NPSI were all as-built.
20	MR. LIPINSKI: Was that rectangular
21	tubing?
22	(MR. WALSH:) Correct.
23	MR. LIPINSKI: Structural members?
24	(MR. WALSH:) Yes.
25	DR. HOFNAYER: Well, at this point I

(

۰.

۰.

R RENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN. TEXAS 78757 S (512) 458-3297

222

1 think the next thing we need to do is look at the piping 2 and look at the support detail to see if what you don't 3 see visually shows up. As I say, that particular type 4 of plate, you can observe the conduit. As a matter of 5 fact, we saw some unused plate that looked like what you were describing. So beyond this point, I can't add 6 7 anything to it. I hoped maybe you could add something to it. 8 9 MR. WALSH: / It may be also taken down now 10 because, you know, this is not a new issue. This has 11 been out for over a year and a half. So, you know, the 12 Applicants have not always been known to just come right 13 out and say, "Yes, you were right. We're going to 14 change this." And they could have gone out and just 15 changed it. 16 MR. LIPINSKI: When did you see it? 17 Maybe we can trace it down to what happened. 18 MR. WALSH: When I worked out there in '82. 19 20 MR. LIPINSKI: In '82. So in '82 it was 21 still there. If it was taken down, it was after 1982 --22 betweer 1983 and 1985? 23 MR. WALSH: It was before February of '82 24 because Gene was working with us at the time. He had 25 analyzed it and gone back and analyzed it with a plate

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346.W AUSTIN, TEXAS 78757 S (512) 458-3297

.	
1	in there. I took it over to NPSI and indicated to them
2	what the stresses were, and they took like put a hold
3	on it.
4	And it came back about a month later telling
5	us not to model in that plate, that it was Gibbs and
6	Hill's responsibility. And so we did not model it in,
7	went back to NPSI.
8	MR. LIPINSKI: When was the last time
9	that you knew of the existence of this plate?
0	The gentleman that you are talking about was
1	after you left. Right?
2	(MR. WALSE:) No. He left in February.
3	MR. LIPINSKI: He left in February. And
4	after that, you know that it was there or you don't
5	know?
6	(MR. WALSE: I didn't go back and pursue
7	it. I gave it back to NPSI for their approval, whatever
8	they wanted to do with it.
9	DR. HOFMAYER: Just one question: Was
0	this the Unit 1 Containment?
1	MR. WALSH: Yes.
2	MR. LEVIN: Could you describe for me
3	what you viewed your responsibility was in terms of your
4	analysis, what your scope was?
. 1	MR. WALSH: At the time we were looking

1 at that, I was the group leader. MR. LEVIN: And in terms of modeling 2 these types of supports, what was it normally the 3 practice of the STRUDL group to model? 4 MR. WALSH: Oh, just to use the best 5 judgment -- I mean NPSI had their own design criteria 6 which we were required to follow, and I'm not saying I 7 agreed with it; I just did it. But something like that, 8 it's part of the structure, so model a plate in, and 9 10 that's what we did. 11 MR. LEVIN: The reason I asked that 12 question, it was my understanding that there is 13 basically a scope of supply change at that point. And 14 as I understood the process, STRUDL group would transfer 15 loads applicable to that interface to Gibbs and Hill for 16 them to evaluate their own hardware. 17 MR. WALSH: The STRUDL group did not do 18 that. 19 MR. LEVIN: I'm asking you to try to help 20 clarify what, in fact, you did do. 21 MS. ELLIS: I think that's already been 22 covered, Howard, in the hearings pretty thoroughly. 23 (MR. WALSH:) All I can say is the guy from 24 NPSI told me that it was Gibbs and Hill's responsibility 25 and they would take care of it.

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEX BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

1 MR. LEVIN: What I'm trying to find out is not how the process was supposed to work. It's my 2 understanding that that, in fact, is so. 3 [MR. WALSH: I don't know. If I can model 4 in that plate and it's overstressed, so I don't care 5 6 whose responsibility it is, it should be modeled in. 7 MR. LEVIN: At the time, did you have access to the as-built information from the point of 8 view of the items within Gibbs and Hill's scope? 9 (MR. WALSH:) No. I did not have any 10 11 listing like that. I was given a pipe support package 12 to analyze, and I analyzed it. I mean, I didn't analyze the Containment Building when I did the support, if 13 14 that's what you're getting at. 15 MR. LEVIN: No. You know, you modeled in 16 hardware in that scope, and I'm just trying to verify 17 whether that was on the basis of as-built information or 18 if that could have anything to do with the stresses you 19 calculated. Were you using current information for 20 hardware beyond the scope of supply boundary? 21 [MR. WALSH:] I feel that any calculations 22 that we were doing at the as-built or preliminary design 23 or whatever you call is a calculation, and it doesn't 24 matter what you call it. It has the same seriousness as 25 if it was as-built or vendor certified or whatever term

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 (512) 436-3297

1 is now being utilized. It was as-built. MR. LEVIN: The important thing that I'm 2 getting at, Mark, is that we want to be sure we're 3 analyzing with the correct inputs and information, and 4 I'm just asking you if you verified that you had it for 5 this particular case? 6 (MP. WALSH:) At the time we were doing 7 8 this, they were doing supports before they had the loads. And we could go back and look at it later, what 9 10 the loads actually were. We were doing a calculation. 11 If the thing was overstressed using the loads that we were given, it was overstressed. If those loads are 12 13 final or preliminary, they were loads. 14 MR. LEVIN: Okay, granted that. But 15 whether or not it's overstressed today may be dependent 16 upon whether the configuration is the same, whether the 17 input information you were using was the same, and 18 that's why I think it's important to know -- as I think 19 the NRC Staff is trying to ascertain -- where you were 20 looking at and what its configuration may have been at 21 that time because that will have an impact on the 22 stresses you calculated as compared to what we might 23 calculate today. 24 MR. LIPINSKI: Were you an employee of 25 Gibbs and Hill or --

w.,

K KENNEDY REPORTING SERVICE INC. 7600 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 5 (512) 458-3297

Г	
1	(MR. WALSH:) Neither. I was working for
2	PDS under the direction of TUSI.
3	DR. HOFMAYER: At this point, it might be
4	difficult to find out, but we can analyze what's there.
5	Okay? I can't guarantee we'll find it, but we haven't
6	seen it. The design could have changed. It presumably
7	could be traced back to see if it was there and it was
8	changed.
9	In terms of the final process, if we did go
0	back and reanalyze, you know, indirectly, there's
1	certainly nothing wrong with that. I'm not sure where
2	the decision gces.
3	MR. LIPINSKI: I would like to tell you
4	that we were there twice, and we looked all over the
5	place for the plate and we couldn't find it.
6	MR. WALSH: Is there a "V"? For some
7	reason I think it's VX, VS system.
8	MR. LIPINSKI: VS system?
9	MR. WALSH: CASE accidentally got a
0	drawing with it on there at the time we were doing so
1	much. I don't recall what the system is, but I did see
2	it on one of the drawings that we received.
3	MR. LIPINSKI: And that was on that
4	drawing?
	for the man and the start of the start of the

(

1 was not the particular support. I recognize something 2 like that. 3 MR. LIPINSKI: As was said before, we'll 4 try our best to find it. If we find the records of 5 this, at least we'll know where it went. That's it. 6 MR. POSLUSNY: Ms., Ellis, do you have 7 anything else to add? 8 MS. ELLIS: We will be getting any 9 information that you receive -- I assume we have been 10 getting it and will keep getting any information that 11 you provided the Staff? 12 MR. BECK: Ms. Ellis, perhaps this is a 13 good time for me to be responsive to your 14 thrice-repeated request for information regarding 15 organization, as I understand it. As we've said, we're 16 developing a comprehensive response program. Integral 17 to that response program is an organization. The 18 organization plan that we would give you last week isn't 19 necessarily the same that will be coming forth when we 20 finished our plan development. 21 It would be probably, certainly not in our 22 best interest or in yours, to give you an incomplete 23 piece. I have thought very carefully about a 24 preliminary submittal, and I just don't think it would 25 be in either one of our interests for you to go down the

> K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 348.W AUSTIN. TEXAS 78757 S 15121 458-3297

1 road that would ultimately end up not being the one that 2 we would advocate traveling a few weeks later, for 3 example. I just want to assure you that I appreciate 4 your concerns about organization, about people, about 5 6 their gualifications, and that our response plan, when it's submitted, will be comprehensive in that regard in 7 8 outlining who is doing what, what their responsibilities are, what their qualifications are, what their previous G 10 involvement has been. 11 Our tact is to clearly involve in any instance 12 where a third party, what we characterize third party 13 people, that they not be previously involved in any way 14 in the areas that they're charged with investigation or 15 examining, and that will stand the test of examination. 16 So I don't want you to think that we're not 17 being responsive to your earnest desire for information. 18 It will all be there. It's just that I think it will be 19 best for you to see the whole thing at once rather than 20 dribble it in. 21 MS. ELLIS: Okay. Great! I appreciate 22 that, John. 23 And let's see. I have one other question. 24 The information we had received from a meeting with 25 Cygna -- I guess it was on the 14th -- was that they

٤.

K KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD. 348.W AUSTIN. TEXAS 78757 S (\$12) 438-3297

were going to be sending a letter on the cinched 1 2 U-bolts. Is that incorrect? MR. BECK: That was my understanding. I 3 haven't seen anything yet. I'm sure when it comes, 4 we'll all see it at once. 5 MS. ELLIS: Okay. 6 7 There is one other thing about the Cygna 8 information that I think would be helpful to us as far as getting information, especially as we're getting into 9 10 winding down on some of these issues; that is, a lot of 11 times we've received information from Cygna where you 12 have sent them information and then they turn around 13 later and send it to us. 14 I think it would be helpful and save a lot of 15 time if y'all could send us the information direct, as 16 you do when you send things to the Staff, start sending us the same things that you send Cygna at the same time. 17 18 If that would be possible, I think that would help. 19 I guess that's about it for right now. I want 20 to say again that I think this was a very productive 21 sort of get-together, and we appreciate the opportunity. 22 And I want to say again that I certainly don't envy 23 Howard. 24 And I also appreciate all of the efforts that 25 the Staff's people have been putting into all of this,

> R KENNEDY REPORTING SERVICE INC. 7800 SHOAL CREEK BLVD - 346-W AUSTIN, TEXAS 78757 S (512) 458-3297

and I know it's a very difficult thing to try to go back 1 through transcripts and through all the documents that 2 you need to, to find out all the details that you need. We realize it is a mammoth effort, and we appreciate that effort. And while we may not always agree on the 5 final results of some of these things, we do feel that 6 the efforts of the Staff are much, much improved over what they were before, and we appreciate that.

MR. POSLUSNY: Appreciate the comments. Mr. Walsh and Mr. Doyle, thank you again for the meeting. I think it was very productive.

Mr. Beck?

3

4

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

•

MR. BECK: I want to thank Mr. Walsh, Mr. Doyle, and Ms. Ellis, particularly you, (Jack, for having traveled as far as you did. And we certainly will look at everything in the detail that you expect. (MR. DOYLE: | Appreciate that. MR. POSLUSNY: Thank you very much.

(The meeting was concluded at 6:50 p.m.)

KENNEDY REPORTING SERVICE INC. K 7800 SHOAL CREEK BLVD . 346 . W R AUSTIN. TEXAS 78757 S (512) 458-3297

J STABILITY (a) BOX FRAME STR. SNUBB (b) U' BOLT STR/SNUBB 3 (c) 'U' BONT (2) STOLT ANAL (TTAF) (d) CLAM F WITTEN FIC TO ASTICA (2) STE FRAMES GANG HER STRUT SPIZINCE -14-715 AGE FIXES (3) BRACKETS TO STOP STRUT SIGNE FRICE TO POULSES (b) SLIP ANGLE TO HOLD U BOLTS ( EUX FR) (C) LUGS (STOP HXIAL BUT NOT OTHERWISE) 7 (A) DOUBLE STRUT FOR BOX FRL (e) BUMPERS TO REPLACE STRUT STOPS (F) SHINS TO O'GAP (THERMAL CONST) (3) QINCHING U' BELTS LOADS ON SET NOT AUTED FOR (3) SWE HARDWARE (b) SWINE & OF STRUTS & CAUEBERS. (C) FRICTION (10") (4) LOAD & FOR SHUBBERS STRUTS (CC-008-019) D (2) ACTUAL SECTION PROP (1/20 HELE FOR SLOH) (F) HANGING SUPPORTS OFF RICH POLTS B) 3) SHEWE DTSTEEDTSK HUAT FILH IN BRE P(A) SWE STRUCT. ANY DIRECT. ( ME MOHEL (TRATES SE COMMAND AL TTORARECT TOPSI THAL CON CALING 3, HARDWARE (3) DIFF LONKUP OF SHIZEED (JANS PART - 3 11 LIK.) E (b) CROSS BARS (NOT TUBES) FOR 'U' BOLTS (CC-008-006) 1500 SPAN 19 (C) DOUBLE AXING RESTR (STR/GNUBBERS) LOAD DIST REL TO STIFF. (d) THERMAL ROT AY (RAD) LOAD REDISTRIBUTION (4) RICHMONDS (3) SXCESS A (ALTERS STIFF SPT) (3) BENDING IN BOLT (C) BRE JOINT NOT ADCEPT FOR DYNAHICS 6) (d) SHEAR LEADS NOT BASED ON PROPER DISTIERS ST (e) HE HOW PRYING ACTICK NOT CONSID 5) INSORRECT PROCEED FOR COUPLING TORSISH TO FELD

(5) LOCAL EFFECTS NOT CONSID. HYATT REBENCY K.C. 119) (2) 15" \$ DIAPH FAILURE - CC-08-709 FAIL OF CHPY (b) TUBE WALL EXENIA FAILURE CC-116-035 " OF COMPOSITE (C) FAIL WEXIZ CC-028-039 5332 (d) FAIL PLATE/W UBOLT (SEBOVE) 3X3/4 14"= PAN 7600 =15 OVER T TI (=) TORSIONAL FAILURE SPT/ON COL FOR. 02-107-558 ADDITONAL AREAS (3) CALL OF FLEID 4D IS CANT I SIMP SPT BY FLEX FORK. (2) CLOSED & <'60" GROOVE WELDS RATIO F/DI-1. 7 INTERN CRACKING (h) CANC FOR FALS INTEG WITH FIRE (IT CALL OF WAPPING MODE NOT CONSID - FLEX FORM: ( FAILURE IS (1) PUNCHING SHEAR NOT ALLONYS USED (WELD COMP) (A.) SHORT TUBES ON BASE & LOAD PATH BENDING OF SIDE WALLS (6) U' BOLT AS 2 & 3 WAY (2) CAN SEE Z WAY LOADS (b) WITH I WAY LOADS FRIGTION NEED IT BE ABOUNTED FOR (3) (C) WITH Z WAY " " I & BINDING " 7) CINCHED DOWN 'U' BOLTS (3) LOAD EXCEREDS MF3 LDS ALLOW. (b) FULL THRU ON T'BES NOT UALCL'ILC. HHATT' 3 (2) 1000 S. LOADS ON PIPE SEFECTING LOCAL STRESS & STRILD OUTPUT (3) 12 HAPDWARE SAUP STRUT- CLAMP ETC. (b) STRUCT - U' BOLT & STRUCT , BOX BHS, VF ETC. (C) KICK LADS ANDULAR STRUTS (1) CINCHED UP 'U' BUT EFFECTS (3) BOY, FRAME CONSTRAINTS (S) ANCHORS LUCKING THEREAL GROWTH (3) EFFECTS OF TRUNNIONS IPAD OR NO () BUILDING LOADS ON SPT HEHBERS (3) WALL TO WALL, I WALL TO FLICIELING ETC. D.L. (2255 COL) (2) (b) SEISHIC RESTRAINT 10) STIFFYESS (2) ACTUAL STIFF NESS V.S. GENERIC OR LOWER CENERIC i TO UNDERSIZE WELDS (3) SINCE FREN OF CRACKING IS PREALISE (VOL EXAM REGU)

- (E) CRACK PROPAGATION
  - (3) WELDS THAT VIOL, BETH REC ANE SUBJECT TO CRACK PROP. WITHOUT VOL: EXAM NEGLECTING AREA OUTSIDE BIS NOT ANS.
- (3) HIGH LONDS ON FIRE LIVE WITH SPT
  - (1) BETHLING PROBLEM FOR FURT . 11 R. 64 6 12 6 1 = 21R2 ST.
  - (b) COLLAPSE SHEEK OF WALL DUE TO SCHE & HCH STOND
- IS APPENDIX XI
  - (3) THIS WAS POINTED SUT IN DEFUS BUT NEVER ANSWITCED APPLY.
- (15) CALC .

G.

- (2) CYGNA HAS FOUND~78% OF CALCS DWE NOT STAND MENE
- (b) I HAVE FOUND MOST OF APPL CALCS ARE INCORPORT IN THERE FAVOR - U.L.P. - MOH REST & FACTORS, DIAPH, TORSIONIAL GTO ...