

ORIGINAL ACNWT-0118

OFFICIAL TRANSCRIPT OF PROCEEDINGS

NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON NUCLEAR WASTE

Title: 95TH ADVISORY COMMITTEE ON  
NUCLEAR WASTE (ACNW) MEETING

Docket No.:

TRO8 (ACNW)  
RETURN ORIGINAL  
TO BJWHITE,  
ACRS T-2E26  
415-7130  
THANKS!

Work Order No.: ASB-300-51

0/1

LOCATION: Rockville, Maryland

DATE: Thursday, November 20, 1997

PAGES: 1 - 141

9711260173 971120  
PDR ADVCM NACNUCLE  
T-0118 PDR

ANN RILEY & ASSOCIATES, LTD.  
1250 I Street, NW, Suite 300  
Washington, D.C. 20005  
(202) 842-0034

230144

ACNW OFFICE COPY - RETAIN FOR  
THE LIFE OF THE COMMITTEE

|| || || || || || || || || ||



ORIGINAL ACNWT-0118

OFFICIAL TRANSCRIPT OF PROCEEDINGS

NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON NUCLEAR WASTE

Title: 95TH ADVISORY COMMITTEE ON  
NUCLEAR WASTE (ACNW) MEETING

Docket No.:

Work Order No.: ASB-300-51

TR08 (ACNW)  
RETURN ORIGINAL  
TO BJWHITE,  
ACRS T-2E26  
415-7130  
THANKS!

LOCATION: Rockville, Maryland

DATE: Thursday, November 26, 1992

PAGES: 1-141

9711260173 971120  
PDR ADVCM NACNUCLE  
T-0118 PDR

ANN RILEY & ASSOCIATES, LTD.

1201 New York Ave., Suite 300  
Washington, D.C. 20005  
(202) 546-8834

ACNW OFFICE COPY - RETAIN FOR  
THE LIFE OF THE COMMITTEE





DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON NUCLEAR WASTE

NOVEMBER 20, 1997

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Nuclear Waste, taken on November 20, 1997, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript had not been reviewed, corrected and edited and it may contain inaccuracies.



1 UNITED STATES NUCLEAR REGULATORY COMMISSION  
2 ADVISORY COMMITTEE ON NUCLEAR WASTE

3 \*\*\*

4 95TH ADVISORY COMMITTEE ON  
5 NUCLEAR WASTE (ACNW) MEETING

6  
7 U.S. Nuclear Regulatory Commission  
8 Two White Flint North, Room 2B-3  
9 11545 Rockville Pike  
10 Rockville, Maryland 20852-2738

11  
12 Thursday, November 20, 1997

13  
14 The Committee met pursuant to notice at 8:30 a.m.

15  
16 MEMBERS PRESENT:

17 B. JOHN GARRICK, Chairman, ACNW  
18 GEORGE HORNBERGER, Vice Chairman, ACNW  
19 F. FAIRHURST, Member, ACNW  
20 RAYMOND G. WYNER, Member, ACNW  
21 HAROLD LARSON, Member, ACNW  
22 JOHN T. LARKINS, Executive Director, ACRS/ACNW

23  
24  
25  
ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1250 I Street, N.W., Suite 300  
Washington, D.C. 20005  
(202) 842-0034



1 STAFF AND PRESENTERS SEATED AT THE COMMISSION TABLE:

2 RICHARD K. MAJOR, STAFF

3 GIORGIO GNUGNOLI, ACNW STAFF

4 MIKE BELL, NMSS

5 ANDREW C. CAMPBELL, ACNW STAFF

6 LYNN DEERING, ACNW STAFF

7 CAROL HARRIS, ACNW STAFF

8 MICHELE S. KELTON, TECH STAFF

9 SUSAN SHANKMAN

10 JOHN W. SORENSEN

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1250 I Street, N.W., Suite 300  
Washington, D.C. 20005  
(202) 842-0034



## P R O C E E D I N G S

[8:30 a.m.]

CHAIRMAN GARRICK: The meeting will now come to order.

This is the first day of the 96th meeting of the Advisory Committee on Nuclear Waste. My name is John Garrick, Chairman of the ACNW.

Other members of the Committee include George Hornberger, Raymond Wymer, and Charles Fairhurst.

The entire meeting will be open to the public. During today's meeting the Committee will meet with NRC's Division of Waste Management to discuss budgets and priorities for fiscal year '98. We will review the Standard Review Plan for spent fuel dry storage facilities.

We will meet with the Director of NRC's Division of Waste Management to discuss items of current interest.

We will prepare ACNW reports on, first, the Standard Review Plan for spent fuel storage facilities; second, ACNW priorities and strategic plan; third, ACNW input on nuclear waste related research to the ACRS report to Congress on NRC's research program; and we will discuss committee activities and future agenda items.

Richard Major is the designated Federal official for today's initial session. This meeting is being conducted in accordance with the provisions of the Federal



1 Advisory Committee Act.

2 We have received no written statements or requests  
3 to make oral statement from members of the public regarding  
4 today's session. Should anyone wish to address the  
5 Committee, please make your wishes known to one of the  
6 Committee staff, and it is requested that each speaker use  
7 one of the microphones, identify him- or herself and speak  
8 with sufficient clarity and volume so that he or she can be  
9 readily heard.

10 Before proceeding with the first agenda item, I  
11 would like to cover some brief items of current interest.

12 Number one, starting November 17th this year, Dr.  
13 Savio will be on a rotation as part of a developmental  
14 assignment in the Office of Nuclear Regulation. Dr. Savio  
15 will be Project Director for six of the Region III plants.  
16 During this three month rotation, Dr. Gail Marcus will be  
17 rotating into his position and will be the Acting Deputy  
18 Executive Director for the ACRS ACNW.

19 Starting December 1, 1997, Mr. Sam Duraswami,  
20 Branch Chief for the ACRS, will be on rotation as part of a  
21 development assignment in the Office for Analysis and  
22 Evaluation of Operational Data.

23 Mr. Duraswami will be involved in this  
24 developmental assignment for three months. An Acting Branch  
25 Chief will be designated on or before December 1, 1997.

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1250 I Street, N.W., Suite 300  
Washington, D.C. 20005  
(202) 842-0034

1           It shouldn't be this difficult because something  
2 must be wrong with the microphone because it's never  
3 required this much directional voicing. We are having  
4 microphone problems.

5           CHAIRMAN GARRICK: The second item of interest,  
6 the Environmental Protection Agency has proposed to certify  
7 DOE's Waste Isolation Pilot Plan, which would be the world's  
8 first geological repository for permanent disposal of  
9 transuranic and transuranic mixed waste. However, there is  
10 a long way to go before the \$1.8 billion site in New Mexico  
11 opens. The New Mexico Environmental Department has not yet  
12 issued a key permit. The debate on that permit is expected  
13 to last for months.

14           If both EPA and the state give WIPP the thumbs up,  
15 opponents likely will sue to prevent the site from opening,  
16 so there is a bit of a road ahead yet on the operation of  
17 WIPP.

18           Item number three, as expected the Westinghouse  
19 Electric Corporation announced Friday that it has agreed to  
20 sell its conventional power generation business to Siemens  
21 of Germany for \$1.525 billion in cash. Westinghouse says it  
22 expects to complete divestiture of its industrial businesses  
23 including its nuclear power assets by mid-1998, leaving it  
24 as a pure playing media company. Effective December 1 it is  
25 changing its name, in fact, to CBS Corporation.



1 Are there any other items of interest that Staff  
2 or any other members wish to bring up?

3 MR. FAIRHURST: I am just interested in this  
4 Westinghouse announcement, saying that Westinghouse is the  
5 operating contractor for WIPP. Does that mean that they  
6 will be out of that?

7 CHAIRMAN GARRICK: It's not clear to me.  
8 Apparently Siemens would be the operating contractor.

9 MR. SORENSEN: This is Jack Sorensen. I think the  
10 Government operations are a separate organizational unit and  
11 their disposition has not been established yet.

12 CHAIRMAN GARRICK: Thanks, Jack.

13 All right. I think that if there are no other  
14 comments or suggestions from either the Committee or Staff  
15 or anybody in the audience, we will move into our agenda.

16 The first item on our agenda is the NRC's Division  
17 of Waste Management discussion or NMSS priorities for the  
18 coming year. The purpose of this is to discuss budget and  
19 priorities for fiscal year '98 and proposed interactions  
20 with ACNW.

21 I guess Mike Bell is going to be the speaker for  
22 this and he will introduce the topic as well as any other  
23 possible participants, so go ahead, Mike.

24 NRC DIVISION OF WASTE MANAGEMENT, NMSS  
25 PRIORITIES FOR THE COMING YEAR

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1250 I Street, N.W., Suite 300  
Washington, D.C. 20005  
(202) 842-0034

1 MR. BELL: I'm Michael J. Bell and for about the  
2 past six months now I have been the Acting Chief of the  
3 Performance Assessment and High Level Waste Integration  
4 Branch in the Division of Waste Management and one of my  
5 principal responsibilities is the project management of the  
6 High Level Waste Program in the NRC.

7 Today's presentation is really going to focus on  
8 the High Level Waste budget and priorities, since I think  
9 that is the area of probably the most interest to the  
10 Committee. During his remarks during the Director's session  
11 this afternoon, John will say a little bit more about the  
12 budget situation and the other areas in the division.

13 Basically this is a good time for this  
14 presentation. It's still relatively close to the beginning  
15 of the fiscal year and what I would like to go over with you  
16 today basically is some of the things we accomplished in  
17 fiscal '97, what are the major things going on in the  
18 national program in fiscal '98 and a few years beyond that  
19 and are driving some of the work in the High Level Waste  
20 Program, how we structured our priorities given the budget  
21 that we received, and then based on that, the things that we  
22 would propose to be interacting with the ACNW on during  
23 fiscal '98.

24 You may or may not know that the NRC request for  
25 the High Level Waste Program for fiscal '98 was for a \$17



1 million program. The appropriation in fact was about \$15  
2 million so that early in this fiscal year we have  
3 essentially done a lot of reprogramming and prioritizing to  
4 deal with the less appropriations.

5 Basically we are continuing what we call our  
6 refocused program that focuses on resolving the key issues  
7 most important to repository post-closure performance with  
8 the target of trying to come to closure at the staff level  
9 on a number of these issues to provide timely guidance to  
10 DOE as it prepares its viability assessment, which is  
11 scheduled to be published at the end of this fiscal year.

12 Let me briefly turn to some of the accomplishments  
13 and before somebody else points it out, I'll point out that  
14 we don't have a new site. We are still considering the  
15 Yucca Mountain site -- not the Yacca Mountain site down  
16 there in the third from the bottom bullet.

17 CHAIRMAN GARRICK: It's not so inappropriate.

18 [Laughter.]

19 MR. BELL: But basically some of the recent  
20 accomplishments have been to reach agreement with DOE on a  
21 performance-based program that essentially uses total system  
22 performance as the main topic of discussion that focuses all  
23 our interactions and is the area that we see as key to  
24 coming to closure on if we can reach agreement with the  
25 Department on the kinds of things that need to be done to

1 assess post-closure performance and the results of that  
2 post-closure performance indicate that performance is  
3 acceptance basically we think the national program is headed  
4 in the right direction to have a licensable depository.

5 One of the important accomplishments of this  
6 fiscal year was to develop a pilot -- what we call issue  
7 resolution status report on how the staff would approach  
8 resolving one of the key issues for repository performance.

9 We selected the issue, the topic of future climate  
10 change and basically developed this report which lays out  
11 the Staff Review Procedures, what we would find acceptable  
12 in terms of a DOE submission on that topic, summarized  
13 basically what we thought the state of knowledge was, and  
14 essentially tried to lay a road map for what issue  
15 resolution in that area would involve.

16 That was transmitted to DOE at the end of June of  
17 the last fiscal year. We received a response from DOE that  
18 was very positive, that said that the acceptance criteria  
19 were the kinds of guidance they needed for their program and  
20 encouraged us to continue this sort of document, which was  
21 helpful because at the end of the fiscal year we produced  
22 five other issue resolution status reports in areas related  
23 to unsaturated and saturated flow, the effects of heat on  
24 flow, geologic and seismic issues, repository design, and  
25 near-field coupled effects.



1           These have all been transmitted to the Department  
2 over the period of about the first month of this fiscal year  
3 and we are on the schedule to brief you on those next month  
4 in more detail and basically I want to make you aware that  
5 those documents are available. The ACNW should have copies  
6 of them and we're planning to brief you on them and we would  
7 like your feedback.

8           Some of these bullets in fact are the subjects  
9 that are covered in these issue resolution status reports.

10           I think another important situation is that really  
11 some time ago, not before fiscal '97, we had accepted DOE's  
12 documented QA program and had been monitoring implementation  
13 of that program for some time and basically again their QA  
14 program for the work that they are doing in the repository  
15 program seems to be of the right level to contain the right  
16 activities, that if they continue to apply it while  
17 developing the license application it should result in our  
18 being able to review the application without the quality of  
19 the design or the data supporting the design and analyses  
20 being a major unresolved issue.

21           There are two other issue resolution status  
22 reports that are scheduled for the early part of this fiscal  
23 year. One of them is the one on igneous activity and then  
24 there is another one on total system performance assessment  
25 that basically these issue resolution status reports -- in

1 fact you may see before the next meeting, but I am not sure  
2 we are going to be prepared to address them in the briefing.

3 MR. FAIRHURST: Could I ask you a question? What  
4 is the upper bounds? On the last bullet you said you have  
5 reached agreement with DOE on the upper bound for the  
6 probability. What is it?

7 MR. BELL: Well, being new to the committee, we  
8 have had several briefings and workshops with the committee  
9 over the past year and basically we are in the range of an  
10 annual frequency of the extrusive disruption or disruption  
11 of repository waste, extrusive volcanism of 10 to the minus  
12 7 or 10 to the minus 8. So over a 10,000 year period,  
13 performance means it is 10 to the minus 3 to 10 to the minus  
14 4 probability of occurrence.

15 MR. FAIRHURST: So does that mean that they have  
16 to identify the consequences of a volcanic event?

17 MR. BELL: Yes. We believe that is still  
18 sufficiently high probability that the consequences need to  
19 be assessed so that the total risk can be put into  
20 perspective and the efforts now are on reaching agreement on  
21 the components on that consequence analysis.

22 MR. FAIRHURST: Is the agreement is between 10 to  
23 the minus 7 and 10 to the minus 8.

24 MR. BELL: Basically if our goal is to keep pace  
25 with the national program, the first question is, well, what



1 is happening in the national program.

2 There are three Federal agencies involved with the  
3 Department of Energy with the responsibility for developing  
4 a repository; NRC, with the regulatory role; and EPA has the  
5 role of setting the overall environmental protection  
6 standards for the repository.

7 Some of you know EPA was to have by this time  
8 issued a standard that takes into account the  
9 recommendations of the National Academies' technical basis  
10 report. EPA has been working on this for some time.

11 There has been at the staff level some number of  
12 meetings between the Department, NRC and EPA staff. It's  
13 really still unclear to us what their schedule is, but we  
14 get some indications that perhaps late this calendar year or  
15 early 1998 they may in fact be in a position to propose  
16 their standards.

17 Now actually there is probably one piece of news  
18 that you need to know, that Dr. Garrick didn't mention is  
19 that legislation has passed both houses of Congress to  
20 revise the High Level Waste Programs.

21 The two bills are different. Both of them provide  
22 for some sort of central interim storage at the Nevada test  
23 site. Both of them address the content of the overall  
24 standard for Yucca Mountain and deal in fact with the role  
25 of EPA in setting that standard.

1 In fact, one of the bills would set the standard  
2 itself and EPA would have no role unless for some reason the  
3 NRC thought that the standard set by Congress was not  
4 sufficiently protective and felt the need to consult with  
5 EPA on the development of some other standard.

6 Now since the two bills are different, the  
7 expectation is that there will be a conference committee in  
8 early 1998 when Congress reconvenes that something is likely  
9 to come out of the conference committee that the President  
10 at this point has still said that he would veto but the  
11 House passed their legislation with enough, with more than  
12 enough votes to override a veto and the Senate was within I  
13 think it was two votes of having the necessary votes to  
14 override a veto.

15 So there may be in 1998 new legislation for the  
16 High Level Waste Program that in fact would have some impact  
17 on our program planning.

The next line addresses the DOE's development or I  
guess revision of their 10 CFR 960, the siting guidelines  
20 for the high-level program. The proposed revised siting  
21 guidelines, quite some time ago they have interacted with  
22 the NRC on -- NRC has a role in concurring -- the Department  
23 would revise and we've had interactions between the two  
24 agencies. Basically the Commission has decided that the  
25 role -- the type of review they would be -- would be to



1 determine whether or not there were -- they had an objection  
2 to anything that DOE was proposing to do in these  
3 guidelines. This is say a different role from when the  
4 guidelines were initially established when the Commission  
5 went through a very elaborate review and concurrence  
6 process.

7           The two milestones here are NRC activities to  
8 revise our Part 60 regulations. We anticipate in either the  
9 event of legislation setting a new environmental standard or  
10 a proposed EPA standard that Part 60 would either need to be  
11 amended or replaced with a standard that would have as its  
12 overall performance measure, either dose or risk, that would  
13 need to address a number of the recommendations of the  
14 National Academy Panel such as developing a stylized  
15 intrusion scenario specifying how we would approach issues  
16 like what is the critical group, pre-Yucca Mountain use of a  
17 reference biosphere and a dose-risk assessment, and related  
18 matters.

19           There is a paper that we have developed for the  
20 Commission to essentially get their approval to start this  
21 rulemaking that is working its way through the NRC  
22 concurrence process. As of today it has not reached the  
23 Commission, and by the time of the next meeting in December  
24 the -- it's unlikely that we would have a Commission vote  
25 and it would have become a public document. So where I

1 expect us to be at the time of the December meeting is the  
2 paper would be at the Commission, ACNW would have copies of  
3 it, but it would not yet be a public document, and for your  
4 December meeting we would not be in a position to discuss  
5 its contents in a very open way. So it had showed up as one  
6 of the potential items for next month's meeting, and we're  
7 now recommending it should be taken up in the following  
8 meeting.

9           There is a key end date here. Basically the  
10 Department has told the Commission in Commission briefings  
11 and management meetings we have had that they need to know  
12 what our final high-level waste regulation will be by about  
13 July of 1999 in order to not delay their schedule for  
14 preparing the license application, and basically this is our  
15 target end point.

16           The third line shows our activities, develop the  
17 issuing resolution status reports. As I mentioned, actually  
18 this star is at the end of fiscal 1997 or the very beginning  
19 of '98, the five issue resolution status reports that have  
20 already been developed. Our plan is essentially these are  
21 the living documents. In the title they have a term status.  
22 Each of them deal with a number of subissues, and as we gain  
23 new information or are able to resolve additional subissues  
24 within an issue that these would be updated, and we're  
25 shooting for about the end of June for a set of revisions



1 plus the publication of a few additional issue resolution  
2 status reports in some areas that we haven't covered as yet.  
3 Basically we feel this is about the latest that we could  
4 make this information available and be useful for the  
5 Department for the viability assessment at the end of the  
6 year.

7 The plan would be after we review the viability  
8 assessment any new information that we would learn through  
9 that review for additional work we've done in our program we  
10 would update these again, and essentially these would be  
11 building into parts of a standard review plan for the  
12 postclosure part of the repository. As I said, some of the  
13 contents of one of these resolution status reports are the  
14 staff's review procedures and the acceptance criteria that  
15 would normally be found in a standard review plan. But at  
16 our reduced budget level, we aren't in the position to  
17 actually develop a formal document that we would call our  
18 standard review plan.

19 Basically line 4 is the review of the viability  
20 assessment that would -- our product would be a paper to the  
21 Commission that would allow the Commission to comment to  
22 Congress if requested when requested on the Commission's  
23 views on the viability of the program. Our plan was if we  
24 had received the full funding of the 17 million to in fact  
25 resume working on a standard review plan in fiscal '99.

1 This is one of the potential impacts on out-year work of the  
2 \$2 million reduction we got in the '98 budget. Basically a  
3 number of out-year activities I think are here for  
4 completeness leading up to things like the submittal of a  
5 license application, the DOE's decision on the sufficiency  
6 of data to prepare the license application, our involvement  
7 in their development of an EIS, and we're required by  
8 statute to adopt that EIS.

9 CHAIRMAN GARRICK: Mike, you're suggesting that  
10 the budget reduction is going to hit you with respect to the  
11 development of the standard review plan?

12 MR. BELL: That's right.

13 CHAIRMAN GARRICK: Can you elaborate on that a  
14 little bit? Does it mean you're not going to have a  
15 standard review plan, or you're going to have an abbreviated  
16 standard review plan?

17 MR. BELL: We -- the plan or the impact seems to  
18 be that we would have an incomplete standard review plan.  
19 The net effect of now the third year of appropriations less  
20 than the request has been essentially keep putting off a  
21 number of things dealing with preclosure, surface  
22 facilities, even some aspects of postclosure that are, you  
23 know, less important, that don't rise to the level of the 10  
24 KTIs that we've been working on, and, you know, even some of  
25 the work at the Center on three of the 10 KTIs was



1 eliminated last year.

2 So, you know, this tremendous bow wave of work  
3 that's been pushed out that, you know, the plan has always  
4 been that, well, if we ever get the funding restored, we'll  
5 start to catch up, so by the time of licensing we would have  
6 a standard review plan, we'd have a fully documented  
7 performance assessment methodology for both preclosure as  
8 well as postclosure, and, you know, we can proceed, for  
9 example, if we continue to find ourselves in a situation  
10 where we have reduced appropriations that the license  
11 application will arise and we'll end up developing our  
12 review procedure and our acceptance criteria and our  
13 methodology for the operational period while we're doing the  
14 review.

15 Now I'd like to focus on --

16 CHAIRMAN GARRICK: Just a comment. I realize that  
17 last exhibit was a summary schedule, and also that you're  
18 going to talk about priorities in the context of the KTIs,  
19 but could we interpret that also as sort of a global view of  
20 your priorities, that schedule that you just showed?

21 MR. BELL: Well, I mean, what the schedule for the  
22 most part reflects is the national program, and there are a  
23 number of things DOE is doing that we're trying to keep pace  
24 with, and so -- can probably put it back up again.

25 So basically, you know, some of this works back

1 from the fact that in 2002 the Department's going to submit  
2 a license application. Part of their plan is in fact to  
3 develop what they call their working draft license  
4 application that they would be iterating with us on. Part  
5 of the -- you know, at the license application, you know,  
6 they also need to have completed the EIS, made the  
7 statutorily required recommendation of the site to the  
8 President, and basically the triangle shows the DOE  
9 activities and the stars are NRC has some actions, to  
10 comment, to concur, to adopt, and one of the few areas I  
11 guess where there is some flexibility is the standard review  
12 plan, which is a guidance document that's proactive and say  
13 it's -- it's likely --

14 CHAIRMAN GARRICK: So in the absence --

15 MR. BELL: Likely candidate --

16 CHAIRMAN GARRICK: Yes. But in the absence of  
17 standard review plan, what is the mechanism of guidance?

18 MR. BELL: Basically for the things we're funded  
19 to work on, it will be the IRSRs. So for the key technical  
20 issues, the guidance will be the acceptance criteria, the  
21 review procedures, the rationale for closure of issues that  
22 are contained in those documents. For other areas they're  
23 just not being worked.

24 CHAIRMAN GARRICK: How about the technical  
25 exchange meetings? Do they -- are they serving --



1 MR. BELL: We do not have technical exchanges, for  
2 example, on preclosure. We have a rule on the design basis  
3 events, for example, that was promulgated a year or two,  
4 that now requires DOE to analyze, you know, potential events  
5 during the operational period to do an offsite dose  
6 assessment that, you know, we're just not interacting with  
7 them on what their methodologies are, any of the outcomes of  
8 those assessments.

9 I mean, that area of the review of the license  
10 application will, unless things change, will just start to  
11 focus on it in 2002 when the application arrives on our  
12 doorstep. And that's what the, you know, so far at least  
13 we've been unsuccessful at, you know, getting the message  
14 across to Congress that there's a cost involved in that, and  
15 the cost of delay later in the program is going to be much  
16 higher than the few million dollars they're saving now.

17 CHAIRMAN GARRICK: Well, there's some concerns  
18 surfacing here. On the one hand you hear the DOE talk about  
19 the viability assessment exercise as something to give them  
20 experience in the licensing arena, kind of a pilot  
21 application, although you might not find much official  
22 documentation with respect to that objective, but on the  
23 other hand it sounds like the NRC is to have little or no  
24 role, and certainly no official role, in the viability  
25 assessment. And in the absence of a standard review plan,

1 one can't help but think that the viability assessment  
2 provides an ideal opportunity for the NRC to get some  
3 insights on how to license this facility as well. Are we  
4 missing an opportunity there?

5 MR. BELL: Well, we don't think we're missing an  
6 opportunity because we think that we're, you know, we're  
7 focusing on the key technical issues that essentially the  
8 kinds of things that are going to be most important to the  
9 viability of the site are postclosure issues, not, you know,  
10 how you design the hot cells and the surface facilities for  
11 the receipt and handling and packaging of the materials.

12 I mean, those are design issues rather than some  
13 of the postclosure kinds of issues that could in fact render  
14 the site not viable if site conditions are unsatisfactory or  
15 DOE can't design an acceptable isolation system to  
16 accommodate the site. So we think we are focusing on the  
17 most important things, but the -- at some point we're going  
18 to have to look at the rest of the safety issues and the  
19 site-design issues and say a program that really kept pace  
20 with the national program would be doing some of that now,  
21 and just not continually postponing this issue.

22 CHAIRMAN GARRICK: I'll try to show more patience.  
23 I'll wait to hear some of the rest of the story.

24 MR. BELL: I guess, you know, we focused a lot on  
25 what we are not doing. Here is what we have been doing.



1 Basically, the Committee has seen this list of key technical  
2 issues a number of times before.

3 Essentially, based on progress made this year,  
4 things we have learned in developing our performance  
5 assessment models and iterating with DOE on their  
6 performance assessment models for Fiscal '98, we have  
7 reprioritized our work.

8 Some things have changed because of changes in the  
9 DOE program. For example, radionuclide transport was  
10 considered a low priority at one time because DOE's  
11 isolation strategy didn't appear to be taking much credit  
12 for this.

13 Now, it seems like the DOE program has changed and  
14 we need to be paying attention to it, and so we have  
15 increased the priority there.

16 In some areas like igneous activity, I think we  
17 have made substantial progress in resolving some of the  
18 issues and we can give less attention and, correspondingly,  
19 less funding in that area and use those resources elsewhere.

20 One of the things you will see in Fiscal '97, the  
21 three years, radionuclide transport, container life and  
22 source term, or repository design, they don't actually show  
23 zeroes. There was a small expenditure of resources at the  
24 Center in the first quarter of Fiscal '97, essentially, to  
25 produce the annual report that documented the '96 work.

1 But, essentially, there's no new technical work at the  
2 Center in these key technical issues.

3 The plan, if we had got the \$17 million request,  
4 was to increase all of those areas. I mean, basically,  
5 another change in the DOE program has been much more  
6 emphasis on the engineer barrier system, looking at  
7 alternative engineering barriers.

8 You have heard the briefing from them, with all  
9 the options they are looking at in terms of things like drip  
10 shields and various backfills and getters and inverts. And,  
11 basically, you know, we have had to put resources back into  
12 both container work and the repository design work.

13 Now, the appropriation turned out to be \$15  
14 million rather than \$17 million, basically, we have had to  
15 go back and revisit the allocation again, and so, for  
16 example, in repository design, you know, we ended up not  
17 increasing it nearly as much as we had planned at one time.  
18 Whereas, in radionuclide transport, I think we decided it  
19 was now looking sufficiently important that none of the \$2  
20 million cut was taken there.

21 MR. FAIRHURST: Excuse me. Could you explain the  
22 figures a little bit?

23 MR. BELL: Yes. Okay.

24 MR. FAIRHURST: First of all, "C" mean Center?

25 MR. BELL: I'm sorry. Yeah, "C" is FTE's, what we



1 are showing here is --

2 MR. FAIRHURST: No. Wait. Yeah. But the bottom  
3 is 37?

4 MR. BELL: -- FTE's at the Center and NRC.

5 MR. FAIRHURST: And the bottom numbers, how do  
6 they relate to the \$17 million, \$15 million?

7 MR. BELL: Basically, you know, there is a factor  
8 that converts an NRC staff FTE and Center's FTE to money.

9 MR. FAIRHURST: I see, so those are FTE's.

10 MR. BELL: Yeah, these are in FTE's. I'm sorry.

11 MR. FAIRHURST: Okay.

12 MR. BELL: So, basically, fully loaded at the  
13 Center, one FTE, I think runs about \$280,000, and an NRC FTE  
14 is about half of that.

15 MR. FAIRHURST: So 280 times the sum of the two  
16 numbers should equal \$17 million --

17 MR. BELL: No, 280 times the Center column will  
18 give you the ballpark of the Center budget. And it is  
19 probably about 120-or-so times the NRC FTE's to get the  
20 NRC.

21 MR. FAIRHURST: Thank you.

22 VICE CHAIRMAN HORNBERGER: Mike, how -- can you  
23 give me some indication of how these numbers translate? For  
24 example, the TSPA is still rate a high priority.

25 MR. BELL: Yeah, it is still -- still our highest

1 priority, I would say.

2 VICE CHAIRMAN HORNBERGER: Yeah, the highest  
3 priority but you have the biggest cuts in FTE's.

4 MR. BELL: Well, it has come down only because  
5 --Fiscal '97, there was a lot of work here developing TPA  
6 3.1. Now, basically, we are using the code to do  
7 sensitivity analyses. The sensitivity analyses are actually  
8 being run, not by the assessment staff, but by the technical  
9 staff in their areas, to look at what are -- a sense of the  
10 parameters. You know, what are the model uncertainties in  
11 this?

12 VICE CHAIRMAN HORNBERGER: So you have apportioned  
13 those back out --

14 MR. BELL: Yes.

15 VICE CHAIRMAN HORNBERGER: -- into these other  
16 KTI's.

17 DR. WYMER: Mike, what is included in this  
18 evolution of the near-field environment?

19 MR. BELL: That is, basically, the area where we  
20 look at the effects of heat generated by the waste packages  
21 on the chemistry of the water that reaches the waste  
22 packages.

23 DR. WYMER: An implication of evolution is that it  
24 changes with time.

25 MR. BELL: That's right. Because, you know, the



1 thermal pulse changes with time. The -- as packages begin  
2 to corrode -- you know, the engineered materials, as they  
3 degrade, are going to change the chemistry. And, basically,  
4 it provides the source turn for the corrosion models that  
5 the container KTI needs.

6 CHAIRMAN GARRICK: It looks like the biggest hits  
7 are on the Center, is that correct?

8 MR. BELL: Well, the biggest hits are on us.

9 CHAIRMAN GARRICK: In terms of FTE's.

10 MR. BELL: Well, the Center, basically -- in any  
11 of these scenarios, the NRC staff has to manage the Center  
12 work, manage the program. And, basically, the NRC  
13 resources, you know, have stayed constant for some years.

14 Basically, all of the \$2 million cut, you know,  
15 --let's see, a \$17 million budget at request would have  
16 been, in effect, about a \$3 million increase at the Center.  
17 Basically, what transpired was about a \$1 million increase  
18 at the Center.

19 Now, you won't be able to take those numbers, you  
20 know, the \$280,000 per FTE and make this come out exactly.  
21 Because what happens at the Center when -- when they took  
22 the cut, was they eliminated a number of outside  
23 consultants. They -- they had some part-time employees and  
24 such who were dropped from the program. And the overhead,  
25 essentially, goes down in their --

1 CHAIRMAN GARRICK: Yeah, I was thinking --

2 MR. BELL: So they actually were running about  
3 \$240,000 in FTE back here. The plan now would be to restore  
4 some of these consultants and other activities that they had  
5 to eliminate.

6 CHAIRMAN GARRICK: Yeah, I was looking mostly at  
7 the basis for this reduction from \$17 million to \$15  
8 million, rather than the Fiscal Year '97 to Fiscal Year '98.  
9 And I guess an unfair question here, is this -- this 44.8 to  
10 39.3 reduction science driven or politically driven?

11 MR. BELL: Well, I mean we think it is  
12 technically, you know, based -- based on the needs of the  
13 program.

14 CHAIRMAN GARRICK: All right. Well, go ahead. I  
15 said it was an unfair question.

16 MR. BELL: Well, I guess my plan was to lay this  
17 out and give you the opportunity to talk about it.  
18 Essentially, you know, we are working in the same ten post,  
19 areas that are important to post-closure performance that we  
20 have been working on for the past several years now.

21 The plan is to restore the work in the three KTI's  
22 that have been zeroed out at the Center. There have been  
23 some changes that just reflect progress that is being made  
24 or changes in the nature of the work.

25 CHAIRMAN GARRICK: Well, if you want to talk about



1 it a little bit, I am a little bit struck by the fact that  
2 you go from a high priority to a low priority, for example,  
3 on igneous activity. I don't sense a correspondingly  
4 reduction from a high budget to a low budget. And I also  
5 know that this same committee has recommended that there be  
6 a certain level of volcanic activity sustained and I -- but,  
7 it does suggest to me what you mean, what the difference is  
8 between high and low, and it doesn't like, at least on the  
9 basis of that one entry, that there is much difference.

10 MR. BELL: Well, I think you may only be focusing  
11 on the Center. You notice the staff FTE has come down  
12 considerably. And, you know, --

13 CHAIRMAN GARRICK: Well, actually, I was looking  
14 at the totals. That's right. You go from 3.5 to, you know,  
15 from 6 to about 3.5. Okay.

16 MR. BELL: As you are the committee has written us  
17 a letter on this --

18 CHAIRMAN GARRICK: Right.

19 MR. BELL: -- program that essentially says try to  
20 wrap it all up --

21 CHAIRMAN GARRICK: This year, right.

22 MR. BELL: -- this year. This is our estimate of  
23 the resources, essentially.

24 VICE-CHAIRMAN HORNBERGER: Can you give me some  
25 indication, if I just pick two of your items, the KTI and

1 unsaturated/saturated flow, isothermal -- which was high in  
2 '97 -- remains high in '98 and repository design and thermal  
3 mechanical effects -- which was low in '97 and remains low  
4 in '98 -- can you give me some insight on how that choice  
5 was made?

6 I mean I think that I could probably mount an  
7 argument to suggest that it should have been low to high and  
8 high to medium or high to low.

9 MR. BELL: Well, I guess our rationale is in fact  
10 the isothermal flow is becoming more and more important as  
11 it appears that there is more and more flow that is reaching  
12 the repository horizon. You recall a few years ago that DOE  
13 was saying it was a tenth of a million per year and now we  
14 are looking at numbers that are in the range of five and  
15 maybe even slightly higher than that depending on which DOE  
16 expert you talk to.

17 This is the area that looks at the fracture flow  
18 that reaches the repository horizon and the infiltration to  
19 the repository has consistently come out in everybody's TSPA  
20 as one of the most important -- in fact, we say in the issue  
21 resolution status report it is the most important issue for  
22 the repository.

23 Design -- basically the reason that we consider it  
24 low initially I think still holds, that many of the issues  
25 that are addressed in this KTI are not going to end up

1 making the site nonviable. There's a lot of analysis and  
2 work that needs to be done to review the designs but they  
3 don't appear to be things that would eventually make you  
4 decide to walk away from the site.

5 I guess that is the judgment that is behind our  
6 continuing to consider that low but increasing the funding  
7 in that area.

8 You just don't find things that are coming out of  
9 design that end up being models or parameters in the total  
10 system performance assessment that you then say here is this  
11 design parameter that has to do with the layout of the  
12 repository or the spacing of the drifts or something like  
13 that that is really one of the most important parameters in  
14 total system performance.

15 The things that are the important parameters in  
16 total system performance are in other KTIs like thermal  
17 effects on it. Some people would see that thermal loading  
18 is -- if you had the thermal loading in the repository as a  
19 design issue it would be a much higher issue but since a lot  
20 of the thermal testing issues and the thermal effects on  
21 flow are being dealt with elsewhere, that is how the  
22 priorities work out.

23 MR. FAIRHURST: And you have low priorities  
24 because of the design and thermal mechanical effects, right?

25 MR. BELL: Well, thermal mechanical effects, at



1 least in our models now, do not -- they affect operational  
2 considerations, retrievability considerations, but they  
3 don't affect our models for long time performance.

4 MR. FAIRHURST: Currently there is large drift  
5 scale experiment being fielded, right, which is a major  
6 experiment?

7 MR. BELL: That's right.

8 MR. FAIRHURST: And the information from that  
9 presumably is going to be fed into an understanding of the  
10 repository scale performance and one is not going to gather  
11 separate information on the repository scale so the  
12 extrapolation is going to definitely affect and the validity  
13 of that extrapolation is going to come under intense  
14 scrutiny, so it would appear to me that somebody should  
15 be -- and I see you have an increase from '97 to '98 --  
16 monitoring these very carefully, that work.

17 That is going to take a significant effort.

18 MR. BELL: In the recent past, the place we have  
19 been monitoring that work is the KTI on thermal effects on  
20 flow.

21 MR. FAIRHURST: Yes, but -- we can't make at the  
22 drift scale mechanical effects due to the proximity of  
23 excavations and this of this kind become quite significant,  
24 not just thermal. I don't want to make too big of an issue  
25 on it.

1 MR. BELJ.: Okay. Well, based on that, here are  
2 the areas where we will be expecting to interact with the  
3 Committee during the coming fiscal year.

4 When an EPA standard is published, the NRC would  
5 be reviewing it, developing it, developing comments for the  
6 Commission to provide to EPA on any proposed standards.

7 We plan to interact with the Committee on that.

8 Our main concern would be to have an EPA standard  
9 that would be implemented by NRC and consistent with the  
10 Academy technical basis.

11 The DOE siting guidelines -- we expect that in the  
12 early calendar year 1998 it will be provided to us from DOE  
13 for concurrence or for review.

14 During part of our process for review of the  
15 guidelines we would be anticipating to interact with the  
16 Committee. As I mentioned earlier, we will be here next  
17 month talking to you about the fiscal '97 issue resolution  
18 status reports but there will be new ones developed and  
19 updates and revisions of this initial set taking place  
20 during fiscal '98.

21 In the absence of a Standard Review Plan,  
22 essentially that is the best way to look at the kinds of  
23 guidance we are developing for the Department on what is  
24 needed to resolve the key issues in the repository program  
25 and we plan to interact with you on that.

1           We expect to see pieces of DOE's viability  
2 assessment in draft before the viability assessment is  
3 published at the end of the fiscal year.

4           The Committee may know there's four major parts --  
5 total system performance assessment of the site based on  
6 present knowledge; a conceptual design; a cost estimate; and  
7 what they call -- I think its their license application  
8 plan, which is given the look they have taken at this time  
9 in the viability assessment, DOE's assessment of the  
10 additional work that needs to be done between now and the  
11 end of '98 and the year 2002 to develop the license  
12 application, and we see that as being -- that and the TSPA  
13 as being very important pieces for our regulatory  
14 responsibilities and we will plan to interact with the  
15 Committee on that.

16           We would only review the design pieces I guess to  
17 the extent time, resources were available and that it looked  
18 like there was some real impact of the design on long-term  
19 performance, and we don't expect to pay much attention to  
20 the cost estimate part of it at all.

21           We are aware of the Committee's continuing  
22 interest in our performance assessment models and our  
23 capability and we'd be expecting to interact with you  
24 probably a couple of times during the year on that.

25           As a matter of fact, I mentioned back in our



1 accomplishment slides that during fiscal '97 we developed  
2 the next level of our total system performance assessment  
3 code, TPA 3.1 model. The staff has been using it to do  
4 sensitivity analyses and we plan in early calendar year '98  
5 that we'll be coming down to talk to you about the  
6 sensitivity analysis.

7 I guess I would like to recognize the two recent  
8 letters that we received from the Committee on the  
9 performance assessment and in fact comment on the October  
10 31st letter that I guess repeatedly raised the issue of the  
11 conservatism, unrealism, worst case analysis, and I guess  
12 other concerns that the Committee had that frankly I don't  
13 understand.

14 Nobody from the NRC Staff coming down to brief  
15 this Committee on performance assessment or performance  
16 assessment work has ever said we are doing worst case  
17 analyses. As a matter of fact, the Committee should be well  
18 aware that we are using probabilistic risk assessment tools  
19 to do our performance assessments, looking at distributions  
20 of parameters, of alternative models -- I guess trying to  
21 build the most realistic models that we think are warranted  
22 with the information that is available and many of the  
23 things that the Committee said in the letter we should be  
24 doing I think we feel we have told you in the past we're  
25 already doing those things.

1 I mean you gave the impression that we weren't  
2 trying to identify unrealistic assumptions and bounding  
3 assumptions that would skew our results on performance.  
4 That's been the staff's plan all along and I guess  
5 frankly we were disappointed in that letter.

6 It did not recognize our approach, and I think we  
7 will have to be down here again explaining our performance  
8 assessment process. And one of the tools that we've been  
9 developing, I think Norm talked to you about them, is the  
10 workshop in San Antonio last July was trying to adapt  
11 reactor importance analysis methodology to apply to the  
12 kinds of systems we're analyzing here in the high-level  
13 waste program. And we expect that during the course of  
14 fiscal '98 we'll be able to talk to you about our ideas  
15 there and trying to get some feedback.

16 CHAIRMAN GARRICK: Yes, I realize this is not the  
17 meeting that we want to respond to your observation, and I  
18 think it's fair enough to throw that challenge back to us,  
19 but I believe there are some genuine issues that the  
20 committee continues to have a high interest in and some  
21 concern about with respect to assumptions and variables and  
22 assignments of values to those variables that we want to  
23 share with you and discuss at the appropriate time.

24 The other thing I think that's important, just to  
25 say in passing, I don't think the committee is hung up on

1 application of reactor-type risk-assessment methods to the  
2 waste field. I do think we are hung up on being able to do  
3 things like importance analysis and prioritization of  
4 contributors and what have you in some way, and of course  
5 the first place you look is at the reactor applications,  
6 since they're well advanced over any other application. But  
7 a lot of what we've been concerned about and asking about  
8 has not been anchored to a specific reactor use, but rather  
9 to the issue itself of being able to do it, and obviously  
10 this sounds like an area where we have to do a lot more  
11 communicating to express to each other what we mean. So  
12 we'll certainly -- we're certainly looking forward to doing  
13 that.

14 MR. BELL: Okay. And I guess one of the things  
15 I'd like to invite if, you know, these are the things that,  
16 you know, we think that will be useful to interact on given  
17 what we're planning to be doing in '98. You know, are there  
18 things that are not on at list, for example, that the  
19 Committee is interested in.

20 CHAIRMAN GARRICK: Well, the answer to that  
21 probably lies in the details. You know, you have such a  
22 general descriptor as performance assessment that covers  
23 essentially everything, and in that sense yes, we believe  
24 that this is a reasonable list. But there are some  
25 specifics that I think that we'll want to be talking about



1 with you as to priorities, and what this may require  
2 therefore is cutting this in a variety of ways, and picking  
3 out some subcategories under each of those before we really  
4 are able to get down to a level where we can be specific  
5 about the Committee's feelings on priorities, but I look  
6 to -- I ask the rest of the committee to comment on the list  
7 in its present form, or I guess on any other material that  
8 Mike has presented here today.

9 Charles, do you want to --

10 MR. FAIRHURST: I don't have any specific comments  
11 at the moment, but go ahead --

12 MR. WYMER: I'm in the same boat Charles is. I'm  
13 still trying to digest everything that's in these six  
14 points. It'll take me a while to think my way through it, I  
15 believe.

16 VICE-CHAIRMAN HORNBERGER: Mike, I assume that  
17 these, what are they, six bullets, are in some way tied back  
18 to the priorities that you had on the previous slide. Is  
19 that -- that's a fair statement, right?

20 MR. BELL: Or in some cases I think they just may  
21 tie to activities on the timeline.

22 VICE-CHAIRMAN HORNBERGER: On the timeline, which  
23 was the --

24 MR. BELL: Because I don't think -- there's  
25 nothing in the KTIs, for example --

1 VICE-CHAIRMAN HORNBERGER: For the EPA standard.

2 MR. BELL: Well, actually, there is an issue that  
3 involves review the EPA standard and development of our 116  
4 rule. But there's nothing that fits the siting guideline.

5 VICE-CHAIRMAN HORNBERGER: Right.

6 MR. BELL: And, you know, the draft liability  
7 assessment, you know, that's a programmatic document, and  
8 that's going to roll up everything we're doing in all ten  
9 KTIs and give our best feedback that we can to the  
10 Department.

11 DR. WYMER: I guess I would like to add one thing.  
12 There's six things here. If you want input on all six of  
13 these things from us, then the sooner you start dribbling  
14 them out to us, the better off we'll be, so they don't all  
15 come in a lump at the end of the year.

16 MR. BELL: Well, Dr. Wymer, you'll -- when you get  
17 to know the system better you'll know that -- there is this  
18 monthly list that gets circulated of future briefings, and  
19 it's got about a three-month horizon.

20 DR. WYMER: I see.

21 MR. BELL: So we're already, you know, listening  
22 to specific topics for December, February, and maybe into  
23 March. There is no January.

24 DR. WYMER: Well, you're right, I don't know the  
25 system very well yet.

1 MR. BELL: Yes. So, I mean, these are sort of  
2 general topics that, you know, we see over the next, you  
3 know, remaining ten months of the fiscal year we'd be  
4 talking to you about, but they would be fleshed out in a  
5 little more specific detail in these monthly updates, these  
6 briefings.

7 DR. WYMER: Okay.

8 MR. BELL: And, you know, I, you know, can  
9 understand your feeling, being new to the Committee, not  
10 having all the background on this program that you must feel  
11 a little buried on new information, but --

12 DR. WYMER: That's right.

13 MR. BELL: You know, if it would help, I think we  
14 could, you know, just have some just discussions on the side  
15 for you and Dr. Fairhurst to get you to meet some of the  
16 staff and learn about --

17 DR. WYMER: Well, I'd find that very helpful.

18 MR. FAIRHURST: I don't know how general one wants  
19 to make comments, but I'm intrigued by what I think was a  
20 comment you made about in assessing making an initial  
21 overview of critical issues, I heard you saying something  
22 that while you see that the engineering design might as I  
23 gather it would do, the issues may come up, but they're  
24 correctable -- these are not your words, I'm trying to --  
25 they're correctable issues and there's nothing in there that



1 might feel like a show-stopper for a long-term --

2 MR. BELL: This is preclosure. Preclosure I think  
3 I made that statement about. Basically design of the  
4 surface facilities, the handling --

5 MR. FAIRHURST: Okay. So preclosure. All right.

6 MR. BELL: So these -- I mean, you know, the NRC  
7 might review things and decide that, well, you know, our  
8 analysis of the ventilation system says it's undersized,  
9 but, you know --

10 MR. FAIRHURST: So you were not saying that from  
11 the point of view of the long-term performance, postclosure  
12 issues.

13 MR. BELL: Well, you know, there's a transcript.  
14 I didn't intend to say that.

15 MR. FAIRHURST: No, no, I don't know.

16 VICE-CHAIRMAN HORNBERGER: But your KTI repository  
17 design and thermal mechanical effects only includes  
18 preclosure.

19 MR. BELL: No, there are some postclosure issues  
20 in there. For example, you get into it because there are  
21 things like, you know, design control of, you know,  
22 components and facilities that, you know, would be part of  
23 the long-term isolation.

24 VICE-CHAIRMAN HORNBERGER: Yes, but basically I  
25 guess me -- I didn't realize that, to tell you the truth.

1 That's my ignorance. But I'm curious then where the thermal  
2 mechanical, potential long-term thermal mechanical effects  
3 get set in. Is that the evolution of the near-field?

4 MR. BELL: No, it resides here, and I think this  
5 is an area where basically where I say it was, we have never  
6 seen in our performance assessments that those kinds of  
7 matters really affect offsite dose to the critical group.

8 CHAIRMAN GARRICK: Mike, it's interesting that  
9 there's nothing on that list directly about things like  
10 low-level waste, decontamination, decommissioning.

11 MR. BELL: You mean other programs?

12 CHAIRMAN GARRICK: Yes.

13 MR. BELL: Well, I can basically, you know, I'm  
14 the manager of the high-level waste program. That's what  
15 I'm here to talk about.

16 [Laughter.]

17 I can -- I think John as I said in the Director's  
18 remarks this afternoon can talk a little bit about the other  
19 areas. One of the things I mentioned when we were here last  
20 month talking about the research program was in the  
21 low-level waste areas, the whole program is 1.3 FTEs. I  
22 mean, there's not going to be much done in a 1.3-FTE program  
23 to come down and talk to you about.

24 MR. BELL: The siting commission program is a  
25 larger area and, I guess -- I can warn John, he will be

1 interested in hearing something about the activities there.

2 MR. JOHNSON: Mike, this is Robert Johnson.

3 Dr. Garrick, I just wanted to confirm that in  
4 planning our presentations today, John Greeves will be  
5 proposing --

6 CHAIRMAN GARRICK: Speak into the mike, I can't  
7 hear.

8 MR. JOHNSON: This afternoon, John Greeves, in his  
9 discussion to you, will be proposing interactions in the  
10 area of decommissioning and talking to you about how limited  
11 we are to interact in low level and recovery. So we just  
12 divided it up this way. That Mike would speak to high level  
13 waste interactions and John Greeves would speak to the rest  
14 of the division's interactions with you.

15 CHAIRMAN GARRICK: Thank you. Thank you.

16 MR. BELL: Go ahead, Charles.

17 MR. FAIRHURST: Forgive my ignorance on a lot of  
18 these things, but it seems to me that some of the  
19 experiments, in coming back to these drift scale experiments  
20 that are being carried out right now, have some quite major  
21 implications for the overall application and how one takes  
22 this information and uses it in a general sense.

23 And is NRC going to be giving critical input at a  
24 time when it is possible for DOE, or whoever is doing the  
25 experiment, to make the necessary correction? Rather than,



1 you know, the experiment being finished, et cetera. and then  
2 five or ten years down the road, someone will say, well, if  
3 you had done this, we would have been able to get this piece  
4 of information, and because you haven't got it, we can't  
5 accept it.

6 MR. BELL: Well, I mean, our whole program tries  
7 to avoid situations like that.

8 MR. FAIRHURST: Uh-huh.

9 MR. BELL: We have been reviewing the plan  
10 the large scale drift experiment. There have been, I think,  
11 two letters sent to DOE commenting on aspects of the  
12 experiment. I guess I think --

13 MR. FAIRHURST: Okay.

14 MR. BELL: -- we are giving it adequate attention.

15 CHAIRMAN GARRICK: I was curious about -- you seem  
16 to have a pretty tight schedule on developing a commission  
17 paper on the viability assessment. Is that causing you --  
18 is that causing you to have any anxieties or concerns?

19 It is a little bit -- it is a little bit difficult  
20 to assess the nature of the review in the time that is  
21 required because we don't know what the viability assessment  
22 is going to consist of in terms of the amount of  
23 documentation.

24 But it does appear that you are putting yourself  
25 in a pretty tight position with respect to when you develop

1 a commission paper.

2 MR. BELL: Well, I mean you have to understand  
3 what the viability assessment is intended to be. It is not  
4 a regulatory document.

5 CHAIRMAN GARRICK: Yes, I know.

6 MR. BELL: It is essentially an investment  
7 decision document to Congress.

8 We would not be reviewing it from the point of  
9 view of, you know, detailed technical review of the DOE  
10 program.

11 I mean we expect that what Congress would ask NRC  
12 -- if they get a document from the Department saying here  
13 is, you know, our summary of the information we have  
14 gathered to date. It shows that the site is viable to  
15 develop it as a repository. Here's the kinds of designs,  
16 the kinds of costs that it would take, and the additional  
17 work that would have to be done.

18 And, now, Congress, you have to decide whether or  
19 not to continue to fund this roughly, you know, half a  
20 billion dollar a year, you know, for the next ten years  
21 before there is a licensed repository. That Congress will  
22 turn to NRC and not want detailed comments on design or the  
23 technical program, but, essentially, want to know, does NRC  
24 think that it is highly, you know, there is a high  
25 probability that if we invest this money, that the site will

1 be licensable. Do you see any show-stoppers? You know, are  
2 there any fatal flaws in DOE's analysis supporting their  
3 viability decision?

4 CHAIRMAN GARRICK: Now, just back on the IRSR's  
5 for a moment. I sort of got the sense from your  
6 presentation that they were going to be the source of  
7 guidance. And they become especially important in the  
8 absence of budget to do a full standard review plan.

9 I guess that raises the question, if the IRSR's  
10 can be used to that, or serve that role, why do we need a  
11 standard review plan?

12 MR. BELL: Well, first, you got the message  
13 exactly right. We feel that IRSR's are very important  
14 documents.

15 In theory, you could license a facility, a major  
16 facility, without a standard review plan. The first, you  
17 know, several dozen reactors were licensed without standard  
18 review plans. It wasn't until, I guess, sometime in the  
19 mid-70's probably when NRR first started developing a  
20 standard review plan.

21 We -- there are benefits to having a standard  
22 review plan that is available in a timely manner. That, you  
23 now, it lets the applicant, you know, know more precisely  
24 what is required. It lets the public know what the process  
25 is and what the criteria are going to be for acceptable.



1           That -- my -- my own experience of just around  
2 this agency is that people think standard review plans are  
3 more important perhaps than they did five years ago. That,  
4 you know, there is a lot of value added in having, you know,  
5 laid out in some detail.

6           CHAIRMAN GARRICK: Yeah, but you have sort of  
7 suggested something that could be very important here, and  
8 that might even be the basis for the case to not push too  
9 hard the idea of a standard review plan, simply because,  
10 given that this is a one-of-a-kind, first-of-a-kind facility  
11 that we are licensing, and you cite the reactor example,  
12 maybe -- maybe a wise decision here would be learn a little  
13 more about what this is all about and use the Issue  
14 Resolution Status Report as the principal mechanism and  
15 driver for guidance.

16           MR. BELL: Well, --

17           CHAIRMAN GARRICK: And, actually, maybe end up  
18 with a more efficient licensing plan by not trying to  
19 anticipate before we know as much as maybe we should know,  
20 what a plan for licensing in detail, in fact, should be.

21           MR. BELL: Well, --

22           CHAIRMAN GARRICK: All I am suggesting is that  
23 maybe -- maybe it is not such a bad situation you are in.

24           MR. BELL: Well, our plan would certainly be, in  
25 developing any standard review plan, to take large sections

1 out of the Issue Resolution Status Reports that are already  
2 written and put them in.

3 CHAIRMAN GARRICK: Yeah.

4 MR. BELL: But when you got all done doing that,  
5 there would be large gaps.

6 CHAIRMAN GARRICK: Yeah.

7 MR. BELL: And incomplete areas that -- you are  
8 right, there were reactors licensed early in the process.  
9 But that doesn't mean it was a very efficient licensing  
10 process without many new rounds of questions and long delays  
11 because of absence of guidance.

12 And always in the back of our mind is the fact  
13 that, although Congress seems to forget it when they make  
14 the appropriations, that there is a statutory direction to  
15 NRC to complete its review of the DOE license application,  
16 and the review is including the hearings.

17 CHAIRMAN GARRICK: Yeah. One other thing that I  
18 just want to mention, and it really is my last comment,  
19 question, Mike. Is that we hear a lot of employing a  
20 systems approach to our activities. And there are some  
21 aspects of this design, and some aspects of the business of  
22 issue resolution that seem to be things that we can get a  
23 very good handle on if we embrace much more of the total  
24 concept of the repository than its pieces and parts.

25 For example, one thing we ought to be able to have

1 some control over is what goes in the repository. We hear a  
2 lot of discussion about heat loads, which, to me -- and  
3 maybe I am missing something here -- the whole issue of  
4 uncertainty about that is something that, if we were to  
5 embrace in our efforts the operational opportunities that  
6 exist, and the kind of operations that are involved, and the  
7 fact that a head load is something that is very easy to  
8 measure, and it becomes especially easy to measure and  
9 flexible if we think in terms of interim storage.

10 So, there are some issues it seems that we could  
11 make go away, just because we would invoke a process of  
12 knowing exactly in terms of heat load, in terms of  
13 radionuclide inventory. If we put a real control on what  
14 goes in the repository, is there -- is there an effort to  
15 understand operational strategies in establishing that the  
16 staff thinks are the high priorities and the most  
17 significant issues?

18 And I cite the thermal loading one simply because  
19 I don't see why there should be uncertainty about the  
20 thermal loading. If, in fact, we take a systems approach to  
21 the repository and account for the operational strategies in  
22 our decision-making process about issues.

23 So, I don't want to get into a long discussion  
24 because it is time for our break. But I was just curious  
25 about that.



1 MR. BELL: Actually, I guess I am somewhat  
2 puzzled. I mean it seems to be complete antithesis of  
3 performance-based regulation to now start specifying design  
4 parameters like what the heat load should be.

5 I mean -- that really seems like, you know, it  
6 walks away from an approach where you can here is the  
7 performance standard you have got to meet, DOE, it is up to  
8 you to design a facility to accomplish that. And we will  
9 review, you know, whether or not --

10 CHAIRMAN GARRICK: Well, there is a whole variety  
11 of -- you know, if you are faced with designing something,  
12 and you are giving performance standards, there is a whole  
13 variety of strategies that you can adopt for meeting that  
14 standard, if you look at the total life cycle of the  
15 facility from -- from --

16 MR. BELL: That's DOE's job to do that.

17 CHAIRMAN GARRICK: Right. Yeah. But at the same  
18 time you are also trying to figure out where you ought to  
19 put your resources and where you ought to put your  
20 priorities.

21 And it seems to me that you can't decouple that  
22 exercise from understanding the total scope of what you are  
23 dealing with.

24 And all my question is -- are you doing that? Are  
25 you looking at the effect of different operational

1 strategies on what you have selected as your priorities and  
2 issues and what-have-you? Or are you -- or do you think it  
3 is insensitive to that?

4 MR. BELL: We are not doing it, not because we  
5 think it is insensitive to that, but I guess we think that  
6 is part of the optimization of the total system that DOE  
7 does.

8 I mean, recall that -- unless this legislation  
9 passes, there is no opportunity for long-time centralized  
10 storage. That storage, that --

11 CHAIRMAN GARRICK: Well, I think we have --

12 MR. BELL: -- place will be at individual  
13 utilities.

14 CHAIRMAN GARRICK: I think we have a disconnect  
15 here, and we are going to have to resolve that. Because I  
16 am not saying that you shouldn't respond to what you get in  
17 the way of an application and address that.

18 What I am saying, that you put a requirement on an  
19 applicant and a licensee on the basis of what you think is  
20 important. And in order for you to arrive at conclusions on  
21 what is important, you, in seems to me, have to take kind of  
22 the same view that the applicant has to take with respect to  
23 the thing that you are trying to license.

24 And I am just asking, how much of that view do you  
25 take? How -- it comes, really, back to the question of how

1 do you -- how do you establish priorities, and how you  
2 assign, you know.

3 We have a lot of discussion about the KTI's, and  
4 this committee has had some concern about the KTI's and the  
5 importance ranking of the KTI's, and whether or not they  
6 were, in fact, performance-based. And by -- you know, I  
7 don't make a distinction between performance-based and  
8 systems-based. So, I think this -- this is the nature of  
9 the question and the comment. And, obviously, we are going  
10 to have come back to it and deal with it in more detail.

11 Are there any more questions?

12 [No response.]

13 CHAIRMAN GARRICK: Okay. Then I think that --  
14 thanks, Mike. That's very helpful.

15 I think that we will take our break at this time.

16 [Recess.]

17 CHAIRMAN GARRICK: All right. I think we'll go  
18 forward. The next topic on our agenda is the Standard  
19 Review Plan for spent fuel dry storage facilities and the  
20 member of the Committee that is going to preside over this  
21 topic and this discussion is Ray Wymer, so Ray Wymer, it's  
22 yours.

23 DR. WYMER: Thanks.

24 [Laughter.]

25 DR. WYMER: I suppose most of you know more about



1 this Standard Review Plan than I do, but I thought I would  
2 say a couple of words, really pretty much reading out of  
3 what is in front of me here.

4 The Standard Review Plan for the spent fuel dry  
5 storage facility is supposed to provide guidance to the NRC  
6 safety reviews and licence applications for facilities for  
7 storing nuclear materials in the dry condition, and that is  
8 power reactor fuels exclusively.

9 The principal purpose of this plan is to ensure  
10 the quality of uniformity of staff reviews but also to  
11 assist the potential applicants by indicating what one  
12 acceptable means of demonstrating compliance with the  
13 applicable regulations might be.

14 I understand then that Susan Shankman will also  
15 someplace along the line say something about the Committee's  
16 previous input, which I wasn't in on, but I understood took  
17 place on the role of probabilistic risk assessment in  
18 determining what should be provided in the way of site  
19 performance evaluations.

20 I think without any -- I have something to say  
21 about that later on -- but I think without any further  
22 comments, I would like to ask Susan to go ahead and make her  
23 presentation.

24 MS. SHANKMAN: I am happy to be here. I'll stand  
25 up at the beginning because it makes it easier for me to see

1 the slides and to see you.

2 Let me start off just by saying that I am sure  
3 that you are well aware of the issue of dry cask storage and  
4 I am sure you are aware of what we have been doing to this  
5 point.

6 Charlie was here in the Spring and we have made  
7 other presentations but just to recap a little bit, one of  
8 the issues of course is -- do I need to tell you about the  
9 Department of Energy's case of getting a geological  
10 repository? I don't know think so. You know that while  
11 that is going on the plants are still running and this is  
12 our chart of when plants would run out of the ability to  
13 fully offload their core.

14 Now some plants have that as a requirement. Many  
15 do not. However, we have been finding that there are  
16 certain tests, surveillances, different things that plants  
17 have to do that might require them to offload the core -- so  
18 it will eventually have an impact on operational safety of  
19 the existing plants.

20 I think you already saw these slides many times,  
21 but this is just to refresh your memory.

22 These are the operating -- I guess that is a  
23 strange thing to say because they don't quite operate -- but  
24 these are the existing independent spent fuel storage  
25 facilities and these are the ones that we have either

1 applications in, interest in, discussions about. This is  
2 what we are scheduling as what is the near-term new ISFSIs.

3 Have you seen this before?

4 CHAIRMAN GARRICK: Similar. Yes.

5 MS. SHANKMAN: Well, this is as of May so I think  
6 you probably saw this.

7 What we are going to talk about today is the  
8 Standard Review Plan and I think you may have seen the last  
9 one, which was just on the storage systems.

10 This is more comprehensive and focuses on some of  
11 the same things and I can tell you that we have gone to  
12 great pains to make sure that we don't contradict ourselves  
13 in public more than we usually do.

14 [Laughter.]

15 MS. SHANKMAN: The whole idea is that someone who  
16 is coming in from and away from a reactor ISFSI where they  
17 might have site considerations, where they may have a  
18 site-specific application is going to have to consider other  
19 things other than the general license, and this Standard  
20 Review Plan is meant to give guidance to the staff on how to  
21 review those applications.

22 All of our Standard Review Plans are organized in  
23 the same way. We try to key them off of the regulations and  
24 the Reg Guides.

25 We have a Reg Guide that we have been using for a



1 long time, Reg Guide 3.48, which lays out the format for  
2 these applications. The Standard Review Plan is also keyed  
3 to that Reg Guide and the regulations.

4 NUREG 1536 -- you saw that and Mike Raddatz has  
5 discussed it I think at length, and he is here today in case  
6 you have a question.

7 So in 1567 we do the same thing we did in the  
8 others, which is to organize it in a way where each chapter  
9 is self-contained but it also points to how it connects to  
10 the other chapters.

11 We have a review objective for every chapter. We  
12 have areas of review. Some of it, I have to tell you, is a  
13 little redundant when you read it, but it is a way of  
14 focusing the reviewer -- this is what this chapter is about,  
15 these are the areas we are going to review, these are the  
16 regulatory requirements.

17 And they might say well, why? -- we don't take  
18 verbatim 10 CFR 72. We just try to key back -- these are  
19 things that we want to make sure that this application and  
20 this facility will comply with.

21 We also try in the regulatory requirements to  
22 point out any connections with any other part of the  
23 regulations, Part 20 or any other part, so that it is clear  
24 to the reviewer and to the applicant.

25 Let me say again, this document is for NRC Staff.

1 They are the audience. Now it is a very much intended  
2 consequence that those who are applying have the same  
3 guidance available to them. We send it out for public  
4 comment. Obviously we didn't have to do that. There is  
5 nothing that pushes us to do that, but it makes sense that  
6 if we want this document to be clear, if we send it out to  
7 people who are going to try and use it, and they give us  
8 some comments, we need to understand what those comments  
9 are.

10 In the acceptance criteria I guess the review  
11 procedures are the heart of the document, because the  
12 acceptance criteria says where the bar is, what we expect.

13 Have you all had a chance to look through this at  
14 all? Okay. Hopefully you are thinking, oh, it was really  
15 well-written, clearly articulated --

16 [Laughter.]

17 MS. SHANKMAN: You know -- can't imagine why you  
18 had to send it out for public comment.

19 The review procedures -- these are definitely key  
20 to the reviewer -- make sure you look at this, review it  
21 this way, these are the kinds of analyses, these are the  
22 kind of confirmatory analyses we expect you to do -- "we"  
23 meaning the Agency.

24 This is the proof that the acceptance criteria are  
25 met.

1           The evaluation findings are really the words that  
2 we expect to see in the safety evaluation report -- the  
3 thermal requirements were met this way, this method -- so  
4 that it is clear that the document that we put on the record  
5 that approves this is, that the wording is basically the  
6 same.

7           Now any reviewer can change those wordings if  
8 there is a specific case and we want the reviewer to know  
9 the kinds of words that can be upheld if there is any  
10 problem.

11           Then the reference section is, surprisingly,  
12 references -- but we try to make sure that anything that has  
13 been referenced in the chapter is also clearly articulated  
14 at the end of the chapter so someone could go and get that  
15 reference.

16           This is I think the major benefit of an SRP is  
17 that it gathers together all in one place for anyone who is  
18 interested -- and it is a small world that's interested, I  
19 think -- but they are vitally interested. It tells you on  
20 what basis the staff is reviewing the application and all of  
21 those references are public references so anybody could get  
22 them.

23           So what are the chapters?

24           This is a site SRP -- so site characteristics, the  
25 design criteria, waste confinement and management structural



1 evaluation. Let me stop here. If you have looked at it and  
2 you have any questions on any of these areas, we have  
3 different people here who have participated in developing  
4 this document here.

5 We can talk about any one of these areas. I  
6 didn't think I would go into detail unless anybody is  
7 interested. Dr. Wymer?

8 DR. WYMER: I think just a good overview to start  
9 with, just to put the whole thing in context and then we can  
10 come back to some of these points.

11 MS. SHANKMAN: Okay. I think most of them are  
12 self-explanatory, but you'll see that we have tried to get  
13 all of them in.

14 The thermal evaluation, you know, will it handle  
15 the heat it has to handle? Will it protect the public in  
16 terms of meeting the regulatory requirements in terms of  
17 radiation exposure or non-exposure in this case?

18 We accept no criticality as a standard.

19 Confinement -- accidental analysis, I have to tell  
20 you in an SRP that we've done, Mike talked to you about this  
21 morning -- we are re-doing that because we think that it  
22 wasn't -- one of the issues in re-doing it was PRA, and I  
23 can now or later tell you about the sad story of PRA.

24 [Laughter.]

25 CHAIRMAN GARRICK: Sad?

1 [Laughter.]

2 MS. SHANKMAN: If you wanted to write a letter,  
3 here is an area where you might want -- go ahead, Skip.

4 Conduct of operations is a chapter in which all  
5 the other chapters feed in. Obviously if you have something  
6 about structural or thermal or loading or unloading the  
7 person working on the operations chapter has to get all that  
8 information from everybody else.

9 In fact, we have -- is it in this one? -- the  
10 boxes with the lines? -- yes, you'll see every chapter  
11 basically says this chapter doesn't stand alone, you need to  
12 get information from these other reviewers and you need to  
13 feed information. In the operations chapter everything is  
14 coming in -- I mean everything is going out, right? Coming  
15 in? It is the introduction chapter, so everything is going  
16 out.

17 I have it in my mind but my arrows are all  
18 backwards.

19 Okay. Technical specifications turns out to be  
20 actually this is the box that we draw around how it is going  
21 to be operated.

22 Quality assurance -- this is a part of 72. You  
23 must have a quality assurance program that meets the  
24 guidelines that we have. We have a lot of information out  
25 on that, Reg Guides out on that, and then the whole issue of

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1250 I Street, N.W., Suite 300  
Washington, D.C. 20005  
(202) 842-0034

1 what happens when the site gets decommissioned.

2 Skip Young, to my left, my able turner of slides,  
3 is the Project Manager for this SRP and I want him to tell  
4 you a little bit about how we have done the public review of  
5 this.

6 As I said, we have no reason to send this out to  
7 the public except for the fact that in the past we found  
8 that if we sent it out for public review it gets some  
9 comments on things that -- you know, you can't think of  
10 everything, a lot of people working on it. I'm sure you  
11 have worked on documents where you think it's perfect but  
12 you give it to somebody else to read and they say "What does  
13 this sentence mean?"

14 So we found that that process for a document that  
15 we are going to rely so heavily on, we want to do that.

16 We have sent the last one out for public review  
17 and we sent this one out for public review. Because there  
18 is such a close connection between the dry cask storage SRP  
19 and this one, we wanted to come up with a process by which  
20 these things could be reviewed, comments could be reviewed  
21 in a way that we would make sure that both SRPs spoke to the  
22 same response, so Skip, do you want to want to tell them how  
23 we are doing that?

24 MR. YOUNG: If you look at Appendix E in the book,  
25 it is basically the form that we sent out and asked people,



1 if they were going to comment on the document, to send in  
2 your comments in accordance with that enclosure.

3 From the public we received approximately 270  
4 comments that we are characterizing at this time.

5 We also went back and looked at 1536, which is the  
6 companionary document that Mike Raddatz worked on. And he  
7 looked at all the comments that we had received on those  
8 --on that document, and we decided that there was  
9 approximately 70 comments from 1536 that needed to be also  
10 looked at for 1567.

11 A breakdown of where the comments are. The nature  
12 of the comments basically came into three areas. In each of  
13 the chapters you had an area which dealt with the criteria.  
14 Most of the comments were looking for clarification. What  
15 do you mean by this statement? And adding additional  
16 clarification of certain comments in the different chapters.

17 Another area that people were -- commented on, was  
18 the structural. We received a lot of comments on seismic.  
19 We are in the process of doing some changes in that area.  
20 And we are also doing rulemaking changes in that area  
21 dealing with the seismic issue. And once that rulemaking is  
22 done, we will do back and update the SRP to reflect that.

23 Susan has commented on the accident analysis.  
24 Based on the comments that we received on 1536, we are in  
25 the process of rewriting 1536, accident analysis chapter.

1 Based on 1536, accident analysis chapter, we will then take  
2 that information and go back at a later time, re-do the  
3 accident analysis chapter in 1567.

4 CHAIRMAN GARRICK: Are you going to -- the last  
5 time we discussed this subject, there was a lot of  
6 discussion about accident analysis, and the scope and  
7 what-have-you.

8 Even though that is in revision, are you going to  
9 say a few things about what the scope is now as it is  
10 currently envisioned? What kind of analysis that this  
11 guidance is going to suggest, the depth, breadth? Is  
12 somebody going to give us a little bit of a heads-up on  
13 that?

14 MS. SHANKMAN: Eric, do you want to -- Eric or  
15 Mike, do you want to speak to it?

16 CHAIRMAN GARRICK: Whenever. You do it when you  
17 think it is appropriate. If it fits in.

18 MS. SHANKMAN: No, I think it is appropriate now.

19 CHAIRMAN GARRICK: Yeah.

20 MS. SHANKMAN: Yeah. Mike has a contract --  
21 contractor looking at this.

22 MR. RADDATZ: Good morning. My name is Mike  
23 Raddatz. I am responsible for the review of the 1536 and  
24 the accident analysis chapter.

25 The work that we are doing can best be

1 characterized as not a rehash of it, but a reorganization of  
2 the entire accident analysis work.

3 The accident analyses drive the basic design  
4 criteria of the casks. We do accident analysis, but all of  
5 it is tied directly right now into the structural analysis  
6 chapter. So if you looked for concrete or, let's say,  
7 seismic issues, the accident analysis would give you the  
8 design basis that you would have to drive for.

9 What we have done is we have attempted to identify  
10 accidents. Following the accidents, then unusual events.  
11 And then bringing them down to what will happen if. So that  
12 each -- in chapter 11 or in the accident analysis chapter,  
13 1567, it will be clear that each accident category, or  
14 specific accident, was covered, considered, and the  
15 acceptance criteria met.

16 So, for example, a tip-over accident, which is the  
17 one most people think about when you talk about a cask. Is  
18 a seismic event an accident or is it the initiator of an  
19 event? A seismic event, in the case of many casks, would  
20 initiate a tip-over. Therefore, you don't have to do a  
21 separate analysis for seismic if tip-over is the accident.  
22 But you have to show that you have done the tip-over  
23 analysis, and you have to show that you considered seismic  
24 as the initiator.

25 We are walking through and trying to clarify each



1 and every one.

2 This goes through fires, explosions. I'm sorry, I  
3 am trying -- I didn't come prepared to discuss this. I'm  
4 sorry, I don't have my notes with me.

5 But if you look at all the potential events that  
6 exist, that would be considered in an accident, and that  
7 would be a seismic event, fire, flood, wind, tornado,  
8 missile, those can all be categorized into very small --  
9 those can -- you know, a broad range of events can be  
10 brought down to a very narrow range of accidents. Impact on  
11 the cask or cask system.

12 We are then taking that very narrow range and  
13 drawing the data from each of the structural chapters, let's  
14 say, or the thermal chapters, or the confinement chapter,  
15 and basically bringing it into chapter 11 and showing that  
16 it was, indeed, adequately addressed and the acceptance  
17 criteria met.

18 We haven't added any new requirements, and we  
19 haven't done anything that -- we haven't -- we are not doing  
20 any thing different. We are clarifying to show that we do  
21 it, specifically do it.

22 Does that answer your question?

23 CHAIRMAN GARRICK: Yes, it helps.

24 DR. WYMER: I have -- I have a follow-up question,  
25 I guess, with that. When you consider accidents and the

1 consequences, then it is important, of course, to consider  
2 what the fuel is that is contained in the storage cask.

3 And I notice one real outlier in all of this is  
4 the Ft. St. Vrain graphite reactor fuel. That is a totally  
5 different kind of animal than the -- all the rest of the  
6 light water reactor fuel, being basically a big graphite  
7 block, 14 inches across and 30 inches high, and a bunch of  
8 holes drilled in it.

9 The -- the question I have is, to what extent do  
10 you take into account these kind of real significant  
11 aberrations?

12 MR. RADDATZ: That's a very good question. And  
13 when dealing with something like graphite fuel, one, it is  
14 considered on a case by case basis, and the acceptance  
15 criteria for outliers is always considered.

16 But, two, for the sake of the discussion, is  
17 graphite fuel is also extremely inert and not subject to  
18 --in all accident analysis, the first thing you have to have  
19 is a release of radioactive material into the environment  
20 and a means of dispersing that material.

21 With graphite based fuel -- TREPO, I think, is the  
22 -- it is encapsulated. And to get it into a restorable  
23 form, less than 10 microns, is extremely unlikely.

24 Therefore, it is probably -- not to get into the  
25 details, but it is probably bounded easily by our current

1 accident acceptance criteria. And it wouldn't need to be  
2 considered. Again, it has been considered in the  
3 site-specific licensing at Ft. St. Vrain.

4 But the same methods that we use would be applied.  
5 Any time there is an outlier that is not -- the standard  
6 review plan is guidance to a reviewer on how to meet an  
7 acceptance criteria. It also happens to tell the applicant  
8 what our acceptance criteria is.

9 But if an applicant comes in with a new fuel or a  
10 new form that doesn't meet our acceptance criteria, we would  
11 have to establish a new one -- and that is our right and our  
12 responsibility.

13 We have the ability to use -- the ability and  
14 right to use accepted codes and standards. But if they  
15 don't cover it, we also have the right to establish our own.

16 MS. SHANKMAN: Right. That's exactly right. It  
17 is a standard review plan. And it is meant to lay out what  
18 we ordinarily, usually, most of the time, accept, and,  
19 actually, the obligation is on the applicant to show us the  
20 delta between what they are proposing and we have laid out  
21 and the regulations, and show how what they are proposing  
22 they can meet the regulations, notwithstanding the standard  
23 review plan. Because it is the regulations that they have  
24 to meet, not the standard review plan.

25 DR. WYMER: You know, I guess the thrust of my



1 question was to how much do you have to know yourself about  
2 the -- about the nature of the fuel in an issue of an  
3 accident in order to properly evaluate whether or not they  
4 are meeting the standard.

5 MS. SHANKMAN: Right. Well, yeah. And it is the  
6 applicant who first has to lay that out. And to the extent  
7 we have the expertise in-house, we use it. To the extent we  
8 need additional expertise, we rent it.

9 DR. WYMER: You -- okay.

10 MS. SHANKMAN: And that's -- I mean that's the way  
11 the agency does business on all of the things that we do.  
12 The regulations are clear. If for some reason an applicant  
13 can not show us, and then we can't verify that they can meet  
14 the regulations, we have to understand the difference and  
15 understand, is there an alternate. I mean you can always  
16 make an exception, but it is not something that you would do  
17 unless there was -- unless there was a compelling reason.  
18 And I don't think in our review of Ft. St. Vrain, we had to  
19 do that.

20 Fritz has been the leader of the technical group.  
21 And do you want to speak to Ft. St. Vrain in specific?

22 MR. STURZ: Well, I think on the Ft. St. Vrain  
23 reactor, it's the license review, is all the consequences of  
24 a canister drop, or that compliance found it was not  
25 breached. To get into those type of issues as far as

1 dispersal of radioactive material from damaged fuel.

2 DR. WYMER: Yeah. The graphic fuel is more  
3 subject, of course, to breaking --

4 MR. STURZ: Yes.

5 DR. WYMER: -- than the metallic.

6 MR. STURZ: And we looked at the issue of, in  
7 light water reactor fuel, of the fuel, it is exposed to air,  
8 it would oxidize. But it was not an issue with the graphice  
9 fuel. So there was a different approach to complymnt  
10 monitoring and maintaining a helium atmosphere.

11 DR. WYMER: Well, you know, that is not -- well,  
12 it is probably a minor point. It is not exactly right. The  
13 fuel in the Ft. St. Vrain reactor is carbide fuel.

14 MR. STURZ: Carbide.

15 DR. WYMER: And carbide reacts with water to make  
16 acetylene. And so insofar as you fracture it and it exposed  
17 the pellets, break the coatings on them, -- you know, they  
18 are tri-cell coated things, you do run the risk of making an  
19 explosive gas.

20 So it is just -- you know, just a question of how  
21 deep do you go into it and how much does it matter.

22 MR. STURZ: I think one of the issues we look at  
23 Ft. St. Vrain was with the maximum flood potential was also,  
24 you know, we did look at that.

25 MS. SHANKMAN: Any other questions?

1 CHAIRMAN GARRICK: Well, I've got some questions,  
2 but let's go ahead.

3 MS. SHANKMAN: Well, I'd like to discuss the SRP  
4 in detail if you want to.

5 CHAIRMAN GARRICK: Well, to try to learn from  
6 previous presentations, and in the last presentation we had  
7 an exhibit that identified the dry storage issues, and I  
8 guess trying to use that as a reference against which  
9 there's been some changes or resolution in the standard  
10 review plan. I'd be interested in having those pointed out  
11 in particular.

12 But, for example, we identified the issue of  
13 overall inconsistent performance. We noted that 72.48  
14 evaluations were poorly documented. The NRC expectations  
15 not clearly communicated. Public confidence jeopardized.  
16 QA programs and principles not observed, et cetera. A sort  
17 of an update on some of those kinds of things would be I  
18 think valuable for the Committee.

19 MS. SHANKMAN: Sure. I think right now if I had  
20 to characterize the dry storage world, not in the NRC but in  
21 terms of vendors, I would say they're shaking out -- I don't  
22 think we're going to have a Home Depot when we're finished,  
23 I don't think we're going to have one storage system  
24 manufacture it, but we're certainly going to have less than  
25 we have now.



1 CHAIRMAN GARRICK: Um-hum.

2 MS. SHANKMAN: As of October 31 there was a  
3 bankruptcy, VECTRA. There's a shakeout I think in the  
4 industry right now. Basically VECTRA, which was one of our  
5 concerns, Charlie may have talked to you about that last  
6 time.

7 CHAIRMAN GARRICK: Yes.

8 MS. SHANKMAN: They manufactured the new home  
9 system. I always think it looks like you know when you  
10 drive down the road these little places that say self-store.

11 CHAIRMAN GARRICK: Yes.

12 MS. SHANKMAN: Well, you know, their system has  
13 those characteristics. It looks -- anyway. So that system  
14 has been pretty well accepted and -- but what Charlie  
15 described to you is we found problems that although the  
16 design was -- oh, we have pictures. Even though the design  
17 was well accepted, VECTRA was having problems in oversight  
18 of its suppliers, and some of the as-built was not as  
19 designed. We had some serious concerns about how their  
20 quality-assurance program was overseeing the work being done  
21 at the suppliers.

22 The net result of that was a demand for  
23 information which we sent to Vectra last January, actually  
24 January 13, and surprisingly on January 24 VECTRA chose to  
25 stop its fabrication. Of course they had a stop-work order

1 from Susquehanna. So they had some influence to stop work.

2 This is almost a year later. We went out with a  
3 team last -- the end of October, the beginning of November.  
4 In fact, Skip Young was the leader of that team. And I went  
5 out with the team also. And what we found was that VECTRA  
6 had done an awful lot of work to change the culture of their  
7 company and to change the attitudes, if you will, of the  
8 whole organization and particularly the attitude they had  
9 towards the quality-assurance oversight of their suppliers.

10 However, they haven't fabricated anything. So  
11 it's pretty hard to tell whether it works or not. In the  
12 meantime they ran out of money. They went into chapter 11.  
13 And they were in bankruptcy court. They put the company up  
14 for sale in September. And they have a buyer. I think  
15 within the next day or so you'll have an official  
16 announcement from the bankruptcy court that Trans Nuclear,  
17 Cogema Trans Nuclear, is the owner, the proud owner, I  
18 guess, of VECTRA for storage.

19 The transport business, strangely enough, is going  
20 to Chem Nuclear, because Trans Nuclear didn't want that, and  
21 Chem Nuclear had made a bid for the whole company. So the  
22 bankruptcy judge as I say did what Solomon did, he split the  
23 baby. He sent the transport business off to Chem Nuclear  
24 and the storage business is now with Trans Nuclear.

25 Trans Nuclear has not made any public

1 pronouncements about what they're going to do, although they  
2 have told the bankruptcy court that they will meet all  
3 obligations in terms of schedule to the utilities that have  
4 been made by VECTRA. I think that will be interesting,  
5 because it means that they have to get permission from us to  
6 start fabricating again, and I don't think we're right there  
7 quite yet. So that's -- now Sierra, another one of the  
8 major players. Did Charlie talk to you at length about the  
9 weld issues at Sierra?

10 CHAIRMAN GARRICK: They were discussed some; yes.

11 MS. SHANKMAN: Right. Okay. We could tell you  
12 more about that, but basically we sent a demand for  
13 information to Sierra Nuclear asking them why we shouldn't  
14 stop them from formally fabricating and why we shouldn't  
15 stop all work on the material that they've sent to us for  
16 review, because of their poor performance related to these  
17 undocumented welds. And we are now in the middle of several  
18 requests for additional information. The upshot of all of  
19 that is that the three utilities that have casks  
20 manufactured by Sierra Nuclear with their suppliers are  
21 going to do ultrasonic testing of the welds in question, and  
22 I think of the whole cask, Eric?

23 MR. LEEDS: No, just the actual structural leak --  
24 weld.

25 MS. SHANKMAN: Right. Okay. That's Palisades



1 Point Beach and Arkansas Nuclear. So that will give us  
2 assurance about the existing casks. And right now Sierra is  
3 in no position to make any more. They had some that were on  
4 the shop floor. Some of them were delivered; some of them  
5 have not been. So that's where we are with Sierra.

6 Now there was a -- since I thought you might ask  
7 about this, this is dated Wednesday, November 19, Nuclear  
8 News Flashes. British Nuclear Fuels will begin negotiating  
9 its option to buy Sierra Nuclear Corp. So that's another --  
10 plans an immediate infusion -- consider the source; I don't  
11 know the accuracy of this -- but plans an immediate infusion  
12 of money and expertise at combined value of half a million  
13 dollars into the company. So that's what I mean by a  
14 shakeout. I also understand that there are some  
15 negotiations for other companies.

16 NAC, we just closed out a CAL with NAC. It was a  
17 very extensive confirmatory action letter. You know how  
18 those work. I don't see any shaking of heads. Shall I tell  
19 you just a second? Okay.

20 When a company proposes to do something that we  
21 think is necessary for them to correct some immediate  
22 concern we have, we often confirm their actions in a letter,  
23 and the shorthand in the agency for that is a CAL,  
24 confirmatory action letter, and it's a confirmation of their  
25 commitments, and we take it seriously, and so does the other

1 entity on the other end of the, you know.

2 So we just had a very extensive confirmatory  
3 action letter last September with NAC because of problems  
4 with their quality assurance program, and it's only within  
5 the last month that we told them that they've satisfactorily  
6 completed all those actions. So these are -- it was over a  
7 year that they worked on it. They changed their QA program.  
8 They hired more people. They did extensive systematic  
9 review of how they were doing business. They changed their  
10 procedures. So that's where we are with NAC.

11 Are there any others that you'd like me to update?

12 Okay. Well, anyway, that's by way of saying that  
13 I call it a shakeout of the storage industry. I think  
14 you're going to see more and more of the companies either  
15 melding or being bought by a bigger company. It's  
16 interesting to me, and I don't know whether it's interesting  
17 to you, that we have a Brit and a French company who will  
18 own the two storage systems, and NAC I think is based in  
19 Atlanta, but I don't know -- that's also an international  
20 company, but I think they're owned by the -- they're a  
21 U.S.-based company.

22 Another topic that I think -- you talked about the  
23 legislation; I'm sure you know about what's going on with  
24 the Nuclear Waste Act amendments -- but is the whole issue  
25 of multipurpose casks. And we have several systems in house

1 for review that call themselves multipurpose, universal, all  
2 things to all people, whatever. They're really dual-purpose  
3 casks, and we're reviewing them against Part 71 and Part 72.

4 I don't think we have an application that we would  
5 characterize as multipurpose, because the last purpose, the  
6 geological repository purpose, is not part of any of the  
7 applications, and the congressional interests and OME's  
8 interests and all the phone calls that we've gotten are  
9 about multipurpose casks. They want to know are there any.  
10 And I think the answer is right now there aren't any. The  
11 issue of the criteria against which you would judge the last  
12 purpose is still something that we have to work through as  
13 an agency.

14 MR. FAIRHURST: The dual-purpose is considered  
15 what?

16 MS. SHANKMAN: Transport and storage.

17 MR. FAIRHURST: Transportation and storage. All  
18 right.

19 MS. SHANKMAN: Right. Fill 'em up, put 'em out on  
20 the pad, don't have to repackage them to send 'em off  
21 someplace. But then when it gets there, what happens? Do  
22 they have to go into a hot cell? Do they have to be  
23 repackaged for the repository? That's the issue.

24 DR. WYMER: What we have seen with respect to  
25 Yucca Mountain Repository is it probably would have to be



1 repackaged, wouldn't you think, since it's an entirely  
2 different kind of a containment?

3 MS. SHANKMAN: Let me let Eric, who is the -- Eric  
4 Leeds.

5 MR. LEEDS: I am the Licencing Section Chief in  
6 the Spent Fuel Project office.

7 We have talked with our brethren over at BWM about  
8 what the final waste package will look like and DOE has not  
9 promulgated a spec for what they want from these  
10 manufacturers, what they would propose to the NRC as  
11 acceptable, so really we need some -- first of all, DOE  
12 needs to specify what their expectations are and, secondly,  
13 the NRC needs to develop its criteria, so what Susan was  
14 talking about is that the multipurpose cask being  
15 fictitious, at this point it still is.

16 You have criteria for temporary storage and  
17 transportation but we do not have criteria, DOE does not  
18 have criteria for what we expect the final waste package to  
19 be.

20 DR. WYMER: They don't have criteria but we  
21 certainly have seen several conceptual ideas of what would  
22 go into the Yucca Mountain Repository and it no way  
23 resembles that example you just saw a second ago.

24 MS. SHANKMAN: Well, that is not the cask. That  
25 is the storage overpackage. That is the concrete bunker.

1 MR. LEEDS: A bunker that a metal walled cylinder  
2 that actually holds the fuel will actually go into that  
3 concrete bunker.

4 That concrete bunker is for shielding it from the  
5 elements.

6 I don't know if Skip has got a good photograph of  
7 the actual cask.

8 MS. SHANKMAN: We are making dual presentations.  
9 Charlie is out at --

10 MR. LEEDS: We certainly can get you some of that  
11 information.

12 MS. SHANKMAN: Charlie is at the Nuclear Waste  
13 Tech Review Board making a presentation.

14 DR. WYMER: Okay, that helps.

15 MS. SHANKMAN: All right --

16 MR. LEEDS: See where it says "dry shielded  
17 canister" -- that is the dry shielded canister. That is  
18 about a half inch to an inch thick depending on the design,  
19 a half inch or an inch thick metal cylinder that holds the  
20 fuel.

21 DR. WYMER: That's good --

22 MS. SHANKMAN: That is a cask in a cask and what  
23 you are seeing is the outside cask which is what they use to  
24 transport it from the spent fuel pool, where it is filled,  
25 drained down, you know -- that's where we have all our heavy

1 load issues, and then it transported horizontally and then  
2 for this one it is basically shoved into the concrete  
3 bunker.

4 But the point is, will the fuel be in something  
5 that provides protection, shielding that it doesn't have to  
6 be reexposed and people don't have to be reexposed to  
7 repackage it. That is the issue.

8 You know, can we get it down to a cylinder with  
9 fuel in it that provides protection where that cylinder can  
10 be moved from a transfer cask to a storage system to a  
11 transport vehicle and then to something, even maybe an  
12 overpack -- whatever it is, it goes into the repository.

13 The answer is right now, no. We are working on  
14 reviewing things that can be filled in the spent fuel pool,  
15 stored, and then some kind of an overpack to transport it,  
16 and that is where we stop.

17 DR. WYMER: I notice that you start with the  
18 design construction of the storage module and then you talk  
19 about operations and then you jump to decommissioning.

20 Does the plan assume any responsibility for the  
21 storage modules after they are full and everything is  
22 essentially in interim storage?

23 MS. SHANKMAN: Sure.

24 DR. WYMER: I didn't really pick it up in here.

25 MS. SHANKMAN: I guess, Dr. Wymer, I am not



1 exactly sure. If it's -- operations means when it is  
2 stationery in a storage mode whether there is a reactor next  
3 to it or not.

4 DR. WYMER: I assume that operation meant the  
5 operation of the facility, bringing in the fuel, storing it  
6 in the storage modules --

7 MS. SHANKMAN: Right.

8 DR. WYMER: -- but then after you're done with  
9 that, it sits there for 50 years.

10 MS. SHANKMAN: Right, but we have requirements for  
11 security, for monitoring, surveillance, so that is all part  
12 of the concept.

13 DR. WYMER: All part of this plan? I haven't had  
14 really a chance to read the whole document.

15 MS. SHANKMAN: Right. You know, the idea of  
16 periodic to make sure you haven't had any degrading of the  
17 system.

18 Yes, you're right, it is a passive system and we  
19 don't operate something per se.

20 DR. WYMER: You consider that to be part of  
21 operations.

22 MS. SHANKMAN: Yes.

23 DR. WYMER: A little different than what I  
24 considered operations.

25 MS. SHANKMAN: Well, that's when I chuckled when I

1 said "operations" -- because it is not quite operations, but  
2 it is the idea that the facility has to exist in a certain  
3 state and you have requirements for that.

4 Physical security requirements, that's something  
5 that actually is going out now, is not quite final, but we  
6 have revised our rules for that -- Part 73.

7 Do you guys want to say anything else?

8 MR. LEEDS: Well, environmental monitoring is  
9 continuous. Certainly security, environmental monitoring.  
10 Depending on the design there may be specific technical  
11 specifications that like you would have -- a reactor --  
12 moderate temperature or pressure, depending on the design.

13 MR. RADDATZ: Maintenance.

14 MR. LEEDS: There are certain ongoing requirements  
15 even though it is a very passive system.

16 DR. WYMER: Okay, and that is not a separate  
17 activity -- it's part of this plan.

18 MS. SHANKMAN: It's part of operations.

19 MR. YOUNG: It's art of the operations.

20 We define operations as the passive operations  
21 that we're trying to talk about that address the technical  
22 specifications and the different -- surveillance -- things  
23 you need to do.

24 DR. WYMER: The reason I bring it up, it's maybe  
25 not quite as obtuse as it sounds. I am involved in another

1 study that has to do with what is closure and what is  
2 interim storage and this sort of seemed to fall into the  
3 interim storage area that DOE has to wrestle with.

4 MS. SHANKMAN: Right.

5 MR. YOUNG: Well, these are being licensed for 20  
6 years.

7 DR. WYMER: 20 years?

8 MR. YOUNG: Yes, sir. It's the anticipation that  
9 this fuel will be moved on to its ultimate disposal facility  
10 somewhere along the line.

11 MS. SHANKMAN: Right. Well, that could be renewed  
12 for another 20 years.

13 DR. WYMER: Well, that sounds like a good plan.

14 MS. SHANKMAN: Right -- we are pragmatists, right?

15 Now there are a lot of questions that need to be  
16 answered and I don't think that we know the answers to them.

17 The kinds of things that come to mind -- are the  
18 monitoring system we could have licensed for longer than 20  
19 years so will the new legislation that speaks to central  
20 interim storage, is that the DOE monitored? No? Is it like  
21 an SFICI? Maybe. We are going to have to work all those  
22 things out once it is clear what the legislation say, and  
23 then is it a 20 year license?

24 Could it be longer if you have -- we have had some  
25 issues about shine related to the array where you have a



1 small facility and you are thinking about the radiation  
2 shine from two rows versus four rows. I mean there are lots  
3 of issues to be looked at when you have a very large  
4 facility and you are going to have movement in and out.

5 There are a lot of groups -- I didn't talk about  
6 public participation but, just as I said, Charlie is at  
7 another meeting today. I am here. This clearly isn't part  
8 of our public participation but we have been to Atlanta for,  
9 quote, a "corridor" meeting -- citizens who are concerned,  
10 League of Women Voters organized another one that was held  
11 in Indianapolis. I am going out to Las Vegas -- and yes, I  
12 will put 25 cents in the slot machine for you but I am sure  
13 you get more opportunities than I do, right?

14 But there is the regional radioactive waste  
15 transportation committees from the different states -- I  
16 mean there's lots of interests in whether it is central  
17 interim storage or whether it is the ultimate repository.

18 When you start to move this, we go to the American  
19 Association of Railroads has done an independent study of  
20 what happens when you transport spent fuel, where it would  
21 have to go, and they have postulated three different sites  
22 in the country for central interim storage.

23 We have been out and about to lots of meetings  
24 where people have expressed their concerns about what is  
25 going to happen and what kind of transport and where it is

1 going to go and how it is going to be stored.

2 Don't ask me -- we tell them what we tell you. We  
3 are reviewing them. We have certain criteria. We are  
4 reviewing against those criteria. We believe that those  
5 criteria are conservative.

6 DR. WYMER: When we had our little pre-meeting  
7 discussion, I said that what sort of things can the ACNW do  
8 for you, and you said, well, no, it's really the other way  
9 around -- what do we want to know. I think it's just two  
10 sides of the same coin and it probably would be helpful to  
11 get some idea from you of what you think are the areas where  
12 we might be making the best contribution.

13 MS. SHANKMAN: One area clearly is the  
14 environmental area, where you have strong expertise.

15 Eric?

16 MR. LEEDS: Yes. We really appreciate the offer.

17 We are currently working on branch technical  
18 position on environmental monitoring for these independent  
19 spent fuel storage installations and we would like to come  
20 to the ACNW and present our branch technical position to you  
21 probably within the next few months -- hopefully by early  
22 Spring of next year -- and get your comments and your  
23 suggestions.

24 That's one of the areas that we really feel we  
25 need to fill that hole.

1 MR. FAIRHURST: Could I ask an even more general  
2 question? You said you had 207 comments and then you found  
3 some comments elsewhere that were relevant.

4 Did those comments tend to focus on particular  
5 areas or were they just across the map? Were there large  
6 segments of this that are of little or no concern?

7 MS. SHANKMAN: Skip can speak to individual  
8 comments but let me just make a general comment.

9 When you say 207, you know, some of those are  
10 editorial. Some of them sound as if they are editorial and  
11 they are not -- do you know what I mean? They will say "I  
12 don't understand this sentence, can I add this word?" and  
13 the word is "damaged fuel" -- you know.

14 That changes the entire meaning of what is  
15 approved. That in fact is one big issue, which is what is  
16 the definition of damaged fuel. And I can tell you that I  
17 asked Eric and Fritz to make a list of what we haven't  
18 solved, and I think it's all on one sheet, right?

19 MR. LEEDS: Oh, yes.

20 MS. SHANKMAN: Yes. Okay. But let me let Skip  
21 tell you about the comments, and then let me let Eric and  
22 Fritz speak to some of the issues that we're still wrestling  
23 with. But they're all tied together, because the comments  
24 are usually asking us to -- some of them actually asked us  
25 to change our regulations. You know, we don't like what it



1 says in the SRP, we want it to say this, and I know that's  
2 based on the regulation, so change your regulation. You  
3 know. So -- go ahead, Skip.

4 MR. FAIRHURST: Oh, maybe I can just interject  
5 this. I notice you've got a lot about things -- hydrology,  
6 seismicity, et cetera, et cetera. Are there many people  
7 challenging your basic --

8 MR. YOUNG: The only comment that was challenged  
9 in that area was the seismic criteria, and there's work  
10 afoot in the reactor area to change Part 100, which just got  
11 changed. We're going to use that to try -- we're also doing  
12 rule changing in that area to change our requirements for  
13 siting criteria. So we received -- in that chapter we  
14 received a lot of comments on the seismic criteria that  
15 basically the standard review plan was addressing at the  
16 time. We are going to address that through rule-changing  
17 based on what came out of the reactor area.

18 Generally across the board the other area that was  
19 commented on was the definition of damaged fuel, and we've  
20 gone back and we've run a revised -- revised the definition  
21 that we're using in the standard review plan for damaged  
22 fuel.

23 Most of the other comments went across the board.  
24 We had a couple comments in the structural area that dealt  
25 with the -- the codes that we called out there, and we're

1 addressing those issues of what the codes -- if you go in  
2 there and look at it, we've called out specific codes for  
3 some comments that basically wanted us to make a more  
4 generic, allow the individual to come in and say I want to  
5 build to this code type thing. So we're addressing those  
6 comments.

7 The rest of them were basically editorial and  
8 clarification. What do you mean by this statement? There's  
9 a lot of criteria in there, and most of the comments were  
10 would you clarify what you mean by this statement?

11 DR. WYMER: Thank you.

12 MS. SHANKMAN: So we didn't have any basic  
13 challenges to that.

14 MR. LEEDS: A number of issues that we're  
15 wrestling with in the policy issues. A number of policy  
16 issues that we're still pursuing that you won't find. The  
17 failed fuel is a good one. We're still wrestling with that.  
18 Another one is cask recovery. When you go to a Part -- a  
19 site-specific Part 72 license, when a licensee gets that,  
20 that means that they can decommission their pool, their  
21 spent-fuel pool. They can do away with their Part 50  
22 license. Well, now you've got a pad with a bunch of casks  
23 on there. What if we have an issue with one of those casks  
24 that you have to recover the fuel?

25 Right now the staff is considering an application

1 from Rancho Seco, from the folks at SMUD, that they would  
2 have a transportation cask overpacked which would be  
3 qualified for storage such that if the storage cask, if  
4 there is a problem with the storage cask, you can take that  
5 cask and put it into this transportation overpack, a cask  
6 within a cask, that would be qualified for storage, and that  
7 way you don't have to handle bare fuel. It's something that  
8 can be done, even though the reactor license, the Part 50  
9 license, has gone away. And that's one potential recovery  
10 mechanism.

11 But then we have the issue of larger facilities.  
12 We've got an application from the private fuel storage folks  
13 to build an independent spent-fuel storage installation out  
14 on the Goshute reservation in Utah where they're talking  
15 about 4,000 casks. For that situation would we be willing  
16 to go with this overpack, or would we prefer for them to  
17 install a dry transfer system as proposed by the Department  
18 of Energy?

19 These decisions haven't been made yet. We're  
20 working those at the staff level. Obviously for the  
21 Department of Energy they can't put something in an overpack  
22 and send it to DOE to get it fixed. They're the last  
23 remnants. They're the final defense. So for a central  
24 interim storage facility or monitored retrievable storage  
25 facility that the Department of Energy would propose to us,



1 we're going to insist on some sort of capability to handle  
2 fuel elements, some sort of dry transfer system, or else  
3 they'll have to build a pool. They're going to need  
4 something. But those are the types of issues that we're  
5 still wrestling with.

6 DR. WYMER: Let me ask another question that sort  
7 of will come at you at right angles, reflects my background  
8 a little too much maybe, but they say problems that you're  
9 facing with respect to not having any Yucca Mountain to put  
10 this power reactor fuel in will be faced by the people that  
11 are producing canisters of high-level waste and there may be  
12 some NPC oversight or some of the DOE facilities down the  
13 line, so I wondered to what extent would this same plan be  
14 applicable to casks of high-level waste produced in a  
15 vitrification plant? Have you thought about that?

16 MS. SHANKMAN: Well, first of all we have to start  
17 with what regulations, against what regulations would we be  
18 assessing it. If they want to apply under Part 72 it would  
19 apply, but there'd be a lot of -- we'd have to look at the  
20 nature of what they wanted to store. Okay? The regulations  
21 would still apply, but some of the guidance in there is  
22 actually speaking to spent fuel, and so we'd have to look at  
23 it on a case-by-case basis.

24 MR. STURZ: Our acceptance criteria may change.

25 MS. SHANKMAN: Right.

1 MR. STURZ: You know, the criteria in the standard  
2 review plan is for light-water reactor fuel, and we'd  
3 have -- like with the Fort Saint Vrain fuel, we'd have to  
4 look at the waste form and see what -- they would have to  
5 propose acceptance criteria to demonstrate compliance with  
6 the regulation, and we'd have to evaluate what the licensee  
7 proposes.

8 MS. SHANKMAN: t the basic criteria, which is  
9 the regulations, would change. It would still have to  
10 meet the same radiologica scandard. It would still have to  
11 meet the same storage standard.

12 DR. WYMER: It would seem to me that it's so  
13 similar that practically everything would be --

14 MS. SHANKMAN: Right.

15 DR. WYMER: Would be transferable.

16 MS. SHANKMAN: Right.

17 DR. WYMER: I just wondered if you had even --

18 MS. SHANKMAN: Well, that's assuming they want to  
19 apply under Part 72, and that's what we've had right now. I  
20 mean, the Department of Energy has come in to have us review  
21 a -- a storage for TMI-2 fuel.

22 DR. WYMER: Um-hum.

23 MS. SHANKMAN: We're reviewing it against the  
24 standard review plan.

25 DR. WYMER: And you would review the high-level

1 waste canisters against the standard review plan and see  
2 what changes?

3 MS. SHANKMAN: If they applied under the Part 72.

4 DR. WYMER: The waste is pretty similar, there's a  
5 lot of fission products and there's some actinides.

6 MS. SHANKMAN: Yes, but I think they have more  
7 damage issues, more issues of damage.

8 DR. WYMER: You mean in the vitrified glass?

9 MR. LEEDS: We would have to take a look at -- you  
10 know, obviously the criticality issues and the form.  
11 There's a number of chapters which would not be affected.  
12 They're still going to meet the structural integrity,  
13 decommissioning security, the accident analysis, what you're  
14 looking at when you're talking about different fuel form,  
15 then we're very concerned about the criticality containment.  
16 You know, we'll have to see how that balances against our  
17 standard review plan.

18 MS. SHANKMAN: Yes, I wasn't thinking of vitrified  
19 waste, but there's other waste that DOE has that doesn't  
20 have any -- doesn't have anything analogous to the cladding,  
21 or it's so different, or it's aluminum, or, you know.

22 Dr. Garrick?

23 CHAIRMAN GARRICK: No, go ahead.

24 MR. YOUNG: Just a general comment. This is the  
25 first attempt for us to write a standard review plan in this



1 area. This is supposed to be a dynamic document. As the  
2 regulations change and as Congress, whatever Congress does,  
3 we're going to have to respond to that and the standard  
4 review plan will then -- we'll change the standard review  
5 plan to reflect what our business is at the time.

6 DR. WYMER: It would seem prudent to keep in the  
7 back of your mind.

8 CHAIRMAN GARRICK: Yes, and there's a good data  
9 base developing. There are canisters now at Savannah River,  
10 and the glass characteristics are pretty well understood,  
11 and certainly the specifications are there, and it is a  
12 different problem, because you couldn't -- if you have a  
13 product that -- where the uranium and plutonium has been  
14 separated out, you don't have the criticality issue, for  
15 example. Maybe in the context and in the spirit of the  
16 investigations that are going on as to the nature of the DOE  
17 oversight, that would be a place to look and get some sense  
18 of what you're dealing with that's quite different from  
19 spent fuel. I would think that for the most part it would  
20 be a simpler problem.

21 DR. WYMER: I would too.

22 CHAIRMAN GARRICK: Yes.

23 MR. LEEDS: We hope so.

24 CHAIRMAN GARRICK: One of the things, since Susan  
25 said the word, not me, but I want to hear before we end is

1 about your sad experience with PRA.

2 MS. SHANKMAN: Okay.

3 CHAIRMAN GARRICK: Because that was a subject of  
4 considerable discussion the last time we did this, and there  
5 wasn't much to go on at that time. Evidently there's more  
6 to go on now.

7 MS. SHANKMAN: Okay. We pursued it. I think  
8 Charlie told you we were going to pursue it.

9 CHAIRMAN GARRICK: Right.

10 MS. SHANKMAN: We wrote a user need in April. We  
11 wanted to look at one specific case, what would be the  
12 mechanism for an offsite consequence. And we developed a  
13 user need. We sent it to research. We got a lot of support  
14 from our office director and from research. We met on how  
15 would be the best way to do it. And because of that we  
16 selected a contractor in August which, you know the way we  
17 work, that's pretty fast. We asked for it in April.

18 We got a response and we got a contract in place  
19 by August, and while that was happening the NMSS budget for  
20 PRA was totally zeroed, and so was research's budget for  
21 '99. We hoped that we could still continue and try to get  
22 it done within fiscal year '98, so we continued to pursue  
23 that. The contractor began work.

24 However, just recently, within the last couple of  
25 weeks, we were told that the contract funds for fiscal '98

1 have also been eliminated, and that the contractor has to  
2 stop work. So is that a sad enough story?

3 VICE-CHAIRMAN HORNBERGER: I was curious whether  
4 you were going to be able to bring tears to John's eyes, and  
5 I think maybe you did.

6 CHAIRMAN GARRICK: Well, at least it wasn't as a  
7 result of the bad experience with PRA. It's a bad  
8 experience with budgeting.

9 MS. SHANKMAN: Right. And I think that we've been  
10 pushed very hard on this budgeting. I'm sure you read the  
11 same newspapers we do. The PRA for dry cask storage I guess  
12 was seen as the lesser of all the PRA work that's going on,  
13 and I think you can -- I mean, I can appreciate that the  
14 offsite consequences we thought were going to be minimal if  
15 any, you don't have something that propels it. The idea of  
16 doing the PRA was to look at the relative risk. We think  
17 it's exceedingly low. We wanted actually to prove that by  
18 doing a systematic PRA using the expertise that's available,  
19 and certainly the expertise in PRA is much better than it  
20 ever was. Stacy Rosenberg is here. She has her own -- I  
21 mean, she could tell you in much more of the details of the  
22 user need, but as far as I could see we got as much support  
23 as we needed within the Agency. The issue was the budget.

24 For us, it is not dead. For us, it is on hold.  
25 If we were to get some extra money, we would pursue it



1 again.

2 On the other hand, I have to be part of the  
3 agency, and if our budget is cut and that is specifically,  
4 in a sense, line item cut, it would not be appropriate to do  
5 it with monies that were appropriated for something else.  
6 So we would have to re-request. And both Charlie and I feel  
7 strongly that we would like to do that, because we would  
8 like to have this PRA on the record.

9 VICE CHAIRMAN HORNBERGER: Well, your review is  
10 that it is really just to prove a point. That is, you  
11 already believe --

12 MS. SHANKMAN: Well, --

13 VICE CHAIRMAN HORNBERGER: -- that the risks are  
14 -- in other words, it is not going to feedback to either an  
15 accident analysis or any kind of acceptance criteria.

16 MS. SHANKMAN: Well, you do it because you think  
17 it is going to turn out one way, and you do it to prove  
18 that, you know. And if any issues were to be raised in it  
19 -- Stacey, do you want to say something? You have to come  
20 to a microphone.

21 Yeah, you know. Obviously, you do it because if  
22 knew totally what the outcome was, you wouldn't have to --  
23 go ahead, Stacey.

24 MR. LEEDS: Before Stacey gets here, I'll tell you  
25 another reason we would really like to have a probabilistic

1 risk assessment completed on these casks is we are going to  
2 go to a pre-hearing trial in Utah here in January. We feel  
3 that if it did come out the way we wanted it to, it  
4 certainly would be a very powerful tool to use in the  
5 courts. It would really help the staff.

6 And even if it doesn't come out, well, then we  
7 should our emphasis on those areas of risk. It would be a  
8 very valuable tool to us. It is very -- you know, we are  
9 very disappointed that we are losing it.

10 CHAIRMAN GARRICK: Well, that's an important  
11 observation, because one thing we wouldn't want to hear is  
12 that the sad experience was a direct result of a lack of  
13 interest on the part of the staff, or foot-dragging, or  
14 whatever, in trying to bring about the Chairlady's wish for  
15 risk-informed regulation. So.

16 MS. SHANKMAN: And, in fact, I was going to tell  
17 you where we are using risk in one of the projects we are  
18 using.

19 CHAIRMAN GARRICK: Right.

20 MS. SHANKMAN: Stacey, go ahead.

21 MS. ROSENBERG: Well, I was just going to kind of  
22 expand on the reasons that it would be useful to have this  
23 FRA. And one of the reasons is we are getting questions,  
24 what is the risk or dry-cask storage? And although we can  
25 say it is low, we can't really say what it is. And this

1 would help us do that.

2 Another reason is that we do want to change the  
3 regulations for seismic siting. And we really don't know  
4 where to go with that. You know, we feel that the reactor  
5 siting criteria is overkill for this. But where to go?  
6 Well, if we had a PRA, we would be able to pick what the  
7 standard should be for this, a lot better, I think. And  
8 other issues about nature.

9 MS. SHANKMAN: Yeah, it would be very useful to  
10 us.

11 Thanks, Stacey.

12 Ycu know, clearly, the reactor seismic  
13 requirements, as Stacey said, we believe may be too  
14 conservative. But we have -- it would be much more helpful  
15 if we could show what this external event, precipitating  
16 events might do and what accidents they would cause.

17 And now we are postulating them, but we are not  
18 --we don't know the relative risk of them.

19 Did I bring tears to your eyes? I'm sorry.

20 CHAIRMAN GARRICK: No, no, no, no. I have  
21 developed --

22 MS. SHANKMAN: Well, we will continue --

23 CHAIRMAN GARRICK: -- reasonably thick skin.

24 [Laughter.]

25 MS. SHANKMAN: We will continue to try and have



1 that accomplished. But we have to take our direction from  
2 the budget.

3 One of the other areas, I wanted to just touch  
4 base with you and tell you that we continue our very  
5 vigorous coordination with the Department of Transportation.  
6 And for the spent fuel area, that, I think increasingly will  
7 become very important. But there is one voice. We go to  
8 all the international meetings with the DOT. They are the  
9 competent authority as these things go, and, you know, in  
10 the way, the hierarchy within the IAEA. However, we go to  
11 all the meetings and we have all done all their technical  
12 reviews related to spent fuel. And I think that is working  
13 quite well.

14 We just put out a joint document with them on  
15 LSASCO and the transport of there. But there are a lot of  
16 documents to come. We indeed to do one spent fuel with  
17 their -- it will be a combination document, just a  
18 discussion of spent fuel routing. It won't be any new  
19 information, but it will be a document that we can use to  
20 help educate public -- public participation groups, stuff  
21 like that.

22 And, in fact, we are going with DOT, there is an  
23 LSASCO research coordination meeting for IAE, December 1st  
24 through the 5th in Oak Ridge, and we are sending two  
25 representatives along with DOT's two representatives. So I

1 think that is working quite well.

2 The other -- the last topic I wanted to just tell  
3 you about, which really doesn't quite have to do with --  
4 with, I guess, your main charter, but I thought you might be  
5 interested in it, and, particularly, since I think we will  
6 do it in a risk-informed manner, is the transport of the  
7 Trojan reactor vessel.

8 I don't know how much you have heard about it, but  
9 Trojan wants very much to transport its reactor vessel with  
10 the internals intact. That turns out to be 2.2, give or  
11 take a curie or two, million curies of, basically,  
12 radioactive metal.

13 They want to grout it. And they use the basis of  
14 shipping it, the fact that the volume, when you average this  
15 amount of radioactive material over the volume of the  
16 reactor vessel, you meet the branch technical position that  
17 went out a while ago on transporting what, at that time,  
18 were small sources in 55 gallon drums.

19 We don't believe that that is exactly what the  
20 branch technical position was meant to do, and we have said  
21 that to the State of Washington. And, as I am sure you  
22 understand, it is the U.S. Ecology site, it is licensed by  
23 the State of Washington, that Trojan would want to transport  
24 this vessel to. So it is the State of Washington and U.S.  
25 Ecology that makes the decision about whether it can be



1 buried in a shallow land burial site.

2           However, as an agency, I think we don't believe  
3 --and right now that whole discussion is at the Commission.  
4 Whether the waste classification is appropriate or not. And  
5 the Commission has not spoken on it yet. So I am just  
6 telling you the staff's position right now.

7           When the State of Washington makes a decision  
8 about whether it can be transported to U.S. Ecology, then  
9 our group, Spent Fuel Project Office, particular the  
10 transport, we will make a decision about whether it can be  
11 transported.

12           Now, we have waited to make that decision, because  
13 if it has no place to go, we didn't want to take the staff  
14 resources. However, because it would take so long to do  
15 both of those reviews, the waste classification review and  
16 the -- because what they will probably have to do is some  
17 kind of performance waste classification review. We have  
18 developed a statement of work and we are looking to have a  
19 contract to do the initial transport review.

20           But I think it is an interesting case, because of  
21 the issues is should we grant an exemption to the normal  
22 type B transport standards based on operational controls.  
23 Can you lessen the risk to the public when you send one  
24 large, grouted, heavy, float it up the Columbia River from  
25 the Trojan site, which is on the Colombia River, to the port



1 of Benton, take it -- you know, the transporter, it looks  
2 like a centipede -- un five miles and put it in the U.S.  
3 Ecology site?

4 Is that of less risk if it is -- if the tugboats  
5 are there, if locks are manned by more staff?

6 You have to look at the relative risk of that.  
7 Or, if you cut it up, you put it in a regular type B  
8 transport, and you have -- according -- according to Trojan,  
9 because we haven't analyzed all of their -- we haven't  
10 verified all their information -- but Trojan says the  
11 difference would be 44 shipments up the same river.

12 I don't know. Stacey is going to do the risk  
13 analysis for us.

14 DR. WYMER: And that risk analysis, I suppose,  
15 will include all the risk involved in cutting up the core.

16 MS. SHANKMAN: Well, it will be the risk to the  
17 public.

18 DR. WYMER: Yeah.

19 MS. SHANKMAN: And occupational risk, workers are  
20 considered part of the public, so, yeah.

21 So that's -- we are sort in the middle of the  
22 book. The last chapters haven't been written.

23 Okay. Well, we have two more SRP's. One will be  
24 on spent fuel transport. We have another one that is coming  
25 out in maybe two weeks, it is in the printer's now, on

1 non-spent fuel transport.

2 The spent fuel transport will be done --

3 MR. YOUNG: We just received a copy from the  
4 contractor today. So we are going to be sending that out at  
5 the beginning of the year for public comment.

6 MS. SHANKMAN: Okay. And that will complete the  
7 whole shelf that SFPO was developing, the bookshelf, which  
8 will be four SRP's. One is on the cask systems, one is on  
9 the facility that has a storage system. The third one is on  
10 non-spent fuel transport -- that's transport of radiography  
11 cameras, fresh fuel, all the other things other than spent  
12 fuel. And the last one will be on the transport of spent  
13 fuel.

14 And that will give as much guidance -- and think  
15 of them as looseleafs. Because as we gain experience, we  
16 will change. The standard review plan is never a static  
17 document.

18 We will be glad to send them to you as we send  
19 them out for public comment, and meet with you if you so  
20 desire.

21 I think, I hope I have given you enough  
22 information.

23 CHAIRMAN GARRICK: We talked about spent fuel  
24 canisters early on, and the unresolved state that that whole  
25 issue is in. And, of course, we know that the President

1 isn't showing much interest in spent fuel canisters and  
2 spending money on them.

3 Who do you see as the responsible entity for  
4 resolving that rather central issue associated with the  
5 whole spent fuel management problem? Who is going to solve  
6 the problem of a standard canister, for example, or a  
7 standard spent fuel container of some sort?

8 MS. SHANKMAN: You mean for the repository?

9 CHAIRMAN GARRICK: Who is going to -- yeah, that  
10 will eventually be delivered to the repository. Who is --  
11 who is coming forward and saying we are going to solve that?

12 MC. SHANKMAN: Well, I think we are working with  
13 our Division of Waste Management, but I don't -- go ahead,  
14 Eric.

15 MR. LEEDS: Yeah. I don't know if I am going to  
16 answer your question, but I am going to try.

17 Right now we have got six vendors with six  
18 different designs for these casks for storage and  
19 transportation. We haven't had that much of a shake-out  
20 --as Susan mentioned at the beginning, we are having a  
21 shake-out in the industry, but we don't have one knight on a  
22 white horse coming in and saying we are going to have the  
23 design that is going to be universal that all these  
24 utilities can use.

25 And all these -- the six -- the five, six vendors



1 that are involved have all got backing from different  
2 utilities. So just like in the reactors -- on reactors,  
3 they have all gone different ways. So we have got six  
4 different designs.

5 When it comes to the actual waste package, I think  
6 the driver on that will be the Department of Energy.

7 MS. SHANKMAN: Right.

8 MR. LEEDS: The Department of Energy will have to  
9 make that happen.

10 MS. SHANKMAN: I think that it works -- if the  
11 Department of Energy would say these are the standards, this  
12 is what you have to meet, all the vendors would fall in  
13 line.

14 In fact, in some discussions I had with the  
15 management at VECTRA, they have been tailoring each of their  
16 storage modules to specific specifications from each  
17 utility. And it has been -- in many ways, driven them, I  
18 think, into bankruptcy. Because they had to produce  
19 specific drawings for each storage system for each utility.  
20 Where is the economy? If you have a design -- and they had  
21 to make sure that the design modifications were acceptable  
22 within the certificate of compliance that they got from us.

23 So I said, well, why don't you just have a  
24 standard design? You have a certificate.

25 Well, we have learned that. We are going -- we

1 are not going to do modifications for each utility.

2 Maybe we should have done that ourselves. Maybe  
3 we should have made the design certification more stringent.

4 I am not sure that NRC has ever decided that we  
5 are -- we are going to prevent anybody from making any --  
6 making everything standard, I mean we are going to insist on  
7 that.

8 We haven't in the reactor world. We didn't when  
9 we did the advanced reactors. And we haven't in the  
10 certification area.

11 But the Department of Energy has a repository.  
12 When they have -- when they are clear on what they want to  
13 put in the repository, they can set the standard and it will  
14 drive it backwards. So.

15 CHAIRMAN GARRICK: Well, it doesn't mean we  
16 shouldn't have tried to standardize our reactor designs, for  
17 example, and the lessons learned from there would certainly  
18 suggest the more standardization we do on the spent fuel  
19 containers, waste package containers, I would think the  
20 better.

21 MS. SHANKMAN: Okay. I can't say that I  
22 particularly disagree with you, but I think that right now  
23 the standard is that we have to meet the regulations and all  
24 the packaging that we have -- the storage systems that we  
25 have approved meet those standards.

1 Eric, did you want to say anything else? Skip?

2 [No response.]

3 MS. SHANKMAN: We appreciate being here and we'll  
4 be glad to come back if you have any interest in any of the  
5 other things.

6 I guess Charlie has committed to come back  
7 periodically so he will come back next quarter.

8 Do you have any other questions?

9 CHAIRMAN GARRICK: It's your show.

10 DR. WYMER: Well, I think I have heard all I can  
11 absorb.

12 If there's no other questions, I guess we can go.

13 We'll look forward to seeing you and hearing more  
14 about your desires on environmental aspects of this whole  
15 problem.

16 MS. SHANKMAN: Okay, thank you. Thank you very  
17 much.

18 CHAIRMAN GARRICK: Thank you.

19 DR. WYMER: I guess we go to lunch early.

20 CHAIRMAN GARRICK: Okay. Why don't we adjourn for  
21 lunch and since we have other people that are involved, we  
22 will resume at the scheduled appointed time of 1 o'clock.

23 [Whereupon, at 11:41 a.m., the meeting was  
24 recessed, to reconvene at 1:00 p.m., this same day.]  
25



## AFTERNOON SESSION

[1:00 p.m.]

CHAIRMAN GARRICK: The meeting will come to order.  
Did I wake you up?

MR. FAIRHURST: That scared the hell out of me.

[Laughter.]

MR. FAIRHURST: I was thinking.

CHAIRMAN GARRICK: Well, I am especially sorry  
that I interrupted that.

One of the agenda items that has kind of become a  
standing item that is very important to the Committee is to  
meet with an executive of the NMSS and get a heads-up on a  
number of topics. John Greeves is most often tapped to do  
that. So we are looking forward, John, to getting an update  
from you on what I think are some very important topics.  
They are especially important because a lot of the Committee  
is new. So do not hesitate to repeat a few things that  
maybe one or two of the others of us might have heard in the  
past.

So, with that, we turn it over to you.

MR. GREEVES: Okay. Well, let me offer my welcome  
to the new members. I would like to spend some time with  
you and offer both of you an opportunity to come in and sit  
down with my staff and me to kind of go over things.

I have found in the past that it helps to have a

1 little bit of that type of interface. So, if either of the  
2 two of you are in town, let us know and we will spend a  
3 little bit of time with you and go over some of the issues.

4 You are probably feeling a little overwhelms.  
5 Well, I will share with you, I am not too far from that  
6 remark myself much of the time. There is a lot going on in  
7 the areas that I am responsible for, including high-level  
8 waste issues, low-level waste issues, decommissioning, and  
9 uranium recovery. It is basically four program areas, and I  
10 will be speaking about pieces of those today. So I look  
11 forward to spending some more time with you. Actually, any  
12 of the staff, we get together with Dr. Garrick on occasion  
13 and go over some things. So I offer you that invitation and  
14 welcome you to these types of meetings.

15 What I plan to do today is go over the high-level  
16 waste program. I know Mike Bell was in here speaking to you  
17 on some of the topics this morning. I hope I do not  
18 duplicate items he has already gone over. If I am get too  
19 much into it, I am sure you can let me know.

20 I would like to give you a little feedback on the  
21 program review activities. My sense is that ACNW is  
22 probably going to be involved in this in the future, and I  
23 just want to give you a little sense of what life is like on  
24 my end in terms of explaining these four programs to the  
25 executives within the agency. It sort of gives you a chance

1 to see how the resources and the output measures, et cetera,  
2 mesh up. So I will give you a little flavor of that.

3 I will talk a little bit about the low-level waste  
4 program and finish up with the decommissioning program. So  
5 it is kind of a snapshot of the majority of the topics that  
6 Margaret Federline and I are responsible for.

7 I will pass on some news to you that Margaret has  
8 been detailed to a group working on the strategic planning  
9 activities. So, probably through the end of the year, she  
10 will be working with the chief financial officers group and  
11 looking at some of the strategic planning. So, just a  
12 heads-up, you will not be seeing a lot of Margaret in the  
13 next month and a half, and that is why. We are all looking  
14 forward to these plans that they come forward with. So we  
15 are pleased to have Margaret representing our interests in  
16 that process.

17 As far as the high-level waste program, the  
18 project -- I understand that -- I think all of you were out  
19 there not too long ago, and you got a good chance to look at  
20 things on the ground out there. Anybody who is watching  
21 this program knows that a big piece of effort that is in  
22 front of us is this thing called the viability assessment.  
23 It is not a licensing action, but it is a piece that is in  
24 legislation, and DOE, about the end of '98, is required to  
25 come forward with the viability assessment. The staff is



1 planning on developing a set of comments suitable for the  
2 Commission to use, for whatever reasons they may need  
3 shortly after that, and I think Mike has probably conveyed  
4 that to you.

5 A lot of the work that we are doing at the present  
6 time involves the so-called KTIC, and I hope the members are  
7 catching up with the terminology. It is a challenge, but at  
8 the same time, we are focussing our review on things that  
9 will show up in the viability assessment. For example,  
10 there will be a total system performance assessment attached  
11 to the viability assessment. So that is a good tool for us  
12 to be reviewing, looking at, what is the reference case that  
13 the Department of Energy is considering. So that is a tool  
14 that we are looking at and giving them real-time feedback in  
15 that process.

16 I think you are aware or you should be aware that  
17 they are going to start construction of the east-west  
18 cross-drift tunnel, and I am told that is scheduled to  
19 commence in December and would take approximately 8 months.  
20 I have heard some stories about how much science is going to  
21 be attached to that. I do not have a lot of detail on that  
22 myself, but I know there are budget constraints, both on  
23 DOE's side and our side, in terms of how much science can be  
24 attached to these issues. I expect your staffs are probably  
25 somewhat familiar with what they are doing in the field out

1 there.

2 As far as the EPA standard, another element of the  
3 high-level waste program, there have been discussions with  
4 EPA and the staff on this, and our understanding is EPA is  
5 proceeding to move forward and promulgate such a standard.  
6 I think anybody who has been watching this process knows  
7 that there are some issues still out there that do not seem  
8 to be totally pinned down, one of which is this groundwater  
9 issue. Is it in? Is it out? I think you can look at what  
10 is going on with groundwater issues maybe in other areas and  
11 see why it is a difficult topic.

12 We have gone through the decommissioning rule in  
13 our program which has no groundwater standard, and I see  
14 there are some activities going on in the Superfund front on  
15 this. So it is one of those difficult decisions. I think  
16 that is probably part of the reason why it has taken so long  
17 for this particular standard to come forward.

18 CHAIRMAN GARRICK: John, do you have any sense of  
19 how that is going to be resolved?

20 MR. GREEVES: I really don't.

21 We know where we are in this process. I think you  
22 can look at the Chairman's statement and some of the  
23 legislation that I will speak to shortly. Basically, we do  
24 not see the need of a separate groundwater standard,  
25 consistent with the decommissioning rule, and that is one of

1 the pinch-points-to-rub areas that people are still looking  
2 at.

3 MR. FAIRHURST: So are you saying, in essence, now  
4 that EPA is the one that feels that there should be such a  
5 standard?

6 MR. GREEVES: Well, I think the standard goes back  
7 to legislation that calls for EPA to come forward after the  
8 Yucca Mountain study that was done; that they should come  
9 forward with a standard. Then NRC would come forward after  
10 such standard with a rule compliance. That is all set up in  
11 the legislation front.

12 In fact, I think the EPA standard -- Mike, help me  
13 out, but it was supposed to be last year?

14 MR. BELL: This is Michael Bell from the NRC  
15 staff.

16 The Nuclear Waste Policy Act Amendments specified  
17 that EPA should publish their standard within a year after  
18 the National Academy meeting report. So it is considerably  
19 overdue.

20 MR. FAIRHURST: You were saying that the  
21 groundwater standard was pinch-point, which suggests that if  
22 you are not in favor, somebody else is pushing it.

23 MR. GREEVES: Well, you can look at the  
24 decommissioning rule, and EPA favored a groundwater standard  
25 in the decommissioning rule. Maybe it is an area you were



1 not that familiar with, but there has been a lot of  
2 discussion between NRC and EPA on the implementation of  
3 separate pathway standards. In the decommissioning arena,  
4 the Commission came out with a single pathway standard of 25  
5 milirem. It is a little bit more complicated than that, but  
6 that is where a lot of the discussion was over is there a  
7 need for a separate groundwater standard and what should  
8 that standard be.

9           These things actually go on. On December 11th and  
10 12th, EPA is hosting a meeting for feedback under the Safe  
11 Drinking Water Act regarding the MCL process, and we are  
12 going to put together some notes; that we are considering  
13 going down and participating in that process. They are  
14 asking for feedback, and we have got a responsibility to  
15 identify what our concerns are.

16           So this is a thread that goes across the  
17 high-level waste standard, the decommissioning standard, and  
18 into Superfund activities. So I would be happy to sit down  
19 and give you some of the background on this when we get a  
20 chance. I think some of the other members are a bit more  
21 familiar with this.

22           So, as I said, there is a process where NRC's  
23 regulation would have to be revised to catch up, and the  
24 clock is ticking. So, effectively, the staff is putting  
25 together a paper describing what we think our strategy ought

1 to be for a high-level waste standard, and we will be  
2 forwarding that to the Commission. The Committee, of  
3 course, in process will get a copy of that. We would be  
4 looking for the Commission approval to go forward with that  
5 rulemaking.

6 As I understand it, DOE needs some standard in a  
7 statement from NRC. So we are trying to, in a timely way,  
8 sometime next come out with a standard from us so that they  
9 would have something to start looking at.

10 So, as I said, you will see the Commission paper  
11 on that, and we expect to brief the Committee on that in, I  
12 think, the February time frame, Mike, if my memory is  
13 correct. So we will be back talking to you about that, and  
14 you would see the paper in advance of that.

15 It is consistent with your defense-in-depth  
16 letter, one of the letters you did forward to us, I think,  
17 not too long ago. So I think you will be seeing some of the  
18 same type of thinking in the paper as it moves forward.

19 On a separate track, the legislation track, I  
20 think most of you are probably familiar that the House did  
21 pass a piece of legislation by a rather large vote here  
22 recently, the end of October, and separately, the Senate  
23 last April passed a different version of the bill. So the  
24 result of all that is that there would be a conference  
25 meeting to see if they could not bring these together, and

1 our expectation is that that will occur sometime in January.  
2 So that is sort of an update on the legislation, just some  
3 things that happened.

4 The Senate version looked like it was a standard  
5 about 25 milirem in terms of receptive to the critical  
6 group, and the compliance period was a 10,000-year period.  
7 It did also call for NRC to report to Congress on the  
8 repository performance beyond 10,000 years. These are  
9 issues that you commented on in some of your time frame  
10 letters. So, at least in terms of identifying the issues  
11 and commenting on them, those were elements of that  
12 particular bill.

13 The House bill is similar in a number of ways, and  
14 the House bill identified a limit of 100 milirem to the  
15 average member of the public, and I think the Commission  
16 would expect that the ALARA process would bring it down into  
17 the range, similar to the Senate bill of something like 30  
18 milirem. So we are continuing to evaluate the implications  
19 of those bills and we will just keep you informed as time  
20 proceeds on this.

21 A lot of the work that we are doing involves what  
22 we call issue resolution status reports, and I expect that  
23 Mike and others have talked to you even this morning and in  
24 sessions in past meetings. I think you probably have a good  
25 idea that we are working on nine or more of these.



1           They seem to be moving along. In setting up,  
2 essentially, the acceptance criteria that you could expect  
3 to find in a review plan, once we get the resources to put  
4 together a review plan, I was pleased to see a recent  
5 document from DOE commenting on the climate resolution  
6 status report, one of the ones that we had done some time  
7 ago, and we indicated that they recognized the review was  
8 thorough. They were pleased to see some acceptance criteria  
9 in writing, so they know what they are dealing with, and it  
10 was in sufficient detail that they could prepare licensing  
11 documents in that particular area.

12           So I would look forward to getting the same kind  
13 of letter back from DOE on these other status reports as  
14 they go out. I think the word that we all use is  
15 "transparent," where are we, what do we think we need, what  
16 are the acceptance criteria, and in this case, at least, DOE  
17 sees that process as working.

18           We will briefing the Committee in December on a  
19 number of these issues. I think it is December 17th and  
20 18th, Mike, as the next Committee meeting?

21           On the recent total system performance assessment  
22 technical exchange, I believe your staff was at the meeting,  
23 and we found that it was quite useful. It gave us a chance  
24 to see where DOE is on these issues.

25           We did notice some difficulties in terms of

1 implementation, and I think your staff probably picked up on  
2 some of these issues while they were at the meeting. They  
3 seemed to have some modeling difficulty in areas like  
4 corrosion and tectonics in terms of the match-up of the site  
5 work and the laboratory investigations.

6 Also, as they go through this viability process, a  
7 vision of what we sort of see, is that you have got to make  
8 a bunch of decisions on am I going to turn left at the fork  
9 or am I going to turn right. It looks like a number of  
10 those decisions have not quite been made yet. So there is  
11 quite a bit more. They have got quite a challenge in front  
12 of them in order to put this viability document together.  
13 We identified some concerns about matrix diffusion and the  
14 consequences of seismicity.

15 We do agree -- or we did agree with the need for  
16 transparency of documentation supporting these issues, and,  
17 again, this was one of the items you mentioned in the  
18 letters that you passed on, which we quite support  
19 ourselves, also.

20 So, as this viability assessment comes in, some of  
21 the areas that I expect we will be focussing on are the  
22 matrix diffusion area, what kind of credit are they going to  
23 use for fuel classing in terms of reducing the releases,  
24 treatment of disruptive events, and what kind of assumptions  
25 will be applied in terms of the dilution in the saturated --

1 so this is just kind of a flavor of the things that we think  
2 we are going to need to focus on.

3 There are going to be follow-up meetings. In  
4 March of next year, the staff and DOE expect to hold another  
5 technical exchange to go over many of these issues, and we  
6 expect to be briefing the ACNW on the interim results that  
7 we are working on in the spring time frame.

8 At this point, let me just turn to the letters  
9 that we have received recently. As I mentioned earlier, the  
10 defense-in-depth letter, I think we will understand what you  
11 said there, and it fits, I think, very well in the kinds of  
12 thinking that we have and is consistent with our intentions  
13 in terms of moving forward. As I said, you will see some of  
14 that in the strategy paper that you will be getting a copy  
15 of.

16 The performance assessment capability letter was  
17 good, and we did not see anything in there that was a  
18 concern to us. We agreed with the points on trying to make  
19 sure things are documented and the process is transparent.

20 The third letter in terms of our work on the TSPA  
21 code, we generally agree with the recommendations there, but  
22 we do have a concern with some of the language in that  
23 letter. In fact, the one that -- Carl uses the word  
24 "jarring," and I think it might be appropriate in this case,  
25 but the language that states "ultraconservative model



1 assumptions and parameter values" should be replaced. It  
2 struck a nerve with us.

3 Part of this process, the regulatory process, of  
4 balancing what you do in terms of conservatism, realistic,  
5 bounding cases and staying away from a position that is not  
6 defensible, it is a balancing process, and those of us, you  
7 who have been working in this area, know that you have to be  
8 careful in walking through there.

9 We, management and the staff, are at all times  
10 looking at this kind of a problem. Margaret and I are  
11 asking the staff constantly where is this in terms of the  
12 real case, and we need to make sure that we aren't in an  
13 ultraconservative mode. By the same token, we can't be on  
14 the other end of the spectrum because, if you move too far  
15 in the other direction, you are not in a defensible mode.

16 So I must say I was surprised to see this type of  
17 language in the letter, and I didn't detect any examples of  
18 this type of activity in the letter. So what I would like  
19 to do is ask you to make your staff available to us and sit  
20 down and go over what is behind this so that we can look for  
21 anything that might be characterized this way because we  
22 certainly do not see ourselves in an ultraconservative model  
23 assumption or parameter value situation.

24 When we first started looking at an early version  
25 of this latest code, we did detect some things that showed

1 answers that you just could not visualize. They did not  
2 make any sense. We went back in and made some adjustments.  
3 So the staff is on the lookout for anything that has this  
4 type of connection in terms of an ultraconservative  
5 assumption. So I would ask, if you would, please make your  
6 staff available, and I wanted to sit down with my staff and  
7 understand what is behind us, and come through and make sure  
8 we have got something that is realistic.

9 So I just wanted to express that concern. It does  
10 not happen often, but when it does, I think you want to hear  
11 back from us what it is that gets their attention. I don't  
12 think we can go through it here, but I think you, too, would  
13 appreciate the need for me to ask. Let's have a better  
14 understanding of what this is, and we will work on it.

15 So that is pretty much what I had on the letters.  
16 We will be responding to the letters.

17 CHAIRMAN GARRICK: Let me just comment on that  
18 briefly.

19 MR. GREEVES: Okay.

20 CHAIRMAN GARRICK: It is an important issue, and  
21 the Committee certainly appreciates that kind of feedback.  
22 I think that, most likely, when we do have a detailed  
23 exchange on it, we are going to find that probably there is  
24 not as much differences as would first appear in terms of  
25 what we meant to say by the letter and how it was actually



1 interpreted.

2 I think the idea and the concept that we were  
3 trying to advocate here is that the real strength of PRA is  
4 that -- and one of the reasons the whole concept was  
5 invented was to have an alternative to worst-case analysis  
6 and upper-bound analysis in assessing the performance of  
7 systems with respect to risk, and so we as a Committee are  
8 very interested in that aspect of PRA being carried forward.

9 So that, when decisions are made, usually they are  
10 made on the basis of rather specific criteria, and often  
11 numerical criteria. One has a reference against which to  
12 judge where those values fit with respect to the range of  
13 values that were put forth by the PRA.

14 So I think that those of us who have some  
15 confidence in this concept have confidence in it when it is  
16 applied in the spirit of why it was invented, and if you get  
17 the sense that the results are not in the fashion of a  
18 realistic model, you have some concern, and I think that the  
19 Committee had that when they heard the IPA, TPA results in  
20 San Antonio.

21 So I do not think it is a big deal. I do not  
22 think it is a serious problem, but I do think we want to  
23 preserve one of the hallmarks of a quantitative risk  
24 assessment, namely that of being able to have a way of  
25 measuring just how conservative or non-conservative one is



1 when it comes to making decisions.

2 So I am hopeful that when we talk to -- and, you  
3 know, the Committee members are happy to be very much a part  
4 of those discussions as well, and I am hopeful that when we  
5 have those discussions, there will be clarification and  
6 maybe we will learn something about the details of the  
7 analysis that we can't get in a quick presentation and on a  
8 quick review of the transcript of that presentation, on the  
9 basis of the documents that we receive, in which case, of  
10 course, we would take that into account, but, based on what  
11 we heard and based on the questions that some of the  
12 Committees had about such things as the effect on waste  
13 mobilization of the water in the bathtub kind of  
14 representation and the interest that some Committee members  
15 had in clearly understanding the REDOX potential of some of  
16 the modeling and the effect it had on neptunium and  
17 technetium transport, I think at that level we clearly felt  
18 there were undue conservatism, as well as the information  
19 that was presented to us with respect to the disillusion  
20 rate of the waste package itself, the rate of disillusion  
21 and the time at which complete disillusion was assumed.  
22 Those are a couple of specific examples of what concerned us  
23 and signal to us that maybe the real spirit of PRA wasn't  
24 being practiced here, but if we can be convinced otherwise,  
25 we are very happy to be so.

1 We look forward to working with you.

2 MR. GREEVES: Okay. And I look forward to  
3 discussions across the staff.

4 My sense -- and, you know, I don't go down and  
5 operate these codes -- my sense is you just about have to  
6 grab a hold of this thing, operate it, test it, and look for  
7 those unrealistic counts, and the staff found some of those  
8 and they made the changes. They moved in a different  
9 direction.

10 So I would like to encourage that your staff  
11 become more familiar with what we are doing real time.  
12 Almost all the staff members are working with this thing.  
13 Maybe some people in your unit could jump in and work with  
14 this code also to make sure that, if these areas exist, if  
15 we have parameters and assumptions that are  
16 ultraconservative, we need to root them out. We also need  
17 to look on the other end. If we have parameters and  
18 assumptions that are not defensible, we need to root them  
19 out, also.

20 CHAIRMAN GARRICK: But I think the issue that we  
21 were trying to make or the point we were trying to make in  
22 the letter was not so much just the issue of being  
23 ultraconservative, but was also the issue of doing the  
24 analysis in such a way that it provided context; that it  
25 provide transparency, to pick a work that you have already



1 used, with respect to relating the conclusions and the  
2 results back to the model itself.

3 Really, maybe the key point here is that we see  
4 tremendous opportunity to use a risk in foreign practices in  
5 such a way that we have a scale against which to measure how  
6 conservative or un-conservative we really are, and that is  
7 what we want more than anything else out of these analyses.

8 The Committee is certainly not suggesting that we  
9 should not be conservative, but we are suggesting that the  
10 conservatism has to be accountable, and the accountability  
11 comes in the context of the way in which the results are  
12 presented and to what extent they illuminate context. That  
13 was the underlying anxiety that I think we had.

14 George, did I --

15 MR. FAIRHURST: Can I just jump in with a comment?

16 CHAIRMAN GARRICK: Yes.

17 MR. FAIRHURST: This is based, as you know, on the  
18 WIPP experience in the performance assessment of that. It  
19 is a learning experience. One of the things that I learned,  
20 at any rate -- I don't know if anybody else did -- is that  
21 sometimes it is because resources are limited and time is  
22 limited, and we have been going at two issues which one  
23 feels little or no concern. So you take a very conservative  
24 stance on that. That is perfectly okay as long as it is  
25 identified and stated that you are taking a very



1 conservative position because you feel it is a relatively  
2 unimportant issue, but then it may come back and bite you  
3 because it may turn out that in a scenario that had not been  
4 anticipated, that turns out to be the driving issue.

5 I refer to the idea of the permanent disturbed  
6 rock zone and the Spallings issue, which came up in a human  
7 intrusion scenario and found to be almost the one that  
8 resulted in -- I forget what it was -- several orders of  
9 magnitude more releases than had ever been imagined. When  
10 you looked at the physical possibility of that particular  
11 situation, it was not very realistic. It was not very  
12 significant, the original situation. Later on down the  
13 road, it became one that one had accepted and had to live  
14 with, and it was very difficult to defend.

15 Fortunately, it was possible to defend it, and,  
16 again, that is something that I would not have anticipated,  
17 and I don't know if anybody else would, but that is why I  
18 think it is very clear if one is making a conservative  
19 position, which one should make, but to identify the basis  
20 for it so that later on it does not come.

21 CHAIRMAN GARRICK: Yes. Certainly, the thing that  
22 we did not want to convey is that you have to take this  
23 massive model and characterize it in a probablistic  
24 framework all at once. Modelers frequently, and most of the  
25 good ones work this way, do simple calculations, first

1 upper-bound calculations, whatever calculations will enable  
2 you to take a big problem and get it down to a manageable  
3 size.

4 If we are talking about a risk assessment as a  
5 structured set of scenarios and we have through a simple  
6 analysis lots of scenarios, we may want to screen a lot of  
7 those out with rather simple bounding-type calculations, but  
8 when we get down to reduce our thousand scenarios down to  
9 ten that we know were important, then that is when we want  
10 to really turn up the microscope on the issue of realism.

11 I also have to say, John, that, unfortunately,  
12 risk assessments are not always practiced in the spirit of  
13 what I am describing here. They are not always realistic.  
14 In fact, one of the criticisms that you will hear from a lot  
15 of reviewers of risk assessments is that absolutely too few  
16 of them are.

17 So it is not just a case of how we are applying it  
18 here. It is partly a problem of how the discipline is being  
19 practiced, but this is the agency that has had a lot to do  
20 with the invention of the concept, and so if there is a  
21 place to try to do it in the spirit of its birth, if you  
22 wish, or creation or development, then it seems that this is  
23 what we should insist on, is that if there is one place that  
24 it is done correctly, it ought to be here.

25 MR. GREEVES: Well, I think that we need more



1 discussion on this topic. You are aware of our resource  
2 constraints, and as Dr. Garrick mentioned, a lot of what  
3 people do is a simple process. The first pass model that  
4 you put out your paper on serves in some areas, and I think  
5 as Dr. Fairhurst mentioned, in some areas maybe you can  
6 exercise this technique. I think communication between the  
7 ACNW and the staff on where these areas are and where we  
8 should invest our resources, because they are limited, and  
9 how many of these things can we chase down, I think there is  
10 a lot of room there for follow-up. This is, I think,  
11 precisely the kind of thing that we should be doing in this  
12 environment. So I would just ask as follow-up if we can  
13 have some more communication on this, and maybe we can  
14 identify those areas, and that will help us balance the  
15 energy levels.

16 CHAIRMAN GARRICK: Thank you.

17 MR. GREEVES: Okay. At this point, I am going to  
18 leave high-level waste, unless you had a question or a  
19 topic.

20 I said I would talk about the program reviews. I  
21 don't know how much the new members know about this.  
22 Effectively, the executives within the agency are asking  
23 program area managers to come in front of them and identify  
24 where we are going in terms of strategic goals, strategies,  
25 how the resources are lining up, and what the outcome of the



1 use of those resources are.

2 I think John Larkins went to the recent senior  
3 management meeting and a lot of this was discussed, and it  
4 is kind of the planning tool that is going to be used with  
5 the agency in the future. As I mentioned earlier, we have  
6 four program areas. Margaret completed the program review  
7 on the high-level waste program. I will be doing the  
8 low-level waste and the decommissioning review next week.  
9 and Joe Holonich did the rem recovery program review.

10 Part of what is going on in Government is the  
11 resources are shrinking, and people want to see us work  
12 smarter in terms of how we make sure that the outcome in  
13 term of safety has some payoff. So I think all of us are  
14 learning how is this process going to work through these  
15 program reviews. So that is a lot of what has occupied my  
16 time and Margaret's time in the past couple of months.

17 So I just wanted to give you some feedback on  
18 that. For example, in the area of low-level waste, this is  
19 a program which a few years ago had tons of resources  
20 attached to it. In 1998, it has less than 2 FTE attached to  
21 it. It was a program that we were doing a lot of work on  
22 the technical position, on performance assessment. We were  
23 developing a lot of guidance. We were interacting regularly  
24 with the Department of Energy and the low-level waste  
25 compact community.

1           When you get into a year, which basically I am in  
2 now, with less than 2 FTE, it becomes very difficult to keep  
3 up those activities. So I am just giving you some feedback.

4           I wouldn't expect a lot of interactions on  
5 low-level waste with the Committee over the next year. I am  
6 just not resourced to do that.

7           I think the Committee is aware that we did put out  
8 the branch technical position, and we have received comments  
9 on it, but with this funding level, we are not going to be  
10 able to go over those comments and refine that position  
11 within this fiscal year. That just gives you a flavor of  
12 the difficulties.

13           CHAIRMAN GARRICK: On low-level waste, John, is  
14 there anything you could say in reference to our letter that  
15 we wrote some months ago that had the approximate title of  
16 an adequate low-level waste program, where we attempted to  
17 define at least from the perspective of the ACNW what the  
18 Committee thought would be an adequate program for NRC,  
19 knowing full well that you had budget constraints and what  
20 have you? Of course, with your less than 2 FTEs, it does  
21 not sound like even much of what we were suggesting can be  
22 implemented.

23           MR. GREEVES: I have read the letter, but it is  
24 not fresh in my mind. There are things like the branch  
25 technical position. I would very much like to be working on

1 that. It is a real time issue. There is a lot of interest  
2 in it, and I cannot work on that. So you can make your own  
3 comment about the word "adequacy" in that light.

4 Another example is the Envirocare facility, which  
5 I was going to give you a little feedback, and it will kind  
6 of answer your question.

7 I have briefed the Committee on the status of the  
8 Envirocare facility. You were aware that there were some  
9 problems out there in terms of their SNM inventory. I am  
10 pleased to report that as of July 18th, they were able to  
11 reduce their SNM inventory within the limits of the  
12 regulations. So they seem to -- and they have a path  
13 forward to stay within that limit.

14 However, anybody that is familiar with that  
15 operation knows that to really operate the way that they  
16 need to that they need another license. So Envirocare is  
17 coming in here with a license application for basically a  
18 storage and treatment facility at Envirocare so that they  
19 can handle special nuclear material.

20 I met with these people a week ago. They put an  
21 application on my table. It is about seven or eight  
22 volumes, and they are submitting an application in December.  
23 I have essentially no resources to review that product. So  
24 this gives you a flavor of how tight things are in this  
25 particular program area.



1 Now, I am sure we can expect the usual cards and  
2 letters to come in on this issue, but with less than 2 FTE,  
3 it is really hard to bite into substantive issues. We will  
4 do an acceptance review of that document, but, essentially,  
5 it gets into the backlog, unless I get the resources to work  
6 on that particular topic.

7 I had to tell a licensee that, and he is not happy  
8 to hear that. The licensee sits there and say, "Well, you  
9 are a full-funded agency. Everything I do, you get paid  
10 for." True, but I have to have FTE. I have to have dollars  
11 to be able to start the project. So I think you understand  
12 what I am saying. This just gives you a little insight of  
13 the difficulty in some of these programs.

14 This is kind of the outlier in terms of this  
15 particular year. It actually bounces up a little bit next  
16 year, but all four of the program areas are actually  
17 shrinking in terms of actual resources we can apply to the  
18 issues.

19 So, as I said, I am going to talk about  
20 decommissioning, but I would see over the next year,  
21 high-level waste interactions, as we have discussed here,  
22 and maybe increasing some of the discussions in the  
23 decommissioning program area.

24 I am going to move off of low-level waste, unless  
25 you have got a question.

1           Decommissioning. Again, we are doing a program  
2 review on that, and it is shrinking, but not quite the same  
3 magnitude that the low-level waste program is.

4           We had a recent briefing for the Commission. I  
5 think most of the members are familiar with the site  
6 decommissioning management program where we have a number of  
7 sites that we keep an eye on and try and work expeditiously.  
8 There are about 40 of them. Some come off, some come on  
9 over time.

10           The staff believes that since about '89, '90, when  
11 we started getting regulations and guidance in place -- and  
12 for the new members, in decommissioning the commercial  
13 sector, frankly like the DOE sector, has some legacy issues  
14 out there. People just weren't thinking about how to clean  
15 up after they were finished. Fortunately, it isn't quite  
16 the same degree as in the DOE program, but only as of about  
17 1988 did we start getting into our regulation elements that  
18 attack the decommissioning issue.

19           It started off with financial assurance in '88,  
20 and then stepped through things like documentation, making  
21 sure the licensees have to keep a record of what spills,  
22 contaminations they have; timeliness, what is the  
23 expectation level of how soon somebody needs to  
24 decommission, and then, most recently this summer, the  
25 actual criteria, which was a painful process to bring that

1 forward, but this summer we sort of capped off the things  
2 that we started to plan to do in the '89-'90 time frame. It  
3 took us this long to put it all together.

4 So now our vision is there is an infrastructure in  
5 the regulatory space to do decommissioning. It is short in  
6 the guidance area, and I think some of you are familiar with  
7 the fact that the Commission asked us by February to put out  
8 some guidance on how to follow up in the decommissioning  
9 area.

10 So these are areas that I think we could have some  
11 useful and good interactions with the Committee in terms of  
12 that follow-up. I think that the Commission recently has  
13 sent down an SRM indicating that they want to know how this  
14 transition is going to take place, going from the site  
15 decommissioning management plan to a program approach in  
16 decommissioning. Frankly, there is a lot more sites than  
17 the 40 on that decommissioning plan that, in many ways, have  
18 the same types of problems, and they just don't get the  
19 visibility.

20 So we are working on this guidance, and we need to  
21 explain to the Commission the criteria that was used to  
22 release some of the sites that have come off of the list.  
23 How does that match up with the new criteria, that is a  
24 question they are asking. They are asking did we close out  
25 all the issues that Congress and GAO raised in the '89 and



1 '90 time frame. So we need to put together a story on that,  
2 a schedule. They want to know how we are coming forward  
3 with this guidance development process. So these are things  
4 that are on the Commission's mind, and I expect you may be  
5 asked about how this process is going forward.

6 So I would look forward to us coming down and  
7 talking to you about that guidance development process,  
8 particularly the modeling aspect, again, you know, what we  
9 talked about extensively a few moments ago about one of your  
10 letters, how is a screening-type approach used, where can  
11 you stop, and also, importantly in this area, how do you go  
12 from a screening level to a more site-specific approach. So  
13 it is actually much the same topic, just a different arena,  
14 and the staff and research are working very hard on this.  
15 Some of those products will be coming forward. So I would  
16 ask that we jointly put them on the table for some  
17 discussion.

18 Just a couple of other things. You are going to  
19 hear tomorrow from Rick Weller some material on incidental  
20 waste issues. I ask you also to look at that closely. I  
21 think there is some policy decisions that are going to be  
22 coming through on that, and we have got the Hanford tanks,  
23 West Valley high-level waste tanks, Savannah River tanks,  
24 and we have pretty much defined how you come up with the  
25 classification and the material that comes out of the tanks.

1           The issue is the residual, what is left, what is  
2   in the ground, what is it, and what criteria do you lay on  
3   leaving it in the ground per chance. You do leave it in the  
4   ground. And I think there are some options here. You could  
5   look at it through the decommissioning-rule set of glasses.  
6   You could look at it under a Part-61 type performance  
7   objective set of glasses, and there is a third category of  
8   just continuing a license for these things. So I would  
9   invite you to be thinking about that because we are going to  
10   have to characterize that, and I would appreciate some  
11   feedback on it. I think this is one of the areas that is  
12   deserving of our collective attention.

13           I am going to stop it at that point. I have kind  
14   of just jumped around, but I wanted to give you a sense of  
15   what the things that were high on my radar screen were and  
16   the areas where I thought we could make some progress and  
17   just give you a heads-up on some areas where I just am not  
18   resourced to come down and engage you. I wish I could, but  
19   it just is not in the cards the way the resources are  
20   stacked up.

21           Is this helpful? It is kind of the end of my  
22   summary.

23           CHAIRMAN GARRICK: Yes, of course. It is very  
24   helpful.

25           One of the things, of course, we were quite

1 interested in, you started to get into with this incidental  
2 waste question and the high-level waste tanks. One of the  
3 issues that we are interested in is the whole matter of the  
4 pilot program, if you wish, for the regulation of selected  
5 DOE facilities and the current position on NRC's possible  
6 oversight of some DOE activities. I don't know if you could  
7 add a little more to that topic.

8 MR. GREEVES: That, I would be a little bit out of  
9 my depth on that, in the sense that John Austin has the lead  
10 on that. In past meetings, we have asked John to join us --

11 CHAIRMAN GARRICK: Right.

12 MR. GREEVES: -- to give you the update, and John  
13 is just not available. He is out of the building at this  
14 particular time.

15 We will try and have him available the next time  
16 we meet. From my knowledge, they are looking at the  
17 Berkeley facility. I don't know if it was last week that  
18 they were out there doing a review of that facility, and the  
19 one down in Oak Ridge, I think you probably have that  
20 information.

21 So I really don't have at the top of my fingers  
22 the information update on the DOE oversight program. I  
23 think the best thing to do would be to have John come back  
24 the next time we are here. He is pretty much doing that  
25 under a task force process. I don't have the day-to-day



1 details on that one.

2 CHAIRMAN GARRICK: Okay.

3 Let me turn to my colleagues here and see if they  
4 have some comments, questions, amplifications, or what have  
5 you.

6 George?

7 VICE CHAIRMAN HORNBERGER: No. I am set.

8 CHAIRMAN GARRICK: Ray?

9 DR. WYMER: Well, I either have nothing to say or  
10 too much. I will probably let it go for the time being.

11 CHAIRMAN GARRICK: Charles?

12 MR. FAIRHURST: Nope.

13 CHAIRMAN GARRICK: Okay. Well, as usual, we want  
14 to thank you for giving us the updates because they help us  
15 a great deal.

16 As you know, we are going through an exercise  
17 right now trying to establish our own priorities for 1998,  
18 and this feedback is very, very beneficial. We have gotten  
19 similar kinds of information from other executives of the  
20 agency, and I guess there is a continuing frustration all  
21 right with respect to the low-level waste program, and the  
22 fact that it seems to be struggling with no facilities being  
23 licensed and compacts being uncompacted and kind of a sense  
24 that a losing of some momentum that was created in the past  
25 with the agreement-state concept and what have you, and :

1 guess the Committee is going to have to study this issue a  
2 little bit, but we are wondering where it is headed.

3 MR. GREEVES: I read a couple of speeches, I think  
4 one by Senator Domenici. Maybe you have seen it, up at  
5 Harvard. And there was another one by Ralph Beedle at NEI.  
6 You ought to take a look at those.

7 For example, in the NEI presentation, he  
8 identified that for the life of the reactors we have now,  
9 decommissioning of those facilities is a -- I may have the  
10 number wrong, but I think it is the right range -- a  
11 \$40-billion process by the time you have to do everything,  
12 and that is a lot of money. A piece of that is dependent on  
13 low-level waste disposal.

14 Fort St. Vrain was able to go forward with their  
15 decommissioning of that facility in large part because  
16 Hanford was available to them at a reasonable price, and the  
17 utilities are making these decisions about, gee, do I  
18 decommission now or do I go into safe storage long term, and a  
19 number of them have kind of reserved. They said wait a  
20 minute, as high as this cost is today, I think I may be  
21 better off paying this cost today than waiting 5, 10 years  
22 from now when the cost is who knows what.

23 So reliable disposal capacity is a real issue. In  
24 the briefing I gave on decommissioning, some of the people  
25 afterwards commented and said that they were surprised that

1 the cost of disposal didn't come up because a lot of the  
2 issues were turning on if you had reasonable disposal costs,  
3 these sites could be cleaned up faster, quicker, to a  
4 standard that is more acceptable maybe to some of the local  
5 community.

6 So you need a full circle for this thing to work  
7 efficiently. I am just frustrated as you or others are.

8 CHAIRMAN GARRICK: Well, it is interesting that  
9 you would mention the reactor decommissioning activity and  
10 the role that low-level waste decisions have in that regard  
11 and that you would note a \$40-billion price tag associated  
12 with it because it sort of reminds me of another problem  
13 that has a similar number attached to it, namely the  
14 remediation of the high-level waste tanks just at Hanford  
15 alone has also been priced in the 30- to \$40-billion range,  
16 and also the driver -- one of the critical drivers there is  
17 what is the low-level waste, and the classification and  
18 decisions on near-surface storage or disposal and a whole  
19 litany of issues.

20 So it seems as though the problems are not going  
21 away, but the energy and the will to solve them as well as  
22 the resources with respect to low-level waste do seem to be  
23 going away. So this is a bit of a -- for organizations that  
24 are supposed to be worrying about the waste -- the  
25 management of radioactive waste, something that sooner or



1 later, it seems to me, something is going to have to happen.

2 DR. WYMER: I think I will say something about the  
3 incidental waste problem with respect to the tanks, the  
4 Hanford tanks in particular. That strikes me as an  
5 extraordinarily difficult problem, and you won't be  
6 surprised to hear me say that, I am sure, largely, though,  
7 because somewhere between 1 and 10 percent of the waste has  
8 probably already leaked out of the single-shell tanks.

9 So what is incidental waste, what does it mean  
10 with respect to what is left in the tanks when you have  
11 already got probably as much in the ground as will be left  
12 in the tanks and you don't really know for sure how much is  
13 in the ground. So it goes to be a logical problem of what  
14 is sensible.

15 MR. GREEVES: What is left in the tanks, you stand  
16 a chance of doing something about.

17 DR. WYMER: But should you do something about it  
18 when you have got that much around the tanks? You know, it  
19 really becomes --

20 MR. GREEVES: You have added another issue to my  
21 list now.

22 [Laughter.]

23 MR. GREEVES: I think these discussions would be  
24 quite useful, and we are really wringing our hands over how  
25 to proceed on these issues. So Rick will be giving you some

1 background where we are now. So I would look forward to  
2 maybe visiting with you at some other time to talk about how  
3 these alternatives rack out. So, hopefully, Rick will give  
4 you a good briefing on the background of this.

5 I think there is plenty of work in front of us.  
6 It is a question of managing our resources to do it  
7 efficiently.

8 CHAIRMAN GARRICK: Sounds like it.

9 Okay. Well, thanks again, John and Mike. We  
10 always learn a great deal from these exchanges, and we look  
11 forward for them to continue.

12 If there were no points of disagreement, they  
13 wouldn't be half as interesting as they are, and maybe not  
14 much progress. So I think I am not discouraged by the fact  
15 that there is a disagreement here and there. I think that  
16 is part of the process.

17 MR. GREEVES: We are not, I don't think,  
18 skin-thinned, but I think when we do come across something,  
19 it is incumbent upon us to give you some feedback and let  
20 you know because we have a responsibility to chase these  
21 issues. So I appreciate the insights you have, and we just  
22 want to make sure we understand them better.

23 CHAIRMAN GARRICK: Okay. Than you.

24 Now we make a transition in our agenda. This is  
25 when we go to preparation of reports and letters and what

1 have you. I think it is also the time when we can terminate  
2 the court reporter requirement. So why don't we adjourn  
3 this part of the meeting right now, okay?

4 [Whereupon, at 2:00 p.m., the open meeting was  
5 recessed, to reconvene at 8:30 a.m., Friday, November 21,  
6 1997.]



REPORTER'S CERTIFICATE


This is to certify that the attached proceedings  
before the United States Nuclear Regulatory Commission in  
the matter of:

NAME OF PROCEEDING: 96TH ADVISORY COMMITTEE ON  
NUCLEAR WASTE (ACNW) MEETING

DOCKET NUMBER:

PLACE OF PROCEEDING: Rockville, MD

were held as herein appears, and that this is the original  
transcript thereof for the file of the United States Nuclear  
Regulatory Commission taken by me and thereafter reduced to  
typewriting by me or under the direction of the court  
reporting company, and that the transcript is a true and  
accurate record of the foregoing proceedings.

  
\_\_\_\_\_  
Jon Hundley

Official Reporter

Ann Riley & Associates, Ltd.