

ORIGINAL

UNITED STATES NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF


DOCKET NO.

COMMONS APP. TECHNICAL REVIEW TEAM

REDACTED INTERVIEW OF



LOCATION



PAGES

DATE

WEDNESDAY, FEBRUARY 6, 1985

ACE-FEDERAL REPORTERS, INC.

Official Reporters
114 North Capitol Street
Washington, D.C. 20001
(202) 347-3700

NATIONWIDE COVERAGE

B607100488 860624
PDR FOIA
GARDE85-59 PDR

FOIA-85-59

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

* * *

COMANCHE PEAK TECHNICAL REVIEW TEAM



Ace-Federal Reporters, Inc.
444 North Capitol Street, N.E.
Suite 402
Washington, D. C.

Wednesday, February 5, 1985

The telephone interview commenced at 2:10 p.m.

John Zudans presiding.

PRESENT:



Interviewee

JOHN ZUDANS, NRC
ANGELO MARINOS, NRC

P R O C E E D I N G S

1
2 MR. ZUDANS: For the record, this is an
3 interview of [REDACTED] for the purpose of providing
4 feedback regarding technical review team assessment of an
5 issue which was received from [REDACTED] during a
6 previous interview. This interview is being conducted by
7 telephone. Present at this interview are myself, John
8 Zudans, Mr. Angelo Marinos, court reporter and [REDACTED]
9 [REDACTED]
10 As agreed, this interview is being transcribed.
11 [REDACTED] I wanted to explain to you just briefly
12 that the Comanche Peak technical review team has evaluated
13 many issues that have been brought forward by many
14 different people regarding the construction of the
15 Comanche Peak site, and in order to complete our efforts
16 we are trying to provide everyone who has provided us with
17 information with -- that have provided these folks -- with
18 feedback in areas such as this. I wanted to make sure you
19 understood that. That kind of completes our efforts in
20 these areas, too. And we really want to -- we would like
21 to know a couple of things. We would like to know that we
22 have addressed the issue which was -- that you actually
23 brought up. And we would like to solicit that kind of
24 information, find out whether you felt this was
25 satisfactory. Okay?

1963.0

SEE

1

[REDACTED] Okay.

2

MR. ZUDANS: I will turn over this meeting to Mr. Marinos now. I think we only have one area with you that we would like to tell you about.

5

[REDACTED] All right.

6

MR. MARINOS: I am with the NRC staff. I would like to state briefly the issue as we have understood it, and see if we are on the same wavelength.

8

9

[REDACTED] Okay.

10

MR. MARINOS: This relates to a procedure which is reverification of seismic electrical equipment mounting details and the procedure number is QI-QP-11.14-12. Is that correct?

13

14

[REDACTED] That is correct. MR. MARINOS: In summary, the procedure deals with inspections of seismic electrical equipment mountings. The concern was that there was not sufficient frequency by which verification, reverification of this mounting was done. We looked at the procedures and we determined that for revisions from 0 through 4, indeed there is no reverification requirement.

21

However, we determined in the procedure that there is a verification on a case-by-case basis cited in a procedure. These appear to be adequate. This is the extent of our evaluation of that procedure.

24

25

MR. ZUDANS: Do you have any comment on that,

1 [REDACTED]
2 [REDACTED] If you have investigated, I am
3 happy with your investigation. If you feel it is adequate,
4 that is good with me.

5 MR. ZUDANS: How do you feel?

6 [REDACTED] If you have investigated it and
7 you find it to your liking, you know, and you feel that it
8 is adequate, that satisfies me.

9 MR. ZUDANS: That is fine. Is there anything
10 else that anyone -- is there any other issue that you
11 would like to bring before the TRT at this time?

12 [REDACTED] This is [REDACTED] again. No,
13 there is no other issue which I would like to bring up at
14 this time.

15 MR. ZUDANS: As I told you, we only have one
16 issue to talk about with you. The TRT has looked at it.
17 We find that you were correct. However, we believe that
18 the procedure does -- there is some checking that is being
19 done.

20 The contents of this transcript, even though very short,
21 will be sent to you at your home. Could you give us your
22 address so that I can make sure that I have the right one?

23 [REDACTED]
24 [REDACTED]

25 MR. ZUDANS: If there is no additional

1 discussion, I guess that takes care of it.

2 [REDACTED] All right.

3 MR. ZUDANS: Thank you very much [REDACTED]
4 for participating, and we will be sending you information
5 very soon.

6 [REDACTED] Thank you very much.

7 (Whereupon, at 2:15 p.m., the interview was
8 concluded.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF OFFICIAL REPORTER

This is to certify that the attached proceedings before the UNITED STATES NUCLEAR REGULATORY COMMISSION in the matter of:

NAME OF PROCEEDING: COMANCHE PEAK TECHNICAL REVIEW TEAM
FEEDBACK INTERVIEW OF [REDACTED]

DOCKET NO.: [REDACTED]

PLACE: [REDACTED]

DATE: WEDNESDAY, FEBRUARY 6, 1985

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission.

(sig) Rebecca E. Eyster

(TYPED)


REBECCA E. EYSTER

Official Reporter
ACE-FEDERAL REPORTERS, INC.
Reporter's Affiliation

UNITED STATES
NUCLEAR REGULATORY COMMISSION
WASHINGTON, D. C. 20555

FEB 22 1985


7c



The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter, please contact me collect at (301)-492-7903.

Sincerely,



Vincent S. Neenan, Director
Comanche Peak Project

cc: J. Zudans

DO NOT DISCLOSE

FOIA-35-59

2/49

8607020509

FEB 22 1985

(THIS LETTER SENT TO ALL OF THE ABOVE)

The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter please contact me, collect at (301)-492-7903.

Sincerely,

Vincent S. Noonan, Director
Comanche Peak Project


cc: J. Zudans

:TRT	:TRT:CP				
J. Zudans:pf	V. Noonan				
:2/15/85	:2/19/85				

OFFICIAL RECORD COPY

FEB 22 1985

DO NOT DISCLOSE



(THIS LETTER SENT TO ALL OF THE ABOVE)

The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter please contact me, collect at (301)-492-7903.

Sincerely,

Vincent S. Noonan, Director
Comanche Peak Project

cc: J. Zudans

DO NOT DISCLOSE

TRT	TRT:CP				
J. Zudans:pf	V. Noonan				
2/15/85	2/19/85				

OFFICIAL RECORD COPY

NRC FORM 420
(6-82)
NRCM 0255

U.S. NUCLEAR REGULATORY COMMISSION


REQUIRED DELIVERY DATE

REQUEST FOR PREMIUM COST MAIL SERVICE

SRTA-5

FROM: NAME	PHONE NUMBER	ROOM NO.	ORGANIZATION (Office, Division, Branch)
J.J. Zudans	27903	D-234	Comanche Peak TRT
TYPE OF MAIL SERVICE REQUESTED	EXPRESS	PRIORITY	PRIVATE DELIVERY ☒ OTHER
BRIEF DESCRIPTION OF ARTICLE			
Correspondence		Cert Ret Rec Req.	
DESTINATION OF ARTICLE			
			
JUS			
Requirements of Comanche Peak TRT			
SERVICE CERTIFICATION—I certify that the use of premium cost mail services are essential to the conduct of official business and that lesser cost services are not suitable or available			DATE
REQUESTER—SIGNATURE	TITLE		DATE
Mary Kline	CPTRT		2-22-85
SIGNATURE—DIRECTOR	ORGANIZATION (Office, Division)		DATE
Vincent Logan, Director	CP Project		2/22/85
RETAIN THE REQUESTED COPY AND MAIL THE BLUE COPY TO: CHIEF, MAIL AND MESSENGER BRANCH, FOS, ADM. FOR MAIL ROOM USE ONLY.			
APPROVED—MAIL AND MESSENGER AUTHORIZED OFFICIAL			DATE
VENDOR			CALL NUMBER
DATE SHIPPED			SIGNATURE


REQUESTER COPY



FEB 22 1985

DO NOT DISCLOSE

7c, 7d



(THIS LETTER SENT TO ALL OF THE ABOVE)

The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter please contact me, collect at (301)-492-7903.

Sincerely,

Vincent S. Noonan, Director
Comanche Peak Project

cc: J. Zudans

DO NOT DISCLOSE

:TRT	:TRT:CP				
:J. Zudans:pf	:V. Noonan				
:2/15/85	:2/19/85				

OFFICIAL RECORD COPY

FOIA-85-59

R 43

PS Form 3811, July 1963

SENDER: Complete items 1, 2, 3 and 4.

Put your address in the "RETURN TO" space on the reverse side. Failure to do this will prevent this card from being returned to you. The return receipt fee will provide you the name of the person delivered to and the date of delivery. For additional fees the following services are available. Consult postmaster for fees and check box(es) for service(s) requested.

1. ☒ Show to whom, date and address of delivery.
2. ☐ Restricted Delivery.

3. Article Addressed to:

4. Type of Service:

- | | |
|---|----------------------------------|
| ☐ Registered | ☐ Insured |
| ☒ Certified | ☐ COD |
| ☐ Express Mail | |

Article Number

P591 741 505

Always obtain signature of addressee or agent and
DATE DELIVERED.

8. Addressee's Address (ONLY if requested and fee paid)

RETURN RECEIPT

UNITED STATES POSTAL SERVICE
OFFICIAL BUSINESS

SENDER INSTRUCTIONS
Print your name, address, and ZIP Code in the space below.
• Complete items 1, 2, 3, and 4 on the reverse.
• Attach to front of article if space permits.
• Otherwise affix to back of article.
• Endorse article "Return Receipt Requested" adjacent to number.

RETURN  TO



PENALTY FOR PRIVATE
USE \$300

Dr. B. B. S. Q.
7920 Norfolk Avenue
Washington, D. C. 20545

(Name of Sender)

J. Zudans
3302

(No. and Street, Apt., Suite, P.O. Box or R.D. No.)

(City, State, and ZIP Code)

NRC FORM 420 (8-82) NRCM 0255		U.S. NUCLEAR REGULATORY COMMISSION		REQUIRED DELIVERY DATE SRT A3
REQUEST FOR PREMIUM COST MAIL SERVICE				
FROM: NAME J.J. Zedans	PHONE NUMBER 27903	ROOM NO. P-234	ORGANIZATION (Office, Division, Branch) Comanche Peak TRT	
TYPE OF MAIL SERVICE REQUESTED:		EXPRESS	PRIORITY	PRIVATE DELIVERY ☒ OTHER
BRIEF DESCRIPTION OF ARTICLE		Cert Ret Rec Req.		
Correspondence				
Requirements of Comanche Peak				
SERVICE CERTIFICATION—I certify that the use of premium cost mail services are essential to the conduct of official business and that lesser cost services are not suitable or available.				DATE
REQUESTER—SIGNATURE Mary Kline	TITLE CPTRT		DATE 2-22-85	
SIGNATURE—DIRECTOR Vincent	ORGANIZATION (Office, Division) Comanche Peak Project		DATE 2/22/85	
RETAIN THE REQUESTER COPY, AND MAIL THE BLUE COPY TO: CHIEF, MAIL AND MESSENGER BRANCH, FOS, ADM. FOR MAIL ROOM USE ONLY.				
APPROVED—MAIL AND MESSENGER AUTHORIZED OFFICIAL				DATE
VENDOR C.I.P.I.			CALL NUMBER P591 741 205	
DATE SHIPPED 2/22/85	SIGNATURE [Signature]			

REQUESTER COPY






DO NOT DISCLOSE

UNITED STATES
NUCLEAR REGULATORY COMMISSION
WASHINGTON, D. C. 20555

SRT A-3

FEB 22 1985


72



The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter, please contact me collect at (301)-492-7903.

Sincerely,



Vincent S. Noonan, Director
Comanche Peak Project

cc: J. Zudans


DO NOT DISCLOSE

FOIA-85-59

R44

FEB 22 1985

7c, 7d



(THIS LETTER SENT TO ALL OF THE ABOVE)

The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter please contact me, collect at (301)-492-7903.

Sincerely,

Vincent S. Noonan, Director
Comanche Peak Project

cc: J. Zudans

:TRT	:TRT:CP				
J. Zudans:pf	V. Noonan				
:2/5/85	:2/9/85				


OFFICIAL RECORD COPY



UNITED STATES
NUCLEAR REGULATORY COMMISSION
WASHINGTON, D. C. 20555

5/21/85-1
FEB 22 1985


70



The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter please contact me, collect at (301)-492-7903.

Sincerely,



Vincent S. Noonan, Director
Comanche Peak Project

cc: J. Zudans

DO NOT DISCLOSE

FOIA 85-59

R/24

FEB 22 1985



(THIS LETTER SENT TO ALL OF THE ABOVE)

The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter please contact me, collect at (301)-492-7903.

Sincerely,

Vincent S. Noonan, Director
Comanche Peak Project

cc: J. Zudans

:TRT	:TRT:CP				
E : J. Zudans:pf	:VNoonan				
E : 2/15/85	: 2/19/85				

OFFICIAL RECORD COPY

FEB 22 1985

DO NOT DISCLOSE

(THIS LETTER SENT TO ALL OF THE ABOVE)

The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter please contact me, collect at (301)-492-7903.

Sincerely,

Vincent S. Noonan, Director
Comanche Peak Project

cc: J. Zudans

DO NOT DISCLOSE

FC	:TRT	:TRT:CP					
AME	:JZudans:pf	:VNoonan					
ATE	:2/15/85	:2/19/85					

OFFICIAL RECORD COPY


R/25

UNITED STATES
NUCLEAR REGULATORY COMMISSION
WASHINGTON, D. C. 20555



FEB 22 1995

7c



The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter please contact me, collect at (301)-492-7903.

Sincerely,

A handwritten signature in dark ink, appearing to read "Vincent S. Noonan".

Vincent S. Noonan, Director
Comanche Peak Project

cc: J. Zudans

DO NOT DISCLOSE

FOIA-85-58

236

FEB 22 1985

(THIS LETTER SENT TO ALL OF THE ABOVE)

The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter please contact me, collect at (301)-492-7903.

Sincerely,

Vincent S. Noonan, Director
Comanche Peak Project

cc: J. Zudans

:TRT	:TRT:CP				
J. Zudans:pf	V. Noonan				
2/15/85	2/19/85				

OFFICIAL RECORD COPY

FEB 22 1985

DO NOT DISCLOSE

SATA

7c

(THIS LETTER SENT TO ALL OF THE ABOVE)

The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter please contact me, collect at (301)-492-7903.

Sincerely,

FOIA-85-59

Vincent S. Noonan, Director
Comanche Peak Project

cc: J. Zudans

SATA3

SENDER: Complete items 1, 2, 3 and 4.
Put your address in the "RETURN TO" space on the reverse side. Failure to do this will prevent this card from being returned to you. The return receipt fee will provide you the name of the person delivered to and the date of delivery. For additional fees the following services are available. Consult postmaster for fees and check boxes for service(s) requested.

1. ☒ Show to whom, date and address of delivery.
2. ☐ Restricted Delivery.


FC : TRT	: TRT: CP
NAME : J. Zudans: pf	: V. Noonan
DATE : 2/15/85	: 2/19/85

OFFICIAL RECORD COPY

R-33

FEB 22 1985

DO NOT DISCLOSE



7c

(THIS LETTER SENT TO ALL OF THE ABOVE)

The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter please contact me, collect at (301)-492-7903.

Sincerely,

FOIA-85-59

Vincent S. Noonan, Director
Comanche Peak Project

cc: J. Zudans

:TRT	:TRT:CP
:J. Zudans:pf	:V. Noonan
:2/19/85	:2/19/85

OFFICIAL RECORD COPY


FOIA-85-59

R/34

SATA3

SENDER: Complete items 1, 2, 3 and 4.
Put your address in the "RETURN TO" space on the reverse side. Failure to do this will prevent this card from being returned to you. The return receipt fee will provide you the name of the person delivered to and the date of delivery. For additional fee the following services are available. Consult postmaster for fees and check box(es) for service(s) requested.

1. ☒ Show to whom, date and address of delivery.
2. ☐ Restricted Delivery.




2134

FEB 22 1985

DO NOT DISCLOSE

7c



(THIS LETTER SENT TO ALL OF THE ABOVE)

The NRC, Office of Nuclear Reactor Regulation, recently published Supplement 7 (NUREG-0797) to the Safety Evaluation Report for the Comanche Peak Nuclear Power Plant. This supplement contains information regarding the Comanche Peak Technical Review Team evaluation and resolution of approximately 80 technical concerns and allegations in the areas of Electrical/Instrumentation and test programs. Per our agreement, we are enclosing a copy of this SER for your information.

Should you have any questions regarding this matter please contact me, collect at (301)-492-7903.

Sincerely,

Vincent S. Noonan, Director
Comanche Peak Project

cc: J. Zudans


DO NOT DISCLOSE

FC	:TRT	:TRT:CP				
AME	:J. Zudans:pf	:V. Noonan				
ATE	:2/21/85	:2/21/85				

OFFICIAL RECORD COPY

FOIA-85-59

R35



UNITED STATES POSTAL SERVICE
OFFICIAL BUSINESS

- SENDER INSTRUCTIONS
Print your name, address, and ZIP Code in the space below.
- Complete Items 1, 2, 3, and 4 on the reverse.
 - Attach to front of article if space permits, otherwise affix to back of article.
 - Endorse article "Return Receipt Requested" adjacent to number.

RETURN
TO




PENALTY FOR PRIVATE
U.S. \$300
U.S. \$300
Washington, D.C. 20003

(Name of Sender)

J. J. J. J.

(No. and Street, Apt., Suite, P.O. Box or R.D. No.)

(City, State, and ZIP Code)



PS Form 3811, July 1983

☐ SENDER: Complete items 1, 2, 3 and 4.





Put your address in the "RETURN TO" space on the reverse side. Failure to do this will prevent this card from being returned to you. The return receipt fee will provide you the name of the person delivered to and the date of delivery. For additional fees the following services are available. Consult postmaster for fees and check box(es) for service(s) requested.

1. ☒ Show to whom, date and address of delivery.

2. ☐ Restricted Delivery.

3. Article Addressed to:

7c



NRC FORM 420 (6-82) NRCM 0255		U.S. NUCLEAR REGULATORY COMMISSION		REQUIRED DELIVERY DATE 5/7/72
REQUEST FOR PREMIUM COST MAIL SERVICE				
FROM: NAME J.J. Zudans	PHONE NUMBER 27903	ROOM NO. P-234	ORGANIZATION (Office, Division, Branch) Comanche Peak TRI	
TYPE OF MAIL SERVICE REQUESTED	EXPRESS	PRIORITY	PRIVATE DELIVERY	☒ OTHER
BRIEF DESCRIPTION OF ARTICLE Correspondence			Cert Ret Rec Req.	
DESTINATION OF ARTICLE 				
JUSTIFICATION FOR SERVICE REQ Requirements of Comanche Peak				
SERVICE CERTIFICATION—I certify that the use of premium cost mail services are essential to the conduct of official business and that lesser cost services are not suitable or available.				DATE
REQUESTER—SIGNATURE Mary Kline		TITLE CPTRT		DATE 2-22-75
SIGNATURE—DIRECTOR V. Noonan, Director		ORGANIZATION (Office, Division) Comanche Peak Project		DATE 2/22/75
RETAIN THE REQUESTER COPY AND MAIL THE BCUE COPY TO: CHIEF, MAIL AND MESSENGER BRANCH, FOS, ADM. FOR MAIL ROOM USE ONLY.				DATE
APPROVED—MAIL AND MESSENGER AUTHORIZED OFFICIAL				DATE
VENDOR			CALL NUMBER	
DATE SHIPPED	SIGNATURE			

REQUESTER COPY





UNITED STATES
NUCLEAR REGULATORY COMMISSION
WASHINGTON, D. C. 20555


FEB 22 1985



Thank you for meeting via a telephone conference with members of the NRC Comanche Peak Technical Review Team (TRT) on [REDACTED] to discuss issues you raised regarding construction activities at the Comanche Peak Steam Electric Station. In accordance with your request, we are enclosing a copy of the transcript of that meeting.

If you have any further questions concerning the issues you raised, please call Mr. J.J. Zudans or me collect at (301) 492-7909.

Sincerely,



Vincent S. Moohan, Director
Comanche Peak Project

Enclosure: As stated

cc: J.J. Zudans

DO NOT DISCLOSE

FOIA-05-03

224

ORIGINAL

UNITED STATES NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:

DOCKET NO:

COMANCHE PEAK TECHNICAL REVIEW TEAM

FEEDBACK INTERVIEW OF


LOCATION: WASHINGTON, D. C.

PAGES: 1 - 5

DATE: 

ACE-FEDERAL REPORTERS, INC.

Official Reporters
444 North Capitol Street
Washington, D.C. 20001
(202) 347-3700

DO NOT DISCLOSE

NATIONWIDE COVERAGE

FEB 22 1985

[REDACTED]

Thank you for meeting via a telephone conference with members of the NRC Comanche Peak Technical Review Team (TRT) on [REDACTED] to discuss issues you raised regarding construction activities at the Comanche Peak Steam Electric Station. In accordance with your request, we are enclosing a copy of the transcript of that meeting.

If you have any further questions concerning the issues you raised, please call Mr. J.J. Zudans or me collect at (301) 492-7909.

Sincerely,

Vincent S. Noonan, Director
Comanche Peak Project

Enclosure: As stated

cc: J.J. Zudans

OFC	:TRT	:TRT:CP	:	:	:	:	:	:
AME	:J.J. Zudans; pf	:VNoonan	:	:	:	:	:	:
	:2/15/85	:2/19/85	:	:	:	:	:	:

OFFICIAL RECORD COPY

FEB 22 1985

DO NOT DISCLOSE

[REDACTED]

Thank you for meeting via a telephone conference with members of the NRC Comanche Peak Technical Review Team (TRT) on [REDACTED] to discuss issues you raised regarding construction activities at the Comanche Peak Steam Electric Station. In accordance with your request, we are enclosing a copy of the transcript of that meeting.

If you have any further questions concerning the issues you raised, please call Mr. J.J. Zudans or me collect at (301) 492-7909.

Sincerely,

Vincent S. Noonan, Director
Comanche Peak Project

Enclosure: As stated

cc: J.J. Zudans

JFC	: TRT	: TRT:CP	:	:	:	:	:
NAME	: J.J. Zudans:pf	: VNoonan	:	:	:	:	:
DATE	: 2/5/85	: 2/9/85	:	:	:	:	:

OFFICIAL RECORD COPY

FORM 420 U.S. NUCLEAR REGULATORY COMMISSION		REQUIRED DELIVERY DATE	
REQUEST FOR PREMIUM COST MAIL SERVICE			
FROM: NAME J.J. Zudans		PHONE NUMBER 27903	ROOM NO. P-234 ORGANIZATION (Office, Division, Branch) Comanche Peak TRT
TYPE OF MAIL SERVICE REQUESTED:		EXPRESS	PRIORITY
BRIEF DESCRIPTION OF ARTICLE Correspondence		PRIVATE DELIVERY	☒ OTHER
DESTINATION OF ARTICLE		CertRat Rec Req	
JUSTIFICATION FOR SERVICE REQUESTED			
Requirements of Comanche Peak TRT			
SERVICE CERTIFICATION: I certify that the use of premium cost mail services are essential to the conduct of official business and that lesser cost services are not suitable or available.			DATE
REQUESTER-SIGNATURE Mary Kline		TITLE CPTRT	DATE 2-22-85
SIGNATURE-DIRECTOR Vincent Norman		ORGANIZATION (Office, Division) Comanche Peak Project	DATE 2/22/85
RETAIN THE REQUESTER COPY, AND MAIL THE BLUE COPY TO: CHIEF, MAIL AND MESSENGER BRANCH, FOS, ADM. FOR MAIL ROOM USE ONLY.			
APPROVED-MAIL AND MESSENGER AUTHORIZED OFFICIAL			DATE
VENDOR Git		CALL NUMBER P591 241 499	
DATE SHIPPED 2/25/85	SIGNATURE [Signature]		

REQUESTER COPY

SRT A-1

PS Form 3811, July 1963

● **SENDER:** Complete items 1, 2, 3 and 4.

Put your address in the "RETURN TO" space on the reverse side. Failure to do this will prevent this card from being returned to you. The return receipt fee will provide you the name of the person delivered to and the date of delivery. For additional fees the following services are available. Consult postmaster for fees and check box(es) for service(s) requested.

1. ☒ Show to whom, date and address of delivery.

2. ☐ Restricted Delivery.

3. Article Addressed to:

4. Type of Service: Article Number

DOMESTIC RETURN RECEIPT