

ORIGINAL

UNITED STATES NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:

DOCKET NO: LRP

INQUIRY INTO THREE MILE ISLAND
UNIT 2 - LEAK RATE DATA
FALSIFICATION

LOCATION: BETHESDA, MARYLAND

PAGES: 4425 - 4535

DATE: THURSDAY, OCTOBER 30, 1986

ACE-FEDERAL REPORTERS, INC.

Official Reporters
444 North Capitol Street
Washington, D.C. 20001
(202) 347-3700

8611030450 861030
PDR ADOCK 05000320
T PDR

NATIONWIDE COVERAGE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
BEFORE THE ATOMIC SAFETY AND LICENSING BOARD
- - - - -X
:
In the Matter of: :
:
INQUIRY INTO THREE MILE ISLAND : Docket No. LRP
:
UNIT 2 - LEAK RATE DATA :
:
FALSIFICATION :
:
- - - - -X

Nuclear Regulatory Commission
Fifth Floor Hearing Room
East West Towers
4350 East-West Highway
Bethesda, Maryland

Thursday, October 30, 1986

The hearing in the above-entitled matter convened at
8:30 a.m.

BEFORE:

JUDGE JAMES L. KELLEY, Chairman
Atomic Safety and Licensing Board
U.S. Nuclear Regulatory Commission
Washington, D. C.

JUDGE JAMES H. CARPENTER, Member
Atomic Safety and Licensing Board
U.S. Nuclear Regulatory Commission
Washington, D. C.

JUDGE GLENN O. BRIGHT, Member
Atomic Safety and Licensing Board
U.S. Nuclear Regulatory Commission
Washington, D. C.

1 APPEARANCES:

2 On behalf of GPU Nuclear Corporation:

3 ERNEST L. BLAKE, JR., ESQ.

4 JOHN N. NASSIKAS III, ESQ.

5 Shaw, Pittman, Potts & Trowbridge

6 1800 M Street, N.W.

7 Washington, D. C. 20036

8 On behalf of the Employees:

9 HARRY H. VOIGT, ESQ.

10 MICHAEL McBRIDE, ESQ.

11 LeBoeuf, Lamb, Leiby & MacRae

12 1333 New Hampshire Avenue, N.W.

13 Washington, D. C. 20036

14 MOLLY BOAST, ESQ.

15 LeBoeuf, Lamb, Leiby & MacRae

16 520 Madison Avenue

17 New York, New York 10022

18 On behalf of Jack Herbein:

19 JAMES B. BURNS, ESQ.

20 Isham, Lincoln & Beale

21 Three First National Plaza

22 Chicago, Illinois 60602

23 CHRISTOPHER W. FLYNN, ESQ.

24 RICHARD O. WOLF, ESQ.

25 Isham, Lincoln & Beale

1150 Connecticut Avenue, N.W.

Washington, D. C. 20036

On behalf of Gary P. Miller:

MICHAEL W. MAUPIN, ESQ.

M. CHRISTINA HENSLEY, ESQ.

Hunton & Williams

707 East Main Street

Richmond, Virginia 23221

On behalf of Former Metropolitan
Edison Employees:

SMTIH B. GEPHART, ESQ.

Killian & Gephart

217-218 Pine Street, Box 886

Harrisburg, Pennsylvania 17108

On behalf of the NRC Staff:

JACK R. GOLDBERG, ESQ.

MARY E. WAGNER, ESQ.

U.S. Nuclear Regulatory Commission

C O N T E N T SWITNESSEXAMINATION

Mark D. Phillippe
by Mr. Voight
by the Board

4431
4435

William J. Fels
by the Board

4491

LAY-IN - PREPARED STATEMENT OF PHILLIPPE, Follows Page 4432.

E X H I B I T SBOARD EXHIBITSIDENTIFIEDRECEIVED

Exhibit 22 - 2 part, Chemical Addition
System and Pump Flywheels

4431

4431

Exhibit 23 - Compatibility with Reactor
Coolant

4431

4431

P R O C E E D I N G S

JUDGE KELLEY: On the record.

MR. MC BRIDE: Judge Kelley, you had asked us yesterday to review Board Exhibit 22, which Judge Carpenter helpfully explained to me when we were off the record last night that it was material that he had requested to see because the Staff witnesses had referred to it from the TMI-2 FSAR, and you very kindly made the microfiche of that available to me after the record closed yesterday and I did review that FSAR, and I did determine that there are three additional pages which are from one of the same sections that I thought ought to be before the Board as well because they do pertain to some of the issues before you. And those are pages 5.2-10, 5.2-11, and -- those are pages 5.2-10, 5.2-11 and table 5.2-12.

The subject matter, Judge Kelley, of those pages is section 5.2.3.4, entitled "Chemistry of Reactor Coolant" and the table, 5.2-12 is entitled "Reactor Coolant System Water Quality." And the text makes clear the purpose of adding various materials to the reactor coolant system and the table sets the various limits, in some cases minimum and maximum, for various materials in the reactor coolant system, including hydrogen, pH, dissolved oxygen and that sort of thing. And it does seem to me that given the minimum and maximum set for hydrogen among others in this table and the

1 description in the text of the purpose of adding hydrogen to
2 the reactor coolant system and the fact that the pages come
3 out of the same section of the latter half of the materials
4 that Judge Carpenter referred to yesterday and that -- our
5 Board Exhibit 22 -- that these pages ought to be in the
6 record of the proceeding as well.

7 I only have the one copy which I was able to get
8 off the microfiche last night. If there's a copying machine
9 available in the building, there are only three pages, we
10 could make them available to everyone else later. I'd be
11 happy to share them with the Board or the parties now if they
12 would like to see them.

13 JUDGE KELLEY: Let me ask other counsel, and the
14 Staff, whether they want to look at these suggested
15 additional pages, either as an add-on to Exhibit 22, was it?

16 MR. MC BRIDE: Yes, sir.

17 JUDGE KELLEY: -- or possibly as a separate
18 exhibit. But in any case, whether there's any desire on
19 counsel's part to review that. Mr. Blake?

20 MR. BLAKE: No.

21 MS. WAGNER: No. That's all right.

22 JUDGE KELLEY: It sounds -- and I say this
23 guardedly -- that Exhibit 22 of yesterday went more to the
24 safety rationale of 1 gpm per minute whereas what we are
25 talking about now is hydrogen additions, which is a somewhat

1 different matter. But, on the other hand, we have been
2 talking about hydrogen additions in much of this case and it
3 sounds relevant. So, even assuming it is a different
4 subject, in a sense, I wouldn't have any problem with putting
5 that in.

6 MR. MC BRIDE: I appreciate that. I just want to
7 observe that the first half of Board Exhibit 22 is section
8 9.3.4.2, entitled "Chemical Additions System."

9 JUDGE KELLEY: Okay.

10 MR. MC BRIDE: The latter half does concern
11 leakage detection systems and bases for them and that sort of
12 thing. So it's sort of a dual exhibit.

13 JUDGE KELLEY: It's a little bit of both but
14 there's no objection to putting in the pages you just
15 proposed. Would they be better then just as one exhibit?

16 MR. MC BRIDE: Yes. I would propose you mark them
17 Board Exhibit 23 just so we don't have to go back and correct
18 yesterday's transcript to describe what is Board Exhibit 22.

19 JUDGE KELLEY: Very well.

20 MR. MC BRIDE: With that addition we would have no
21 objection to the admission of Board Exhibit 22, which you
22 asked me to discuss this morning.

23 JUDGE KELLEY: We'll defer ruling on Board Exhibit
24 22 and we'll now admit 23, and I understand you'll get copies
25 at a convenient time for the reporter.

1 (Discussion off the record.)

2 (Board Exhibits 22 and 23 identified and
3 received.)

4 JUDGE KELLEY: Anything else?

5 MR. MC BRIDE: No, sir.

6 Whereupon,

7 MARK D. PHILLIPPE

8 was called as a witness and, having first been duly sworn,
9 was examined and testified as follows:

10 EXAMINATION

11 BY MR. VOIGT:

12 Q Mr. Phillippe, do you have before you a copy of a
13 document bearing the caption of this proceeding and the
14 heading "Prepared Statement of Mark D. Phillippe"?

15 A Yes.

16 Q Do you have any corrections you wish to make to
17 that document, sir?

18 A Just the penciled in date, from January to
19 February.

20 Q The bottom of page 1, the last word on page 1?

21 A Page 1. Yes.

22 Q With that correction, sir, do you adopt this as
23 your sworn testimony in this proceeding?

24 A I do.

25 JUDGE KELLEY: Thank you. The testimony may be

28720.0
BRT

4432

1 bound in the record.

2 (The document follows:)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

ACE-FEDERAL REPORTERS, INC.

202-347-3700

Nationwide Coverage

800-336-6646

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

BEFORE THE PRESIDING BOARD

In the Matter of)
)
)

INQUIRY INTO THREE MILE ISLAND)
UNIT 2 LEAK RATE DATA)
FALSIFICATION)
_____)

Docket No. LRP

PREPARED STATEMENT OF MARK D. PHILLIPPE

My name is Mark D. Phillippe and I live in La Place, Louisiana. I am presently employed by Louisiana Power & Light Company as a Quality Engineer--Nuclear at Waterford 3 steam-electric station.

Prior to becoming employed by Metropolitan Edison Company, I spent five and one-half years in the United States Navy nuclear program. After being honorably discharged from the Navy in October of 1976, I began my employment with Metropolitan Edison Company as an auxiliary operator. I became a control room operator in training in May of 1978 and received my reactor operator's license in July of 1979.

During late 1978 and up to the time of the accident. I was assigned to "C" shift, which was comprised of shift supervisor Brian Mehler, shift foreman Chuck Adams, and control room operators Marty Cooper and Joe Congdon. Beginning in ~~January~~ ^{February}

1979, I stopped working on shift and spent my time in training to take the NRC-administered examination for my reactor operator's license. I recall taking the exam just before the March 28, 1979 accident.

In the course of my training as a control room operator, I was trained that the technical specifications required that a leak rate test showing unidentified leakage of less than one gallon per minute be obtained once every 72 hours. Due to plant oscillations that occurred frequently during 1978-1979, it was often difficult to conduct a leak rate test under steady state conditions, as required by the technical specifications. For this reason, it was accepted practice on my shift to perform at least one leak rate test per shift to obtain an acceptable leak rate test result.

During 1978-1979, it was my observation that leak rate test results were sometimes erratic. I believed this was due at least in part to deficiencies in the computer program that calculated the leak rate tests. I thus came to regard leak rate test results with skepticism. In particular, I and my shiftmates deemed it necessary to corroborate leak rate test results in a number of instances by examining other plant parameters and by identifying and quantifying leaks. If we judged a leak rate test result to be invalid, we presumed that the result did not reflect actual unidentified leakage, and thus discarded it. On that basis, we discarded leak rate test results showing unidentified leakage in excess of one gallon

per minute, as well as some leak rate test results showing unidentified leakage of less than one gallon per minute. Prior to the accident, I was never aware of a leak rate test result showing unidentified leakage in excess of one gallon per minute on our shift that was not ultimately found to be invalid.

It was also the practice of my shift to invalidate and discard leak rate test results when a water addition had been made during the test or when water had been removed from reactor coolant inventory, such as by pumping down the drain tank. During 1978-1979, I was never aware of anyone on my shift adding water during a leak rate test in an effort to falsify the test result.

I recall being informed that the addition of hydrogen during a leak rate test could improve the test result. I do not recall who informed me of this phenomenon. I do not remember learning of this effect through participation in an experiment to determine the effect of adding hydrogen during a leak rate test. I can state that neither I, nor to my knowledge anyone on my shift, ever added hydrogen during a leak rate test for the purpose of falsifying a leak rate test result.

During 1978-1979, I was aware that one of the level transmitters was unreliable on occasion. I assumed that my superiors were aware of such problems and would implement corrective actions. I also assumed that a level transmitter would be tagged out of service if it were unfit for use. I never used a level transmitter that was tagged out of service

to perform a leak rate test; nor did I ever switch level transmitters during a leak rate test for the purpose of improving the test result.

I have only a vague recollection of Licensee Event Report 78-62. I can recall no change in the way my shift interpreted the 72-hour requirement during 1978-1979. Nor can I recall any specific corrective action, other than insuring that identified leakage was documented.

I would like to point out that I signed six leak rate tests that were analyzed by NRR. There were no water or hydrogen additions during five of them. The sixth test (NRR #43) was deemed invalid by NRR because they felt a feed and bleed operation was conducted during the test. I understand that MPR disagrees with that conclusion and believes the test was valid.

Although my present job does not require an NRC operator's license and I do not currently hold a license, I am employed in the nuclear industry. Now that the Board has called upon me to testify, I would like to clear my name of any involvement in leak rate improprieties. I never falsified a leak rate test, nor was I aware of any other operator on my shift who did so. I would be most appreciative, therefore, if the Presiding Board would officially recognize that I was not part of leak rate test falsification at TMI-2.

1 JUDGE KELLEY: Mr. Phillippe, I have a few
2 comments of an introductory context nature and then we'll
3 turn to Judge Bright, who is on my right; Judge Carpenter is
4 on my left, and I expect the three of us will have some
5 questions for you.

6 This board has been charged by the Commission to
7 determine the extent of involvement of employees at TMI-2 in
8 1978 and '79 in leak rate test falsification and other
9 improper practices associated with leak rate testing. This
10 will be your opportunity, this morning, to state on the
11 record your recollections and your perceptions of your
12 involvement in what was going on around you in leak rate
13 testing at that time. We reviewed your prefiled testimony
14 and we've also reviewed those portions of the record that we
15 developed so far that bear on you directly or indirectly.

16 Frankly, in terms of background, you probably know
17 that a number of former employees like yourself, CROs,
18 foremen, supervisors, intervened in this proceeding
19 voluntarily; there were some 25 people, and there were a
20 significant number of people who did not and you were one who
21 did not.

22 When we were assessing in August who we thought we
23 ought to call in addition to those who would come in
24 voluntarily, our initial inclination was to not call you.
25 You did not figure prominently in the investigations that

1 were conducted in this matter. I don't believe there's a
2 single interview in either of these big studies conducted by
3 either the NRC Staff or Mr. Stier in his investigation for
4 GPU Nuclear. You were involved in a few tests, not a lot,
5 compared to many operators.

6 On the other hand, the way things have turned out,
7 of the CROs and foremen and supervisors at the time, of whom
8 I think there must be close to 40, you and Mr. Blessing on
9 another shift would have been the only ones we didn't hear
10 from, and as matters have developed, there have been
11 references to you by other people, particularly by your
12 shiftmates, and as it turns out, your knowledge at the time
13 or lack of knowledge can become important, not only for your
14 involvement or noninvolvement but also for what other people
15 knew and were doing.

16 So, when we reassessed the situation in the last
17 couple of weeks, we decided that although it would be, we
18 appreciate, an inconvenience for you -- I believe you come up
19 from Louisiana; is that right?

20 THE WITNESS: That's right.

21 JUDGE KELLEY: We considered that and decided on
22 balance we should call you and we appreciate your coming.

23 We will have, as I said, some questions on your
24 prepared testimony; maybe a few on the tests that you were
25 involved in. Also some questions about testimony we received

1 from other people, Mr. Congdon -- your entire shift, former
2 shift, has already appeared: Mr. Congdon has been here,
3 Mr. Cooper has been here, Mr. Adams, Mr. Mehler, and we may
4 have questions, too, about what they had to say about what
5 was done on your shift at that time.

6 So, with that background I'll turn it over to
7 Judge Bright.

8 EXAMINATION BY THE BOARD

9 BY JUDGE BRIGHT:

10 Q Mr. Phillippe, I must apologize in advance for
11 appearing to be sort of repetitious here. My interrogation
12 was made up several days ago. You have to do that around
13 here because there are so many of them.

14 Then when I got your prepared statement, it in
15 many cases overlapped and answered some questions I had.
16 I'll try and keep it at the minimum, but we'll -- we'll do
17 the best we can.

18 You say that you started as a CRO trainee in May
19 of 1978?

20 A That's correct.

21 Q And you were actively in the control room force
22 until February 1979, when you stopped to get ready to take
23 your CRO license?

24 A I was in the control room a large percentage of
25 the time during that period.

1 Q After February, did you participate in the control
2 room activities?

3 A No.

4 Q On this trainee business, I get the feeling that
5 what they did to trainees, or for trainees or however you
6 wish to phrase it, differed a little bit from shift to
7 shift. I was wondering, could you tell me what your routine
8 would be when you first got there?

9 A In May -- I'd say from May to maybe September,
10 there's a lot of self-study. It was done primarily in the
11 back of the control room, behind the panels. That consisted
12 of completing lesson plans, taking quizzes on, primarily,
13 systems -- whether it be mechanical or electrical, I&C
14 systems.

15 Then in September -- during that period I probably
16 was out in the control room proper some of that time. Then
17 in the September-October time frame I started spending more
18 time out in the control room surveillance area, the area
19 being the actual control panels. In September and October,
20 up into January and February.

21 Q When would you say you started your hands-on
22 training, actually manipulation --

23 A A large percentage of the time, for OJT, I would
24 say started in September-October time frame.

25 Q Until that time you were primarily hitting the

1 books?

2 A I believe that to be true, yes.

3 Q I presume that some of the material that you
4 studied would encompass the tech specs?

5 A That's correct.

6 Q You say that as a trainee you signed off as the
7 operator while you were still a trainee?

8 A That's correct.

9 Q That you performed leak rate tests and signed off
10 on them. We had another shift where we were talking about
11 trainees, and they made the statement that it was illegal for
12 the trainee to sign the thing; that it had to be approved by
13 a licensed CRO. Is there any truth to that? Not that it
14 makes much difference, but I'm just curious.

15 A At the time, in 1978-1979, it was standard on our
16 shift for me to sign into the control room log or whatever
17 work I had completed, to do that.

18 In today's viewpoint, I suppose it could be
19 interpreted for that statement to be true, that it would be
20 illegal in a quality legal sense.

21 Q That sort of follows the business of any operation
22 that you made had to be under the tutelage or whatever you
23 want to call it, of a licensed person?

24 A That's correct.

25 Q Now, you state that you ran a number of leak rate

1 tests and I believe you said you signed off on six of them,
2 something like that. I was just curious, how many tests
3 would you say that you ran that for one reason or other were
4 declared to be invalid and that you discarded? Any estimate
5 on that?

6 A I can't give you an accurate estimate. I know as
7 far as the hard, cold fact number, they were numerous. But I
8 couldn't say 10, 20, 30, 40. I can't give you a number like
9 that.

10 Q Do you think it would be more than the six that
11 you did sign off on?

12 A Possibly.

13 Q I just have some little things here. Even though
14 I presume as a trainee you could not actually perform one of
15 these particular actions, but did you, at any time, ever
16 recommend entering the action statement, bring it to the
17 attention of the CROs?

18 A I remember obtaining identified leakage at greater
19 than 1 gallon per minute and informing either a CRO, either
20 Cooper or Congdon or Chuck Adams, that we got that result and
21 we sent NAOs out into the plant to try to identify leakage.

22 Q But the idea of entering the action statement
23 never entered your mind?

24 A I assumed that, by sending NAOs out into the plant
25 and trying to identify the leakage, that was entering an

1 action statement and I assumed that it was documented.

2 Q Did you ever fill out an exception or deficiency
3 on leak rate?

4 A On leak rate? No.

5 Q Did, at any time, either through your own
6 knowledge or any of your colleagues' or any training program
7 written material, whatever you may have had -- were you ever
8 educated, I guess, might be the word, in what were the safety
9 implications of the leak rate number; that is, the 1 gallon
10 per minute limit?

11 A This is hard for me to distinguish now, at this
12 point in time. I believe I can accurately state that, since
13 it was a tech spec item, that it did have safety
14 implications. From the time frame of late '78, early '79, I
15 do not believe I was aware, totally aware, that the tech spec
16 was based on pressure boundary leakage.

17 Q Would you characterize the people on your shift as
18 -- were the fellows friendly, for example? How did you get
19 along with them?

20 A Got along, in my opinion, excellent. From my
21 viewpoint; I believe from their viewpoint.

22 Q You found them fairly easy to work with, I guess?

23 A I think that the shift got along as a whole real
24 well together. We tried to support each other -- that being
25 the work load. I had a good deal of respect for all members

1 of that shift.

2 Q You didn't have a habit of getting into little cat
3 fights or snits or anything like that?

4 A No. We went out after work and had a few beers.

5 Q Now that brings up the matter of: Were you aware
6 of the practice of adding hydrogen to the makeup tank to
7 affect -- which would affect leak rate test results?

8 A On my shift; no. And I pinpoint my shift because
9 I was late, say in April -- not April -- just prior to the
10 accident, I had heard a general -- and I do not remember
11 where I heard this, but I remember hearing that hydrogen
12 could affect it.

13 Q Well, Mr. Congdon and Mr. Cooper have both given
14 testimony that they did add hydrogen to the makeup tank
15 during leak rate tests, and the basic difference between
16 their testimony that I can see was that Mr. Congdon, even
17 though he didn't know why, he knew that it did, some of the
18 time, affect leak rate tests and so he would do it
19 intentionally. Mr. Cooper, on the other hand, said he did it
20 but he didn't do it intentionally. They both got roughly the
21 same results.

22 I wonder if you would turn to the Stier interview
23 of Congdon: 2/13/85.

24 MR. MC BRIDE: I'm sorry, I thought our volume,
25 our set was complete here. That particular volume is

1 missing.

2 (Discussion off the record.)

3 BY JUDGE BRIGHT:

4 Q Page 52 and going up to the top of 55.

5 A Yes, sir?

6 Q Just a few little things in here.

7 Mr. Congdon is basically talking about leak rate
8 tests and adding hydrogen. At the top of page 53, he says:
9 "As a shift, we had heard that there was an effect on makeup
10 tank level through the hydrogen addition," et cetera, et
11 cetera. And he is indicating there that as a shift, you knew
12 about it. And I presume that included you. It's a
13 presumption on my part, when he says "shift."

14 A I do not -- my interpretation is that he used that
15 term as a shift in a broad sense. I do not recall
16 specifically having any knowledge other than a general
17 knowledge, as I mentioned before, that hydrogen affected the
18 test. And I believe on page 55 he says, "and probably Mark
19 Phillippe, who was in training at the time." That is why I
20 believe that the first statement "as a shift" was meant in a
21 broad sense, based on this and my recollection of how
22 hydrogen affected the test.

23 Q You might have had sort of a general knowledge of
24 this through the grapevine around the plant or something like
25 that?

1 A Yes.

2 Q But no specific.

3 He said, down at the bottom of the page, the
4 question was:

5 "Question: Do you recall how you heard about it?"
6 This is to Mr. Congdon. And he said, "To the best of my
7 recollection, it was from the other operators, probably in
8 the course of turnovers."

9 How did this turnover thing work, exactly? Shift
10 A would be relieved by shift B. There was information that
11 needed to be shifted from one shift to the other, what's the
12 condition of the plant and all that sort of thing. Was it a
13 one-on-one procedure? The shift foreman would go talk to the
14 shift foreman and one CRO would grab one CRO, and another one
15 would grab another one, and the two trainees would do their
16 little dance, or whatever? Would you describe it as you
17 remember it?

18 A For me -- well, from September '78 up to February,
19 when I was involved, it was generally as you stated, the
20 shift foreman went to the shift foreman; the shift sup. to
21 the shift sup.; the CROs, depending on who had the panel, the
22 panel operators went together; maybe the surveillance, ROs
23 who were going to be taking care of the add demin and
24 surveillance areas of the shift, they went together.

25 As far as the trainees, I never turned over,

1 unless I was involved in the actual shift -- in other words,
2 the trainees didn't turn over as a function, other than if
3 they had the responsibility for something on that shift.

4 Q So, what you are saying if you had, say, been
5 given the responsibility of running leak rates on a
6 particular shift, when you were relieved you would tell
7 whoever would be the surveillance man on the next shift
8 that --

9 A I would generally say, it would probably be: We
10 got a leak rate due that's coming up on your shift, or maybe
11 the next shift -- generally statements like that.

12 Q And I presume in between any little bit of
13 in-plant gossip might have been picked up?

14 A Sure.

15 Q That sounds like a normal operation.

16 Then, your prepared testimony you say you don't
17 remember anything about an experiment or test, whatever, as
18 Mr. Congdon talks about it?

19 A That's correct.

20 Q I presume you are talking about the same thing?

21 A As what I just read here?

22 Q Yes.

23 A That's correct.

24 Q And then Mr. Congdon makes the statement, as you
25 remarked before, who knew about the effect hydrogen could

1 have on a hydrogen test. The answer to that was "The fellow
2 CROs, Mark Cooper and probably Mark Phillippe, who was in
3 training at that time, and probably the shift foreman."

4 Of course that "probably" carries a lot of
5 latitude with it. I wonder, if we can get an opinion from
6 another source here, look at Exhibit 10 in the OI interview
7 of Cooper. Friday, September 28, 1984.

8 MR. MC BRIDE: We have it, Judge Bright.

9 BY JUDGE BRIGHT:

10 Q 57 and 58.

11 Now, here Mr. Cooper was talking about leak rates
12 and the hydrogen business and he was asked a direct question
13 by Mr. Christopher, bottom of the page there on page 57:

14 "Question: Did you ever discuss any of this type
15 of thing with Mark Phillippe?" And he answered -- I hope
16 your copy is better than mine, but: "I imagine that we
17 did." And I'm going to fill in some wild guess here about
18 "he was a trainee."

19 I have a blank space here.

20 MR. MC BRIDE: We do, too, but I was at the
21 interview and I think your guess is a very good one.

22 JUDGE BRIGHT: Very good. "I imagine he did. He
23 was a trainee. He didn't receive his license until" --

24 THE WITNESS: "He took his test just prior to the
25 accident and his license came through sometime thereafter,

1 July."

2 BY JUDGE BRIGHT:

3 Q Now, Mr. Cooper was under the impression that
4 probably the fellows, Congdon and Cooper, they obviously were
5 aware of the hydrogen situation. And apparently they just
6 assumed that you did, too.

7 A Sir, last night I reviewed the logs in that time
8 period, and from my prepared statement, I previously thought
9 it was January that I went off shift but the logs revealed it
10 was the -- the last entry I had made on shift was February
11 11th.

12 From that time I believe I was off shift in
13 training, away from the control room at the training trailer
14 doing a cram course for the license in March. And I have no
15 specific recollection of my being aware, from these
16 statements, that I was aware of hydrogen additions. Other
17 than, as I said before, in a general sense through just the
18 grapevine.

19 MR. MC BRIDE: Judge Bright? While we are at it,
20 I had requested at the beginning of this interview of
21 Mr. Cooper, which was the first OI/NRR interview, that we be
22 given copies of the transcripts of those interviews as they
23 were prepared. We were denied that right.

24 If you will look on page 57 of that same
25 interview, at line 12, you will note that the word "hour" --

1 and I will note it should read "We were a pretty
2 straight-arrow shift."

3 JUDGE BRIGHT: I will certainly accept that.

4 JUDGE KELLEY: It seems to me it's important to
5 nail down as precisely and completely as we can what your
6 training status was and what your physical location was
7 during the time we are talking about. We have already made
8 some references to this, but let me make sure I understand
9 what the record shows so far.

10 BY JUDGE KELLEY:

11 Q Your prepared testimony indicates that you went
12 into training status in January. Now you indicate on the
13 basis of a log review, it would have been February the 11th?

14 A Yes, sir.

15 Q Now, backtracking a bit, I've noted that your last
16 leak rate test which was retained and in the record was, I
17 think, the 6th of January, NRR's number 89. But of course
18 you could have run unsuccessful ones after that, I suppose,
19 so that's not conclusive of anything in particular. All it
20 tells you for sure is that you didn't run one that was filed
21 as successful after that date.

22 I'm not clear about training status in at least
23 one respect because I understand your reference to training
24 status to mean, possibly to mean that you would come to the
25 control room, report to a shift, but just going off to a desk

1 and reading things.

2 Now you indicate that you went into a cram course
3 status outside the control room off in some training shack, I
4 take it, on the 11th of February.

5 Am I just wrong about this studying in the control
6 room, so to speak?

7 A Studying in the control room was from May '78 to
8 March '79, the training was -- you did a lot of it on your
9 own. Okay?

10 Q Continuously, as a trainee.

11 A Right.

12 Q All right.

13 A And then, right before the test, four to six weeks
14 before the test, they usually took you off shift and really
15 put -- you know, boned you up for the test.

16 Q I was getting the impression, which I think now
17 you are correcting me on, that there were like three
18 statuses: There was trainee status where you would be in the
19 control room and do things under supervision, maybe do a
20 little reading; then there was trainee status in training, so
21 to speak, where you do a lot of reading in the control room
22 and not much else; and then this cram-course status. Now the
23 second one you described doesn't exist; is that correct?

24 A Would you repeat the second one?

25 Q That's the one where you are doing hard reading in

1 the control room and not much else, as distinguished from
2 other trainee activities.

3 A No. I believe it existed in the control room from
4 around May to around September, where we studied in the back
5 behind the panels.

6 Q I'm still struggling then, I guess, because it is
7 important in my mind to know what your physical proximity was
8 to the other people.

9 A Sure.

10 Q What your interactions were.

11 A Sure.

12 Q When you say May to September, what happened after
13 September?

14 A That was the time period that I got involved in
15 the two manipulations in the control room.

16 Q Okay. You come on as a trainee in May of '78 and
17 for four or five months you are not involved in manipulation;
18 correct?

19 A Not a large percentage of the time; no.

20 Q What are you mostly doing?

21 A Mostly studying, reviewing systems, doing lesson
22 plan work.

23 Q Observing?

24 A Yes. Completing lesson plans, submitting them to
25 training, them grading them.

1 Q And this, I suppose if we had the whole drill on
2 trainee progression, we could see all this on an outline
3 somewhere. But this is May to September. Okay. Then in
4 September, then what happens?

5 A Then I went on shift, actually getting involved in
6 the control room operations.

7 Q And running an occasional leak rate test?

8 A Right.

9 Q Okay.

10 A Then, in January -- I believe it was the middle of
11 January -- that's why I put it in my prepared statement the
12 first time --

13 Q All right. Yes.

14 A -- I believe I went to a simulator in Lynchburg,
15 Virginia.

16 Q Can that be established in some fashion?

17 A It should be.

18 Q We have had similar questions in the past with
19 regard to other witnesses as to when somebody went to
20 Lynchburg. It may not be in the record now. Can we find
21 out?

22 MR. MC BRIDE: You might be able to find a record
23 but we might be able to get at it more quickly if you asked
24 Mr. Phillippe why he recalls that it was in January when he
25 was in Lynchburg.

1 BY JUDGE KELLEY:

2 Q That's fine, too. Do you remember?

3 A It was very cold.

4 Q It's cold in February, too.

5 A Yes.

6 JUDGE KELLEY: Can you find out, Mr. Blake?

7 MR. BLAKE: I will take a look. Actually
8 Mr. Phillippe's recollection squares fairly well with what we
9 established for Mr. Mell, and it matches the date when they
10 took the exam and were taken off shift --

11 BY JUDGE KELLEY:

12 Q Do you know Mr. Mell?

13 A Yes. We went to Lynchburg together.

14 Q Well, that's helpful.

15 A I believe. I remember I went with Jack Garrison.

16 Q Was there such a thing like a class of trainees,
17 like the class of '78?

18 A I think there were four or five of us that took
19 the test in March of '79.

20 Q What I'm after is people in the same cycle, so to
21 speak.

22 A True.

23 Q Did this include Mell, to your recollection?

24 A Mell and I took the test at the same time. I'm
25 not sure we studied together.

1 Q But your recollection is you went to Lynchburg for
2 two weeks?

3 A Two weeks.

4 Q Last half of January?

5 A That's what I believe to be true.

6 Q Did you come back on shift then as a trainee
7 before going into this intensive cram-course mode?

8 A Apparently I did, up until about the 11th.

9 Q Week or two weeks?

10 A I would say that.

11 Q And the 11th is the date that sticks in your -- is
12 that something you can nail down somehow? Why do you say the
13 11th? Does the log show that?

14 MR. MC BRIDE: Yes, sir. He doesn't have this
15 before him, but if you turn to NRR test 113, which was
16 February 11, 1979, you will see following that test, a copy
17 of the CRO log for both test 113 and 114. And later in that
18 day on the 7:00 to 3:00 shift, Mr. Phillippe had the log.
19 And signed it.

20 JUDGE KELLEY: Okay.

21 MR. MC BRIDE: Thereafter you will not find his
22 name on the log and Mr. Stier's report indicates, in a manner
23 consistent with what I just stated, that after the 11th,
24 Mr. Phillippe was no longer on shift.

25 JUDGE KELLEY: Do we know from Stier's report what

1 he bases that on?

2 MR. MC BRIDE: Attendance records.

3 JUDGE KELLEY: Helpful. Attendance at the control
4 room?

5 MR. BLAKE: Yes.

6 JUDGE KELLEY: Okay. I think this is all helpful
7 in nailing this down.

8 MR. MC BRIDE: May I also point out one other
9 thing to you which you will find reflected in the Stier
10 report which may be helpful to you for this chronology, and
11 that is that there was a period of a couple of weeks' time --
12 I don't have the exact time frame but we can find it for you
13 if you want it -- in January, when the plant was down for
14 feedwater valve repair and no leak rate tests were being
15 performed. So if you are trying to reconstruct this
16 chronology, that's sort of a missing period for you.

17 BY JUDGE KELLEY:

18 Q When you say that you looked at the log books for
19 this -- and I just heard Mr. McBride describe how on a
20 certain day in February you did sign the log and not
21 thereafter -- my impression, though, is that you can't tell
22 completely about who was in the control room by looking at a
23 log because the only person whose name is in the log is the
24 person who is on the log; is that right?

25 A That's true.

1 Q For example, it doesn't say "Phillippe came on
2 shift accompanied by Congdon, Cooper," et cetera.

3 A That's true.

4 Q It doesn't say that. It just says "Phillippe" if
5 you are on the panel or whoever.

6 A Yes.

7 Q Okay. We have heard, though, about the 11th as
8 being the last day, as far as you know?

9 A As far as I know.

10 Q It's tied to the log, and Mr. McBride suggests
11 that the Stier report buttresses that.

12 A And my recollection being in the training trailers
13 for approximately four to six weeks prior to the accident --
14 well, prior to taking the NRC exam.

15 Q In late March?

16 A I believe it is the week before the accident.

17 Q Okay. Early 20s of March?

18 A Low 20s.

19 Q And I think Mell spoke about that, too. So I
20 think that would suggest, then, that you were not on shift on
21 the 15th of February, 1979?

22 A I don't believe I was.

23 Q That all follows. You say you left on the 11th,
24 as far as you know. I didn't just pull that out of the air.
25 That's the date of test 120 on which Mr. Congdon believed

1 that the -- an experiment with hydrogen had been run.

2 BY JUDGE BRIGHT:

3 Q What we are trying to establish -- or what I am
4 trying to establish, Mr. Phillippe, really has little or
5 nothing to do with your particular performance. What we
6 would like to know is any particular conversations or
7 information about hydrogen that might have been passed on to
8 you by either Mr. Congdon or Mr. Cooper.

9 A Sir, I do not recall any such conversations.

10 Q I realize this permeates the entire shift. But it
11 just seems strange that they were real nice guys, very
12 helpful, easy to work with, friendly; they were the ones that
13 trained you to do leak rate tests, and neither of them
14 thought they were doing anything wrong when they added
15 hydrogen to the makeup tank. This is their flat-out
16 statement. And under -- and both of them say that they
17 thought it was possible or probable or however that you knew
18 about the effect of a hydrogen addition to the makeup tank
19 for a leak rate test. Can you think of any reason why they
20 wouldn't talk to you about that particular subject?

21 A The only thing I can think of is that I was not
22 there for them to talk to me about it. I was off shift, in
23 training.

24 Q So when all of this happened --

25 A As I understand, when this hydrogen addition, when

1 it started, the time frame.

2 Q Well, let's do the last little item. You state in
3 your prepared testimony that you remember this LER on leak
4 rate testing but you don't remember what it was. You did
5 initial the check-off sheet, did you not?

6 A That's correct.

7 Q You don't recall reading the thing, do you?

8 A During the last seven years there has been so much
9 controversy over this 78-62, at this point in time I believe
10 I recall during the 1980 Grand Jury investigation, or '81 --
11 remember -- I recall -- I remember reading the LER, some time
12 in '78 or '79. It must have been '78. But I don't remember
13 any specifics about it.

14 Q Neither of the CROs told you about it or said,
15 here is what the new procedure is going to be?

16 A I don't remember any in-depth discussion about
17 anything to do with that LER when it came out for reading.

18 Q Did the shift foreman ever talk to the crew about
19 the LER and the actions that were supposed to happen as a
20 result, as you recall?

21 A Again, I don't remember any specific instructions.

22 Q And the same would go for the shift supervisor?

23 A True.

24 JUDGE BRIGHT: Okay. Well, thank you,
25 Mr. Phillippe.

1 JUDGE KELLEY: Let's take a coffee break.

2 MR. BLAKE: Judge Kelley, before we go, just to
3 round off --

4 JUDGE KELLEY: On the record?

5 MR. BLAKE: Yes. If you would look at table 2 in
6 the Stier report, which, by individuals, provides, in
7 essence, the folks who were involved in a crew complement for
8 -- in association with each of the tests, you see a pretty
9 clear pattern in January of Mr. Phillippe's being on shift
10 and in the control room day after day after day, whenever
11 that crew was on shift, and it does evaporate after February
12 11. His shift continues but his name goes away and doesn't
13 reappear until March 21st.

14 My recollection -- Mell's testimony was that that
15 exam occurred on either -- either the oral or written -- on
16 March 18. I could be wrong.

17 MS. WAGNER: I think the written was the 20th and
18 the oral --

19 MR. BLAKE: In any event, he goes off shift and
20 doesn't reappear in the 21st.

21 JUDGE KELLEY: He was in Lynchburg the last half
22 of January? I'm not clear --

23 MR. BLAKE: It might be easier during the break --
24 I'll put this before the Board during the break, but I'm
25 looking at the Congdon portion of table 2 on the Stier

1 report, you can see on Congdon, it shows who was around.

2 MR. VOIGT: I'm looking at the Adams table, which
3 presumably has the same information.

4 JUDGE KELLEY: Are you looking at the Mehler
5 table --

6 MR. VOIGT: Yes, there is a Mehler table, too.

7 JUDGE KELLEY: Good. Let's take a break.

8 (Recess.)

9 BY JUDGE KELLEY:

10 Q Following up a little further, Mr. Phillippe, on
11 the discussion we had about nailing down the times when you
12 were at Lynchburg or when the plant went down or when you
13 were in the cram course, during the break I did look at the
14 volume that Mr. Blake was referring to, which is a volume of
15 the Stier report that is the closest thing we've got in this
16 record to an attendance sheet. It's not really an attendance
17 sheet but it shows dates on which particular people were
18 involved in tests or performed tests. What's that number,
19 volume number, Mr. Blake?

20 MR. VOIGT: It's volume III(A), table 2.

21 JUDGE KELLEY: Thank you. One can look, I think,
22 interchangeably at Congdon or Cooper or Adams. In any case,
23 it shows that person and you, of course, were shiftmates with
24 them. And dates. And who was on shift with the person who
25 is being referred to.

1 As I read that table, it indicates that there were
2 no leak rate tests being run between the 15th of January and,
3 I believe, the 7th of February. Then, on the 7th of
4 February, leak rate tests and presumably plant operations
5 resume. The question is you were there on the 7th through
6 the 11th, about a week, and that after the 11th, you were not
7 there until the 22nd of March; is that the pickup date?

8 MR. BLAKE: 21st.

9 BY JUDGE KELLEY:

10 Q 21st of March. Does that sound consistent to you
11 -- it does to me -- about what we were talking about?

12 A Can I add something, sir?

13 Q Please do.

14 A What Mr. McBride was referring to, me referring to
15 that I was in Lynchburg in January, I remember -- I don't
16 know whether I called the control room and spoke to Marty
17 Cooper or somehow I ended up talking to Marty Cooper at the
18 plant from Lynchburg.

19 Q Okay.

20 A I asked him how the plant was in general. He said
21 well, we are down. We tripped on overfeed of the steam
22 generators. And so that kind of coincides with the plant
23 being down.

24 Q Right. I appreciate that.

25 JUDGE KELLEY: There may be another indication

1 somewhere in the Stier record about when the plant was down.
2 If we can find that -- the Stier report is an extensive
3 document; it sometimes takes a while to find what you are
4 looking for. I don't say that critically at all. It's a
5 very useful resource document. But we may be able to find
6 something there. Mr. Blake, if you can without undue
7 tribulation, perhaps also find some plant record of when he
8 would have been at Lynchburg, that might be helpful, too.
9 But we are pretty much, I think, homing in on this.

10 BY JUDGE KELLEY:

11 Q Can I ask you, then, if you agree that it seems
12 reasonable you would have been back for the week of the 7th
13 to the 11th of February? Does that week stand out in your
14 mind at all? Do you remember the interval between Lynchburg
15 and going into the cram course?

16 A No, sir. After going to Lynchburg, which I
17 believe was the last half of January, I do not remember being
18 on shift after that. But the record shows that I was, up to
19 about the 11th.

20 Q Okay.

21 A I don't remember that 11 days or whatever it was
22 in February.

23 MR. VOIGT: Judge Kelley?

24 JUDGE KELLEY: Yes.

25 MR. VOIGT: Volume I of the Stier report at page

1 82 has an entry, "January 15-February 1, 1979. During this
2 period no leak rate tests were performed because the plant
3 was shut down."

4 JUDGE KELLEY: Thank you.

5 BY JUDGE CARPENTER:

6 Q Mr. Phillippe, a while ago you were talking to
7 Judge Bright about this LER which issued in October of '78.
8 To the best of your memory, in the latter part of '78, where
9 would you have read about this LER? Would you have been
10 exposed to it?

11 A Well, there was a binder, a black binder, I
12 believe it was, maintained in the control room. Basically it
13 was required reading that operators were supposed to read. I
14 do not remember whether it contained only LERs or other
15 information deemed necessary for the operators to read.

16 What I'm trying to say, I don't remember if it was
17 just strictly LERs or other information.

18 Q Do you recall whether there were any other
19 documents that had required reading? In particular, a
20 document that would have included operational memoranda,
21 so-called ops memos? Do you recall those at all?

22 A I remember there were ops memos. I don't remember
23 any specific ones put out to all of operations -- from the
24 control room operators up through supervision.

25 Q Where did those ops memos go, then? You weren't

1 exposed to them?

2 A Some of them I was. Some of them I wasn't.

3 Q Was there a book?

4 A I don't know if it was in the same binder as the
5 required reading or in another book. I can't remember that.
6 I think I remember there was two books. One on -- like for
7 the operators, and I think Chuck had one back by his desk.
8 I'm not sure about that.

9 Q You can't remember whether these ops memos --

10 A I can't remember where they went; no. Where they
11 were placed to be read.

12 Q The reason for the question is that there didn't
13 seem to be any impact at all of this LER, even though an ops
14 memo was written, which apparently was routine. I was just
15 curious to know whether you remembered, both with respect to
16 this specific LER, and as a general practice, whether things
17 that were being flagged appeared in a separate book and,
18 therefore, would rise above the flood of paper?

19 A I have very, very vague recollection of operations
20 memos.

21 Q As part of the training, you didn't get the
22 impression that if you see an ops memo, give it particular
23 attention as opposed to all the other stuff in the reading
24 books?

25 A Well, in the sense that who initiated them was

1 your boss, you should give it attention. But other than, you
2 know, a safety significance, I don't remember anything along
3 that line.

4 Q If something was initiated by PORC, this indicated
5 to you that this was a nonroutine informational item?

6 A I can't give you a straight answer.

7 Q See, we are trying to find out why nothing
8 happened. It looks like the right paperwork was started but
9 nothing happened.

10 A Yes.

11 Q Everybody kept on doing business as usual.

12 A I haven't got an explanation.

13 Q It just slipped through the cracks, as far as you
14 recall?

15 A No explanation.

16 Q Turning to page 2 of your prepared statement, the
17 first sentence of the second full paragraph you say:

18 "During 1978-1979, it was my observation that leak
19 rate test results were sometimes erratic." Then you go on to
20 say: "I believed this was due at least in part to
21 deficiencies in the computer program that calculated the leak
22 rate tests."

23 Why did you think that the computer program would
24 produce erratic results?

25 A Maybe that isn't a good choice of words. I guess

1 my confidence level in the program itself -- I am in no way
2 -- I'm a layman when it comes to computers. The confidence
3 level in the program.

4 Q But why would you think that if there was an error
5 in the program that it wouldn't produce a systematic bias?
6 For example, if at some step in the program you are supposed
7 to be add -- the computer was supposed to be told to add two
8 numbers together and, instead, let's say it was told to
9 subtract the two numbers, wouldn't that produce a persistent
10 error rather than an erratic error?

11 A It seems that that would be true, yes.

12 Q I'm mystified. You are not the only person that
13 expresses this view that this computer was whimsical, and
14 some days it did good things and some days it misbehaved,
15 that it was neurotic or almost to the point of psychotic. It
16 was a weird thing. And I don't understand how that feeling
17 -- I'm also a layman. I have had people write computer
18 programs for me and I have had them make mistakes, but that
19 mistake was a very persistent thing. It kept producing
20 garbage and we recognized it as garbage and we corrected it.
21 When you say the results were erratic, in your mind that was
22 due to this computer program?

23 A Like I said before, maybe my words here are a poor
24 choice.

25 Q That's why I'm trying to give you a chance to be

1 more accurate.

2 A My confidence level -- and I can't give you a
3 reason for that; maybe it's just my ignorance as to how a
4 computer works -- my confidence level -- I just did not have,
5 I mean I did not have to a good degree.

6 Q Did you ever stop to ask yourself the question:
7 What's wrong here?

8 A I don't remember doing that.

9 Q Having talked to many of your colleagues I get the
10 impression that because the mechanics of running this
11 surveillance test consisted of going over to the computer
12 console and typing in a code and that started the computer to
13 run -- to collect the data to run the test and then it simply
14 printed out the result, that there was a minimum of
15 involvement in terms of operator attention and perhaps
16 operator -- call it almost emotional involvement. Comparing
17 to going and reading some gauges and sitting down and doing a
18 calculation where you kind of own that calculation,
19 emotionally. You did it. It's your work product and so on.

20 The fact that by chance this thing was computer
21 assisted had a detrimental effect on the operator attention.
22 Is that a fair impression?

23 A I would say so. Because, like you said, all you
24 had to do was, I believe, go over and type RCSL, or something
25 like that.

1 Q Yes.

2 A And come back in an hour, make some entries if you
3 had any, and that was it.

4 I believe, today, in 1986, I believe there are
5 better ways of doing leak rates than other -- you know,
6 instead of using just a 60-minute time frame that starts when
7 you tell it to start and automatically stops.

8 Q Well, whatever exists today exists today.

9 A That's true.

10 Q We are stuck with what went on at TMI-2 in this
11 time frame which we are trying to understand.

12 If you felt there were deficiencies in the
13 computer program, why didn't you ever fill out a deficiency
14 sheet?

15 A I don't have an answer for that.

16 Q Did you feel that it wouldn't be favorably
17 received by somebody? Was there pressure not to do that?

18 A No. I remember in, I believe it was
19 October-November, the only improvement I remember being made
20 on the computer program -- the leak rate computer program was
21 we moved the reactor coolant drain tank level indication from
22 the cable room to the -- actually hard wired into the
23 computer. That's the only improvement I remember being made.

24 Q And that really was eliminating potential operator
25 error, in terms of going someplace, reading it and coming

1 back --

2 A And calling it in; right.

3 Q So that wouldn't involve a change in the program
4 if there were other problems in the program.

5 Well, I continue to be mystified why this problem
6 with this surveillance test went on month after month, partly
7 for the reason as far as I can tell, there's no deficiency
8 papers that went forward. If everybody that believed there
9 was a deficiency had filled out a deficiency paper there
10 would have been a big pile of them someplace.

11 A True.

12 Q Is it fair to say that the safety significance of
13 this test wasn't regarded very highly because of other
14 indications about what leakage might be?

15 A You mean --

16 Q The fact that people walked around the plant and
17 didn't see any leaks.

18 A Right. That could be.

19 Q So whatever the numerical result from this -- the
20 only quantitative tool was this surveillance test; isn't that
21 correct? There was no other way of knowing quantitatively
22 what the unidentified leakage was?

23 A Other than physically inspecting all the systems.

24 Q Yes. But still, you, perhaps, couldn't measure --
25 well, "unidentified" means you can't find it.

1 A True.

2 Q So once you see it, then it is --

3 A Identified.

4 Q Well, I would like to turn to a couple of your
5 tests. Will you turn to test 80 in the NRR report, please.

6 Looking at the copy of the computer printout page,
7 it shows that you were the operator, as indicated by your
8 signature; is that correct?

9 A That's true.

10 Q And for this surveillance test that you ran, the
11 net unidentified leak rate is minus 3.8 gallons per minute.
12 Does that make any sense to you?

13 A Not now.

14 Q Well, at the time. Within this system, water was
15 appearing at the rate of almost 4 gallons a minute; I have
16 the vision of the reactor vessel and the associated piping
17 slowly expanding to hold all this water.

18 The reason I wanted to look at this with you, it
19 surprises me that you would sign such a piece of paper,
20 recognizing you were a trainee, but still it just seems very
21 unprofessional.

22 A At the time, like you said, I was a trainee. It
23 was -- I don't want to say standard practice, but Chuck Adams
24 did accept negative leak rates.

25 Q What was your comprehension of Mr. Adams doing

1 such a thing?

2 A My recollection of Chuck Adams was that he was a
3 stickler for details, conscientious, and that if it was
4 acceptable to him, then it was acceptable to me.

5 Q Well, I accept your views of Mr. Adams, but didn't
6 it surprise you that he would accept this, if that was his
7 general behavior? By and large he was serious, competent,
8 professional, as far as you could tell -- that he would also
9 sign this document, which clearly doesn't represent a proper
10 surveillance test? You turn on a pump and the pumpage
11 indicated by your test is a minus pumpage, and you wouldn't
12 fill out a deficiency?

13 A I have no explanation.

14 Q Coming back to your prepared statement it says:
15 "The leak rate test results were sometimes erratic." Is this
16 an example of one of those erratic occasions?

17 A I suppose it could be. I can't say for sure it
18 is.

19 Q Well, apparently you didn't expect that the leak
20 rate surveillance test was going to produce negative numbers
21 as large as 3.8 gallons per minute on a regular basis. There
22 were other times when it might produce a positive number.

23 A Well --

24 Q I don't see how you can say this isn't an erratic
25 event.

1 A Four of the six I signed, I believe, were positive
2 or greater than zero or less than 1.

3 Q So four were positive and two were negative, it
4 would mean it's the kind of pattern that to my mind would be
5 erratic. You didn't -- you weren't curious as to why you got
6 this negative leak rate?

7 A Yes, I suppose I was but --

8 Q Did you ask Mr. Adams: What is this?

9 A I'm sure we had some conversation about it.
10 Generally, you know, we got the results, we took it to Chuck,
11 he looked at it and approved it. I mean, it wasn't like we
12 got the results and then put it on his desk and walked away.

13 Q Yes.

14 A Generally we talked about it, had some discussion
15 about it.

16 Q Well, if you turn over past several pages of logs
17 you come to the section of the strip chart record and makeup
18 tank level sensor output that covers the time period for the
19 surveillance test that you ran. The strip chart has had
20 additions made by NRR: two vertical lines mark off the time
21 period when the test was run. And, of course, the strip
22 chart record is a record of the signal from the sensor that
23 was connected to the strip chart recorder, which is not the
24 same as the sensor that was connected to the computer.

25 So, what NRR has added here -- look at the

1 interval of the test -- is from the computer sheet, the
2 initial values of makeup tank level and the final values.
3 And they show very clearly that with this -- A, that the two
4 sensors don't agree with each other by an amount that's
5 enough to invalidate the test right off -- by inspection.
6 You get two rulers and they don't read the same, how are you
7 going to measure the length of something? Were you taught to
8 check the sensors?

9 A Taught to check the sensors?

10 Q Yes. You are going to run a test that involves --
11 the primary input is input from these level sensors. It's
12 just like any other surveillance test, you are going to use
13 certain pieces of equipment to do the test with.

14 The first question is: Is the equipment
15 functioning or not? Is it in calibration? Et cetera. To
16 make your point about Mr. Adams being a stickler for detail,
17 that would seem to be a minimum detail.

18 A I don't remember being taught to check the, you
19 know, instrumentation at that time frame. I remember there
20 were discussions but I can't remember exactly when, about
21 this indication.

22 I remember that there was a contract I&C tech who
23 spent a lot of time working on the makeup tank level
24 indication. I do not remember when that was.

25 Q That's one of the mysteries here. There

1 apparently was some recognition that these level sensors were
2 not behaving adequately. But then they were used without
3 checking to be sure whether, for a particular test, that
4 particular individual had an adequate sensor to use. That's
5 just -- you see, it's in such conflict with this posture that
6 by and large people were careful, people were professional.
7 The pieces of paper in front of me show just absolute -- I
8 can't characterize it any other way than sloppy.

9 A True.

10 Q The two sensors read significantly different from
11 each other, don't they?

12 A Yes, they do.

13 Q So I don't see how anyone could run a leak rate
14 surveillance test.

15 A I don't know when I became aware that one, like
16 LT-1, like if LT-1 was on the recorder then LT-2 went to the
17 computer. I don't remember when I became aware of that.

18 Q In the description of running the test it doesn't
19 tell you that?

20 A I don't believe it specified either LT-1 or LT-2.

21 Q Well, there was a switch available, wasn't there,
22 to change --

23 A Below the recorder, yes.

24 Q The fact that that switch was sitting there wasn't
25 a helpful hint that you could look at one sensor or the other

1 sensor by simply turning the switch?

2 A Yes. You would see the change on the recorder
3 itself. But I was not aware that one went -- when you had
4 one on the recorder the other one went to the computer. I
5 don't remember when I became aware of that.

6 Q What I'm still trying to understand is, given a
7 surveillance test result of minus 3.8 gallons per minute,
8 why, except that you were a trainee and still trying to
9 learn, why Mr. Adams wouldn't have gone and looked at the
10 strip chart recorder to see what the heck was going on?

11 A I can't give you an explanation.

12 Q Was it that the test wasn't taken very seriously,
13 this minus 3.8 really wasn't a problem. Sign your name and
14 stick it in the file?

15 A I believe it was taken seriously in the sense that
16 we knew we had to get a good result. Then at some point in
17 time they started accepting negative leak rates and I don't
18 know why they started accepting them.

19 Q Well, help me with this. Suppose there was a leak
20 at the time you ran this test and because of this level
21 sensor problem you couldn't tell it. The surveillance test
22 says minus 3.8 gallons per minute. Who knows whether it was
23 plus 2 or plus 1 or what it was.

24 A Well, the trend on LT -- the good sensor -- would
25 have indicated that there was a leak.

1 Q That's right. If anybody looked at it.

2 A I can't say for sure but I'm sure somebody did.

3 Q That's what I don't understand. You see, if you
4 looked at the good one, it is obvious that one of them has to
5 be sick. So, by signing this document the inference is that
6 nobody was looking at anything. Isn't that fair?

7 A I don't know if I agree with that.

8 Q Well, if you knew what the strip chart record was
9 showing in terms of a trend, that there wasn't a big leak,
10 and the surveillance test produced a big negative number, I
11 don't understand why that wasn't questioned?

12 A I can't give you an answer.

13 Q Isn't it fair to say that there isn't much that
14 any computer programmer could have done about this situation
15 as is displayed in this test? The problem wasn't with the
16 computer, it was with the sensor.

17 A It's a hardware problem.

18 Q Well, a hardware problem.

19 A Yes.

20 Q A sensor problem.

21 A True.

22 Q I mean, the computer guy could have changed the
23 program five times and it wouldn't have helped this
24 situation?

25 A Not this situation, no.

1 Q But it was the feeling that the problems really
2 were with the computer as your testimony says, not with the
3 sensors?

4 A My confidence in the computer.

5 Q The computer and the sensors or just the computer?

6 A I believed at the time it was just the computer,
7 because I'm not sure when I became aware of the sensor
8 problems.

9 Q Well, if on the 30th of December, if you looked at
10 the strip chart at the end of running this test, wouldn't you
11 have seen that there was a real sensor problem?

12 A I should have.

13 Q That's the other thing. In your testimony, I
14 believe, you expressed the view that you thought if the
15 sensor was sick, somebody would tag it out?

16 A That's true.

17 Q Did somebody come around and regularly check
18 sensors for you? Or did they expect the operators to
19 identify problems?

20 A Well, on that indicator -- I'm sure there is a
21 calibration frequency on it but I don't know what it was. It
22 could have been six months, 12 months. I don't know.

23 Q Right. So if the sensor got sick in between those
24 routine checks --

25 A The operators should have identified the problem.

1 Q That's what is very awkward here. Many of these
2 tests that NRR says are questionable are simply questionable
3 because the operators just went right on using a sensor that
4 should have been questioned. I don't know that it was your
5 job as a trainee or an operator to tag it out of service, but
6 certainly to identify a question -- doesn't it have to start
7 with somebody in the control room?

8 A It should have, as a rule.

9 Q I mean, who else is there? That was the system,
10 wasn't it?

11 A Yes. I agree with you.

12 Q See, the problem that I have and the Board will
13 have is determining how much of this was malicious and how
14 much of it was just plain stupid?

15 A I think a lot of it was ignorance.

16 Q You see, eyeball to eyeball, you don't strike me
17 as that kind of person. You are not the kind of guy that
18 signs something that says my bank account is minus \$3000. It
19 doesn't make sense to me.

20 A Maybe I learned a lot in seven years. I don't
21 know.

22 Q I think at the time you had to -- as you say,
23 Mr. Adams would accept it so you signed it. It got it off
24 your desk.

25 You don't recall -- turn over to test 82, which is

1 the strip chart record, not -- in my book it's not labeled
2 82, but it's the first page before the blank blue insert
3 page.

4 A It says 82 -- well, it doesn't have a label.

5 Q It doesn't have the number on it but it's in that
6 series.

7 A All right.

8 Q As you look at that, isn't that once again another
9 example of where --

10 A Yes, sir, next day.

11 Q Minus 2.4 gallons per minute. This is two days
12 later, and as far as you can tell from these two
13 surveillances, all this water has been appearing. Negative
14 leak rate.

15 You know, not small compared to the presumed
16 accuracy of the test. We are not talking about minus .1 or
17 minus .2, but something that's twice the size of the
18 technical specification limit only it's negative instead of
19 positive. Isn't that another example of a sick sensor being
20 used?

21 A Yes, sir.

22 Q You don't recall in that time frame of suddenly
23 becoming aware of the fact that there were two sensors and
24 the sensors, one or the other of them, might be inoperative?

25 A I remember at a point -- and as I stated before, I

1 don't recall exactly when -- that it was determined that one
2 of the sensors was inoperative.

3 Q It finally got tagged out five days later?

4 A It got tagged out in January, first part of
5 January.

6 Q So, isn't it fair to say that for an extended
7 period of time nobody knew what the unidentified leak rate
8 was, based on tests as characterized by test 80 and test 82?

9 A Well, if you look at those test 80 and 82 strictly
10 alone, yes. But if there were other tests performed in that
11 time frame -- I don't know.

12 Q But for the two shifts covered by test 80 and 82,
13 did that shift know whether they were operating the plant
14 within technical specifications?

15 A Would you repeat that question?

16 Q For the two shifts in which test 80 and 82, the
17 two we have just been looking at, could that shift have known
18 that the plant was being operated within the technical
19 specification limit of unidentified leakage less than 1
20 gallon per minute?

21 A Strictly looking at these two tests, no.

22 Q The Commission asked this board to find out
23 whether or not procedures were violated. And at a minimum,
24 it would seem, procedures call for carrying out a
25 surveillance test at least once every 72 hours. It was, if

1 not a normal decision, it was a habit to run them more
2 frequently. And then you get these funny ones which show you
3 don't know where you are. You are flying blind: Minus 3.8
4 gallons per minute doesn't have any information content in
5 it, does it?

6 A No.

7 Q So that's why I'm curious as to the psychology of
8 the situation. What actually went on as shown by the strip
9 chart is very clear, but what was going through peoples'
10 minds is a mystery.

11 A As I stated before, I don't know why they started
12 accepting the negatives but they did.

13 Q Doesn't that almost automatically lead to the
14 conclusion that the test wasn't taken seriously?

15 A I suppose it could have been. You could take it
16 that way, yes.

17 Q If it was taken seriously, how could a big
18 negative number be accepted?

19 A I don't know. They did.

20 Q And you did. As shown by your signature.

21 Did you feel when you signed these computer
22 printout sheets that you were really taking responsibility
23 for the test?

24 A At the time I don't think I really understood --
25 like I believe it says "operator." To me that just means who

1 performed the test. That's what I thought at the time. And
2 not who was taking the responsibility for accepting the
3 results.

4 Q Why would anybody care who punched the computer to
5 tell it to start? Wouldn't that be a trivial
6 identification? You could have almost had a --

7 A And who entered, if there were any numbers to be
8 entered into it. That would be of significance.

9 Q Yes. Yes.

10 Well, you ran other surveillance tests, didn't
11 you, in addition to this leak rate?

12 A Yes, sir.

13 Q Did you sign for those?

14 A Yes, sir. I can recall one surveillance that we
15 did not meet the accepted criteria for an ISI stroke time of
16 a containment spray valve and it delayed start-up. So, you
17 know, that was one example I can recall.

18 Q Of surveillance tests that --

19 A Tech spec surveillance test.

20 Q -- where it was out of tech spec?

21 A The stroke time on the valve.

22 Q And it did lead to some action?

23 A Yes. I believe it was 24-hour, maybe a 48-hour
24 delay.

25 BY JUDGE KELLEY:

1 Q When you were performing the leak rate tests,
2 referring to the ones that you signed that we have been
3 talking about -- and there are a total of six or seven, I
4 guess -- you were in trainee status; correct?

5 A Correct.

6 Q Now, the computer printout shows your signature
7 and typically Adams', I guess. But if you were running a
8 leak rate test as trainee, would you be doing it under some
9 form of supervision from one of the other CROs; namely,
10 either Congdon or Cooper, or not?

11 A I wouldn't call it a close supervision.

12 Q Well, once they showed you -- I mean, there wasn't
13 any great magic in typing RCSL on the typewriter --

14 A No.

15 Q Once they showed you how to do that, which I guess
16 would take five minutes, just the mechanics, was there any
17 more supervision from the other two CROs of your running leak
18 rate tests?

19 A There's usually some conversations about it. I'd
20 go and ask them a question or they would ask me a question.

21 Q What I'm interested in here is, the fact that you
22 were a trainee, is that significant? Is there somebody else
23 involved in the leak rate tests other than the two people who
24 signed the paper, you or Adams? Typically would Congdon or
25 Cooper have some input in the process?

1 A Yes.

2 Q In the case of a big negative number like 3.8,
3 would you think you would have taken that to one of the two
4 of them as well as Adams?

5 A I don't know.

6 Q You don't have a specific recollection, I take it?

7 A No, I don't.

8 Q You may or may not have?

9 A I may or may not have.

10 Q Okay. I just had one further question -- not
11 question, but area I wanted to explore with you, and that has
12 to do with these negative leak rate numbers.

13 As you recall at the time -- we've seen here that
14 occasionally tests would come in negative and you've referred
15 to the practice of accepting negative numbers. What I
16 wondered about was whether there was any differentiation in
17 practice at that time between, let's say, negative results
18 ranging from .1 to, let's say, a gallon, as distinguished
19 from negative results greater than that?

20 A Negative .1 to negative 1?

21 Q Yes. I'm pulling that number not completely out
22 of the air, as a relatively small negative result as opposed
23 to a larger 3.8. Theoretically if it says keep it under a
24 gallon a minute, you can say, well, 3.8, that's under a
25 gallon a minute. Fine.

1 On the other hand, I suppose I can take another
2 look at negative numbers and I might want to distinguish in
3 some range. I'm just attempting to find out whether, as you
4 recall, there was any effort to differentiate small negative
5 numbers from big negative numbers?

6 A I don't recall specifically on my shift any --
7 like a certain range of negative numbers you can accept.

8 Q Well, is it your recollection that any negative
9 number was okay?

10 A Well, I -- no.

11 Q Do you have any recollection of the supervisor
12 saying: No, throw that one out. That's too negative, too
13 big a negative number. Did that ever happen?

14 A I don't have any specific hard-case instance of
15 that, but I think he would, Chuck would have gone along that
16 line. Like if it was a negative 10 or negative 20.

17 Q You think he would have rejected a negative 20?

18 A Sure.

19 Q Or a 10?

20 A Yes.

21 Q 3.8, though, he signed?

22 A Well, he did sign it.

23 Q One thing that I have heard from prior witnesses
24 here -- and I think I can paraphrase it briefly -- with
25 regard to negative numbers, let's suppose that you have a

1 tight plant and you run a leak rate test and the leak rate is
2 zero, unidentified leakage. Everything is fine.

3 And you then, in that state, steady state --
4 everything else is ideal -- you run a whole bunch of leak
5 rate testings. Let's say you run 10 tests back to back.

6 Would you expect the leak rate test to give you 10
7 consecutive perfect zeros?

8 A No.

9 Q Why not?

10 A Based on the --

11 Q And I'm not asking about all the bugs in this
12 system. I'm assuming you got a good leak rate system and a
13 tight plant and there really isn't any unidentified leakage.
14 Do you still think you could get 10 zeros? And if not, why
15 not?

16 I interrupted you; sorry.

17 A Are you asking this in 1986 or 1979?

18 Q Make it '86.

19 A Okay.

20 Q A hypothetical plant.

21 A No. I do not believe that, based on the volume
22 and mass changes due to temperature.

23 Q I guess I'm assuming that this ideal leak rate
24 test can accommodate, to some extent, those factors also.

25 A Well, I believe the NRC itself has come out and

1 said, through NUREG-0896, that the best you can get is about
2 a plus or minus .2 gallons per minute accuracy.

3 Q And is this attributable to what I think is called
4 just normal instrumentation error?

5 A It could be to that. It could be to, you know,
6 the volume change in the water due to temperature. It could
7 be the time span that you run the test over.

8 Q But in any case, would you not get, in my
9 hypothetical of 10 leak rate tests back to back, conditions
10 seemingly ideal for a leak rate test, wouldn't you get
11 bunched in the middle, four or five zeros, maybe six, and
12 then two or three plus .1 or .2, and a couple of minus .1 or
13 .2? There's going to be a spread, isn't there?

14 A I could buy that, yes.

15 Q That's why, if that's so, I can understand why a
16 foreman, shift supervisor, CRO at that time at TMI, even if
17 he thought everything was fine, would expect to get some
18 small negative numbers just by instrument error and nothing
19 else. So a minus .1 followed -- or preceded, let's say, by a
20 plus .1, would look perfectly kosher, I would think. Or
21 might.

22 A I would agree with that today.

23 Q But I have trouble with 3.8, under that theory.

24 Do you remember at that time whether there was any
25 understanding among yourself and others on your shift, others

1 you work with, that you could expect a certain spread in test
2 results encompassing, perhaps, low negative numbers? Was
3 that part of the common understanding or not?

4 A In 1979 I don't recall that.

5 MR. MC BRIDE: Judge Kelley, could I just ask the
6 witness whether he intended to refer to NUREG-0896 or some
7 other number?

8 THE WITNESS: Let me check. 0986.

9 JUDGE KELLEY: Thank you.

10 BY JUDGE CARPENTER:

11 Q Mr. Phillippe, one of the things I think the Board
12 is going to have to think about is the training program at
13 TMI-2. Were you comfortable with this teach-yourself
14 approach to life?

15 A About the first six months of it I was pretty
16 gun-shy. Then, as I got into the control room, I felt more
17 comfortable. I could see everything coming together, all the
18 integrated systems.

19 I thought it was a lot on an individual's back to
20 have to do it that way. Of course, back then I didn't know
21 there was any other way to do it.

22 Q Well, how about -- to what extent did the other --
23 the control room operators, shift foreman, shift supervisor
24 on your shift, help in the training program, on-the-job
25 training program?

1 A To what extent did they help me?

2 Q Yes. Would you say it was a substantial part of
3 the training program?

4 A They were -- in my mind, every time I didn't
5 understand something, on the most part, they were very
6 cooperative trying to find the time to help me out.

7 Q What was your perception of the quality of the
8 training that they had received? Who taught the teachers?

9 A Well, obviously they were much more knowledgeable
10 than I was, so, then and now, I don't think I could judge
11 that. I did not know what kind of training they went
12 through.

13 Q Did you think it was any different than the
14 training you went through?

15 A Well, I went through what they called hot license
16 training and they went through what they called cold license
17 training, which is -- I believe back then, was more
18 extensive.

19 Q Were you aware of anybody on your shift that had
20 any experience at any other operating reactor?

21 A Chuck Adams, I believe, was at Brunswick. I
22 believe he was there.

23 Q Yes. Were you aware of anybody else that had any?

24 A On my shift?

25 Q Yes. Or on any shift?

1 A Oh, yes. Well -- I don't know. I'm having
2 problems remembering names. Joe, Marty and myself were both
3 in the nuclear Navy program. But as far as commercial
4 experience, Chuck Adams was the only one that I knew of on my
5 shift. I can't remember any names of any other operators
6 that had commercial experience elsewhere.

7 Q How much of your nuclear Navy experience, do you
8 think, actually equipped you for a machine of this size? It
9 seems to me as a layman to be a very different breed of cat.
10 Is that fair?

11 A That's fair. It's maybe the bottom step up the
12 ladder the Navy is.

13 Q It's certainly a very different kind of thing to
14 operate.

15 A Yes.

16 Q Well, you are the last of the operators, shift
17 foremen and shift supervisors we are going to talk to, and I
18 have been so struck by the lack of any experience in any
19 other reactor I just wanted to get your sense of whether, at
20 the time you had the feeling that pretty much the people have
21 come to this island and one way or another have learned how
22 to run reactors, but there really wasn't any: We didn't do
23 it that way at some other reactor?

24 A There wasn't any of that.

25 Q There wasn't any sense of how this thing got to be

1 the way it is, you see. No one had any experience with leak
2 rates other than at TMI-1, apparently, that was around to
3 say: This is the way it ought to be and this is the way we
4 have to live with it?

5 A I would say that most of the -- from the start-up
6 of the plant, most of the control room operators were green,
7 being that that was their first plant. And, probably, 25
8 percent of the shift foremen were green; not from TMI-1 or
9 some other plant.

10 Q I just wanted to see whether my impression was
11 correct, whether you agreed with me. This pretty much was a
12 group of people, some of them there a little bit longer so
13 they had some rank higher. But I think your point about the
14 cold training and hot training is pertinent.

15 Thank you very much.

16 JUDGE KELLEY: Follow-up questions?

17 BY JUDGE BRIGHT:

18 Q I believe these are from your counsel. When did
19 you first learn that Mr. Congdon has admitted that he
20 intentionally added hydrogen during leak rate tests?

21 A 10/29/86.

22 Q You mean this morning?

23 A Yesterday evening.

24 Q Oh. Yesterday evening. 10/28. What was your
25 reaction to this knowledge?

1 A It upset me quite a bit.

2 Q Do you recall any special instructions on your
3 shift concerning the addition of hydrogen to the makeup tank?

4 A Specific instructions? No.

5 JUDGE BRIGHT: Thank you.

6 JUDGE KELLEY: Okay. Mr. Phillippe, that takes us
7 through our process. Again, our appreciation for your long
8 trip. It has been helpful to have you here and your comments
9 are useful for our record. Thank you very much. You are
10 excused.

11 (The witness stood down.)

12 (Discussion off the record.)

13 JUDGE KELLEY: We are back on the record. Our
14 next witness will be Mr. William Fels.

15 Good morning, Mr. Fels.

16 MR. FELS: Good morning.

17 Whereupon,

18 WILLIAM J. FELS

19 was called as a witness and, having first been duly sworn,
20 was examined and testified as follows:

21 JUDGE KELLEY: Counsel for Mr. Fels has provided
22 us with a resume for Mr. Fels, which is a document of four
23 pages in length. We would like to include the resume as an
24 exhibit. We don't propose to fold it in the transcript but
25 simply to make it an exhibit.

1 I don't know that there are enough copies to go
2 around to everybody at this stage.

3 MR. MC BRIDE: We bound in Mr. Bolts' resume to
4 avoid the copying problem. I wonder if we might, despite
5 Judge Cotter's admonition, do the same thing here. Or else
6 perhaps we could --

7 JUDGE KELLEY: Well, off the record.

8 (Discussion off the record.)

9 JUDGE KELLEY: Mr. Fels, as I assume you know,
10 this board has been charged with the responsibility by the
11 Commission to look into and determine questions of individual
12 involvement of employees at TMI-2 in 1978 and '79 in leak
13 rate falsification and other improper leak rate testing
14 practices. You aren't a party in the case nor were you
15 called earlier, simply because we understand your job
16 function there -- you, yourself, were not a control room
17 employee, you weren't running leak rate tests or acting as a
18 foreman or supervisor, and the bulk of the people that we
19 have been hearing from are in those job categories. I'm sure
20 you are also aware, though, that your name has come up from
21 time to time in connection with, particularly with computer
22 programming for leak rate testing.

23 There is, as a matter of fact, at least one leak
24 rate test that I'm aware of, in I think October '78, where
25 you apparently made a correction in a calculation.

1 Primarily our interest has to do with your
2 involvement in attempts to improve the performance of the
3 computer in connection with leak rate tests. So we recently
4 decided it would be helpful for you to come and appear as a
5 witness so that we could learn more about what your
6 involvement was. So that is where we are this morning.

7 By the way, my name is Kelley; on my right is
8 Judge Bright; on my left is Judge Carpenter, and we'll have
9 some questions for you about that subject starting with Judge
10 Carpenter.

11 EXAMINATION BY THE BOARD

12 BY JUDGE CARPENTER:

13 Q Mr. Fels, we haven't admitted your resume. What I
14 would like to ask, as far as education is concerned, would
15 you say that your education has been primarily in the area of
16 electronics and electrical engineering?

17 A Yes.

18 Q Without much education or experience with respect
19 to either nuclear engineering or mechanical engineering or
20 other engineering disciplines?

21 A That is true with the exception that normal
22 engineering colleges require you to take courses in those
23 disciplines.

24 Q The Board recognizes that -- we are going to ask
25 questions about things that occurred in 1978 and 1979 that

1 will strain your memory, so we ask you to help us strain your
2 memory to the extent that you can. All of our questions will
3 be with respect to that time period, as I already stated.

4 Can you recall being involved with the leak rate
5 surveillance test at TMI-2 in 1978 and 1979, in terms of
6 requests for you to do something?

7 A I have vague recollections of a few problems that
8 were brought up that were fixed. Is that the question you
9 were asking?

10 Q Yes. We have had -- we have talked, now, to
11 nearly all the shift supervisors and foremen, all the reactor
12 operators, and throughout our interviews with these people
13 they keep saying: We knew there was a problem with the leak
14 rate surveillance test. We thought it was in the computer
15 and some computer guy was fixing it. It turns out that you
16 are the guy that they were talking about.

17 What we would like to find out today is what you
18 were doing and whether the problem really was with the
19 computer or not.

20 How would it have been that you would have gone to
21 the control room at TMI-2 to look at the computer with
22 respect to leak rate surveillance tests? Would some sort of
23 work order be issued?

24 A No. Typically it was just word of mouth because I
25 was in the control room so much.

1 Q I see. So you were around the control room a lot?

2 A Yes.

3 Q Doing what sorts of things?

4 A Well, the computer operators' console and computer
5 programmers' console were both located in the control room.
6 A lot of my work was spent resolving point-related problems,
7 or alarm related problems. You know, I'd go up and the
8 operators would say this point is in alarm and it shouldn't
9 be because -- something simple, the pumps shut off yet it
10 says it is on or something like that.

11 There were a lot of point-related problems that
12 came up day to day early on that we resolved, you know, as we
13 went. There were other user programs that were being put
14 into the Unit 2 computer that were already in the Unit 1
15 computer that needed work to go along with the Unit 2 inputs.

16 Q That's very helpful because, apparently, people
17 seeing you around the control room might have just assumed
18 that you were working on leak rate surveillance tests without
19 knowing what you worked on?

20 A There was really very little work done on the leak
21 rate test after it was installed. Maybe two or three
22 problems over a year, year and a half that I can remember.
23 And I don't recall, you know, real details of this problem
24 but it wasn't brought up on a daily basis. 99 percent of my
25 daily work was related to what the operators were seeing as

1 they looked at the console as they looked at the alarm
2 printouts. If things didn't look right they asked me to
3 investigate to find out whether it was a computer software
4 problem, a hardware problem with the multiplexors in the
5 basement, or was it a field problem.

6 If it was a field problem they already had a
7 paperwork thing in the mill, where they would write a work
8 request, I guess, to the maintenance department to repair --
9 like the field sensor, if it was a sensor problem.

10 Q Well, you say you sort of vaguely remember that
11 you did work on the computer program for the leak rate
12 surveillance test. But you don't remember the details of it.

13 A Well, exact details --

14 Q Do you recall finding some specific problem that
15 once you fixed it would make the quality of the test
16 significantly better?

17 A Yes. One sticks in mind is there was a problem --
18 I don't know how it came to surface. I don't recall what
19 brought it up. But the cause was the program could not
20 subtract zero from a number. It always returned zero. I
21 don't recall what that made the printout look like, the final
22 printout that the operators looked at. But that was an
23 operating system problem from the vendor, in that these
24 programs, if they want to do a floating point or integer add,
25 subtract or multiply, they call one routine because any

1 program can use it. And that routine was incorrect.

2 Q So the software was not something that you
3 generated but was a vendor-provided software program?

4 A No. The leak rate software itself was the Unit 1
5 leak rate software converted to run in Unit 2. And by doing
6 that, I mean the heading was changed, the line numbers were
7 changed to agree with the Unit 2 procedure, line number for
8 line number. And the points -- an example might be, maybe in
9 Unit 2 inlet temperature might have been .500; in Unit 1 it
10 might have been .398. So you had to make those changes in
11 the unit to access the right process variable, but the
12 program was originally written for Unit 1. It was just
13 modified and adopted to both fit Unit 2's inputs and the line
14 for line procedure as it was written for Unit 2.

15 Q Do you recall finding -- apparently there might
16 have been errors made in adapting the Unit 1 procedure to
17 Unit 2. Do you recall finding such errors?

18 A No. I didn't consider the content of the
19 procedure as being right or wrong. I just implemented the
20 software.

21 Q No, I meant in the sense of, I think the jargon
22 expression is "debugging." Apparently you did do the
23 modifications of the TMI Unit 1 program --

24 A Yes.

25 Q -- to make them appropriate for Unit 2?

1 A Yes.

2 Q I'm asking subsequently did you find that you had
3 made some small mistakes?

4 A I don't really recall if I did or if I didn't. I
5 mean that's possible, I suppose. The problem that I referred
6 to earlier wasn't as a result of a mistake. It was something
7 that had been inherently wrong with the computer since we
8 installed it.

9 Q So that problem existed, also, at Unit 1?

10 A No. No.

11 Q It was a routine that was provided with the
12 computer in Unit 2?

13 A Yes.

14 Q That had a bug in it.

15 A Yes, it was a common routine that any other
16 program could access.

17 Q What we are trying to understand is, there was a
18 problem with this leak rate surveillance test that led to,
19 ultimately, considerable distress. And the problem just
20 didn't go on for a day or two or a few shifts or a few
21 weeks. It went on month after month after month. All the
22 way up to the time of the accident this leak rate
23 surveillance program was never straightened out.

24 Did anyone ever say to you: Look, there's a
25 problem with this surveillance test. Find out what the

1 problems are and fix them?

2 A No. There wasn't a problem with the surveillance
3 test. There was a problem -- if there was a problem, there
4 was a problem with the surveillance procedure. The test just
5 mimicked the procedure.

6 Q I would expect so.

7 A So, if, in fact, they had a real problem with the
8 test, then they would have been talking to somebody in the
9 engineering department; not the computer programmer.

10 In other words, example is there was a change in
11 progress around late fall or early spring of '78 or '79. And
12 I was changing the program to go along with changes that were
13 being made in the procedure at the time. But I don't think
14 they were ever implemented before the accident. Or if it
15 was, it was very close to it.

16 Q So there was somebody suggesting that the
17 procedure be changed?

18 A Yes.

19 Q Who was that person?

20 A I really don't remember.

21 Q What department they worked in?

22 A Probably mechanical -- mechanical engineering. I
23 believe the whole thing was an ongoing result of discussions
24 after an LER, in the fall of '78.

25 Q Yes. Well, that's the point. Here it is October

1 of '78 and all the way to the middle of March. The problems
2 were identified in October and hadn't been resolved. This is
3 what I'm trying to find out.

4 A Yes.

5 Q The scuttlebutt is that you were the great white
6 hope, you see, and it surprises me that the computer
7 programmer was supposed to understand what was wrong with the
8 procedure. Just the point you are making.

9 A Yes.

10 Q That's why I was kind of guessing that that might
11 be the case. Your obligation was to see that the computer
12 faithfully carried out the same manipulations of the data
13 that would have been done manually.

14 A That's true.

15 Q It's just a convenience. Whatever problems there
16 were with the procedure really weren't computer problems,
17 they were procedure problems.

18 A Yes.

19 Q So, apparently, at the time of the LER, it was
20 recognized at least that there might be problems with the
21 procedure. Do you know that?

22 A Not as a matter of fact; no. The only thing that
23 I recall from that time period were discussions about whether
24 the approach should be by volume or by mass. It seemed the
25 consensus of opinion was that mass would be the most accurate

1 way and that was most of the changes that were being made.
2 The changes were in the -- I don't recall the exact date, but
3 the changes to do the mass calculations were in the computer,
4 probably in January or February.

5 Q Do you recall a temporary change order which was
6 issued in March with respect to the calculation for this leak
7 rate surveillance test?

8 A That probably was the change that I was just --
9 just mentioned.

10 Q Well, that was the middle of March, not January or
11 February?

12 A What I mean is the programming that went along
13 with the change that was being requested was done prior to
14 the paperwork being signed off. It just wasn't turned over
15 to operations. In other words, I didn't wait until the last
16 minute, until somebody handed the control room the new
17 procedure in the TCN to start working on the program because
18 then they would have had a new procedure but wouldn't have
19 had a new computer program.

20 Q Well, apparently they didn't because they carried
21 out manual calculations for some period of time.

22 A I wasn't really aware of that. I do know that it
23 was in the system under a different name.

24 Q It was in the system under a different name?

25 A Yes.

1 Q Tell me a little bit about that, please.

2 A Well, the main program was RCSL, at least that was
3 the interface to the operator to request the program.

4 I made the changes to RCSL to go along with the
5 newly written procedure, but I catalogued it as a different
6 name, so that the operator wouldn't access it and use it,
7 since the paperwork hadn't been done yet. I think I might
8 have called it "LK-test" or something like that.

9 Q Do you recall how you got ahold of that revision
10 to the procedure?

11 A Not specifically. It probably was given to me by
12 somebody in the mechanical department that was working on the
13 changes.

14 Q And you don't recall who that individual was?

15 A No. It could have been Tom Morck or Ron Warren;
16 those are the only IT people I can think of.

17 Q Mr. Morck signed the temporary change order.
18 Wouldn't that suggest that's probably the same individual?

19 A Yes. That's probably who I got it from.

20 Q Were there enough people over there so there's a
21 chance it could have been somebody other than Mr. Morck?

22 A At that time I guess I would have to say I don't
23 think so. It would have had to either been Tom or Ron Warren
24 were the only two people I could remember doing the
25 mechanical-type work.

1 Q So you had actually put this change in the
2 computer but the paperwork hadn't been completed to get the
3 operators to start using it?

4 A To the best of my knowledge, yes. That's my
5 recollection.

6 Q It looks like the paperwork took an awfully long
7 time.

8 A That's true.

9 Q For a small organization. Where would it have to
10 go?

11 A I think it -- I thought a TCN could have been
12 signed by, like shift supervisor or the technical -- the head
13 technical person. But I think the PCR, or TCN of a
14 surveillance procedure also had to go through PORC, I
15 believe, for approval.

16 Q What's a PCR?

17 A Procedure change request.

18 Q Yes.

19 A That's for a permanent change. TCN was for a
20 temporary change.

21 Q Wouldn't the temporary changes normally be
22 something that was generated at the time the PCR paperwork
23 was started so the TCN just was a temporary thing waiting for
24 the PCR to be finally approved?

25 A In the case of that procedure, that might have

1 been true. But in general you could have a TCN without ever
2 having a PCR.

3 Q It just was temporarily permanent?

4 A Well, no. You may have needed the change of
5 procedure because of something specific, different in the
6 plant or system at that time. But it would be, maybe,
7 different the next six-month time you might do it. It might
8 be back to normal then.

9 Q So the TCN might become obsolete?

10 A That's true. That's why they expired, I think,
11 after a certain period of time.

12 Q Did you ever have the impression when you were
13 requested to look into the computer aspects of this
14 surveillance test, that the surveillance test was necessary
15 in order to meet the technical specifications for the
16 operation of the plant?

17 A Did I have the impression that it was necessary?
18 Is that the question?

19 Q Yes.

20 A Yes.

21 Q That there was some urgency in getting this thing
22 straightened out?

23 A Late fall, early spring, by the time I mentioned
24 that the changes were in progress, yes, I did feel a sense of
25 urgency.

1 Q And you apparently felt that you had the time and
2 took the opportunity to look at the computer program and were
3 satisfied that it faithfully followed the procedure?

4 A Yes.

5 Q Did you have any conversation with anybody on
6 shift about the fact that you had checked the computer
7 program and found no errors in it?

8 A I don't recall specifically. I imagine that is
9 possible. I talked to a lot of people up there daily.

10 Q What I'm trying to understand, apparently
11 somebody's complaints led you to look into it and then,
12 apparently, the fact that you didn't find any problem didn't
13 become very clear. These people still thought that maybe you
14 were going to fix it someday, when in fact you had looked at
15 it and found there wasn't anything to fix. If I understand
16 your testimony.

17 A Well, if that in fact was the case on an
18 individual complaint, then the individual would have -- that
19 would have been explained to the individual.

20 You know, as an example, when we did have
21 complaints and found the problem with the program not being
22 able to subtract zero, instead of leaving it that way until
23 the vendor could get there to replace that routine, I changed
24 one of the tables to start at a very small finite number so
25 that it wouldn't make that error. That would have introduced

1 a small, very small error in the output but at least it won't
2 give them zero all the time.

3 We did do things like that, you know, as far as:
4 Here's a complaint. What can I do? I can't do it tomorrow
5 but here's what I can do and here's how I think it will
6 affect it. That should be okay, it's better than not having
7 it. So I would put it in. You know, we had that kind of
8 working relationship.

9 Q So there weren't occasions where you discovered an
10 error which you couldn't correct and so that error just went
11 on for weeks or months?

12 A No. Absolutely not.

13 Q See that's in such contrast to the impression the
14 operators had. There's some problem with this thing. The
15 computer guy is going to fix it someday. And I don't get
16 that impression from you at all and it surprised me. The
17 operators claim a lack of knowledge of computers. I share
18 that lack of knowledge. But I have been around programmers
19 and it usually doesn't take them too long to find a bug if
20 there is one.

21 A True.

22 Q It just doesn't make sense to me that you would
23 have found -- that there would have been errors in the
24 software that you couldn't find by checking to be sure the
25 computer ran just as the procedure said. Did you ever carry

1 out the manual calculations for a surveillance test to
2 compare it with the computer work product?

3 A Yes.

4 Q Thank you. Did you ever suggest to the operators
5 that they might do that --

6 A No.

7 Q -- if they questioned the computer?

8 A Well, at --

9 Q They all say the computer thing was erratic. We
10 just talked to a man this morning. He tells us it was
11 erratic. How can a computer be erratic?

12 A The computer is going to repeat exactly what it is
13 supposed to do each time. The only thing that can change is
14 the inputs, what the operator might input as maybe changed
15 numbers, or the plant parameters were changing. But if I
16 gave the leak rate stable input parameters and didn't change
17 anything else, it would be repeatable every time.

18 Q But, yet the operators, apparently, had an
19 entirely different concept about this black box. They
20 thought it was fickle. A dice game.

21 Did you have any dialogue with them since you were
22 in the control room with them so much?

23 A Well, as I mentioned, I probably spent three or
24 four hours a day in that control room for a lot of the period
25 of time. Daily.

1 Q But you couldn't convince them it wasn't the
2 computer?

3 A It was a situation that was brought up, you know,
4 maybe two or three times over a seven- or eight-month
5 period. It wasn't something that was brought up daily.

6 If somebody had a specific problem with a leak
7 rate or whatever, a display, an alarm, they brought it up; I
8 looked at it; if it was the computer's problem, I fixed it.
9 If it wasn't the computer's problem, that got back to the
10 person that complained, too.

11 Q From what our record shows, for some
12 still-undetermined reason, the administrative procedure 1010,
13 which requires a surveillance test that there's some question
14 about should be either labeled an exception or deficiency,
15 was never used on this surveillance test. If it had been
16 used, wouldn't this have been a basis for your being aware
17 that there was this continuing problem --

18 A Most likely it would have been.

19 Q -- with the test?

20 A The normal procedure was that each of those
21 procedures had a set of acceptance criteria in them and that
22 is what you use the E&D sheet for. If it did not meet, or if
23 you could not do a step, one was an exception and one was a
24 deficiency. Typically that would be attached to a memo or
25 work request or something like that, so I would guess that,

1 yes, that would probably have come to me that way.

2 Q Well, apparently this leak rate surveillance test,
3 because it was computer assisted, produced a paper product
4 which was different from most of them in that there was no
5 place where there was an exception or deficiency or
6 satisfactory boxes to be checked.

7 A That's essentially true. But the limits that were
8 imposed on the various outputs on the leak rate were, in
9 fact, on that piece of paper. So it wasn't that somebody had
10 to go look it up.

11 Q Yes. The deficiencies or exceptions would only be
12 for some test result which was outside the limits as stated
13 on the piece of paper?

14 A Yes.

15 Q Rather than some question about, for example, the
16 instrument that was used to carry out the test?

17 A That is true. But that may have been an
18 explanation to sign off on a deficiency.

19 Q Right. Did you write the program for this leak
20 rate surveillance test?

21 A No. I modified the Unit 1 procedure -- program.

22 Q Did you ever consider putting an exception and
23 deficiency or satisfactory notation on the computer printout?

24 A No.

25 Q How did you think people would note exceptions and

1 deficiencies?

2 A I didn't really consider it, I guess. There were
3 three lines on there which were matched up with the procedure
4 and the tech spec, and by virtue of signature, I guess, was
5 it an accept or reject. I really didn't think about it that
6 much.

7 I assumed that it was the same as Unit 1's, with
8 the exception of headings and the various other lines to go
9 along with the Unit 2 procedure.

10 Q Yes. But this -- isn't it true that this
11 surveillance test was different from most of the surveillance
12 tests in the kind of papers that the operator had to sign?

13 A Yes. I guess it was.

14 Q Do you think that's one of the reasons that the
15 problems with this surveillance test slipped through the
16 cracks for so many months?

17 A I guess I really couldn't say. I imagine it could
18 have contributed to it, but I'm only guessing.

19 Q If someone in the operations department, perhaps
20 the superintendent of operations, had decided that there
21 really was a problem with this surveillance test, to whom
22 would he go to get somebody to come and look at the test,
23 find out what's wrong and fix it?

24 A Probably he would go, I would guess, to the lead
25 technical engineer.

1 Q Do you recall who that was in '78 and '79?

2 A Jim Seelinger was for some period of time but I'm
3 not sure, you know, where he started and stopped.

4 Q Do you know who took his place?

5 A I believe it was George Kunder.

6 JUDGE KELLEY: When you say "lead technical
7 engineer," do you mean the head or director of tech support?

8 THE WITNESS: On-site. The head of plant
9 engineering, I guess I meant.

10 JUDGE KELLEY: The term "tech support," rightly or
11 wrongly, does that wring a bell with you?

12 THE WITNESS: Right. Yes.

13 JUDGE KELLEY: Thank you.

14 BY JUDGE CARPENTER:

15 Q Can you recall ever having any conversations with
16 either of those two gentlemen about problems with the leak
17 rate surveillance test?

18 A I believe that the supervisor of operations
19 discussed some problems with me at one time. There was some
20 question at one time about operator entries, negative values,
21 some things in that area. And I recall that he took the time
22 to explain to me the boundaries of the system and what
23 conventions should be used for in-leakage and out-leakage and
24 that kind of thing, and I went back through the program with
25 that information in mind and double-checked everything as far

1 a sign convention. I think I may have added another warning
2 line on the top of the printout or something like that. But
3 I don't recall the details.

4 Q You don't recall to what the warning referred?

5 A Probably decimal point and sign convention.

6 Q In terms of being careful when you made the
7 entries at the end of the test?

8 A Yes. Yes.

9 Q That really wasn't much of a change, was it?

10 A No. No, just a statement change.

11 Q Do you recall his attitude about the tests? Did
12 you feel like they were really having problems with it?

13 A I guess I can't say that I can recall that he had
14 an attitude one way or another about it, other than after his
15 explanation to me I guess I had a little bit more feel for
16 how difficult it was to find 1 gallon out of that many
17 gallons.

18 Q But that didn't really help the situation, did it?

19 A Apparently not.

20 Q Because as a computer programmer there really
21 wasn't much you could do about that?

22 A That's true.

23 Q Would you say that your involvement in this leak
24 rate surveillance test was not from the point of view of the
25 engineering aspects of the surveillance test, the procedure

1 per se, but simply the computer assisted aspects, actually
2 the mechanics of running the surveillance?

3 A Yes. That's true.

4 Q And I believe you've told us this notion the
5 operators had that the computer itself was erratic is
6 contrary to your observations?

7 A That's true. With the exception that I mentioned,
8 the problem that was found.

9 Q Do you know how big a numerical impact that
10 problem would have had?

11 A I don't recall specifically. I thought it wound
12 up with just putting a zero out all the time.

13 If it wound up with one of the terms being an
14 absolute zero, then the actual term that was output to the
15 operator was zero, but I don't recall which was which without
16 working back through it.

17 Q We don't see many of those zeros in the tests that
18 were filed. Was that a condition that existed for an
19 extended period of time?

20 A Well, it would have existed up until it was
21 discovered, at least. As I recall, that was --

22 Q We have been looking primarily at the time period
23 October of '78 through March of '79. Do you think it could
24 have been earlier than that?

25 A That particular problem was earlier than that,

1 yes.

2 Q So this is something perhaps in the spring --

3 A It would have been resolved by then.

4 Q All right. So that's why we haven't -- all
5 right. Thank you very much.

6 BY JUDGE KELLEY:

7 Q Mr. Fels, were you familiar with a licensee event
8 report, LER, in jargon, that issued in -- actually dated
9 November 1, '78, having to do with leak rate tests?

10 A Yes, I have seen it.

11 Q The number of the 78-62/IT. You know the one I'm
12 referring to?

13 A It's probably the same one I have seen many times.

14 Q Right. I'm sure it is. Okay. Now, could you
15 describe your involvement in the events that led up to that
16 LER?

17 A That led up to the LER?

18 Q Yes. If any. I don't know that there was any.

19 A None. None.

20 Q As I understand the -- and I'm not trying to be
21 comprehensive but just sort of a thumbnail description of
22 what happened there -- and correct me if your understanding
23 is otherwise -- there came a time in late October, mid- to
24 late October, when there were a series of leak rates in
25 excess of a gallon a minute. An NRC inspector came along and

1 discovered these excessive tests and after several such tests
2 had been run, one of the things that was done was that there
3 began a practice to round off some leak rate test numbers to
4 bring them within specs and then eventually this LER issued,
5 which we've both read more than once, reciting these events
6 and making various statements to the NRC.

7 I just want to provide a little context for a
8 question to you. The question grows out of what is called a
9 narrative to the LER. I would ask you to look at it, if you
10 would. It's probably there among your three-ring notebooks.
11 Maybe your counsel can point you to the copy.

12 I'm looking at Stier volume V-C, tab 30.

13 MR. MC BRIDE: That's the most popular one in the
14 house. It always disappears on us. I'll see if I can find
15 it over here.

16 JUDGE KELLEY: This LER is a very popular
17 document; it's in the record in about five different places.

18 MR. MC BRIDE: I've got it. Which tab do you want
19 him to look at?

20 JUDGE KELLEY: Oh, tab 30 is the one I'm looking
21 at, and I'm looking at the narrative statement. I don't
22 think it matters which one for our purposes, bearing in mind
23 that there are some slight differences in text between what
24 went to the NRC and what got distributed in the plant.

25 Perhaps you could take a minute just to read the

1 narrative to the LER.

2 THE WITNESS: Yes?

3 BY JUDGE KELLEY:

4 Q Okay. What I want you to focus on are a couple of
5 sentences in the last one-third of that paragraph. I'll read
6 the two sentences I have in mind.

7 "In addition, it was discovered that errors in
8 inputting data to computer" -- I guess it means to the
9 computer -- "caused indicated unidentified leakage to be
10 greater than actually was occurring."

11 Skipping to the last sentence, "Input data for the
12 computer program which calculates unidentified leakage has
13 also been clarified."

14 Now, someone -- I'll ask you this first: Did you
15 have any hand in writing what I just read?

16 A No.

17 Q So someone wrote up this paragraph and called it
18 narrative to the LER, and cited, among other things, this
19 computer input problem and indicated that that had been
20 corrected, as I read it.

21 A Yes.

22 Q Were you involved at all in looking at these
23 computer errors that are described here and in changing
24 procedures for input as this indicates was done?

25 A Yes. I didn't change any procedures.

1 Q Okay. I'm speaking a little loosely. What did
2 you do? You say you were involved in this problem. What was
3 your involvement?

4 A My involvement was to discuss the possibility of
5 these errors from an operator's standpoint on what -- what
6 the program expected to be entered and what could be entered
7 and taken wrong by the program. So I added a note to the
8 heading to clarify how to put in: You must use a decimal
9 point or you must not. I don't recall the details. But that
10 was, again, another heading change.

11 Q Is this a different heading change than the one
12 you were just talking to Judge Carpenter about?

13 A I'm not sure. It might have been the same one.

14 JUDGE CARPENTER: Why don't you look at one of
15 these test printouts and see.

16 MR. MC BRIDE: In fact, I was thinking along the
17 same lines and I can be helpful to you.

18 If you take the NRR volume that includes tests 1
19 through 41, and if you look at test 40 and then 41, I think
20 this may help the process.

21 I'll put the same ones before Mr. Fels -- he has
22 got it there.

23 JUDGE KELLEY: All right. Are you suggesting,
24 Mr. McBride, by comparing 40 and 41 we'll see some kind of
25 format change?

1 MR. MC BRIDE: Yes, sir.

2 JUDGE KELLEY: All right. Maybe Mr. Fels can pick
3 up and describe what that is.

4 THE WITNESS: I've got 41. Let me look at 40.

5 MR. MC BRIDE: Mr. Fels, if you turn back, I think
6 in the volume before you, three pages prior to test 41, you
7 should find test 40.

8 THE WITNESS: I have a copy of a strip chart three
9 pages before that.

10 MR. MC BRIDE: Putting before the witness test 40
11 and also test 41.

12 THE WITNESS: I think the addition, and there may
13 have been two, but it would have been much earlier if I put
14 the note in for sign convention, decrease of RCS volume, the
15 data entry for that actually must be negative -- the addition
16 to it after the LER was "you must enter a decimal point with
17 leakage values."

18 JUDGE KELLEY: Okay. I think you are going to
19 have to hold my hand here a little bit.

20 MR. MC BRIDE: Judge Kelley, if I can just direct
21 your attention to test 41, and what I would suggest to you,
22 if you can do it, is lay the two side by side. You'll have
23 an easier time of it.

24 JUDGE KELLEY: When you say "test 41," you mean
25 the computer printout for 41?

1 MR. MC BRIDE: Yes, sir.

2 JUDGE KELLEY: All right. It got added, one would
3 gather from this, between November -- if I look at 40, it
4 says on my Xerox copy, 11/9. It must be 19?

5 MR. MC BRIDE: No, sir. It was 11/9. There was
6 an outage --

7 JUDGE KELLEY: 10-day outage, approximately?

8 MR. MC BRIDE: Closer to two weeks.

9 JUDGE KELLEY: Okay. Because there's an interval
10 between leak rate tests of 11/9 and 11/22, as I read it.

11 MR. MC BRIDE: That's right. Because they were
12 shut down.

13 BY JUDGE KELLEY:

14 Q So when I asked you about involvement in LER
15 78-62, is it your testimony that this change you are pointing
16 to was your involvement?

17 A Yes.

18 Q Okay. Now, this took place sometime between the
19 9th and the 22nd of November; correct?

20 A Yes.

21 Q In terms of implementation and actually having it
22 on the form?

23 A Yes.

24 Q The LER sentence that we were looking at, the last
25 sentence says, "Input data for the computer program which

1 calculates unidentified leakage has also been clarified as of
2 November 1st."

3 How would you interpret that? That, one, it's
4 just wrong, that it hadn't also been clarified by then? Or
5 that the intention was it would be? Or what? Or was there
6 some other change that took place prior to November 1st,
7 which would make that statement accurate?

8 A No. I really don't know why that would be that
9 way.

10 MR. MC BRIDE: Judge Kelley, can I also point out
11 one other thing to you on these two tests that may be helpful
12 to you? May I just direct your attention to the fact that on
13 test 40, under reactor coolant drain tank level, the reading
14 is in volts. And that on test 41, the reading is in inches.

15 JUDGE KELLEY: That's an additional change made at
16 the same time?

17 THE WITNESS: I don't recall it was at the same
18 time but now he's pointed it out --

19 JUDGE KELLEY: It showed up at the same time,
20 apparently. Is that a change that you would have made also?

21 THE WITNESS: Yes.

22 BY JUDGE KELLEY:

23 Q But apart from these two changes that we have just
24 looked at in comparing 40 and 41, you don't recall other
25 changes that might have been responsive to the LER incident?

1 A No. That was the only change related to the LER
2 from the computer's standpoint that I am aware of.

3 Q We have looked at these two sentences in the LER.
4 I'm looking at the first one, "In addition, it was discovered
5 that errors in inputting data to the computer," et cetera.
6 What kinds of errors were these; do you recall?

7 A To the best of my recollection it might have been
8 something like, you know, if you enter operator-caused
9 changes, instead of putting 10 in for 10 you should put in
10 10.0, because the program may have accepted that as 1, or
11 100, depending on the formatting. I think that's what it was
12 related to but I'm not real, real sure.

13 Q Well, that, I understood your testimony generally
14 with Judge Carpenter earlier, you didn't know of such errors
15 in the program?

16 A Well, this particular one was pointed out by the
17 events leading up to the LER. That's why I made the change
18 to the note.

19 Q But the computer program ought to know the
20 difference between 10 and 100; right?

21 A It depends on the format that you use for the
22 input statement.

23 Q 10.0, 10, with a decimal point would be clear, the
24 other might not be?

25 A That's true.

1 Q Maybe in this context it would be helpful to look
2 at test 13 in the NRR volume. This is a test run on the 18th
3 of October, 1978. Excuse me, I meant to say test 14, run on
4 the same day, a little bit later in the day. If you look at
5 the computer printout for 14 it's a test run on the 18th of
6 October between 12:21 and 1:21 in the afternoon by Dennis
7 Olson as operator, Harold Adams as foreman. Then it says at
8 the bottom, "corrected by Bill Fels." Do you recall your
9 involvement in this test?

10 A That's not my writing. The only thing I can
11 suggest would be looking at the "enter identified leakage
12 from data sheet 3."

13 Q First of all, I sort of assumed it was -- it is
14 not your writing?

15 A No.

16 Q Do you know who it was?

17 A I may have discussed it with them and said it
18 looks like this leakage sign convention is wrong so, to go
19 back through it using the correct sign convention.

20 Q Would you happen to know whose writing it is?
21 Olson or Adams?

22 A No. I wouldn't know.

23 Q But it's not you?

24 A No.

25 Q Now, just on the face of this, do you see an error

1 that needed to be corrected and could you explain what it is?

2 A It appears as though the sign convention for the
3 identified leakage term is incorrect. The operator entered
4 .196 and it looks like somebody noted here it should have
5 been minus .196.

6 Q When you say "sign convention," I assume that's a
7 technical term. That just implies the way in which it is
8 agreed upon in the program you'll write down a certain kind
9 of number?

10 A Well, that's what the program had expected to see
11 for that term. If it was anything going out of the system it
12 should have been a negative. Anything being put in the
13 system should be positive.

14 Q Well, as I understand how this works, there's no
15 such thing as minus leakage, whether it's identified or
16 unidentified. All leakage is a number.

17 A True.

18 Q But then you, in figuring unidentified leakage,
19 you subtract identified from unidentified; correct?

20 A That's true.

21 Q Now, so you are saying that the convention, the
22 sign -- sine --

23 A S-i-g-n, mathematical sign.

24 Q Here when it says "enter identified leakage" et
25 cetera, citing the procedure, the convention was to just put

1 a minus in front of the number?

2 A That's what I'm getting from looking at this
3 thing. I don't recall it specifically but that is what it
4 looks like.

5 Q Okay. Well, accepting that the really key point,
6 I would think, would be whether the computer or the person,
7 if it's a hand calculation, knows that you subtract
8 identified from unidentified; right?

9 MR. MC BRIDE: Excuse me, Judge Kelley. It's that
10 you subtract identified from gross to get unidentified.

11 JUDGE KELLEY: All right. Exactly.

12 BY JUDGE KELLEY:

13 Q You subtract identified from gross you get
14 unidentified; right?

15 A True.

16 Q I'm trying to understand whether this change on
17 here makes any difference. So somebody came along and said:
18 Hey, there might have been a minus in front of .196. Well,
19 so what? I mean the important thing is I subtract .196 from
20 gross. That is where the pivotal point comes in this
21 calculation; right?

22 A That's true. But I don't know where that value
23 for that entry fits in. It is not necessarily just the
24 identified term or just the gross term. I don't know which
25 part of the calculation it fit into.

1 Q Well, help me out on that. At the top of the page
2 there we've got a number for identified leakage. In this
3 case it's .196; correct?

4 A Yes.

5 Q At the bottom I can see a number for gross leak
6 rate, which is .20. And then under "total identified" I'm
7 frankly confused. I can't make any sense out of those
8 numbers.

9 Can you tell me what is going on there?

10 A No. Not really.

11 MR. MC BRIDE: Judge Kelley, could I make a
12 suggestion?

13 JUDGE KELLEY: Please do.

14 MR. MC BRIDE: The NRR version of this test has a
15 lot of NRR writing on it and it may be this is too confusing
16 for Mr. Fels because he doesn't know which writing was added
17 by investigators and which was contemporaneous. If you'll
18 give us a moment we'll get out of the Stier volume the
19 corresponding test and it may make it a little easier.

20 JUDGE KELLEY: Fine. Let's do that.

21 (Discussion off the record.)

22 JUDGE KELLEY: Well, Mr. McBride, do you think it
23 lessens or compounds the confusion?

24 MR. MC BRIDE: Well, if you look at the NRR
25 version you see an arrow, but you don't see what is to the

1 right of it. In the Stier version at least you see the
2 entirety of the document.

3 (Discussion off the record.)

4 BY JUDGE KELLEY:

5 Q What I'm trying to determine is we have this LER,
6 a problem with leak rates, and we are making various moves to
7 correct the problem and one of the moves is we found some
8 problems with inputting data to the computer and we fixed
9 that and now the only contemporaneous evidence that I've got
10 in front of me is this test 14. I'm trying to determine
11 whether the markings on this test indicate some kind of input
12 change that was helpful or whether it doesn't. Right now I
13 don't know what is involved in test 14.

14 A What you see on this test as far as the writing
15 doesn't indicate some type of input change. It indicates an
16 input incorrectly. That's why another note was added.
17 That's what I get at. The total "enter identified leakage
18 from DS-3" is one part of what goes in to make up the total
19 identified.

20 Q Right. So that's an input?

21 A Yes.

22 Q So that would fit computer input reference in the
23 LER?

24 A Yes.

25 Q So, so far maybe they are related.

1 A Yes.

2 Q Now what I don't understand yet is what kind of
3 correction was made here, why it was made --

4 A As far as the correction on this specific test?

5 Q On this test. Yes. I don't see, frankly, that
6 adding a minus at the top of the page does anything from my
7 understanding of this leak rate. If the LER is saying, we
8 told the guys to put a minus up at the top of the page next
9 to identified leakage, I would say: So what? That doesn't
10 advance the football. Not in my mind, unless I just don't
11 understand what is going on.

12 A I guess you'd have to have a copy of the program
13 itself to be able to really get into it much further. I can
14 only assume that that term goes into some calculation in the
15 program and from a math operation it has to have the right
16 sign or it's not going to be correct.

17 Q Oh, are you saying -- maybe I don't understand
18 this. Are you saying that when the number is entered at the
19 top of the page, unless you stick a minus in front of it, the
20 result will be thrown off accordingly?

21 A That's true.

22 Q Is that what is going to happen?

23 A Yes.

24 Q So the computer, as it were, does the calculation
25 from the numbers on top of the page?

1 A Well, it does -- it takes into account the numbers
2 on the top of the page. The other numbers --

3 Q That's the same thing, I guess.

4 A Yes, it does use those, definitely.

5 Q But it's extraordinary to me. If I now understand
6 what you are telling me and if the operators for the past
7 however long this operator -- however long this reactor was
8 running were doing that wrong, they couldn't have had a good
9 leak rate for the past 10 months; right?

10 A In simplistic terms I guess that would be right,
11 yes.

12 Q And if it was a generic correction and they
13 weren't even entering the identified leak rate number at the
14 top of the page correctly, then nothing would have been
15 right?

16 A But maybe not everybody was doing that.

17 Q Well, we can find out. We can look at the tests,
18 I suppose?

19 A That's why we clarified it by putting that note on
20 the top. At least that was the intent for doing that.

21 Q Your note, again, is on test 41, is it not?

22 MR. MC BRIDE: That's correct, Judge Kelley

23 BY JUDGE KELLEY:

24 Q But that note, looking at 41, speaks of operator
25 action; right?

1 A And that's what that is. The operator physically
2 has to enter those numbers on the top as opposed to the other
3 two lines which are read by the computer automatically and
4 are just printed out for information.

5 Q I have come to think of operator action as
6 something like putting water in the makeup tank. I had not
7 come to thinking of identified leakage as an operator
8 action. Is that an operator action in your understanding?

9 A In my understanding of this format of the
10 printout, yes. He had to do something, put numbers in
11 there. I wasn't referring to the plant at all. I was
12 actually referring to all these entries on the top of the
13 page.

14 Q Operator action means entries. It doesn't mean
15 the nature of the facts which cause the entries?

16 A That's true. It means to get his convention and
17 decimal point correct when he enters whatever he did on the
18 top of that form.

19 MR. MC BRIDE: Judge Kelley, could I try to be a
20 little helpful to you here? If you'll look at the test for
21 the 17th of October, the preceding day.

22 JUDGE KELLEY: All right. What number is that?

23 MR. MC BRIDE: That is NRR test 12-B.

24 JUDGE KELLEY: Okay.

25 MR. MC BRIDE: You will see that the operator

1 entered a negative number for "identified leakage from data
2 sheet 3."

3 JUDGE KELLEY: Right.

4 MR. MC BRIDE: But on other tests you will see --
5 for example, test 14 that you are looking at, that he did not
6 and that somebody then realized it evidently and wrote it
7 that it should have been negative instead of positive.

8 JUDGE KELLEY: Is this going to check out,
9 though? I mean, if you are suggesting from this example --
10 and we can look at as many as we want -- that operators
11 generally knew they were supposed to stick a minus in front
12 of the number for identified leakage, then you don't have a
13 generic misunderstanding or programmatic understanding of how
14 to do this, which would have, it seems to me, thrown all the
15 leak rate tests out of whack. But you've got this one
16 mistake on test 14?

17 MR. MC BRIDE: I don't know how many there were.
18 I haven't sat down and tabulated them. I'm just pointing it
19 out. There might have been 75 in each category. I don't
20 know.

21 BY JUDGE KELLEY:

22 Q What the NRC was told was that there were errors
23 in inputting data to the computer causing the leak rate to
24 come out wrong; and further, that input data for the computer
25 program which calculates unidentified leakage has also been

1 clarified. I wonder if it has been clarified on anything
2 other than test 14. One can look.

3 Other than that, the only thing we have is the
4 change in the format which occurred sometime between November
5 9th, 21st, whatever it was, during the outage; right?

6 A Yes. That's what "clarification" meant, adding
7 the clarification at the top of the printout.

8 Q Okay. Would you agree that the last sentence is
9 inaccurate insofar as it says that that input data has been
10 clarified, if that claim is made on the 1st of November?

11 A I would have to assume that that's true.

12 BY JUDGE CARPENTER:

13 Q I'm confused. If I look back at test 1, which
14 just happens to be in the same book, the 30th of September,
15 the top of that printout says "note, if operator action
16 decreases RCS volumes, the data entry for that action must be
17 negative." So I don't see what's new about that note.

18 A 41 is the one that has the addition from the LER
19 on it.

20 Q Which is the decimal point clarification?

21 A Yes.

22 Q So it's not the negative aspect that's clarified?

23 A True. True.

24 Q Other than, apparently, before the particular test
25 here, 14, apparently the operator did make an error.

1 Somebody corrected it. So, apparently that wasn't a generic
2 problem necessarily but it was certainly a problem for this
3 particular test.

4 A Yes.

5 Q Which was corrected.

6 A Yes. That's how I would see that, too.

7 Q So, in this time frame they were both specific
8 problems which were corrected and generic problems which were
9 -- is that where we are?

10 A I think so.

11 Q Thank you.

12 JUDGE KELLEY: Just for the record, in glancing
13 through I find only one test, namely 14, where the operator
14 apparently forgot to put a minus on the identified leak
15 rate. If that's the reason for these statements in the LER,
16 then that's the reason, I suppose. I see nothing else.

17 MR. BLAKE: Judge Kelley, I haven't tried an
18 entire review either, but just quickly looking a couple of
19 days before that, it appears on October 15th in Stier number
20 150 -- I think it's NRR 12 -- I note that the leak rate there
21 was 1.21, and I think it was the wrong sign there because the
22 same identified leak rate is used in the very next test and
23 it's a negative. Here it was a positive. It looks like it
24 was a similar goof there. I haven't gone through that --

25 JUDGE KELLEY: Okay. Thank you.

1 MR. BLAKE: I should also note that this would not
2 appear to have been corrected. It appears to have gone right
3 straight through.

4 JUDGE KELLEY: Right. Number 12. Okay.

5 Do we have any questions from the parties,
6 follow-up questions?

7 (Discussion off the record.)

8 BY JUDGE CARPENTER:

9 Q Mr. Fels, we have just a few follow-up questions
10 suggested by your counsel.

11 Is it your testimony that the leak rate test
12 results were not erratic? Or is it your testimony that if
13 the inputs to the computer were consistent, the results would
14 not be erratic?

15 A If the inputs to the computer were consistent,
16 both from the field and any operator-caused changes, it would
17 not be erratic.

18 Q Thank you. The next question is: Did you
19 participate in an evaluation of the accuracy of the hand
20 calculation for leak rates?

21 A I reviewed the results. I reviewed the results.

22 Q Do you recall what was the conclusion concerning
23 the accuracy of the hand calculation as compared to the
24 computer calculation?

25 A There was considerable difference in accuracy

1 between the two, the hand calculation being much less
2 accurate.

3 Q For what reason?

4 A Strictly the amount of decimal places. You could
5 carry out various portions of the calculation by
6 interpolation from graphs. If an individual -- an example,
7 if an individual looked at a graph with finite-size hash
8 marks on it and he had to interpolate a number by eye, he
9 might put down 9.1. If the computer did it, the computer
10 might say 9501678, and if that number happens to get
11 multiplied or divided or some arithmetic operation with
12 another large number it could make considerable difference.

13 Q So this interpolation or readings from graphs was
14 the primary source of the difference?

15 A Yes. Basically.

16 The section on hand calculations referred to
17 several graphs to go to to get various numbers, based on what
18 the plant parameters were. Those same basic tables were
19 included in the computer program, but the computer, as far as
20 doing a straight-line math interpretation would always be
21 doing it the same to the same number of decimal places.
22 Whereas not every operator, probably, would look at the graph
23 and interpret it the same and definitely wouldn't come out
24 with as many decimal places.

25 So, from a repeatability or resolution standpoint,

1 yes, it was always better.

2 Q As I understand, the computer had tabular values
3 and then it interpolated between those tabular values?

4 A Yes.

5 Q But in the manual calculation there were not
6 tabular versions, there was a graph instead?

7 A To the best of my knowledge yes, its was graphs.

8 Q Where did the tabular values that were in the
9 computer program come from?

10 A Right off the graph.

11 Q So you had to read the graph; is that correct?

12 A Yes. But I'm talking about major break points.
13 Not trying to interpret in between.

14 Q And this produced, to the best of your memory, a
15 substantial quantitative difference between the hand
16 calculation and computer calculation?

17 A This -- this was done way after the fact. You
18 know, like maybe '84 or '85. Somewhere around there.

19 Q Yes.

20 A And it was pretty much a statistical analysis
21 using the same numbers but carrying them out to varying
22 resolutions.

23 Q This is for the reason small changes in
24 temperature or small changes in pressure have big effects on
25 the calculation?

1 A I'm not sure about that.

2 Q In terms of their equivalent volume?

3 A No. I think it was strictly a look at it from an
4 accuracy standpoint. If we go through this and use one
5 decimal point with these input numbers, what are the
6 results? If we go through this calculation using three
7 decimal places, three places after the decimal point, using
8 the same input values, what do you wind up with and what is
9 the percentage difference between those two?

10 Q It's your recollection it is substantial?

11 A Yes.

12 Q The next question is: Explain how you verify the
13 accuracy of the leak rate test. For example, did you run
14 your test printout with fixed numbers?

15 A That would be the only way that I could have done
16 it. Yes.

17 Q The next question relates to a citation in Stier
18 volume -- page 39, second -- I'm sorry, February 25, 1985.

19 MR. BURNS: If I could show it to him, your
20 Honor?

21 BY JUDGE CARPENTER:

22 Q I ask you to start reading on the bottom of 38,
23 through 39 and then focus on the question and answer
24 contained on lines 11 through 17.

25 A Yes?

1 Q The question reads: Do you have any direct
2 knowledge whether or not Jack Herbein was, at any time, aware
3 of the round-off procedure for leak rate test at TMI-2?

4 A No.

5 Q Did you ever discuss the round-off procedure with
6 Mr. Herbein?

7 A No.

8 JUDGE CARPENTER: Thank you.

9 JUDGE KELLEY: Mr. Fels, that completes our
10 questions. We appreciate you coming down today. You have
11 been most helpful and have filled in some gaps in the picture
12 that we are trying to put together. Thank you very much, you
13 are excused.

14 (The witness stood down.)

15 JUDGE KELLEY: Off the record for a minute.

16 (Discussion off the record.)

17 (Whereupon, at 12:35 p.m., the hearing was
18 adjourned, to reconvene at 10:30 a.m., October 31, 1986.)

19
20
21
22
23
24
25

CERTIFICATE OF OFFICIAL REPORTER

This is to certify that the attached proceedings before the UNITED STATES NUCLEAR REGULATORY COMMISSION in the matter of:


NAME OF PROCEEDING: INQUIRY INTO THREE MILE ISLAND
UNIT 2 - LEAK RATE DATA
FALSIFICATION

DOCKET NO.: LRP

PLACE: BETHESDA, MARYLAND

DATE: THURSDAY, OCTOBER 30, 1986

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission.

(sig) 

(TYPED)

JOEL BREITNER

Official Reporter

ACE-FEDERAL REPORTERS, INC.
Reporter's Affiliation