

ORIGINAL

# TRANSCRIPT OF PROCEEDINGS

UNITED STATES NUCLEAR REGULATORY COMMISSION

In the Matter of: )  
 )  
FINDINGS FROM THE INTEGRATED DESIGN )  
INSPECTION (IDI) AT TVA )

Pages: 1 through 71

Place: Knoxville, Tennessee

Date: September 11, 1987

**Heritage Reporting Corporation**

*Official Reporters*

1220 L Street, N.W.

Washington, D.C. 20005

(202) 628-4888

8709240006 870915  
PDR ADOCK 05000327  
Q PDR

1 UNITED STATES NUCLEAR REGULATORY COMMISSION

2

3 In the Matter of: )

4 FINDINGS FROM THE INTEGRATED )  
5 DESIGN INSPECTION (IDI) AT TVA )

5

6

Friday  
September 11, 1987

7

8

TVA West Tower  
400 West Summit Hill Drive  
Knoxville, Tennessee

9

10 The above-entitled matter came on for hearing,  
11 pursuant to notice, at 8:58 a.m.

12

13 PRESENT:

- 14 JOHN A. ZWOLINSKI
- 15 BRYANT M. LOWERY
- 16 B. D. LIAW
- 17 GARY ZECH
- 18 JANE A. AXELRAD
- 19 JAMES E. KEPPLER
- 20 STEUART E. EBNETER
- 21 JAMES LEIVO
- 22 ANDRES DUBOUCHET
- 23 RONALD PARKHILL
- 24 GENE V. IMBRO
- 25 ROBERT E. SHEWMAKER
- RICHARD MCFADDEN
- HAI-BOH WANG
- DOUGLAS WILSON
- MICHAEL J. RAY
- CHARLES H. FOX
- STEVEN A. WHITE
- CHARLES C. MASON
- RICHARD L. GRIDLEY
- HERBERT L. ABERCROMBIE
- BRIAN K. GRIMES

## P R O C E E D I N G S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. ZWOLINSKI: My name is John Zwolinski, and I am the Assistant Director for Projects in the Office of Special Projects. The purpose of today's meeting is to have the staff present its findings of the results from the integrated design inspector having been conducted over the past two months. We are passing an attendance list about the room, and we would appreciate you filling it in as it will be part of the meeting minutes. This meeting is being transcribed, and that will also be an attachment to our meeting minutes.

At this point, I would like to have the members of the various staff sitting at the table introduce themselves being perhaps with Mr. Abercrombie.

MR. ABERCROMBIE: Herbert Abercrombie, site director.

MR. GRIDLEY: Dick Gridley, director, nuclear safety and licensing.

MR. MASON: Chuck Mason, deputy manager, Office of Nuclear Power.

MR. WHITE: Steve White, Office of Nuclear Power.

MR. FOX: Charlie Fox, Office of Nuclear Power.

MR. RAY: Mike Ray, IDI team leader.

MR. WILSON: Doug Wilson, nuclear engineering.

MR. MCFADDEN: Dick McFadden, electrical engineering team, inspector leader.

MR. HAI-BOI: Wang Hai-Boi, civil structure team.

1 MR. SHEWMAKER: Bob Shewmaker, co-IDI team leader.  
2 MR. IMBRO: Gene Imbro, NRC IDI team leader.  
3 MR. PARKHILL: Ron Parkhill, mechanical systems lead.  
4 MR. DUBOUCHET: Andy Dubouchet, mechanical components  
5 lead.  
6 MR. LEIVO: Jim Leivo, instrumentation and control  
7 systems lead.  
8 MR. GRIMES: Brian Grimes, safety director, Division  
9 of Reactor Inspector and Safeguards.  
10 MR. ZWOLINSKI: John Zwolinski.  
11 MR. EBNETER: Stewart Ebnetter, director, TVA.  
12 MR. KEPPLER: Jim Keppler, director of the Office of  
13 Special Projects.  
14 MS. AXELRAD: Jane Axelrad, deputy director of the  
15 Office of Special Projects.  
16 MR. ZECH: Gary Zech, assistant director for  
17 inspection programs.  
18 MR. LIAW: B.D. Liaw, assistant director for  
19 technical programs.  
20 MR. ZWOLINSKI: Thank you. As I mentioned, meeting  
21 minutes will be issued in approximately a week containing the  
22 transcription of this particular meeting. As this is an exit  
23 meeting, there are a few unique aspects which are taking place  
24 today. Normally when we conduct an inspection, we would  
25 document our findings and provide an inspection report very

1 quickly.

2 We are here today to present our findings, and these  
3 will be documented in an inspection report scheduled for early  
4 November. We are not attempting to resolve questions that may  
5 come up today. However should you have questions regarding any  
6 specifics that the team members might be presenting, seek  
7 clarification as necessary. But we are not attempting to  
8 resolve issues that may arise.

9 At this point, I would like to turn the meeting to  
10 Jim Keppler.

11 MR. KEPPLER: Thank you, John. In the beginning of  
12 June, we made the decision that an independent design  
13 inspection was needed for the Sequoyah project before we could  
14 conclude that the efforts undertaken by TVA were sufficient  
15 enough to permit restart of the reactor.

16 We gave TVA the option of conducting that inspection  
17 at that time or to do it with an internal inspection of the  
18 NRC. And at the meeting in Washington to discuss this, TVA  
19 took the position that they could not commit to an inspection  
20 at that time. So we made the decision to move ahead to conduct  
21 this inspection.

22 We laid out a schedule in which this would be  
23 conducted, and we set at that time the date of September 11th  
24 to brief you on. We have met that schedule, and we are here to  
25 share with you the results of that effort today.

1           This was a controversial decision which TVA did not  
2 feel the need for this inspection. But I will say publicly  
3 that you supported the inspection fully, and we appreciate that  
4 effort. But we have put together a strong team to look at the  
5 various engineering disciplines associated with one of the  
6 safety systems in the plant.

7           Now we recognize in carrying out this effort that we  
8 need to get to you for you. For you to meet your schedules, we  
9 need to get to you information by the early part of October of  
10 what work has to be tied to restart of the reactor. So if you  
11 have additional information relative to this inspection effort,  
12 which I understand you do have, it is important that you get  
13 that information to us in a very early time frame. Because  
14 otherwise, we are just going to have to push back our dates.

15           I am somewhat concerned that information will be  
16 coming in late, but I realize that this is a complicated  
17 inspection effort, and that this will necessitate back and  
18 forth flows of information.

19           But what we are here to do is to share with you our  
20 view as we have the information today. We are going to proceed  
21 in writing the report that way. And so if you have information  
22 which significantly affects the findings that we are talking  
23 about today, it is incumbent upon you to get that information  
24 to us promptly.

25           Gene, I will turn it over to you now, or do you want

1 to make some remarks?

2 MR. EBNETER: Just one comment briefly. The  
3 integrated design process consists of two parts for Sequoyah,  
4 as you recognize, and one of them was the as built inspection  
5 at Sequoyah which we completed, and we held the exit interview  
6 at Sequoyah. There are some common threads running between  
7 these two, as there should be, because the as built should  
8 reflect the actual incorporation of the design features of the  
9 plant.

10 So as you go through this, as Gene goes through his  
11 findings, you will find some common threads in electrical  
12 separations over pressure protection and design engineering and  
13 the operations interface. And both of these areas should be  
14 viewed in that light, that they are not completely separate,  
15 but they are tied to operations and the plant condition as well  
16 as Knoxville.

17 That report should be out in about two weeks. Frank  
18 McCoy has the final draft ready now, and you should get that in  
19 about two weeks, and it will identify some deficiencies similar  
20 to this.

21 MR. KEPPLER: What we are going to do is Gene Imbro  
22 is going to give you some information related to the conduct of  
23 the inspection. And I had a briefing yesterday by my staff,  
24 and I thought that I would share with you how I view the  
25 results, and then turn it over for the detailed results to the

1 individuals.

2 Do you have any remarks that you would like to make?

3 MR. WHITE: Yes. I would like to say one thing. I  
4 agree very much that -- of course, the effort, first of all, is  
5 kind of unprecedented, to do what we both attempted to do here.  
6 And I appreciate your words that we have tried to support you  
7 as best we could. We also very clearly understand I think,  
8 first of all, that as the process went on, I think the teams  
9 worked very closely together, and we were able to furnish  
10 information to my understanding fairly rapidly until late in  
11 the game where at some point in time and I understand this,  
12 that at some point in time your team leader, Mr. Imbro, has to  
13 stop and say wait a minute I have got to now write a report.

14 So at that point in time, which was I guess roughly  
15 last week, about a week ago, I clearly understand why he could  
16 not accept information from that point on or at least limit it,  
17 because he had a job to do to get ready for today, and we  
18 understand that. But as a result, we do have much information  
19 that we are ready to transmit on a number of these issues very  
20 quickly.

21 So I appreciate your words. I think that they are  
22 very appropriate. I think that after this meeting that we need  
23 to keep those teams very closely aligned, so that we can have a  
24 rapid transmission of the information that we have now  
25 accumulated. And of course, we are out getting other

1 information as necessary to answer the various issues.

2 MR. IMBRO: Before I start, I would like to introduce  
3 the rest of our team which are not sitting at the table right  
4 now. Let me just go through the first row there. If you would  
5 all stand up when I introduce you. Ahmet Unsal.

6 MR. UNSAL: Ahmet Unsal, specialty.

7 MR. MALLON: Owen Mallon, structural team.

8 MR. MASTERSON: Bob Masterson, mechanical components.

9 MR. FERRARINI: Vic Ferrarini, mechanical components.

10 MR. CHEN: S.T. Chen, instrumentation and control.

11 MR. HOUGHTON: Jim Houghton, mechanical.

12 MR. HALLER: John Haller, electrical.

13 MR. IMBRO: Thank you. And I would just like to take  
14 a minute here to thank them all for what I consider to be a  
15 very professional and thorough job during the inspection. It  
16 was a very difficult inspection, and as Mr. White said,  
17 unprecedented.

18 There are a lot of TVA people here. But for the  
19 benefit of those who are not TVA and some of the media people,  
20 I just wanted to go through a little bit of what I spoke about  
21 in the entrance meeting as to what the purpose of the  
22 inspection is and a little bit of how we conduct the  
23 inspection.

24 First of all, the primary purpose of the inspection  
25 was to get a handle on the adequacy of the original design of

1 the Sequoyah plant. Now what we tried to do was to review the  
2 original design calculations of the documentation and purchase  
3 specs. But since the system we chose has evolved substantially  
4 during the years, it became necessary not only to look at the  
5 original design but some of the more current calculations. And  
6 we wound up looking at the system as it stands today and give  
7 comments relative to the adequacy of that system.

8 This inspection is termed the integrated design  
9 inspection. And the reason that it is called that is in the  
10 design of a nuclear power plant there needs to be a lot of  
11 interdisciplinary communication. There are a lot of different  
12 engineers and different design groups working on the project,  
13 and they essentially need to have a coordinated effort to make  
14 sure that everything turns out the way that it is supposed to  
15 and meets the NRC requirements.

16 So how we structured our inspection is basically we  
17 had a team consisting of five major discipline areas. The  
18 first area was mechanical systems. And that essentially was to  
19 look at flow calculations and transfer calculations, and that  
20 type of thing which we consider as systems.

21 The second area was a review of mechanical  
22 components, and that essentially is piping, pipe supports, and  
23 also seismic qualification of equipment.

24 Now structural design was another area that we looked  
25 at. And both of these two areas, mechanical components and

1 structural design in TVA basically are embodied in the civil  
2 engineering branch. We also looked at instrumentation and  
3 control, and we looked at the electrical power.

4 Now the types of documents that we reviewed just  
5 quickly. Obviously, we looked at calculations, and we looked  
6 at TVA drawings, and we looked at TVA procurement documents,  
7 and we looked at design change documentation, design change  
8 requests, nonconformances, et cetera. We also looked at  
9 maintenance requests, and licensee event reports, and TVA  
10 design criteria.

11 The reason that we looked at the maintenance requests  
12 and licensee event reports was that we tried to get a sense of  
13 how the system was operated and tried to spot in looking at  
14 those anything that we perceived maybe to be design problems  
15 that came about through repeated maintenance on components or  
16 an abnormal number of licensee event reports in the same area.

17 The standard that we used to judge design adequacy  
18 are the licensing commitments that TVA made in their FSAR that  
19 were approved by the NRC. And embodied in those licensing  
20 commitments are certain codes and standards which TVA has  
21 committed to. For example, ACI-318, 1963 and ACI-B-31.1, 1967  
22 for piping, and there are many, many others.

23 We selected the ERCW as a system for review partially  
24 because we felt it was representative of TVA work, design work,  
25 during the period of time when Sequoyah was being designed. It

1 is a safety related system, and it is one of the systems that  
2 TVA has sole responsibility for design as opposed to other  
3 systems which are supplied by the reactor manufacturer.

4 The investigation was pretty intensive. We had a  
5 large team by normal inspection standards, and it is about  
6 average for IVI. And as you can see, we had fourteen team  
7 people, team members, and essentially about six weeks of  
8 effort, four weeks of direct inspection plus the time back in  
9 the office where we also continued our inspection reviewing  
10 documents that we had taken home with us. So you can see that  
11 it is a rather intensive and focused effort on one particular  
12 system.

13 Before we started this inspection, we anticipated  
14 that there were going to be problems. And if I could  
15 characterize that. Any time you get a team of experts, as my  
16 team is, no matter what plant in the country we go into, we  
17 find problems. It just goes without saying that you are going  
18 to find problems.

19 And the problems vary depending on the utility and  
20 how they approach the design. But we knew that we were going  
21 to find things wrong when we went in to look at the design.  
22 Some things surprised us and some things we expected to see.

23 Let me go through quickly what we consider to be the  
24 major problem areas. First of all, we feel that there is major  
25 programmatic weakness in structural calculations. And

1 structural calculations are those which essentially support the  
2 design of the building and support the equipment foundation and  
3 those type of things which are done in the civil engineering  
4 branch.

5 Also we feel that there is a programmatic weakness in  
6 TVA review of seismic qualification reports provided by the  
7 vendors and also in equipment seismic qualification. We also  
8 feel that there is a programmatic weakness in the design of  
9 pipe supports.

10 Before I go on, to try to set the tone for the  
11 meeting, we are going to try to give a balanced presentation.  
12 We are also going to try and say what we saw good about TVA and  
13 what we say that we did not think was quite as good. But the  
14 focus of this meeting for TVA's benefit is essentially to point  
15 out to them the areas where we think that they need to do  
16 additional work.

17 So members of the press, I think that they really  
18 should understand that the reason that they are not hearing a  
19 lot of good things is not because a lot of good things do not  
20 exist, but we are not really focusing on those right now. We  
21 are really trying to concentrate on areas where we think that  
22 TVA needs to do additional work. But we will try to go into  
23 some of the positive things also.

24 Other problem areas, to continue. We found a problem  
25 in equipment qualification placed in a mild environment, and

1 that is not the intent of 450-49. We also found inconsistent  
2 application of the code of record for piping systems. And I  
3 think that presented some confusion in TVA. We also found  
4 problems related to the design pressure of the ERCW system  
5 which was again our primary system which we looked at.

6 So there were a number of things that we found that  
7 are indicative certainly that TVA has got a little bit further  
8 to go to get the plant design cleaned up. And we also have to  
9 acknowledge that in the last few years since I have been  
10 involved with TVA that I feel that they really have come a long  
11 way in getting well.

12 On the positive side, TVA has put together again as a  
13 part of the design base line and verification program a very  
14 comprehensive set of design criteria which from our point of  
15 view looking at the different plants in the industry, we think  
16 that they are quite superior to a lot of things that we have  
17 seen. So I think that the fact that they have a strong basis  
18 for design now will certainly go a long way to help them in the  
19 future in the plant design in accordance with criteria.

20 We found that we generated calculations for the most  
21 part that were clearly improperly performed. Also I have to go  
22 back and say that in our last inspection we did find problems  
23 with regenerated calculations, particularly those performed by  
24 contractors, and we still have those problems. But things that  
25 we saw since this inspection led us to believe that things are

1 getting better.

2           Electrical calculations. TVA took the initiative I  
3 guess about a year or so ago to completely redo the electrical  
4 calculations, and we feel that they have done a very complete  
5 and comprehensive job. The calc design documents we found to  
6 be readily retrievable. In some plants, that kind of document  
7 retrieval is very difficult. And that essentially made the  
8 inspection a little bit easier for us. And certainly, TVA's  
9 cooperation in helping us get the design documents went a long  
10 way to help us along also.

11           Another thing that I view as positive at least is the  
12 development of the CCRIS system. And that is a system, I guess  
13 that I do not really remember what the acronym stands for right  
14 now, but basically it is a system where you can track inputs  
15 and outputs of calculations so that you know exactly what  
16 calculations support other calculations. So if you make a  
17 change in one, you know that you have to change all of the  
18 others. That is something else that I have never seen in the  
19 industry, and I think that is a very good thing to have.

20           So I guess with that sort of preamble, I will turn it  
21 back to Mr. Keppler now.

22           MR. KEPPLER: Thank you, Gene. I mentioned yesterday  
23 that I received a briefing that you are going to receive today  
24 from the team members. I had an opportunity to ask a lot of  
25 questions and tried to focus a perspective on each of the

1 issues.

2           What I came away with was the feeling that in the  
3 areas of mechanical, electrical, mechanical components, and  
4 instrumentation and control that while we have findings in  
5 these areas and there were some surprises to us, I would say  
6 that on a big picture look that the plant did not come out too  
7 bad. Maybe a little better and a little worse in spots than we  
8 would have expected, but not grossly off the mark.

9           The area that shakes me personally is the civil  
10 structural area. Based on the information that we have today,  
11 we think that the inspection came up very short in that area in  
12 terms of the findings. And it is of some concern to me because  
13 what we went looking for in this inspection was to make sure  
14 that there was no major area overlooked by TVA in its review  
15 programs.

16           At this stage, and I caution the comment that I am  
17 going to make, but at this stage based on the information that  
18 I had, it is of concern to me that this can lead to delays in  
19 the plant. So if you have information which changes our view,  
20 it is very important that we receive this information. We will  
21 keep an open mind on our findings and we have instructed the  
22 team to do that.

23           We recognize from discussions between the various  
24 organizations that you do have a view that is not similar to  
25 ours in this area. But based on the information that I sat

1 with today, I have a concern that this area has the potential  
2 to set things back.

3 So this is the area that you ought to focus very  
4 carefully on in the findings. Not to overlook the other areas,  
5 but to make sure that the concerns that we have in this area  
6 are properly addressed.

7 MR. WHITE: I think that I understand that, Mr.  
8 Keppler. And of course, that is the area where I believe we  
9 have the most information available and ready to turn over to  
10 you, and I appreciate the fact that you and your team will keep  
11 an open mind when you receive this information. I think that  
12 is the area where the majority of our information is available.

13 MR. IMBRO: Thank you. Before I turn it over to the  
14 team, maybe just a quick word for some of you people who are  
15 not familiar with the Sequoyah design as to what the ERCW is  
16 and what it does. Basically, ERCW is an acronym for essential  
17 raw cooling water system.

18 What it does is that it is essentially the primary  
19 heat removal system for safety related equipment, and it would  
20 reject the plant's heat from that equipment to the river. So  
21 essentially, it is a cooling system for heat exchangers  
22 interfacing with various other systems and certain components  
23 such as air compressors, and seal conversion, and a whole raft  
24 of other things.

25 So it is a safety related system that communicates

1 with the river and provides cooling for quite a large number of  
2 essential components.

3 I guess that I would like to start going through the  
4 discipline summaries now. First, I would like to present Ron  
5 Parkhill, who will talk about the mechanical systems area.

6 MR. PARKHILL: Myself and Jim Houghton performed a  
7 review of the mechanical systems area. The mechanical systems  
8 discipline for the Sequoyah IDI reviewed the ERCW systems for  
9 implementation of licensing commitments. The scope included a  
10 review of the thermal and fluid design basis of the system, the  
11 procurement specifications, compliance with the governing  
12 codes, interfaces with other design disciplines. Hazards  
13 analysis including monitored energy line break analysis,  
14 flooding, seismic two over one considerations, testing  
15 procedures, operating and maintenance interfaces, and various  
16 FCRs, NCRs, ECNs, CAQRs, and maintenance requests.

17 In the mechanical systems scope of review, the IDI  
18 team noted the following good practices by TVA. The new and  
19 recently revised calculations are generally clear and supported  
20 the stated objective. Where problems were identified, TVA  
21 promptly defined the proposed corrective action. Design  
22 criteria documents are generally up-to-date reflecting the  
23 current licensing commitments.

24 An effective ASME Section 11 program is in place. An  
25 effective moderate energy line break analysis has been

1 performed. An extensive surveillance program is in place for  
2 erosion, corrosion control, and MIC which is microbiologically  
3 induced corrosion.

4 Additionally, system modifications are in place for  
5 long-term resolution of these problems. However, the Office of  
6 Special Projects has the responsibility for review regarding  
7 the MIC issue.

8 The following problems were identified in the  
9 mechanical systems review. The first problem is associated  
10 with the design pressure of the ERCW system. TVA's stated  
11 design pressure of the ERCW system is 160 psig except for the  
12 piping in the ERCW pump house which is 180 psig. TVA's  
13 associated design pressure calculation identifies many ERCW  
14 components with a design pressure of 150 psig or less, and  
15 attempts to justify lowering the system design pressure to 150  
16 psig by using administrative measures to limit the pressure in  
17 the pump discharge header and using frictional flow losses in  
18 the system.

19 The code in effect for the design of the ERCW system  
20 piping, ANCI-B-31.1, 1967, requires that the design pressure  
21 not be less than the maximum sustained operating pressure  
22 within the piping, and shall include allowances for pressure  
23 surges.

24 The team believes that the ERCW system's design  
25 pressure cannot be established by relying on administrative

1 measures such as switching ERCW pumps on and off and/or  
2 throttling system valves. Instead a conservative design  
3 pressure needs to be established, and the system needs to be  
4 designed and rerated for that design pressure or the leak  
5 valves provided.

6 The IDI team noted the two following nonconservative  
7 assumptions in the TVA design pressure calculation. First, the  
8 river water levels above plant elevation 683 up to and  
9 including the maximum design basis flood at elevation 726.8  
10 feet were not considered. Secondly, the effect of equipment  
11 outages was not considered.

12 Additionally, many of the components in the ERCW  
13 system have a design pressure which is at least 10 psi less  
14 than the current system design pressure of 160 psig. TVA needs  
15 to reconcile these differences.

16 Finally, the auxiliary air compressor cylinder and  
17 after cooler as well as a station air compressor cylinder and  
18 air cooler have design pressures less than 75 psig. Throttling  
19 of the upstream valves cannot be relied upon for over-pressure  
20 protection. And either the equipment must be rerated for the  
21 maximum sustained operating pressure or relief valves provided  
22 as required by the code in effect. In summary, the system  
23 needs to be requalified for the established design pressure or  
24 relief valves provided.

25 With regard to safety related and non-safety related

1 interfaces, TVA does not have an analysis which adequately  
2 evaluates the consequences of failure of the ERCW non-seismic  
3 piping to the station air compressor coolers. Such an analysis  
4 needs to demonstrate that the functionality of the ERCW safety  
5 related equipment is not degraded by the failure of the  
6 non-safety related portion of the system that is not  
7 seismically designed.

8           Additionally, TVA has no procedure which ensures  
9 consistent identification of location of safety class  
10 boundaries. Three examples were identified by the TVA team  
11 where safety class boundaries were improperly identified, and  
12 one such example is provided here. The TVA Class C piping  
13 interfacing with the AERCW and old AERCW intake pumping station  
14 has lower TVA Class G components within the Class C system.

15           With regard to qualification of equipment in a mild  
16 environment, two problems were identified. The first problem  
17 is associated with the mild environmental qualification of the  
18 AERCW components. The specifications augmented by contractor  
19 data for the AERCW pumps, strainers, screen wash pumps and  
20 traveling screens were compared to the drawings entitled  
21 environmental data mild. It was noted that none of these  
22 specifications had temperature ranges that were compatible with  
23 the environmental data drawings.

24           The inconsistencies noted raised the concern that  
25 other equipment may not be qualified for the mild environment

1 in which it has to function.

2           The second problem under this heading is associated  
3 with establishing the maximum and minimum temperature limits  
4 for the AERCW pump house at elevation 704 feet. The  
5 calculation which established the mild environmental conditions  
6 for Sequoyah and Watts Bar was reviewed for the portion that  
7 applies to the AERCW pump house.

8           Review of this calculation identified two problems.  
9 First, the maximum temperature limit was not based on  
10 technically justified heat gains and losses, but rather on  
11 unjustified assumptions. Secondly, the lower temperature limit  
12 did not assume the worst case failure of non-1-E equipment,  
13 namely room heater off and ventilation fan on. Also, heat  
14 losses through the uninsulated concrete walls were incorrectly  
15 neglected.

16           As a result of these concerns, TVA needs to ensure  
17 that this entire calculation provides a technically justified  
18 basis for establishing the mild environmental temperature  
19 limits throughout the rest of the plant.

20           In response to the previously mentioned IDI team's  
21 concerns, TVA provided a more rigorous analysis of the AERCW  
22 pump house mild environment temperature limits. However, this  
23 newer calculation did not adequately establish the lower  
24 temperature limit associated with the abnormal condition LOCA  
25 due to a number of non-conservative assumptions.

1           The next finding is associated with TVA not having an  
2 approved operating procedure for manual operation of the screen  
3 wash pumps. The AERCW screen wash pumps are designed to be  
4 operated automatically based on traveling screen high  
5 differential pressure. However, a temporary change removed the  
6 existing differential pressure automation and recommended  
7 procedural control utilizing manual operation of the screen  
8 wash pumps.

9           However, no procedure has been approved for manual  
10 operation. This demonstrates a lack of timely implementation  
11 of the formal procedure by operations.

12           With regard to the definition and application of code  
13 commitments, TVA has been inconsistent with the safety related  
14 ECRW piping components, specification, and in-service testing.  
15 For piping design, the TVA has inconsistently used ANCI B-31-1,  
16 B-31-7, and ASME Section 3 as the code in effect.

17           For components, the screen wash pumps were procured  
18 to manufacturer's standards rather than the FSAR identified  
19 code of ASME-3. For specifications, professional engineering  
20 recertification was not obtained for procurement modifications  
21 to the original design specs. For testing, the screen wash  
22 pumps were not included in the ASME Section 11 pump  
23 in-service test plan even though these pumps were safety  
24 related TVA Class C per FSAR and performed the safety related  
25 function during normal plan operation.

1           Therefore, TVA needs to clearly define how the  
2 various codes in effect are applied and document them  
3 consistently in the design basis documents.

4           The final mechanical system IDI team problem  
5 presented here today is associated with breach of containment  
6 integrity. In the design criterion title flood protection  
7 provisions, TVA indicates that during a design basis flood that  
8 it may become necessary to cut a hole in the free standing  
9 steel containment to prevent external build-up of water  
10 pressure on the steel containment vessel. Cutting a hole in  
11 the steel containment vessel under the design basis flood has  
12 not been formally identified to the NRC, and therefore cannot  
13 be reviewed for acceptability.

14           A summary for the mechanical systems. As indicated  
15 in my introduction of the mechanical systems IDI team review,  
16 the majority of the items reviewed are considered to be  
17 adequate. However, of the items discussed, the following have  
18 potentially significant generic impact. Code compliance in the  
19 areas of design pressure and over-pressure protection,  
20 assurance that failure of non-safety related portions of the  
21 system do not functionally degrade the safety related system  
22 and assurance that safety class boundaries have been adequately  
23 located, qualification of equipment in a mild environment, and  
24 inconsistent application of codes in effect.

25           When we came here to perform this inspection, we

1 expected to find problems, as Mr. Keppler indicated, much like  
2 we would find at other facilities. However, we did not  
3 anticipate the problems associated with design pressure and  
4 codes in effect would be identified. This concludes my  
5 remarks.

6 MR. IMBRO: Thanks, Ron. Next I would like to turn  
7 it over to Andy Dubouchet, who will discuss the area of  
8 mechanical components. And again this is piping, pipe support,  
9 and seismic qualification of equipment.

10 MR. DUBOUCHET: In the mechanical components  
11 discipline, the IDI team reviewed a selected sample of the  
12 equipment, piping, and pipe supports installed in the essential  
13 raw water cooling system at the Sequoyah Nuclear Plant, Unit  
14 2. For each of these areas, we reviewed TVA's licensing  
15 commitments, the industry codes of record which TVA used, and  
16 TVA's technical design criteria. TVA's commitments to the  
17 criteria contained in these documents form the basis for our  
18 technical review.

19 Before we summarize the problems identified during  
20 our inspection, we would like to emphasize that six weeks were  
21 spent inspecting a substantial sample of the equipment, piping,  
22 and pipe supports in the essential raw water cooling system at  
23 the Sequoyah Nuclear Plant. We found a major portion of the  
24 documents that we reviewed to be in accordance with TVA's  
25 licensing commitments and design criteria.

1           The team was impressed with the technical expertise  
2 of the TVA engineers with whom we interface. We were also  
3 impressed with the quality of TVA's engineering procedures and  
4 design criteria and the project's ability in general to  
5 retrieve important documents in a timely manner.

6           A number of the problems that we identified appear to  
7 be isolated. However, we identified two areas of concern that  
8 will require TVA review in the areas of equipment  
9 qualification, seismic qualification, and design of pipe  
10 supports.

11           In the area of equipment seismic qualification, we  
12 will review TVA's equipment procurement documents to confirm  
13 that these documents incorporated the appropriate technical  
14 criteria and specified appropriate levels of design control.  
15 We also reviewed the equipment seismic qualification documents  
16 which the equipment vendor prepared to confirm that the vendor  
17 qualified the equipment to the specified technical and design  
18 control criteria.

19           The deficiencies that the team identified during the  
20 course of this review were characterized primarily by vendor  
21 equipment qualification documents that did not meet the  
22 requirements of TVA's equipment procurement documents.

23           The following nine examples are provided. For the  
24 first example, the vendor seismic qualification calculation for  
25 the motor operated valves that regulate the flow of emergency

1 make-up water to the turbine driven auxiliary feedwater pumps  
2 uses a design pressure of 50 psig, although the system design  
3 pressure is 150 psig. The vendor seismic qualification report  
4 combines the valve seismic loads with valve operating loads  
5 based on 50 psig to seismically qualify the valve.

6 The second example involves the vendor's seismic  
7 qualification document for the turbine driven auxiliary  
8 feedwater pumps which does not address the axial thrust of the  
9 pump discharge nozzle due to the 1650 psig pump discharge  
10 pressure as required by TVA's pump procurement document. This  
11 is a concern for the motor driven as well as the turbine driven  
12 pumps at Sequoyah Nuclear Plant.

13 The third example involves TVA's procurement of  
14 flexible hose for safety class application in the essential raw  
15 cooling water system. In this instance, TVA took unjustified  
16 exceptions to the criteria within its own procurement document  
17 to reduce the seismic and quality control requirements that the  
18 flex hose vendor was required to satisfy.

19 The fourth example involves the vendor seismic  
20 qualification document for the upper containment air cooler.  
21 The calculation contains an error which when corrected yields a  
22 unconservative minimum frequency for this equipment. This  
23 document was apparently not designed verified by the vendor or  
24 by TVA as required by the PSAR and TVA's procurement document  
25 for the equipment.

1           The fifth example involves separate seismic  
2 qualification reports for shut-down board room chiller B and  
3 its associated control box which is mounted on the chiller  
4 unit. The seismic reports violated a key technical provision  
5 of the equipment procurement document which requires that no  
6 device location on the support structure be permitted to have  
7 an acceleration greater than three-quarters of the actual  
8 device test acceleration.

9           The sixth example is similar to the fifth and  
10 involves two Westinghouse reports which separately qualify a  
11 Westinghouse vertical auxiliary panel and two types of  
12 Westinghouse switches. These documents did not meet the same  
13 key provision of TVA's procurement document for this equipment  
14 which requires that the switches on the panel be limited to  
15 seismic acceleration less than three-quarters of the actual  
16 switch test accelerations. This provision is also a FSAR  
17 requirement for panel supporting electrical and control  
18 devices.

19           The seventh example documents the team's concern with  
20 the design changes that permit the field to procure and install  
21 electrical and control devices such as relays, timers, and  
22 terminal blocks, and previously qualified Class 1-E panels  
23 without an apparent engineering review. This review was  
24 required to confirm that the original seismic qualifications of  
25 the panels and devices remain valid.

1           For the eighth example, the equipment vendor's  
2 calculation for the component cooling water and containment  
3 spray heat exchanges were not performed in accordance with  
4 technical requirements specified in TVA's procurement document.  
5 The vendor's calculations appear to be unconservative with  
6 respect to TVA's requirements due to the fact that two nozzle  
7 shift forces were not considered for both the equipment and  
8 their supports.

9           In addition, TVA did not install the component  
10 cooling water heat exchanger in accordance with the vendor's  
11 drawing. TVA installed the heat exchanger using three supports  
12 rather than two supports as shown on the vendor's drawing. No  
13 calculations were performed by TVA or the vendor to evaluate  
14 the effects of this additional support on the heat exchanger  
15 shelf.

16           The last example concerns TVA's inability to  
17 demonstrate or TVA design verified the vendor's seismic  
18 qualification reports for the upper containment air cooler,  
19 lower containment air cooler, and the control rod drive air  
20 cooler. Design review and certification of vendor seismic  
21 qualification documents was a PSAR and TVA procurement document  
22 requirement.

23           The team notes that failure to perform a design  
24 review may result in incorrect or unverified assumptions or  
25 calculation errors which may affect the seismic qualification

1 of the equipment. This item therefore has generic implications  
2 for equipment requiring seismic qualification.

3 In the area of piping analysis, the team reviewed a  
4 number of safety class piping subsystems within the essential  
5 raw cooling water system that TVA either computer analyzed or  
6 field routed. The team documented several deficiencies in this  
7 area due primarily to inconsistent documentation, calculation  
8 errors and omissions, and failure to meet FSAR commitments.

9 The following four examples are provided. In the  
10 first example, TVA did not analyze a piping subsystem for a  
11 thermal load which is specified in the FSAR. TVA did not  
12 analyze the piping between header 2-B and containment spray  
13 heat exchanger 2-B for the cold thermal mode or the thermal  
14 range.

15 A second example concerns TVA's failure to model the  
16 flexibility of a valve operator in a piping analysis  
17 calculation as required by the FSAR. The FSAR requirements  
18 that valve operators with fundamental frequencies less than 25  
19 hertz be modeled in the piping analysis as flexible.

20 The third example concerns TVA's inability to confirm  
21 that temporary piping can be installed in the essential raw  
22 cooling water system including the spool piece which connects  
23 header 2-B to the component cooling water surge tank without  
24 overloading the adjacent piping and supports. TVA may have  
25 fabricated some of the spool pieces to nominal rather than to

1 as built dimensions.

2 As a fourth example, the team noted that in a portion  
3 of the piping analysis that TVA elected to reduce the seismic  
4 stress at a T connection by incorrectly interpreting and  
5 improperly applying a provision of the piping code of record  
6 for the Sequoyah Nuclear Plant.

7 TVA performs pipe stress analysis using the ASME  
8 Section 3, Subsection NC-3600 stress equations. The piping  
9 code of record for Sequoyah is ANCI-B-31-1, 1967 edition. TVA  
10 has justified using the NC-3600 equations because they are  
11 essentially the same as the B-31-1 requirements.

12 However, for a piping subsystem which used the  
13 NC-3600 stress equations and was of a stress at a T connection,  
14 TVA justified the over-stress condition by using an  
15 interpretation of the B-31-1 code which allowed TVA to ignore  
16 the stress intensification factor of the T when computing the  
17 seismic stresses.

18 The team disagrees with TVA's interpretation of the  
19 B-31-1 code requirements. We also take strong exception to the  
20 practice of invoking an isolated portion of a code to reduce an  
21 over-stress condition in order to meet allowable code stress  
22 levels.

23 In the area of pipe supports, the team reviewed the  
24 pipe support designs and calculations for a number of the pipe  
25 supports installed in the essential raw cooling water system.

1 We first note that TVA cannot currently retrieve the  
2 calculations for a number of safety class supports at the  
3 Sequoyah Nuclear plant. However, the NRC is separately  
4 overseeing TVA's program to regenerate these calculations and  
5 the team has confirmed that that TVA has scheduled the missing  
6 pipe support calculations which the team identified for  
7 regeneration.

8           For the pipe support calculations that we were able  
9 to review, we identified several deficiencies which involved  
10 calculation errors and omissions and failure to meet FSAR  
11 criteria. Five examples are provided here.

12           In the first example, TVA used unconservative and  
13 incorrect assumptions to analyze three pipe supports in two of  
14 the piping subsystems that the team reviewed. These errors may  
15 affect both the structural analysis of the support and the  
16 anchor bolt qualification due to the support design.

17           Since the team discovered errors in three of the  
18 eight pipe support calculations reviewed, and this was just in  
19 one package as we reviewed many more than eight, the team  
20 concludes that generic concerns exist with respect to pipe  
21 support calculation adequacy.

22           It should be noted, however, that all three  
23 calculations are included in TVA's commitment to regenerate  
24 pipe support calculations.

25           In the second example, TVA has a FSAR commitment to

1 maintain pipe support stresses below a certain percentage of  
2 the specified material strength of structural steel. However,  
3 the team noted that TVA's use of allowable load factors for the  
4 full load condition can result in pipe support stress levels  
5 which exceed the FSAR maximum allowable stress level.

6 As a third example, the base plates and anchor bolts  
7 used to attach a pipe support to a concrete wall or slab for  
8 some typical TVA pipe support designs were not sized with  
9 respect to all of the applied loads.

10 As a fourth example, TVA developed load ratings for  
11 pipe clamps based upon testing in accordance with the load  
12 rating rules of AMSE Section 3, Subsection NF. However, the  
13 TVA calculation which evaluated the clamp test data contains  
14 several errors and omissions. For example, the calculation did  
15 not apply a ten percent reduction in the resulting load rating  
16 as required by ASME-3, Subsection NF when only one sample is  
17 tested.

18 Also, ASTM-A-307 bolting material is used in a  
19 pre-loaded friction connection to resist pipe axial load.  
20 However, both AISC and ASME-3, Subsection NF prohibits the use  
21 of A-307 bolts in a friction connection due to its uncertain  
22 pre-load capacity.

23 Item 5 is related to the previous item and addresses  
24 calculations required to augment corrective action for a  
25 nonconformance report. The team reviewed a preoperating

1 license nonconformance report and found that TVA's corrective  
2 action to address the nonconforming condition resulted in the  
3 incorrect qualification of previously used pipe clamps for  
4 TVA's fuel routed piping program.

5           The corrective action attempted to address the  
6 interaction effects of multi-directional loading on pipe clamps  
7 which had been previously evaluated for one directional  
8 loading. In the evaluation for the corrective action, TVA  
9 failed to properly address the effects of interaction of  
10 tension and bending on the pipe clamp for all clamp sizes  
11 required, and unconservatively interacted sheer and tension for  
12 the three loading directions on the clamp bolts.

13           To put our findings into perspective once again, we  
14 know that we reviewed a significant portion of the equipment,  
15 piping, and pipe supports in the essential raw cooling water  
16 system with respect to a total of 22 separate inspection  
17 checks. However, a review for the majority of these checks  
18 confirmed with some localized exceptions the adequacy of the  
19 documentation which we reviewed.

20           However, we reiterate that two areas may be areas of  
21 potential generic concern at the Sequoyah Nuclear Plant. The  
22 first area is vendor seismic qualification reports which were  
23 not prepared in accordance with the requirements of TVA's  
24 equipment procurement documents and were apparently accepted by  
25 TVA without design review.

1           The second area is pipe support calculations which  
2 were not prepared in accordance with TVA's commitments and  
3 design criteria.

4           This concludes the summary of our review of the  
5 mechanical components discipline.

6           MR. EBNETER: Stu Ebneter. Just one comment. You  
7 have heard several comments early on in this discussion about  
8 the procurement interface. And Mr. Kazzanis, I see you sitting  
9 over there. I would like to direct your attention to this. We  
10 repeatedly have discussed it. There apparently is some  
11 difficulty between the design and the procurement interface.  
12 And we recognize that the total procurement function is not  
13 under nuclear operations. And do not lose sight of the fact  
14 that we are talking about design here primarily, but that  
15 procurement interface is important.

16           MR. IMBRD: Thank you. I would like to next turn the  
17 floor over to James Leivo, whose discipline is in  
18 instrumentation and control review area.

19           MR. LEIVO: Dr. Chen and I conducted the  
20 instrumentation and control systems review. In the  
21 instrumentation and controls discipline, the team reviewed  
22 several major areas of the design with emphasis on compliance  
23 with FSAR and other TVA commitments and requirements as well as  
24 assurance that the systems and equipment would function as  
25 required under design basis conditions.

1           Where problems were reported within the ERCW system,  
2 the team identified any design issues that might extend beyond  
3 the ERCW system scope, and we will mention these potential  
4 generic issues in this discussion.

5           The major areas reviewed which will be discussed  
6 included process instrumentation and control detail design,  
7 design features provided for a safe shutdown from outside the  
8 control room, environmental and seismic design and  
9 qualification, and radiation monitoring.

10           The selective documentation reviewed and discussed  
11 with TVA included FSAR and regulatory requirements, standards,  
12 TVA design criteria, engineering procedures, logic and  
13 schematic diagrams, instrument installation details, instrument  
14 specification and procurement documents, demonstrated accuracy  
15 calculations, engineering change notices, work packages,  
16 nonconformance reports, and various technical documents.

17           We will selectively highlight today and report  
18 comprehensively later the problems and unresolved issues that  
19 we have identified during this review.

20           In the first review area, that of design detail, the  
21 team identified a deficiency in the implementation of the  
22 mechanical systems functional requirements. The team observed  
23 that TVA did not provide a calculation justifying the use of  
24 manual operator action initiated by a high flow alarm to  
25 manually isolate a break in the non-seismic portion of the ERCW

1 piping.

2           Furthermore, we determined that the enunciator system  
3 is not seismically qualified. And that in any case, a seismic  
4 event would likely result in numerous alarms and indications  
5 competing for the operator's attention. The team concludes  
6 that timely and sufficient operator action to manually isolate  
7 the postulated break has not been assured.

8           Also in the area of design detail, the team  
9 identified problems and unresolved issues regarding circuit  
10 separation and isolation. And we will summarize three of the  
11 more significant ones.

12           First, the team determined that fuses used to provide  
13 isolation of the non-Class 1-E traveling screen feed switch had  
14 not been properly coordinated with the control circuit fuse.  
15 Since the control circuit fuse is shared by both the Class 1-E  
16 traveling screen control devices and the non-1-E feed switch, a  
17 seismic event shorting the switches could render all four  
18 traveling screens inoperable.

19           TVA should assure adequate fuse or other protective  
20 device coordination for all instrumentation and control  
21 circuits where credit is taken for fuses as isolation devices.

22           A second item regarding adequate separation of  
23 non-Class 1-E from Class 1-E switch gear control wiring remains  
24 unresolved until a satisfactory analysis is provided by TVA  
25 demonstrating that no credible fault is non-Class 1-E wiring

1 could be propagated into the Class 1-E wiring where that  
2 internal wiring is bundled together.

3 A review of the control wiring within the 6900 volt  
4 switch gear indicated that input and output wiring for control  
5 relays that are used for isolation devices were bundled  
6 together within the switch gear enclosure such that  
7 non-Class 1-E wiring is in contact with Class 1-E wiring.

8 A third item regarding the TVA criteria for  
9 separation of instrument sensing lines and instrument air lines  
10 remains unresolved in that the criteria permits the use of  
11 common instrument line penetrations for redundant channels.  
12 TVA must identify any safety related instrument lines which  
13 share common penetrations and demonstrate compliance with  
14 single failure criteria.

15 In the second major design area, safe shutdown  
16 capability from outside of the control room, the team  
17 identified a deficiency in the circuit design for the traveling  
18 screen drives and screen back-wash pumps. Control indicating  
19 lights for these circuits are directly connected to the control  
20 circuits such that a design basis control room fire could  
21 render all of the screen wash pumps and traveling screen drives  
22 inoperable from many locations. TVA should examine any similar  
23 indicating light circuits in the control room for this  
24 deficiency.

25 In the area of environmental and seismic design, the

1 team identified two deficiencies. First, as noted earlier by  
2 the mechanical systems IDI discipline, the team observed that  
3 no analysis had been performed by TVA adequately justifying the  
4 absence of qualified environmental control features in the ERCW  
5 pumping station. No heat tracing or qualified space heaters  
6 are provided to prevent freezing of safety related instrument  
7 sensing lines within the ERCW structure. TVA should also  
8 review other safety related instrumentation and its  
9 environmental protection where extreme temperature conditions  
10 may be encountered.

11 Second, with assistance from the IDI mechanical  
12 components discipline, the team reviewed seismic qualification  
13 of the main control board room switch modules. The efficiency  
14 in this area was earlier reported by the IDI mechanical  
15 components discipline.

16 TVA could not retrieve the calculation demonstrating  
17 that the maximum accelerations at all switch locations  
18 satisfied the FSAR criteria that the acceleration at the panel  
19 mounting location be less than three-fourths of the actual  
20 device test acceleration. This FSAR requirement was not  
21 evident in the procurement documentation nor was compliance  
22 with the criteria clearly demonstrated by test or analysis.  
23 This finding is applicable to all of the main control room  
24 panels.

25 Also as previously reported by the IDI mechanical

1 components discipline, an additional unresolved item was  
2 identified regarding assurance that instrumentation and control  
3 devices identified as field located on drawings are mounted in  
4 locations that do not compromise seismic design and  
5 qualification criteria.

6           Finally in the radiation monitoring area, the team  
7 reviewed the specifications and location of the ERCW discharge  
8 liquid monitor and determined that the monitor background  
9 radiation had been incorrectly specified, since it did not take  
10 into account post-accident radiation sources.

11           The team determined that the existing monitors will  
12 probably not function during a design basis accident, since  
13 accident background levels were actually at the monitor and  
14 will likely mask any measured level. The FSAR states that  
15 these monitors are required during an accident to detect  
16 leakage of the containment spray or component cooling water  
17 heat exchangers into the ERCW system. TVA should review all  
18 post-accident radiation monitors for this type of deficiency.

19           To summarize our review in the I&C discipline, while  
20 the team believes that with one exception that the number and  
21 significance of deficiencies identified seems comparably low,  
22 we would also note that the ERCW system has comparatively  
23 simple and straightforward safety related instrumentation  
24 requirements, and that the electrical and instrumentation  
25 discipline has had prior extensive review.

1           The deficiency that seems to be an exception to our  
2 normal expectations for this type of review is the discrepancy  
3 that we identified in the main control board switch module  
4 seismic qualification.

5           This concludes the instrumentation and control  
6 systems discipline summary.

7           MR. IMBRO: Thanks, Jim. While at this point rather  
8 than continuing, as I know these things get kind of dry and  
9 drawn out maybe, I think that it may be appropriate to take a  
10 fifteen minute break here to refresh ourselves.

11           (Whereupon, a recess was taken.)

12           MR. IMBRO: I would now like to turn the floor over  
13 to Dick McFadden, a leader in the electrical power area.

14           MR. MC FADDEN: Thank you, Gene.

15           The electrical engineering inspection team evaluated  
16 the design of the electric power subsystem of the Sequoyah ERC  
17 EE system and the electrical supply systems which support it  
18 with respect to conformance to licensing commitments, internal  
19 TVA design criteria and good engineering practice.

20           Since the ERC EE power supply is an integral part of  
21 the plant auxiliary power system, this inspection developed  
22 into a broad evaluation of Sequoyah plant electric power system  
23 design.

24           The team examined the following systems, subsystems  
25 and components: 6900 volt and 480volt AC auxiliary power

1 systems, 125 volt DC and 120 volt AC vital power systems,  
2 stand-by diesel generators, motors driving the various ERC EEE  
3 pumps and motor operated valves, ERC EE pump and motor operated  
4 valve controllers, switch gear, including protected relays and  
5 circuit breaker trip units, and power conductors.

6           The teams evaluation of the application and  
7 operability of electric power equipment and systems included  
8 such critical design issues as the following: voltage traps  
9 under load, adequacy of emergency power sources to supply the  
10 applied loads, capability of circuit breakers to interrupt  
11 available short circuit currents, adequacy and coordination of  
12 short circuit and overload protection, system grounding and  
13 ground fault detection, automatic load transfer from normal to  
14 alternate power sources. Separation between Class 1E power  
15 divisions and isolation from 1E from non 1E power circuits and  
16 environmental qualification ERC EE electrical equipment.

17           In addition, we evaluated such design control issues  
18 as the execution of engineering change orders, resolution of  
19 non-conformance reports and interfacing among the various  
20 organizations involved in the design process, TVA design  
21 engineering and construction branches, Sequoyah plant  
22 operations and maintenance, vendors, et cetera.

23           The major deficiency the electrical team identified  
24 is the lack of ground fault detection on the entirely  
25 ungrounded low voltage, and that is 480 volts and below, AC

1 power systems. As a result, a line to ground fault can persist  
2 undetected indefinitely. This condition is unacceptable for two  
3 reasons. First, a permanent ground fault imposes a continuous  
4 173 percent line to ground overvoltage on the unfaulted phases,  
5 which tends to accelerate the deterioration of the insulation  
6 of conductors and equipment.

7 MR. MC CORKLE: MEMA standard EEOC 5 1974 to which  
8 TVA is committed in the FSAR recognizes this fact by declaring  
9 that the cable used in ungrounded power systems must have an  
10 insulation rating of 173 percent of the nominal system voltage  
11 unless the system is equipped with a ground fault detection  
12 feature allowing ground faults to be sensed and interrupted  
13 within one hour of their occurrence.

14 Much if not all of the cable in the ungrounded 480  
15 volt AC systems at Sequoyah is rated for voltages lower than  
16 the 830 volts required by this standard. Therefore, complying  
17 with the FSAR commitment requires either ground fault detection  
18 or extensive cable replacement.

19 Second, the lack of ground fault sensing is a  
20 technical violation of the FSAR commitment to the single  
21 failure criterion in IEEE Standard 279 and NRC regulatory guide  
22 1.53, in that a single detectable failure, combined with an  
23 undetected ground fault can result in the loss of both trains  
24 of safe shutdown equipment.

25 Furthermore, while there are no explicit regulatory

1 rules or TVA commitments requiring auxiliary power systems to  
2 be grounded, ungrounded equipment -- ungrounded systems are  
3 susceptible to transient over-voltages which are severe enough  
4 to damage equipment and conductor insulation, generated by  
5 intermittent line to ground faults.

6           To avoid the resulting degradation of power  
7 availability accepted electric power distribution design  
8 handbooks uniformly recommend some form of systems grounding.  
9 In the team's opinion, installation of ground fault sensing  
10 equipment at each safety-related 480 volt distribution  
11 substantiation is a minimum requirement. We further strongly  
12 recommend that the ground fault detector circuits be designed  
13 to provide effective high resistance system grounding in order  
14 to reduce the risk of failures caused by transient over-  
15 voltages.           \*

16           The electrical team's other areas of concern are  
17 unresolved design issues, rather than design deficiencies. The  
18 major questions are the following: first, TVA has not yet  
19 satisfactorily demonstrated that the worse cases were  
20 considered in the analysis of auxiliary power system voltage  
21 and loading. Additional calculations are needed to confirm that  
22 offsite grid power rather than onsite diesel generator power  
23 gives the worse voltage conditions, and to establish the effect  
24 of unit 1 loads on unit 2 voltages, when unit 1 is restarted.

25           Second, TVA's calculation of control voltages

1 delivered to the 6900 volt and 480 volt safety related switch  
2 gear and celluloid operated valves under accident conditions  
3 are based on the assumption of 120 volts at the vital battery  
4 switch boards.

5 Various references in FSAR Chapter 8 indicate that  
6 the battery voltage can degrade to 105 volts under worst case  
7 conditions. So, a calculation is needed to confirm that the  
8 voltage of the loads will still be adequate in this case.

9 Third, TVA has adopted IEEE Standard 382 1974 as its  
10 basis for environmental qualification of electrical equipment.  
11 More information is needed on the qualification testing of the  
12 motors on the limit torque operators for the ERC EE system  
13 motor operated valves to confirm that low level vibration,  
14 seismic and degraded voltage operation criteria in this  
15 standard have been satisfied.

16 Finally, the team is concerned about the operability  
17 of some motor operated valves at the low terminal voltages  
18 potentially prevailing during an accident. While most of the  
19 valve motors were purchased under specifications calling for  
20 operability at 80 percent of rated voltage, some others had no  
21 degraded voltage specification. Calculations or tests are  
22 needed to confirm that these latter motors are acceptable.

23 In summary, the electric power inspection team found  
24 the technical and management aspects of those portions of those  
25 portions of the electrical design work which we reviewed to be

1 acceptable with only one significant exception, which is the  
2 lack of ground fault detection on ungrounded low voltage power  
3 systems.

4 In addition, we discovered a number of open issues  
5 whose final resolution will require TVA to provide us with some  
6 additional information.

7 We were generally impressed with TVA's aggressive  
8 efforts to recover from the deficiencies in electrical  
9 engineering identified during previous NRC and internal  
10 evaluations, which have resulted in a set of electrical design  
11 calculations of exceptional comprehensiveness and depth.

12 Now, that concludes the electrical engineering  
13 presentation.

14 MR. IMBRO: Thanks, Dick.

15 Next, I would like to turn the floor over to Dr.  
16 Hai-Boh Wang, who is the discipline leader in the structural  
17 design area.

18 DR. WANG: Thank you, Gene. Mr. Ahmet Unsal and Mr.  
19 Owen Mallen and me formed the idea of a structural, civil  
20 structural team. During the inspection we reviewed the  
21 licensing commitment as stated in the FSAR design criteria,  
22 engineering, and QA procedures as well as appropriate NRC  
23 regulations. We also reviewed a portion of the following  
24 analysis and design packages: The first one was seismic  
25 analysis that generates floor response spectra, including the

1 auxiliary building, the ERCW pump house, steel containment  
2 vessel, the shield building and the containment internal  
3 concrete structures. We also reviewed the reinforced concrete  
4 and structural steel design of the auxiliary building and the  
5 ERCW pump house.

6 We reviewed the equipment support, the pipe support,  
7 cable tray and the cable tray support, HVAC dock and the  
8 support. We reviewed the berry piping analysis, seismic  
9 analysis of pipe tunnel, ERCW access cells and dikes, seismic  
10 analysis of steel tags.

11 The concerns I am going to present are all negative.  
12 Most of them are major issues and considered to be generic.  
13 The first concern is about the seismic analysis. This  
14 generates floor response spectra. The team reviewed five  
15 seismic analysis calculations and found four of them are not  
16 totally checked. Those partially checked calculations are the  
17 analysis of the reactor and auxiliary buildings. Floor  
18 response spectra are used to design equipment and systems that  
19 are supported by the floor, such as tanks, pumps, heat  
20 exchangers, pipe and pipe support, cable tray and cable tray  
21 support, et cetera.

22 TVA did find inconsistency of the vertical response  
23 spectra for the steel containment vessel in the winter of 1985.  
24 Consequently, a new set of vertical response spectra for the  
25 steel containment vessel were regenerated earlier this year. At

1 higher elevations, the newly generated response spectra shows  
2 significant increase in vertical observations. In some cases,  
3 it was several times higher than what was used in the original  
4 plant design.

5 TVA is presently assessing the impact of this set of  
6 newly generated spectra.

7 The team also reviewed the missile protection  
8 analysis of the ERCW pump house roof. The design of the ERCW  
9 pump house roof consists of structural steel members which are  
10 rotated 45 degree to provide for missile protection. The  
11 analysis of the roof system conceded only the ductility  
12 factors. It did not show that the system would remain stable.  
13 The calculation did not evaluate the sheer with -- or flange  
14 buckling. It also did not include the potential penetration of  
15 small missiles as committed to in FSAR.

16 The team reviewed equipment support calculations and  
17 we have the following four concerns. The first concern is the  
18 discrepancies between design calculations and construction  
19 drawings. For example, the component cooling heat exchangers  
20 hood design requires a 3/4 inch thick imbedded plate. However,  
21 the associate TVA drawing shows only 1/2 inch plate is  
22 necessary.

23 The containment spray heat exchanger support has a  
24 similar discrepancy in the thickness of the embedment plate.  
25 The calculation requires a 3/4 inch and the drawing only shows

1 1/2 inch.

2 The calculation for the component cooling surging  
3 tanks support required 9 anchor stubs with 3 inch spacing  
4 between them. The TVA drawing shows only 8 anchor stubs with  
5 spacing varying from 2 to 4 inches.

6 Design calculations for the containment spray heat  
7 exchangers support how that 5/8 inch diameter and 6 3/8 inch  
8 long anchors are required, but the TVA drawing shows only 1/2  
9 inch diameter and 5 3/16 inch long anchors are required.  
10 Further TVA review in this area is warranted.

11 The second concern is the possible underestimating  
12 the seismic load on tank support. Seismic calculation for the  
13 mineral rights water tanks used equations from TID 724 to  
14 determine the dynamic load on the tank and its support.  
15 Similar approach was used for this component cooling surging  
16 tank calculation. TID 724 as well as other TVA design criteria  
17 for tanks require that the tank be rigid. However, TVA  
18 specifications for tanks require that the tank vendor should  
19 develop a lump mass dynamic model of the tank to calculate the  
20 natural frequency in order to determine that the tank is rigid.

21 For the mineral rights water tank, the vendor  
22 calculation cannot be located and the TVA calculation did not  
23 address the flexibility of the tank.

24 For the component cooling water surging tank, the  
25 vendor calculation did not concede the shield flexibility of

1 the tank. TVA needs to determine the validity of the  
2 assumption that the tanks are rigid.

3 The third concern is that seismic overturn movements  
4 are not conceded in equipment support design. The auxiliary  
5 building roof, steel design calculations show that there are  
6 four tank supports on girders. These tanks weigh from probably  
7 from 90 to 130 kips. The design of the roof girder and truss  
8 did not consider overturn moment from those tanks during  
9 seismic events. TVA needs to evaluate the structural adequacy  
10 of those supporting girders, including seismic overturn  
11 moments.

12 The fourth concern is that seismic sheer was not  
13 considered in equipment support design. The component cooling  
14 water surging tanks support calculations show that the anchor  
15 bolts were designed for tension only. The design failed to  
16 consider the fact of sheer as required by the ACI code. TVA  
17 omission of this item may yield an over stress of anchor bolts  
18 during seismic events.

19 The team has four concerns with the reinforced  
20 concrete design which are all related to the auxiliary  
21 building. The first one, the base slab of the auxiliary  
22 building is anchored to rock to minimize the bending stress due  
23 to hydrostatic uplift pressure.

24 TVA calculations show that the net ups pressure was  
25 calculated wrong, since the calculation deducts the total

1 building weight as opposing hydrostatic pressure. Instead,  
2 only the weight of the base and field slab should have been  
3 subtracted. Also, the number 11 reinforcing bars used to  
4 anchor the slab into the rock did not have enough embedment in  
5 the lens to develop the full strength of the bar.

6 The team believes that the detail of anchorage used  
7 by TVA does not agree with the ACI 318-63 code requirement.  
8 TVA needs to evaluate the structural adequacy of the base slab  
9 taking account of those two deficiencies.

10 The second concern, the team reviewed the calculation  
11 for the base slab and the walls poured against rock showed that  
12 no reinforcement was provided at the face of the rock. The  
13 team is concerned that no consideration was given to determine  
14 the effect of cracks that would be introduced by the negative  
15 movement due to the lack of this reinforcement.

16 The third concern, the review of the reinforced  
17 concrete walls calculations show that TVA provided a minimum  
18 reinforcement area of .2 percent rather than the .25 percent  
19 required of ACI 318-63. TVA has not provided a justification  
20 for the use of this lower amount of reinforcing steel.

21 TVA calculations also show that no error -- an error  
22 was made in calculating the steel area required in walls. TVA  
23 should evaluate the impact of these two items on the structural  
24 adequacy of the walls.

25 The fourth concern, the team reviewed the auxiliary

1 building roof slab at elevation 778 and A15 column lined walls.  
2 Both the roof slabs and the walls are designed in accordance  
3 with ACI 318-63 building code as committed in the FSAR.  
4 However, this calculation show that TVA failed to evaluate the  
5 sheer stress at edge of the structural elements as required by  
6 the ACI 318-63 code sections 1201 and 1207.

7           The team is concerned about the lack of evaluation  
8 for sheer stress due to the brittle nature of failure in  
9 reinforced concrete structures.

10           The seismic analysis of the ERCW pump house access  
11 cells was based on the assumption that the six cells and the  
12 interconnecting cells would act as a one single J-shaped unit.  
13 The calculations show that shrinkage would occur in the  
14 concrete field. The concrete field will therefore not be in  
15 contact with the steel sheet pile. The calculation also shows  
16 that there will be vertical movement between the cells. The  
17 inability of the cells to transfer vertical sheer makes  
18 original assumption of the single J-shaped units invalid. Even  
19 if the J-shaped unit assumption is valid, then the torsional  
20 effect of the J-shaped unit should have been considered in the  
21 analysis.

22           The calculation also states that the cells probably  
23 are not stable if they act as single units. Failure or  
24 excessive movement of those cells would cause the failure of  
25 the ERCW piping and electrical counters embedded in those

1 cells. Therefore, TVA has not substantially demonstrated that  
2 the cells will be stable under all loading conditions.

3           Immediately west of the access cells the ERCW piping  
4 and electrical counters are support of a pile support structure  
5 embedded in a rock-filled dike. The response of the piles will  
6 be the same as the rock-filled dike. The calculations show  
7 that the rock-filled dike will not be stable using the material  
8 properties stated in the FSAR.

9           Also, the vertical earthquake was not considered in  
10 the rock-filled dike analysis.

11           Two laboratory tests were performed on the rock-  
12 filled dike material. The result of the tests indicate that  
13 the material of the dike is more stable than the property  
14 listed in FSAR. The original calculation did not incorporate  
15 the test result. Therefore, TVA has not adequately  
16 demonstrated that the rock-filled dike is stable.

17           The last concern the team has was with respect to  
18 pipe support. We understand TVA is presently reanalyzing 5000  
19 pipe support. Their accepting criteria state that for the  
20 self-growing expansion anchor bolts, the factor of safety will  
21 be five for long-term operation and the factor of safety of 2.8  
22 for the short term or race start.

23           The team reviewed pipe support packages and three of  
24 them called for RAWL expansion anchors. However, the  
25 calculations revealed do not address the low ultimate strengths

1 of the RAWL expansion anchor bolts which is lower than what was  
2 used to determine the acceptance criteria in the allowable  
3 bolts load.

4           The analysis also increased the allowable bolt load  
5 by taking account of the increase to concrete strengths due to  
6 aging. This is not a valid assumption since the self-drilling  
7 expansion bolts were qualified in higher strength concrete.  
8 TVA should identify where the RAWL expansion anchor are used  
9 and qualify them in according with the actual ultimate  
10 strengths of the bolts.

11           This completes my presentation.

12           MR. IMBRO: Thanks, Hai-Boh.

13           I would like to take a minute to summarize the  
14 structural area. We feel that it is our area of major concern.  
15 Just in summary, we in NRC, the RDI team feels that there are a  
16 lot of fundamental omissions in civil engineering calculations.  
17 For example, there are a lot of unsubstantiated assumptions in  
18 calculations. I don't know if this is one that Hai-Boh  
19 mentioned before, but one is the analysis of the roof of the  
20 aux building. You have an 80 foot steel span and it was  
21 assumed to be rigid. And, again, without obviously, at least  
22 to our minds, it is not a rigid structure and shouldn't be  
23 analyzed as that. But someone should have gone back, at least  
24 to verify the assumption that if it is considered rigid, is it  
25 really a rigid structure?

1           In the design of the ERCW access cells, as Hai-Boh  
2 pointed out, there are a lot of omissions in the calculations,  
3 things that should have been considered that weren't. Also is  
4 the assumption that the different access cells act as a single  
5 unit. And, again, that is another assumption that was not  
6 substantiated and probably turns out it was not a valid  
7 assumption.

8           There is the assumption of rigidity of steel tanks.  
9 Again, TVA used it to document TID 70-24 and all the equations  
10 in that are based on the fact that tanks are rigid. However,  
11 TVA didn't go back and verify that the tanks they installed  
12 actually were rigid and that those equations were therefore  
13 applicable.

14           The basic consideration which we feel TVA missed was  
15 the failure to evaluate sheer in walls and slabs. I'm not a  
16 civil engineer, but from what I understand talking to our team  
17 members, that is a basic thing that everyone does in design.  
18 Again, this was not considered by TVA.

19           There are questions of the generation of the floor  
20 response spectra, which again TVA in a later analysis performed  
21 I guess early this year, identified that at least for the  
22 vertical acceleration in the steel containment vessel, you  
23 know, you are probably looking at maybe seven times higher  
24 acceleration than was used in the original design. You are  
25 going to get acceleration levels probably as high as 2.5 to 3

1 gs which are pretty substantial.

2 Also, we found that TVA has deviated from the ACI  
3 Code 318-1963 which is an AFSAR commitment essentially in  
4 regarding the placement of REBAR and reinforced concrete. Now,  
5 many codes essentially state, well, they basically give you an  
6 out. If you don't use the prescribed method in the code, at  
7 least you should be able to justify the design that you do use.  
8 However, we did not really see this justification for  
9 deviations from the code.

10 In addition, TVA used a lot of their own internal  
11 standards and I guess the team felt that we hadn't had time to  
12 assess the validity of the standards. They don't necessarily  
13 conform to what people think of as a standard industry  
14 practice.

15 Again, we have a large concern between equipment  
16 support calculations and the design details that implement  
17 those calculations. As Hai-Boh pointed out, calculations are  
18 based on certain thicknesses of steel embed plates, lengths of  
19 bolts, certain numbers and thicknesses of bolts. However, when  
20 we go to essentially the construction drawings, we find that  
21 there are discrepancies: lesser number of bolts, thinner  
22 bolts, thinner support steel. So, there is a definite miss  
23 match between what was analyzed and what is actually in the  
24 plant.

25 Also, was the failure to consider overturning moments

1 in support designs. Again, basic, what we feel is a basic  
2 consideration that was overlooked. And, also, the structural  
3 analysis of the Tornado Missile Protection for the ERCW pumping  
4 stations. In that area, we feel that there were a lot of  
5 design features in that design that TVA didn't consider. So,  
6 what does it all mean now that we sit back and look at it?

7 Well, we think that maybe just to clarify: I guess I  
8 saw a statement in the paper this morning that the nuclear  
9 expert, TVA nuclear expert said that the NRC was of the opinion  
10 that the structures would collapse under an earthquake or they  
11 would collapse under a tornado. I think that was a little bit  
12 overstated.

13 What I will say, though, is I think based on the  
14 calculations that exist, I don't think that we can determine  
15 the structural adequacy of the buildings. Now, that is not to  
16 say that they are not going to come out okay once they are  
17 reanalyzed. All I think we are saying now at this point is  
18 that based on the calculations we have seen and the omissions  
19 in the calculations, we don't know until those areas have been  
20 addressed whether or not the design is adequate. So, we still  
21 need information to review.

22 What we did suggest to TVA and, actually, more of a  
23 request was that we think TVA should conduct a comprehensive  
24 review of structural calculations for the five major safety  
25 related buildings on a sample basis. And we think -- I will

1 name the five buildings: the reactor building, the auxiliary  
2 building, the control building, diesel generator building and  
3 the ERCW pump house.

4 Further, we feel that the review should be conducted  
5 by independent engineers. And just to clarify that, by  
6 independent, we mean that people that may be employed by TVA  
7 now, but however did not participate in the original design,  
8 and TVA is free to use contractors that they have available.

9 We think that the review should include a substantial  
10 sample of all major design features, such as structural steel  
11 design, the reinforced concrete design, including foundations,  
12 floors, walls, columns and roofs. Masonry walls in the  
13 buildings, also equipment anchorages and equipment supports.  
14 And we also feel that TVA needs to look at the design  
15 construction interface, particularly in light of the concern  
16 raised regarding the RAWL anchors, the fact that RAWL anchors  
17 were specified on the drawings, however, they may not have been  
18 installed in the field.

19 And, also, there is -- again, the inconsistencies  
20 between the calculation detail drawings for equipment support.  
21 I guess since we have two conflicting pieces of information,  
22 we don't really know what is out there. Is the analysis right  
23 or are the drawings right? Maybe the drawings are right and  
24 the analysis needs to be correct. I think TVA needs to take a  
25 look at that.

1           In addition to this separate program which I will put  
2 aside for a minute. I think specifically relating to the IDI  
3 concerns, I think TVA needs to do 100 percent review in five  
4 areas and I will go through those quickly. I think that you  
5 need to take another look at the seismic response spectra  
6 generation for all the buildings that contain safety-related  
7 equipment. We think that on 100 percent basis the design for  
8 sheer in walls and slabs needs to be reviewed.

9           We also think that in tornado missile protection  
10 should go back and reanalyze the roof of the ERCW pump house  
11 and we limit it to that because we think the rest of the design  
12 is adequate.

13           We also think that the dikes and access cells and the  
14 stability of those needs to be addressed fully. And, also, TVA  
15 on a 100 percent basis needs to go back and review the Category  
16 I steel tanks to determine whether or not they are flexible or  
17 rigid.

18           I would like to make a couple of general observations  
19 regarding the inspection in general apart from civil. It is  
20 difficult to do an inspection like this and there is a lot of  
21 information that is coming across at us and going back and  
22 forth. So, I am trying to take the time and step back and say,  
23 "Now that we have all these, are there any common threads?"  
24 And the range, what we think could be generic problems with  
25 TVA. And we thought about this at great length yesterday and

1 we have come up with a couple of things that we think TVA might  
2 be -- that we pass on to TVA for their consideration.

3           The first area is I think there seems to be in some  
4 areas a lack of timely corrective action. Now, for example,  
5 seismic analysis in the steel containment vessel and the  
6 problems related thereto. This was something that TVA was  
7 aware of in 1985. However, the calculation was just redone  
8 early this year. So, it is essentially a two-year span or more  
9 that this was not acted on. And, obviously, as most people  
10 know this regeneration of the response spectra, any  
11 discrepancies in that could cause a substantial amount of work  
12 and requalification of equipment and anything else that needs  
13 to withstand an earthquake.

14           Also, the ERCW design pressure, again, we saw ECNs  
15 that go back to 1986. And we still find it is not totally  
16 resolved today.

17           One thing we thought that was -- and I guess this is  
18 more of an observation. It appeared to the team that from the  
19 different findings that we saw that TVA lacks systems  
20 integration function. It appears to us that there is no  
21 essential group that really can assess the safety significance  
22 of different things. One group that has the big picture,  
23 essentially, of things work and how things need to fit  
24 together.

25           And there's a couple of examples. In the station air

1 compression brake isolation, for example. The radiation  
2 monitor, the fact that the thing will saturate during accident  
3 conditions, it seemed like the design is kind of focused in one  
4 area. People are wondering about, you know, looking at the  
5 effluent monitor or monitoring effluent radiation, however, not  
6 really considering the fact that this was also used in an  
7 accident besides normal operation.

8 Appendix R problem with the indicate lights on  
9 traveling screen. It appeared to us that there was some  
10 confusion within different areas of TVA as to whether or not  
11 the traveling screens were safety related or the screen watch  
12 pumps were needed after an accident.

13 There are a couple of others. The fuse coordination  
14 between Class 1 anomaly, it appeared that the significance of  
15 the isolation between 1 anomaly was not totally recognized.

16 You know, it is a hard thing to quantify and, again,  
17 this is really an observation on our part, but there seems like  
18 there needs to be one essential group of people that really  
19 understands the safety significance of the different systems  
20 and how they all fit together and can overview and make sure  
21 that people are not looking at things essentially with blinders  
22 on and that they can assess all the implications. And there  
23 are many in a nuclear plant.

24 MR. GRIMES: You might say that based on the team's  
25 working in other organizations with such a function.

1           MR. IMBRO: Right. Also, we feel that there may be  
2 a problem in design verification. For example, in the civil  
3 area, particularly, these are the findings that we came up with  
4 and essentially they are baseline calculations that were  
5 checked and reviewed. Again, they are not recent calculations.  
6 They were calculations done, say, back in the early Seventies  
7 or in mid-Seventies.

8           So, you kind of wonder, well, what does a check  
9 connote? You have another engineer that reviews calculation  
10 and signs off on it and misses your really, what we consider  
11 basic things, was the checker not qualified to do the job or  
12 did he just review it and sign it off? It doesn't give us a  
13 good feeling, you know, that the checking process didn't really  
14 seem to be adequate.

15           Also, for example, dimensions on pipe supports. That  
16 is a problem that Andy mentioned. There was incorrect  
17 dimensions that were used in calculations. Again, all this was  
18 checked information.

19           The environmental qualification for the mild  
20 environment, at least, particularly in the ERCW pump house.  
21 The equipment really didn't match the temperature profiles that  
22 were specified in different TVA documents.

23           Another example would be the improper use of the  
24 stress intensification factors from B3011. Again, these are  
25 things that should have been picked up at a normal checking

1 process or design verification process, but weren't. So, we  
2 think that there may be some basic problem with how TVA does  
3 their design verifications.

4           And I guess the last area I had was it seems to be  
5 that there is a lack of timely implementation of operation  
6 procedures. And, in some areas such as -- going back to the  
7 ERCW design pressure, there were, I guess some statements that  
8 were to be put in, system operating instruction, SOI, regarding  
9 header pressure control. This was again something that was  
10 identified a ways back and has yet not been incorporated in the  
11 operating procedures, although we have seen drafts of those.

12           In the area of screen wash manual operation, screen  
13 wash essentially was initially automatic. However, the  
14 automatic feature was disabled, but we would have expected at  
15 least that in a timely fashion, operations would have picked up  
16 the fact that this needs to be incorporated into the operating  
17 procedures. Now, we understand that TVA may be doing the  
18 screen washes and some manual operation. But it is not really  
19 proceduralized. So, I think there needs to be a more close  
20 communication between the operations and the engineering staff.

21           So, that essentially concludes the overall  
22 observations we had. And, again, these are preliminary. We  
23 tried to pull them together yesterday, but I think that this  
24 essentially represents the consensus of the team as to where we  
25 think their areas are weakest that TVA may need to look at

1 further.

2 Just a quick note on schedule, just to review what  
3 everybody already knows. On October 9th, we are due letter --  
4 we owe a letter to TVA to define fully the restart issues.  
5 What we mentioned today are some of the restart issues, the  
6 ones we consider most important and have the most impact.  
7 There are probably a few that we haven't considered, but we  
8 think those are more of a minor nature. For example, minor  
9 changes to FSAR and things like that, documentation things.

10 On November 6, according to our schedule, we owe you  
11 a completed inspection report and we will try and do that.  
12 Also, in -- we understand that there is new information  
13 available and we will try and make ourselves available to do  
14 that. And we were planning on, just for rough planning  
15 purposes right now, to come back maybe in late October or early  
16 November, maybe just before or after the report is issued, to  
17 do an inspection of TVA corrective actions. And we would like  
18 to really focus on actions that are corrected, not really come  
19 down to inspect the things you intend to do. We would rather  
20 restrict our inspection to when you actually finish things and  
21 we have something solid to look at.

22 And, again, going back to this additional program we  
23 think is necessary in the structural area. That will be  
24 handled as far as I am concerned as a part, separate from the  
25 IDI. And the IDI will then address the specific functions in

1 the civil structural area. I think the additional structural  
2 calculation review program should be more properly addressed by  
3 TVA as part of their calculation program that is currently  
4 ongoing.

5 That's all I have to say. I think Brian would like  
6 to add something.

7 MR. GRIMES: Yes, I wanted to just clarify the issue  
8 that was raised earlier on new information that had been  
9 proffered by TVA but not accepted by the team for review. And  
10 I just want to put that in a little perspective.

11 The design inspection methodology is to perform an in  
12 depth inspection of a single system as representative of the  
13 entire design process. And from this, look at a system as it  
14 stands. We try to draw generic inferences for the whole  
15 design. Our usual practice in a design inspection is to  
16 establish a cut-off date beyond which new calculations are not  
17 considered. This is related to the announcement of the  
18 specific system which is to be inspected. This is to allow the  
19 team to not have to look at what I call wet ink calculations,  
20 which may have been done in anticipation or as a result of the  
21 team inspection. Considering those, we believe would distort  
22 our picture of the design as it stands and limit our ability to  
23 extrapolate those conclusions to other parts of the design  
24 which had not been similarly amended.

25 I have, in the structural area, spoken with the team

1 members and I know of no incidence in which the team declined  
2 to review relevant information which is related to the adequacy  
3 of the design as it stands.

4 In fact, the opposite appears to be true that the  
5 method of the inspection of the team is to request and review  
6 such information. I would also note that in the structural  
7 area, most of the significant issues were identified early in  
8 the inspection process.

9 I think it is important to distinguish between the  
10 information bearing on the adequacy of the design as it exists  
11 which is relevant to our inspection conclusions on what  
12 corrective actions may be necessary, such as in the structural  
13 area, an increased scope of sampling and, on the other hand,  
14 the review of corrective actions in response to these findings.  
15 And the team in this case I believe gave top priority to the  
16 inspection process itself to look at existing design.

17 There will also be a structured inspection process,  
18 as Gene mentioned, to look at your corrective actions, but this  
19 should not be confused with the current inspection or the  
20 development of the current inspection report which defines the  
21 problems on which that corrective action program must be based.

22 So, I thought it was just worth a few minutes to try  
23 to make sure everybody understood why we were focusing on  
24 existing design.

25 MR. KEPPLER: Well, I think it is still important,

1     though, that if there is information that relates to the  
2     findings from this inspection, which I understand the TVA feels  
3     they have, we need to have that information.

4             MR. GRIMES: Yes, we would be most happy to get that  
5     as soon as possible.

6             MR. WHITE: I, first, in response to what you are  
7     saying, Mr. Grimes, I have no quarrel with the fact that you  
8     had to have a cut-off date. I told Mr. Imbro earlier today  
9     that in his position, I would have done the same thing. There  
10    has to be some date at which you have to say, "Don't give me  
11    any more information. I've got to write a report. I've got to  
12    prepare for this meeting."

13            I have no quarrel with that. And Mr. Imbro is the  
14    team leader. It is his responsibility to determine when that  
15    is. So, there is no quarrel.

16            I would like to say a couple of things. One is I  
17    wanted to thank Mr. Imbro personally and, through you, the  
18    members of your team for your hard work. And they worked hard.  
19    For your cooperative attitude in this whole effort. I think,  
20    Mr. Imbro, you and your team have -- you know, this is really,  
21    no matter how you look at it, it is a unique first of a kind  
22    effort. And I think we also have to put that in the right  
23    context that I understand the difficulty, I truly do, of  
24    looking at a plant designed in the Sixties, built in the  
25    Seventies, and now inspected in the late Eighties in trying to

1 get your mental attitude necessarily I think an impossible  
2 thing to do to say, "Well, how would I have looked at this in  
3 the Sixties and Seventies based on what the industry knew in  
4 the Sixties and Seventies."

5 In the late Seventies and certainly in the Eighties,  
6 the industry has, with regard to our knowledge of how to go  
7 about looking at things and even new codes and so forth, we  
8 look at things differently. I understand, therefore, the  
9 extreme difficulty each of you must face in trying to get your  
10 mental attitude to: What would I have looked at if I were here  
11 in 1960, would it have been -- or '70's, would that have been  
12 acceptable and, therefore, is this just like any other plant  
13 built -- designed and built in that time?

14 I want to thank your people because I think they have  
15 tried to do this. And, as I say, maybe it is impossible, but I  
16 think they have given it a good try.

17 The other point I would like to make is that I  
18 understand that your conclusions and your recommendations are  
19 based on the information you now have. You couldn't do it any  
20 other wise. And I understand that. I think we have other  
21 information available to you that I think in many cases will  
22 persuade you -- and I don't blame you for this. It is our --  
23 it is my responsibility to give you the information. It is not  
24 your responsibility to go in our file cabinets and find it.  
25 So, it is our responsibility to provide that to you. And I

1 think when you see some of this, I think you will be persuaded  
2 that some of these problems perhaps are not as severe as what  
3 you now think based on the information you have.

4 So, we look forward to our meeting next week. I  
5 understand it is already scheduled for Wednesday. And we hope  
6 at that meeting to provide you a lot of information. And, in  
7 some areas, necessarily, we will tell you the corrective  
8 actions we intend to take if there are -- and there will be,  
9 I'm sure, some of those.

10 MR. WHITE: I think it is important that your people  
11 and our people work closely, particularly, with respect to  
12 prioritization of the efforts that need to be done, dealt with  
13 here. Obviously, the civil structural area is going to be a  
14 major issue with us. There are other areas that I think, as  
15 you people look at it and as we look at it further, will have  
16 schedular implications that we will want to focus attention on  
17 quicker. So, I think that is an effort that needs to be  
18 undertaken on your side as well as our side, but I think it is  
19 important to start off next week particularly in the civil  
20 structural area.

21 Let me add one comment to what you have just said.  
22 You talked about the complications, the difficulty of doing an  
23 inspection of this type. For whatever reason, TVA didn't  
24 receive an IDI at the beginning of this, so, when it got  
25 licensed, I don't want to defend or attack that comment, that

1 situation. But it was one of the very few plants and, in fact,  
2 it may have been the only plant that did not receive one since  
3 the TMI accident.

4           However, we have not only looked at NTOL plans this  
5 way, this team has gone back at plants older than Sequoyah.  
6 Efforts have been done at Dresden. Efforts have been done at  
7 Fort Calhoun. And there may be others, for all that matter.  
8 In general, we find that TVA Sequoyah is better from a design  
9 standpoint than Dresden and Ft. Calhoun, which you would  
10 expect, and less than what you would expect at an NTOL today.

11           Not a very profound statement. But I think the  
12 message we want to leave you with is the civil area, what is  
13 the civil structural area was an area that came out much lower  
14 than our expectation based on this type of experience that we  
15 have had. So, that is the area that is burning with us right  
16 now. Not to overlook the other points that were mentioned, but  
17 that's the one that needs the primary emphasis on both parts.  
18 And it is apparent to me, as we sat here and talked, that the  
19 people on two-thirds of this table feel very strong that this  
20 has a strong scheduler implications with you. And I hope it  
21 proves out that you are right. I hope you are able to dissuade  
22 our concerns. But right now, it is a big issue with us.

23           So, we look forward to our meeting on Wednesday.

24 Thank you very much.

25           MR. ZWOLINSKI: Let the meeting stand adjourned.

1 (Whereupon, at 11:05 a.m., the meeting was  
2 adjourned.)

3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## CERTIFICATE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:  
Name: Findings From the Integrated Design Inspection (IDI)  
at TVA

Docket Number: NRC-342-29

Place: Knoxville, Tennessee

Date: September 11, 1987

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken stenographically by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.

151 Dan NEUNUEBEL

(Signature typed): Dan Neunuebel

Official Reporter

Heritage Reporting Corporation