

RCID 1420
APR 18 1989

Carolina Power & Light Company

411 Fayetteville Street Mall

Post Office Box 1551

Raleigh, North Carolina 27602

LEGAL DEPARTMENT

Writer's Direct Dial Number

(919) 546 - 4161

Telecopier

(919) 546-7678

April 17, 1989

FEDERAL EXPRESS

Mr. Bruno Uryc
U.S. Nuclear Regulatory Commission
Region II
101 Marrietta Street, N.W.
Suite 2900
Atlanta, Georgia 30323


RE: April 27, 1989 Enforcement Conference

Dear Mr. Uryc:

On Friday I spoke with Mr. Dick Goddard in connection with the enforcement conference that is scheduled for April 27 in Atlanta. He suggested that I send you the attached transcript of the administrative hearing on Mr. Paul Blackburn's complaint against Metric Constructors. We believe that the hearing record, together with other information we will present at the enforcement conference, strongly supports the position that enforcement action against CP&L under 10 C.F.R. § 50.7 is not warranted.

If I can provide you with any additional information prior to the enforcement conference, please let me know.

Sincerely,



Dale E. Hollar
Associate General Counsel

/fpf

A**achment

8904270019 890417
PDR TOPRP EUTCPL
B PDC

11
IF01

BEFORE THE
U.S. DEPARTMENT OF LABOR
OFFICE OF ADMINISTRATIVE LAW JUDGES

In the Matter of:

PAUL A. BLACKBURN,

Claimant,

v.

METRIC CONSTRUCTORS, INC.,

Employer.

Case No: 86-ERA-4

Pages: 1 through 104

Place: Columbia, South Carolina

Date: December 16, 1985

Acme Reporting Company

Official Reporters
1220 L Street, N.W.
Washington, D.C. 20005
(202) 623-4888

[illegible]

Acme Reporting Company

1 APPEARANCES (Cont.):

2 For the Respondent:

3 CHARLES M. BURDETTE
4 6060 Saint Albans Street
5 Charlotte, North Carolina 28287
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

<u>WITNESSES:</u>	<u>DIRECT</u>	<u>CROSS</u>	<u>REDIRECT</u>	<u>RECROSS</u>
Paul A. Blackburn	8	34	56	--
Floyd Slatton	57	62	65	67
Bruce Meyer	68	89	101	--

<u>EXHIBITS:</u>	<u>IDENTIFIED</u>	<u>RECEIVED</u>
Claimant's Exhibits:		

C-1	5	6
C-2	5	6
C-3	5	6
C-4	5	6
C-5	5	6
C-6	5	6
C-7	5	6
C-8	6	6
C-9	6	6
C-10	6	6
C-11	57	57

Respondent's Exhibits:

R-1	6	8
R-2	7	8
R-3	7	8
R-4	7	8
R-5	7	8

I N D E X
(Cont.)EXHIBITS (Cont.):IDENTIFIEDRECEIVED

Respondent's Exhibits:

5	R-6	7	8
6	R-7	7	8
7	R-8	7	8
8	R-9	7	8
9	R-10	7	8
10	R-11	7	8
11	R-12	7	8
12	R-13	8	8

P R O C E E D I N G S

HONORABLE THEODOR P. VONBRAND: On the record. This is a hearing under the Energy Reorganization Act, in the case of Paul A. Blackburn, versus, Metric Constructors, Inc., case number 86-ERA-4.

I am Theodor P. VonBrand, the Administrative Law Judge assigned to conduct the hearing in this case and render a decision in this case.

This hearing is being held in Columbia, South Carolina on December 16, 1985.

Our first order of business will be the statement of appearances. Ms Burnette?

MS BURNETTE: Your Honor, I am Malissa Burnette with the law firm of Gergel, Burnette and Nichols of Columbia, South Carolina, representing the Claimant, Mr. Paul Blackburn.

JUDGE VONBRAND: Thank you. Mr. Burdette?

MR. BURDETTE: I'm Charles M. Burdette, House Counsel for the Respondent, Metric Constructors, Inc. I am from Charlotte, North Carolina.

JUDGE VONBRAND: As I understand the issues, first we have the issue raised by Respondent's motion to dismiss, namely that the complaint was not timely filed and secondly, that the complaint was not filed in the proper form. Next, I understand that the Complainant is urging that he was discriminated against, contrary to the provisions of the ERA

1 because he was terminated for refusing to work on the
2 grounds that such work would be hazardous to his health.

3 It is further my understanding that Respondent denies
4 that this is protected activity on the grounds that the
5 Complainant failed to express any safety concern when he
6 refused to work on September 4, 1984.

7 Ms Burnette, does that accurately summarize the
8 issues we have before us today?

9 MS BURNETTE: Yes, Your Honor.

10 JUDGE VONBRAND: Mr. Burdette?

11 MR. BURDETTE: Yes, sir. If I might add one more
12 thing, it is the further contention of the Respondent that
13 not withstanding the discharged employee's failure to cite
14 safety concerns to the supervision of his employer for his
15 failure to work, that any such safety concerns were not well
16 founded, and were nonexistent.

17 JUDGE VONBRAND: So, now, we have the issues as you
18 see them?

19 MR. BURDETTE: Yes, Your Honor.

20 JUDGE VONBRAND: Off the record.

21 (A brief discussion was held).

22 JUDGE VONBRAND: On the record. Ms Burnette, do you
23 wish to make an opening statement?

24 MS BURNETTE: Your Honor, I would like to just call
25 our witness at this point.

1 JUDGE VONBRAND: All right. We will do that, just
2 as soon as we receive the exhibits. Mr. Burdette, do you
3 wish to make an opening statement?

4 MR. BURDETTE: No Your Honor.

5 JUDGE VONBRAND: Ms Burnette, would you identify and
6 offer your exhibits?

7 MR. BURNETTE: Yes, Your Honor. Complainant's
8 Exhibit No. 1 is a copy of a newspaper article from the
9 Florence Morning News, dated September 12, 1984.

10 Exhibit No. 2 is a letter to Mr. Blackburn from Mr.
11 Uryc of the NRC, dated September 29, 1984. Exhibit No. 3 is
12 the Complainant's handwritten description of his complaint,
13 dated September 16, 1984.

14 Exhibit No. 4 is a letter to Mr. Blackburn from Ms
15 Cook of the South Carolina Department of Labor, dated
16 October 4, 1984.

17 Exhibit No. 5 is a letter to Mr. Blackburn from Mr.
18 Rowe of the US Department of Labor, dated October 11, 1984.
19 Exhibit No. 6 is a letter to Mr. Blackburn from Mr. Uryc of
20 the NRC dated December 28, 1984.

21 Exhibit No. 7 is a letter to Mr. Blackburn from Mr.
22 Leon Smith, US Department of Labor, dated July 31, 1985.

23 (The documents above-referred to were marked
24 for identification as Complainant's Exhibits
25 Nos 1 through 7).

MS BURNETTE: Exhibit No. 8 is a letter to Mr.

1 Blackburn from Mr. Stuckey, US Department of Labor, dated
2 September 6, 1985.

3 (The document above-referred to was marked
4 for identification as Complainant's Exhibit
No. 8).

5 MS BURNETTE: Exhibit No. 9 is a letter to Mr.
6 Stuckey from Mr. Burdette, dated September 13, 1985. Exhibit
7 No. 10 is a letter to Mr. Burdette from Mr. Stuckey, dated
8 October 25, 1985.

9 (The documents above-referred to were marked
10 for identification as Complainants Exhibits
Nos. 9 & 10).

11 JUDGE VONBRAND: Mr. Burdette, any objection?

12 MR. BURDETTE: Let me take a look at them.

13 MS BURNETTE: I believe I sent you copies.

14 MR. BURDETTE: No objection.

15 JUDGE VONBRAND: Complainant's Exhibits 1 through 10
16 are admitted, and Mr. Burdette, would you offer and identify
17 your documents?

18 (The documents above-referred to, heretofore
19 marked for identification as Complainant's
Exhibits 1 through 10, were received).

20 MR. BURDETTE: Yes, Your Honor. As Respondent's
21 Exhibit No. 1, we have a copy of the General Employee Training
22 Manual, published C & L, levels one and two retraining.

23 (The document above-referred to was marked
24 for identification as Respondent's Exhibit
No. 2).

25 MR. BURDETTE: As Respondent's Exhibit No. 2, we have

1 the Student Workbook for General Employee Training for
2 Carolina Power and Light. Respondent's Exhibit No. 3 is
3 the student workbook for radiation, level two, published
4 by CP & L.

5 Respondent's Exhibit Four is entitled, Containment
6 Vessel Surveillance Program, dated September 4, 1984.

7 Respondent's Exhibit no. 5 is the Exposure Record Sheet for
8 the year 1984 for Mr. Paul Blackburn.

9 Respondent's Exhibit No. 6 is entitled, Termination
10 Report, Occupational Radiation Exposure, dated September 5,
11 1984. For Mr. Paul A. Blackburn.

12 Respondent's Exhibit No. 7 is the Testing Report
13 Program for Mr. Paul A. Blackburn. Respondent's Exhibit
14 No. 8 is a compilation of the radiation exposure records
15 for Metric electrical crews in 1984.

16 Respondent's Exhibit No. 9 is a Radiation Work
17 Permit Survey, dated September 5, 1984, Respondent's Exhibit
18 No. 10 is a radiation work permit survey, dated September 4,
19 1984.

20 Respondent's Exhibit No. 11 is a radiation work permit
21 analysis, dated August 28, 1984. Exhibit No. 12 is an August
22 1984 ALARA Concerns publication.

23 (The documents above-referred to were marked
24 for identification as Respondent's Exhibits
25 Nos. 3 through 12).

MR. BURDETTE: Exhibit No. 13 is a September, 1984

1 ALARA Concerns publication.

2 (The document above-referred to was marked
3 for identification as Respondent's Exhibit
4 No. 13).

5 JUDGE VONBRAND: Ms Burnette, any objection?

6 MS BURNETTE: No, Your Honor.

7 JUDGE VONBRAND: Respondent's Exhibits One through
8 13 are received. Off the record.

9 (The documents above-referred to, heretofore
10 marked for identification as Respondent's
11 Exhibits 1 - 13, were received).

12 JUDGE VONBRAND: On the record.

13 MS BURNETTE: We would call Mr. Paul Blackburn.

14 Whereupon,

15 PAUL A. BLACKBURN

16 was called as a witness by and on behalf of Counsel for the
17 Complainant, and after having first been duly sworn, was
18 examined and testified as follows:

19 DIRECT EXAMINATION

20 Q (by Ms Burnette) Would you please state your full
21 name for the record?

22 A Paul A. Blackburn.

23 Q Are you also known as Tony?

24 A Yes, ma'am.

25 Q Are you married?

A Yes, ma'am.

Q Is this your wife, Ruth, here?

- 1 A Yes, ma'am.
- 2 Q Do you have any children?
- 3 A Yes, ma'am. Two.
- 4 Q How old are they?
- 5 A Eight and four.
- 6 Q Where do you live, Mr. Blackburn?
- 7 A Darlington, South Carolina.
- 8 Q Is that where you have lived all your life?
- 9 A Yes, ma'am, except for one brief stay in Virginia.
- 10 Q What is your education?
- 11 A High school graduate.
- 12 Q Have you had any other training, beyond the high
- 13 school level?
- 14 A I took some courses in industrial wiring to sharpen
- 15 my skills a little bit.
- 16 Q Since graduating from high school, where have you
- 17 worked?
- 18 A I've worked all over North and South Carolina, with
- 19 Daniel Construction Company, Beaconn, Metric and Data Select.
- 20 Q What type of work do you do ?
- 21 A I'm an electrician.
- 22 Q Have you ever been discharged from your employment
- 23 by anyone other than Metric?
- 24 A No, ma'am.
- 25 Q Have you ever been reprimanded, prior to your being

1 discharged from Metric? Have you ever been reprimanded in
2 any other job?

3 A No, ma'am.

4 Q When did you begin working with Metric?

5 A It was around March of 1984.

6 Q March 28th?

7 A Yes, ma'am.

8 Q Where were you assigned to work?

9 A When I first went there, I was on an outside crew
10 until the security clearances came in and then I was
11 transferred to a container crew.

12 Q Where was this?

13 A This was in the reactor building.

14 Q At the Robinson Plant?

15 A Yes, ma'am.

16 Q What was your hourly wage?

17 A Twelve dollars an hour.

18 Q How many hours did you work every week when you
19 started?

20 A For around the first three months, we worked 40 hours
21 and then, we went into overtime, which was 60 or 70 hours a
22 week.

23 Q On approximately what date did you begin working
24 overtime on a regular basis?

25 A Around July.

1 Q Did you have to work around a lot of radiation in
2 this job?

3 A Yes, I did.

4 Q Are there limits to the amount of exposure a worker
5 like you could receive?

6 A Right.

7 Q Tell us about that.

8 A As I remember, I think the NRC requires a maximum of
9 1250 millirems a quarter and CP & L kept you more than about
10 a 250 buffer, which was about 1000.

11 Q So, in each quarter, you tried to avoid getting more
12 than 1000 millirems?

13 A Right.

14 Q How was this monitored?

15 A We used thermoluminescence dosimeters and the
16 regular pocket dosimeters, which you can look at all the time.

17 Q How does that work?

18 A It's just a little cylinder type thing with a scale
19 on it and as the radiation passes through your body, it makes
20 the scale go up.

21 Q Do you wear that on you when you are exposed to
22 radiation?

23 A Right.

24 Q When you come out, can you read it and see how much
25 radiation you have received?

1 A Right.

2 Q How did you learn about radiation and safety
3 procedures?

4 A We took a training course required upon being hired
5 on the job. Every employee has to go through it.

6 Q What does ALARA mean?

7 A ALARA is as low as reasonably achievable.

8 Q Did you receive training in that?

9 A Right.

10 Q What was that?

11 A It has to do with planning your job, the time and
12 distance and shielding to protect you and get the job done
13 in less time.

14 Q On this particular quarter, September of 1984, how
15 many millirems of exposure had you received?

16 A I don't think I had any for that quarter.

17 Q Tell us about the events of September 4, 1984.

18 A September 4th, which was the day after Labor Day, we
19 came back in and met where all our crew meets and we had a
20 safety report which was at the start of every week. Being
21 as how we were off on the holiday, we had it that next day.
22 I read the safety report to the crew. That was Bobby Young's
23 crew. In it, it said that there was a lot of shielding being
24 removed from the reactor building. And, we discussed safety
25 glasses, hardhats and more or less, the same thing we always

1 do. From where I was standing, you could look into the
2 RCA lay down yard and see the shielding, itself, out
3 scattered in it.

4 Q Had you worked in the reactor before?

5 A Right, I had.

6 Q Had the shielding been up then?

7 A Yes, ma'am.

8 Q What did you learn about the shielding, if anything?

9 A Well, shielding reduced a lot of your radiation
10 exposure. Radiation won't pass through lead, where it will
11 paper or any such thing.

12 Q On this particular day, you said that the report
13 included information about the shielding being removed?

14 A Right.

15 Q What else? Go ahead.

16 A Later in the morning, my foreman, Bobby Young, he
17 come up to me and told me that we was--some guys was being
18 transferred to another group to go inside the reactor
19 building to do some changes on some wiring that was wrong.

20 I told him okay, but I didn't have my dress out
21 clothes, which I normally took with me so I wouldn't get my
22 clothes contaminated. You had an option of wearing them
23 or not.

24 Q Tell the Judge what that means, when you bring your
25 dress out clothes.

1 A Well, it was cut off blue jeans or just jogging
2 pants or just anything you wore up under your protective
3 clothing in case your clothing got contaminated by water or
4 any such thing, you'd have something to come out in. In
5 other words, so you wouldn't have to strip bare. If you do
6 get yourself contaminated, you'd have to take your clothes
7 off in front of everybody. You'd forget your modesty, which
8 didn't bother me, but some people, it does.

9 Q Did you bring your extra clothing every day?

10 A We had lockers we left them in.

11 Q Did you have your clothing with you on September 4th?

12 A Not on the fourth.

13 Q Were you asked to go with this other crew?

14 A Right, I was asked to go with the crew and I told him
15 I didn't mind and he said, "Well, seeing as how you haven't
16 got your clothes, just wait till tomorrow and be sure to
17 bring them in."

18 Q The next day was September 5th?

19 A Right.

20 Q What happened on September 5th?

21 A I went to my normal job, the one I was working on and
22 later he came and said, "Are you ready to go?" I said, "Yes."
23 So, I left and went towards the crew I was supposed to be
24 working on. I walked through the dress out area and looked
25 at the surveys as I passed through, and I left out of there

1 and went and looked for my foreman I was supposed to meet.
2 I didn't find him, so I went back through and checked the
3 surveys again. Some of the guys I was supposed to go in
4 with, which there was ten of us, they said, "We're going
5 to be sent in a real hot area," said it would be a pump bay
6 under the floor, which would have been a high rad, a locked
7 high radiation area.

8 So, I checked some of the surveys and being as the
9 shielding was out, naturally, the radiation limit was going
10 to be more.

11 Q What did you see on the surveys?

12 A Well, they were much higher than normal.

13 Q Did you then, look for your foreman again?

14 A Yes, I did. There was a hustle bustle with everybody
15 trying to get organized. I never did run into the foreman,
16 but I went back to my foreman and told him what I felt, that
17 it was unsafe to go into the reactor building because of the
18 lead shielding being taken out. This was Bobby Jones.

19 Q Did you talk to a Quality Control Technician?

20 A Yes, I did. I met him. The job I was performing on
21 the outside, he was my technician.

22 Q What was his name?

23 A His name is Mr. Richard Miles.

24 Q Do you know where he is now?

25 A No, ma'am. I don't.

1 Q Did you learn anything from him?

2 A Yes, ma'am. He told me that the radiation in there
3 was substantially higher . A week before, he had been in
4 the hatchway where he picked up no radiation, and just in
5 the hatchway entry, the radiation was 85 millirems, he said.

6 Q What did you do then?

7 A I went back and told my foreman that I didn't think
8 it was safe for me to go in there, or any of the rest of us
9 people until the shielding was put back in.

10 Q Did you refuse to go at all, or just until the
11 shielding was back up?

12 A I told him that I didn't mind doing the job, that I
13 knew when I hired on that the job as a radiation worker, you
14 would get certain amounts of radiation, but I didn't feel
15 safe about the job and it just was unsafe.

16 Q This morning, did you look at the Employment Manual
17 that Respondent is going to introduce into evidence?

18 A Yes, I did.

19 Q Did you find a section that you were trained with
20 that gave you responsibility for your own safety?

21 A Right.

22 JUDGE VONBRAND: Could you identify that by exhibit
23 number?

24 MS BURNETTE: This would be Respondent's Exhibit No. 1.

25 Q (by Ms Burnette) Would you please look on page 16?

1 Q Would you read that statement on page 16?

2 A Each employee at CP & L must assume full responsibility
3 responsibility for his/her personal safety.

4 Q Would you read again on page 76?

5 A Each worker shares in the responsibility for
6 radiation exposure. Each workers is also obligated to report
7 any unsafe or potentially unsafe practices to CP&L. If there
8 is no response by CP&L, report to the NRC.

9 Q Did you believe that you were following the
10 procedure as set out by this manual?

11 A Yes, ma'am. These are on bulletins that are posted
12 all over the plant.

13 Q Had you ever had exposure in large amounts in the
14 past?

15 A Well, I was in there one other time and we had a
16 pretty good amount of exposure for five days. I assume we was.

17 Q Were you terminated as a result of your reporting
18 that you felt it was unsafe for you to work in that area?

19 A Yes, ma'am.

20 Q Tell me about your termination. What happened?

21 A Well, I told Bobby Young how I felt and he said,
22 "Well, I can not make you go in a place like that because I
23 don't have the authority, but I will talk with our superinten-
24 dent, Horace Howell, and see what he has to say." Well, I
25 don't know who told Horace Howell or give the hand down, but

1 my foreman came back to me later on, at about 8:30 and said
2 "We're going to give you until break time to tell us what
3 you want to do. Like I say, we can't make you go in there,
4 but if you don't, we'll have to terminate you."

5 JUDGE VONBRAND: Who is Bobby Young?

6 MS BURNETTE: He was the foreman.

7 JUDGE VONBRAND: Your foreman?

8 THE WITNESS: At that time. .

9 JUDGE VONBRAND: All right. Proceed.

10 Q (by Ms Burnette) Go ahead.

11 A Well, at break time, he said, "I'll need to know
12 what your answer's going to be." Well, I went into the break
13 which was approximately 9:00 and we sat down, I sat down at
14 the table where my crew always takes their break at and all
15 the guys in there told me, "If you don't feel it's safe,
16 don't do it because you don't have to." I told those guys
17 I didn't mind doing the job, but I didn't feel it was safe.

18 Bobby Young came in before the break was over and
19 said, "Well, what's it going to be?" And, I told him, "Well,
20 if they put the shielding up and make it a safe job, I'll
21 do it. But, if it's not, I won't."

22 So, at that time, he left and went to talk to Horace
23 Howell again and came back and told me that at 10:00, I
24 would be terminated.

25 Q Were you terminated at 10:00?

1 A Yes, ma'am.

2 Q Did you try to contact a representative of the
3 Nuclear Regulatory Commission that day?

4 A Yes, ma'am, I did, but my clearance was taken away
5 real fast. I was hustled out before I could do any talking
6 to anybody.

7 Q Was there a representative on the site?

8 A Yes, ma'am. There was a Site Representative of the
9 NRC.

10 Q Did you later contact the NRC?

11 A The Friday after.

12 JUDGE VONBRAND: The Friday after would be what date?

13 MR. BURDETTE: September 12th, Your Honor.

14 JUDGE VONBRAND: Do you agree?

15 MS BURNETTE: Yes, Your Honor.

16 JUDGE VONBRAND: Proceed.

17 Q (by Ms Burnette) This is Exhibit No. 1, can you
18 identify that?

19 A Yes, ma'am. This is a fine that was dropped.

20 Q Is that a newspaper article?

21 A Yes, ma'am. I cut it out of the Florence Morning
22 News.

23 MR. BURDETTE: Your Honor, I would like to interject
24 an objection. I don't object to the article, itself, but I
25 fail to see the relevance at this particular juncture.

1 JUDGE VONBRAND: Well, let's put it this way: I'm
2 not sure that this witness is competent to testify about what
3 this article means, unless it goes to strictly his state of
4 mind.

5 MS BURNETTE: That is exactly what it goes to, Your
6 Honor, because it shows his state of mind to call the
7 Department of Labor.

8 MR. BURDETTE: May I ask what the date of the
9 article is?

10 MS BURNETTE: September 12, 1985.

11 MR. BURDETTE: That was approximately a week after
12 this incident occurred. Thank you. Go ahead.

13 JUDGE VONBRAND: Off the record.

14 (A brief discussion was held).

15 JUDGE VONBRAND: On the record. Proceed.

16 Q (by Ms Burnette) Did you read that article on
17 September 12th?

18 A Yes, ma'am.

19 Q Did you take any other action on September 12th?

20 A Yes, ma'am. I notified the Department of Labor.

21 Q How did you notify them?

22 A Well, I called on the telephone and asked for
23 somebody to talk to.

24 Q Was that the South Carolina Department of Labor or
25 the US Department of Labor?

1 A South Carolina Department of Labor.

2 Q What else did you do with regard to them?

3 A I went to talk with the lady and she told me it
4 sounded like a good case and she was going to get this lady
5 from OSHA to come down and talk to me, too.

6 JUDGE VONBRAND: Which OSHA are you talking about?

7 THE WITNESS: It's the State, the State OSHA. Her
8 name was Gaynelle Cook, the lady over the department at OSHA.
9 She came in and she heard my testimony on what happened and
10 she said it seemed to her that it was a good case and that
11 afternoon before I left, she told me to go home and write
12 a letter to her, certified, addressing from t e time I
13 started the job until the time I was fired, everything that
14 happened, which I did.

15 Q (by Ms Burnette) Is this the letter you wrote?

16 A Yes, ma'am.

17 Q That is Exhibit No. 3?

18 A Yes, ma'am.

19 Q In the meantime, you contacted the NRC?

20 A Right.

21 Q Can you identify this letter?

22 A Yes, ma'am. That's a letter from Bruno Uryc. He's
23 from Atlanta, Georgia, a representative.

24 JUDGE VONBRAND: What is the exhibit number and the
25 date of the letter?

MS BURNETTE: It is Exhibit No. 2, and the date of the letter is September 29, 1984.

Q (by Ms Burnette) He received your complaint. Is that correct?

A Yes, ma'am.

Q Did you hear anything more from Ms Cook of the South Carolina Department of Labor?

A Yes, ma'am. I got a letter later stating that CP&L disallowed them or OSHA to even be permitted on the job.

Q Did you receive a letter from Ms Cook on October 4, 1984, Exhibit No. 4?

A Yes, ma'am. Yes, I did.

Q Would you read that letter into the record, please?

A On September 19, 1984, the Occupational Safety and Health Division received your complaint alleging job discrimination and retaliation for protective safety and health related activities.

Since your complaint does not fall within the jurisdictional coverage of the South Carolina Department of Labor, Occupational Safety and Health Division, we have taken the liberty of forwarding same to the US Department of Labor for their review and appropriate action. If you have any questions, please contact the person and office at the address indicated below.

Thank you for your interest in occupational safety

1 and health. Gaynelle Cook.

2 Q Did you think that your complaint had been taken
3 care of at that point?

4 A Yes, ma'am.

5 Q Did you receive further correspondence from the US
6 Department of Labor? Exhibit No. 5?

7 A Yes, ma'am.

8 Q What is that? What is the date of that letter?

9 A October 11, 1984.

10 Q Would you read that letter into the record?

11 A Dear Mr. Blackburn, your complaint alleging employee
12 discrimination and subsequent termination from employment
13 with Carolina Power and Light Company was forwarded to this
14 office from the South Carolina Department of Labor, OSHA.

15 The complaint has been forwarded to our Regional
16 Operations Review Officer in Atlanta for appropriate action.
17 You will be contacted by someone from that office. In the
18 event you wish to contact that office, you may do so by
19 calling (404) 881-2921, or writing to the address listed
20 below.

21 Q Did you try to make contact with that Atlanta office?

22 A Many times.

23 Q Did you get any response or conclusion from them?

24 A The first few times, they didn't know who was
25 handling the case, but later on, I got a call from this man

1 named Don Twovell would be the Investigator on the case.

2 Q Did he ever talk with you or contact you?

3 A Yes, he did. He drove in and he stayed in
4 Darlington one night and I met with him, I believe, on a
5 Friday morning and he took a tape recording of my side of
6 the story, and also took notes.

7 Q In the meantime, did you receive further information
8 from the NRC, Exhibit No. 6?

9 A Yes, ma'am.

10 Q What is the date of that letter?

11 A December 28, 1984.

12 Q What was the NRC's conclusion?

13 A They initiated a review and evaluated it and they
14 couldn't find anything to substantiate my concerns.

15 Q What was the date of that investigation?

16 A The 29th of September, 1984. I'll read this. It
17 says, "Your concerns were addressed during an inspection
18 conducted at that facility during the period of October 29
19 to November 2, 1984."

20 Q What was the date of your termination?

21 A September 5th.

22 Q Did you hear any more from the US Department of
23 Labor?

24 A No, ma'am, I didn't.

25 Q Until what date?

1 A Until July 31, 1985.

2 Q What exhibit number is that?

3 A Seven.

4 Q What did that letter say?

5 A Your complaint alleging discrimination and termination
6 from Metric Construction Company has been forwarded to this
7 office from the South Carolina Department of Labor, OSHA.

8 Our investigator, Don Tuvell, has contacted you and
9 many witnesses. After discussion with our legal staff, it
10 has been determined that we do not have proper jurisdiction at
11 this office. This case is now being forwarded to the United
12 States Department of Labor, Atlanta, Georgia.

13 You will be contacted by someone from that office,
14 or you may wish to contact them in writing. This was signed
15 by Leon P. Smith.

16 Q You did not receive any communication from October
17 of 1984 until July of 1985 from the Department of Labor. Is
18 that right?

19 A That's right.

20 Q Is Exhibit No. 8 another letter you received from
21 them?

22 A Yes, ma'am.

23 Q What is the date of that one?

24 A September 6, 1985.

25 Q What does that letter tell you?

1 A This says--I'll read some of it. This will
2 acknowledge receipt of your complaint against Metric
3 Construction Company alleging violations of Energy Reorganiza-
4 tion Act. Your complaint was received in this office on
5 August 19, 1985.

6 Q Which division of the Department of Labor is this?

7 A Wage and Hour.

8 Q Did you know that the company had responded to that
9 complaint?

10 A No, I didn't.

11 Q What is Exhibit No. 9?

12 A This is a letter from Jerry L. Stuckey from the
13 United States Department of Labor in Columbia, South Carolina.

14 Q Who is that addressed to?

15 A It's addressed to Mr. Stuckey.

16 Q Who is it from?

17 A This is from Mr. Burdette.

18 Q This is when Metric was responding to the Department
19 of Labor?

20 A Right.

21 Q Did you receive a decision or determination in your
22 case from the Department of Labor?

23 A Yes, ma'am.

24 Q What is the date of that?

25 A October 25th of 1985.

1 Q Which exhibit number is that?

2 A Ten.

3 Q Without reading the whole letter, just summarize
4 the contents of that letter.

5 A For one thing, it said I have a good work record
6 from the date I was hired. It said we found no evidence to
7 indicate that he was habitually tardy or absent or he was
8 ever insubordinate in any way with regard to his superiors.

9 There was legitimate concern for his safety due to
10 lead shielding being removed and thus, higher levels than
11 normal of radiation being received by anyone going into the
12 containment building.

13 This concern was shared by other fellow employees,
14 as well. As a result, Mr. Blackburn was fired. We found
15 nothing to indicate that company officials made any effort
16 to determine whether there was in fact an immediate safety
17 concern. Instead, Mr. Blackburn was discharged on the spot.

18 Q As you know, the company appealed. Is that right?

19 A Right.

20 Q Did you do everything that you could to press your
21 claim, Mr. Blackburn?

22 A Yes, ma'am. I did.

23 Q Were you doing all this on your own?

24 A A lot of it.

25 Q Did you have the assistance of an attorney at this

1 time?

2 A Not until I hired you to help me in the case.

3 Q When was that? Was it after that decision?

4 A Yes, ma'am.

5 Q Since the time you were terminated, have you attempted
6 to get other employment with CP&L?

7 A No, ma'am. I didn't. Around October, I didn't
8 have any--I'd been fired, so I couldn't draw unemployment and
9 in the meantime, I did contact a company that worked on the
10 same job, called Power Plant Maintenance. This man I knew
11 from a long time ago, Henry Marie, he hired me to go to work
12 for his company. Then, he found out I was blacklisted from
13 CP&L, so I couldn't go on the property.

14 Q Did you have to look for other employment then?

15 A No, ma'am. He sent me to Roxboro, North Carolina and
16 I went on to work with them.

17 Q Since that time, for a period of over a year, have
18 you had to periodically seek other employment?

19 A Yes, ma'am.

20 Q Did you incur travel expenses in seeking that other
21 employment?

22 A A lot.

23 Q Do you have some information on that?

24 A Yes, ma'am. I do.

25 Q What kind of travel expenses have you incurred?

1 A The places I looked for work which was out of town
2 was a maintenance job at Carowinds, a job at Bowater, a job
3 at Charlotte, North Carolina and four trips to Southport,
4 North Carolina.

5 Q Did you keep track of the expenses you had in that
6 travel?

7 A Yes, ma'am. I did.

8 Q What is the total amount of expenses for that travel?

9 A Just in gasoline alone, for those four trips was
10 \$155.00.

11 Q Have you worked at several different places since you
12 worked at Metric?

13 A Yes, ma'am. I have.

14 Q What are the places you worked and how much did you
15 earn?

16 A I worked at Power Plant Maintenance, as I said, and
17 I made \$404.00 from them. After I left there, I went to
18 Daniels Construction Company in Surrey, Virginia, which at
19 that time, I made \$10,335.00. I left there, and went to work
20 at Beecon Construction Company in Southport, North Carolina,
21 which I made \$8800.00. I'm presently working at Daniels
22 Construction Company at Eastover, South Carolina and
23 presently, I've made \$38,030.00, which would be a grand total
24 of \$23,406.00.

25 Q That is the total of what you have earned since you

1 were terminated from CP&L?

2 A Yes, ma'am.

3 Q Have you done some calculations on the amount of
4 money you earned at Metric for when you worked there from
5 March until September?

6 A Yes, ma'am.

7 Q Approximately how much did you earn during that
8 period?

9 A I think it's around \$15,540.00.

10 Q How many weeks did you work there?

11 A At Metric?

12 Q Yes, sir.

13 A I have down here, 66 weeks, I worked.

14 Q How long did you work there?

15 A 24 weeks.

16 Q Did you determine what your average weekly pay was?

17 A Yes, ma'am. It was somewhere around \$647.00, average.

18 Q Did you desire to continue working at Metric?

19 A Yes, ma'am. I did, because it was only 19 miles from
20 home.

21 Q Had you worked at Metric from the time you were
22 terminated until today, based on what you were making before,
23 how much would you have made?

24 A I figure it around \$42,702.00.

25 Q You earlier stated that you had worked at other jobs

1 and earned \$23,000 and some?

2 A Yes, ma'am.

3 Q What is the difference between those two figures?

4 A I have a figure of \$19,296.00.

5 Q On these other jobs you worked, they were not near
6 your home, were they?

7 A No, ma'am. They weren't.

8 Q Did you incur living expenses in maintaining two
9 homes?

10 A Yes, ma'am. I sure did.

11 Q Would you tell the Court about some of the expenses
12 your incurred?

13 A Yes, ma'am. I have here, expenses away from home, in
14 Surrey, Virginia, my motel rent was \$1,176.00. After I
15 finally moved out of the motel, I got a camper lot and the
16 lot rent on it was \$90.00. The electricity I paid was
17 \$39.00. The building permit to put my camper on the lot was
18 \$26.00. Groceries, I figure, was around \$740.00, and other
19 accessories I had to get, to buy to pull my camper were a
20 trailer hitch, which was a Reece's special design hitch, which
21 was \$268.00 and a sway bar which was \$80.00, and my gasoline
22 was \$750.00, and I come up with a total figure of \$3,169.00.

23 Q That was for Surrey, Virginia?

24 A Yes, ma'am.

25 Q Did you work somewhere else, as well?

1 A Yes, ma'am. I left there and I went to Southport,
2 North Carolina. At that time, I stayed with my mother which
3 was only 60 miles from the job, and I paid her a total of
4 \$600.00 rent.

5 Q What other expenses did you have?

6 A Later on, I pulled my camper to a lot, after there
7 was some available lots open down in Southport, and my lot
8 rent was \$320.00. My groceries were \$240.00, phone calls
9 was \$60.00, and my gas was \$1100.00 for the period of the
10 time I was hired through the time I left.

11 Q How far did you have to commute?

12 A For about the first three months, I commuted 60 miles
13 one way.

14 Q Where are you currently working?

15 A I'm working at Eastover, South Carolina.

16 Q You drive from Darlington to Eastover every day?

17 A Yes, ma'am.

18 Q Have you incurred expenses for gasoline?

19 A Yes, ma'am. I figure around \$550.00.

20 Q What is the total of the expenses you have incurred
21 at Surrey, Southport and Eastover?

22 A I figure somewhere around \$6,039.00.

23 Q You also have incurred attorney's fees, have you not?

24 A Yes, ma'am. I have.

25 Q What was the hourly rate we agreed upon?

1 A \$80.00 an hour.

2 MS BURNETTE: Your Honor, I would like to submit an
3 affidavit concerning attorney's fees for myself, and I have
4 a copy for Counsel.

5 JUDGE VONBRAND: Thank you. Did you have any further
6 questions?

7 MS BURNETTE: Yes, Your Honor.

8 Q (by Ms Burnette) Mr. Blackburn, you said that after
9 you were terminated, you applied for another job and found
10 out that you had been blacklisted?

11 A Yes, ma'am.

12 Q You put in another application?

13 A Yes, ma'am. I put in application after application
14 for maintenance jobs and I've had not one call from them. I
15 think personally, it has hurt me as an electrician, being
16 blacklisted around the area that I stay in and the companies
17 I work with, the applications I've sent. I put down that I
18 was terminated or fired by CP&L, or Metric--it was Metric
19 Constructors--and that doesn't look real good when you're
20 trying to get a job.

21 Q You are asking this Court to order the company to
22 remove the blacklisting and clear your record?

23 A Yes, ma'am, I am.

24 Q Are you asking this Court to award you back wages?

25 A Yes, ma'am. I am.

1 Q You are asking this Court to award you attorneys
2 fees and costs?

3 A Yes, ma'am.

4 Q And, damages and compensation, especially expenses
5 incurred in travel for having to find these other jobs?

6 A Yes, I am.

7 Q Why did you feel like you needed to see this through
8 to the end?

9 A Well, the main thing is I did it for my family. It's
10 been a real strain, it's put a real mental strain on my wife
11 and our marriage, being away from home all the time and the
12 amount of money it costs keeping up two households, it's just
13 ruined me.

14 Q Is there anything else you would like to say at
15 this point, Mr. Blackburn?

16 A No, ma'am.

17 MS BURNETTE: Please answer any questions Mr. Burdette
18 or the Judge might have.

19 CROSS EXAMINATION

20 Q (by Mr. Burdette) Mr. Blackburn, did I understand
21 your testimony to be that on September 4th, you were assigned
22 to this work you told us about? In the containment vessel?

23 A Yes, sir.

24 Q You did not report to that assignment because you did
25 not have clothing with you. Is that what you said?

1 A Right.

2 Q Had you had this clothing with you, would you have
3 gone to work that day?

4 A Well, those people that were supposed to go in didn't
5 go in that day anyway, it was like, two or three days later.

6 Q So, nobody worked in there that day?

7 A No, sir.

8 Q You talked about the lead shielding in this area.
9 What lead shielding are you talking about?

10 A Well, just the lead blankets.

11 Q What purpose did those have?

12 A To keep the radiation as low as possible between the
13 and the objects you were working around.

14 Q You went through the CP&L employee training program?

15 A Yes, sir.

16 Q As I recall, you made good grades on those tests you
17 took?

18 A They're real simple tests.

19 Q Do you recall the ALARA section of that test having
20 any implementations of the ALARA program?

21 A Yes, I do.

22 Q What are some of the ways the radiation was
23 controlled?

24 A Time, distance and shielding.

25 Q Those are all inter related. Right?

1 A Right.

2 Q If the shielding was not in place, there were other
3 ways to control the radiation. Is that not correct?

4 A I think so.

5 Q Pardon me?

6 A I think so.

7 Q You think so. Do you recall at the time you were
8 being assigned this work, that as a part of the ALARA
9 program at CP&L, what was the practice at CP&L in terms
10 of controlling employee exposure, as far as crews were
11 concerned, and the rotation of crews in and out of the
12 building? Do you remember?

13 A Well, if one crew was getting too much exposure,
14 they'd rotate them.

15 Q Was that the case for the employees within the crew?

16 A Normally.

17 Q Was that the reason that you were assigned to go in
18 with this crew?

19 A No, it's not. The crew I was working on when I
20 first went there worked outside on the turbine deck and I was
21 doing a modification on the turbine deck and I knew a lot
22 about it. So, the crew I worked in when I first went there,
23 they put those people in the dome. The crew they rotated
24 me with was the crew I ended up with, which I had a lower
25 exposure than they did.

1 Q Getting back to your concerns on September 4th or
2 5th, what kind of radiation protection were you afforded
3 inside that containment vessel? Did you put on protective
4 clothing?

5 A Right. PC's.

6 Q Were there implements or instruments on your
7 clothing to measure the amount of radiation constantly that
8 you were being exposed to?

9 A Right.

10 Q Why don't you describe that for the Judge?

11 A They were thermoluminescent dosimeters, which it was
12 a little clip, and there was a pocket dosimeter, which you
13 checked, yourself.

14 Q Were there Health Physics people inside there, with
15 you?

16 A Occasionally, there were.

17 Q Did you have a patch on your back which indicated
18 the amount of radiation dosage that you could be exposed to?

19 A Right.

20 Q Were you constantly cautioned and instructed to read
21 your dosimeter?

22 A Yes, when you were in a high rad area.

23 Q You had the power at any time, to constantly survey
24 your amount of radiation you were being exposed to?

25 A Right.

1 Q You knew the limit of radiation you could be
2 exposed to?

3 A Right.

4 Q As far as those limits are concerned, in the course
5 that you took, were you advised that the employee limits that
6 CP&L permitted were less than those established by the
7 Nuclear Regulatory Commission?

8 A Right.

9 Q They were less?

10 A Yes, sir.

11 Q Was it not also true that CP&L went below that by
12 using a buffer even on those limits?

13 A Yes, sir.

14 Q Were you provided with an extensive map of the
15 radiation amounts in the work areas to which you were
16 assigned?

17 A There was a room you could go into to check them.
18 That's true.

19 Q Did that map not have the radiation amounts on it?

20 A Which map are you talking about?

21 Q With the radiation work permit?

22 A I never got on the radiation work permit.

23 Q Was there not a radiation work permit issued for the
24 work you were assigned to?

25 A I never got inside to sign one.

1 Q Wasn't that permit available for you to observe or
2 review?

3 A Right.

4 Q Did you do that?

5 A I didn't get inside to see it.

6 Q Did you review the radiation work permit for the
7 job to which you were assigned which you refused to perform?
8 Did you look at that?

9 A I looked at some permits.

10 Q Did you look at the one for the job to which you
11 were assigned?

12 A I was never told which specific one I would be on.
13 There was millions--there was a whole board of work permits
14 on there. The foreman never told me what I was going to do.
15 He told the men on the outside what the job would probably
16 be.

17 Q Is it not true that this workbook makes it mandantory
18 that you do that? When you are assigned to a job, does this
19 book not require you to review that radiation work permit?

20 A That's for yourown personal benefit.

21 Q It is yor yourown safety and for yourown information.
22 It is part of the ALARA program, is it not?

23 A Right, well--

24 Q You are supposed to know where the various radiation
25 levels are in the job area you are working in so you can stay

1 away from them. Is that not true?

2 A Well, that's--

3 Q Time, distance and shielding?

4 A Right.

5 Q That is part of your responsibility?

6 A Right.

7 Q On September 5th, you told them that you were not
8 going to go in and perform the work you had been assigned
9 because of your fear for your safety. Is that correct?

10 A Right.

11 Q What did you do to try to determine whether those
12 fears were justified?

13 A I went up there and looked at some of the surveys
14 in there and I knew that the shielding being taken out would
15 normally--anybody with any common sense would know that it
16 would be higher radiation levels through the whole area in
17 the containment vessel, so I gazed at some of them. I had
18 no idea which one I would be on, but I looked at some of them
19 which we all did.

20 Q Are you saying that Metric was assigning you to a
21 job that was going to require you to expose yourself to
22 radiation doses beyond those that were permitted the CP&L
23 requirements?

24 A No, sir.

25 Q That's not your contention?

1 A No, sir.

2 Q What is your contention? What was your concern?

3 A That they were going to put us the an area. They
4 wanted the job done. They didn't care how it was done. They
5 didn't care how it affected a person radiation-wise. It was
6 detrimental to the plant operation to get it done.

7 Q Who told you that?

8 A Who told me that?

9 Q Where did you get this perception that you just
10 recited?

11 A Well, you could hear it from anybody outside.

12 Q Anybody, you heard it from anybody outside?

13 A The crew, the men.

14 Q Did you try to confirm that with any of the Health
15 Physicis people from CP&L?

16 A No, I didn't.

17 Q Did you talk with Mr. Slatton about that?

18 A No, I didn't. I never saw Mr. Slatton.

19 Q He is the Project Manager. Correct?

20 A As we work out there, we are told to go through a
21 chain of supervision. You don't just jump to the head man.
22 You start from the bottom.

23 Q What violation of safety practices or information
24 and material that you learned in your course you took, what
25 did Metric or CP&L do to make your job unsafe? What is it

1 that you say justified you to say, "I'm not going to do that
2 work," because that is what you did? Correct?

3 A I never said I wouldn't do the work.

4 Q You did say, "I'm not going to perform this job that
5 I have been assigned to do today," did you not?

6 A I never said that.

7 Q I'm sorry. What did you do? What did you say?

8 A I told them I didn't mind performing the job, but
9 without the shielding and other safety precautions, I didn't
10 think it was safe to do it, and I still stand by it.

11 Q The shielding and other safety precautions, all right.
12 Mr. Blackburn, I am going to hand you what has been marked
13 as Respondent's Exhibit No. 12. Could you tell me what this
14 is, please, sir?

15 A Okay. This is an ALARA Concern.

16 Q What are ALARA Concerns and what was this one's
17 purpose?

18 A It was things -- Barry Robinson was the man over
19 ALARA and he would go into the reactor building and survey
20 different areas and tell you, "Be on the look out for
21 contamination or hot spots," certain things like that.

22 Q Did you have weekly meetings, gang box meetings, at
23 which these matters were discussed, which you attended?

24 A Yes, sir.

25 Q That one is for August of 1984. Is there a section

1 on that ALARA Concerns report entitled, Shielding?

2 A Right.

3 Q What does that say?

4 A During the next several weeks, much of the shielding
5 would be coming down out of the CB. All shielding must be
6 down prior to primary Hydro, September 5th. Be aware of
7 dose rate increases in your work area. Do not loiter near
8 areas which used to be shielded, such as RX Drain Tank and
9 the let down line north of the skid bank.

10 Q Is it not true then, that in August of 1984, you
11 knew at these gang box meetings, because of the hydrostatic
12 testing, they were taking the temporary shielding blankets
13 out of there? Is that not what this says?

14 A This was not a gang box meeting of anything I've
15 ever read. Ours mostly said, it would have like, hard hats,
16 safety glasses, safety hazards on the job. This here, I've
17 never seen it.

18 Q Are you telling me that at no time during a gang box
19 meeting was there any mention of a hydrostatic testing
20 program inside the containment vessel and that the temporary
21 blankets would be coming out?

22 A I wasn't told. The only thing I read was the day
23 before I was fired, was that we're taking a lot of shielding
24 out of the reactor building and such.

25 Q Did you know Mr. Barry Robinson?

1 A I didn't know him personally.

2 Q But, he was there, on the job?

3 A Right.

4 Q When you saw the shielding coming out of there, could
5 you have gone and talked to him about it?

6 A Well, I don't think it was any of my business, at
7 that time.

8 Q You did not think it was your business?

9 A I think it was the foreman's business.

10 Q If I heard your answers to your attorney's questions
11 correctly, you said you looked over in a field and saw this
12 laying out there and you got real upset about it. Is that
13 not what you said?

14 A I did say there was a lot of shielding out there, but
15 seeing shielding out there and I'm working on the outside
16 doing a job, it doesn't affect me.

17 Q When they assigned you inside, it is your contention
18 that it did affect you. Right?

19 A That's true.

20 Q But yet, you did not ask anybody?

21 A I didn't ask Barry Robertson. Like I said, we go
22 through a chain of command on the job. That was his business
23 to ask Barry Robertson or any supervisor. I was just a
24 laborer.

25 Q You were an electrician. Correct?

1 A I'm an electrician.

2 Q You are an electrician, and not a laborer?

3 A Right.

4 Q That is a skilled trade, is it not?

5 A That's right.

6 Q You said that the shielding was a problem and that
7 is why you decided that the job was not safe, because the
8 shielding was gone. Then, you made a general statement that
9 also, there were other safety violations. What were those?

10 A Other safety?

11 Q Yes, sir. I asked you to tell me why you refused
12 to perform the work that was assigned to you on September
13 fifth. You said the shielding was gone, and other concerns,
14 other safety problems?

15 A Well, poor housekeeping was another thing.

16 Q Poor housekeeping?

17 A Right. If you never went inside, it would be hard
18 for you to know. It was dangerous, really dangerous, I think.

19 Q Did you talk to anyone about the poor housekeeping
20 dangers?

21 A We always brought it up there in the safety meetings,
22 anything we encountered--an open hole inside the floor, or
23 water standing--we always told our supervisor and it was up
24 to him to carry it out from there.

25 Q These concerns had nothing to do with radiation

1 exposure. Right?

2 A Well--

3 Q The radiation exposure problem was the shielding?

4 A Right.

5 Q What does ALARA stand for?

6 A As Low As Reasonably Achievable.

7 Q Is it not true that there are three things that
8 affect exposure?

9 A Right.

10 Q What are they, again, please?

11 A Time, distance and shielding.

12 Q So, if the shielding is not there, there are other
13 ways to control the exposure. Is that not true?

14 A Well, maybe.

15 Q Mr. Blackburn, if you had reported for work that day,
16 you had methods for determining the amount of radiation
17 dosage that you were exposed to, is that not correct?

18 A Right.

19 Q Was there any requirement or instruction by anyone
20 that you were to exceed those limits?

21 A No, nobody told us that.

22 Q I think you said Metric fired you or terminated you
23 on September 5th. Is that correct?

24 A Right, that's correct.

25 Q At 10:00 in the morning on September 5th?

1 A Right.

2 Q On September 12th, then, you telephoned the Nuclear
3 Regulatory Commission and made some complaint to them. Is
4 that Correct?

5 A Yes, I did.

6 Q Why did you wait a week to do that?

7 A Why did I wait a week? I didn't know which way to
8 turn. I wanted to let somebody know. As I was Shuffled off
9 the job, I didn't have a chance to talk to the NRC official
10 on the job. So, later on, I thought about calling the
11 Nuclear Regulatory Commission, but that was a last thought.
12 I was going to use that as the last thing to do.

13 Q What were some of the first things to do?

14 A Well, see, I'm not a person to stir up trouble. I
15 only do things that I think are right.

16 Q Would it have been right to talk to CP&L or Metric
17 about this?

18 A Well, I couldn't get back on the job.

19 Q Before you left the job, would it have been right
20 then?

21 A I told you before, I was hustled off that job so fast
22 it was like I had committed a crime, really. I had no time
23 to talk to anybody.

24 Q Did you telephone after that?

25 A I tried calling. I went to the Safety Proctor's

1 Assistant. She called. I read my pink slip. It said,

2 "Not to be rehired by CP&L on this project," and I told her

3 I would like to talk with the SAfety Proctor, and his name

4 was Rick Lhemus, and I told him, what was the deal on this

5 not being able to come back, and he said, "Boy, can't you

6 understand? You're being fired." He said, "You're fired

7 for insubordination and can't be hired on the job again."

8 He was very arrogant to me.

9 Q He was a CP&L proctor?

10 A No, sir. He was a Metric.

11 Q Mr. Blackburn, are you familiar with the NRC Form

12 Three, Notice to Employees?

13 A Right off the top of my head, I'm not. I might be.

14 Q Let me show you a copy of it. This is Respondent's

15 Exhibit No. 1, page 76, what does it say on page 76 of this

16 NRC Form Three?

17 A CP&L is required to post Form NRC Three in the plant

18 where people work in or use any portion of the restricted

19 area. It shows a map with the NRC offices, their addresses

20 and telephone numbers. Here are some places where NRC Form

21 Three are posted, the bulletin board at the back badge rack

22 area.

23 Q Did you ever go near that bulletin board in the badge

24 rack area? Did you have a badge?

25 A Yes, I did.

1 Q Where else?

2 A On the bulletin board where hard hats are stored.

3 Q Did you have a hard hat?

4 A Oh, yes.

5 Q You would have gone near that?

6 A I carried my hard hat home with me.

7 Q Where else?

8 A Bulletin board in hallway just outside auxiliary
9 building.

10 Q Would you have gone down that hallway?

11 A Occasionally.

12 Q Where else?

13 A On bulletin boards in Administrative Building.

14 Q Now, would you turn the page? Notice to Employees,
15 does that form look familiar to you?

16 A I've seen that.

17 Q Doesn't that form tell you where there are a number
18 of offices of the NRC with telephone numbers?

19 A Right.

20 Q Would you read to me from that where it says Employee
21 Protection?

22 A Okay. It says, if an employee believes that
23 discrimination has occurred, due to engaging in protected
24 activity, said employee may, within 30 days of discriminatory
25 act, file a complaint with the Department of Labor, Employment

1 Standards Administrative, Wage and Hour Division. The
2 Department of Labor shall conduct an investigation where
3 discrimination has occurred, issue an order providing
4 relief for the employee. If relief is not provided by other
5 means, a settlement.

6 Q That says the Department of Labor, Wage and Hour
7 Division. Did you do that?

8 A Wage and Hour?

9 Q United States Department of Labor, Wage and Hour
10 Division?

11 A Right.

12 Q I thought you responded to your Counsel that you
13 went to the State Of South Carolina Department of Labor?

14 A Yes, the Department of Labor. It says Department
15 of Labor. It doesn't say which one I had to see.

16 Q It says Department of Labor, Wage and Hour Division.

17 A Well, they're all tied together. I put my trust
18 in the Department of Labor and where it's determined from
19 there, I have no control over. I filed it within my legal
20 time. I have papers and documents to justify it, too.

21 Q I am going to show you your Exhibit No. 3. What
22 does this carbon copy show?

23 A US Department of Labor, OSHA

24 Q Did you see that?

25 A Yes, I see it.

1 Q That is not the wage and hour division, is it? When
2 you saw that, didn't it ring any bells for you or cause you
3 any concern?

4 A No, it didn't.

5 Q I am going to hand you the letter from James Rowe,
6 your Exhibit No. 8--I'm sorry. It is the letter from the
7 US Department of Labor, October 11, 1984, Exhibit No. 5, what
8 does that say?

9 A It says US Department of Labor, OSHA.

10 Q Did you see that?

11 A Yes, I saw it.

12 Q That was no problem?

13 A No, it wasn't.

14 Q Mr. Blackburn, you mentioned that you were working
15 outside. What did your work consist of?

16 A We done temporary power on the plant, lighting,
17 telephone communication.

18 Q The work you were assigned to do on September 5th,
19 how would you classify that work in terms of the working
20 conditions, other than with radiation?

21 A Simple. The job would have probably been simple.

22 Q Is it hot in there?

23 A They had air condition units in there, sure, but
24 you're still pouring sweat. You're still hot.

25 Q You had to wear this clothing?

1 A Right, yes, sir.

2 Q Did that have anything to do with your decision?

3 A OH, no. That clothing is something you got used to.

4 Q When you compare that work to the work outside, would
5 you say that the work in that vessel or containment structure
6 that you were supposed to perform on September 5th, would
7 that be less pleasant work than working outside as an
8 electrician?

9 A If you'll remember July was just as hot as August and
10 September to me on the inside, as I remember it.

11 Q So, that did not have anything to do with it?

12 A No, sir.

13 Q It was the shielding?

14 A Right, the whole ball game, the shielding.

15 Q Is it your testimony that you told Mr. Young about
16 this? You explained to Mr. Young your concerns?

17 A I did. I did tell him my concerns for the job. It
18 was his concern and he didn't really want me to go in there
19 to start with, but it was a job that had to be done and
20 somebody had to do it.

21 Q You mentioned that the NRC ordered radiation dosage
22 limits?

23 A Right.

24 Q They saw that the limits were less than that. CP&L
25 had limits less than that and then, there was a buffer that

1 CP&L uses?

2 A Right.

3 Q On September 5th, what radiation dosage had you
4 accumulated for that quarter?

5 A I don't think I had any for that quarter. I worked
6 in different parts around the reactor building, which you're
7 going to pick up small amounts of radiation dosage.

8 Q I think you mentioned that 1250 millirems was the
9 NRC limit?

10 A Right, as I remember it.

11 Q So theoretically then, it is true that you could
12 have safely been exposed to radiation dosage for the balance
13 of that quarter to up to 1250 millirems?

14 A True.

15 Q That is what you learned in that course. Right?

16 A True, right.

17 Q Is it your contention that your work on September
18 5, 1984, in that containment vessel without the shielding
19 would have exposed you to that much or more?

20 A No, it's not. It wouldn't have, because I would
21 never have gone in there.

22 Q Tell me again why the job to which you were assigned
23 which you refused to performed was unsafe. What was
24 unsafe about it?

25 A I think the main thing was the principle behind it.

1 That was number one.

2 Q What principle is that?

3 A Well, CP&L or Metric didn't recognize my side of the
4 safety. They saw their side of the safety and that was all.

5 Q Their side of the safety and NRC's side of the safety
6 was that when you accepted this employment to work in a
7 radiation or nuclear facility, you would be exposed to some
8 radiation. Is that not correct?

9 A That's true.

10 Q They established limits to that radiation that are
11 determined to be safe limits. Isn't that right?

12 A I would say so, safe limits.

13 Q You have indicated that you would not have been
14 exposed to anywhere near those safe limits. Is that correct?

15 A Right.

16 Q But, you determined yourself, that it was not safe.
17 Is that right?

18 A Well, as I told you, by reading the surveys, just
19 taking a visual look around the room at the surveys and
20 talking with people that had been in there and come out that
21 knew exactly what was going on in there. I mean, you can't
22 sit outside and--

23 Q Well, let me ask you this: Did you decide on
24 September 5th that being exposed to any radiation was some-
25 thing you just did not want to do?

1 A No, sir. It wasn't.

2 Q What limit of radiation would you have accepted on
3 that day?

4 A I wouldn't have complained about any. If I would
5 have went in there and picked up a nice dose, I wouldn't
6 have complained, as long as it would have been safe, as long
7 as I know I would have gotten the least amount I could have
8 got.

9 Q Where does it establish what would have been unsafe?

10 A Well, if you look in that book, it says acute. What
11 we were going to do would have been an acute dose of radiation.
12 You would have got a large amount in a real fast time, which
13 is not good for you by any means. I know--I have taken
14 acute amounts in other jobs.

15 Q But, not the Metric job?

16 A Not the Metric job.

17 Q Before Metric?

18 A No.

19 Q After Metric?

20 A Right.

21 Q Have you worked in radiation facilities after Metric?

22 A I have. I wasn't scared of it. There was no need
23 to be scared of it.

24 Q Can you tell me where you would have been subjected
25 to those acute amounts of radiation?

1 A Surrey, Virginia

2 Q I mean on this job on September 5th.

3 A Any locked high radiation area in that facility.

4 MR. BURDETTE: No further questions.

5 JUDGE VONBRAND: Redirect?

6 REDIRECT EXAMINATION

7 Q (by Ms Burnette) I believe when Counsel for the
8 Respondent asked you a series of questions, you responded
9 that you would have gone in and accepted what was necessary.

10 Is that right?

11 A Right.

12 Q Is this related to your ALARA training?

13 A Right.

14 Q That is as low as reasonably necessary. Did you feel
15 that the shielding could have prevented you from receiving
16 a certain amount of radiation?

17 A It could have prevented anybody, not just me, but
18 anybody.

19 Q Was it your feeling that it was not necessary at
20 that time to take that much radiation, if the shielding had
21 been up?

22 A Right.

23 Q That was your concern?

24 A Yes. It's true.

25 Q Did you believe that it was going to be unsafe that

1 day to work in that area?

2 A Right.

3 MS BURNETTE: Thank you.

4 JUDGE VONBRAND: Recross?

5 MR. BURDETTE: None.

6 JUDGE VONBRAND: You are excused.

7 (The witness was excused).

8 JUDGE VONBRAND: Off the record.

9 (A brief discussion was held).

10 JUDGE VONBRAND: On the record. Claimant has offered
11 the affidavit of his Counsel concerning attorney fees, as
12 Claimant's Exhibit No. 11. I understand that there is no
13 objection. This document is received.

14 (The document above-referred to, was marked
15 for identification as Claimant's Exhibit
no. 11, and received).

16 JUDGE VONBRAND: Mr. Burdette, you may proceed.

17 MR. BURDETTE: The company calls Mr. Floyd Slatton.

18 Whereupon,

19 FLOYD SLATTON

20 was called as a witness by and on behalf of Counsel for the
21 Respondent and, after having first been duly sworn, was
22 examined and testified as follows:

23 DIRECT EXAMINATION

24 Q (by Mr. Burdette) Please state your full name.

25 A Floyd Slatton.

1 Q What is your address, sir?

2 A 114 Florida Drive, Darlington, South Carolina.

3 Q By whom are you employed?

4 A Metric Constructors, Inc.

5 Q In what capacity?

6 A I'm the Project Manager at the H.P. Robinson Plant
7 at Hartsville, South Carolina.

8 Q How long have you been employed in that capacity?

9 A Since June of '84.

10 Q Are you presently employed there?

11 A Yes, I am.

12 Q As Project Manager?

13 A Yes, sir.

14 Q Can you explain the relationship between Metric and
15 Carolina Power and Light at the H.P. Robinson Plant?

16 A Yes, sir. We are an independent contractor hired to
17 do service work for CP&L at Robinson. In our contract, we
18 have to follow all regulations, procedures and rules of
19 CP&L at the plant while we are doing the work for them.

20 Q What kind of work does Metric do for CP&L at the
21 Robinson Plant?

22 A Well, all phases of construction work. We have
23 electrical, mechanical and civil work, to replace three steam
24 generators, electrical mod work, piping and now, since that
25 steam generator is replaced, we're doing mod work. We're

1 doing civil support for this mod work, as of now.

2 Q You mentioned that Metric is obligated to comply
3 with CP&L's various plant practices. Is there any requirement
4 or practice with regard to the employment of personnel by
5 Metric?

6 A Yes, there is. We have very stringent requirements
7 for the employees. We have to do a background search on them,
8 a five year criminal credit. It's required by the NRC and
9 CP&L also has their own procedure for nonlicensee personnel
10 at their working nuclear plants.

11 Q What is Metric's attitude toward the personnel once
12 they have gone through all this? Are they deemed highly
13 expendable?

14 A No, on the contrary. I have a rough time getting
15 people because I have a lot of people who can pass the
16 requirements to work at this plant.

17 Q What is the practice with respect to the ALARA
18 program in assigning personnel to work crews?

19 A I have so many people. I can get so many people in
20 at one time to work, so I have to rotate the people so that
21 I don't--the terminology is--burn them out, so I can get the
22 work done that I have to do, for CP&L. I have to rotate
23 these people so that they do not pick up too much radiation,
24 which by law can only be so much. So, we rotate these
25 people so that they do not pick up more than the dose they

1 are allowed to pick up.

2 Q If an employee gets out of balance in terms of
3 radiation exposure in a crew, do you rotate him out and bring
4 in somebody else with less radiation exposure?

5 A Yes, we do.

6 Q Do you try to keep the people in the crews balanced?

7 A Yes, sir. We do. I get a computer read out every
8 day of all our employees, so that I know where they're at in
9 relation to the amount of dose they have, so that I can keep
10 the crews functioning to get the work done on a timely basis.

11 Q Why don't you tell us a little bit about what the
12 instructions are with regard to Metric's practices on the
13 job in terms of employees' safety or complaints of hazardous
14 working conditions?

15 A We tell the people when they come in, and they're
16 taught in the school, too, that they're responsible for their
17 safety. Each person who is employed by Metric is a Safety
18 Person as far as Metric is concerned. We stress this all
19 the time, that they're the main person responsible for their
20 safety. We have our superintendents and we ask them to go
21 through the chain of command.

22 If a person tells his foreman and doesn't get any
23 action, he has a right to go to his superintendent and if
24 the superintendent doesn't do anything about it, then, my
25 door is always open. They can come in and see me.

1 Q Did Mr. Blackburn talk to you about this safety
2 concern?

3 A No, he didn't.

4 Q Did other employees in August and September of 1984
5 complain about safety concerns?

6 A I can't say it was August or September, but we did
7 have quite a few people that came in and talked to us about
8 safety concerns, radiation, and also the other safety factors.
9 We have had several people who have had safety concerns and
10 we have addressed those as they have come up.

11 Q On September 5, 1984, the date that Mr. Blackburn
12 was terminated, were there other employees on that date who
13 were terminated because of work assignments?

14 A No, there were not.

15 Q Mr. Blackburn testified that he had been blacklisted.
16 Did Metric blacklist Mr. Blackburn?

17 A I think on his termination report, we said that he
18 couldn't be rehired at this site.

19 Q Why did you put that on there?

20 A Well, I would not bring a man back to this site that
21 refused to go inside. As he said, he refused to go in there
22 and he refused a job assignment. I just would not bring him
23 back on the same job.

24 Q Why was Mr. Blackburn terminated?

25 A He refused a job assignment.

1 Q Was Mr. Blackburn's termination because of any fear
2 that Metric had that he would report Metric to the NRC or
3 some other regulatory agency?

4 A None, whatsoever. That wasn't the reason I
5 terminated him. He was terminated. I'm the final arbitor.
6 I signed it and he was terminated for refusing a job
7 assignment he was assigned to do.

8 Q Would that have been true of any other employee?

9 A Yes, sir.

10 MR. BURDETTE: I have no other questions.

11 JUDGE VONBRAND: Cross Examine.

12 CROSS EXAMINATION

13 Q (by Ms Burnette) Mr. Slatton, how many times have
14 you talked to Mr. Blackburn?

15 A Very few times.

16 Q Did you talk to him at all on September fourth?

17 A No, I did not.

18 Q Did you talk to him at all on September fifth?

19 A Not that I can remember, either day.

20 Q You were not there when he brought his concerns to
21 Bobby Young, were you?

22 A I was on the jobsite, yes, ma'am.

23 Q Did you hear him tel anything to Bobby Young?

24 A No, ma'am.

25 Q You did not hear that conversation?

1 A No, ma'am.

2 Q Did you ever meet with Mr. Blackburn that day?

3 A No, ma'am. I didn't.

4 Q He did not actually have a chance to give you his
5 reasons, did he?

6 A I didn't talk to him that day for whatever reasons.
7 I don't know what the reason was.

8 Q You were just relying on what somebody told you he
9 wanted or he said. Is that correct?

10 A Yes, ma'am.

11 Q You stated that you have an open door policy, but
12 that the employee should first go to the foreman, and then,
13 up the chain of command. If he does not get results from
14 the foreman, he can go to the superintendent and then, to
15 you. Correct?

16 A Yes, ma'am.

17 Q Mr. Blackburn came to work about 8:30 that morning?

18 A I don't know.

19 Q He reported to work at 8:30 and he was told at about
20 9:00 or 9:15 that he was going to be fired?

21 A Well, we start at 7:00. The reason I said I don't
22 know is because our shift starts at 7:00.

23 Q Assuming he was there on this particular assignment
24 at 8:30, then was told at 9:00 he was going to be fired, he
25 didn't have much time to take his concerns up the ladder,

1 did he? If he wanted to go to the superintendent or you?

2 A I don't understand the question.

3 Q He did not have much time to go up the chain of
4 command in a half an hour, did he?

5 A Yes, he was talking to his foreman, wasn't he?

6 Q You heard his testimony that his foreman was going
7 to let him think about it until 9:00 and then, his foreman
8 was going to talk to him again, so he was expecting to talk
9 to his foreman again, wasn't he?

10 A I'm not sure I follow.

11 Q You heard his testimony, did you not?

12 A Yes, ma'am.

13 Q At the 9:00 break, his foreman was going to talk to
14 him again . Bobby Young was going to talk to him again and
15 find out whether he wanted to go and do this job?

16 A I understood him to say that Bobby told him he
17 would like to know at break time what his decision was,
18 yes, ma'am.

19 Q Break was at 9:00?

20 A Yes ma'am.

21 Q To your knowledge, did Bobby Young or you try to
22 check out any of Mr. Blackburn's concerns by going to the
23 figures or to the maps or anything between 8:30 and 9:00,
24 before he was told he was fired?

25 A When I got his termination slip would have been

1 probably right when he was terminated and there was nothing
2 said by anybody about a safety concern on this incident.

3 Q You do not know whether he brought that up or not,
4 do you?

5 A That's right. Personally, I do not know.

6 Q It could have brought it up with Bobby Young?

7 A Yes, ma'am.

8 Q You were not there?

9 A No, ma'am.

10 MS BURNETTE: No further questions.

11 JUDGE VONBRAND: Redirect?

12 REDIRECT EXAMINATION

13 Q (by Mr. Burdette) Mr. Blackburn in conjunction with
14 the contention about blacklisting, also said that he could
15 not go to the NRC Office on September 5th because they took
16 his clearances away from him. Is that true?

17 A No, because the NRC Office is not inside where you
18 need a clearance to get to it. Any person in this room could
19 go up there right now and walk into the NRC's office. He
20 could go through--if he lived in that area, he could go up
21 to the guard shack and say, "I would like to see the Resident
22 NRC Inspector on this job," and they would take him right
23 into the office.

24 Q There is a Resident NRC Inspector there?

25 A Yes, sir.

1 Q Anybody can go and see him?

2 A Yes, sir. Anybody can see him at any time.

3 Q So, rather than calling him on September 12th, he
4 could have walked right in the office?

5 A Yes, sir. Even after he had been terminated from
6 the site.

7 Q It requires no clearances to go into that office?

8 A Well, yes, you would have to go to the guard shack
9 and tell them that you wanted to see the NRC Inspector
10 and you would be allowed to see the Inspector.

11 Q Metric could not take away his right to do that?

12 A No, sir.

13 Q CP&L Could not take away his right to do that?

14 A CP&L would not. No, sir.

15 Q Mr. Slatton, do you view employee health and safety
16 as a very important concern of yours?

17 A It is one of our most important things that we look
18 at. It's one of our most important things. We have a
19 safety program second to none. I have a safety inspector
20 on the job at all times. That's a prerequisite on most of
21 our jobs. We have a man who is in the field at all times.
22 We have safety programs. We have safety contests. We have
23 one going on right now. It's one of our most important
24 aspects of our job.

25 Q Has Metric ever been cited, during your period of

1 time in your job, by the Nuclear Regulatory Commission or
2 anyone else for violations of employee safety?

3 A No, sir. Not that I know of.

4 MR. BURDETTE: Thank you.

5 JUDGE VONBRAND: Recross?

6 RECROSS EXAMINATION

7 Q (by Ms Burnette) Mr. Slatton, is it not true that
8 Mr. Blackburn had to have security clearance for most
9 everywhere he went while he was one his job?

10 A No, just in the vital areas, just in the protected
11 areas.

12 Q Did he not work in that area a good bit of the time?

13 A Yes, ma'am.

14 Q Do you think he could have had a reasonable belief
15 that he needed security clearance in order to see the NRC
16 representative? Would it be unreasonable to assume that?

17 A I think that would be an assumption on my part.
18 I can't answer that. I don't know. All of our training and
19 all of the NRC rules are such that people have rights and
20 they are apprised of these rights and there's no way that
21 we can, under penalties of law, stop them from seeing the
22 NRC Resident or any safety. We have an open door clear to
23 our President on safety. If he or she doesn't get satisfac-
24 tion, the employee can go clear to, can call our President
25 and the President would be down there that day.

1 Q He did go to the NRC later. You heard that from
2 his testimony?

3 A Yes, ma'am. He said he did.

4 Q When you fire an employee or terminate an employee,
5 do you expect them to leave the premises immediately?

6 A Yes, unless he wants to see somebody like that,
7 unless he wants to see me. If he wants to see me, they can
8 come see me before they're terminated.

9 Q Generally, you are ready to get them off the
10 property, are you not?

11 A Yes, yes.

12 MS DURNETTE: Thank you.

13 JUDGE VONBRAND: If there is nothing further, you
14 are excused.

15 (The witness was excused).

16 JUDGE VONBRAND: Do you have another witness, Mr.
17 Burdette?

18 MR. BURDETTE: Yes, Your Honor. Mr. Bruce Meyer.
19 Whereupon,

20 BRUCE MEYER

21 was called as a witness by and on behalf of Counsel for the
22 Respondent and, after having first been duly sworn, was
23 examined and testified as follows:

24 DIRECT EXAMINATION

25 Q (by Mr. Burdette) Please state your name.

1 A Bruce Meyer.

2 Q Where do you live?

3 A My residence is in Cary, North Carolina. I am a
4 Health Physicist for Carolina Power and Light. Health
5 Physicist is a fancy term for basically, a specialized
6 industrial engineer or specialist, primarily dealing with
7 radiation and radiation protection matters.

8 Q What is your official title with Carolina Power and
9 Light?

10 A I'm the principle Health Physics specialist. I'm
11 responsible for supervising the health physics support unit
12 in the corporate offices.

13 Q What is your educational background?

14 A I have a bachelor of science degree in nuclear
15 engineering from Purdue University with a minor in Health
16 Physics. I graduated in '77.

17 Q Since 1977, what kind of employment have you had?

18 A Primarily in the nuclear power industry. I worked for
19 Commonwealth Edison in the northern third of Illinois for
20 three years. Two of those years were at a nuclear power
21 plant, design nuclear generating station. After that, I
22 worked for about a year and a half for the State of Illinois,
23 the Department of Nuclear Safety, as an Inspector for the
24 state in nuclear matters. For the last four and a half
25 years, I have worked for Carolina Power and Light as a

1 Health Physicist in radiation protection.

2 Q Chronologically, in September of 1984, what
3 responsibility or what involvement did you have with the
4 H.P. Robinson Plant in regard to radiation safety?

5 A I'm going to back up for a moment, if I may. Prior
6 to that time, working in the corporate Health Physics
7 support unit, my responsibilities were for the licensing for
8 the up coming steam generator repair project, the planning,
9 the coordinating, the radiation protection program, how many
10 people would be involved to provide health physics support,
11 what type of ALARA measures, if you will, shielding, planning,
12 special tools, deconning and what have you that could be
13 used to minimize the radiation exposure during the steam
14 generator repair project.

15 I did that activity for approximately a year and a
16 half. I actually worked on a submittal to the NRC called
17 the Steam Generator Repair Report, where we in depth, went
18 through exactly what we were going to do, how we were going
19 to do it and what measures we were going to take to minimize
20 the exposure.

21 I spent time at two other utilities to observe this
22 major modification that they had performed, prior to CP&L,
23 the steam generator replacement project.

24 Six months prior to the actual outage, I was transferred
25 to the Robinson Plant, and spent the next six or seven months

1 preparing for the actual outage, receiving equipment,
2 writing procedures, ordering shielding and what have you.
3 When the outage started, I was one of two radiation control
4 supervisors at the site.

5 My primary responsibilities were job coverage, that
6 is providing health physics technician coverage of workers
7 in high radiation and locked high radiation areas, conducting
8 and making sure that the routine surveillance of radiation in
9 contamination areas was conducted according to procedure and
10 according to the regulations, doing special surveys during
11 high radiation jobs, areas that have higher radiation jobs
12 in them.

13 All areas are categorized by the different levels of
14 radiation and contamination and the higher the level, it
15 requires special permits, special needs, special preparation.

16 Also, preparing the radiation work permits, which is
17 the permit that conveys the information that we receive in
18 our routine and special surveillance to the worker. It states
19 the radiation levels and it also states protective clothing
20 requirements.

21 Q The radiation work permit is a survey of the radiation
22 exposure which may exist in the work environment. Would you
23 explain that?

24 A Okay, a radiation work permit is required for all
25 individuals to enter a radiation control area. At Robinson,

1 the radiation control area is an area where all the
2 radioactive material for the most part, is contained or
3 encompassed.

4 Q Is that the area Mr. Blackburn was assigned to work
5 in on September 5th? The containment building is a radiation
6 area?

7 A Yes, it is. It is actually posted as a locked high
8 radiation area. That means you have positive access control
9 because of the higher levels of radiation in that building.

10 I was saying about the RWP, all entries into the
11 radiation control area require an RWP and it is a matter of
12 not only a good radiation protection package, but is it
13 also required by the insurance company. It is something that
14 you need to tell the worker because they are ultimately
15 responsible for their own radiation exposure, safety and what
16 have you.

17 You need to convey what the radiation levels are and
18 what the protective clothing requirements are in the jobsite
19 they are going to be working in.

20 Q I am going to show you what has been marked as
21 Respondent's Exhibit No. 4, and I wonder if you could tell
22 me if that is what you are talking about?

23 A This is a routine surveillance report of the containment
24 vessel, or reactor building, or the dome. All three of those
25 are synonymous. They all mean the same thing.

1 JUDGE VONBRAND: What is the dome? I think that is
2 the site we are concerned about.

3 THE WITNESS: Right, the dome, the reactor building
4 and the containment structure are all the same structure. It
5 is what most people recognize when they say, "There is a
6 nuclear power plant." It is a large concrete and steel
7 structure that contains most of the radioactive material, the
8 contaminated systems and the nuclear systems, for the most
9 part. It is designed primarily for during operations, to
10 provide fueling to the outside world and during postulated
11 emergency conditions, to contain whatever release of
12 radioactive materials from the pipes or what have you. So,
13 it is the largest structure on the site, for the most part.

14 Q (by Mr. Burdette) Are the radiation levels within
15 that structure measured?

16 A Daily, we do a surveillance when we're actually working
17 in the Containment, during outages, of every floor and most
18 of the cubicles within the containment vessel.

19 Q What is the purpose of that?

20 A Well, there are two purposes. It tells us, the Health
21 Physicists, the Specialists, it categorizes the room or what
22 have you, tells you what the contamination levels are, it
23 tells you what the radiation levels are, and based on that,
24 you prescribe the proper dosimetry, the proper protective
25 clothing and the proper job coverage. Job coverage is when

1 you send a trained technician to go along with the work crew
2 or the individuals to assist them in performing their work.

3 Q For the workers' safety?

4 A Yes, sir.

5 Q On September 5, 1984, was there a detailed survey and
6 measurement made on the area in which Mr. Blackburn was
7 assigned to work?

8 A Yes, there was. The whole containment structure was
9 surveyed, like I said, daily during this evolution of the
10 outage. From February through December, I think, we did a
11 daily survey of the containment structure to identify areas
12 that might have changed, due to turning on pumps or what have
13 you, to determine the activity.

14 This survey record was then, reviewed by the foreman,
15 the first line supervisor, for trends in radiation exposure
16 and to help fill out the radiation work permit.

17 It was also reviewed by myself, with the other RC
18 supervisor, and then, it was posted with the other radiation
19 work permits right outside the entrance to the radiation
20 control area.

21 Q Can you explain the shielding and how it was involved
22 with regard to the work being performed on September 5th, with
23 regard to the hydrostats?

24 A Shielding is just one of the many tools that is used to
25 reduce peoples' exposures. What we use is what Mr. Blackburn

1 and others have already referred to as ALARA. That is a
2 state of mind, or philosophy. Any ALARA decisions that are
3 made, there is a cost benefit that you have to make in your
4 mind, more or less. It's a subjective type decision a lot
5 of times. You have to minimize the exposure to do useful
6 work. Ultimately, you could have no exposure, but then, you
7 would have no work and that is not ALARA. You have to get
8 something done productive, produce electricity, which is what
9 we are ultimately after.

10 To do that, you are going to have to expend some
11 exposure. You minimize that and you use the philosophy of
12 ALARA. It is very subjective as to what is reasonably
13 achievable.

14 But, to address your question about shielding,
15 shielding is just one aspect of that. The shielding that
16 we're talking about with this issue should be called
17 portable shielding. It is a lead blanket, the consistency
18 of steel wool, but it made out of lead. It is stuffed into
19 plastic bags, more or less, and sewed up and it is hung on
20 pipes and it is hung on structures in front of pipes or
21 whatever the source is of the radiation or radioactive
22 material.

23 There are no federal regulations that require any
24 shielding to be in place, portable shielding. There is only
25 one paragraph that addresses ALARA in the Federal Regulations

1 when it comes to occupational exposure. This shielding that
2 was used, was used throughout Containment, and some of the
3 shielding had to be removed to safely operate these systems.

4 The shielding that was placed on the valves, the
5 pumps and the lines had to be removed prior to doing the
6 testing.

7 The shielding in itself, does not reduce your
8 exposure. Exposure rates in themselves are not a hazard.
9 It's the dose you receive while doing your work and we have
10 a very sophisticated, very elaborate systems set up to meet
11 the already stringent federal limits. So, shielding in
12 itself or the lack of shielding in itself, is not going to
13 necessarily minimize your dose.

14 Q Without shielding, time becomes important?

15 A Well, there's time and also, distance. You would use
16 the distance by either using special tools, and time is a
17 very critical aspect.

18 If I have to get a job done, as an example, and that
19 job takes two hours to do. I may allow a worker to go in and
20 work the whole two hours and pick up "x" dose."

21 Whereas, if I don't shield, I may have to send in two
22 workers to work half the time and they will actually end up
23 picking up X, plus dose because there's always an
24 unproductive amount of dose associated with doing a job, just
25 walking to the job and walking away from the job. If only one

1 person has to do that, it's obviously less dose than if two
2 people have to do that. So, the point here, is that
3 shielding is not the only ALARA tool we have and that we use
4 on the jobsite.

5 Q Had any of the permanent radiation shielding been
6 removed from the dome?

7 A No, it hadn't.

8 Q Only the blankets?

9 A Just the portable shielding which is something that
10 sometimes we use shielding and sometimes, we don't. It's
11 just the nature of the job and what the total exposure is
12 expected to be for the job. Some jobs, it takes twice as
13 much exposure just to put the shielding in place, than it
14 does the job. So, obviously then it is not productive or
15 ALARA to put the shielding in place.

16 The shielding is heavy and at some places, you don't
17 have a crane or mechanical equipment you can use to put it
18 into place. So, in that situation, you would opt to use
19 other means and limit the time, use special tools, use robots
20 or what have you.

21 Q Mr. Blackburn testified that his safety concerns
22 centered around the removal of the shielding. Did the
23 removal of the temporary shielding from the dome make the
24 job unsafe?

25 A No, it did not.

1 Q Did it expose the workers in that dome to greater
2 than normal radiation doses, as Mr. Blackburn testified?

3 A Well, here again, normal is relative--relative to what?
4 It turns out that at this stage of the outage, we had been
5 shut down since January. The radiation in the pipes or what
6 have you had decayed for the last seven or eight months.

7 Even without the shielding, it depends on what you
8 call normal. Normally, we don't put in portable shielding,
9 but we were going to be in there for a year or so, and that's
10 what we did.

11 Normal in this case depends on what you call normal.
12 Yes, the radiation levels if you took the shielding away would
13 typically be higher.

14 Let's say they went in general areas from two
15 millirem per hour to four millirem per hour, but that just
16 depends, like I said, on what you would call normal.

17 Q Let me ask you some questions about dosage and
18 radiation exposure. What does the Nuclear Regulatory
19 Commission provide in terms of standards for employee safety?

20 A Okay, on this job and for these crews of electrical
21 people, the dose limit would have been 1200 millirem per
22 year and 300 millirem per quarter. A quarter is more or less
23 a calendar quarter. It may vary one or two days, depending
24 on how the month ends and how your badge ends. The CP&L
25 limits for the crews Mr. Blackburn was working on were 5000

1 a year and in this case, I believe it was 2000 a quarter.

2 Q So, less than half the NRC limit per year?

3 A Yes.

4 Q And, about two thirds the amount per quarter?

5 A That's correct. And, it turns out that we, at
6 Robinson, had a goal to maintain doses to 4000 millirem a
7 year and we achieved that goal, and that was a very notable
8 accomplishment.

9 Q That was one third of what the NRC provides as a safe
10 level?

11 A That's correct. For the whole year, no worker got
12 above 4000.

13 Q That would apply to Mr. Blackburn?

14 A Yes, it would have.

15 Q The quarterly limits would have applied to Mr.
16 Blackburn?

17 A Yes, they did.

18 Q Those are two thirds of the NRC amounts. Right?

19 A Right. He was approved to 2000, and then we buffer
20 it another 80 percent-- to 1600, so he was technically
21 approved to go to 1600 millirem for that quarter. For that
22 quarter, as of September fourth, his dose was 866 millirem.

23 Q And these are the NRC's safe limits?

24 A Well, the way these limits are, the federal limits in
25 themselves are safe. The limits are based, after the last 50

1 years of study, primarily from the atom bomb blasts in
2 Japan and the observable effects, you observe those effects
3 and the federal limits are based a couple orders of magnitude
4 below any observable effects. CP&L's limits are below the
5 federal limits, which are already deemed safe by the
6 Government, and then, our administrative control limits are
7 even below the CP&L limits. So, it is buffer upon buffer.

8 Q Had Mr. Blackburn not refused his job and gone into
9 the dome to work, were there procedures in place there that
10 would have assured that he would not have been given more
11 radiation dosage than your CP&L buffered amounts established?

12 A Yes, let me walk you through what a typical worker
13 encounters, or myself, as a supervisor, gaining access into
14 the radiation areas. There is a change out area where you
15 remove most of your street clothes. In that area, all the
16 radiation work permits are posted and the surveys associated
17 with those work permits and the routine surveys are posted.

18 Q What do they show?

19 A They show the radiation levels, the contamination
20 levels and the air borne radioactive levels for the entire
21 plant and for the specific jobsites a worker has been
22 instructed to go to.

23 The radiation work permit gives the dosimetry which
24 is either the TLD or the pocket dosimeter which can be read
25 out all the time, constantly. It gives the protective

1 clothing requirements, the respiratory protection requirements
2 and any other special instructions, whether you will have
3 continuous health physics coverage by CP&L or contract
4 technicians.

5 Next to that, you have, if you have any questions, you
6 have the RC Foreman's office and the radiation work permit
7 office and the dosimetry office. So, if you have any
8 questions, you are encouraged and it is posted, to contact
9 HP. You call them or contact them. There was a large window
10 where you could go and talk to someone if you have any
11 questions about the survey information or the RWP requirements.

12 Q Is this a window where you can voice safety concerns?

13 A Most definitely.

14 Q About higher than normal radiation exposure?

15 A Yes. all kinds of concerns.

16 Q Mr. Blackburn would have had access to that?

17 A Yes. After you review this information and you
18 remove most of your street clothes, if you're going to an area
19 requiring protective clothing, you then fill out what we call
20 a chit, which is, "I'm signing in on RWP 2528." We number
21 the radiation work permits in sequence.

22 On the radiation work permit, it states what the
23 recommended allowed dose is and in most containment entries,
24 it was 150 millirems. For some areas within the pump bays
25 which were considered higher radiation areas or locked

1 radiation areas, it was 300 millirem.

2 Q Is that a control in itself?

3 A That's that entry control dose, so you are not allowed
4 to go above that.

5 Q You are not allowed to go in there without that much
6 allowance?

7 A That's correct. You fill out this chit and you walk
8 around to one of six access lanes, where a dosimetry
9 technician is seated. You hand them the chit and call your
10 name up on the computer and they open up and check your
11 record. They look to see what you have been approved to in
12 terms of what your dose is--let's say, 1000--what your
13 available dose is. If you had picked up 500 to that day,
14 you have 500 available and then, they would compare the
15 available dose to what you're asking to go in that RWP. If
16 it says 300, it has to be less than the available dose.

17 There are even more procedural practices built up
18 because the dosimetry technicians may not have the knowledge
19 compared to the RC Foreman, or what have you, we want more
20 control.

21 If you have 500 available and you have to have 300
22 to go in, then they would not accept you to go in. You
23 have to have twice the available than what the RWP calls for
24 for the technician to allow you to go in. If you don't have
25 it, you have to come around to the window and have the RC

1 Foreman to quiz you and sign the chit to yes indeed, go
2 ahead and let them in. We had a very tight access control
3 program.

4 After going through all this, you have the dosimetry,
5 you know what the conditions of the job are, you know what
6 the protective clothing requirements are, and you gain access
7 by the computer continuously tracking this, and also, we do
8 it annually.

9 You change out into your clothing--by the way, when
10 you enter containment, it always requires protective clothing
11 of one sort or another--you get dressed and proceed to the
12 control point of the dome or containment vessel itself, and
13 there, they put a piece of tape on your back, your name, and
14 RWP and the allowed dose.

15 That tells people like myself, the technicians which
16 we had up to ten technicians in the containment constantly
17 with a minimum of four or five all the time, health physics
18 trained technicians, what the RWP is, and if somebody is
19 standing around and it appears that they are in the wrong
20 RWP, you can see what they have signed in on and if they are
21 loitering, we ask them to please leave. It also tells
22 what their allowable dose is, so when they're working, the
23 technicians will go around periodically and say, "Let me
24 read your dosimeter." They'll read it and if you're getting
25 close to your allowable dose for that entry, say if it's

1 300 and that person has 200, they'll say, "You're going to
2 have to stop work and go out because you're getting too close
3 to your entry dose." We had a lot of controls in place just
4 to go to the work site itself.

5 Then, once you get to the work site, in the pump bays,
6 we had continuous HP coverage around the clock because of the
7 high radiation exposure levels compared to other parts of
8 the plant.

9 Q Mr. Blackburn said that he was not concerned about the
10 quarterly dose limits. He was concerned with something
11 called acute exposure. That is what he said, that he did not
12 work because of acute exposure. Do you know what he is
13 talking about?

14 A When you talk about radiation exposure and the
15 biological effects, there are really two types of how you
16 receive radiation exposure and it has to do with the time
17 elements.

18 The acute dose is when you receive the exposure in a
19 short time. Chronic exposure is small amounts over a long
20 period of time.

21 For the dose limits set by the federal government and
22 the exposure rates within those limits, there is no evidence
23 that says whether you get it chronically or acutely, there
24 will be any different effect on your biologically or later
25 on in life.

1 Q Does the NRC have a provision established to limit
2 acute radiation exposure?

3 A Well, the limits are the dose limits. You can not get
4 more than 3000 per quarter for this work crew. It doesn't
5 matter. The NRC Doesn't care whether you get it in one
6 minute, 1000 minutes or a quarter, so there is no time frame
7 limit.

8 Q Does CP&L have such limits?

9 A On the books, no they don't, but in fact, we do. The
10 higher the exposure rate, the tighter the controls and we
11 even have areas where the exposure rates are so high that you
12 can only stay for a couple of minutes. We typically do not
13 ask individuals to go into that area. We come up with other
14 means to do that type of work. The area within the pump bays
15 do not fall within those limits.

16 Although they are considered as locked high radiation
17 areas, which is any area greater than 1000 millirem in a given
18 hour that you're in there that you could receive, that is
19 not considered an especially hazardous area, which would be
20 60,000 millirem per hour, so it's way below that number.

21 Q Was there any way from what you have described here,
22 that Mr. Blackburn could have received a radiation dosage
23 above the limits established by CP&L's quarterly limit?

24 A Not in the conditions we have looked at, based on Mr.
25 Blackburn's testimony of what jobs he was possibly going in

1 on. I think there is one piece of evidence, and I don't have
2 the number of the document, that addresses this.

3 Q Did you have occasion to review the crews that worked
4 in the dome on September 5th?

5 A Yes, what we looked at was--let me see.

6 Q I will hand you Respondent's Exhibit No. 8.

7 A Yes, I prepared this document based on the dosimetry
8 records and the computer system and those records within our
9 records vault. These are the two crews that Mr. Slatton gave
10 to me who were working in the radiation control area for this
11 period of time, the end of August to the first week in
12 September. What I did was looked at these names and what
13 doses these people picked up on September 4th and 5th.

14 The highest dose anyone picked up was 75 millirem.
15 That was for maybe up to ten entries for those two days
16 period of time.

17 Q 75 millirems compared to 1600 millirems for the
18 quarter. Is that right?

19 A Yes, that's correct. And that's typical if you're
20 workin in the pump bays for any length of time. 75 is a
21 typical number. This individual is probably approved to go
22 to 150. But, there were four individuals working in those
23 crews those two days and their doses range from 25 to 75
24 millirem. I also have their quarterly dose on here, and
25 their yearly dose. The highest quarterly dose was 1693. The

1 highest yearly dose was 3409, both by individuals other than
2 the four who went in on those two days.

3 Q The four who went in on those two days, one of those
4 people who went in should have been Mr. Blackburn?

5 A Yes, I presume. The reason I believe that Mr.
6 Blackburn was asked to go in--and we don't know for a fact
7 which job he was asked to go in on--during that stage of the
8 outage, we had completed the steam generator replacement
9 project for the most part. We had rewelded everything back
10 together, reinsulated most of it and we had to do a
11 hydrostatic or hydrotest of it.

12 What you do is fill it up with water, turn on the
13 pumps and see if it leaks, bring it up in pressure and
14 temperature.

15 To do that, you have to, for one thing, remove all the
16 shielding on the piping. That is even a greater safety
17 concern because they're not designed to operate with lead
18 hanging on them.

19 The outage logs show for those days, there were two
20 modifications. They needed some electrical work crews to
21 continue this filling of the reactor cooling system to
22 perform this hydrotesting.

23 The two IWP's for that--and they have been entered as
24 exhibits--were 2548 and 2691. So, I used that information to
25 determine what individuals went in from the electrical crews

1 to work on those jobs for those days, and that's how I
2 arrived at the doses for those two days.

3 Q Do contract workers such as those for Metric have
4 access to CP&L health physics personnel?

5 A Most definitely. Like I said, there are technicians
6 in the field who are there, and that's why they are provided.
7 Technicians are provided as continuous coverage people to
8 direct workers and to answer their questions in the field
9 with specific situations on their jobs.

10 Q So, an electrician such as Mr. Blackburn could have
11 talked to you or someone like you about his job?

12 A He could have talked to the technician on the job.
13 He could have talked to the foreman prior to entry or at any
14 other time. He could have talked to myself or the other RC
15 Supervisor. On several occasions, Floyd himself, asked me to
16 talk to some of his workers who had for whatever reasons, some
17 concern about radiation exposure, whether it be exposure,
18 contamination or what have you. That is something that we
19 encourage people to talk about. A lot of people have a lot
20 of misunderstandings and misgivings about exposure and
21 contamination and radiation and that is what I'm trying to do,
22 to understand the physics behind this and to explain to
23 people what it's all about.

24 Q You heard Mr. Blackburn say that his clearances had
25 been lifted and that he could not talk with the NRC. Do you

1 agree with that statement?

2 A No, I do not. The NRC Office is outside of the
3 security area, the protected area. Anyone can gain access
4 to the NRC simply by going to the front guard house and
5 saying, "I'm a resident or a former employee, or I'm an
6 employee and I would like to talk to the NRC." They would
7 probably call the NRC first and say, "There's an individual
8 here to talk to you." So, if his contention was that his TDL
9 and security badges were pulled because he was terminated,
10 that should not have precluded him from talking to the NRC.
11 It is against the law for us to prevent anyone from talking
12 with the NRC.

13 MR. BURDETTE: Nothing further.

14 JUDGE VONBRAND: Cross Examine?

15 CROSS EXAMINATION

16 Q (by Ms Burnette) Mr. Meyer, in talking about the
17 temporary shielding, you described it as something like steel
18 wool. Is that the texture of it?

19 A Yes, it looks just like that. It's in plastic. It's
20 sewed in between strips of plastic with holes so it can be
21 hung or wrapped or what have you. It is not pliable and it
22 is not going to form itself well to whatever the source of
23 the radiation is.

24 Q You stated that the difference between a radiation
25 source with or without shielding might go from two millirems

1 per hour to four millirems for an hour?

2 A Yes, the more shielding you put on, you reduce the
3 exposure, or rather, the exposure rate.

4 Q So, if the exposure rate was 200 millirems per hour,
5 you might get 400 without the shielding?

6 A That's correct.

7 Q Then, admittedly, there is a great difference or
8 there could be a great difference in the amount of radiation
9 without the shielding?

10 A Right. The exposure rates will vary with or without
11 the shielding, that's correct.

12 Q Are you in the dome very often?

13 A Yes.

14 Q You have technicians there who monitor the amount of
15 radiation received by the workers while they are in there?

16 A Yes.

17 Q Have you ever found a technician sleeping in the dome?

18 A No, we did not. People have been accused of it, but
19 I have never personally found anyone asleep.

20 Q But, people have been accused of it?

21 A Yes.

22 Q How old are you, Mr. Meyer?

23 A I'm 30.

24 Q Have you ever met Mr. Blackburn before today?

25 A I don't believe so.

1 Q Did you realize this was the first nuclear facility
2 he had worked in?

3 A I do, yes. I didn't before reviewing the record, but
4 he didn't have any lifetime exposure prior to Robinson, so
5 I assume so.

6 Q You have heard testimony indicating that he had worked
7 there six months prior to the time he was terminated?

8 A Yes.

9 Q You also stated that this area to which he was to be
10 assigned was a locked high radiation area?

11 A That's correct.

12 Q But, you did not know exactly which part of that area
13 he would be assigned to. Is that correct?

14 A That's correct. I only assumed, based on his statement
15 that he filed with the Department of Labor and our record
16 keeping of knowing where Mr. Blackburn was when he was there
17 and where the other members of the crew had gone during these
18 days in question.

19 Q Do you have any documents here, that show the range of
20 millirems that were being given off in these locked areas
21 during that time?

22 A Yes, we do.

23 Q What are the highest and lowest ranges that were being
24 given off?

25 A Here is the routine surveillance report for September

1 fifth, which has everything but the pump bays and we have
2 those, which we have submitted also as exhibits.

3 Q Have you looked at this lately?

4 A I have. I reviewed it and signed it, as a matter of
5 fact. The exposure rates in there vary. Depending on the
6 exposure rates, you have different requirements to gain access
7 to the job. Certain areas must be either maintained locked
8 or continuous coverage must be provided.

9 The pump bays, when no one was in there, were
10 maintained locked. When someone was in there, that's why we
11 kept a health physics technician in there.

12 There are four types of surveys, basically. Take this
13 room for example. If you were going to work on this table,
14 we'll take a contact radiation reading, which is the highest
15 possible exposure rate from working on that piece of
16 equipment.

17 Obviously, you are not going to be--most work is not
18 done in contact with the equipment, so we take an 18 inch
19 reading because that is approximately where your chest or
20 your body is going to be when you are working on something.

21 We then smear this to determine the amount of dust or
22 contamination available to get on your clothing or skin or
23 into the air, and we pull an air sample. We suck up a known
24 volume of air from this area while you are working and prior
25 to your working and determine how much activity is in the air

1 that you breathe.

2 Q Talking about acute doses, are you familiar with
3 Respondent's Exhibit No. 1, the General Employee Training
4 Manual?

5 A I'm familiar with it.

6 Q Are you familiar with that on page 42, it talks about
7 acute doses?

8 A I suspect that it would talk about it somewhere
9 within the document.

10 Q It defines an acute dose as being the result of
11 receiving a very large dose of radiation exposure in a
12 relatively short period of time, usually less than 24 hours?

13 A That's correct.

14 Q It goes on to say in this table here, for instance,
15 if you received 20 to 25 rems--

16 A Yes, 20 rems would be 20,000 millirem. We have been
17 talking about millirem and that is 20,000 or 25,000 millirem,
18 well above any federal or CP&L limit.

19 Q You would have minor blood changes?

20 A That is the first observable biological effect, at
21 20,000 or 25,000.

22 Q Between 5 and 20 rems, there would be more changes.

23 MR. BURDETTE: Objection. Counsel is not reading the
24 chart correctly.

25 MS BURNETTE: Your Honor, I believe I am.

1 JUDGE VONBRAND: Why don't you show that to the
2 witness and ask him?

3 Q (by Ms Burnette) Would you please read here?

4 A It says, effects of acute radiation dose, and it is a
5 table with dose in one column and effect in the other column.
6 From zero to five, if you were to receive it within a 24 hour
7 period, there would be no observable changes.

8 From 5 to 20--and let's make sure that we're clear
9 here, all the limits I have talked about have been millirem,
10 so from zero to five, a millirem is one thousandth of a rem.

11 This is 5000 to 20,000, slight changes seen in the
12 laboratory, maybe some chromosome aberrations or what have you.

13 Q Can you tell us the range of millirems in the area
14 to which he was to be assigned?

15 A Well, he would have entered the containment.

16 MR. BURDETTE: Well, Your Honor--?

17 JUDGE VONBRAND: What is your objection?

18 MR. BURDETTE: My objection is that the witness should
19 testify as to apples and apples, and not apples and dough nuts
20 Your Honor. This table that she was questioning from shows
21 rems. A millirem is one thousandth of a rem.

22 MS BURNETTE: Your Honor, I understand that.

23 JUDGE VONBRAND: I think this witness can keep it
24 straight. Proceed.

25 THE WITNESS: Yes, sir. I think an important point

1 needs to made here, too. Those are the dose limits. Your
2 question is the exposure rate and there is a big difference.

3 Where you enter the containment, the hatchway, so to
4 speak, based on this survey record, on the platform immediately
5 after entry, the exposure rate is ten millirem per hour.

6 You then, walk down the steps and enter a ten millirem
7 per hour exposure field. You walk around this area and enter
8 into C and B pump bay, which is where I believe, Mr. Blackburn
9 would have been asked to work.

10 Q But, you do not know where he was going to be asked
11 to work?

12 A I only know where his fellow workers--well, we don't
13 know where he would have worked because he didn't go in.

14 Q At the time he was fired, he did not know where he
15 was going to work?

16 A That is what he has said, yes.

17 Q Could you find on that sheet, the maximum exposure
18 someone might have gotten from going into this area? Is
19 that possible to say?

20 A You have to tell me which area. Then, we can talk
21 about what the exposure rates were, and then, we talk about
22 how long the individual would have been asked to go in there
23 to receive the dose.

24 Q We do not know how long he would have been asked to
25 stay in any particular area, though?

1 A No, we don't. All we do know is what other
2 individuals picked up and the fact that no one exceeded any
3 dose limits during the whole project.

4 Q We do not know where he was going to be assigned, so
5 out of that whole stack of pages, he might have been assigned
6 to any of those areas. Correct?

7 A Well, I can't answer that. Based upon the work that
8 was going on, we have a good idea of what he would have been
9 asked to do, I think.

10 JUDGE VONBRAND: What exhibits are you basing that
11 opinion on? What are the exhibit numbers?

12 THE WITNESS: Based on Respondent's Exhibit 8, which
13 is the list of the two electrical crews, the dose they
14 picked up on those two days, what their quarterly dose was
15 from working there from approximately July to September of
16 that year and their yearly dose.

17 Q (by Ms Burnette) You are basing your opinion on
18 information that was obtained after he was terminated?

19 A That's correct.

20 Q Think about information that was available to him and
21 others prior to the time he was terminated.

22 A This would have been available to him, as posted
23 outside of the area. This is Respondent's Exhibit 4. It
24 would have been posted.

25 Q I am trying to find out the maximum range that someone

1 might have been exposed to. Can you tell me that?

2 A On Map Number One, which is the first level of the CV,
3 the range goes from 8 millirem per hour to 24 millirem per
4 hour, so if they would have stayed in there an hour, they
5 would have gotten that does.

6 On the first level CV Map Number Two, the range goes
7 from less than 2 millirem per hour to 10 millirem per hour.
8 On Head Storage Area Map Number three, the range goes from
9 less than two millirem per hour to eight millirem per hour.

10 On the first level Map Number four, the millirem per
11 hour reading for 18 inches goes from 2 millirem per hour to
12 25 millirem per hour.

13 On the second level CV Map Number Five, the range
14 goes from less than two millirem per hour to six millirem
15 per hour.

16 The second level CV Map Number Six, the range on this
17 goes from two millirem per hour to 24 millirem per hour.

18 Third level CV Map Number Seven, the range goes from less
19 than two millirem per hour to four millirem per hour.

20 Third level CV Map Number Eight, the range is less
21 than 2 millirem per hour to 8 millirem per hour. Third level
22 CV Map Number Nine, the range is from less than two millirem
23 per hour to two millirem per hour.

24 Q Do you have informaion on the millirems per hour which
25 would be given off under the floor in B or C pump bay? Is

1 that included on this map?

2 A No, it's not.

3 Q Do you have information on that?

4 A Under the floor?

5 Q Yes.

6 A There is nothing under the floor except ground of B
7 and C pump bays. There is a sump area below the reactor and
8 there are areas below the pressurizer. But, I believe that
9 the area that the crew that Mr. Blackburn was asked to sign
10 on went below the pressurizer.

11 Q Do you have information on the millirems there?

12 A Yes, we do. It is in another exhibit. I can point
13 it out to you, if you like.

14 Q Here, see if you can find it?

15 A We have September fourth and September fifth survey
16 readings. In the area going up to the platform to be working
17 on this one job that I believe Mr. Blackburn would have been
18 asked to work on, the 18 inch readings are 20 millirem per
19 hour to 300 millirem per hour.

20 Q Up to 300?

21 A Yes. That is Exhibit 10. This is Exhibit 9, on the
22 fifth, the surveys from September fifth. In that same area,
23 the readings range from 15 millirem per hour to 190 millirem
24 per hour. I would like to qualify something about survey
25 readings: They may or may not be done by the same individual

1 every day. They may or may not be done on the exact same
2 location, so they will vary depending obviously, on where
3 you take the exposure rate.

4 Q So, if it says 250 on one day and 300 on another day?

5 A What you have to do is look at the specific points.
6 It may have been on one side of the room one day and on the
7 other day, it may have been on the other side of the room.
8 We are not talking about specific points, we are just giving
9 the range within that room.

10 Q So, the 150 reading was taken on this side of the room,
11 and you walked over to the other side of the room, you might
12 get 300. Is that right?

13 A That is correct.

14 Q Is that all for that one?

15 A Yes. it is. There are other surveys for other pump
16 bays as a part of these exhibits.

17 Q Do you know Richard Miles?

18 A No, I do not.

19 Q Did you know that he was a Quality Control Technician?

20 A I did not know that until I read it.

21 Q You have received extensive training in this area,
22 have you not?

23 A Yes.

24 Q You have also had a great deal of experience in working
25 with radiation. Correct?

1 A Approximately ten years, yes.

2 Q You listed details on what you know about it and how
3 it works?

4 A Yes.

5 Q You heard testimony that Mr. Blackburn has only a
6 high school education?

7 A Yes.

8 Q He had only worked at this plant for about six months
9 and you would agree that you have a whole lot more experience
10 than he does, would you not?

11 A More knowledge. I don't have any more information
12 than he does. That's why we post these things. We train
13 individuals.

14 Q You have the background to understand exactly what
15 this information means. You have a broad background. Isn't
16 that true?

17 A Yes, that's true.

18 Q Do you find that workers' fears are calmed once they
19 get more information?

20 A Yes, that's true.

21 Q Would you believe that a worker could look at some of
22 these readings and be told by a Quality Control Technician,
23 "I wouldn't go in there if I were you?"

24 MR. DURDETTE: Objection.

25 MS DURDETTE: And have a reasonable fear that it would

1 not be safe?

2 JUDGE VONBRAND: What is the objection?

3 MR. BURDETTE: There is no testimony here about any
4 conversation with Quality Control Technicians.

5 MS BURNETTE: Your Honor, I believe there has.

6 JUDGE VONBRAND: I will overrule the objection, and
7 you can renew it, after reviewing the transcript, if there
8 are grounds. Proceed. You may answer.

9 Q (by Ms Burnette) Do you think he might have a
10 reasonable fear for his safety?

11 A That's a matter of what reasonable is. Workers and
12 us are always talking to each other. I don't know if I'd
13 call it reasonable. I can see where someone could be fearful,
14 yes.

15 Q He might could bring those concerns to his foreman?

16 A Yes.

17 Q Would you believe that if the foreman had checked out
18 the information and brought back more information and
19 attempted to calm his fears, that might have worked? Have you
20 had that experience in working with these people?

21 A Yes.

22 MS BURNETTE: No further questions.

23 JUDGE VONBRAND: Redirect?

24 REDIRECT EXAMINATION

25 Q (by Mr. Burdette) Had Mr. Blackburn gone into the

1 dome on September 5th, he would have had a patch on his back
2 which would have stated the amount of radiation that he would
3 have been permitted to be exposed to during that day?

4 A That is correct. His entry dose limit that day.

5 Q That would have been below every NRC or other lawful
6 and legal limits for radiation exposure. Is that not correct?

7 A That is correct.

8 Q Would there have been monitoring taking place in there
9 to make sure that limit was not exceeded?

10 A That's correct. There was continuous health physics
11 coverage in the pump bay.

12 Q So, despite Mr. Blackburn's high school education, and
13 he knew that was a fact, right, he did not have to read these
14 things, he would have known that there was monitoring and
15 that his radiation exposure limits were assured not to have
16 exceeded the limited dose?

17 A Yes, he should have known.

18 MR. BURDETTE: Thank you.

19 JUDGE VONBRAND: You are excused.

20 (The witness was excused).

21 JUDGE VONBRAND: Do you have other witnesses?

22 MR. BURDETTE: No other witnesses.

23 JUDGE VONBRAND: Do you want a recess?

24 MS BURNETTE: Just five minutes, Your Honor.

25 JUDGE VONBRAND: Off the record.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(A five minutes recess was held).

JUDGE VONBRAND: On the record. We have discussed our briefing schedule and both sides are agreeable to filing their briefs on February 15, 1986.

There being nothing further, this hearing is adjourned at 12:30. Thank you very much.

(Whereupon, the hearing in the above-entitled matter was adjourned at, 12:30 p.m.).

REPORTER'S CERTIFICATE

DOCKET NUMBER: 86-ERA-4


CASE TITLE: Paul A. Blackburn

HEARING DATE: December 16, 1985

LOCATION: Columbia, South Carolina

I hereby certify that the proceedings and evidence herein are contained fully and accurately on the tapes and notes reported by me at the hearing in the above case before The United States Department of Labor and that this is a true and correct transcript of the case.

Date: December 21, 1985



Official Reporter
ACME REPORTING COMPANY, INC.
1220 L Street, N.W.
Washington, D.C. 20005