

UNITED STATES OF AMERICA NUCLEAR REGULATORY COMMISSION

Title: BRIEFING ON THE APPLICATION OF THE SEVERE ACCIDENT
POLICY TO THE LEAD APPLICATION FOR ADVANCED LIGHT
WATER REACTORS

Location: ROCKVILLE, MARYLAND

Date: JUNE 20, 1989

Pages: 54 PAGES

NEAL R. GROSS AND CO., INC.

COURT REPORTERS AND TRANSCRIBERS
1323 Rhode Island Avenue, Northwest
Washington, D.C. 20005
(202) 234-4433

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on June 20, 1989, in the Commission's office at One White Flint North, Rockville, Maryland. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determination or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of, or addressed to, any statement or argument contained herein, except as the Commission may authorize.

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1523 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

- - - -

BRIEFING ON THE APPLICATION OF
THE SEVERE ACCIDENT POLICY TO THE LEAD
APPLICATION FOR ADVANCED LIGHT WATER REACTORS

- - - -

PUBLIC MEETING

Nuclear Regulatory Commission
One White Flint North
Rockville, Maryland

Tuesday, June 20, 1989

The Commission met in open session, pursuant
to notice, at 10:00 a.m., Lando W. Zech, Jr.,
Chairman, presiding.

COMMISSIONERS PRESENT:

LANDO W. ZECH, JR., Chairman of the Commission
THOMAS M. ROBERTS, Commissioner
KENNETH M. CARR, Commissioner
KENNETH C. ROGERS, Commissioner
JAMES R. CURTISS, Commissioner

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

STAFF AND PRESENTERS SEATED AT THE COMMISSION TABLE:

SAMUEL J. CHILK, Secretary
WILLIAM C. PARLER, General Counsel
DR. THOMAS MURLEY
LESTER RUBENSTEIN
CHARLES MILLER
THEMIS SPEIS
JAMES TAYLOR
ASHOK THADANI
DINO SCALETTI

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

P-R-O-C-E-E-D-I-N-G-S

10:08 a.m.

CHAIRMAN ZECH: Good morning, ladies and gentlemen. This morning the NRC staff will brief the Commission on the application of the Commission's Severe Accident Policy to the lead advance light water reactor for design certification, General Electric's advance boiling water reactor. This is an information briefing and no formal Commission vote is planned for this meeting.

I understand that copies of the slides to be used during the presentation are available as you enter the meeting room.

Do any of my fellow Commissioners have any comments before we begin?

Mr. Taylor, before we begin then, let me welcome you and the staff and in particular note that Mr. Rubenstein, who is here with us today, is going to be retiring soon. He'll be joining me. And I know that you've been very mindful of the public service of trust and confidence that our country has placed in you and the public service you've given after 30 years, I understand, and we want to specifically thank you for that significant public service and for your service to our agency and for our country.

MR. RUBENSTEIN: Thank you, sir.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 CHAIRMAN ZECH: Mr. Taylor, you may proceed.

2 MR. TAYLOR: Good morning, sir. Dr. Murley
3 will introduce the topic and the staff will then give
4 a detailed briefing.

5 CHAIRMAN ZECH: Thank you very much. You
6 may proceed.

7 DR. MURLEY: Mr. Chairman, this briefing
8 today, I think, represents a major step forward in the
9 Commission's standardization policy. We are
10 essentially on the schedule that we established over
11 two years ago on the advanced boiling water reactor
12 and there have been three, I would say, significant
13 licensing milestones during that period so far for the
14 ABWR, and this is the third.

15 The first one was the licensing review basis
16 document. This was issued in August of 1987. It set
17 the guidelines on how we, the staff, were going to
18 review the application because we knew we were
19 entering uncharted territory to some extent. This
20 was a GE initiative; they wanted such a licensing
21 review basis document. We agreed with them and it has
22 held up very well. It's guided the staff, I think,
23 quite well the last two years. We're encouraging
24 other applicants, as a matter of fact, to work with
25 us on a licensing review basis document for their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 plants as well.

2 The second major licensing step was last
3 January when we described to the Commission how the
4 staff proposes to treat what I would call traditional
5 safety issues, like design basis accidents, fire
6 protection, technical specifications and those sorts
7 of things. The staff and GE were in agreement on
8 those issues and we are proceeding on the basis that
9 we outlined for the Commission.

10 Today we're going to describe how the staff
11 proposes to handle severe accident issues in the ABWR
12 review. This is a thorny issue, as you know, and
13 rather than let the issues bubble up to the top from
14 staff reviews, which has been the traditional method
15 of review for new plants, we've tried to define the
16 policy issues early and develop resolutions. And
17 that's what we're bringing to the Commission today for
18 discussion.

19 We've had many meetings with the staff. I
20 took my senior staff out to San Jose in March for a
21 two day meeting where we discussed these issues and GE
22 and the staff are in general agreement on the issues
23 we're going to discuss today. There are still, of
24 course, some design details that we have yet to
25 settle; things like leakage control system for MSIVs,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1325 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 charcoal filter bit questions and those sorts of
2 things. I do not regard those as major policy issues,
3 but rather the normal kinds of design details that the
4 staff reviews and settles. So with this policy
5 guidance in place, then the staff reviews can move
6 ahead over the next year.

7 Let me talk about schedules for a moment.
8 We expect to be able to issue what I would call final
9 draft SER next spring. We'll be issuing SER chapters
10 as we go along. But this final draft would be
11 something that we would go to the ACRS with and expect
12 a letter from the ACRS. We will be and have been
13 working with the ACRS all along, but prior to
14 beginning the hearing process, we would expect to have
15 this final draft next spring.

16 We would then put out a final SER and an
17 FDA, which is a final design approval, next summer.
18 With that in place, we would then begin the hearing
19 process in late summer of 1990. That hearing process
20 would then, we expect, take about 14 months leading up
21 to certification of the ABWR in October of 1991. That
22 has been the schedule that we've been adhering to and,
23 as I said, with these policies guidance in place we
24 see no impediment to meeting those schedule. It, of
25 course, depends on GE sending the material to us on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 time and it depends on no major diversions of the
2 staff. Again, I don't see any problem with either of
3 those.

4 GE and others have spent some \$250 million
5 on the design and development of the ABWR and the
6 design is in quite good shape and staff review can
7 proceed.

8 With that introduction then, Les Rubenstein
9 will discuss the severe accident guidelines that we've
10 worked out.

11 CHAIRMAN ZECH: Thank you very much. You
12 may proceed.

13 MR. RUBENSTEIN: Good morning.

14 I'm going to start with the second view
15 graph. The first view graph states the purpose of our
16 meeting, which the Chairman and Dr. Murley have both
17 stated quite directly. And as Dr. Murley said, I'm
18 going to discuss some specific features of the ABWR
19 design and their relationship to severe accident
20 phenomena.

21 The topics of discussion are grouped into
22 three general parts. The first grouping, station
23 blackout, Intersystem LOCA and ATWAS, really deal with
24 phenomena which are substantial initiators of core
25 melt sequences. And we'll discuss these specifically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 in terms of the ABWR design features which address
2 them and which, I might say, address them
3 satisfactorily.

4 The second group deal with severe accident
5 phenomena, particularly as they affect containment
6 performance, design and the management of core debris
7 and core cooling -- pardon me, debris cooling.

8 And the third list of items are some miscel-
9 laneous subjects which will be prominent during the
10 review and preparation of the final design approval
11 and the design certification rulemaking itself.

12 The second group on view graph three deal
13 with design goal for the containment and the plant
14 itself, hydrogen control venting and core debris
15 coolability. And as I said before, the miscellaneous
16 groups range from source term through to BWR thermal-
17 hydraulic stability.

18 If I might have the fourth view graph. As
19 we've stated a couple of times this morning, we're
20 addressing the phenomena on a design specific basis.
21 And on the first group, the first item I'm going to
22 address is station blackout.

23 At the outset I would say that the design
24 goes beyond the station blackout rule and it is sized
25 such that the plant can be brought to a shutdown with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 one train. This is accomplished through three
2 independent electrical divisions and three 100 percent
3 capacity diesel generators. In addition to the diesel
4 generators which deal with the design basis accidents,
5 there is also an alternate AC combustion turbine
6 generator to deal with the internal events and as a
7 backup to the design basis emergency diesel
8 generators. This is an off-the-shelf type item with a
9 very quick start.

10 The station blackout design also has
11 robustness which is reflected in a ten hour blackout
12 period survivability during which period one can use
13 the RCIC and station batteries. And this would allow
14 one time to restore station power.

15 In the unlikely event that station power
16 were not restored, it also has an AC independent water
17 addition system which relies on fire protection
18 equipment.

19 DR. MURLEY: I should mention, Mr. Chairman,
20 the RCIC is the reactor core isolation cooling system,
21 and that's the one you use when the isolation valves
22 have bottled up the reactor and so you cool the core
23 by using water from the pool. It's an important
24 safety system.

25 CHAIRMAN ZECH: Yes. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. RUBENSTEIN: Well, on the next view
2 graph, 5, it's our conclusion regarding station
3 blackout preliminary to final review the staff
4 believes that with these features we will have a
5 sufficiently lower risk of station blackout compared
6 to the previous BWR designs.

7 If there's no question about station
8 blackout, I'll move along to the second phenomena
9 which the ABWR addresses on dealing with intersystem
10 LOCA. Here there was clearly a need and a capability
11 of eliminating concern of a LOCA outside the
12 containment. And the goal was such that with high
13 confidence that the probability of an interfacing
14 LOCA, which will lead to an unisolable LOCA outside of
15 containment was very low. We wanted to fix this
16 problem, we wanted to make it go away through the
17 design and GE did this. And to do that they put on a
18 testable capability for the ECCS in-board check valves
19 with position indication in the control room. In
20 addition, the ABWR low pressure systems are adequately
21 protected from reactor coolant system pressure. This
22 means their design standards for the piping are such
23 that it would require a number of malfunctions before
24 the low pressure piping would see system pressure and
25 they, in and of themselves, would be designed to--

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 where they're tied to the primary system to be capable
2 of accommodating system pressure. System pressure is
3 about 1,000 PSI.

4 With these features that the ABWR has, the
5 staff is confident that the potential threat of an
6 intersystem LOCA is resolved for the ABWR.

7 Can I have view graph 7, please? In regards
8 to the ATWS rule, 10 C.F.R. 50.62 the G.E. design has
9 a number of interesting features. They've gone to
10 both hydraulic and electrical rod control run-ins.
11 They have a recirculation pump trip capability.
12 They've done away with the old SCRAM discharge volume
13 system which gave us quite a bit of trouble in years
14 past. And they have a --

15 COMMISSIONER CARR: Just out of curiosity,
16 how did they do that?

17 MR. RUBENSTEIN: Well, they've gone
18 basically to the dual hydraulic, which is a water
19 backed up nitrogen system and the mechanical system on
20 live run-in.

21 COMMISSIONER CARR: Okay. I'll look into it
22 further.

23 MR. RUBENSTEIN: They have offered a manual
24 standby liquid control system. The ATWS rule
25 stipulates automatic. The staff has asked GE to do a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 reliability analysis to confirm acceptability. And if
2 it is found acceptable, we will recommend an exemption
3 from the ATWS rule for this. Thus, in effect, the
4 ATWS rule will be satisfied.

5 COMMISSIONER ROGERS: Well, will we set our
6 own criteria for that acceptability?

7 MR. RUBENSTEIN: We have not yet, but this
8 is early in the review part.

9 DR. MURLEY: I should add that we have
10 required and requested GE to submit a reliability
11 analysis to us. That reliability analysis is to
12 justify that manual SLCS is acceptable. Based on that
13 review, then that will be the basis that we agree or
14 disagree on. We haven't yet accepted it.

15 CHAIRMAN ZECH: Do we know that anyone has a
16 fully automatic standby liquid control system?

17 DR. MURLEY: Well, the current designs now
18 are automatic and the -- maybe I'd better, before I
19 get in too deep, let Ashok Thadani tell the details.

20 CHAIRMAN ZECH: All right. Fine. Please
21 identify yourself to the reporter, please?

22 MR. THADANI: I'm Ashok Thadani, NRR staff.

23 There's only one plant today that has
24 automatic standby liquid control system, and that's
25 Limerick, Unit 1. And the rule, the ATWS rule, did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 not require automatic standby liquid control systems
2 for any plants except those that went into operation
3 after, I believe, it was 1986. But I may be off on
4 the year.

5 And if I might also address the other
6 question that was raised in terms of the SCRAM
7 discharge volume as to where the discharge goes, it
8 goes in the reactor vessel itself.

9 CHAIRMAN ZECH: All right. Thank you very
10 much.

11 MR. RUBENSTEIN: Moving on to view graph
12 number 8. We're now getting into the second grouping
13 of design features, Moving from the initiators of core
14 melt sequences to some of the more containment
15 performance oriented design features.

16 As you may recall from our discussions with
17 you about the progress on EPRI and previously on
18 General Electric's design, that the EPRI requirements
19 document has a goal of ten to minus five core melt
20 frequency and it has a public safety goal for a
21 significant site boundary release, that is an off-
22 site dose release of 25 REM at a half mile of ten to
23 the minus six probability.

24 As Dr. Murley said, previously GE and the
25 staff in the licensing review basis document also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 addressed a containment design goal of performance.
2 And this was a conditional containment failure
3 probability of ten to the minus one over credible core
4 damage sequences.

5 These conditions apply to that definition of
6 ten to the minus one. We define containment failure
7 as an uncontrolled release of fission products from
8 the containment and we assume in the analysis, or
9 General Electric assumes that the sequence starts with
10 the onset of core damage. In effect, we keep the
11 debris in the containment. And with these three
12 design goals resulting in these specific design
13 features of the ABWR, that is design goals of ten to
14 the minus five core melt frequency, ten to the minus
15 one conditional containment failure probability and
16 ten to the minus six significant site boundary
17 release, we believe that the design offers a balanced
18 accident prevention and mitigation capability and will
19 achieve defense in depth for the plant. So we've
20 dealt with the initiators of the accidents, the severe
21 accidents. We have a containment performance goal and
22 we have a value which is more conservative than the
23 health objectives of the safety goal.

24 So we believe with that driving some of the
25 design features of the containment and severe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 accident, we have a balanced approach.

2 Specifically some specifics of near accident
3 phenomena and the ABWR design features are hydrogen
4 control. As you may recall from 10 C.F.R. Part 52 and
5 its predecessor 5034(f) that the design would have to
6 accommodate 100 percent metal water reaction and a
7 less than a 55 percent uniform hydrogen concentration.
8 Well, the ABWR design deals with this by inerting the
9 containment with a nitrogen atmosphere. In addition,
10 it has a hydrogen recombiner capability. And with
11 these features we believe that the hydrogen control
12 features of the ABWR design are acceptable.

13 View graph 10, please. To provide
14 containment over pressure protection, that is
15 containment pressure integrity for the ABWR, General
16 Electric has proposed an additional feature which is a
17 "hardened" wetwell air space vent which would allow
18 venting to the stack at a controlled release rate and
19 would be emitted at an elevated value above the plant.

20 This vent operation would be AC independent.
21 That is, only direct current and pneumatic pressure
22 would be required for closure of the two vent valves
23 which are in series with the vent and which are
24 normally open. It includes a rupture disk, which is
25 set slightly above the containment ultimate rupture

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 strength and the vent itself would allow a reasonable
2 amount of time to restore long term containment
3 cooling without major failure.

4 Some of the designs of this detail are still
5 being worked out, but it would include something like
6 a 12 or 14 inch diameter piping.

7 COMMISSIONER CARR: What controls the
8 release rate then? A venturi, the size of the pipe
9 or--

10 MR. RUBENSTEIN: Size of the pipe.

11 COMMISSIONER CARR: Size of pipe.

12 DR. MURLEY: Commissioner, we may still be
13 needing to review some details on that. For example,
14 I haven't seen what the release rate is, so it could
15 very well be that you may want to put a venturi in the
16 line or something.

17 COMMISSIONER CARR: Two valves and a rupture
18 disk doesn't give you a lot of control normally.

19 MR. RUBENSTEIN: However, it is sized to
20 take out about three percent decay ~~that~~ ^{heat} -- and this
21 would be equivalent to 1RHR train.

22 Moving on to view graph 11, which is an item
23 in addition to hydrogen control, the containment over
24 pressure protection, which the ABWR design addresses,
25 is core debris coolability. The suppression pool is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 physically between the debris, which would be in a
2 lowered dry well, and the containment liner. And this
3 would deal with the containment liner degradation
4 problem. In effect, it would provide a physical
5 barrier between the lower dry well and the liner.

6 In addition, the design is also constructed
7 in such a way to enhance core debris coolability. It
8 has a passive lower dry well flooding capability,
9 which is provided by fusible plugs between the
10 suppression pool and the lower dry well. We don't
11 have all the details on this, but it would be
12 something where between five and ten roughly four inch
13 plugs which would melt at about 500 degrees fahrenheit
14 and provide water from the suppression pool and flood
15 the lower dry well.

16 In addition to provide limiting suppression
17 pool fission product bypass, if the vessel did melt
18 through and in that unlikely event, there would be a
19 controlled pathway for the debris. It basically
20 assumes that the water quenches the debris and would
21 provide some fission product scrubbing capability. It
22 would also cool the gases and to make sure that
23 there's no back flow, the vents would be covered by
24 water throughout the course of the accident. Some of
25 these details await further study and discussion with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the staff. But on view graph 12 we come to the
2 conclusion that we really do not expect containment
3 failure by melt through of the base mat or the liner.

4 There's a fair amount of work to be done on
5 some of the details of this, but we're optimistic that
6 it will work out in a positive way.

7 Now, getting into the third grouping of more
8 miscellaneous items, as regards the source term and
9 considerations, we're really dealing with two separate
10 applications of source term. The first one was with
11 our normal Part 100 citing requirements and the second
12 one how we're going to calculate the GE or the EPRI
13 large release safety goal.

14 In the case of the first one, the licensing
15 basis continues to be 10 C.F.R. Part 100 citing
16 criteria with its associated source term as they're
17 represented in TID 14844. Now, to meet this GE needs
18 a little credit for certain design features which are
19 under discussion with the staff. Dr. Murley mentioned
20 those before, it's the MSIV leakage. They need
21 probably 140 or 150 standard cubic feet per hour.
22 This is in contrast to maybe 11 1/2 standard cubic
23 feet per hour in the Tech specs. They need some
24 credit for steam line condenser hold up fission
25 products and for in containment iodine removal. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 we're optimistic that in discussions with the staff
2 that these proposals will be acceptable.

3 Now, for the more realistic source term that
4 they will use to demonstrate that they meet their
5 safety goal, the 25 REM 1/2 mile one in a million
6 probability of exceedance, we would consider
7 departures from the assumptions of Part 100 and allow
8 a realistic assumptions regarding fission product
9 behavior. And --

10 COMMISSIONER CARR: More realistic means
11 more realistic than we're using.

12 MR. RUBENSTEIN: Well, best estimate and
13 calculations and hold up and much more database in
14 terms of particulate matter, stuff like that.

15 COMMISSIONER CARR: So it's a departure from
16 the licensing basis then?

17 MR. RUBENSTEIN: Yes, it clearly is, sir.

18 COMMISSIONER CURTISS: Why are we using--
19 in January the staff apprised us that you were
20 concerned with the licensing basis and it wasn't
21 consistent with the current knowledge that we have,
22 TID 14844 This looks to be the first time where the
23 staff is proposing to use a source term for licensing
24 basis that essentially reflects old knowledge and a
25 different source term for evaluating beyond DBA type

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 activities or safety goal compliance.

2 I guess I have two questions. One, if there
3 is, in fact, more realistic information, more accurate
4 information that we've acquired in the source term
5 that is reflected in the source term code package, why
6 don't we use that across the board for both DBA and
7 severe accident? And two, if not, what's the basis
8 for using two different source terms?

9 DR. MURLEY: I think I can address that,
10 Commissioner. The answer is actually fairly simple.
11 That is, we would have to have a rule change to change
12 the source term. And we embarked on that path some
13 years ago and we found, in fact, in order to support
14 the type of certainty that we'd need for a rule
15 change, there was not uniform agreement in the
16 technical and scientific community. And so we do not
17 have a revised rule that takes into account all the
18 most recent data with general agreement in the
19 scientific community.

20 COMMISSIONER ROBERTS: Isn't that still an
21 objective?

22 DR. MURLEY: Yes. But we thought we'd --

23 COMMISSIONER ROBERTS: I understand. I
24 understand.

25 DR. MURLEY: -- approach that in a different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 way this time. Rather than delay all of our
2 standardization activities until we can get a rule
3 change, we decided to move ahead this way. We believe
4 it is not a penalty, a big penalty for the design.
5 And so we're moving ahead with Part 100 with TID 14844
6 source term for the citing licensing basis.

7 COMMISSIONER CURTISS: It's not clear to me
8 whether you're saying that we are using the existing
9 TID for licensing basis because there isn't the
10 consensus necessary to support a rule change or
11 whether there's some other reason that has lead to
12 that response.

13 DR. MURLEY: Well, we know it's
14 conservative.

15 COMMISSIONER CURTISS: Remember, the design
16 certification itself is going to be a rulemaking.

17 DR. MURLEY: Yes.

18 COMMISSIONER CURTISS: It won't amend the
19 current rule, but if it's a procedural question as to
20 the defensibility of that change in rulemaking, we are
21 using a new source term in the context of a rulemaking
22 to certify the GE ABWR.

23 DR. MURLEY: Yes. What we're doing,
24 Commissioner, is we'll be using the old standard,
25 tried and true, TID 14844 source term, which we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 confident is conservative for citing purposes. Now,
2 there is another criterion which is not one of our
3 regulations. It is an industry criterion, which is
4 that the dose during an accident, the dose at a half
5 mile from the plant should be no more than 25 REM
6 whole body with a probability of ten to the minus
7 sixth per reactor year. I got that correct?

8 MR. RUBENSTEIN: Yes, it is.

9 DR. MURLEY: Now, that is not our
10 regulation, but it's their criterion and we've more or
11 less adopted it as, yes, that's a good criterion to be
12 using. It is that criterion where we will discuss
13 with GE and with the industry more realistic source
14 terms.

15 Now, insofar as it's a basis, I haven't
16 thought about that, whether it becomes a part of the
17 basis upon which we license the plant and therefore
18 becomes part of the rule itself? I guess we'd have to
19 chat with somebody from the General Counsel's office.

20 COMMISSIONER CURTISS: I guess I'm touching
21 on a procedural question. It's an issue of timing or
22 legal defensibility, narrow concern with rulemaking
23 that seems to me that we've got a rulemaking here
24 underway or contemplated culminating in 1990 or '91
25 that will, in fact result in use of the new source

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 term information for evaluating this plant. I don't
2 disagree that the current source term information is
3 tried and true, or maybe put a little more accurately,
4 it's tried and not quite true. It's not consistent
5 with the current knowledge is the question I have.
6 I'm not disagreeing with the use of the source term
7 for beyond DBA type activities in this context. My
8 only question is, is there also a basis given what the
9 staff has said in January about the inconsistency of
10 the current source term with current knowledge for
11 applying that same realistic source term uniformly for
12 DBA and beyond DBA?

13 DR. MURLEY: Now it's one thing to say that,
14 namely that current knowledge has shown that the old
15 source term is conservative. But it's another thing
16 to have something firm to take its place and can
17 withstand rulemaking. We faced up to that some years
18 ago and we concluded that the science was not in place
19 to support a rulemaking. Now, whether we have
20 concluded differently today, I don't know that we
21 have. Would Themis Speis would like to answer this?

22 COMMISSIONER CURTISS: We have for severe
23 accidents, in this context.

24 MR. SPEIS: Yes, I would like to add one
25 thing; that even though we're using the same source

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 term as far as the source term that you introduce into
2 the containment, you know, the 25 percent iodine, we
3 have made two changes within the design basis of the
4 LOCA which current information supports. And those
5 changes involve the credit that you give to the
6 suppression pool for cleaning up some fission products
7 and also to the behavior of iodine insofar as this
8 praise in PWR. So we have moved, even though we have
9 moved slowly, but we still have moved in some areas
10 within the design base.

11 COMMISSIONER CURTISS: I'd like to pursue,
12 but I won't hold up the briefing. Why don't we go
13 ahead.

14 COMMISSIONER CARR: When do you expect the
15 data to begin change the source term, bring it up to
16 date?

17 COMMISSIONER CURTISS: That's my point, it's
18 in now for severe accidents. That's what this paper
19 is saying.

20 MS. SPEIS: See, the source term is a
21 complicated issue because it's tied to containment
22 performance. For example, the source term that has
23 been used now, the 25 percent iodine, is not far out
24 of line if you have early containment failure. So
25 it's a very complication that it's tied to the whole

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 severe accident issue. It's a conflict of how we
2 close severe accident issue and then we have to go
3 back and see what changes we make to the source term
4 which addresses the design basis type of
5 considerations.

6 COMMISSIONER CURTISS: Well, there are
7 severe --

8 COMMISSIONER CARR: If that was an answer to
9 my question, I missed it.

10 COMMISSIONER CURTISS: Well, there are
11 severe accident considerations that in new Reg 1150
12 need to be resolved, Commissioner. But from what I
13 understand, the source term code package, that part of
14 new Reg 1150 is essentially complete and gives us
15 enough confidence to say that for advanced reactors in
16 the severe accident arena we have sufficient
17 information that will in turn have to be defended in
18 the context of a rulemaking to use that source term
19 information. What I am pressing you all to address is
20 the question of whether if all of that is true, and
21 recognizing the complexities that new Reg 1150 poses
22 for that purpose, isn't it also true that source term,
23 that that source term revision could equally well be
24 used for DBA considerations, design basis, licensing
25 basis?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 Since I don't want to pursue it here, it is
2 a question I have about --

3 MR. TAYLOR: I think we may write up a paper
4 and address this for you. Why don't we do that?

5 DR. MURLEY: I think the Commission needs a
6 separate briefing on the source term thing. But I
7 don't want to leave the impression that we're very
8 close to having a uniform agreement on a new source
9 term for licensing, because I don't think we are. I
10 personally have not seen what's in 1150, for example,
11 and I don't think many on my staff, if any, have
12 either. So I'd certainly want to take a look at that.
13 I think it deserves a special -- we'll do that.

14 MR. RUBENSTEIN: I would add in another
15 dimension in terms of the ABWR and the severe accident
16 source term, that's a proposed industrial investment
17 protection public safety goal ten to the minus six and
18 it is substantively more stringent than our own health
19 objectives of the safety goal. So while we haven't
20 adopted that in any sense as a requirement we have, in
21 effect, said you propose this, we're very interested
22 and see how you meet this goal yourself. We've had
23 discussions with all the vendor designers in EPRI
24 regarding this and we're not ready to adopt it, nor
25 should we probably adopt it as a requirement. So in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 that kind of a discussion where you know you have a
2 substantial amount of margin over our requirements, it
3 makes the dialogue on severe accident source term
4 features more relaxed.

5 CHAIRMAN ZECH: Can we proceed?

6 MR. RUBENSTEIN: View graph 15, as the
7 Commissioners may remember, 10 C.F.R. 52 required that
8 all future plants do a probabilistic risk assessment.
9 This would include both internal and external events
10 in the PRA. And in addition to that requirement, in
11 discussions with General Electric and the other
12 members of industry, we have also asked that they
13 provide a reliability and maintenance criteria to
14 ensure that the as-built design and the assumptions
15 regarding the components and systems used in the PRA
16 be maintained throughout the life of the plant.
17 They're addressing this and it's a very difficult
18 question. GE and NUMARC are addressing it, perhaps,
19 on a different schedule and at the same time with each
20 other and they're working on it. So I can't really
21 say much more about this at this time, except that we
22 find it's important throughout the life of the plant
23 to make sure that the key assumptions and commitments
24 of the PRA are maintained.

25 COMMISSIONER ROGERS: How were you assessing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 that and reviewing that PRA? Are we doing that
2 currently ourselves or using contractors?

3 MR. RUBENSTEIN: Research has got the main
4 review force and they're using Brookhaven National
5 Labs.

6 COMMISSIONER CARR: When does GE say they're
7 going to provide the reliability of maintenance
8 criteria?

9 MR. RUBENSTEIN: Do you have a date on that?

10 CHAIRMAN ZECH: Well, wait a minute now.
11 Would you care to step to the microphone and identify
12 yourself for the reporter so we can hear your answer,
13 please? Thank you.

14 MR. SCALETTI: My name is Dino Scaletti.
15 I'm with the NRP staff.

16 We don't have a date for the submittal yet.
17 We expect it to come in sometime in early 1990 --

18 CHAIRMAN ZECH: Thank you very much.

19 MR. SCALETTI: -- which it will be in well
20 before the certification begins.

21 CHAIRMAN ZECH: Thank you.

22 COMMISSIONER CURTISS: Just a quick question
23 on that subject of maintenance.

24 CHAIRMAN ZECH: Yes, proceed.

25 COMMISSIONER CURTISS: I take it what's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 envisioned here is that the Japanese into this
2 initiative will lead to a plant that meets all the
3 requirements that we think are important and address
4 all the issues that we think are important and,
5 conversely, the U.S. version of this plant will do the
6 same. The Japanese, as I think we all have seen and
7 known, require their plants to shut down every three
8 months for a periodic required maintenance period.

9 Two questions. One, do they intend to apply
10 that regulatory regime to this plant? And two, is
11 that something that we are considering as an important
12 and essential regulatory ingredient of the approved
13 process of ABWR?

14 DR. MURLEY: Let me try to answer. We met
15 with the regulatory authorities in Japan. And my
16 understanding is that they do intend to follow the
17 same regulatory criteria for the advanced BWR as they
18 do for their current plants, which would mean that
19 there be a period of every year where they shut down
20 for a few months and carry out certain defined
21 maintenance activities. They go, of course, further
22 than we do by quite a bit. They tear down their
23 turbines every year as well as certain other
24 equipment.

25 We are not considering that as a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 requirement. I think we're not -- well, I guess I
2 shouldn't go much further than that. It's not clear
3 to us that that is required, as a matter of fact, for
4 good maintenance. It may be possible that their
5 preventive maintenance goes too far in terms of--
6 beyond what's required. And I think they're thinking
7 that themselves, although they haven't changed to back
8 off a bit because they don't know how far to back off.
9 But in private discussions, they think that maybe
10 tearing down the turbine every year is not required
11 for every instance.

12 But to answer your question directly, they
13 are still planning, to the best of my knowledge, to
14 adopt those same criteria for this plant and, no, we
15 are not considering that.

16 COMMISSIONER CURTISS: In that respect, the
17 two initiatives are not complete technical parallels.
18 There are some differences in the requirements that
19 they would impose, perhaps, on the significant issue
20 depending upon how you view the significance of
21 mandatory outages for maintenance.

22 DR. MURLEY: Yes. The design -- whether it
23 has an impact back in design, that is whether the
24 Japanese maintenance rules and requirements would
25 impact the design such that the design of the Japanese

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 plant, the Kashuazaki plant, is different from ours,
2 I don't know.

3 COMMISSIONER CURTISS: Okay.

4 CHAIRMAN ZECH: All right. Let's proceed,
5 please.

6 MR. RUBENSTEIN: And finally, in the set of
7 miscellaneous items that we have, we have the BWR
8 thermal-hydraulic stability, the staff believes that
9 the design eliminates the need for operator action and
10 reduces the potential for exceeding fuel damage
11 limits. This is accomplished by vent operation in the
12 region of least stability being prevented and selected
13 control rod run-in initiated by trip of at least two
14 reactor internal pumps.

15 COMMISSIONER CARR: Is that an
16 administrative prevention in the first one?

17 MR. RUBENSTEIN: Yes, primarily. You have
18 to stay out of that section in the power flow mode.

19 That concludes the specific ABWR design
20 features and if you have no more --

21 DR. MURLEY: Let me just make sure that this
22 last one is understood. This would preclude, we
23 believe, the type of event that happened at LaSalle in
24 1987. So it's relatively easy to design out and they
25 believe they have done it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 CHAIRMAN ZECH: All right. We'll proceed.

2 DR. MURLEY: We'll move on to the
3 conclusions then, Mr. Chairman, that the GE and the
4 NRC staff are in agreement with the approach that
5 we've just described to you on these severe accident
6 issues. The staff believes that its review will
7 confirm the effectiveness of these features in
8 addressing severe accident goals that are defined in
9 10 C.F.R. Part 52 and Commission's policy papers.

10 If the review does, in fact, confirm the
11 effectiveness, then the severe accident closure will
12 be achieved for the ABWR. I regard this as highly
13 significant that more than a year before we are to
14 enter into the hearing process for certification, we
15 will have reviewed and settled and agreed, at least on
16 the broad outlines, of the policies associated with
17 severe accidents. And with these policy guidelines in
18 place, then the staff review can move ahead on the
19 details and I think be much more effective.

20 Of course, the staff will inform the
21 Commission if any additional requirements arise that
22 are necessary to resolve severe accident concerns. We
23 do not see any on the horizon, but there may be some
24 that do arise.

25 That concludes our briefing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 CHAIRMAN ZECH: All right. Thank you very
2 much.

3 Any questions from my fellow Commissioners?
4 Commissioner Roberts?

5 COMMISSIONER ROBERTS: There is an advanced
6 BWR being built in Japan now?

7 DR. MURLEY: That's right. I should have
8 mentioned, Mr. Chairman, there are plans for two units
9 at the Kashuwazaki site. Their licensing review and
10 regulatory review is moving in parallel with ours and
11 we are working very closely with them, with the
12 authorities in Japan.

13 Their schedule is that construction will
14 begin in February of 1991. They plan to pour the
15 basemat in July of 1992 and begin commercial operation
16 in 1996. There will be two units. The second unit
17 will follow beyond the first unit a little bit.

18 COMMISSIONER ROBERTS: Well at this stage
19 will those units essentially be what you've described
20 this morning?

21 DR. MURLEY: Yes.

22 COMMISSIONER ROBERTS: I know there's some
23 unresolved less important issues.

24 MR. RUBENSTEIN: It's essentially yes except
25 for a couple of minor things like turbine orientation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 and how they inject water into the core. That's the
2 essential major change.

3 DR. MURLEY: The major features that we
4 described today, the severe accident features, my
5 understanding is will be in those plants.

6 MR. RUBENSTEIN: It's a joint design between
7 General Electric, Tobashia and Hatachi.

8 CHAIRMAN ZECH: Commissioner Carr?

9 COMMISSIONER CARR: On the equipment that's
10 required to mitigate the severe accident not being
11 safety related, if that's going to run a long time and
12 take care of its intended function, isn't it, in
13 effect, going to be safety related? Won't you have EQ
14 requirements and power supply requirements and
15 earthquake requirements if it's really designed to
16 handle the severe accident?

17 DR. MURLEY: Well, the intention, Mr.
18 Commissioner, was that we not require these features
19 for low probability events to be what I call gold
20 plated, namely meet all the seismic requirement,
21 single failure proof requirements and so forth that
22 your first line safety systems would have to meet. We
23 didn't really see the need for that.

24 The short answer to your question is no we
25 don't see them becoming --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 COMMISSIONER CARR: I guess my curiosity is
2 if you don't need them when you need them, then you
3 probably don't need them at all? I mean, I can't
4 imagine having to rely on that piece of equipment. I
5 guess what I'm really trying to figure out is why
6 require it at all -- you don't require it, do you?
7 Are you saying you don't require it -- you don't
8 require the equipment?

9 DR. MURLEY: We're requiring it in the sense
10 that the equipment is -- we expect it to be there. We
11 don't expect that it has the same kind of reliability
12 that we want, for example, for emergency cooling
13 systems and that sort of thing.

14 COMMISSIONER CARR: I read that as you want
15 it to be there, but you don't expect it to ever be
16 used?

17 DR. MURLEY: We don't expect it to be used,
18 no. But that, nonetheless, making it single failure
19 proof and gold plating it does not necessary -- it
20 adds a lot to the cost we know. We don't know that it
21 adds all that much to its reliability.

22 COMMISSIONER CARR: I'm not talking about
23 single failure proof. I'm just talking about having
24 to be used in a long time in a tough environment and--

25 DR. MURLEY: Let me ask Mr. Thadani to speak

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 to this because there are some details.

2 COMMISSIONER CARR: Fine.

3 MR. THADANI: Again Ashok Thadani.

4 Commissioner, the intent is clearly that the
5 equipment such as the vent or the fusible plugs or
6 various features to deal with severe accidents, the
7 intent clearly is that they be able to perform their
8 functions in the environment that they are expected to
9 see. That demonstration should be provided. But
10 beyond that, there are many other requirements of
11 safety grade systems that would have really no impact
12 for the kinds of conditions and situations we're
13 discussing.

14 Dr. Murley pointed to single failure proof
15 consideration, which would require two of the same
16 things, so to speak. It would be one example.
17 Another example you mentioned in the seismic. If the
18 system were required to mitigate some accident
19 scenario for seismic events, then that would be an
20 element in itself because of the very fact that it had
21 to perform its function in that environment. However,
22 if a severe accident comes about because of combina-
23 tions of failures from internal events, then this
24 system would not be designed to those strict seismic
25 standards and that's really the top process that went

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 into saying they don't have to be safety grade.

2 COMMISSIONER CARR: Okay. All right.

3 CHAIRMAN ZECH: Commissioner Rogers?

4 COMMISSIONER ROGERS: I understand that you
5 intend to address compliance with the ABWR severe
6 accident requirements on a design specific basis
7 rather than through generic rulemaking for certain
8 practical reasons; to minimize scheduling impacts and
9 such. And what assurance do we have on the Commission
10 that as each issue gets resolved on a design specific
11 basis that we're not drifting into some kind of
12 difference in requirements for different advance
13 reactor designs?

14 DR. MURLEY: Let me try to answer that.
15 You're correct, Commissioner, it's primarily for
16 scheduling reasons that we're approaching this. But
17 many of the issues would be the same. Of course
18 hydrogen control will be the same for -- we'll have to
19 address that issue for other plants. ATWS we will
20 have to address.

21 As we go through the review process, it
22 could very well be that other designs choose to meet
23 the severe accident issue in another way. For example
24 GE has chosen and we've agreed with it, I mean we've
25 kind of encouraged it, that they have over pressure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 protection by a vent. It could be that other plants
2 may decide that they can maintain containment
3 integrity without a vent, and we'll have to review
4 that.

5 So, I guess what I'm saying is that the
6 basic requirement, I think, will stay pretty much the
7 same but how the individual designs choose to meet the
8 requirements may differ as we move through. Now, I
9 recognize this will lead to different certified
10 designs and because the certification is, in itself, a
11 rulemaking, in essence we will have different rules in
12 place that meets the severe accident issue.

13 I do not see that personally as a major
14 drawback and problem. I think the staff can maintain a
15 consistency in the sense that the basic requirement to
16 address ATWS, to address hydrogen, to address the
17 issues is still there.

18 COMMISSIONER CURTISS: What you're saying
19 is, do you view the design certification rulemaking as
20 a vehicle strictly to ensure that the applicant
21 complies with existing requirements that are, in turn,
22 generic in nature and set forth in other parts of the
23 regulations or and to set forth any design specific
24 requirements that might be necessary for individual
25 applications?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 DR. MURLEY: Well, I would say both. That
2 we expect that the design that goes through
3 certification will meet all the regulations that are
4 on the books for severe accidents unless, of course,
5 there's some feature where we decide to give -- where
6 they get an exemption. We mentioned one today on the
7 ATWS rule. There may be some cases like that if we an
8 agree with them that their reliability is good enough,
9 then there may be some narrow areas of exemptions.
10 But we do expect them to meet the current regulations
11 and we also expect them to meet the severe accident
12 issues that we've defined that go beyond our current
13 regulations.

14 COMMISSIONER CURTISS: I guess it's the
15 converse of that that I'm concerned about. I didn't
16 mean to interrupt you.

17 DR. MURLEY: No, that's fine.

18 COMMISSIONER CURTISS: It's worth pursuing
19 because I did, I guess, see that as the most
20 significant policy question in this paper, the
21 decision to change course really 180 degrees from the
22 recommendation last September in 88-248 to pursue
23 severe accident issues in a rulemaking and now, and
24 for what I thought were a number of very good reasons
25 to do that, and now with very little discussion a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 decision that I think is probably the most significant
2 one in this paper, and that is to pursue severe
3 accident in the context of individual design
4 certification step in addition to the concern that
5 Commission Rogers has about the potential for
6 proliferation of different requirements for different
7 plants, Les leaves and somebody comes on board and you
8 get into that design specific review process.

9 I guess I'm also concerned that the
10 potential exists for the design certification
11 rulemaking to do one of two things. One, to establish
12 a general generic policy that the Commission really is
13 effectively saying we're going to apply to all these.
14 Source term is a good example of that. One of the
15 reasons I'm concerned about what the staff has
16 proposed on source term, differing treatment, or the
17 design certification becomes the vehicle for making
18 what amount to generic changes in existing regulatory
19 requirements. And the one there that occurs to me is
20 the relationship of the operating basis serving with
21 the SSE that was addressed in the last briefing where
22 it looks to me like for the GE plant they're going to
23 decouple those two in a manner that effectively omits
24 Part 100. That's my concern as we say that we're
25 going to approach these issues on a design specific

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 basis when, in fact, the issues themselves for both
2 DBA and severe accident may well be generic in nature.

3 DR. MURLEY: I share your concern that we
4 could -- it is possible to drift apart and I think the
5 way to prevent that is close oversight by the
6 Commission as well as close oversight by the staff. I
7 get back to it, it's an issue of timing. I wished we
8 had a severe accident rule, you know, five years or so
9 ago. But we don't, we don't have it and it would be
10 enormously disruptive now to the reviews that have
11 been going underway to stop and to develop a severe
12 accident rule. It could be done. I mean, to me it's
13 clearly a policy question for the Commission. But we
14 are on the path of reviewing these on design specific
15 basis and we're going to do everything we can. And we
16 think we can keep them consistent.

17 COMMISSIONER ROGERS: Well, I had hoped that
18 you would bring to the attention of the Commission any
19 decisions of that sort, you know, as a package or
20 however, not necessarily one by one, so that we're
21 aware of those as they come up. And from our point of
22 view, we'll have an opportunity to ask that question
23 again from time-to-time.

24 DR. MURLEY: I think we can do that on a
25 regular basis. We ought to plan on doing that, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 COMMISSIONER ROGERS: Just somewhat along
2 these lines, have the safety enhancements that General
3 Electric has offered in their design, are they also
4 reflected in the EPRI advanced light water reactor
5 requirements document or do they exceed the
6 specifications in that guide?

7 DR. MURLEY: In some cases they exceed them,
8 in other cases they meet them. For example, the one
9 in the area of electrical systems to cope with station
10 blackout, the ALWR requirements document requires an
11 alternate AC combustion turbine generator, which I
12 think the early design of the ABWR did not have, but
13 they decided to agree with it and put it in. So in
14 that sense it meets those requirements.

15 In other areas, for example in hydrogen, the
16 ABWR essentially side steps the issue because they've
17 gone to inerted containments. And we're having
18 discussions -- I'm having a meeting yet this week with
19 EPRI on what should be the design basis for hydrogen
20 for containments and that there's some -- well we're
21 having disagreements at the staff level, at least, on
22 what that should be.

23 But in a sense, the ABWR goes beyond that
24 requirement. They have installed a vent to protect
25 for over pressure. That goes beyond the ALWR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

700 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 requirements document.

2 COMMISSIONER ROGERS: Well, are we staying
3 in touch with EPRI as we sort of come to decisions on
4 these matters so that they have an opportunity to
5 incorporate them back in their documents?

6 DR. MURLEY: Yes, we are. This does not set
7 a precedent or a requirement for the EPRI
8 requirements. In fact, some areas they disagree that
9 this has gone too far. So we're still discussing with
10 them what should be the ALWR requirements.

11 COMMISSIONER ROGERS: Well, I'm just
12 concerned about that they're aware of these?

13 DR. MURLEY: Oh, yes. Oh, we're in very
14 close contact with them.

15 COMMISSIONER ROGERS: They can decide
16 however they want, but at least they should have the
17 information as to what our position is.

18 MR. RUBENSTEIN: We met with EPRI the ACRS
19 subcommittee in Palo Alto about a month ago and we
20 went over these very specifically and they had an
21 opportunity to make their case and, as Dr. Murley
22 said, that they don't necessarily agree with some of
23 the offerings or our decisions and we're going to meet
24 with them again on Thursday.

25 COMMISSIONER CARR: All right. Good. Good.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. MILLER: Commissioner Rogers?

2 COMMISSIONER ROGERS: Yes.

3 MR. MILLER: GE has agreed to meet EPRI
4 requirements or state to us where they differ so in
5 the review process we are acutely aware of where the
6 differences occur. Where the differences do not
7 occur, they are in conformance and agreement with the
8 rest of the requirements.

9 CHAIRMAN ZECH: Commissioner Curtiss?

10 COMMISSIONER CURTISS: Let me just close the
11 loop on the question that Commissioner Rogers has
12 raised, because I do think it is a significant one and
13 this decision will say a lot about how we review
14 design certification in the future, how we treat
15 issues like severe accident and DBA issues. I guess I
16 remain to be convinced based upon the rather brief
17 discussion in this paper that rulemaking is not the
18 way to go. The staff has talked about the concerns
19 with the schedule, but what I would like to see in
20 more detail, particular in view of the detailed
21 discussion in 88-248 and the two workshops that have
22 been held and the considerable discussion that's gone
23 on, I'd like to see from the staff a more detailed
24 discussion of just what the schedule impacts would be.

25 The original schedule called for a 17 month

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 rulemaking, proposed to final in a manner that, at
2 least in September, the staff knew to be compatible
3 with the schedule for review of design certifications.
4 And I guess I'd question what has changed since
5 September of last year and June of this year in terms
6 of a reversal of the position on that.

7 Secondly, there were benefits that were
8 identified at that time in 88-248 to proceeding by
9 rulemaking, from a legal standpoint, from the
10 standpoint of uniformity which Commissioner Rogers has
11 touched upon and from the standpoint of fleshing out
12 the requirements of the safety goal and severe
13 accident policy statements. And I guess I'd like to
14 reserve judgment on the wisdom of the course that the
15 staff has proposed, albeit in an information paper
16 here to see that kind of discussion and discuss the
17 pros and cons at this point and if there is a sound
18 schedule reason for while we can't proceed, be
19 convinced of that as well.

20 I do have some particular questions. Source
21 term I've already discussed and I gather we'll be
22 having more detail come in on that.

23 Just some loose ends that I'll tie up. Has
24 the ACRS reviewed this paper? What's the status of
25 that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. RUBENSTEIN: Yes, they have. We met
2 with them just about a week ago. It was not involved
3 opportunity to review it. We proposed that they may
4 want to consider giving comments and I believe that
5 they decided because of the early nature of the review
6 with the design, that they would not give comments at
7 this time.

8 COMMISSIONER CURTISS: The question on that
9 is really sort of a tangential question. The ACRS has
10 been tasked to develop containment criteria. Can you
11 explain to me how the ACRS initiative relates to what
12 you've got going on here and in other contexts?

13 MR. SPEIS: They had a task force in trying
14 to address this issue. Basically the issue is whether
15 we should have a containment criteria that encompasses
16 both design base accidents/severe accidents. And as
17 you heard from the staff today, our approach is kind
18 of truncated. You know, we go forward with design
19 base accidents, and then we add margin to make sure
20 that we accommodate the severe accident concerns. And
21 the ACRS, you know, when we talk to them they said,
22 "Well, that makes sense, but maybe it's more -- it
23 makes more sense to do it in a more global way, to
24 come up with precise criteria," because right now the
25 containment criteria, for example, are those that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 derive from LOCA from steam line breaks and pressures
2 in the temperatures. And then we'll see if we can add
3 margin to the containment to accommodate augmented
4 pressures and temperatures from severe accidents and
5 the ACRS says, "You know, maybe we should come up with
6 one pressure and temperature to globally consider both
7 design basis and severe accidents."

8 I'm sorry I drug out the one issue.

9 COMMISSIONER CURTISS: Well, I guess the
10 question that I have is it appears to me that there's
11 some potential for conflict. You all, I take it, have
12 made the decision that this plant could be licensed
13 with hardened vent 45 PSI and the size of the wetwell
14 volume that you've got. Where are we if the ACRS
15 comes in and says we ought to have 60 PSI, we
16 shouldn't have a hardened vent mass reactor, we should
17 have a larger wetwell volume? Where are with this
18 initiative at that point?

19 MR. SPEIS: I don't feel what we're talking
20 with the ACRS will effect that basically. And as I
21 said earlier, the ACRS didn't see anything wrong with
22 what we're doing, but they wanted to study this some
23 more and --

24 DR. MURLEY: Excuse me. But a direct
25 answer, though, Mr. Commissioner, is if they come in

NEAL F. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 with a fundamental difference like that it will
2 ultimately wind up at this table, I'm sure, the
3 Commissioner's. But we'll do our best to work with
4 them to accommodate their concerns and so forth. But
5 if there is a fundamental design change like that,
6 then it could well wind up with the Commission.

7 COMMISSIONER CURTISS: Okay. One final
8 question. On the performance criteria that GE has set
9 out to meet here, do you have any feel for whether you
10 think they can meet those when external events are
11 factored, given the numbers that we're seeing on
12 external events?

13 MR. RUBENSTEIN: We've seen some very
14 preliminary numbers and we've only had the PRA for
15 about a month now and just taking from a presentation
16 that they gave us, we believe they can.

17 COMMISSIONER CURTISS: Okay.

18 DR. MURLEY: But I think until we see the
19 details, we can't answer that for sure.

20 MR. RUBENSTEIN: Again, it's a summary table
21 and the summary table clearly showed that it met it
22 with the over pressure protection capability.

23 COMMISSIONER CURTISS: Okay. That's all I
24 have.

25 CHAIRMAN ZECH: Well, it does seem to me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 that a paper on the status of the source term work
2 would probably be appropriate, as we mentioned earlier
3 in the meeting. And perhaps after that paper comes to
4 the Commission, the Commission wou'd like to consider
5 a meeting to discuss it.

6 DR. MURLEY: Yes, sir.

7 CHAIRMAN ZECH: And frankly, I agree with
8 the staff's approach toward the severe accident in
9 this ABWR design and I commend the staff on their work
10 towards certification of an advanced light water
11 reactor. I'd also commend General Electric Company
12 for their leadership role in bringing forth the lead
13 advanced light water reactor design for certification.

14 I agree with my colleagues that it would be
15 important to try to bring forth the convergence of the
16 generic rulemaking on severe accidents at the
17 appropriate time to realize the full benefits of
18 standardization. I think that's the right the thing to
19 do. On the other hand, I really do believe that the
20 efforts can be done in parallel and that we can
21 continue with your efforts along the ABWR
22 certification process and not stop the progress you've
23 made. I think that would be a mistake, personally, to
24 do that. But I do agree that we should do what we can
25 to work towards a rulemaking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 I personally feel that what you're doing in
2 the ABWR effort could really contribute to a better
3 rulemaking. It would give us experience to work in
4 this area mindful of the plant specific requirements
5 of this design would also -- I don't think they need
6 be incompatible with what we'd want to do for a
7 generic rulemaking. So it seems to me that you should
8 continue to do what you're doing as regards this
9 certification process and certainly not hold it up,
10 that would be my approach, and wait for generic
11 rulemaking.

12 Generic rulemaking, of course, as we all
13 know would have been nice to have in place right now.
14 We don't have it in place. I don't think -- it
15 doesn't -- wouldn't bother me, though, to go in a
16 parallel effort in this regard recognizing that we do
17 eventually want to get to a generic rulemaking that
18 would, again, realize the full benefits of the Part 52
19 effort that we've made and standardization program and
20 so forth. But I would certainly recommend that the
21 Commission not bring a halt to this very important
22 effort that really is the lead effort towards a
23 certified design and, as far as nuclear energy and our
24 country for the future is concerned, it has to be
25 viewed upon as a very important effort.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 COMMISSIONER CURTISS: Let me add I agree
2 with what the Chairman has said. I didn't mean to
3 leave the impression that I think we ought to in any
4 way slow down this effort. I think the schedule that
5 you have adhered to is a remarkable testament to the
6 close work that you've undertaken and the commitment
7 of the staff and I really -- is one of the few
8 instances where the schedule's really stuck as we've
9 had each of our individual briefings. And I want to
10 commend you all for that.

11 I do think the Chairman's suggestion to take
12 a look at the parallel effort with an objective--
13 having a severe accident rulemaking of a generic
14 nature would address a number of the concerns that I
15 have and is a sound suggestion.

16 MR. TAYLOR: Mr. Chairman, the staff is
17 discussing actively in this evolutionary phase based
18 upon our current regulations and then these changes
19 like in the ABWR being sure our current regulations
20 are revised if necessary, cleaned up for the
21 evolutionary designs. Then we're talking about what
22 about the advanced light water reactor and so on. So
23 the staff is in parallel with this effort to take this
24 design that GE has worked up concerning with bringing
25 the rulemaking efforts in parallel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 CHAIRMAN ZECH: Good. I think it's --

2 MR. TAYLOR: To struggle with this both--
3 there's some things that should be changed and we've
4 talked about that with the Commission. So we are not
5 -- we continue to be conscience of the necessity to
6 get our rules updated.

7 CHAIRMAN ZECH: Good. Well, I think it's
8 important that we continue that effort.

9 MR. TAYLOR: And the advanced light water
10 reactor designs will be a whole different approach.
11 We're very happy to see this treatment of severe
12 accident since we're struggling with the existing
13 plants on that, and that's the -- GE has done a very
14 fine job, as you have said, trying to address these
15 issues.

16 CHAIRMAN ZECH: All right. Thank you.

17 Well, I do think it's important that you
18 continue that effort.

19 Well, let me thank the staff for this
20 important briefing today on the status of application
21 of the severe accident policy to the standard plant
22 design. As the staff knows, the Commission is very
23 supportive of the standardization initiatives and
24 strongly supports your work in this area. Advanced
25 boiling water reactor along with the other advanced

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 design that we're aware that are underway are all very
2 important initiatives as they directly relate to the
3 future use of nuclear power in our country. I'd
4 encourage the staff to continue to work closely with
5 all of the vendors of these advanced designs and to
6 address and resolve as best you can all the technical
7 and safety issues that are so important to the
8 certification process and to the mission of our
9 agency. Many of them involve the severe accident
10 issues and challenges that we've talked about here
11 today. It's important that we continue work in that
12 area, I believe, in order to ensure that these
13 advanced designs are the best that can be designed
14 using the experience we have in these many years of
15 operation of commercial nuclear power plants in our
16 country.

17 So I'd also encourage the staff to continue
18 to keep the Commission advised in the review of these
19 new applications and the criteria that are so very
20 important to the eventual, perhaps, approval and
21 licensing process that could be foreseen in the
22 future.

23 We do need to evaluate the generic nature of
24 all the issues and I appreciate the fact that you're
25 continuing to work in a parallel effort in that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 regard.

2 But thank you very much for a very important
3 briefing and for your efforts that you've made towards
4 providing really a future for nuclear energy in our
5 country in these advanced designs and the
6 certification process that you're working on so hard
7 and so effectively.

8 Are there any other questions or comments by
9 my fellow Commissioners? If not, thank you very much
10 for an excellent briefing.

11 We stand adjourned.

12 (Whereupon, at 11:32 a.m., the public
13 hearing was adjourned.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005


CERTIFICATE OF TRANSCRIBER

This is to certify that the attached events of a meeting
of the United States Nuclear Regulatory Commission entitled:

TITLE OF MEETING: BRIEFING ON THE APPLICATION OF THE SEVERE ACCIDENT POLICY
TO THE LEAD APPLICATION FOR ADVANCED LIGHT WATER REACTORS
PLACE OF MEETING: ROCKVILLE, MARYLAND

DATE OF MEETING: JUNE 20, 1989

were transcribed by me. I further certify that said transcription
is accurate and complete, to the best of my ability, and that the
transcript is a true and accurate record of the foregoing events.



Reporter's name: Myles Anderson

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

ABWR SEVERE ACCIDENT DESIGN

PURPOSE

TO INFORM THE COMMISSION OF CERTAIN
FEATURES OF GENERAL ELECTRIC'S ABWR
THAT STAFF BELIEVES WILL ENHANCE
SAFETY AND WILL SATISFACTORILY
ADDRESS SEVERE ACCIDENT CONCERNS
UPON COMPLETION OF THE STAFF'S
REVIEW.

VG-1

TOPICS OF DISCUSSION

- STATION BLACKOUT
- INTERSYSTEM LOCA
- ANTICIPATED TRANSIENT WITHOUT
SCRAM (ATWS)

VG-2

TOPICS OF DISCUSSION (CONT'D)

- CONTAINMENT
 - ° ABWR DESIGN GOAL
 - ° HYDROGEN CONTROL
 - ° VENTING
 - ° CORE DEBRIS COOLABILITY
- SOURCE TERMS
- PROBABILISTIC RISK ASSESSMENT (PRA)
- BWR THERMAL-HYDRAULIC STABILITY
- CONCLUSION

VG-3

STATION BLACKOUT

- DESIGN GOES BEYOND STATION BLACKOUT RULE
- THREE INDEPENDENT ELECTRICAL DIVISIONS
- THREE 100% CAPACITY DIESEL GENERATORS
- ALTERNATE AC COMBUSTION TURBINE GENERATOR
- 10 HOUR BLACKOUT PERIOD SURVIVABILITY
UTILIZING RCIC AND STATION BATTERIES
- AC INDEPENDENT WATER ADDITION SYSTEM

VG-4

STATION BLACKOUT (CONT'D)

- ABWR PROVIDES SIGNIFICANTLY LOWER RISK FROM STATION BLACKOUT COMPARED TO PREVIOUS BWR DESIGNS

VG-5

INTERSYSTEM LOCA

- NEED TO ELIMINATE CONCERN ABOUT LOCA OUTSIDE CONTAINMENT
- ECCS INBOARD CHECK VALVES ARE TESTABLE AND HAVE POSITION INDICATION
- ABWR LOW PRESSURE SYSTEMS ARE ADEQUATELY PROTECTED FROM REACTOR COOLANT SYSTEM PRESSURE
- INTERSYSTEM LOCA RESOLVED FOR THE ABWR

VG-6

ANTICIPATED TRANSIENT WITHOUT SCRAM

- BOTH HYDRAULIC AND ELECTRIC ROD CONTROL
- RECIRCULATION PUMP TRIP
- SCRAM DISCHARGE VOLUME ELIMINATED
- ALTERNATE ROD INJECTION
- MANUAL STANDBY LIQUID CONTROL SYSTEM (SLCS)
(VS. AUTOMATIC IN ATWS RULE)
- IF MANUAL SLCS IS ACCEPTABLE, THE STAFF
WILL RECOMMEND AN EXEMPTION FROM ATWS RULE

VG-7

CONTAINMENT

ABWR DESIGN GOAL

- CONDITIONAL CONTAINMENT FAILURE
PROBABILITY 10^{-1} OVER CREDIBLE
CORE DAMAGE SEQUENCES
- CONTAINMENT FAILURE DEFINED AS
UNCONTROLLED RELEASE
- SEQUENCE STARTS WITH ONSET OF
CORE DAMAGE

VG-8

CONTAINMENT (CONT'D)

HYDROGEN CONTROL

- NITROGEN INERTED CONTAINMENT
ATMOSPHERE
- HYDROGEN RECOMBINER CAPABILITY
- ABWR HYDROGEN CONTROL FEATURES
ARE ACCEPTABLE

VG-9

CONTAINMENT (CONT'D)

VENTING

- "HARDENED" WETWELL VENT
- VENT OPERATION AC INDEPENDENT
- INCLUDES RUPTURE DISKS

VG-10

CONTAINMENT (CONT'D)

CORE DEBRIS COOLABILITY

- SUPPRESSION POOL ELIMINATES
CONTAINMENT LINER DEGRADATION PROBLEM
- DESIGNED TO ENHANCE CORE DEBRIS
COOLABILITY
- DESIGN ELIMINATES SUPPRESSION POOL
FISSION PRODUCT BYPASS

VG-11

CONTAINMENT (CONT'D)

CORE DEBRIS COOLABILITY (CONT'D)

- DO NOT EXPECT CONTAINMENT FAILURE
BY MELT THROUGH

VG-12

SOURCE TERM

- LICENSING BASIS CONTINUES TO BE 10 CFR
PART 100 SITING CRITERIA WITH ITS
ASSOCIATED SOURCE TERM (TID 14844)
- ASSUMES CREDIT FOR CERTAIN DESIGN
FEATURES UNDER DISCUSSION WHICH GE
BELIEVES CAN BE JUSTIFIED

VG-13

SOURCE TERM (CONT'D)

- MORE REALISTIC SOURCE TERM TO BE USED
TO DEMONSTRATE GE SAFETY GOAL CAN BE
ATTAINED
- SAFETY GOAL:
PROBABILITY OF OFFSITE DOSE
25 REM BEYOND 1/2 MILE FROM REACTOR
 10^{-6} /YEAR

VG-14

PROBABILISTIC RISK ASSESSMENT (PRA)

- LEVEL-3 INTERNAL/EXTERNAL EVENTS PRA
- GE TO PROVIDE RELIABILITY AND MAINTENANCE CRITERIA TO ENSURE THAT AS-BUILT DESIGN DESCRIBED BY CERTIFIED DESIGN IS MAINTAINED
- APPLICATION TO INCLUDE KEY ASSUMPTIONS AND COMMITMENTS OF PRA

VG-15

BWR THERMAL-HYDRAULIC STABILITY

- PLANT OPERATION IN REGION OF LEAST STABILITY PREVENTED
- SELECTED CONTROL ROD RUN-IN INITIATED UPON TRIP OF AT LEAST TWO REACTOR INTERNAL PUMPS
- DESIGN ELIMINATES THE NEED FOR OPERATOR ACTION AND REDUCES POTENTIAL FOR EXCEEDING FUEL DAMAGE LIMITS

VG-16

CONCLUSIONS

- GE AND STAFF IN AGREEMENT WITH
APPROACH TO SEVERE ACCIDENT CONCERNS
- STAFF BELIEVES ITS REVIEW WILL CONFIRM
EFFECTIVENESS OF THESE FEATURES IN
ADDRESSING SEVERE ACCIDENT GOALS
DEFINED IN 10 CFR PART 52 AND THE
COMMISSION'S POLICY PAPERS

VG-17

CONCLUSIONS (CONT'D)

- IF EFFECTIVENESS IS CONFIRMED, SEVERE ACCIDENT CLOSURE WILL BE ACHIEVED FOR THE ABWR
- STAFF WILL INFORM COMMISSION IF ADD'L REQUIREMENTS NECESSARY TO RESOLVE SEVERE ACCIDENT CONCERNS

VG-18

TRANSMITTAL TO: X Document Control Desk, 016 Phillips
ADVANCED COPY TO: _____ The Public Document Room
DATE: 6/28/89
FROM: SECY Correspondence & Records Branch

Attached are copies of a Commission meeting transcript and related meeting document(s). They are being forwarded for entry on the Daily Accession List and placement in the Public Document Room. No other distribution is requested or required.

Meeting Title: Brief on the Application of the Seneca
Accident Policy to the Lead Application
for Advanced Light Water Reactors
Meeting Date: 6/20/89 Open X Closed _____

Item Description*:

Copies
Advanced
to PDR

DCS
Copy

1. TRANSCRIPT

1

1

w/ micrographs

2. _____

3. _____

4. _____

5. _____

6. _____

* PDR is advanced one copy of each document, two of each SECY paper. C&R Branch files the original transcript, with attachments, without SECY papers.

DF02
11