

ORIGINAL ACRST-3043

OFFICIAL TRANSCRIPT OF PROCEEDINGS
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

Title: SUBCOMMITTEE ON
ADVANCED REACTOR DESIGNS

Docket No.:

Work Order No.: ASB-300-344

TR04 (ACRS)
RETURN ORIGINAL
TO BJWHITE
M/S T-2E26
415-7130
THANKS!

LOCATION: Rockville, Maryland

DATE: Thursday, June 18, 1998

PAGES: 236 - 310

9806240326 980618
PDR ACRS
T-3043 PDR

ANN RILEY & ASSOCIATES, LTD.

1250 I Street, NW, Suite 300

Washington, D.C. 20005

(202) 842-0034

40001
ACRS Office Copy - Retain
for the Life of the Committee

ORIGINAL ACRST-3043

**OFFICIAL TRANSCRIPT OF PROCEEDINGS
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS**

**Title: SUBCOMMITTEE ON
ADVANCED REACTOR DESIGNS**

Docket No.:

Work Order No.: ASB-300-344

TR04 (ACRS)
RETURN ORIGINAL
TO BJWHITE
M/S T-2E26
415-7130
THANKS!

LOCATION: Rockville, Maryland

DATE: Thursday, June 18, 1998

PAGES: 236 - 310

9806240326 980618
PDR ACRS
T-3043 PDR

0/1

ANN RILEY & ASSOCIATES, LTD.

1250 I Street, NW, Suite 300

Washington, D.C. 20005

(202) 842-0034

40001

ACRS Office Copy - Retain
for the Life of the Committee

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

JUNE 18, 1998

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, taken on June 18, 1998, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript had not been reviewed, corrected and edited and it may contain inaccuracies.

1 UNITED STATES NUCLEAR REGULATORY COMMISSION
2 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

3 ***

4
5 SUBCOMMITTEE ON
6 ADVANCED REACTOR DESIGNS

7
8
9 U.S. Nuclear Regulatory Commission
10 11545 Rockville Pike
11 Room 2B-3
12 Rockville, Maryland 20852-2738

13
14 Thursday, June 18, 1998

15
16 The Subcommittee met pursuant to notice at 8:30
17 a.m.

18
19 MEMBERS PRESENT:

20 JOHN J. BARTON, Chairman, ACRS

21 MARIO H. FONTANA, Member, ACRS

22 ROBERT SEALE, Member, ACRS

23 DANA A. POWERS, Member, ACRS

24 DON W. MILLER, Member, ACRS

25 GEORGE E. APOSTOLAKIS, Member, ACRS

ANN RILEY & ASSOCIATES, LTD.
Court Reporters
1025 Connecticut Avenue, NW, Suite 1014
Washington, D.C. 20036
(202) 842-0034

P R O C E E D I N G S

[8:30 a.m.]

CHAIRMAN BARTON: The meeting will now come to order.

This is the second day of a meeting of the ACRS Subcommittee on Advanced Reactor Designs.

I'm John Barton, Chairman of the Subcommittee.

ACRS members in attendance are George Apostolakis, Mario Fontana, Don Miller, Dana Powers, and Robert Seale.

We also have in attendance ACRS consultant James Carroll.

The purpose of this meeting is to continue review of the Westinghouse AP600 design.

Today the Subcommittee will review containment spray system design, security system design, WCAP-14477, adverse interactions evaluation report, answers to open ACRS questions, and discussion and review of the proposed ACRS report on the AP600 design.

The Subcommittee will gather information, analyze relevant issues and facts, and formulate proposed positions and action as appropriate for deliberation by the full committee.

Noel Dudley is the cognizant ACRS staff engineer for this meeting.

Rules for participation in today's meetings have

ANN RILEY & ASSOCIATES, LTD.
Court Reporters
1025 Connecticut Avenue, NW, Suite 1014
Washington, D.C. 20036
(202) 842-0034

1 been announced as part of the notice of this meeting
2 previously published in the Federal Register on May 22,
3 1998.

4 A transcript of the meeting is being kept and will
5 be made available as stated in the Federal Register notice.

6 It is requested that speakers first identify
7 themselves and speak with sufficient clarity and volume so
8 that they can be readily heard.

9 We have received no written comments or requests
10 for time to make oral statements from members of the public.

11 We will now proceed with the meeting, and I call
12 upon Brian McIntyre of Westinghouse to begin.

13 MR. McINTYRE: Okay. Thank you, Mr. Barton.

14 The first presentation today will be Terry Schulz
15 on discussing the containment spray system design for the
16 AP600.

17 The second scheduled topic is security and then
18 followed by the adverse systems interaction.

19 If you don't mind, I'd like to reverse the adverse
20 systems interactions and the security. The security
21 reviewer won't be here until nine and hasn't seen what I'm
22 going to present, and at least he should have a few minutes
23 to look at it.

24 CHAIRMAN BARTON: Sounds like a real good security
25 system to me.

ANN RILEY & ASSOCIATES, LTD.
Court Reporters
1025 Connecticut Avenue, NW, Suite 1014
Washington, D.C. 20036
(202) 842-0034

1 MR. MCINTYRE: And then Mr. Schulz, if he gets
2 done, can then jump in his car and be back at work by noon.

3 CHAIRMAN BARTON: Well, we'll have lots of
4 questions for Mr. Schulz.

5 That's fine.

6 MR. MCINTYRE: Okay. We bring you Mr. Schulz
7 again.

8 MR. SCHULZ: Good morning. My name is Terry
9 Schulz, and the first topic we'd like to discuss is the
10 containment spray system for AP600.

11 This system is not a safety-related system. It's
12 not required to function during design basis accidents. The
13 doses for AP600 are limited to acceptable values with
14 natural removal mechanisms.

15 The system is required by SECY-97-044 to provide
16 additional capability in severe accidents. It's not
17 required to be safety-related to perform that function.

18 The design of the system uses the fire water
19 protection system to provide water from a water supply, the
20 tanks, and pressure for the spray.

21 There's a connection made to the fire protection
22 system inside containment that connects up to two ring
23 headers that are located up in the top of the containment.
24 These nozzles are at least 100 foot above the operating deck
25 of the containment.

1 The fire protection -- one of the fire protection
2 pumps, either one, provides a little more than 1,000 gpm at
3 20 psi.

4 We use 20 psi because of the severe accident
5 studies that we looked at. The pressure in the containment
6 is no more than 20 psi at about an hour or so after the
7 accident, when we would anticipate the operators possibly
8 using this system.

9 The spray nozzles provide essentially 100-percent
10 coverage above the operating deck. The 83 percent comes
11 about because there's obviously regions below the operating
12 deck that aren't sprayed.

13 The system was set up to run for about three
14 hours.

15 The system cannot run indefinitely, because it's
16 just pumping water into the containment, and we have
17 established a maximum water level that we want to allow
18 during this system operation, and at this flow rate, we've
19 got about three hours of operation.

20 DR. CARROLL: I've made this comment before, but
21 I'll make it again. Do the fire insurance underwriters like
22 your idea of compromising their fire protection system?
23 Having fought a battle of that sort once, I'm sensitive to
24 the issue.

25 MR. SCHULZ: We have not talked to insurance

1 people about this. There are in existing plants some uses
2 of the fire system for limited back-up kind of make-ups to
3 either aux feed water or, in some cases, service water -- or
4 not service water -- CCW make-up, that kind of thing.

5 As long as there is very careful control of the
6 use of that, both from a -- say, operator procedures and a
7 mechanical type -- you know, what it takes to turn this on
8 -- and one of the things you see here, that in order to get
9 spray, we need to open this air-operated valve inside
10 containment, we need to open this lock-closed valve outside,
11 which is a containment isolation valve, and to actually get
12 water from the fire pumps, we need to open a third valve.

13 So, it's very unlikely or incredible to us that
14 this would get inadvertently used, and we think that the
15 situation where you've actually damaged the core -- this is
16 a severe accident management kind of a thing, far beyond any
17 design basis situation.

18 So, we think that's a reasonable approach, but we
19 haven't actually discussed that. We haven't had an issue,
20 as far as I know, with the NRC staff.

21 MR. SNODDERLY: This is Mike Snodderly,
22 Containment Systems and Severe Accident Branch.

23 Dr. Carroll, if you notice, in the original
24 design, either the primary or the second fire protection
25 tanks could be use to supply the system.

1 As a result of discussions with our fire
2 protection people, they didn't like that, and the system's
3 been changed so that now only the secondary tank, the
4 350,000-gallon tank, is the only tank that can supply the
5 spray system.

6 So --

7 DR. SEALE: So, you've scratched off the 425.

8 MR. SNODDERLY: Right. And that is to be totally
9 dedicated for just fire protection purposes, and that was as
10 a result of comments from our fire protection people.

11 DR. CARROLL: Okay.

12 DR. SEALE: And there is no make-up from the sump
13 internal to the containment for this.

14 MR. SCHULZ: That is correct. It's strictly in a
15 external spray into the containment. There is no-recirc
16 capability.

17 DR. SEALE: Either for the sprays or for the fire
18 headers.

19 MR. SCHULZ: That's correct, yes.

20 So, you see here the basic arrangement, and as I
21 mentioned, the connection, what was added to the design was
22 this connection from the fire header inside containment up
23 to the spray nozzles, including this air-operated valve.

24 This valve is a fail-open valve, so that if you
25 actually had severe conditions in containment, it would

1 expect it to be already open. Air would have been shut off
2 to the valve, that kind of thing, and even if it wasn't
3 open, it could be opened.

4 Originally, I think we had a fail-closed valve,
5 and that probably would not be expected to function in a
6 adverse condition inside containment. So, we changed it.

7 During a shut-down mode of operation, I'll point
8 out that this additional manual valve here is closed so that
9 the -- you can open up the fire header inside containment
10 for potential fire-fighting duties without risking
11 inadvertent spray in the containment.

12 So, again, the basic idea is that you've got
13 300,000 gallons of water or so that you can put into the
14 containment.

15 The system can run for about three hours in that
16 situation, and the containment water level will stay within
17 acceptable levels, within a foot or so of the levels that
18 you might reach otherwise in the containment.

19 DR. SEALE: Let me make sure I understand.

20 MR. SCHULZ: Sure.

21 DR. SEALE: The smaller of the two reservoirs over
22 there on the right is now the only one available for the
23 sprays. The other one is still there, but it's strictly
24 dedicated to fire protection.

25 MR. SCHULZ: Right. Right.

1 DR. SEALE: Okay.

2 DR. CARROLL: And that's done by administrative
3 controls, or is it physically impossible to use it?

4 MR. SNODDERLY: I believe it's administrative
5 control, because the system's design -- I probably mis-spoke
6 when I said the system design change -- how the system will
7 be used.

8 DR. CARROLL: Okay.

9 MR. SCHULZ: Yes. There's valves in this ring
10 header that I don't show here, that separate it out, and
11 those valves will be used, along with the procedures, to
12 provide that control.

13 When would the system be used?

14 Again, its purpose is a severe accident kind of
15 capability.

16 So, we would use the core exit thermo-couple high
17 temperature, which is an indication of loss of core cooling,
18 and get into the emergency procedures and the severe
19 accident management guidelines before this system would be
20 used by the operators.

21 I mentioned it would be run continuously until it
22 pumped in its 300,000 gallons of water or so. The
23 containment water level is limited. Post-accident
24 monitoring, qualified containment water level instruments
25 verify that the level is not too high.

1 It does help with the removal of iodine. You get
2 about a 50-percent reduction in iodine by running the system
3 in this way.

4 DR. FONTANA: Is that figured on elemental or
5 aerosols or both?

6 MR. SCHULZ: Aerosols.

7 DR. FONTANA: Okay.

8 MR. SCHULZ: Exactly --

9 DR. FONTANA: There's no pH control in the sprays,
10 are there?

11 MR. SCHULZ: There's no pH control in the spray.
12 You'll see in a slide we did evaluate the impact of putting
13 this water into the spray, into the containment and what it
14 would have affect on the pH, and it is minor and
15 insignificant.

16 CHAIRMAN BARTON: Terry, this water level, less
17 109 foot elevation -- how many hundred thousand gallons is
18 that?

19 MR. SCHULZ: That's 300,000 gallons.

20 DR. FONTANA: About 45,000 cubic feet.

21 MR. SCHULZ: We normally flood up to about 107
22 foot elevation, but we don't flood all the volumes to get to
23 that level. There's -- the PXS rooms and the CVS rooms
24 don't normally flood.

25 If we do flood all the volumes, you're down around

1 the 103 level --

2 DR. FONTANA: Okay.

3 MR. SCHULZ: -- when you get like a wall-to-wall
4 flood.

5 DR. FONTANA: Yes.

6 MR. SCHULZ: So, you go -- you would go from like
7 the 103 level up to the 109 level by adding 300,000 gallons
8 of water.

9 So, it may be a little confusing. If you're used
10 to thinking of our re-circ level as 107 plus and we add that
11 much water, you know, does it really make sense that we're
12 only going up a foot or two, and there's other volumes that
13 we would end up flooding in this situation.

14 I was just saying that the amount of -- the
15 benefit of the system is somewhat dependent on the sequence
16 of events and the timing. We've done some sensitivity
17 studies of starting at one hour, hour-and-a-half, two hours
18 after the source term that we used in the SSAR.

19 You get some variation but not a lot in the
20 benefit of iodine reduction.

21 We had to try to assure ourselves that the
22 addition of this system doesn't cause any serious adverse
23 problems.

24 One of the things that we looked carefully at, was
25 it possible to have an inadvertent spray, and as I showed

1 you, there's these three valves that have to be realigned,
2 mis-positioned, open up in order to cause spray. So, we
3 have concluded that that's not credible.

4 DR. APOSTOLAKIS: What kind of probability would
5 you think that event has?

6 MR. SCHULZ: Totally insignificant, beyond
7 calculation.

8 We've got one lock-closed manual valve that's a
9 containment isolation valve. So, that's got a very high
10 degree of assurance.

11 Typically, that one valve is enough to not assume
12 that -- in design basis space -- that a system is realigned.
13 However, that by itself would not give you a insignificant
14 probability.

15 But combined with these other two, in my
16 understanding of the PRA, it wouldn't even be modeled in the
17 PRA. It would be thrown out by screening-type criteria.
18 So, I don't know what the number would be, but in my
19 opinion, it would be completely insignificant.

20 DR. SEALE: Is this the moral equivalent of the
21 conservatisms that are in the thermal hydraulics
22 calculations?

23 If I take a little over 1,000 gallons per minute
24 and divide it into 350,000 gallons in that tank, I get over
25 five hours of capacity, and you indicate you have three

1 hours.

2 MR. SCHULZ: Yes.

3 DR. SEALE: Is that just conservancy?

4 MR. SCHULZ: That's just conservatism, yes. It
5 could run --

6 DR. CARROLL: The tank had already been sized.

7 MR. SCHULZ: The tank's already been sized.

8 DR. SEALE: I appreciate it, but it's more than
9 five hours, it's not three hours.

10 CHAIRMAN BARTON: In three hours you put like
11 186,000 gallons.

12 DR. SEALE: Yes.

13 MR. SCHULZ: Yes.

14 DR. SEALE: So, it is the moral equivalency of
15 neglecting the heat capacity in the containment pressure
16 calculation.

17 MR. SCHULZ: But the containment pressure, I don't
18 think is --

19 DR. SEALE: That's another issue we dealt with the
20 other day.

21 MR. SCHULZ: Right. The procedure would be to
22 keep running that water in there. So, if the water is
23 really available and it doesn't cause the water level to go
24 above the 109, you'd really get your four or five hours.

25 DR. SEALE: Yes.

1 DR. FONTANA: What do the operators require to
2 start this thing up?

3 MR. SCHULZ: Say again?

4 DR. FONTANA: What signals?

5 CHAIRMAN BARTON: It gets you into the severe
6 accident management guideline.

7 MR. SCHULZ: This is a very key input into getting
8 into the severe accident management guidelines, and there's
9 a number of steps that you start taking --

10 DR. FONTANA: Okay.

11 MR. SCHULZ: -- once you get into here in terms of
12 trying to get the reactor system pressure down to avoid a
13 high-pressure melt-type sequence, to dumping the IRWST to
14 establish the ex-vessel cooling, and another action in that
15 list would be to line up the spray system and to -- so that
16 it can be used when it's judged appropriate to use it.

17 DR. FONTANA: Now, if your thermo-couples don't
18 work, you don't run. Is that correct?

19 MR. SCHULZ: Not by procedures. If you had no
20 indication of high core exist thermo-couple temperatures,
21 there's other temperature indicators in the hot legs. You
22 know, you're into something --

23 DR. CARROLL: You've also got radiation
24 monitoring.

25 MR. SCHULZ: You've got radiation monitors,

1 although I don't know how --

2 CHAIRMAN BARTON: Is there a dome monitor in this
3 containment, radiation dome monitor?

4 MR. SCHULZ: There's several -- I don't know if
5 they're actually located in the dome, but they're in the
6 atmospheric space.

7 DR. CARROLL: I think Reg. Guide 1.97 tells you it
8 has to be up there.

9 CHAIRMAN BARTON: You have to have one up there,
10 right?

11 DR. CARROLL: I think so.

12 MR. SCHULZ: So, we think that, in our minds,
13 we're relying on these core exist thermo-couples to give us
14 a very clear signal to the operators of when to do it, when
15 not to do it, so that we can not get into situations where
16 it -- the operators might inadvertently decide, oh, gee, I
17 think I need it and turn it on in design basis accidents.
18 So, the clear and unambiguous indication is an important
19 part of this judgement that the inadvertent spray during
20 design basis-type accidents are not a credible event.

21 CHAIRMAN BARTON: Does the staff agree that it's
22 not credible and requires misalignment of three valves for
23 inadvertent containment spray?

24 MR. SNODDERLY: This is Mike Snodderly.

25 I don't know if I would use the word "incredible,"

1 because we didn't do the analysis or the PRA, but we felt
2 that it was sufficient to preclude the need for --

3 CHAIRMAN BARTON: The reason I ask is because, in
4 a discussion on leak before break in feedwater, it requires
5 the same kind of thing, misalignment of several valves, get
6 the water hammer, and you guys thought it was credible. So,
7 I just -- that's why I asked.

8 DR. CARROLL: I think I would strike the word
9 "credible" from our nuclear vocabulary. It has caused a lot
10 of trouble over the years.

11 DR. APOSTOLAKIS: Highly unlikely.

12 CHAIRMAN BARTON: Highly unlikely.

13 DR. CARROLL: That sounds better.

14 MR. SCHULZ: Other design basis evaluations we
15 performed were evaluation of boron dilution -- and again,
16 key to this evaluation was the going-in assumption, based on
17 the previous page, that spray -- inadvertent spray is not an
18 event that you have to consider in design basis space, it's
19 only used in severe accident.

20 In severe accidents, the core is severely damaged,
21 its geometry is changed, and the need for boron is not a
22 requirement anymore. So, as a result, boron dilution is not
23 a concern, and we have not evaluated it.

24 DR. CARROLL: This change of core geometry is
25 always in the direction of making the core less reactive?

1 MR. SCHULZ: That's my understanding. I'm not an
2 expert in that area, but there also tends to be less space
3 for water to get, you know, in -- that's part of it.

4 Containment pH we looked at, and we actually did a
5 little sensitivity study where we put in 300,000 gallons of
6 water and looked at our long-term pH calculation, and the
7 indications were that the pH would increase but only very
8 slightly, and as a result, we don't think there's any issue
9 with re-evolvment of iodine.

10 DR. SEALE: Basically no problem.

11 MR. SCHULZ: No problem.

12 DR. CARROLL: And in your modeling, you did have
13 the tri-sodium phosphate.

14 MR. SCHULZ: We had tri-sodium phosphate.

15 DR. CARROLL: It is buffered with tri-sodium
16 phosphate as you're adding this neutral water.

17 MR. SCHULZ: Right. We attempted to account for
18 the sulfuric acid from cable degradation, nitric acid from
19 the air.

20 DR. POWERS: I think, at one time, I asked what G
21 value you're using for your nitric acid in the air.

22 MR. SCHULZ: I don't know the answer to that. I
23 didn't do the calculation myself. I'm not aware.

24 DR. POWERS: Do you know where that calculation
25 was done?

1 MR. SCHULZ: Fauske & Associates did the
2 calculation for us. I think it was made available for staff
3 review and they did look at it. I don't know -- far as I
4 know, there was no -- they considered there was no problem
5 with it, but I don't know what the extent of their review
6 was.

7 DR. POWERS: You indicated that putting in 300,000
8 gallons of spray increases the pH?

9 MR. SCHULZ: No.

10 DR. POWERS: It decreases.

11 MR. SCHULZ: Decreases the pH, yes. I didn't
12 really say that there, but --

13 DR. CARROLL: Yes, you did.

14 CHAIRMAN BARTON: Just said changes.

15 DR. CARROLL: Decreases.

16 MR. SCHULZ: No, decreases. It's kind of removed
17 from the pH there, 30 days are in the middle, so it's --
18 yes, you're right, I did. It does decrease it.

19 DR. POWERS: Phosphate interacts with a lot of
20 things to form precipitates. Is there a concern about the
21 phosphate loss, consequently a loss of buffering capacity,
22 due to interactions with lots of things -- concrete, steel,
23 iron, contaminants, things like that?

24 MR. SCHULZ: I don't know the answer to that
25 question. I would have to ask that if you wanted an answer.

1 DR. CARROLL: Put that on the Dudley list, Dana?

2 DR. POWERS: I think it's a back-of-the-envelope
3 calculation, probably not a very big effect, as long as the
4 phosphate solution is not in contact with concrete.

5 MR. SCHULZ: Well, there's coatings on concrete.
6 AP600 has a lot of steel modules. So, it tends to have a
7 bit less concrete than operating plants does, although there
8 is still some

9 DR. POWERS: I assume most of the sumps are
10 steel-lined, aren't they?

11 MR. SCHULZ: The sumps are steel-lined, but we do
12 float up the loop compartment.

13 Now, the loop compartment walls are steel. The
14 floor, I believe, is concrete.

15 DR. POWERS: Coated. Some sort of coating on it?

16 MR. SCHULZ: Yes. Yes. And the floor would be
17 thick kind of a epoxy on the floor.

18 DR. POWERS: I suspect it's difficult to be -- to
19 do the calculation in a way that persuades the more
20 skeptical, but I'll bet you that, in reality, that you get
21 some precipitation, but it's not enough to change, got
22 enough -- in there to -- a lot of coveralls.

23 MR. SCHULZ: Yes, there is a lot.

24 We have committed to a number of ITAAC test
25 inspections -- one, just to visually inspect that there are

1 nozzles in the containment, in the spray headers.

2 There's a verification that the water fire
3 protection pumps have adequate had flow, the water tank has
4 adequate volume, and we've also added, more recently, a
5 inspection to -- for valves that would be used to isolate
6 the spray header from the normal fire protection system so
7 that they can be aligned during normal operation and provide
8 the desired separation and avoidance of inadvertent spray.

9 DR. SEALE: I remember several years ago, many
10 years ago now, that in connection with an experimental
11 facility that was steel-lined, a concern for electrical
12 shock hazard was expressed and, let's say, administratively
13 cleared, as I recall, and then, as it turned out later,
14 someone, in fact, did get fatally injured from an electrical
15 shock.

16 Is there any -- has there been any concern for
17 these large rooms with essentially steel linings as being a
18 peculiarly severe electrical hazard?

19 DR. CARROLL: Not if they're grounded, I don't
20 think.

21 DR. SEALE: These were grounded, but -- I'm just
22 curious. It was just something that was in the back of my
23 mind.

24 MR. SCHULZ: I have not heard any concern raised,
25 but I don't really -- I'm not really an expert in that area.

1 Are there any other questions?

2 DR. SEALE: Is there any problem along those lines
3 that you're aware of, staff?

4 MR. SNODDERLY: No, sir.

5 DR. SEALE: Okay.

6 MR. SNODDERLY: That wasn't something we
7 considered.

8 DR. CARROLL: I don't think there's any history in
9 the nuclear industry of that sort of thing.

10 CHAIRMAN BARTON: Most of those compartments are
11 basically concrete painted, shield or painted concrete
12 compartments.

13 DR. SEALE: You're not working a steel tank.

14 CHAIRMAN BARTON: Steel-line compartments I don't
15 think are prevalent in today's design.

16 DR. CARROLL: Well, your torse is a steel
17 container.

18 MR. SCHULZ: The two-loop plants that are
19 operating in the United States have steel containments.

20 CHAIRMAN BARTON: Oh, yes.

21 MR. SCHULZ: And the ice containments, I think,
22 are steel.

23 CHAIRMAN BARTON: I think Bob's question was more
24 towards ~~the~~ compartments -- at least our understanding was
25 you're talking about sub-compartments within containment

1 that had steel-lined walls or something.

2 DR. SEALE: Yes. You're truly grounded in
3 something like that. I mean there's a good path to ground
4 if you ever manage to come in contact with anything.

5 MR. SNODDERLY: The Mark I containment, that type
6 of containment, you've got the steel torse, and I can't
7 recall any incidents of electrocution.

8 DR. SEALE: Okay.

9 CHAIRMAN BARTON: Any other questions of Terry?

10 [No response.]

11 CHAIRMAN BARTON: Looks like not. Thank you.

12 DR. CARROLL: I think he got off easy today.

13 MR. SCHULZ: You'll have another chance here.

14 DR. POWERS: Is the staff going to have an
15 opportunity to comment on what they did to review the nitric
16 acid production?

17 If you have a G-value of .01, then, yes, you're
18 not going to change the pH at all. If you use a G-value of
19 5, you'll probably change the pH by a lot. So, the question
20 is what value was used?

21 MR. SCHULZ: We could get an answer to that.

22 MR. McINTYRE: We should be able to call back and
23 find that.

24 DR. POWERS: It's a straightforward calculation.
25 You need the dose to the atmosphere, and you need the amount

1 of time, and you need a G-value.

2 CHAIRMAN BARTON: Are you taking that on as an
3 action item, Brian?

4 MR. MCINTYRE: Yes.

5 MR. SCHULZ: We performed an evaluation which we
6 reported in a WCAP on adverse systems interaction for AP600.
7 This was a very interesting exercise evaluation.

8 There's not exactly a rule book on how to do this
9 kind of thing, and we found that, for the most part, we had
10 done, piecemeal-wise, a rather good job in finding adverse
11 interactions, but we had not done a very good job in
12 describing that and conveying that information.

13 So, a lot of what was in this WCAP was pulling
14 together information out of different areas of our design
15 and analysis and presenting them in a systematic fashion to
16 explain what has been done or hasn't been done.

17 There were three basic types of interactions that
18 we looked for -- what we call functional interactions --
19 these are thermal hydraulic kind of things, two different
20 systems running at the same time that might somehow
21 interfere with each other -- human intervention interactions
22 -- these are more of the errors of commission in most cases,
23 possibly cognitive errors, and the spatial interactions.
24 These are hazard-induced fire, flood, that kind of thing,
25 that could possibly affect multiple systems.

1 We did go through and try to look at both the
2 passive, safety-related systems and the active,
3 non-safety-related systems, both in combinations of act of
4 interfering or interacting with passive, as well as between
5 passive systems.

6 DR. CARROLL: I'm curious about something,
7 probably for the staff. Is this the first time a study as
8 comprehensive as this one has been done on a new design?

9 MR. HUFFMAN: This is Bill Huffman, Projects.

10 I don't know the answer to that question. I'm
11 getting feedback here for the evolutionary designs that such
12 a similar study was done. I don't know how extensive it
13 was.

14 DR. CARROLL: Why don't I remember that? I guess
15 I'm getting old.

16 DR. SEALE: Well, I know Carlisle Michelson had
17 quite a few questions along these lines.

18 DR. CARROLL: Yes. I think the study Westinghouse
19 has done would have gone a long way to making Carl happy.

20 MR. HUFFMAN: The additional feedback I'm getting
21 is that, in the evolutionary designs, it was in response to
22 one of the USI-GSI generic issues for interaction. So, it
23 may not have been as comprehensive.

24 DR. CARROLL: Thank you.

25 MR. SCHULZ: What I'd like to now do is to go

1 through these three different types of interactions and try
2 to explain what we did do.

3 In terms of the functional interactions, we tried
4 to look at the potential or tried to discover potential
5 adverse interactions, and the underlying basis for that was
6 our understanding of AP600 system behavior, and that
7 understanding has a lot of separate activities that form
8 that understanding, going back to detailed hand-type
9 calculations and evaluations, small-scale-type research that
10 was done on AP600 features, larger separate effects testing
11 that was done on AP600 features, and probably very important
12 was the interval systems testing at SPES and OSU, where we
13 actually did run some of the sequences with both active and
14 passive systems functioning at the same time, as well as,
15 obviously, the passive systems working together.

16 A lot of work and thinking goes into the DBA
17 analysis to consider, and that's one of the fundamental jobs
18 of the analysts that do the DBA analysis, is to think about
19 what is the worst set of conditions.

20 So, they do -- historically have done a lot of
21 thinking of how can the feedwater system malfunction, how
22 can these other systems malfunction that are non-safety
23 systems and adversely affect the course of an accident.

24 Now, AP600 throws a few wrinkles into that,
25 because we have a little different mix of systems, but the

1 fundamental part of DBA analysis is to do some of this
2 thinking.

3 The PRA success criteria thermal hydraulic
4 analysis is another large body of analysis that was done and
5 has some of the same objectives.

6 More analysis was done in support of the ERGs.

7 So, together, this analysis, testing, and thinking
8 about these -- the way the systems perform form the basis
9 for our understanding of the plant.

10 Now, what we do with that understanding?

11 For this evaluation, we tried to put a matrix
12 together of systems and -- active systems and basically
13 passive systems or functions and then tried to look at where
14 we thought there might be a potential interaction, and where
15 you see these numbers, these are actually section numbers
16 out of the WCAP, and so, in section 2.2.1, we basically
17 discuss the potential of reactor coolant pumps to cause
18 interactions with the core, core make-up tanks, and passive
19 RHR.

20 We didn't consider in the other areas potential
21 interactions, and again, this was based on our understanding
22 of the plant.

23 I'm not going to through this whole table.
24 There's a lot of information that's in WCAP. I do have
25 basically an example to talk about, and that happens to be

1 the reactor coolant pump item.

2 DR. APOSTOLAKIS: Did you consider potential
3 interactions among active systems?

4 MR. SCHULZ: Not explicitly, but when we were --
5 in this review.

6 I think there was a less concern -- I think the
7 concern as expressed by the staff was you have -- was the
8 passive systems, because they are the primary defense in
9 both -- of course, in DBA space, they are the defense that
10 was relied upon to keep the plant safe.

11 In the PRA, they are the primary defense, provide
12 most of the protection of the plant. If those things work,
13 you're okay.

14 There was also this concern that, gee, passive
15 systems are sensitive, small DPs, may be more subject to
16 interactions.

17 So, I think those two factors led us to focus on
18 the passive systems and whether or not active systems could
19 adversely interact with them or between themselves, and we
20 haven't really looked at active to active.

21 DR. APOSTOLAKIS: Or between themselves. You mean
22 what?

23 MR. SCHULZ: Between core make-up tanks and
24 passive RHF.

25 DR. APOSTOLAKIS: I see.

1 MR. SCHULZ: That kind of thing. And that's the
2 next table I was going to show you. We did a similar kind o
3 matrix for the passive features, which basically just lists
4 the same systems on -- across the top and down below, and
5 then to discuss the potential for interactions.

6 There's a few of them that we basically excluded,
7 but most of them -- as you see, this is all filled in up
8 here -- we discussed in the WCAP.

9 DR. APOSTOLAKIS: So, what was your conclusion?

10 MR. SCHULZ: The conclusion -- well, two more
11 slides.

12 DR. APOSTOLAKIS: Okay. But even interactions
13 among active systems -- I mean the guys who developed the
14 event trees must have taken them into account. If you have
15 more than one active system in an event tree, you really
16 have to look for potential dependencies, right?

17 MR. SCHULZ: Well --

18 DR. APOSTOLAKIS: So, maybe it was not part of
19 this study, but --

20 MR. SCHULZ: Absolutely, dependencies, if this
21 system needs this one to work, and then I suppose the
22 converse of that is, if this one doesn't work, that one
23 doesn't work. So, absolutely.

24 DR. APOSTOLAKIS: What if they share --

25 MR. SCHULZ: Yes.

1 DR. APOSTOLAKIS: -- components and all of this.

2 MR. SCHULZ: Yes. From that point of view, the
3 PRA -- that's one of the basic fundamental things that's
4 done in the PRA, is to look for those interactions.

5 DR. APOSTOLAKIS: This study, then, was sort of
6 special because of the introduction of the passive systems,
7 you had to do this excellent work.

8 MR. SCHULZ: Yes. And to see if the -- to try to
9 look for something that might have been missed in everything
10 else you do.

11 DR. APOSTOLAKIS: Right.

12 MR. SCHULZ: This matrix here is primarily looking
13 at Chapter 15 analysis, and again, there's multiple pages of
14 this in the WCAP, and what it's looking at is listing the
15 active systems and assumptions made in the SSAR, and
16 basically, what this table summarizes is that there are a
17 number of active systems in PWRs that historically -- and
18 with AP600, also -- are potential adverse interaction
19 situations. Excessive main feedwater is a good example.

20 And there are valves and controls and interlocks
21 to minimize the potential, to prevent those kind of
22 interactions.

23 AP600 typically has done maybe a little bit more
24 in that area because of our -- in some cases, the passive
25 systems allows us to automatically shut off start-up

1 feedwater, because it's not the safety-related way of
2 cooling the reactor in a transient.

3 So, if things get a little out of whack or start
4 looking like threatening core cooling, we can turn off
5 start-up feedwater. It's a very dangerous thing to do in a
6 plant where that is your safety-related means of cooling.

7 The same thing with CVS make-up -- that's our
8 high-pressure make-up, and so, if we have a potential
9 pressurizer overfill situation developing, we can shut off
10 the CVS without worrying too much that we're defeating our
11 safety-related means of make-up.

12 DR. FONTANA: What are the entries again -- N.2,
13 A.2, that sort of thing?

14 MR. SCHULZ: These are notes in the WCAP that --

15 DR. FONTANA: Oh, okay.

16 MR. SCHULZ: -- basically tell you something about
17 the assumptions made in the safety analysis relative to this
18 event versus this feature.

19 The next slide had a little example of
20 active-passive kind of interaction and sort of illustrates
21 the approach and what we did in these -- in little sections
22 that dealt with -- so, you'll find a section in the WCAP on
23 reactor coolant pumps, which is 2.2.1, and it basically goes
24 through a function discussion, what the reactor coolant
25 pumps do.

1 Of course, they circulate reactor coolant through
2 the reactor coolant system, through the core, and during an
3 event, their operation tend to increase the heat transfer
4 out of the core, which is usually good and sometimes can
5 actually cause interactions by itself.

6 Then we, understanding the context of the
7 component you're talking about, thought about the potential
8 interactions as we identified in that table, and there were
9 like three of them.

10 One of them was core cooling, and what were
11 thinking about here was, in particular, the small LOCA
12 situation of running reactor coolant pumps during a small
13 LOCA and then, possibly with the loss of the reactor coolant
14 pumps, get core uncover or something actually outside the
15 design basis, and we deal with that in AP600 with automatic
16 safety-related reactor coolant pump trip.

17 So, in a safety injection signal, we stop the
18 reactor coolant pumps, and that prevents this adverse
19 interaction, whereas in operating plants, they don't trip
20 the pumps, they allow -- rely on the operators to trip them
21 when they think it's appropriate.

22 The operation of the reactor coolant pumps can
23 adversely -- or degrade to some degree the circulation
24 through the core make-up tanks. Again, we automatically
25 trip the reactor coolant pumps when we actuate the core

1 make-up tanks to prevent that interaction.

2 Operation of the reactor coolant pumps enhances,
3 increases passive RHR heat removal. Again, depending on the
4 situation, that can either be good or can lead to some
5 adverse interactions. During a steam line break, operation
6 of the reactor coolant pumps tends to make the accident
7 worse.

8 We do get into safety-related tripping of the
9 reactor coolant pumps on a excessive cool-down kind of
10 signal, which minimizes this effect, and then basically the
11 passive RHR transitions from a forced circulation to a
12 natural circulation mode, flows down, and so, the
13 interaction is minimized.

14 So, in this particular case, in going through this
15 process, there were potential adverse interactions.

16 They had already been dealt with in the design
17 basically by automatic reactor coolant pump trip, which was
18 a part of the design, and that the design basis accidents
19 and PRA evaluations had accounted for this, and in fact, you
20 see in the PRA -- was discussed yesterday in the level one
21 that the core make-up tank/reactor coolant pump trip is
22 typically treated as a -- both are necessary to get core
23 make-up tanks.

24 So, kind of in summary for the functional
25 interactions, a number of active/passive adverse systems

1 interactions were identified. Many of them are the same
2 kind of interactions you have in today's plants -- i.e.,
3 excessive feedwater kind of thing.

4 Some are unique to AP600, like the reactor coolant
5 pump that I talked about. All of them are addressed, that
6 we identified, in the DBA and the PRA analysis, and again,
7 some of them require mitigating features like feedwater
8 isolation or reactor coolant pump trip.

9 We did not identify any significant
10 passive-passive interactions.

11 Now, there were some there. They are dealt with
12 in the testing and the analysis. So, we don't do anything
13 in terms of trying to control it by operator action or
14 basically interlocks and control features.

15 We have identified the potential interaction and
16 quantify that in the analysis of the plant.

17 Probably the most challenging aspect to this whole
18 study was the human factors, human intervention. As you
19 heard yesterday in our PRA level one discussion, the PRA
20 accounts for, quantifies operator errors where the operator
21 fails to take an action.

22 So, they quantify that kind of interaction, but
23 they don't really quantify errors of commission, where the
24 operator takes the wrong action.

25 As a result of that -- of PRA -- and also the

1 fact, as you saw yesterday, that AP600 is relatively
2 insensitive to operator actions, must less sensitive than
3 operating plants.

4 So, what we looked at in this study was primarily
5 cognitive-type errors, errors of commission that we tried to
6 look at.

7 In talking with our human factors experts, they
8 advised us that the kind of things that can lead to those
9 problems are maybe three, three-fold, as they're outlined in
10 the WCAP -- unfortunately, I didn't quite get them up here
11 -- goal conflict kind of errors.

12 DR. APOSTOLAKIS: What conflict?

13 MR. SCHULZ: Goals, conflicts in goals, like what
14 happened TMI, where you had the high head pumps running and
15 you wanted the pumps to run, but you were overfilling the
16 pressurizer.

17 So, the pumps running were -- there was a goal
18 conflict there. That's one way of looking at it.

19 Now, AP600, with the passive systems, eliminates
20 some of those fundamental goal conflicts from the plant.

21 The passive systems don't tend to cause some of
22 those events that -- goal conflicts that the active systems
23 do, or we can, like I say, isolate charging pumps or isolate
24 start-up feedwater to eliminate that goal conflict, whereas
25 in operating plants, those are your safety-related means and

1 you've got to be careful about stopping them.

2 A second potential cognitive error you can get
3 into with too much information, too little information to
4 the operators.

5 Now, that's not something we can explicitly deal
6 with here.

7 That's a objective we've taken on, and it's
8 described the SAR in Chapter 18 for the man-machine
9 interface design of the plant, which is ongoing and in the
10 future, to provide the right amount of information and in
11 the right way, in the right priorities.

12 Another thing that can cause cognitive errors is
13 knowledge-based-type decisions, and again, Chapter 18 takes
14 on commitments for the structure of the ERGs, the functional
15 -- the task-based-type decisioning, decision-making, the
16 symptom-based ERGs are a primary defense against that kind
17 of a problem.

18 So, what did we do? We basically took the
19 potential adverse interactions that we identified in the
20 first part of this study, the functional adverse
21 interactions, and we looked at each of those, and we asked
22 ourselves some questions, and those three questions are kind
23 of outlined --

24 DR. APOSTOLAKIS: You have a last bullet there
25 that says safety versus economic consequences.

1 I don't see what the designer can do about it. I
2 mean that's really for the owner and operator of the plant,
3 the licensee, to make sure that we don't have conflicts
4 there, but you guys cannot do it.

5 MR. SCHULZ: No, we can.

6 DR. APOSTOLAKIS: What can you do?

7 MR. SCHULZ: We did. By making the design so that
8 it minimized -- this is kind of a goal conflict again, and
9 one of the key examples is the feed-and-bleed cooling. You
10 know, the goal is to cool the core and you're running out of
11 options, you know, that is your kind of last resort option.

12 However, if you do turn that on, you mess up the
13 containment. So, oh, gee, what do I do?

14 In AP600, we think we have done something to
15 minimize that. You don't eliminate it but minimize it by
16 design.

17 One, we're, in our minds, less likely to get into
18 that situation, because we have more ways of cooling the
19 core before we get into feed-and-bleed.

20 We have start-up feedwater, main feedwater, which
21 a current plant's got to have. We have passive RHR, which
22 is an extremely reliable passive system. If it works, you
23 don't need to feed-and-bleed. So, that's one step.

24 The other step is that, if you get into
25 feed-and-bleed cooling, we can get into that with almost no

1 containment consequences, assuming the normal RHR pump,
2 works, and that is the normal procedure.

3 If you get into ADS and you only open the first
4 three stages, which is when you initiate bleed out of the
5 system, that's all you're really -- the operator is
6 committing to.

7 He knows, in his current plant, that if he opens
8 up the power-operated relief valve, he is going to very
9 quickly burst the rupture disk out of the PRT and he's going
10 to get steam into the containment.

11 AP600, we have this half-a-million-gallon tank,
12 and the operator will know from the design and analysis
13 anyway that if he gets into that situation and gets his
14 normal RHR pump running, he won't steam the containment.
15 So, now, yes, if that pump fails, then he gets into there.

16 So, we think we've done something along those
17 lines. You can debate about how important that really is,
18 how significant it is.

19 DR. APOSTOLAKIS: That's fine. We try to avoid
20 situations where the operators would have these conflicts.

21 MR. SCHULZ: Yes.

22 DR. APOSTOLAKIS: Did human factors engineering do
23 anything to you that you found useful?

24 MR. SCHULZ: That's a loaded question.

25 In this effort here, the discussion about what can

1 lead to a cognitive error pretty much comes out of human
2 factor kind of considerations in terms of the goal
3 conflicts, too much, too little information, the
4 knowledge-based decision, and then how we're trying to deal
5 with that.

6 Now, some of it we can't do anything about now,
7 it's a commitment for the future in terms of the control
8 room --

9 DR. APOSTOLAKIS: That's not really human factors,
10 though, but anyway, I see what you mean. But your design of
11 the control room, perhaps, was influenced by human factors
12 engineering, right?

13 MR. SCHULZ: Oh, tremendously, and that's still
14 going on as the details go on, but yes, yes.

15 DR. APOSTOLAKIS: I remember.

16 MR. SCHULZ: So, there are a number of tables like
17 this that are in the WCAP again, and there's a couple
18 questions that we ask for each of these potential adverse
19 interactions that we identified in the functional
20 interaction part of the document.

21 The first question was, does an opportunity exist
22 for the operator to make an error based on the procedures,
23 and we had the ERGs that we looked in this part of the
24 study.

25 So, in case of the reactor coolant pump versus

1 core cooling, we said no, an opportunity doesn't exist,
2 primarily because the -- first of all, the pumps trip
3 automatically, so that the operators don't have the need and
4 possibly make the error of not tripping them. There's also
5 reactor coolant pump restart criteria that avoids adverse
6 interactions in a recovery situation.

7 The second question was, are there safeguards
8 against the human error, and again, in this case, the pumps
9 are tripped automatically, and that's a safeguards -- the
10 ERGs also provide a bit of a safeguards on the restart.

11 A third question is the adverse interaction
12 modeled in the PRA, and in this case, you're really talking
13 about the restart is not modeled. The tripping of the pump
14 actually is modeled, but it's more in conjunction with the
15 core make-up tank operation.

16 DR. APOSTOLAKIS: Okay.

17 MR. SCHULZ: And then there's kind of a
18 conclusion, which is aimed at, you know, is there a concern
19 with human intervention?

20 DR. APOSTOLAKIS: Well, I think this could have
21 been input to the PRA. I mean the PRA is not -- you said
22 that they didn't do it. I mean PRA doesn't do -- PRA
23 doesn't do anything. I mean it depends on who does it and
24 what they decide to include.

25 CHAIRMAN BARTON: George, I'm surprised at you.

1 PRA doesn't do anything.

2 DR. POWERS: It's a quote that will live to haunt
3 him.

4 DR. APOSTOLAKIS: But it is true that the PRA that
5 was presented to us yesterday does not include errors of
6 commission, and again, you have to go with the state of the
7 art. I mean if --

8 DR. CARROLL: I think we've got a cart and horse
9 situation, too. The PRA predates this effort by a lot,
10 doesn't it?

11 MR. SCHULZ: It predates this WCAP, yes.

12 DR. APOSTOLAKIS: Now, the other thing is, though
13 -- well, I mean this qualitative analysis, you know, given
14 the state of the art, the current state of the art, is
15 probably good enough.

16 Again, I have a problem with the word "credible."
17 I mean, yesterday, we were given probabilities on the order
18 of 10 to the minus 3, 10 to the minus 4, 10 to the minus 5.
19 So, there is no credible concern means, now, what, that you
20 are below that?

21 MR. SCHULZ: This is obviously qualitative.

22 DR. APOSTOLAKIS: I understand.

23 But also yesterday we had situations where yes,
24 automatic actuation failed, now the operators had 10 minutes
25 or 20 minutes to act.

1 Here, though, you say, if there is a provision for
2 automatic actuation, then that's a safeguard against human
3 error, which is philosophically a little bit at odds with
4 the discussion yesterday, because the human error -- human
5 action yesterday came into the picture after the automatic
6 system failed, whereas today you're saying, if there is an
7 automatic capability, that's a safeguard.

8 So, there are some inconsistencies there.

9 Now, I don't know how important they are, but we
10 can't keep silent, right?

11 So, that -- I guess that's fine.

12 MR. SCHULZ: Our point of view here was largely in
13 less extreme situations than you get into the PRA, where you
14 have multiple things going wrong.

15 Now, you do have to consider that in the ERGs, in
16 the whole design of the human factor, man-machine interface.

17 We were looking here for more can the operators do
18 things in either design basis accidents or more likely
19 things that would cause a problem all by itself?

20 So, when we use the word "credible" here, it is,
21 first of all, qualitative judgement kind of thing based on
22 these first three columns.

23 DR. APOSTOLAKIS: I understand.

24 MR. SCHULZ: That's all it is.

25 DR. CARROLL: I guess the one thing that goes into

1 the credible discussion is every operator knows how to
2 bypass things if he wants to, and we never consider that,
3 but it's something that happens at times.

4 DR. APOSTOLAKIS: That's the real concern, really,
5 y-s, but we don't know how to analyze that.

6 DR. CARROLL: It's fine to say it's an automatic
7 trip, but I can make it un-automatic.

8 DR. APOSTOLAKIS: At the same time, of course, it
9 depends on the operators. They have done things in the past
10 that were innovative and saved the plant, so -- but you're
11 right, that's really the issue, and crazy things have
12 happened sometimes.

13 So, we're hoping ATHENA will tell us how to handle
14 those things, right?

15 DR. POWERS: Undoubtedly to three decimal points,
16 right?

17 MR. SCHULZ: Our conclusion in the human
18 factor-human intervention part of this study was that we
19 didn't see any potential for significant human adverse
20 interactions, and kind of a summary of why that is so is
21 that the passive features require less either automatic or
22 manual actions for them to continue working.

23 The required actions that -- the actions that are
24 required are automatic, and if they work, then there's
25 really no need for operator action. If they don't work,

1 then you get into some of the beyond-design-basis PRA
2 considerations.

3 And the ERGs are structured and designed to avoid
4 adverse interactions.

5 I think there was some discussion yesterday about
6 the goal tree monitoring that goes on independent of the
7 operators that are actually managing the plant in an
8 accident situation, and that's, you know, another example of
9 the procedures and how they attempt to avoid cognitive-type
10 errors.

11 The final, third part was actually the most
12 straightforward part of the adverse interaction study,
13 looking at spatial-type, hazard-induced interactions, and
14 the studies that are typically done for plants, the fire
15 hazards, the flooding hazards, missiles, seismic pipe
16 breaks, all these, basically their objective is to look for
17 such interactions, high-energy line breaks on non-safety
18 systems and their impact of jetting and flooding on safety
19 systems, so -- and the PRA does some independent look at
20 some of these things, in particular the fire and floods.

21 So, we basically looked at these hazards analysis,
22 and they all concluded that there weren't any problems with
23 the plant design, and that was pretty much the extent of
24 this part of the study.

25 The kind of underlying reasons why, you know,

1 there weren't problems in those areas is that the AP600
2 design has very effective separation, very sort of
3 block-wise kind of separation, safety division, the division
4 outside containment, non-safety to safety, both.

5 There's less stuff outside of containment, a lot
6 less stuff to worry about. You don't have the train of
7 cooling water, service water, CCW into the plant, into HVAC,
8 into RHR cooling.

9 We don't have continuously operating equipment.
10 So, fire and flood effects are somewhat less significant,
11 because once we get our passive systems working, you don't
12 need power to run equipment anymore.

13 Simplified flood protection -- this actually is
14 related to the passive systems in that we don't have large
15 water supplies outside of containment that are needed to
16 provide safety injection or steam generator feedwater that
17 are located in safety areas that can interact adversely.

18 So, we have a very simple, basically exclude large
19 water supply kind of approach to flooding, and we don't have
20 to worry about as much of that as the current plants do, and
21 we have done some upgrading inside containment on fire
22 protection, which then helps this whole story of minimizing
23 fire-induced interactions.

24 I think that's the last slide I had, if you have
25 any questions.

1 DR. FONTANA: What was the WCAP number you were
2 referring to?

3 CHAIRMAN BARTON: 14477.

4 MR. JEWELL: Yes. There's a Rev. 1 that's out on
5 that.

6 DR. CARROLL: Looks like that's an extra one
7 sitting there if you want it.

8 CHAIRMAN BARTON: Looks like no further questions,
9 Terry. Thank you.

10 DR. APOSTOLAKIS: Yes, I would like a copy of
11 that.

12 CHAIRMAN BARTON: Does the staff have any
13 comments?

14 MR. HUFFMAN: This is Bill Huffman, Projects.

15 Allen Levin, with the support of -- you know, it
16 was a cross-section of most of the technical review
17 branches, but Allen Levin was the lead reviewer in this
18 effort, and he agrees with Westinghouse that the design in
19 the event of restart and other proceduralized things that
20 might happen beyond what the design is automatically capable
21 of being done are covered in the ERGs and in the design and
22 there aren't any other adverse interactions that they could
23 find.

24 CHAIRMAN BARTON: Okay.

25 Another nice tie today, Mr. McIntyre. You dressed

1 for the occasion.

2 MR. MCINTYRE: Thank you. It's not an engineer's
3 tie.

4 CHAIRMAN BARTON: That's why I said you dressed
5 for the occasion.

6 DR. CARROLL: A good-looking tie? Why would you
7 wear something like that?

8 MR. MCINTYRE: Well, people have thought this was
9 my NRC tie, because that's actually an eagle in the center,
10 and I've been accused, and I was thinking about ties this
11 morning.

12 We had these AP600 ties made up, and they're
13 wonderful, and one of my tasks in life is to get rid of -- I
14 have about 2,000 of them, and they're not exactly going
15 fast, you can only do so much. I think we've actually given
16 them to the NRC. They fit well within the \$25 limit.

17 Actually, they come in two colors. I don't know
18 if they say Westinghouse. They say AP600. I was thinking,
19 since I've got these left, I'll drag a gross of them down
20 and give them to Noel, because they're not violating
21 anything there.

22 Security -- this is in response to Mr. Carroll's
23 and Mr. Barton's comment of, gee, this plant is really going
24 to be a pain to maintain, and we may have cut down our
25 security force, but our maintenance force is now going to

1 have to have a security force equal to the security force
2 that we thought we were getting rid of to let these guys in,
3 and I'm going to start --

4 DR. CARROLL: Plus operators, plus fire
5 protection.

6 MR. McINTYRE: Yes. I'm going to start on the
7 middle slide. That's always a good place to start, because
8 it makes a little more sense there.

9 This is the 117-foot elevation, and all these nice
10 things aren't colored in on the ones that I handed out,
11 because I wasn't going to color them all. You can color
12 them in if you so desire.

13 The original design, as you will recall -- and
14 I'll speak mostly to Jay and John, because they were the
15 people who had the concern -- is they had a little jail cage
16 drawn around each one of these that required -- because the
17 guy would leave -- the color code is -- on the red side --
18 is the vital area, the blue shaded in is the protected area,
19 and what they had before were these little jail cages here,
20 and this one -- right there -- so that if the guy was going
21 to go out to maintain this, he had to go out -- because he
22 was going from the vital area to the protected area, out
23 into the general plant, and then back in again, he had to
24 have a guard, he had to be searched, he had to be looked at,
25 and you guys didn't like that. I guess that's a fair

1 statement.

2 So, we went back, and it turns out that the design
3 you see here is really the design that the designer
4 originally had, and he was just tickled pink that you guys
5 -- I mean I called back and said, look, they have this
6 problem.

7 By the time I got back that night, they had this,
8 because the guy had them in a drawer, and he just pulled --
9 he liked it better and he got talked out of it.

10 So, after we got over all I-told-you-so's, what
11 we've done is there's a column line right here, and instead
12 of having the jail cages, we're moving to this column line,
13 and it's a floor-to-ceiling -- it's either a steel siding
14 with slots cut in it for ventilation or a wire mesh with
15 intrusion detection.

16 This whole area is then covered with CCTV so that
17 they can watch to see if people are bothering the doors, but
18 the guy never has to go out to maintain the plant. He'll
19 just go out through these doors and then he can card back in
20 through there, so he never really goes out into the plant.
21 He'll go from the vital area to the protected area back into
22 the vital area again.

23 DR. SEALE: So, essentially, he has a lock in the
24 form of a card to get through the door.

25 MR. McINTYRE: Yes, right.

1 DR. SEALE: He doesn't have to go through --

2 MR. MCINTYRE: Yes. He's searched when he gets
3 into this area.

4 CHAIRMAN BARTON: He does it one time, then.

5 MR. MCINTYRE: Right. He does it one time, and he
6 can maintain that.

7 So, this whole area is covered. It's grating on
8 the floor. This is 19 feet, 3 inches, so there's enough
9 room to do maintenance and get things in and out of the
10 room.

11 You'll see, on this end -- I'm starting on this
12 because -- at this elevation, because the previous elevation
13 doesn't really look significantly different, but to get down
14 to the lower elevation and to the upper elevation, there's a
15 set of stairs right there.

16 So, now, if you go back to the first slide, you
17 can see that we still have -- getting into the annex
18 building, they still have the jail cage, because that makes
19 sense.

20 We didn't want to -- one is there's too much
21 equipment, and two is you don't really need to, but we
22 couldn't move all these things. We had to move some
23 equipment.

24 If you look at the old drawings to the new
25 drawings, there was some equipment that got moved outside of

1 that line. We couldn't move these things. So, this still
2 has the jail cage, but you're not -- there won't be a lot of
3 access into there.

4 If he wants to get to this room for -- the valve
5 piping penetration room, he would come in from the other
6 elevation and go down the stairs and get to this room, and
7 you'll also see some equipment relocated in that area.

8 DR. CARROLL: So, I can go down the stairs as
9 opposed to going through the jail cage --

10 MR. McINTYRE: Yes.

11 DR. CARROLL: -- anyplace in this --

12 MR. McINTYRE: Sure. Yes.

13 DR. CARROLL: -- elevation.

14 MR. McINTYRE: And then if you look at the
15 135-foot elevation, it's basically the same. The three jail
16 cages that went to the MSIV rooms are gone. There are the
17 stairs.

18 And basically, it's the same arrangement, that he
19 would go out through here and then he could just card back
20 in without needing to be searched.

21 The one other thing that we're doing -- we're
22 having to redo the vulnerability analysis and the security
23 plan as part of this, because it's making a significant
24 change.

25 You recall, last time I talked, we had added a

1 security officer for other reasons, and we are going to be
2 stationing that security officer right here. So, this will
3 be -- I believe our intent right now -- we're still working
4 on the analysis -- would be to have this -- not only have
5 CCTV but have it continuously manned with an officer in that
6 area.

7 CHAIRMAN BARTON: So, he would be there to help
8 people --

9 MR. McINTYRE: Right.

10 CHAIRMAN BARTON: -- do the ingress and egress --

11 MR. McINTYRE: Yes.

12 CHAIRMAN BARTON: -- if they had to go out for
13 material or supplies or whatever.

14 Has the staff seen this?

15 MR. McINTYRE: They saw it about an hour ago.

16 CHAIRMAN BARTON: Okay.

17 MR. McINTYRE: So, I don't think they'll have any
18 -- well, I'd like the guy to stand -- Ron to stand up and
19 say, boy, that's a tremendous design. He hasn't seen it and
20 certainly hasn't seen the vulnerability analysis, because we
21 don't have it done.

22 CHAIRMAN BARTON: Well, in our letter, we asked
23 the staff to go look at the previous design from safety and
24 operational aspects, and so, I'd be interested to see what
25 the staff thinks of this.

1 You know, from this brief description you've
2 given, this looks like a major improvement from what we've
3 seen before. I don't know if it solves all problems. We
4 need the staff to still look at this modified design, but it
5 sure does look like an improvement.

6 DR. SEALE: Will this involve any changes in the
7 expected staffing level for security?

8 MR. McINTYRE: No.

9 DR. SEALE: You can always add, but you can never
10 take away.

11 CHAIRMAN BARTON: Just like taxes.

12 MR. McINTYRE: You can't go below a minimum
13 staffing.

14 DR. CARROLL: Now, I think there's a lesson to be
15 learned here, both on the staff's part and on Westinghouse's
16 part.

17 When you get into a highly specialized area like
18 security, you've got to be very careful, because your
19 experts tend to want to have the latest and greatest in
20 their opinion, and they don't really have a lot of regard
21 for what else is implied by their design.

22 MR. McINTYRE: Interestingly enough, the designer
23 who originally had this design was talked out of it by the
24 utility guy.

25 DR. CARROLL: Well, you hired a consultant.

1 MR. McINTYRE: No, he was a utility security guy.
2 He was the one who talked him out of it.

3 DR. SEALE: You just said the magic word.

4 MR. McINTYRE: Yes.

5 DR. SEALE: The security guy from the utility.

6 MR. McINTYRE: Yes. But he is the guy who also
7 has to deal with it in a real-life situation.

8 DR. SEALE: Maybe he won.

9 MR. McINTYRE: If you look at the old drawings and
10 the new drawings, it looks like -- this equipment was
11 originally here and there was some other equipment here that
12 looks like it may have disappeared.

13 CHAIRMAN BARTON: You had to relocate some
14 equipment?

15 MR. McINTYRE: Yes. What we did is we added
16 another -- it's actually -- the equipment that was here is
17 actually sitting a little bit off the top here, and we added
18 a partial elevation -- I think it was some tanks or some
19 condensers or some sort of equipment that was here.

20 CHAIRMAN BARTON: Okay.

21 MR. McINTYRE: These guys were here. They moved
22 over here. The stuff that was here is up.

23 CHAIRMAN BARTON: He's up a half-a-floor or
24 something.

25 MR. McINTYRE: These are really a low piece of

1 equipment. They're not very tall. So, we put like a
2 platform to put it up there.

3 CHAIRMAN BARTON: All right.

4 MR. McINTYRE: So, this is the proposed change to
5 security. We're in the process of revising the report, and
6 we'll get it in to the NRC, hopefully, in the next couple of
7 weeks

8 CHAIRMAN BARTON: Looks like an improvement.
9 Thank you.

10 Any questions?

11 [No response.]

12 CHAIRMAN BARTON: Well, we're a little ahead of
13 schedule, but we'll break now until 10:15.

14 [Recess.]

15 CHAIRMAN BARTON: Back in session.

16 I'm sorry, Brian. Next item on the agenda is open
17 items issues.

18 MR. McINTYRE: Okay.

19 I gave Noel -- going to the list, there's one four
20 down, SRM on 97-044 staff work to understand marginally
21 adequate, and I think Tom's comment yesterday -- I think
22 this was Tom's comment -- is we were going to talk about
23 that this morning, when Terry did his presentation that had
24 to do with containment spray, that our design was marginally
25 adequate, their terms. Maybe it was your terms, or it was

1 somebody's terms.

2 CHAIRMAN BARTON: It was Tom Kress' concern.

3 DR. SEALE: Well, I think the reason was that, in
4 the initial discussion of the capabilities of the spray
5 system, there was some concern as to whether or not it was
6 enough to deliver any significant flow --

7 MR. McINTYRE: Okay.

8 DR. SEALE: -- against the internal pressure of
9 the containment.

10 MR. McINTYRE: Okay.

11 DR. SEALE: And I guess now you've indicated that
12 it's 3,000 gallons per minute with an internal pressure of
13 20 psi -- I mean 1,000 gallons a minute with an internal
14 pressure of 20 psi. So, I assume that's an adequate
15 fire-fighting flow.

16 DR. CARROLL: Fire-fighting?

17 DR. SEALE: I mean spraying flow.

18 DR. FONTANA: There's a little bit of a gotcha
19 there, because in a design basis accident, the passive
20 system is supposed to hold containment pressure to 45 psi or
21 less.

22 MR. McINTYRE: Right.

23 DR. FONTANA: Okay.

24 MR. McINTYRE: Okay.

25 DR. FONTANA: Now say you're near there and then

1 you get into some kind of a glitch for some reason. Now you
2 want to use the spray system that's designed for 20. Can't
3 us~ it.

4 DR. CARROLL: The whole notion is that you'd never
5 use the spray system for a design basis accident.

6 CHAIRMAN BARTON: This is really a severe
7 accident.

8 DR. FONTANA: I understand, exactly. I'm saying
9 you're in a design basis accident and now, for some reason,
10 something's not working right and you want to use the spray
11 system.

12 CHAIRMAN BARTON: Not designed to do that, Mario.
13 Not intended to do that.

14 DR. FONTANA: But see, you're not going to be at
15 45 psi. You're going to be --

16 MR. McINTYRE: -- something less.

17 DR. FONTANA: -- something less. If you're at 20,
18 you're okay.

19 MR. SCHULZ: What we've done is we've tried to
20 mechanistically look at, if you get into core cooling
21 problems, you've got a lot of energy now going into melting
22 the core. It's not going into the containment. The
23 containment brings the pressure down substantially during
24 that damage phase.

25 So, even if the pressure was up at 45 when you had

1 your loss of core cooling failure, whatever it was, you
2 don't instantly need spray. You don't want spray at that
3 point. You want the spray when the activity comes out. The
4 activity won't come out until after you've damaged the core.

5 That takes time. During that time, that's energy
6 going into the core, not into the containment, and the
7 pressure comes down. So, there's a mechanistic connection
8 between why you would want the spray -- i.e., the core is
9 damaged -- and the pressure coming down.

10 DR. FONTANA: See, once you've got the spray going
11 in there, then that will take some containment pressure
12 down. Once you can get it going, you know, you'll be all
13 right.

14 MR. SCHULZ: And what we're saying is that the
15 passive containment cooling system will bring the pressure
16 down very nicely to this 20-pound gauge in a severe accident
17 sequence.

18 DR. SEALE: The other question is the 20 -- the
19 three-hour duration of the flow -- or five hours, whichever
20 it turns out to be -- does cover the time span in which you
21 do get delayed gas release, fission product gas release.

22 MR. SCHULZ: That's my understanding, is that's
23 really where the three hours came from.

24 DR. SEALE: Yes.

25 Does that sound right to you, Dana?

1 DR. POWERS: You'd have to say it again, Bob.

2 DR. SEALE: The idea that there is a three-hour
3 duration for the spray system following the 1,200-degree
4 core temperature thermocouple onset of spray covers the
5 time during which you'd expect to get fission gases
6 released.

7 DR. POWERS: It's really when you have the most
8 intense particle release that the spray's going after, and
9 from everything we have seen, with the new source terms and
10 things like that, which are fairly strongly based on
11 physical evidence from experiments, the most intense
12 releases are occurring in that -- over a two-or-three-hour
13 period, and then you get a pretty dramatic e-folding on the
14 concentrations, and then, if your containment remains
15 intact, all you're worried about is the leakage problem, and
16 clipping the tops on the concentration does a lot for you.

17 I mean it doesn't take much, and sprays are
18 awfully effective. I mean there are a lot of questions, and
19 some of the chemical engineers phrased questions about --
20 you've got a lot of droplets coming down, well something's
21 got to go up, and if that going up is not uniform, you
22 create some bypass flow, and they worry about that a lot in
23 the chemical processing industry, but it's not so important
24 in the containment, because it's a sealed up thing.

25 So, suppose you do have the spray all pushed to

1 one side and stuff coming up. Well, that stuff that comes
2 up now has to come back down again.

3 So, it gets multiple passes through this thing,
4 and so, some of those subtleties that the chemical
5 engineering community worries about, that, for instance,
6 this analysis did not, they're interesting, but they're not
7 terribly germane.

8 DR. SEALE: You get more than one shot at it.

9 DR. POWERS: You get multiple shots at the same
10 gas --

11 DR. SEALE: Yes.

12 DR. POWERS: -- and maybe you don't know the
13 timing exactly, but you're worrying about big blocks of
14 time, and what happens in any given one minute is pretty
15 inconsequential.

16 What you're worried about is what happens over 20
17 minutes, 30 minutes, and hour and whatnot, because it's the
18 leakage-type source term that you're worried about here. If
19 you got containment rupture, that's a bad thing. You didn't
20 want to do that anyway.

21 DR. SEALE: Well, I think those were the kind of
22 questions that Tom had in mind when he was questioning the
23 efficacy of the spray system, its capacity to handle those
24 kind of issues.

25 DR. POWERS: Yes. I think, to be quite honest, I

1 believe Dr. Kress was interrogating to find the depth of
2 knowledge rather than any doubts about the efficacy of
3 sprays.

4 MR. MCINTYRE: Did we pass?

5 CHAIRMAN BARTON: Sounds like you must have.

6 MR. MCINTYRE: Okay.

7 DR. FONTANA: I have another question here.

8 Now, the PRA was written prior to the
9 consideration of sprays? In other words, potential spray
10 use is not in the PRA?

11 MR. MCINTYRE: It's not in the PRA.

12 DR. FONTANA: Okay.

13 Now, the next question is, does the PRA go along
14 with the certification for -- when a utility buys this, are
15 they going to be probably required to update the PRA?

16 MR. MCINTYRE: The part that goes along with the
17 certification are the insights, which is basically a summary
18 of here are design features that were credited in the PRA
19 that we want to make sure they don't get lost when they
20 update the plant, and whether or not it goes along with
21 design -- you know, what they have to do at design
22 certification time, what we're saying is that they need to
23 make sure that the plant is consistent with the PRA.

24 DR. FONTANA: Well, the plant's going to be a
25 little different if the PRA's got a spray system in it.

1 It's not safety-related.

2 MR. McINTYRE: Well, that won't affect core --
3 that would only affect --

4 DR. FONTANA: Oh, no.

5 MR. McINTYRE: -- the level three.

6 DR. FONTANA: Yes.

7 MR. QUAY: This is Ted Quay of the staff.

8 To answer part of your question, the staff has
9 before it in the rule-making activity plan a rule that would
10 ask for a living PRA.

11 MR. McINTYRE: I think we can mark that one
12 closed.

13 CHAIRMAN BARTON: Does that staff have any further
14 comment or question on the spray issue?

15 MR. KENYON: This is Tom Kenyon with the staff.
16 No, we found it to be acceptable.

17 DR. CARROLL: Marginally.

18 MR. KENYON: Those were your terms.

19 DR. CARROLL: Oh, okay.

20 Well, this living PRA concept would not really be
21 back-fittable to the evolutionary plants or to AP600, would
22 it?

23 MR. QUAY: What it would do is it would tell the
24 COL applicant that they have to maintain the PRA.

25 So, it would be -- in other words, it wouldn't be

1 backfit to the design certification, but as these plants are
2 going through the licensing process, if any changes are
3 made, that PRA would have to be updated. But that's in the
4 rule-making activity plan.

5 DR. SEALE: Is that for Part 52 plants or all
6 plants?

7 MR. QUAY: That's Part 52 plants.

8 DR. SEALE: Okay.

9 DR. CARROLL: Is that really consistent with the
10 notion of one-stop licensing?

11 MR. QUAY: The certification stands as is. The
12 certification would not change.

13 MR. McINTYRE: It's not inconsistent. It's more
14 in line with risk-informed, performance-based regulation.

15 The next item was the -- Westinghouse agreed to
16 discuss the suitability of results of reactivity code, and
17 yesterday, Dr. Powers said tell me what data facts you used,
18 and the next question is why.

19 Noel has to hand out from the SSAR the page
20 15.4-36, and it is subsection -- I love this --
21 15.4.8.2.1.4, which is why we thought it would be easier to
22 hand it out, and I even underlined the answer, so we don't
23 have to look, and it says, just reading it, "To allow for
24 future cycles, pessimistic values of beta effective of .55
25 percent at the beginning of cycle and .44 percent at end of

1 cycle are used in the analysis," and I'll speak for Dr.
2 Powers -- I'm sure he won't be bashful here.

3 He said yes, that does, indeed, answer the
4 question, so -- and it explains the why we used it.

5 His one comment he did have was that he thought
6 that perhaps those values were high when we start looking at
7 high burn-up fuels, but that really probably isn't an AP600
8 issue as much as that it's going to be an extended burn-up
9 fuel issue.

10 CHAIRMAN BARTON: Okay.

11 MR. McINTYRE: I'll ask him if he considers it
12 closed.

13 CHAIRMAN BARTON: Dana?

14 DR. POWERS: Yes. I hate to say this, but I think
15 I agree with Brian on this one.

16 DR. SEALE: Spooky.

17 DR. POWERS: There must be something wrong with my
18 thinking today, but I guess I -- they strike me as
19 conservative for the BOL and optimistic for the long-term
20 burn-ups, but I agree with him, things are sufficiently
21 unresolved enough in that are for the high burn-up fuels,
22 and it's sufficiently -- and whatever happens, we know that
23 the fuel that's going to be used for extended burn-up in an
24 AP600 reactor is going to be different from any of the fuels
25 that we have now, and so, it would be pointless for

1 Westinghouse to go to great heroic lengths to address those
2 fuels, and they're going to have to be addressed as part of
3 the loading process anyway, and so, I guess I -- I also know
4 that the analyses that are done in the design basis analysis
5 don't give them credit for energy losses into the clad
6 anyway, regardless of the pulse width.

7 So, I think it's a closed issue here but one to be
8 aware of when we go to loading high burn-up fuel. But I'm
9 sure that that will come of its natural course.

10 CHAIRMAN BARTON: All right.

11 MR. McINTYRE: The next open one is the locked
12 rotor peak clad temperature, and I mentioned that we're
13 working on that one, and we'll submit that in a written
14 form, and on the second page, the security design --

15 CHAIRMAN BARTON: Did we close out Carroll's item
16 on the adverse interactions?

17 DR. CARROLL: As far as I'm concerned.

18 CHAIRMAN BARTON: You missed one here, Brian.

19 MR. McINTYRE: Well, I already had it closed out.

20 CHAIRMAN BARTON: Oh, you already did. Okay.

21 DR. CARROLL: Simply because you got up there and
22 talked, you're going to close it out?

23 CHAIRMAN BARTON: Jay, are you happy?

24 DR. CARROLL: Yes.

25 CHAIRMAN BARTON: Okay.

1 DR. CARROLL: I thought they did a very
2 comprehensive job on that. I'm impressed.

3 CHAIRMAN BARTON: I'm sorry. Where are you going
4 next, Brian?

5 MR. MCINTYRE: We'll thank Mr. Corelleti for you.
6 I remember, last time, Mr. Corelleti was substituting for
7 Mr. Schulz. Mr. Schulz is returning the favor, so Mr.
8 Corelleti can be in Italy or Spain.

9 The other ones on the next page, security design
10 --

11 CHAIRMAN BARTON: Yes, marked improvement.
12 Is the staff still looking at this, though?

13 DR. CARROLL: Yes, they're doing a vulnerability
14 -- Westinghouse is doing a vulnerability analysis.

15 MR. KENYON: We're going to be looking at it
16 probably -- we'll get the vulnerability analysis from
17 Westinghouse about the end of June sometime. So, we can
18 make a comment on it at the July meeting.

19 CHAIRMAN BARTON: Okay.

20 MR. MCINTYRE: And we picked up one yesterday from
21 Mr. Carroll that a three-hour fire door is not a smoke door
22 and how do you deal with that, and I think we've answered
23 that before. We'll talk to Mr. Winters when we get back to
24 Westinghouse and provide an answer on that.

25 And this morning, Dr. Powers wanted to know what G

1 value we used in the nitric acid calculations. My person
2 back at Westinghouse is looking for that.

3 The calc note happens to be in our Rockville
4 office. I will scoot out there over my lunch hour and drag
5 the calc note back and find something in there that says G
6 equals and pass that along to you right after lunch.

7 DR. POWERS: See the penalties you get when I
8 agree with you?

9 MR. McINTYRE: These meetings are like scavenger
10 hunts.

11 So, we're down to a couple of items here.

12 CHAIRMAN BARTON: Okay.

13 Looks like we ran out of agenda items here.

14 Let's talk a little bit about the July meeting,
15 what we've still got left to do in July.

16 DR. CARROLL: We're not going to do aerosols?

17 CHAIRMAN BARTON: Where do you see aerosols?

18 DR. CARROLL: Items five and six.

19 CHAIRMAN BARTON: That's getting resolved in
20 Germany. So, we'll probably hear when the troops return
21 from Germany.

22 DR. CARROLL: You're not going to trust Kress'
23 judgement, are you?

24 CHAIRMAN BARTON: Well, I don't know, at this
25 time, what else we've got to go by. Westinghouse's people

1 are over there, I guess, Kress is over there.

2 MR. MCINTYRE: The staff guy is over there.

3 CHAIRMAN BARTON: Staff is over there. The only
4 person that knows anything about aerosols here is Dana, and
5 he'll be talking to himself, I guess, if we talked about the
6 aerosol issue.

7 DR. POWERS: I have to recuse myself completely
8 from that.

9 CHAIRMAN BARTON: I think aerosols is a dead issue
10 for today's meeting.

11 DR. SEALE: If he does talk, it's just a mumble.

12 DR. POWERS: I will tell everybody about some
13 exciting news that we are getting out of the -- apparently
14 coming from some of the PHEBUS tests, giving us some
15 information on shape factors that may be pertinent to
16 aerosol behavior in the AP600 containment.

17 The shape factors are running between two and
18 three from the PHEBUS experiments. That's exciting to me,
19 simply because those are numbers that the staff used in
20 their analysis. I have no idea where they got those
21 numbers.

22 DR. CARROLL: Good guess.

23 DR. POWERS: And it's a brilliant model and
24 deductive science that someone somewhere applied to the
25 staff's analysis.

1 DR. FONTANA: Shape factor goes up. Is that
2 better or worse? Shape factor goes from assumed --
3 something's assumed spherical to something else. Is that
4 correct?

5 DR. POWERS: Well, that's one view on shape
6 factor. Shape factor is a little more complicated than
7 that.

8 The simplest way to understand shape -- shape
9 factors are a way to deal with the fact that the aerosol
10 physics models are all based on the behavior of spheres, and
11 aerosol particles aren't spheres, and the simple use of
12 shape factors and where they originally arose was in
13 describing gravitational settling, and bigger shape factors
14 mean slower settling, so you have higher concentrations in
15 the atmosphere and lower concentrations on the floor.

16 So, it depends on where you're worried.

17 If you're worried about dose effects on water
18 solutions and things like that, then big shape factors slow
19 that process down.

20 If you're worried about concentrations in
21 atmospheres and gravitational settling is your predominant
22 concern, then big shape factors mean you have higher
23 concentrations for longer periods of time in your reactor
24 containment.

25 Shape factors have very small effect in sprays.

1 They will -- collision shape factors will enhance removal
2 due to interception. Other than that, they're -- sprays are
3 like hitting it with a sledgehammer, and it kind of ignores
4 subtleties.

5 AP600 is not -- is unusual. It has a huge
6 containment, and you'd ordinarily say gravitational settling
7 is the dominant removal mechanism, but it's a cold
8 containment, and if, indeed, the thermal hydraulics in the
9 containment are correctly portrayed, then the dominant
10 removal mechanism is a diffusio-phoretic force on the
11 particles, and diffusio-phoresis and shape factors are
12 things that just don't mesh well. They are two concepts
13 that just have never interacted especially well.

14 If you take a simplistic view and say shape
15 factors are shape factors are shape factors, then shape
16 factors tend to slow down the diffusio-phoretic removal.

17 DR. FONTANA: Steam sweeping them toward the wall.

18 DR. POWERS: That's right.

19 DR. FONTANA: A higher shape factor tends to slow
20 that down?

21 DR. POWERS: Yes. Because you've got steam coming
22 in, that means you have to have a gas coming off to keep
23 pressure balanced, and so gas is pushing particles out, it's
24 got more to push on. It becomes a complicated analysis.

25 But what the staff showed in their analysis, in

1 comparison to Westinghouse's analysis, even though they used
2 different assumptions on the shape factors and things like
3 that, they got about the same amount of removal, and so, it
4 was about the same result.

5 it depends directly on the thermal hydraulics in
6 the containment, but if everybody agrees on that, then the
7 aerosol physics, everybody kind of agrees.

8 Is that a correct characterization?

9 MR. McINTYRE: I believe that's correct, or fair.

10 CHAIRMAN BARTON: We do have a meeting scheduled
11 in July, a subcommittee, for the 6th and 7th, and some
12 discussion with Noel and the staff -- it doesn't look like
13 we've got two days worth of issues still on the plate here.
14 It looks more like maybe one day of subcommittee work prior
15 to full committee on July 8th, I believe, is the full
16 committee. So, it looks now like we will be maybe having a
17 subcommittee meeting on the 7th, instead of 6th and 7th, and
18 then the full committee will start on the 8th.

19 We've got some thermal hydraulic issues, some open
20 questions.

21 Noel, what else is there?

22 MR. DUDLEY: That's it, unless members have any
23 other issues that they need to --

24 CHAIRMAN BARTON: -- to bring up at that time.

25 MR. DUDLEY: -- bring up or get answers for. So,

1 this is an opportunity to identify any other questions you
2 have on the AP600 design so that the staff and Westinghouse
3 can respond, prepare to respond to those in the July
4 meeting.

5 CHAIRMAN BARTON: Now, for the full committee in
6 July, Brian, I think, based on members that are absent,
7 probably an overview of the ITAAC, adverse system
8 interaction, and I don't think we need four hours of PRA
9 level one, but I think enough of the level one to let the
10 members that missed yesterday's presentation get a sense
11 for, you know, how thorough the level one PRA was done. I
12 think there was a real good job yesterday, but I don't think
13 we need that much time on it. You don't have that much time
14 on July 8th at the full committee meeting.

15 What are we allowing them on July 8th? A couple
16 of hours?

17 DR. SEALE: Yes.

18 CHAIRMAN BARTON: So, you've got ITAAC, adverse
19 system, PRA, plus whatever cats and dogs come up between now
20 and then --

21 MR. McINTYRE: Okay.

22 CHAIRMAN BARTON: -- for the July 8th meeting.

23 MR. McINTYRE: It would be useful for the
24 subcommittee meeting on the 7th if we could get those as
25 soon as -- anything that you want to hear about, because we

1 need to know what -- you're getting to the end when you get
2 to cats and dogs. We have to bring an army, and while Mr.
3 Schulz is yeoman, some of these are not necessarily his
4 area.

5 DR. CARROLL: He fakes it pretty good.

6 MR. MCINTYRE: Yes, he does.

7 So, rather than -- we can't have any unanswered
8 questions at the end of that.

9 So, anything that comes up, we may bring the army
10 anyway. I don't know, we'll see, but if you guys have any
11 questions, let us know.

12 CHAIRMAN BARTON: All right.

13 DR. FONTANA: So, it's definite now? We've
14 changed travel and have only a meeting on the 7th.

15 CHAIRMAN BARTON: I don't see a need for a two-day
16 subcommittee. We had this laid out way in advance, the
17 subcommittee meeting, and it just looks like there's not
18 that much left out there. We can't support a two-day
19 subcommittee.

20 I think, you know, if we got one day to wrap up
21 open issues, that would probably be plenty of time we would
22 need for subcommittee.

23 CHAIRMAN BARTON: Has the thermal hydraulic
24 subcommittee finished their --

25 I think they've had all their meetings. They've

1 got some issues and questions, I believe.

2 MR. McINTYRE: I think I can speak to that.

3 MR. DUDLEY: My understanding from talking to Paul
4 is that he will need about two to three hours during the
5 July meeting, the July 7th subcommittee meeting, to clean up
6 his items.

7 CHAIRMAN BARTON: Okay. So, it looks like maybe a
8 full day on the 7th should do it.

9 Don, you had something?

10 DR. MILLER: I just already scheduled a meeting
11 the afternoon of the 7th, but it doesn't sound like I'm
12 going to be needed anyway.

13 CHAIRMAN BARTON: At this point, do we need the
14 recorder anymore?

15 DR. CARROLL: I guess I have one thing for the
16 staff.

17 You're going to review the vulnerability analysis
18 for security when submitted by Westinghouse. Are you also
19 going to show the design to some of your more operationally
20 oriented people to see if they can find any glitches in the
21 new design?

22 MR. McINTYRE: I don't know that the vulnerability
23 analysis would help the operational people much, because
24 what that is is, given a threat, how quickly we can respond
25 to it.

1 DR. CARROLL: Yes. Well, I'm just saying, in
2 conjunction with that, are they going to --

3 MR. KENYON: I understand your question, and the
4 focus of the staff is going to be, now that Westinghouse has
5 proposed a fix or design modifications to address the
6 particular issue you've raised -- it's not our intent to go
7 back and take a look at the rest of the design in terms of,
8 you know, operability ease or maintenance ease.

9 It goes back to what we were talking about at the
10 last -- or one of the former subcommittee meetings. If they
11 meet the regulations, if an inconvenience because of
12 maintenance, it's not a problem with the staff.

13 DR. CARROLL: To me, it's potentially a real
14 safety issue, Tom. If the operators are going to be delayed
15 in getting to equipment --

16 MR. KENYON: I don't have the security man here,
17 but he'll tell you, when there is a problem of operability
18 and there is a need to get access to this equipment, a lot
19 of the security -- it's my understanding that a lot of the
20 security requirements are temporarily put on hold.

21 DR. CARROLL: That's correct. You can throw a
22 switch and open the doors.

23 MR. KENYON: So, we're looking at it from the
24 perspective of addressing the particular concern.

25 We understand and agree with you that it was a

1 good idea to make the modification, but other than that, we
2 feel that the other security measures that are in place and
3 the capability to remove security requirements in case of
4 emergency meet the regulations and are adequate.

5 DR. CARROLL: Okay.

6 CHAIRMAN BARTON: Any other discussion questions
7 at this time with Westinghouse or the staff? If not, I
8 don't think we need the recorder anymore.

9 [Whereupon, at 10:47 a.m., the meeting was
10 concluded.]
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTER'S CERTIFICATE


This is to certify that the attached proceedings
before the United States Nuclear Regulatory Commission in
the matter of:

NAME OF PROCEEDING: SUBCOMMITTEE ON
 ADVANCED REACTOR DESIGNS

DOCKET NUMBER:

PLACE OF PROCEEDING: Rockville, MD

were held as herein appears, and that this is the original
transcript thereof for the file of the United States Nuclear
Regulatory Commission taken by me and thereafter reduced to
typewriting by me or under the direction of the court
reporting company, and that the transcript is a true and
accurate record of the foregoing proceedings.

A handwritten signature in cursive script, appearing to read "Jon Hundley", is written over a horizontal line.

Jon Hundley

Official Reporter

Ann Riley & Associates, Ltd.