

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Kairos Power Licensing Subcommittee

Docket Number: (n/a)

Location: teleconference

Date: Thursday, September 24, 2020

Work Order No.: NRC-1107

Pages 1-89

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

KAIROS POWER LICENSING SUBCOMMITTEE

+ + + + +

THURSDAY

SEPTEMBER 24, 2020

+ + + + +

The Subcommittee met via Videoconference,
at 2:00 p.m. EDT, Dave Petti, Chairman, presiding.

COMMITTEE MEMBERS:

- DAVE PETTI, Chairman
- RON BALLINGER, Member
- CHARLIE BROWN, Member
- VESNA DIMITRIJEVIC, Member
- WALT KIRCHNER, Member
- JOSE MARCH-LEUBA, Member
- JOY REMPE, Member
- PETE RICCARDELLA, Member
- MATT SUNSERI, Member

1 ACRS CONSULTANTS :

2 MICHAEL CORRADINI

3 STEPHEN SCHULTZ

4

5 DESIGNATED FEDERAL OFFICIAL :

6 WEIDONG WANG

7

8 NRC STAFF PRESENT :

9 ANTONIO BARRETT, NRR/DANU/UART

10 BEN BEASLEY, NRR/DANU/UARL

11 THOMAS DASHIELL, ACRS/PMDA

12 STU MAGRUDER, NRR/DANU/UARL

13 SCOTT MOORE, ACRS

14 DEREK WIDMAYER, ACRS/TSB

15

16 ALSO PRESENT :

17 JORDAN HAGAMAN, Kairos Power

18 DREW PEEBLES, Kairos Power

19

20

21

22

23

24

25

C-O-N-T-E-N-T-S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

ACRS Chairman Introductory Remarks 6

NRC Staff Introductory Remarks 7

Kairos Power Introductory Remarks 9

KP-FHR Risk-Informed Performance-Based
Licensing Basis Development Methodology
Topical Report (KP-TR-009) 10

KP-FHR Risk-Informed Performance-Based
Licensing Basis Development Methodology
Topical Report Safety Evaluation 55

Public Comments 65

Committee Discussion 68

Adjourn 89

P R O C E E D I N G S

(2:00 p.m.)

CHAIRMAN PETTI: The meeting will now come to order. This is a meeting of the Kairos Power Licensing Subcommittee of the Advisory Committee on Reactor Safeguards. I'm David Petti, chairman of today's subcommittee meeting.

ACRS members in attendance are Charles Brown, Jose March-Leuba, Joy Rempe, Matt Sunseri, Pete Riccardella, Ron Ballinger, Walt Kirchner, and Vesna Dimitrijevic. Consultant Mike Corradini and --- I didn't see Steve Schultz but he may be on. Weidong Wang of the ACRS is the Designated Federal Official for the meeting.

During today's meeting, the subcommittee will review Kairos Power's topical report KP-FHR Risk-informed Performance-Based Licensing Basis Development Methodology, Revision 1. The subcommittee will hear presentations from Kairos Power representatives and the NRC staff and any other interested persons regarding this matter. The rules for participation in all ACRS meetings, including today's, were announced in the Federal Register in June, 2019. The ACRS section of the U.S. NRC public website provides our charter bylaws, agendas, letter reports, and full

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 transcripts of all full and subcommittee meetings
2 including slides presented there. The meeting notice
3 and agenda for this meeting are also posted there.

4 We've received no written statements or
5 requests to make an oral statement from the public.
6 However, today's meeting is open to public attendance
7 and we have a public line.

8 The subcommittee will gather information,
9 analyze relevant issues and facts, and formulate
10 proposed positions and actions as appropriate for
11 deliberation by the full committee. A transcript of
12 the meeting is being kept and made available as stated
13 in the Federal Register. I ask that all participants
14 identify themselves and speak with sufficient clarity
15 and volume so that they may be readily heard.
16 Presenters should speak slowly and tell the listeners
17 what slide they are on to ensure an efficient virtual
18 meeting.

19 We will now proceed with the meeting and
20 I'd like to start by calling up NRR staff.

21 MR. BEASLEY: Thank you. This is Ben
22 Beasley. I'm the branch chief for the Advanced
23 Reactor Licensing Branch. Good Afternoon. It is good
24 to meet with you today. The staff is looking forward
25 to our discussions and to receive feedback from ACRS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 members today on the draft safety evaluation for the
2 Kairos Power topical report on a Risk-Informed
3 Performance-Based Licensing Basis Development
4 Methodology. As you will hear, this topical report
5 describes Kairos' methodology for implementing the
6 industry-developed Licensing Modernization Project
7 which we will refer to in shorthand as LMP.

8 This meeting is the second time that the
9 staff in Kairos Power have had the opportunity to
10 brief the ACRS on Kairos Power topical reports. The
11 first meeting was held in February of this year, and
12 the staff appreciated the helpful comments from the
13 ACRS on the reactor coolant and the scaling
14 methodology topical reports.

15 We do look forward to working with
16 Chairman Petti and the rest of the members and staff
17 over the next several years as we complete reviews of
18 more Kairos Power topical reports and prepare for
19 license applications with the Kairos Power design. I
20 also want to make sure I thank the technical staff
21 from the Advanced Reactor technical branch for their
22 good work producing a high quality safety evaluation.
23 And I also want to note that the working relationship
24 between the staff and Kairos was excellent, and this
25 review was completed without the need for RAIs,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Requests for Additional Information.

2 So with that, I think I may turn it over
3 to Stu Magruder.

4 MR. MAGRUDER: Thanks, Ben. I don't have
5 any comments now. I think I will --- let me introduce
6 myself I guess. This is Stu Magruder. I'm the lead
7 project manager for Kairos for the NRC. And I don't
8 want to add anything now. I'll have an introduction
9 when the staff makes its presentation on our review of
10 the topical, so I guess I'll turn it over to Kairos
11 now.

12 MR. PEEBLES: Alright, thank you, Stu.
13 And good afternoon, everyone, my name is Drew Peebles,
14 I'm the manager of safety integration at Kairos Power.
15 We're here today to give you some background
16 information on our topical report titled Risk-Informed
17 Performance-Based Licensing Basis Development
18 Methodology. We submitted this topical to the NRC in
19 August of last year and just recently received their
20 draft safety evaluation report.

21 Before we get started I would like to
22 thank the ACRS members for their time and interest in
23 Kairos Power. As Ben mentioned, this is our second
24 time before the committee to present on our topical
25 reports, and we look forward to future interactions on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our licensing submittals.

2 I'm here today with Jordan Hagaman, our
3 manager of reliability engineering, who will also be
4 presenting. Also from the reliability engineering
5 team are Matt Denman and Matt Warner. We are also
6 joined by Peter Hastings, our vice president of
7 regulatory affairs and quality, Darrel Gardner, our
8 senior director of licensing, and Nicole Schlichting,
9 a licensing engineer. I would also like to thank the
10 NRC staff for their thorough and efficient review of
11 the topical.

12 So with that, we are ready to get into the
13 presentation, if that is good, Chairman Petti.

14 CHAIRMAN PETTI: Go ahead.

15 MR. PEEBLES: So Kairos Power is a mission
16 driven company, so we like to begin all of our
17 presentations with our mission statement, which is to
18 enable the world's transition to clean energy, with
19 the ultimate goal of dramatically improving people's
20 quality of life while protecting the environment.

21 The methodology in this topical report is
22 an important step in achieving this mission. The
23 methods that we are leveraging from the LMP provide us
24 with a systematic methodology to create a cohesive and
25 robust safety case for our technology.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So a quick look at the agenda. We just
2 completed introductions and opening remarks. Next, I
3 will provide a quick background on where the content
4 of the topical comes from as well as our justification
5 for creating the topical rather than just utilizing
6 NEI 18-04 as-is. And then I will hand it over to
7 Jordan, who will walk us through a more detailed
8 comparison between the NEI document and our topical,
9 which is KP-TR-009-NP.

10 So the methodology presented in the Kairos
11 topical replicates most of the guidance developed by
12 the Industry-Lead Licensing Modernization Project, or
13 LMP, which was formed to help modernize the licensing
14 framework for advanced non-light water reactor
15 technologies. The methodology in our topical is not
16 new to the ACRS, so I won't spend a lot of time on the
17 background, but I would like to quickly point out the
18 documents that precede our topical.

19 The LMP team produced several white papers
20 that were reviewed by the ACRS, including the
21 selection of licensing basis events, the probabilistic
22 risk assessment approach, a safety classification and
23 performance criteria for structures, systems, and
24 components, and a risk-informed and performance-based
25 evaluation of Defense In-Depth adequacy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The LMP team sought NRC endorsement of
2 this guidance, so they integrated the content from the
3 white papers into a single guidance document, which is
4 NEI 18-04, and that's titled Risk Informed
5 Performance-Based Technology Inclusive Guidance for
6 Non-Light Water Reactor Basis Development. The ACRS
7 also reviewed this report, and the NRC ultimately
8 endorsed the guidance in Reg Guide 1.233.

9 So that brings us to the Kairos topical.
10 The endorsed guidance in NEI 18-04 is replicated in
11 our topical report. We could use the NEI 18-04
12 document in an application, but since this is a new
13 methodology, there were some clarifications and minor
14 changes that are specific to Kairos strategies that we
15 wanted to make, and we wanted early agreement with the
16 NRC on those changes. The Kairos licensing strategy
17 is all about reducing programmatic risk as early in
18 the process as possible. So our motivation for
19 recreating the guidance was not to develop a new
20 method, but rather to point out some differences that
21 bring it in line with our licensing strategy, so that
22 we get that up front agreement with the NRC staff on
23 those points instead of waiting until we submit an
24 application.

25 So the rest of the presentation is going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to go through those differences and why we felt we
2 needed to make them. Before I hand it over to Jordan
3 to go over those differences, I'll reiterate the
4 regulatory ask from the topical, which is that after
5 reviewing the deltas between our report and NEI 18-04,
6 that the NRC would still consider this methodology an
7 adequate means to define and evaluate our licensing
8 basis events to get the safety classification for our
9 SSCs and assess Defense In-Depth adequacy for our
10 technology.

11 So I'll pause there before I hand it over
12 to Jordan and see if there are any questions.

13 MEMBER REMPE: Drew, this is Joy. When I
14 was looking through your report, I was interested in
15 the information on page 29. Where are you --- you
16 talk about you're going to have an additional event
17 list of LBEs, and then of course you will have the
18 design maturing and the level of detail the PRA would
19 become more expanded. Where are you in the process?
20 Are you going to have additional clarifications later
21 on for this topical report, or you think you are far
22 enough in the process that you don't need to make any
23 additional changes?

24 MR. PEEBLES: We're still early in the
25 process. We did perform a pilot of the LMP process

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the southern team as part of the LMP efforts when
2 they were creating NEI 18-04. So we think we have a
3 good idea of how we are going to implement it. But
4 that should be in future licensing interactions.

5 MEMBER REMPE: Thank you.

6 MR. PEEBLES: All right, so with that
7 background in mind, I'll hand the presentation over to
8 Jordan and he'll go over a more detailed comparison of
9 our topical and NEI 18-04.

10 MR. HAGAMAN: Thank you, Drew. The Kairos
11 Power's topical report replicates the methodology in
12 NEI 18-04, but there are some key underlying
13 differences that will be reflected in the presentation
14 of this comparison. One of the observations is that
15 NEI 18-04 has language that's aimed at two separate
16 audiences. It's aimed at both the developers that
17 need to stand up design processes to iterate between
18 design and analysis for a particular reactor
19 technology. And the second audience (audio
20 interference) will review the design of the final
21 safety case. That's NEI 18-04.

22 For our topical report, we have just one
23 purpose: to develop a common expectation with the
24 regulator on how a complete presentation of the final
25 design and the final safety case that'll look like for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the KP-FHR. So a lot of the changes in content and
2 the content that didn't get ported over to our topical
3 report is based on this important distinction. KP-TR-
4 009 was written to mirror the structure and the
5 content of NEI 18-04 as closely as possible so that
6 it's easy to conclude that the methodology is the same
7 with minor changes. So this presentation will
8 describe where the documents are similar and highlight
9 where applicant-specific deviations were necessary.

10 There were many editorial changes that
11 won't be presented in this analysis of the
12 differences. Those editorial changes include
13 reformatting. They include any identifying language
14 that indicates that Kairos Power is the applicant as
15 opposed to (audio interference) which simply refers to
16 an applicant or a vendor. And there is a number of
17 just grammar and syntax corrections that we won't talk
18 about where we try to adhere more to our internal
19 style and grammar standards. So, some examples of
20 that are: we say 'units' instead of 'modules,' and we
21 use more definitive language like 'is' or 'are'
22 instead of 'should be' statements.

23 The rest of the presentation are going to
24 be organized into three sections that represent the
25 three primary technical areas in the methodology.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That is: the selection of licensing basis events, the
2 safety classification of structure systems and
3 components, and the evaluation of Defense In-Depth
4 adequacy.

5 So the first section is licensing basis
6 event selection. Can we get the next slide please?

7 MR. PEEBLES: And Jordan, just a reminder
8 to call out the slide number for the people on the
9 phone.

10 MR. HAGAMAN: Okay, so we are on slide six
11 now. Slide six provides difference analysis between
12 the table of contents for section three in NEI 18-04
13 and section three of the topical report. And just
14 reviewing the table of contents, you can conclude that
15 the headings and the subheadings have direct alignment
16 and we point out where there is some differences.

17 So for example, section 3.2 where NEI 18-
18 04 was written broadly for an audience of different
19 technology vendors in the Advanced Non-LWR field, we
20 were aimed at just the single technology. So we don't
21 say 'Advanced Non-LWR LBE Selection' we just say 'LBE
22 Selection Approach.'

23 Section 3.2.3 we made a minor editorial
24 change. Instead of saying 'Design and Licensing
25 Stages,' we only say 'Design Stages.' We are not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 committing to any iteration in licensing stages. We
2 do not want to set an expectation that documentation
3 will be available for all iterations, and we don't
4 want to confuse the internal product development
5 process. Which specific licensing actions (audio
6 interference). Similarly, to set the change in
7 section 3.2 and 3.3.2, instead of saying 'Non-LWR PRA
8 Scope' we simply have the PRA Scope that applies to
9 our technology.

10 Section 3.3.4, there is an editorial
11 change where instead of saying 'PRA Safety Functions'
12 as NEI 18-04 uses, we simply use the phrase 'Safety
13 Functions.' And we'll get into that --- we'll
14 elaborate on that in the next slide.

15 Finally, section 3.3.5 talks about the
16 Selection of Risk metrics for PRA Model Development.
17 Rather than give the impression that we're presenting
18 a methodology for selection, we are presenting in
19 section 3.3.5. what our risk metrics will be for PRA
20 model development. So it's less about the selection
21 process and more about communicating a commitment of
22 which metrics we're using.

23 So with that overview, we can go into the
24 next slide and talk a little bit more about the
25 similarities and the Kairos specific implementations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we are now on slide 7.

2 As you can see, the similarities between
3 18-04 and our topical report overwhelm the Kairos-
4 specific implementations. We use the same definitions
5 for licensing basis events, whether they are AOOs,
6 DBEs, BDBEs, or DBAs. We use the same definition of
7 Frequency-Consequence target criteria. Both
8 methodologies use the PRA in the LBE selection
9 process. The PRA scope that's appropriate for both
10 methodologies includes both internal events and
11 external hazards. All reactor safety functions in the
12 safety case correspond to functions modeled in the
13 PRA. We have the same overall plant risk metrics
14 defined and risk-significance evaluations. And our
15 importance measures are selected from the list of
16 possible measures given in 18-04.

17 To talk about the Kairos-specific
18 implementation details, you'll notice the first two
19 bullets directly come from our approach to use this
20 methodology to confirm the safety case, rather than
21 give the impression that the methodology is creating
22 the safety case.

23 So the first example of this is we,
24 throughout the document, we replace phrases such as:
25 'LBEs identified in the PRA,' we replaced a phrase

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like that with 'LBEs corresponding to event sequence
2 family in the PRA.' The process of developing a design
3 ---

4 DR. CORRADINI: Can I just ask you a
5 question right here? This is Corradini. Does that
6 mean how you are going to develop the event sequence
7 families are different, or are you just trying to be
8 more careful about the wording? I took this to mean
9 that you might have a different approach than the NEI
10 document. Am I incorrect?

11 MR. HAGAMAN: The actual process of
12 connecting event sequence families to licensing basis
13 events is the same across both methodologies. We are
14 trying to be careful with the wording because we don't
15 want to give the impression that every LBE was first
16 identified in the PRA. The process of developing the
17 design in the safety case is highly iterative. We
18 have rapid iterations, and in practice the original
19 identification of any particular LBE may be the result
20 of a HAZOP, may be the result of engineering
21 judgement, or it may be from PRA insights. And we
22 don't think it is necessarily important that the LBEs
23 were originally identified in the PRA. What we ---

24 DR. CORRADINI: So something --- I'm
25 sorry, I didn't mean to interrupt you.

1 MR. HAGAMAN: Yes, go ahead.

2 DR. CORRADINI: Well, something then would
3 be identified that might be considered of low
4 frequency in the PRA but you thought from the HAZOP
5 that it's something important enough that you would
6 want to consider and analyze. Is that what you are
7 trying to get at?

8 MR. HAGAMAN: That could be the case, and
9 it could be the case that we --- and it often is the
10 case for most of our licensing basis events that we
11 understand what they are before the PRA is even
12 conducted. And what we are going to do is make sure
13 that we're going to use the PRA as a final check on
14 our list of licensing basis events to ensure that we
15 did not miss anything and that we categorized
16 everything correctly.

17 MEMBER KIRCHNER: Thank you. Mike
18 Corradini, this is Walt Kirchner. From a designer's
19 standpoint, you do design basis events. I'm curious
20 about, I guess I previously missed the subtlety of
21 licensing basis events versus design basis events.
22 But certainly before you've even done a PRA, you have
23 a conceptual design. You couldn't build the PRA
24 without it. And you identified design basis events
25 that your design--- you know, it's part of the process

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that has to cope with. The PRA then just can expand
2 your thinking and your rigor in systematically looking
3 at what you've created in your design. And perhaps
4 things start systematically, in an iterative design
5 PRA process, eliminating vulnerabilities. But in any
6 event, that would be my take. But is there a specific
7 reason why, Drew, you use --- I guess because this is
8 your NRC submittal eventually that you use the word
9 licensing instead of design basis events.

10 DR. CORRADINI: I guess my thought, Walt,
11 and the reason I asked the question is I was just
12 trying to figure out if they were using something
13 different, which he answered. But the LBEs could be
14 AOs or could be DBEs depending on frequency. But
15 that would be determined later once they essentially
16 decided what fits, what's in and what's out.

17 MEMBER KIRCHNER: I agree. For me, DBEs
18 are AOs and Design Basis Accidents, and then beyond
19 that is beyond Design Basis Accidents. But the
20 terminology seems to be morphing somewhat here to
21 licensing basis events. Would that include Beyond
22 Design Basis Events?

23 MR. HAGAMAN: Yes.

24 MEMBER KIRCHNER: Okay.

25 MR. HAGAMAN: So our licensing basis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 events includes AOOs, design basis events, and beyond
2 design basis events. And the design basis event as
3 well. So the LBE is a superset of everything that is
4 in our safety case that we submit for review.

5 MEMBER KIRCHNER: Thank you.

6 MR. HAGAMAN: So just like in the first
7 bullet, we want to be clear that all of our LBEs
8 correspond to sequence families without getting into
9 the weeds of where they first came from originally.
10 We similarly --- when we talk about PRA safety
11 functions --- when we talk about safety functions in
12 the safety case, we don't want to suggest that every
13 safety function was born from the PRA analysis.
14 Because just like the licensing basis events,
15 designers have a conceptual design in their head
16 before we even put pen to paper on the PRA. So we
17 want to make it clear that the safety functions are
18 the safety functions, but they also correspond to PRA
19 safety functions when you are in the PRA context. But
20 we don't like using the phrase 'PRA safety functions'
21 outside of the PRA context.

22 The final Kairos specific implementation
23 bullet has to do with the success criteria for DBA
24 consequence evaluations. So the DBA evaluation model
25 that we'll use for the KP-FHR will provide a bounding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculation of those consequences, but they include
2 bounding inputs rather than formal, quantitative
3 combination of uncertainties. Justification that the
4 DBA evaluation models are sufficiently bounding may be
5 based on qualitative arguments in some cases so then
6 direct calculation of 95th percentile figures of
7 merit. In 18-04, the statement was that DBAs are all
8 evaluated on the basis of 95th percentile. And we
9 want to leave the door open to consider alternative
10 means to justify that we have a bounding model. So
11 deviation --- yes, sir, you have a question?

12 DR. CORRADINI: Can you give me an example
13 of this? This one I did not understand. So would a
14 specific example help me?

15 MR. HAGAMAN: Sure. So if we are
16 calculating the release from a particular area of the
17 plant in a DBA basis, rather than choose a 95th
18 percentile leakage rate, we may choose a very, and
19 obviously bounding input, of 100 percent leakage, or
20 a reasonably high leakage rate that is not based on a
21 particular quantile like 95th percentile on the input.
22 Therefore the output of the analysis, to call that a
23 95th percentile consequence metric may not be
24 completely accurate. So we want to say that our DBA
25 evaluations are going to be bounding, but we don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 want to restrict that statement to a specific 95th
2 percentile a priori.

3 DR. CORRADINI: So let me just say it to
4 you, back at you. Are you saying that in some cases
5 it would be too hard to compute the 95th percentile,
6 and it's easier to basically bound it and just develop
7 a qualitative argument that what you've decided to use
8 is bounding and not try to characterize it beyond
9 that?

10 MR. HAGAMAN: Yes.

11 CHAIRMAN PETTI: I have a question then.
12 You specifically said a DBA here. But as I recall, on
13 the frequency consequence plot, you tend to plot DBEs
14 and put error bars on those. Are you still planning
15 on doing that? And it's only in the DBA consequence
16 where you allow credit for safety related equipment,
17 et cetera?

18 MR. HAGAMAN: Yes, and that's an important
19 distinction. So there are --- as you said, AOOs,
20 DBEs, and BDBEs get evaluated against frequency
21 consequence criteria, and there we do our best
22 estimate of a 95th percentile. However, in the
23 methodology, on the back side of those event sequence
24 families we have deterministic design basis accidents
25 that are derived from the design basis events, and for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those we use more --- something that looks more like
2 a traditional design basis accident analysis where we
3 use deterministic assumptions and deterministic
4 inputs.

5 MEMBER KIRCHNER: You know, for me, Drew,
6 an example, it may not be relevant to you would be
7 Appendix K, which is kind of a bounding deterministic
8 set of criteria rather than a best estimate with some
9 uncertainties associated with it, et cetera. Of
10 course that's not a good analogy here because I don't
11 think that applies to your design, but that would be,
12 for me, for DBAs an example of using a bounding model.

13 MR. HAGAMAN: I agree that that is the
14 spiritual example of what we are talking about when we
15 say design basis accidents. We are talking about a
16 universe of options that includes something like LWRs
17 when they use Appendix K. And we will talk about
18 design basis accident evaluation models in future
19 submittals. So the main purpose of broadening the
20 criteria, or the possible criteria here, is that we
21 can speak more clearly about what our DBA evaluation
22 models should look like in future submittals. We want
23 to create room to do that without giving the
24 impression in this submittal that we are going to
25 calculate specific quantiles.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. CORRADINI: But I guess let me ask me
2 ask my question again. Member Petti asked if you were
3 going to do it for the DBEs, but if you're going DBEs,
4 then you'd already have the calculation that told you
5 what your 95th is, and you would then choose to go
6 even further and more conservatively assume 100
7 percent? Or a 99? What I'm still struggling with is,
8 if you did it for one, why not use it for the other?
9 But maybe I misunderstand what your point is.

10 MR. HAGAMAN: That's a good clarifying
11 question. I appreciate the way you put it there. And
12 the answer is: there are advantages to reducing the
13 number of assumptions in the design basis accident
14 evaluation model. As you can imagine, every
15 assumption that goes into that calculation is going to
16 get derived into design criteria for safety related
17 equipment. So if instead of taking 10 probabilistic
18 assumptions, if you could use reasonably bounding
19 conservative assumptions, then there is fewer criteria
20 that need to float down to your safety related
21 equipment in terms design space. So there are
22 advantages to simplifying the design basis accident
23 evaluation model where there is an argument that you
24 are still bounding.

25 DR. CORRADINI: I think I get it. I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still looking for --- maybe this is inappropriate
2 because this is an open session. I'm still looking
3 for a specific example to lead me through this
4 empirically.

5 CHAIRMAN PETTI: Mike, the way I think
6 about it is, if you look at light-water reactors,
7 there is a certain margin. Here the margins are
8 probably larger, and so they are able to be more
9 cavalier for lack of a better word in their DBA
10 consequence calculation, and not have six safety
11 systems having a safety requirement. Whereas I'm just
12 going to calculate it with one safety function
13 operating, and I'm still okay because of all the
14 margin that's there. That's what I think.

15 MEMBER REMPE: This is exactly what GA
16 did. I can remember them coming to a meeting with
17 Fred Sillady talking about this, that it's how you
18 pick the safety related equipment, and then you only
19 rely on the safety related equipment, right?

20 CHAIRMAN PETTI: In DBA space, yes.

21 MEMBER REMPE: Yeah, and so that you don't
22 go and do this 95th percentile and all that for the
23 DBAs.

24 CHAIRMAN PETTI: Right.

25 DR. CORRADINI: But I think --- let me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 press the point, then I'll stop because maybe I'm
2 making too much of this. But in the past examples you
3 guys have, it's a single-failure criteria and I would
4 essentially have three things and I'd only need one to
5 work. Here, the single-failure criteria is
6 disappeared so I have a probabilistic criteria, so the
7 95th percentile seems to have to be considered.
8 Again, maybe I need an example that would drive this
9 and I'll just wait and stop at the moment.

10 MEMBER REMPE: So they're, again, for the
11 DBA, you only assume the safety-related systems are
12 working. Which is not how you would do --- Fred used
13 to have a plot and he'd show how the same sequence
14 would be plotted on this frequency-consequence plot
15 and, again if you did the DBE that was in the DBA
16 space, assuming everything worked with the appropriate
17 likelihood of it working with the uncertainty bars.
18 And then he'd also do the DBA for that particular
19 sequence. Does that help at all? If you pull up his
20 old slides, you can see it.

21 DR. CORRADINI: No, I know what you're
22 trying to show me on the plot. I'm trying to
23 understand why not use the information I've got
24 because we're talking about the x-axis not the y-axis.
25 So once I have the x-axis and the dose is going to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculated, I have to understand the effectiveness of
2 the safety system that is being used. And the
3 effectiveness is not a single point value, it's a
4 potential range, which allows me then to have a 5th
5 and a 95th. So, once I have it operating, I can
6 assume a bunch of things don't operate, that's fine.
7 But once I assume something operates, I have to assume
8 a performance of it to get a source term.

9 MEMBER REMPE: So what you'd like them to
10 do is if you had three systems, and only one operates,
11 you'd like them to have that range for its operations,
12 but then they might not, in some designs, they might
13 not meet the criteria. And so back in the old days in
14 the gas reactor, that's why we used to do it that way.
15 I don't know about their design if it's got it. But
16 that's --- it was getting close to the boundary is why
17 they used to do it that way in the old days.

18 DR. CORRADINI: I don't want to take any
19 more time. I was looking if I was going to get an
20 example. I'll wait and come back to this when we can
21 do a very specific example on their specific design.

22 MR. HAGAMAN: Okay, so with your
23 permission, we will move on to the next technical
24 area?

25 CHAIRMAN PETTI: Go ahead.

1 MR. HAGAMAN: So the second of three
2 technical areas --- we're now on slide eight by the
3 way. The second of the three technical areas is the
4 safety classification and performance criteria for
5 structures, systems and components. And from now on,
6 instead of structures, systems and components, I'm
7 just going to say SSCs.

8 A comparison of the table of contents
9 between 18-04 topical report for this section shows
10 that there are only editorial differences to the
11 general outline. Like we saw before where 18-04
12 applies to all advanced non-LWRs, ours is simply just
13 for our technology.

14 There is another editorial change in
15 section 4.4.2 where we deleted the word regulatory
16 from design requirements. This was an effort to clean
17 up the language. We believe that design requirements
18 are more appropriate than regulatory design
19 requirements because they exist in design space and we
20 want to separate the thinking from the actual
21 transition to a regulatory submittal.

22 If we move to the next slide, we can talk
23 about the similarities and any differences.

24 So we are on slide nine right now. And
25 once again there's broad similarities between 18-04

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and our topical report for this methodology. We had
2 the same safety classification approach. We have the
3 same definitions for safety significance and risk
4 significance. And we similarly include in the
5 population of safety-significant SSCs that are
6 required for Defense-in-Depth adequacy. We have the
7 same required functional criteria with the addition of
8 one more, which we'll talk about in the Kairos
9 specific implementations. We have the same process of
10 flowing down design requirements for safety related
11 SSCs. And we have the same evaluation of SSCs that
12 are safety related or non-safety related with special
13 treatment where we measure their performance against
14 frequency-consequence targets. And we have the same
15 special treatment requirements that flow down from
16 safety related to non-safety related with special
17 treatment SSCs.

18 There's two important distinctions ---
19 differences that we want to highlight here that we saw
20 fit for the Kairos specific implementation. The first
21 has to do with the word shall when talking about
22 integrated plant risk targets. NEI 18-04 talks about
23 how the plant risk targets shall not be exceeded. We
24 think it's more important to say the phrase should not
25 be exceeded when talking about integrated plant risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 targets. Shall is the language of verifiable
2 regulatory compliance, and that doesn't fit
3 necessarily the intent or the technical capability of
4 PRAs, which combine data based on engineering judgment
5 and assessment of uncertainties. We deliberately use
6 the term targets when we are talking about plant risk.
7 To ensure our commitment is clear, we will provide
8 justification that the risk targets are not exceeded,
9 but PRAs cannot possibly do this in any verifiable way
10 in terms of Appendix B quality.

11 The second Kairos specific implementation
12 detail is we added an additional required functional
13 design criterion for our safety related SSCs. The two
14 that are common between 18-04 and our topical report
15 are the criterion first to mitigate DBEs within the FC
16 target, and DBAs within the frequency-consequence
17 limits. The second common criteria is that we're
18 going to prevent high consequence beyond design basis
19 events from exceeding ten to the minus four per year
20 in frequency. And to these two, we added a third one
21 that our --- we have required functional design
22 criteria to shut down the reactor and maintain it in
23 a safe shutdown condition.

24 We've identified that this criterion is
25 part of the 50.2 definition for safety-related

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 structures, and we have further identified that the
2 reactivity criterion would like have naturally fallen
3 out of this methodology frequency-consequence process.
4 And we decided to include it for completeness and to
5 maintain consistency with the 50.2 definition so we
6 don't have to take a regulatory exemption from that
7 rule.

8 MEMBER KIRCHNER: Drew, this is Walt
9 Kirchner again. This now is just one member's
10 opinion: I commend you for adding this because that,
11 as you correctly point out, that is part of the
12 safety-related definition. If you were to go forward
13 under 10 CFR 50 or 52, that is a functional
14 requirement as to meet the definition of safety-
15 related SSCs. Thank you.

16 MEMBER MARCH-LEUBA: Yeah, let's go back
17 one bullet that replaced shall with should. I almost
18 lost a heartbeat here when --- the honesty of you
19 saying I cannot possibly certify through risk analysis
20 that this thing happens. I have high confidence it
21 does, but it doesn't --- it shall is not achievable.
22 I think this should be engraved on a plaque and put on
23 the wall because this is true and real and honest.
24 This is the first time I heard this said. I want to
25 put you on the record. Okay ---

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KIRCHNER: Jose, I concur as well on
2 that one. As Drew pointed out, there's no way in an
3 Appendix B space with a PRA demonstrate shall.

4 MEMBER MARCH-LEUBA: For the record this
5 is not a Kairos problem, it's a risk analysis problem.

6 MR. KIRCHNER: But these are good insights
7 going forward, I think, as we consider this LMP.

8 MEMBER MARCH-LEUBA: Okay.

9 MR. HAGAMAN: Thank you. Are there any
10 other comments or questions before we move on to the
11 third technical area? Okay. Hearing none, Drew, can
12 we move on to slide 10 please?

13 So the third and final technical area is
14 the evaluation of Defense in-Depth adequacy. So it
15 would be --- the table of contents for this section is
16 long so we split it across two slides. In the first
17 slide you see there is almost identical table of
18 contents between 18-04 and our topical report. I'll
19 highlight the one difference is in section 5.4.
20 Instead of where 18-04 says it is technically
21 inclusive RIPB framework, we simply had an RIPB
22 framework. Again, we are focused only on our
23 technology.

24 The next slide, slide 11, provides the
25 second half of its table of contents. Here there is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a couple of differences. The first example of which
2 is in section 5.7.2. where we have evolved the
3 definition of IDP from 18-04's definition of
4 Integrated Decision-Making Process to an Integrated
5 Decision-Making Panel. I'm going to talk about this
6 more substantively in the next slide. I just wanted
7 to highlight it here because it shows up in the table
8 of contents.

9 The second difference to highlight is
10 section 5.9.3 which the title indicates in 18-04 that
11 the IDP Actions Establish Defense In-Depth Adequacy.
12 In our methodology, however, we make sure that the IDP
13 actions confirm DID adequacy, but we don't want to
14 give the impression that DID adequacy is first
15 established by any IDP action. The IDP doesn't
16 necessarily document the Defense In-Depth baseline.
17 Rather, our panel will ensure that the baseline is
18 documented with adequate completeness.

19 Sections 5.9.5 and 5.9.6 in 18-04 were not
20 copied over into our topical report. They provide
21 helpful information on how you get the baseline
22 evaluation of Defense In-Depth for a vendor that's
23 cycling through design iterations. But we didn't find
24 anything actionable from a regulatory perspective
25 there. So, while it's good information and we're glad

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that it appears in 18-04, we didn't see any purpose in
2 copying it over into our topical report.

3 MEMBER KIRCHNER: So, Drew, this is Walt
4 Kirchner again, interrupting. I kind of, once again,
5 concur with where you are coming from, but it begs the
6 question then, what is the fundamental basis that you
7 are going to use in determining adequate Defense In-
8 Depth? What philosophical concept and set of metrics
9 or criteria are you going to use, Kairos. Or maybe
10 this a closed-session question. But I'd be very
11 interested to see --- I would say that a weakness in
12 LMP and 18-04 is it's more process than it is
13 substance.

14 So what substantively are you going to
15 base your confirmation of Defense In-Depth on? Is it
16 the IAEA kind of approach of lines of defense? Or is
17 it something comparable to what is used for --- my
18 colleague, Charles Brown, has been promulgating for
19 quite some time, where one looks at fundamental
20 principles that counter common cause failure kind of
21 issues that are rather unique to digital I&C. So,
22 philosophically, how are you going to address this?

23 MR. HAGAMAN: Thank you. We are going to
24 address Defense In-Depth --- there's basically a
25 three-pronged approach that we are trying to make sure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we don't lean on any particular element of the safety
2 case to be the primary leg of the stool. We have
3 three elements to our safety case. We have plant
4 capability, where we have our Defense In Depth
5 guidelines around the identification of our design
6 basis accidents and the safety related equipment
7 that's credited in our design basis accidents, and we
8 have very deterministic inputs that come out of that.
9 We have our risk-informed performance-based elements
10 where that's typically where we have our license basis
11 events plotted on an F-C chart and we're making sure
12 that we have all of our licensing basis events are
13 within the targets that we agree upon. And, like you
14 said, there's the IAEA layers of defense, and that
15 framework is actually incorporated into our ---

16 (Audio interference.)

17 CHAIRMAN PETTI: Does anybody hear him? I
18 think we lost him.

19 MEMBER REMPE: I don't hear anything, too.

20 DR. CORRADINI: I thought I was kicked
21 offline. I've lost him.

22 MS. LUI: I think he was disconnected for
23 some reason.

24 CHAIRMAN PETTI: Can somebody from Kairos,
25 who's listening?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PEEBLES: Yes, we're working on it.

2 CHAIRMAN PETTI: Great.

3 DR. CORRADINI: This is the topical area
4 that I am most uncertain as to what is in the NEI
5 document. So, Walt asked the question. I want to
6 hear the answer.

7 MEMBER KIRCHNER: Yeah, pardon my saying
8 it, it's the least --- I was going to say the weakest
9 part. I'll say that it's the least mature and least
10 well tested and proven. It's never going to be proven
11 that you have adequate DID. It's going to be
12 something in the eye of the beholder. But the reason
13 for my question is to see, like I said,
14 philosophically from a designer's standpoint how
15 you're systematically approaching this particular
16 aspect of the LMP.

17 DR. CORRADINI: Let's wait until he comes
18 back.

19 MR. PEEBLES: Yeah, Jordan should be
20 reconnected.

21 MR. HAGAMAN: Hi. I reconnected. I'm
22 sorry, I was gesturing, and I ended up dropping the
23 call.

24 MR. KIRCHNER: I apologize, Jordan, I
25 thought it was Chris, but it's Jordan. So, thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN PETTI: You broke up from, you
2 said that you had three legs of the stool. You talked
3 about the first two but you got cut off before the
4 third.

5 MR. HAGAMAN. Right, so the third is the
6 programmatic Defense In Depth which is basically
7 systematically going through and looking at the
8 assumptions from our plant capability Defense In Depth
9 and our risk-informed performance-based evaluations
10 and understanding what were the assumptions underlying
11 those evaluations and making sure that our plant has
12 programmatic characteristics built in to ensure that
13 those assumptions remain true in the life of the
14 plant. So we have, I think, very systematically we go
15 through the plant capability with our deterministic
16 DBAs and our layers of defense. We have risk-informed
17 approach where we let the PRA inform judgment that we
18 are within our frequency-consequence target criteria,
19 and we ensure all of the assumptions from those two
20 evaluations remain true programmatically whether ---
21 in the programs that maintain our SSCs that follow our
22 SSCs through the design process and the sourcing
23 process and inspections and all of that.

24 Does that address your question?

25 CHAIRMAN PETTI: Well, I'm just trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand how it's different than the NEI. Or is it?

2 MR. HAGAMAN: It's --- so this part is
3 exactly the same with the nuance that we are
4 presenting all of these elements together to our
5 integrated decision making panel for the integrated
6 decision making panel to go through and agree that we
7 have checked all of these boxes. So we approach this
8 --- we use the framework to confirm our safety case
9 but not necessarily to establish it. That's the only
10 difference between the methodologies.

11 MEMBER KIRCHNER: Jordan? Again, Walt
12 Kirchner. Who would be on your integrated decision-
13 making panel?

14 (No audible response.)

15 MEMBER KIRCHNER: Not by name, obviously,
16 but by ---

17 (Laughter.)

18 MEMBER KIRCHNER: What would be the
19 composition of it? Much like PIRT panels. I'm curious
20 about your approach. Well, I'll jump to what I would
21 like to hear. As someone who is not a Kairos Power
22 person, which is hard to do when you're dealing with
23 proprietary information and so on. But getting
24 someone outside of the cooler or coffee klatsch could
25 be extraordinarily valuable to challenge your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 colleagues when you go through that exercise.

2 DR. CORRADINI: I agree with Dr. Kirchner,
3 Member Kirchner on this. In fact, the panel is what
4 I was going to ask about anyway, about the construct
5 or the constitution of it, so.

6 MR. HAGAMAN: So with regards to the
7 composition, whether it is a mix of internal and
8 external resources, we're not prepared to give an
9 answer to that today. But what we are committed to is
10 ensuring that the panel has sufficient independence
11 and sufficient diversity in technical disciplines and
12 expertise to make judgments. But anything more
13 specific than that on composition, we're going to have
14 to get back to you.

15 MEMBER KIRCHNER: No, this was --- I
16 wasn't looking for an answer, it was a suggestion.
17 Having been in your shoes, one gets to believe what
18 one is doing so strongly, that the outsider's look,
19 certainly at this point in the LMP process, can be
20 invaluable to look for things that you may not have
21 considered and other oversights, and there is good
22 experiential data to back up my point.

23 CHAIRMAN PETTI: Yeah, it's even beyond
24 nuclear. It's in all logic projects. It's logic
25 project group think. There's tons of papers in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 literature on that sort of stuff and how you can get
2 blindsided.

3 MEMBER REMPE: I went back to the Southern
4 pilot study and it looks like at the point it was
5 issued, no one had done anything on Defense In Depth.
6 Have you tried to do this and moved along in this
7 project a bit more to try and see if --- where are
8 you? You said you'd done this pilot with Southern.
9 Had you gotten any further with it?

10 MR. HAGAMAN: We --- so, yes. We went
11 through and we piloted every step of the process with
12 Southern. We don't currently have any other pilots
13 docketed. We haven't performed the formal IDP yet.
14 But I want to observe that when we do get to the point
15 where we're commissioning an IDP, I'll observe that
16 Kairos Power regularly uses external resources in sort
17 of a red-team model whenever we are making important
18 decisions and where we are considering submitting
19 important documents externally. And it's reasonable
20 to assume that we have that tool in our toolbox when
21 we're thinking about IDP. I'm just not prepared in
22 this meeting to commit a specific process or format.

23 MEMBER MARCH-LEUBA: Will this panel be
24 empowered to do the postulated DBAs? Because it is ---
25 when you have the frequency-consequence chart, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 makes very logic. It look really scientific until you
2 realize that it's based on some frequencies calculated
3 by some PRA that doesn't exist. So, the way we had
4 reactors 50 years ago, safer, is by postulating
5 accidents saying, I don't think this accident like a
6 double-ended guillotine break LOCA is going to happen.
7 But let's make sure that if it were to happen, nothing
8 bad happens to the core. So those are the postulated
9 accidents that --- they are not AOOs but you still
10 have to survive. And this panel would be in charge --
11 - I assume this will be the panel that will be in
12 charge of looking for this deterministic accident
13 because --- especially in this revolutionary, with
14 emphasis on the r at the beginning, reactors, we don't
15 have any operating experience. It truly, once you
16 look at what could possibly happen, whether you expect
17 it to happen or not, and see what happens to the core.

18 That's just my comment.

19 MR. HAGAMAN: Thank you. So the panel
20 absolutely is --- the whole purpose of the panel is to
21 introduce engineering judgment and to do a comparison
22 of uncertainties, and yes, to make an evaluation that
23 the design basis accident selection, and the
24 assumptions in design basis accidents are reasonably
25 bounding. And the judgment of the panel could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainly be that no, the design basis accident
2 selection is not complete and to identify where that
3 might be --- which areas that might be in. And then
4 the burden will go back to design and analysis
5 iteration to incorporate that feedback and come up
6 with a revised safety case for the IDP to look at
7 again.

8 So, yes, the power does rest in the IDP in
9 that we need the IVP to confirm our safety case or we
10 can't move forward.

11 CHAIRMAN PETTI: So let me just ask a
12 question, more from a design perspective. You know,
13 let's look at redundancy and diversity and
14 independence, and assessing whether or not you've got
15 enough of that, you know, against a certain safety
16 function. It seemed to me that how one evaluates that
17 question is really a function of the technology. So
18 in a light water reactor construct, what might work
19 there, and be optimal there, today, may not be optimal
20 for an advanced reactor where there's no operating
21 experience, or limited operating experience, as I say.
22 There's a lot more uncertainty and so you have to
23 somehow compensate with additional redundancy or
24 additional diversity, and highlight --- to me, that
25 would be highlighted as, look this is what the process

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could do. Is that a fair way to think about how you
2 guys from the design perspective are going to think
3 about these things to compensate for the fact that
4 we've never built one of these types of new machines
5 before?

6 MR. HAGAMAN: Yes, and we expect those
7 judgments to appear both when we're talking about
8 plant capability and dealing with the assumptions
9 there. But we also expect these types of judgments to
10 naturally fall out of the risk-informed process where
11 if we need to use broad uncertainty distributions on
12 individual pieces of knowledge in our PRA model,
13 that'll naturally lend itself to judgments that it's
14 an area where conservatism in margin is needed to
15 compensate for a growing state of knowledge.

16 CHAIRMAN PETTI: But in the end, I mean I
17 sort of agree with that, does that in fact, though,
18 make it difficult to really get the risk insights
19 because you've had to put more margin in, if you will,
20 or compensate for more uncertainty than if you were to
21 go back and redo this ten years after the plant had
22 operated, you might get a different set of risk
23 insights because you've got some experience?

24 MR. HAGAMAN: That could be the case, and
25 it could be the case that future technology iterations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the FHR could take advantage of the operating
2 experience from the first plants. And those
3 subsequent nth of a kind plants may have a different
4 safety case than the original one because we have
5 better knowledge and that reflects in margins.

6 CHAIRMAN PETTI: Right.

7 MEMBER KIRCHNER: I'm tempted to say this,
8 David. There is no immaculate conception in advanced
9 reactor designs. You always learn as you design,
10 build, test, and you see that in the generations of
11 improvements that have been made in the existing
12 fleet. I think that's a given. But I think Dave's
13 point more relevant here is just, again, those
14 concepts of diversity, independence, redundancy, and
15 deterministic performance, which I have learned from
16 my colleague Charles Brown very well now, would serve
17 one well in doing this DID confirmation of adequacy,
18 especially for a new design without the large,
19 experimental, or operational base.

20 MEMBER REMPE: So let me try to ask my
21 question a different way. To the level that you did
22 the Defense In Depth adequacy evaluation with the
23 Southern assessment, did you get any insights that fed
24 back to other portions of the LMP?

25 MR. HAGAMAN: Directly, no, but that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because of the scope of the evaluation. Because of
2 our state of design at the time, we took a narrow
3 slice approach to piloting each of the steps in the
4 LMP process. So we took a single initiator through a
5 single event tree and a single set of event sequence
6 families to illustrate what the steps might look like
7 for the FHR design. But we would have needed a
8 complete evaluation based on a more complete, more
9 mature design to yield the kind of iterative insights
10 because this is the type of discussion that applies to
11 the whole plant and not individual event sequences and
12 individual SSCs.

13 MEMBER REMPE: Thank you.

14 MEMBER KIRCHNER: Jordan? You made a good
15 point, and I shouldn't let it go uncredited. It
16 applies to the whole plant. One of the things that
17 you have to do now at this phase in this DID adequacy,
18 or whatever, confirmation, whatever the process is
19 called, is look holistically at things, step back and
20 say, okay, we decided that, based on our design, based
21 on our PRA work, et cetera et cetera, these are the
22 categories of scenarios that we have to deal with.
23 But now is the time to step back and say, is there
24 something in the non-safety related SSC category that
25 just could undo everything, all of our best intent and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design? So it really is the point where you step away
2 from, how should I say it, the regulatory
3 classifications and look at the whole in a holistic
4 sense. And again, that's where having some outside
5 participation of your choice could be invaluable.

6 MR. HAGAMAN: Thank you. We've recorded
7 the comment.

8 CHAIRMAN PETTI: Keep on going, Jordan.

9 MR. HAGAMAN: So if we can move on to
10 Slide 12.

11 So we've actually touched on most of the
12 content of this slide, so I will review it relatively
13 quickly. We have common methodologies between 18-04
14 and our Topical Report as for defense-in-depth
15 adequacy. We use the same defense-in-depth
16 philosophy, the same framework as I was mentioning
17 previously split up to Plant Capability elements,
18 Programmatic elements, and Risk-Informed elements.
19 The same 18 task process is used.

20 We evaluate the LBEs against a layers of
21 defense approach or to the IAEA approach. We
22 established the adequacy of programmatic defense-in-
23 depth using the same guidelines in 18-04. And we have
24 the same Risk-Informed performance-based evaluations.

25 The Kairos-specific implementations, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just spent a good deal of discussion talking about how
2 we replaced the integrated decision-making process
3 with an integrated decision-making panel. And I would
4 like to elaborate just a little bit more on that, that
5 when we talk about process, that can tend to get vague
6 or create the potential expectation for documentation
7 and procedures and training associated with individual
8 design decision iterations.

9 And in our methodology, we move away from
10 that process, and we get very specific in talking
11 about we're going to have a panel. The panel is going
12 to meet and perform out discrete, specific activity to
13 review the defense-in-depth adequacy of the design,
14 and we can commit to, in licensing action, we will
15 have this panel. We will have the records and process
16 associated with the panel, any specific documentation
17 on when the panel met, what the information they
18 reviewed was, and what the conclusions were. And this
19 is something specific that we can commit to this
20 information being available for review to support a
21 safety determination.

22 The second Kairos-specific implementation
23 has to do with programmatic focus on event sequence
24 frequency targets rather than SSC reliability targets.
25 Our approach to establishing programmatic defense-in-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 depth focuses on activities that assure that frequency
2 targets are maintained at a sequence level. At our
3 detailed SSC level, however, the focus shifts away
4 from the reliability targets and towards performance-
5 based measures such as surveillance frequency and test
6 success rates; things that are actionable, things that
7 are documentable, and performance-based.

8 And like we mentioned on the last slide in
9 this final bullet, there were sections that we decided
10 not to copy over into our Topical Report. It did
11 provide good information for developers but not any
12 actionable information for Kairos as an applicant.

13 And so if we can move on to the final
14 conclusion slide, Slide 13.

15 So just to reiterate, Kairos Power
16 considers the LMP methodologies an adequate means to
17 develop LBE, SSC safety classifications, and to
18 confirm the adequacy of the defense-in-depth
19 attributes of the KP-FHR.

20 Our report details the KP-FHR specific
21 methodologies, which are based on 18-04 and on the Reg
22 Guide approving 18-04, 1.233. And to repeat the ask
23 that Drew gave at the top of the meeting, Kairos Power
24 requests the NRC review and approval of the
25 methodology as an adequate means to define and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluate LBES, classify SSCs, and assess DID adequacy.
2 NRC produced a draft SCR to approve the methodology.

3 That concludes my presentation, and I
4 would entertain any other questions you might have.

5 MEMBER MARCH-LEUBA: Yes, it is Jose. I
6 would like to bring a separate topic. I apologize for
7 bringing it first. Okay, how does functional
8 containment fit into this methodology? Are we going
9 to explicitly model the source term and the radiation
10 or isotope transport with or without a containment or
11 with a functional containment? Can you say something
12 about functional containment?

13 MR. HAGAMAN: Yes. So the functional
14 containment will be evaluated both in our Risk-
15 Informed evaluations and in our Deterministic
16 evaluations. So you can expect in the PRA treatment
17 of all the radionuclide retention barriers, whether
18 they're physical or functional. So for the FHR, that
19 includes the characteristics of the TRISO kernels and
20 our salt, specifically in design basis accidents based
21 and in the Risk-Informed space and the PRA, we also
22 take realistic probabilistic assumptions associated
23 with transport to the building and transport from
24 inside the building to the site boundary.

25 MEMBER MARCH-LEUBA: So if I understand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correctly, all the LBEs will be evaluated with the
2 radioisotopes transport to the boundary and a dose at
3 the boundary, not just figures of merit or something
4 like that. But if we don't have a real containment,
5 and we are relying on a functional containment, my
6 opinion, the LBEs should be analyzed a little further
7 than normal and take it to dose at the boundary.
8 That's my personal opinion. And if your dose at the
9 boundary is ridiculously low, which it's likely to be
10 in this design, fantastic.

11 MR. HAGAMAN: Yes. And this is consistent
12 with the non-LWR PRA standard, which is in its final
13 stages of publication right now. For a non-LWR PRA,
14 we don't have logical surrogates like LWRs do, such as
15 core damage or large early release. So every non-LWR
16 PRA is effectively a Level 3 PRA where we take every
17 event sequence through to release, and we calculate a
18 dose at the boundary like you say.

19 MEMBER MARCH-LEUBA: Is that a regular
20 commitment? I mean, that's what you plan to do,
21 because that's great. This is a very good commitment
22 or standard. It is a very logical way to demonstrate
23 that my plant is safe. I wish, I hope you do it.

24 MEMBER KIRCHNER: Yes. Jose?

25 MEMBER MARCH-LEUBA: And I applaud you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KIRCHNER: Jose, I would submit
2 that, if you're going to do the frequency consequence
3 basis for licensing, you have to do it, as you
4 suggest, for all the licensing basis events, not just
5 a subset. That is almost a -- I would assume, unless
6 I misunderstood the LMP process, that that would be a
7 requirement that they demonstrate that, as you
8 suggest.

9 CHAIRMAN PETTI: That's how I understood
10 it.

11 MEMBER MARCH-LEUBA: I've never seen it in
12 black and white, but, I mean, I will take your word
13 for it. And I think that's what we should do.

14 MR. HAGAMAN: So I'd like to reiterate
15 that LBES are evaluated on that SC chart, and the x-
16 axis is a 30-day total effective dose equivalent at
17 the site boundary. So all of our LBES need to be
18 evaluated on that basis.

19 MEMBER MARCH-LEUBA: Let me just say one
20 word: wow. I like it.

21 MEMBER KIRCHNER: And, Jordan, then I --
22 this is Walt Kirchner again. Then I would assume you
23 would, in the interim, while 10 CFR 53, quote-unquote,
24 is in rulemaking, in development and rulemaking, that
25 you would fall back on 10 CFR 50 and 52, don't quote

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 me on the numbers, 34 dot whatever, for dose at the
2 exclusion area boundary and at the low population
3 zone, if I'm getting this correct, right? I mean,
4 those are some of the anchor points, essentially, in
5 the frequency-consequence curve, at least as presented
6 by the staff.

7 MR. HAGAMAN: Yes, but I want to be
8 specific with my agreement that we use 50.34 criteria
9 when we're talking about our deterministic design
10 basis accidents, which like the PRA, the design -- the
11 deterministic design basis accidents need to be taken
12 all the way to release to look at the dose at the
13 boundary. 50.34 is not directly used when we're
14 talking about DBEs and BDBEs, however. Then we're
15 using the 30-day criteria on the frequency-consequence
16 chart. So there's a subtlety there that I want to
17 make sure is captured for anything else --

18 MEMBER KIRCHNER: Well, what is the 30-
19 day, just for the record, could you share what your
20 definition of the 30-day criterion is?

21 MR. HAGAMAN: The frequency-consequence
22 chart has a series of diagonal lines that give, that
23 are based on anchor points. So that's what I'm
24 talking about. That is the basis for the 30-day dose.
25 So we would have to look at the chart to say for an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 event of particular frequency what the appropriate
2 consequence target is.

3 MEMBER KIRCHNER: Okay.

4 CHAIRMAN PETTI: Any other questions,
5 members?

6 DR. SCHULTZ: Dave, this is Steve Schultz.

7 CHAIRMAN PETTI: Hi, Steve.

8 DR. SCHULTZ: Jordan, when you describe
9 the panel, the way the panel would be working, it
10 sounded as if you were describing it as a one-time
11 event that you would contract the panel or red team,
12 however you want to describe it, and there would be an
13 evaluation that would be performed and then completed
14 and documented.

15 It seems to me that the panel activity,
16 given everything that needs to go on, as some of the
17 members have described today, things are bound to come
18 up in the design and licensing process over the course
19 of that activity where the panel might want to -- you
20 might want to have that panel get together on a
21 periodic basis, and I'm not sure what that is; it
22 depends on your pace, of course. But things are going
23 to come up, as Jose mentioned.

24 It is very important that you continue to
25 ask the what-if questions even as you go through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 overall process. You may think you've got a final
2 design, but as you go through the process of design
3 and application, things are going to change, and there
4 is a real benefit of to having a panel that stays
5 organized and continues to ask these questions, both
6 individually and collectively, to make sure that
7 things that you may not think of on day 1 or 10 or 20
8 are identified later on and handled appropriately.

9 MR. HAGAMAN: I agree and, although our
10 specific commitment is to have a panel sign off on our
11 final safety case, we, as a matter of doing the
12 business of iteratively creating a design, we
13 naturally touch on all of these topics when we go
14 through the analysis of the plan. So we regularly
15 exercise the process, and what we want to do is focus
16 on the fact that the commitment is that when we submit
17 a final design and a final supporting safety case for
18 a plant, that you can expect to find available for
19 review in our records at least one IDP evaluation that
20 confirms our safety case. But informally, all of
21 these things get exercised on a regular basis.

22 MEMBER KIRCHNER: That's good. Thank you.

23 CHAIRMAN PETTI: Okay, then. Thank you.

24 And now I guess we will turn to the staff, Stu.

25 MR. MAGRUDER: Thank you, Dr. Petti. Let

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 me start sharing my screen here. Okay, hopefully you
2 can see our screen, the NRC slides. Can I confirm
3 that?

4 CHAIRMAN PETTI: Yes.

5 MR. MAGRUDER: Okay, thank you. Thank
6 you. So, again, my name is Stu Magruder. I'm the
7 project manager in NRR for the Kairos Project here,
8 and I just have a couple introductory remarks, and
9 then I will turn it over to Antonio Barrett from NRR
10 also who is the lead reviewer here.

11 Let me say that the draft safety
12 evaluation for this technical Topical Report here was
13 provided to the Subcommittee and to Kairos a couple of
14 weeks ago. It is publicly available now. This is a
15 nonproprietary report, and so our safety evaluation is
16 also nonproprietary, so it's in ADAMS available to the
17 public.

18 As we've discussed earlier, the safety
19 case is largely built on the fact that the staff has
20 endorsed the industry LMP methodology in Reg Guide
21 1.233. Antonio will explain how we did the review and
22 our conclusions of the review.

23 I note that other staff from NRR,
24 particularly Ian Jung, Hanh Phan, and Marty Stutzke,
25 are also on the phone and are available to answer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions, particularly if you want to talk about our
2 endorsement of the LMP and the non-LWR PRA standard.
3 So, Antonio, let me turn it over to you, and we will
4 go to Slide 2.

5 MR. BARRETT: All right. Thank you, Stu.
6 This is Antonio Barrett, NRR, Advanced Reactor
7 Technical Branch. In this presentation for the
8 Topical Report review, I'm going to cover the
9 regulatory basis, the review scope and approach,
10 deviations from NEI 18-04, and the conclusions.

11 All right. Stu, can you go to the next
12 slide?

13 All right, for Slide 3, an approved
14 methodology to select the licensing basis events,
15 classify the structure systems and components, and
16 assess defense-in-depth adequacy is used to inform the
17 licensing basis and contents of applications for non-
18 light-water reactors. Applicable regulations for
19 contents of applications are 10 CFR 50.34, 52.47,
20 52.79, 52.137, and 52.157.

21 Regulatory Guide 1.233 provides the NR
22 staff guidance on use of a technology-inclusive, risk-
23 informed, and performance-based methodology to inform
24 the licensing basis and contents of applications for
25 non-light-water reactors. The Reg Guide endorses NEI

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 18-04, Revision 1, with clarifications as one
2 acceptable method for non-light-water reactor
3 designers to use when preparing their applications.

4 Additionally, SECY paper 19-0117, request
5 the Commission to find that the staff's use of the Reg
6 Guide and NEI 18-04 as a reasonable approach to
7 establish key parts of the contents of applications
8 for non-light-water reactors. An SRM to the SECY
9 paper approves the use of the methodology from the Reg
10 Guide in NEI 18-04.

11 All right. Stu, can you go to the next
12 slide?

13 This is Slide 4 for the review scope and
14 approach. The Topical Report methodology is based on
15 the NEI 18-04 document and Reg Guide 1.233. The NEI
16 18-04 methodology has been updated to be specific to
17 KPH -- KP-FHR and there is a small number of minor
18 deviations that don't change the methodology or
19 principles of the 18-04 document.

20 The review scope is focused on the
21 differences between the Topical Report and the NEI 18-
22 04 document and confirms that the Topical Report
23 incorporates the clarifications from Reg Guide 1.233.
24 All differences have been reviewed but the focus is
25 mainly on those of some significance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The presentation covers the most
2 significant ones. While the SE has a couple more
3 minor ones and then there is no mention of some of the
4 more smaller ones that are pretty much editorials, but
5 those were reviewed as well.

6 Stu, can you go to the next slide?

7 For Slide 5, in Section 3, the Topical
8 Report deviates from the NEI document in that it
9 allows for a qualitative arguments instead of
10 quantitative calculations for uncertainty for
11 determining bounding consequences of each design basis
12 event. The methodology commits to justify these
13 qualitative arguments in the future licensing
14 submittals. This is reasonable from a methodology
15 perspective because the staff will have a future
16 opportunity to assess the acceptability of these
17 qualitative arguments, and it is not making a finding
18 from a technical perspective.

19 Can you go to the next slide, Stu?

20 For Slide 6, Topical Report, Section --

21 CHAIRMAN PETTI: Could you go back for a
22 minute? This is Dave.

23 MR. BARRETT: Yes.

24 CHAIRMAN PETTI: This is not exactly what
25 I thought we just heard from Kairos, a qualitative

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 argument. This implies to me that there is not going
2 to be a number. There is going to be a number. The
3 technical basis on how bounding it is may be
4 qualitative. Is that what -- instead of a
5 statistical --

6 MR. BARRETT: Right. So instead of, so
7 they're going to make a qualitative argument that
8 could be based off of some other numbers that are
9 bounding, but they're not going to do the 95 percent
10 number in this particular case. And they're going to
11 justify those qualitative arguments on, for a bounding
12 model in a future licensing submittal.

13 CHAIRMAN PETTI: Great, yeah. Okay, now
14 I'm with you. Thanks.

15 MR. BARRETT: Okay. Thank you. Slide 6,
16 Topical Report Section 3.36 describes the process for
17 establishing the risk significance of SSCs. The
18 process is found to be reasonable because it is an
19 element of the integrated Risk-Informed Performance-
20 Based approach in the Topical Report and is the same
21 as what's in NEI 18-04.

22 However, currently, there is an industry-
23 led PRA standard for a non-light-water reactor which
24 is being developed and expected to be endorsed by the
25 NRC staff through a Reg Guide. This particular

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standard may define risk significance of SSCs
2 differently from what's in the Topical Report.
3 Therefore, Item 2 was added to the Limitations and
4 Conditions sections of the safety evaluation, which
5 states that the applicant should address or justify
6 alternatives to the acceptance criteria in the
7 endorsed standard or Reg Guide related to the
8 determination of risk significance of SSCs as part of
9 implementing the methodology in this topical report.

10 DR. CORRADINI: Can I -- this is
11 Corradini. I guess I'm reading the words and you're
12 implying that the non-LWR, excuse me, the non-LWR PRA
13 standard would have a different definition. Is the
14 definition in a state of flux, and it's still yet to
15 be determined? Can you help me a little bit here?

16 MR. BARRETT: Yeah. So Kairos is actually
17 leading the development of the standard. So it's
18 intended to be consistent with this methodology. So,
19 however, it's not complete yet. It hasn't been
20 endorsed by the staff either.

21 DR. CORRADINI: Okay, all right. Okay, I
22 think I get it. Thank you.

23 MR. BARRETT: This is to just basically
24 make sure that that gets tied into this Topical
25 Report.

1 DR. CORRADINI: Okay, but the intent is
2 that the definition or the method of determining the
3 SSCs would be the same?

4 MR. BARRETT: That's my understanding.
5 But if they do happen to be different, there has -- it
6 would be expected that they would say something about
7 it.

8 DR. CORRADINI: Okay, thank you.

9 MEMBER KIRCHNER: So, Antonio, this is
10 Walt Kirchner. So risk-significant then they would go
11 with safety-related, non-safety related with special
12 treatment, and just non-safety related. That would be
13 the risk-significance of SSCs?

14 MR. BARRETT: I think this is a little bit
15 different. I think it's just defining -- yeah, so
16 eventually I think you would get there to those but
17 this is going --

18 MEMBER KIRCHNER: Yes.

19 MR. BARRETT: -- about the initial
20 assignment of what the risk significance of a
21 particular SSC is in the PRA.

22 MEMBER KIRCHNER: Yeah. There is PRA-
23 speak and then there is regulatory-speak, and I'm just
24 trying to reconcile those.

25 MR. BARRETT: Yes. I think this is PRA-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 speak.

2 MEMBER KIRCHNER: Okay. Thank you.

3 MR. BARRETT: Okay, Stu, can you go to the
4 next slide, unless somebody else has a question?
5 Okay. Thank you.

6 For Slide 7, in Section 4 the Topical
7 Report deviates from NEI 18-04 in that it adds an
8 additional third criterion to the definition for
9 safety-related SSCs. The third criterion is for a set
10 of SSCs performing the reactive shutdown function.
11 The Topical Report states that this is to ensure that
12 the safety-related definition in 10 CFR 50.2 is
13 addressed with the exception of the portion of that
14 Kairos plans to request an exemption for.

15 Adding the criterion is acceptable because
16 it is consistent with regulations, and it has the
17 potential to increase the number of safety-related
18 SSCs. Additionally, Item 1 was added to the
19 Limitations and Conditions section of the safety
20 evaluation, which states that the NRC is not approving
21 any exemptions from NRC regulations and an applicant
22 using the Topical Report will need to address
23 compliance with pertinent regulations and request
24 exemptions as needed.

25 All right, Stu, can you go to the next

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 slide?

2 For Slide 8 in Section 5, the Topical
3 Report deviates from NEI 18-04 in that it does not
4 include some general guidance for defense-in-depth
5 layers and source term that do not translate to
6 specific actions or documentation for the process
7 described inside of the NEI document.

8 The methodology commits to justify the
9 mechanistic source term and future licensing
10 submittals, and the defense-in-depth process is
11 already described in other parts of the Topical
12 Report. So this is reasonable from a methodology
13 perspective because the staff will have a future
14 opportunity to assess the acceptability of the
15 mechanistic source term and is not making a finding
16 from a technical perspective.

17 All right, Stu, can you go to the next
18 slide?

19 Slide 9 is the conclusions, and the staff
20 proposes to approve the Topical Report methodology to
21 select the licensing basis events, classify the
22 structures, systems, and components, and assess
23 defense-in-depth adequacy to inform the licensing
24 basis and content of applications, subject to the
25 safety evaluation Limitations and Conditions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The methodology is essentially the same as
2 what the NRC staff approved for NEI 18-04, Revision 1,
3 and incorporates the applicable clarifications and
4 points of emphasis from Reg Guide 1.233, Revision 0.
5 The differences between the Topical Report and NEI 18-
6 04 have been evaluated to be reasonable.

7 And I think that should be the end, and if
8 there is any questions, I'd be happy to answer them.

9 CHAIRMAN PETTI: Members, questions?

10 (No response.)

11 CHAIRMAN PETTI: Okay. Thank you.

12 MR. MAGRUDER: Well, thank you very much,
13 Chairman Petti. This is Stu Magruder again. Let me
14 just kind of conclude by saying that the staff is not
15 specifically asking for a letter on this Topical or
16 safety evaluation, but we would be happy to brief the
17 full committee. And I think tentatively we are on the
18 agenda for the October meeting. So I will leave it to
19 you, Chairman Petti, to decide on that. We will be
20 happy to support that if you would like to do that.

21 I will also note, as we alluded in the
22 discussions here, we have several other Topical
23 Reports from Kairos under review, including the
24 mechanistic source term methodology. I think next up
25 would probably be the fuel performance methodology

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Topical and we, I think we are tentatively scheduled
2 to brief the Subcommittee on that early next year.
3 But we also have other topicalals that we just started
4 review on fuel qualification, metallic materials
5 qualification, and the quality assurance program. So
6 we would be happy to come back to the Subcommittee and
7 talk about any of those in the future. So thank you
8 very much.

9 CHAIRMAN PETTI: Great. Well, members,
10 there are a couple of things we need to talk about.
11 First, we should go around and ask members for
12 individual comments, but second, we should talk about
13 whether or not we need to write a letter.

14 I can tell you that we had a phone call
15 with Kairos last week or maybe this Monday. Yes, we
16 had a meeting on Monday. And Dennis was of the
17 opinion that we didn't need a letter. I had a draft
18 letter started before I knew where Dennis was on these
19 things. So I am open to hearing what other members
20 think. So should we just go around --

21 MEMBER REMPE: Dave, should we first just
22 ask for public comments and get that box checked.

23 CHAIRMAN PETTI: Oh, oh, oh, right. Yeah,
24 thanks. I'm assuming, Thomas, the public line is
25 open. Thomas, is the public line open?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DASHIELL: The public line is open for
2 comments.

3 CHAIRMAN PETTI: Okay, anybody on the
4 public line wishing to make a comment, please do so.
5 Okay. I don't hear anything, so I guess there's no
6 comments.

7 So let's go around and see what folks
8 think. Charlie?

9 MEMBER BROWN: Am I first?

10 CHAIRMAN PETTI: I'm doing it
11 alphabetically. Sorry.

12 MEMBER BROWN: Okay. I thought you were
13 going to get Ron that's why it took me a while to find
14 my button.

15 CHAIRMAN PETTI: He doesn't come up on my
16 list here. He's on a list of the participants. He
17 shows up under R instead of B.

18 MEMBER BROWN: That's all right. I just
19 didn't want him to get mad.

20 CHAIRMAN PETTI: I've been chewed out by
21 professionals.

22 MEMBER BROWN: I'm not chewing. I don't
23 want to get chewed. Let Ron go first. We will do it
24 --

25 CHAIRMAN PETTI: Okay, Ron. Go first,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 please.

2 MEMBER BALLINGER: Geez. Yes, I'm
3 inclined to, since this is the first of the, what may
4 be many non-light-water reactor designs, I'm inclined
5 to think that we should write as many letters as
6 possible. Thank you.

7 CHAIRMAN PETTI: Okay. Charlie.

8 MEMBER BROWN: Well, I'm not in favor of
9 writing as many letters as possible. Okay. I'm kind
10 of in a quandary as to what to do. This was a fairly
11 sparse set of information that was provided, but the
12 staff seems satisfied. It seems like there is more to
13 come. I don't know what this would be a, what are we
14 endorsing? What are we approving, or what are we
15 agreeing within this letter? That's why, that's my
16 question. Just this technical, this Topical Report,
17 period?

18 CHAIRMAN PETTI: Yes. That's what it
19 would be.

20 MEMBER BROWN: Okay, no other, we don't
21 lose the track on anything else?

22 CHAIRMAN PETTI: No. I mean, my personal
23 opinion is the discussions that we had, which are part
24 of this broader discussion that we've been having in
25 other contexts like Part 53 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: Yeah.

2 CHAIRMAN PETTI: -- are really where
3 everything is at and whether or not we feel that's
4 important enough to highlight in such a letter;
5 otherwise, we're just, you know, yeah, they're
6 applying LMP. They've made some small changes. We
7 would have to talk about, I think to make the letter
8 have some value, in my opinion, some of the other
9 questions that we -- I've asked about is just things
10 to be cognizant of as one applies the LMP.

11 MEMBER BALLINGER: That's where I come
12 from. I think there's an opportunity in these letters
13 to kind of poke at what we think needs to be discussed
14 in a little bit more detail.

15 CHAIRMAN PETTI: That's where, I was
16 struggling so, you know, I've asked questions about
17 this as part of our Part 53 deliberations and, again,
18 I've been on the Committee long enough to know. I
19 mean, we're iterating the same thing in multiple
20 letters, you know, it might have value. Others may
21 think that it's a little redundant. I don't know.

22 MEMBER BROWN: I missed -- I guess my only
23 point relative to is, was your comment relative to the
24 qualitative aspects, not much quantitative but yet the
25 argument was made that there will be -- I'm not sure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm phrasing this right -- something quantitative
2 later. And I, so I wasn't sure where that's coming
3 from based on the discussion. So that's my only, if
4 we write the letter, we ought to make sure we have
5 some point that we want. That was the only thing that
6 stuck out in the overall discussion to me. I might
7 have missed something else, but if somebody else has
8 a comment, go ahead.

9 CHAIRMAN PETTI: Okay.

10 MEMBER DIMITRIJEVIC: Dave?

11 CHAIRMAN PETTI: Yes, you're next. Yeah.
12 I was just going to call you.

13 MEMBER DIMITRIJEVIC: Okay. So, you know,
14 the, I sort of agree with Dennis because this is not
15 really deviation from NEI 18-04, which is a part of
16 this Reg Guide 1.233 future design, you know 50.53,
17 which we already reviewed. Why would I want that we
18 don't really write a letter, but I really don't have
19 a strong opinion if you find somebody to write the
20 letter, is because they don't have anything specific
21 for them.

22 And we don't really know how their, you
23 know, their PRA is going to look like, how their other
24 design documents are going to look, there is nothing
25 there that we can actually estimate how will this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application -- there is nothing on application of the
2 NEI except saying we are going to apply.

3 So there is no information related to
4 application itself except it's just, you know, saying
5 okay there is this guide that I'm going to essentially
6 apply with these minor changes. So, in my opinion, I
7 don't think we need to write letter to this. It's,
8 you know, good opportunity for, you know, when we
9 review our, when we continue our future plant design
10 deliberation to keep in mind those changes they find
11 necessary to make and what some of selections that
12 didn't but that's all so -- that's my opinion of the
13 subject.

14 CHAIRMAN PETTI: Jose.

15 MEMBER MARCH-LEUBA: Hold on, it took a
16 while to -- yeah. I'm going to disagree with some of
17 my colleagues. I think we do need a letter. I
18 encourage a letter because this is an Earth-shattering
19 event. It's an incredible deviation from the state-
20 of-the-art. This is the first time a plant comes to
21 us and says we are going to use LMP to define our
22 LBES. Definitely, ACRS should opine on that. And
23 deviations from NEI, I think we should wade into them,
24 but the fact that they use it, as I said, is Earth-
25 shattering. It is game-changing. We should not be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 silent on it. Thank you.

2 CHAIRMAN PETTI: Okay. Walt, sorry I
3 skipped you. I --

4 MEMBER KIRCHNER: Yes. It is something of
5 a precedent and that may be, assuming that we have
6 something of substance to say in the letter, should be
7 acknowledged. So I'm with, I guess I'm in Jose's
8 camp, but I'm also sympathetic to Vesna's point at
9 this, we don't have a lot of detail. The few changes
10 from the NEI document may or may not be of note.

11 We did have an interesting discussion with
12 the applicant on the defense-in-depth approach. If
13 there is something of merit there, then that probably
14 is worth a comment. And, of course, they scratched my
15 particular itch about shutdown and maintaining
16 shutdown conditions. So from my standpoint, that's a
17 nice precedent to document and share with future
18 applicants, but that's one member's opinion.

19 CHAIRMAN PETTI: Joy.

20 MEMBER REMPE: So before I mention my
21 thoughts on this, I'd also remind everyone of the
22 point I brought up to Jose earlier today about that
23 all we can do as a Subcommittee is make a
24 recommendation for consideration by the full
25 Committee. So this is a little late to say, we're not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to write a letter other -- unfortunately, you
2 could really have a very short presentation, but we
3 need to have some sort of process in mind because it's
4 a bit late to decide that we will or won't have a
5 letter as a Subcommittee for what's going to happen at
6 the full Committee meeting, okay? With just --

7 CHAIRMAN PETTI: Our P&P would be too
8 late, right?

9 MEMBER REMPE: Yes. And so, you know,
10 we're kind of trapped by process here, and that's
11 something we can talk about tomorrow at the retreat.
12 But this is a little late in the process to make that
13 decision other than come to the meeting and then
14 decide that we don't want to do a letter. But yet
15 anyway, that's kind of where that's at.

16 With respect to a letter, I wholeheartedly
17 agree unless there is something worthwhile to say, it
18 doesn't mean a lot unless it is a very short letter.
19 Despite the, and so the differences of what they've
20 said about looking at the third critical safety
21 function about make sure you're in a stable, safe
22 shutdown state is great.

23 I note that we didn't discuss that even
24 though they have the first critical safety function
25 about maintaining radioactivity in that report, they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually mention that they plan to ask for an
2 exemption for that critical safety function. So we
3 will have to see what that's about in the future. And
4 clearly what's going to be interesting is when they
5 finally pick the licensing basis events, and we start
6 evaluating the application.

7 So, you know again, I would make the
8 letter pretty short, note some differences that we
9 will be very interested in seeing how the defense-in-
10 depth thing is being applied ultimately and, you know,
11 things like that, that I wouldn't buy in whole-hog to
12 the report because it's got a lot of open items to be
13 determined.

14 CHAIRMAN PETTI: So let me just ask a
15 process question. The fact that NRC did not ask for
16 a letter, is that a get out of jail free card that we
17 could just decide not to write a letter?

18 MEMBER REMPE: No, we write letters often
19 when we're not asked for one. You know, again, we --

20 CHAIRMAN PETTI: Okay, Dennis is of a
21 different opinion. When we talked about this, he
22 thought we had a way out but --

23 MEMBER REMPE: -- but again, we can't --
24 it doesn't matter whether they ask for one or not.
25 And yeah, that might be a way out, but that way out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has to be stated at the meeting, you know.

2 MEMBER BROWN: Dave, for your information,
3 I have had subcommittee meetings and I have not
4 written letters on them. So that's --

5 MEMBER REMPE: Right. But we last P&P
6 said we we're going to do a letter, and now we're
7 doing this decision-making at a subcommittee and
8 usually you've got a whole month and there's a bit
9 more time.

10 MEMBER BROWN: I agree with that point,
11 Joy. I'm just saying that we do have subcommittee
12 meetings typically in my circumstances, they've been
13 an early review followed by a subsequent subcommittee
14 meeting before we wrote the letter if we were -- and
15 there have been one two of them when I didn't write a
16 letter all. But the NRC didn't ask for one, and we
17 finished the review. It was kind of pro forma, and we
18 didn't do anything, but that was some years ago.

19 So Dennis is right. We have not always
20 written letters on this meeting, but we did commit to
21 this, and we've got that on the schedule. And to me,
22 the only way we get out of that, in one way, is to
23 reschedule the letter for a later full Committee
24 meeting and then try to refine our differences in a
25 subsequent subcommittee meeting to know where we want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to go with it because we're putting our Betty Crocker/
2 Good Housekeeping seal of approval on this. And Joy
3 is right, we really didn't go into the -- oh, geez.
4 My brain just fried.

5 MEMBER SUNSERI: This is Matt. I would
6 like to weigh in on the governance of this topic a
7 little bit. First off, I don't think it's, I wouldn't
8 characterize it as late or whatever. I mean, it's
9 pretty typical that we have subcommittee presentations
10 on topics and then the next full Committee meeting we
11 write the letter.

12 And I've also seen it pretty typical in
13 the past, as Charlie has mentioned, where a
14 subcommittee has convened and decided not to write a
15 letter. Just because the P&P a couple of months ago
16 without the benefit of any discussion of this made
17 room for a letter on the full Committee agenda,
18 doesn't mean we're obligated to write a letter.

19 So I think we're at our complete
20 discretion at this Subcommittee. If the Subcommittee
21 agrees that no letter is required, then that report
22 goes forward to the full Committee, of which by the
23 way, everyone is here except for one right now. And
24 that would be perfectly in line with our by-laws,
25 which I've just reviewed quickly, and I don't see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anything to the contrary there.

2 MEMBER REMPE: Well, we can decide at the
3 full Committee, but I would contend a subcommittee
4 cannot make a decision, even though only one member is
5 missing and that member may not be there at the full
6 Committee. It's just historic that the full Committee
7 makes decisions. Because if you start --

8 MEMBER SUNSERI: Yes.

9 MEMBER REMPE: -- saying we can make that
10 decision --

11 MEMBER SUNSERI: I --

12 MEMBER REMPE: -- at the subcommittee
13 meeting, you might have three members at present or
14 two trying to make the decision.

15 MEMBER SUNSERI: And that's the authority
16 that the full Committee has delegated to the
17 subcommittees.

18 MEMBER RICCARDELLA: I thought the, this
19 is Pete, I thought the process was the subcommittee
20 makes a recommendation to the full Committee as to
21 whether or not a letter was required and the full
22 Committee makes a decision.

23 MEMBER REMPE: That's the way I understand
24 the process.

25 MEMBER RICCARDELLA: And we could do that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at P&P.

2 MEMBER REMPE: Yeah. And, you know, I
3 don't think you can let a subcommittee start making
4 recommendations and assume it's going to be accepted
5 at the full Committee even though it's very likely
6 here.

7 CHAIRMAN PETTI: So Pete, what's your
8 viewpoint on the need for a letter?

9 MEMBER RICCARDELLA: I tend to lean with
10 not thinking one is needed because I don't see where
11 it would have anything substantive to say, and the
12 staff hasn't requested it, but I'll go along with
13 whatever the Committee decides on, whatever the
14 majority of the Committee feels.

15 CHAIRMAN PETTI: Well, I think it's close.
16 It's kind of like, what, there's only eight of us. I
17 think it's 5-3.

18 MEMBER DIMITRIJEVIC: Dave?

19 CHAIRMAN PETTI: Yeah.

20 MEMBER DIMITRIJEVIC: Dave, I was thinking
21 what I forgot to tell you when I was talking that if
22 we didn't write the letter on 123, right, Reg Guide
23 1.223, which endorses 18-04. So what will happen,
24 like technically, what if we don't endorse 18-04 but
25 here we write a letter prematurely? I mean, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's one of the things that technically one should
2 come after another.

3 CHAIRMAN PETTI: Yeah --

4 MEMBER DIMITRIJEVIC: I don't think we
5 really want to; you know, we had the meetings about
6 the 1.223 Reg Guide, which endorsed NEI. But I don't,
7 I mean, I know that --

8 MEMBER RICCARDELLA: Yes.

9 MEMBER SUNSERI: We did.

10 CHAIRMAN PETTI: Well, maybe we did
11 though. Other members know? Did we write one on
12 1.233?

13 MEMBER REMPE: We wrote in the -- I
14 thought we did on the LMP. I thought it was more on
15 the NEI document rather than the Reg Guide, but I'd
16 have to go back and --

17 MEMBER DIMITRIJEVIC: That I guess --
18 yeah, he may know.

19 MEMBER REMPE: I guess I --

20 MEMBER SUNSERI: Yes. I think we're on
21 record with regards to the LMP.

22 MEMBER BROWN: We did do an LMP letter.
23 That was Dennis' committee --

24 MEMBER SUNSERI: Yes.

25 MEMBER BROWN: -- a while back now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KIRCHNER: Dave? This is Walt.
2 One thought is, you're the chair of this particular
3 project. Since it's kind of a mixed, you're getting
4 a mixed set of opinions, maybe we should defer to your
5 recommendation. This is one of, well we did two
6 previous ones, if in your assessment this is an
7 important thing to document as part of our
8 deliberations on the Kairos eventually, I'm hopeful
9 that we will see an application. And maybe we follow
10 your lead since you already admitted you had a draft
11 and made that much of an effort. If you think this is
12 a good, worthwhile thing to document in the path
13 forward, then I think the Committee would follow your
14 recommendation.

15 MEMBER MARCH-LEUBA: Yeah, I want to put
16 another concept in there. I mean, it is true that
17 those Reg Guides we already have letters and
18 everything, but we just got a couple of things from
19 the applicant that are important.

20 Number one, the only I really care, is
21 they said if we use LMP, we believe we have to use PRA
22 Level 3 for every event. On just that one, deserves
23 a letter and our endorsement and high publicity. You
24 do whatever you want, but the fact that this applicant
25 is at least said verbally, that if I use LMP, I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the logical progression of that requires me to do
2 a PRA Level 3 for each and every one of my transients,
3 that's big. That's big. All right, over and out.

4 MEMBER DIMITRIJEVIC: Jose, how do you
5 mention they are going to use F-C curve? They need
6 those. They need the frequency and the only Level 3
7 means is, you know, the PRA which calculates dose
8 release. So without Level 3 PRA, you cannot use the
9 F-C curve.

10 MEMBER MARCH-LEUBA: Yeah, yeah. But this
11 is in writing.

12 MEMBER SUNSERI: So Dave, I think, to me,
13 I guess I will weigh on the letter or not letter. I
14 don't think a letter adds much value at this stage
15 because they're just outlining the process that
16 they're going to bring their application forward with.
17 Our detailed safety review will be done on the parts
18 and if there is a significant finding associated with
19 the PRA or the way they encompass safety systems or
20 anything else, we will weigh in at that time based on
21 specific information that is provided to us, not
22 speculation at this time what might or might not be
23 before us.

24 So I would say the fact that they're
25 following the LMP and laid out a road map on how they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are going to do that, and the staff agrees with that,
2 is sufficient. It should be sufficient for us. And,
3 therefore, I would conclude no letter is necessary.

4 CHAIRMAN PETTI: Derek tells me on the
5 chat that he's got information about the letter we
6 wrote. Derek?

7 MR. WIDMAYER: Yes. The letter that you
8 guys wrote on that Reg Guide, it was an early version
9 of the SECY paper and an early version of the
10 Regulatory Guide. And you did endorse it. You
11 haven't said anything about the final versions, but
12 those were minor edits that were made. And, in fact,
13 Dennis, on his own, decided it wasn't needed to review
14 the final Reg Guide. It was pretty much the same as
15 the draft.

16 MEMBER DIMITRIJEVIC: Okay, well thanks,
17 Derek. That means we will not have a contradiction if
18 we endorse already the Reg Guide. So that means we
19 endorse NEI. Do we endorse F-C curves? That means
20 that --

21 MR. WIDMAYER: Yes, and of course, he
22 said, you know, the proof of the pudding is when the
23 rubber meets the road, so to speak. So but, yes, you
24 said it was a reasonable approach.

25 CHAIRMAN PETTI: So here's what I'm

1 thinking, I'm not -- all the issues that we have
2 raised, we've raised in other contexts of Part 53,
3 right, for instance, isn't on the street yet, I don't
4 think, but we went over it at the last meeting. I
5 would like to request a delay of the full Committee
6 meeting to November. In October I will make the
7 recommendation. The Committee can vote. I hope they
8 would take the recommendation of the chair of no
9 letter and then we would not have that meeting in
10 November. That's the only way I can see this staying
11 inside all of these crazy rules.

12 Because what I don't want to do is to drag
13 the staff from Kairos because, you know, a lot of P&Ps
14 at the end of the week, not at the beginning of the
15 week, that sort of stuff. Is that a way around
16 things?

17 MEMBER REMPE: With the current situation,
18 I think it's a great way to go.

19 CHAIRMAN PETTI: Yeah.

20 MEMBER SUNSERI: So, I mean, so it's
21 already on the agenda, right? I mean, if it's already
22 been issued and --

23 MEMBER REMPE: Well, we've regularly said
24 we're going to delay something.

25 MEMBER SUNSERI: I know, but, I mean it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 won't even get to the November, right? So if we start
2 the October meeting, we don't have the presentation,
3 we wait 'til Friday on the P&P, Dave makes his
4 presentation, we vote. I mean, it's done, right?

5 MEMBER REMPE: That's what I would think.

6 CHAIRMAN PETTI: Yeah. I just don't want
7 to drag the NRC staff and Kairos to the October
8 meeting.

9 MEMBER REMPE: Are there enough members
10 that you got a majority here, Dave? I kind of lost
11 track, but I would second with what you're saying, but
12 we need to go through and make sure we have a majority
13 if we're going to delay, right?

14 MR. MOORE: This is Scott. May I be
15 recognized, Mr. Chairman, Chairman Petti?

16 CHAIRMAN PETTI: I thought you were
17 talking to Matt.

18 MR. MOORE: No, I'm talking to you,
19 Chairman Petti.

20 CHAIRMAN PETTI: Okay. Yes, go ahead.

21 MR. MOORE: So Vice Chairman Rempe and the
22 others that weighed in, I think are correct that the
23 subcommittee can't make specific decisions in the
24 subcommittee. The by-law actually says that, you
25 know, a subcommittee may also recommend a particular

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 course of action to the full Committee.

2 That said, I think that the Committee
3 wants to be careful about considering non-actions.
4 For instance, not doing something as needing votes
5 because the Committee does that kind of thing all the
6 time. I don't think in the past when the Committee
7 has decided not to write letters that those have been
8 going to the Committee for votes.

9 And so I think if needed in cases when the
10 Committee is, well, excuse me, when the subcommittee
11 is split on something or if there is a reason to take
12 it to the full Committee, sure, go to the full
13 Committee. But I think it would be not recommended
14 for every subcommittee to have to go to the full
15 Committee every time it didn't want to write a letter
16 on something.

17 MEMBER REMPE: So the reason I have my
18 opinion is because of the numerous MELLLA+ reviews we
19 did, and we had to be, decide with a lot of
20 forethought, and we could not just make that decision.
21 And it took a lot of support that way to do it.

22 MEMBER KIRCHNER: But, Joy, wait a minute.

23 MEMBER REMPE: So that's -- it's not that
24 background.

25 MEMBER KIRCHNER: -- wait a minute. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MELLLA+ things were license amendments and that's a
2 different category altogether. That's a statutory
3 responsibility. There's no proscribed statutory
4 responsibility to review these TRs.

5 MEMBER REMPE: That's true, but then we've
6 had this discussion with Jose on other topics that
7 way, and I think this is something we need to really
8 iron out in the retreat and document so that it's
9 available for all members to see in the by-laws to try
10 and make sure it's well understood.

11 MR. MOORE: Okay.

12 MEMBER MARCH-LEUBA: Yeah, I concur. That
13 we need the rules -- we don't need to modify the by-
14 laws but have the rules understood because when I get
15 an email saying this is the list of Topical Reports
16 are available for review and I say this one, this one,
17 and that one. Why do I have to do that? We need to
18 decide on these things and come up with a process.

19 MEMBER KIRCHNER: You're a good judgment,
20 Jose.

21 MEMBER MARCH-LEUBA: I know, I know. I
22 like my judgment.

23 MEMBER KIRCHNER: Just like the Reg
24 Guides.

25 MEMBER MARCH-LEUBA: Yes.

1 MEMBER KIRCHNER: Just like the Reg
2 Guides.

3 MEMBER MARCH-LEUBA: Yeah.

4 MEMBER KIRCHNER: Because again, it falls
5 in a similar category and then we follow the lead of
6 our lead member on the topic.

7 MEMBER MARCH-LEUBA: My judgment says to
8 have a little guidance and not have one or B or three,
9 and I've been overruled on both. Okay, so let's just
10 --

11 MEMBER BROWN: I'm going to chime in. I'm
12 going to be consistent somehow here with Scott in that
13 I definitely did make some decisions to not write
14 letters on stuff during a subcommittee meeting along
15 with the members of the subcommittee, but we normally
16 had follow-up meetings scheduled later, generally. I
17 will say that there was one or two times when I
18 didn't, but that was six or seven years ago. So we've
19 been more aggressive in the last few years at making
20 sure we documented, ran it through the, you know,
21 confirm we were going to do a letter early. But I
22 don't think it's against any of our rules for the
23 Subcommittee to decide we're not going to do a letter
24 on this. This is a Topical Report. It's not a
25 statutory item. So Walt's right from that standpoint.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: Actually, MELLLA+ wasn't a
2 statutory item. It was something that the ACRS
3 requested and then we decided to stop.

4 MEMBER BROWN: That was a licensing, the
5 initial parts of it were licensing events.

6 MEMBER REMPE: It's not like a power
7 uprate. It was basically a way of --

8 MEMBER BROWN: Getting more power.

9 MEMBER REMPE: -- controlling the reactor
10 and so it was -- yes, it was a licensing amendment
11 request but, frankly, there are a lot of license
12 amendment requests that we don't write letters on,
13 too. So, again, I just think we need to be careful
14 because I wanted to stop them a long time ago, and we
15 could not do that. Anyway, it's just from what has
16 happened to me in the past. But I don't think the
17 laws, by-laws are very clear about it.

18 CHAIRMAN PETTI: Okay. Well, I'm sure we
19 will discuss this more tomorrow.

20 MEMBER SUNSERI: But, Dave, do you have a
21 clear course of action that you're going to have right
22 now? Do you feel like you got the majority point here
23 to proceed down the path you've described?

24 CHAIRMAN PETTI: Yeah. I think so. So
25 all I need is a majority, right? A simple majority?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SUNSERI: Well --

2 MEMBER BROWN: Yes.

3 MEMBER SUNSERI: -- I suppose if you want
4 to call a vote but if you're the decision-maker of the
5 Subcommittee and you just get everybody's input --

6 CHAIRMAN PETTI: Right.

7 MEMBER SUNSERI: -- your counts 10, I
8 don't, you know, it's your call.

9 CHAIRMAN PETTI: Yes. No, I prefer to do
10 what I said I was going to do, which is, I guess,
11 officially delay it, delay the full Committee meeting
12 and then --

13 MEMBER SUNSERI: Yes, and then --

14 CHAIRMAN PETTI: -- then not have it.

15 MEMBER KIRCHNER: Yes. We need to be
16 decisive here in fairness to the staff and the
17 applicant.

18 CHAIRMAN PETTI: Right.

19 MEMBER KIRCHNER: And just say, we're not
20 going to do it in October. And we can deliberate all
21 the other ins and outs after. But, you know, I think
22 that would be a reasonable conclusion to draw at this
23 juncture.

24 CHAIRMAN PETTI: Right. So that's my
25 position. If we don't have to vote, fine.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: I have no problem with
2 that.

3 CHAIRMAN PETTI: Probably back to you
4 then, Mr. Chairman. I guess we're done with the
5 subcommittee meeting.

6 MEMBER SUNSERI: No. You're the chairman.
7 So --

8 CHAIRMAN PETTI: Okay. I'm ready to
9 adjourn unless someone has another discussion point.

10 MEMBER SUNSERI: No, I'm good, Dave.
11 Thanks.

12 MEMBER BROWN: I'm good also, Dave.

13 CHAIRMAN PETTI: Okay.

14 MEMBER REMPE: Thank you.

15 CHAIRMAN PETTI: Then we're done. We will
16 see everybody tomorrow.

17 (Whereupon, the above-entitled matter went
18 off the record at 4:10 p.m.)

19

20

21

22

23

24

25

September 18, 2020

Docket No. 99902069

US Nuclear Regulatory Commission
ATTN: Document Control Desk
Washington, DC 20555-0001

Subject: Kairos Power LLC
Presentation Materials for Kairos Power Briefing to the Advisory Committee on Reactor Safeguards on the Risk-Informed Performance-Based Licensing Basis Development Methodology Topical Report

This letter transmits presentation materials for the September 24, 2020 briefing for the Advisory Committee for Reactor Safeguards (ACRS), Kairos Power Subcommittee. At the meeting, participants will discuss the Risk-Informed Performance-Based Licensing Basis Development topical report (KP-TR-009-NP) that was submitted to the Nuclear Regulatory Commission for review and approval (ADAMS Accession No. ML20101P623).

Enclosure 1 provides the non-proprietary presentation materials. Kairos Power authorizes the Nuclear Regulatory Commission to reproduce and distribute the submitted non-proprietary content, as necessary, to support the conduct of their regulatory responsibilities.

If you have any questions or need any additional information, please contact Drew Peebles at peebles@kairospower.com or (704) 275-5388 or Darrell Gardner at gardner@kairospower.com or (704)-769-1226.

Sincerely,



Peter Hastings, PE
Vice President, Regulatory Affairs and Quality

Enclosures:

- 1) Presentation Materials for the September 24, 2020 ACRS Briefing (non-proprietary)

xc (w/enclosure):

Benjamin Beasley, Chief, Advanced Reactor Licensing Branch
Stewart Magruder, Project Manager, Advanced Reactor Licensing Branch
Weidong Wang, Senior Staff Engineer, Advisory Committee for Reactor Safeguards

Enclosure 1

Presentation Materials for the September 24, 2020 ACRS Briefing (non-proprietary)



Kairos Power

RISK-INFORMED PERFORMANCE-BASED LICENSING BASIS DEVELOPMENT
METHODOLOGY

ACRS SUBCOMMITTEE MEETING

SEPTEMBER 24, 2020



Kairos Power's mission is to enable the world's transition to clean energy, with the ultimate goal of dramatically improving people's quality of life while protecting the environment.

Agenda

- Introductions and Opening Remarks
- Background of content in Kairos Power's LMP Topical Report
- Comparison of NEI 18-04 and KP-TR-009-NP

Background

- NEI Papers on LBE, PRA, SSC safety classification, and DID adequacy
 - Reviewed by ACRS
 - Input to an integrated guidance document
- NEI 18-04
 - Integrates the guidance from the NEI papers into a document for NRC endorsement
 - Reviewed by ACRS
 - NRC RG 1.233 endorses guidance in NEI 18-04
- Kairos Power Topical Report is based on NEI 18-04
 - Same fundamental methodology
 - Minor changes/departures
- Kairos Power requested NRC review and approval of the methodology as an adequate means to define and evaluate LBEs, classify SSCs, and assess DID adequacy for KP-FHR technology. The NRC has produced a draft SER to approve this methodology.

Comparison of NEI 18-04 and KP-TR-009-NP

- The Kairos Power topical report (KP-TR-009-NP) replicates the methodology from NEI 18-04 with minor changes to the content.
- This presentation will compare and contrast the substantive differences between the reports.
- Editorial changes are excluded from this comparison, including:
 - Re-formatting
 - Identifying language that indicates Kairos Power is implementing methodology
 - Grammar/syntax corrections
 - Style choices (replace “**modules**” with “**units**”, replace “**should be**” with “**is**” or “**are**”)

Section 3 Selection of Licensing Basis Events

- NEI 18-04, Rev. 1

- 3.1 Licensing Basis Event Definitions
- 3.2 **Advanced Non-LWR** LBE Selection Approach
 - 3.2.1 Frequency–Consequence Evaluation Criteria
 - 3.2.2 LBE Selection Process
 - 3.2.3 Evolution of LBEs Through Design **and Licensing** Stages
- 3.3 Role of the PRA in LBE Selection
 - 3.3.1 Use of PRA in LBE Selection Process
 - 3.3.2 **Non-LWR** PRA Scope for LBE Selection
 - 3.3.3 PRA Scope Adequacy
 - 3.3.4 **PRA** Safety Functions
 - 3.3.5 **Selection of** Risk Metrics for PRA Model Development
 - 3.3.6 Contributors to Risk and Risk Importance Measures

- KP-TR-009-NP, Rev. 1

- 3.1 Licensing Basis Event Definitions
- 3.2 LBE Selection Approach
 - 3.2.1 Frequency–Consequence Evaluation Criteria
 - 3.2.2 LBE Selection Process
 - 3.2.3 Evolution of LBEs Through Design Stages
- 3.3 Role of the PRA in LBE Selection
 - 3.3.1 Use of PRA in LBE Selection Process
 - 3.3.2 PRA Scope for LBE Selection
 - 3.3.3 PRA Scope Adequacy
 - 3.3.4 Safety Functions
 - 3.3.5 Risk Metrics for PRA Model Development
 - 3.3.6 Contributors to Risk and Risk Importance Measures

Section 3 Comparison of NEI 18-04 and KP-TR-009-NP

- Similarities
 - Definitions for AOOs, DBEs, BDBEs, DBAs
 - Definition of the Frequency-Consequence target criteria
 - Use of PRA in LBE selection to develop a comprehensive set of initiating events and event sequences
 - PRA scope addresses spectrum of internal events and external hazards
 - Reactor safety functions defined to correspond to functions modeled in the PRA
 - Overall plant risk metrics defined and risk-significance evaluations performed
 - Kairos importance measure selected from the list of possible measures given in NEI 18-04
- Kairos-specific implementation
 - Replace “The LBEs **identified** in the PRA...” with “The LBEs **corresponding to event sequence families** in the PRA...”
 - Replace “**PRA** Safety Functions” with “Safety Functions”
 - DBA consequences to be calculated using sufficiently bounding models that may not include direct 95th percentile calculation

Section 4 Safety Class and Performance Criteria for SSCs

- NEI 18-04, Rev. 1

- 4.1 SSC Safety Classification Approach **for Advanced Non-LWRs**
- 4.2 Definition of Safety-Significant and Risk-Significant SSCs
 - 4.2.1 Safety-Significant SSCs
 - 4.2.2 Risk-Significant SSCs
- 4.3 SSCs Required for Defense-in-Depth Adequacy
- 4.4 Development of SSC Design and Performance Requirements
 - 4.4.1 Required Functional Design Criteria for Safety-Related SSCs
 - 4.4.2 **Regulatory** Design Requirements for Safety-Related SSCs
 - 4.4.3 Evaluation of SSC Performance Against Design Requirements
 - 4.4.4 Barrier Design Requirements
 - 4.4.5 Special Treatment Requirements for SSCs

- KP-TR-009-NP, Rev. 1

- 4.1 SSC Safety Classification Approach
- 4.2 Definition of Safety-Significant and Risk-Significant SSCs
 - 4.2.1 Safety-Significant SSCs
 - 4.2.2 Risk-Significant SSCs
- 4.3 SSCs Required for Defense-in-Depth Adequacy
- 4.4 Development of SSC Design and Performance Requirements
 - 4.4.1 Required Functional Design Criteria for Safety-Related SSCs
 - 4.4.2 Design Requirements for Safety-Related SSCs
 - 4.4.3 Evaluation of SSC Performance Against Design Requirements
 - 4.4.4 Barrier Design Requirements
 - 4.4.5 Special Treatment Requirements for SSCs

Section 4 Comparison of NEI 18-04 and KP-TR-009-NP

- Similarities
 - SSC safety classification approach
 - Definitions of safety-significant and risk-significant SSCs
 - Safety-significance of SSCs required for Defense-in-Depth adequacy
 - Required functional design criteria for safety-related SSCs includes mitigating DBEs and DBAs, and preventing high-consequence BDBEs
 - Design requirements established for safety-related SSCs fulfilling Required Safety Functions
 - Evaluation of safety-related and NSRST SSC performance against Frequency-Consequence targets
 - Radionuclide retention barriers have design criteria derived from evaluation of LBEs against F-C Targets and RFDCs
 - Special treatment requirements added for safety-related and NSRST SSCs
- Kairos-specific implementation
 - Replace “**shall** not exceed” with “**should** not exceed” for integrated plant risk targets
 - Additional required functional design criterion included for shutting down the reactor and maintaining safe shutdown

Section 5 Evaluation of DID Adequacy (1 of 2)

- NEI 18-04, Rev. 1

- 5.1 Defense-in-Depth Philosophy
- 5.2 Framework for Establishing Defense-in-Depth Adequacy
- 5.3 Integrated Framework for Incorporation and Evaluation of DID
- 5.4 How Major Elements of the **TI**-RIPB Framework are Employed to Establish DID Adequacy
- 5.5 RIPB Compensatory Action Selection and Sufficiency
- 5.6 Establishing the Adequacy of Plant Capability DID
 - 5.6.1 Guidelines for Plant Capability DID Adequacy
 - 5.6.2 DID Guidelines for Defining Safety-Significant SSCs
 - 5.6.3 DID Attributes to Achieve Plant Capability DID Adequacy

- KP-TR-009-NP, Rev. 1

- 5.1 Defense-in-Depth Philosophy
- 5.2 Framework for Establishing Defense-in-Depth Adequacy
- 5.3 Integrated Framework for Incorporation and Evaluation of DID
- 5.4 How Major Elements of the RIPB Framework are Employed to Establish DID Adequacy
- 5.5 RIPB Compensatory Action Selection and Sufficiency
- 5.6 Establishing the Adequacy of Plant Capability DID
 - 5.6.1 Guidelines for Plant Capability DID Adequacy
 - 5.6.2 DID Guidelines for Defining Safety-Significant SSCs
 - 5.6.3 DID Attributes to Achieve Plant Capability DID Adequacy

Section 5 Evaluation of DID Adequacy (2 of 2)

- NEI 18-04, Rev. 1

- 5.7 Evaluation of LBEs Against Layers of Defense
 - 5.7.1 Evaluation of LBE and Plant Risk Margins
 - 5.7.2 Integrated Decision-Making **Process** Focus in LBE Review
- 5.8 Establishing the Adequacy of Programmatic DID
 - 5.8.1 Guidelines for Programmatic DID Adequacy
 - 5.8.2 Application of Programmatic DID Guidelines
- 5.9 Risk-Informed and Performance-Based Evaluation of DID Adequacy
 - 5.9.1 Purpose and Scope of Integrated Decision-Making **Process**
 - 5.9.2 Risk-Informed and Performance-Based Decision Making
 - 5.9.3 IDP Actions to **Establish** DID Adequacy
 - 5.9.4 IDP Considerations in the Evaluation of DID Adequacy
 - **5.9.5 Baseline Evaluation of Defense-in-Depth**
 - **5.9.6 Considerations in Documenting Evaluation of Plant Capability and Programmatic DID**
 - 5.9.7 Evaluation of Changes to Defense-in-Depth

- KP-TR-009-NP, Rev. 1

- 5.7 Evaluation of LBEs Against Layers of Defense
 - 5.7.1 Evaluation of LBE and Plant Risk Margins
 - 5.7.2 Integrated Decision-Making **Panel** Focus in LBE Review
- 5.8 Establishing the Adequacy of Programmatic DID
 - 5.8.1 Guidelines for Programmatic DID Adequacy
 - 5.8.2 Application of Programmatic DID Guidelines
- 5.9 Risk-Informed and Performance-Based Evaluation of DID Adequacy
 - 5.9.1 Purpose and Scope of Integrated Decision-Making **Panel**
 - 5.9.2 Risk-Informed and Performance-Based Decision Making
 - 5.9.3 IDP Actions to **Confirm** DID Adequacy
 - 5.9.4 Evaluation of Changes to Defense-in-Depth

Section 5 Comparison of NEI 18-04 and KP-TR-009-NP

- Similarities
 - Defense-in-depth philosophy
 - Framework for establishing DID adequacy includes Plant Capability, Programmatic, and Risk-Informed elements
 - 18 tasks in an integrated framework for information of evaluation of defense-in-depth
 - Approach to establishing the adequacy of plant capability DID using the same guidelines
 - Evaluation of LBEs against layers of defense
 - Establishing adequacy of programmatic DID using the same guidelines
 - Risk-informed, performance-based evaluation of DID adequacy using the IDP
- Kairos-specific implementations
 - Replace “Integrated Decision-Making **Process**” with “Integrated Decision-Making **Panel**”
 - Programmatic focus on event sequence frequency targets rather than SSC reliability targets (at the SSC level, focus on performance-based measures)
 - Section 5.9.5 and 5.9.6 in NEI 18-04 provided helpful information for developers on internal baselines and documentation, but these sections were relevant to the topical report

Conclusions

- Kairos Power considers the Licensing Modernization Project methodologies as an adequate means to develop Licensing Basis Events, SSC safety classifications, and to confirm the adequacy of the defense-in-depth attributes of the KP-FHR.
- The report details the KP-FHR methodologies, which are based on the methodologies presented in NEI 18-04 and RG 1.233
- Kairos Power requested NRC review and approval of the methodology as an adequate means to define and evaluate LBEs, classify SSCs, and assess DID adequacy for KP-FHR technology. The NRC has produced a draft SER to approve this methodology.



Questions

Presentation to the ACRS Kairos Power Subcommittee

Staff Review of Kairos Topical Reports

KP-TR-009, REV 1,
“KP-FHR Risk-Informed Performance-Based Licensing Basis
Development Methodology”

Presenters:

Stu Magruder - Project Manager, Office of Nuclear Reactor Regulation (NRR)
Antonio Barrett - Reactor Systems Engineer, NRR

Reviewers:

Antonio Barrett - Reactor Systems Engineer, NRR
Ian Jung - Senior Reliability and Risk Analyst, NRR

September 24, 2020

(Open Session)

“KP-FHR Risk-Informed Performance-Based Licensing Basis Development Methodology” Review Overview

- Regulatory Basis
- Review scope and approach
- Deviations from NEI 18-04
- Conclusions

Regulatory Basis

- An approved methodology to select the licensing basis events, classify the structures, systems, and components, and assess defense-in-depth adequacy is used to inform the licensing basis and content of applications for non-light water reactors (non-LWRs).
- Applicable regulations:
 - 10 CFR 50.34, 10 CFR 52.47, 10 CFR 52.79, 10 CFR 52.137, and 10 CFR 52.157 "Contents of Applications" require a safety analysis and an evaluation of the safety features and barriers to a radioactive release to be included in a preliminary or final safety analysis report.
- Regulatory Guide 1.233 provides the NRC staff's guidance on using a technology-inclusive, risk-informed, and performance-based (TI-RIPB) methodology to inform the licensing basis and content of applications for non-LWRs. It endorses, with clarifications, NEI 18-04, Revision 1, as one acceptable method for non-LWR designers to use when carrying out these activities and preparing their applications. (Regulatory Guide 1.233 is the finalized version of Draft Regulatory Guide 1353)

Review Scope and Approach

- Topical Report (TR) Methodology Basis
 - Based on NEI 18-04 and RG 1.233 (DG-1353)
 - Customized version of the technology-inclusive NEI 18-04 methodology updated to be specific to the KP-FHR technology
 - Deviates from NEI 18-04 with a limited number of minor differences that do not alter the principles and methodology of NEI 18-04 and RG 1.233 (DG-1353)
- Deviations from NEI 18-04
 - Review scope narrowed to assessing the differences between the TR and NEI 18-04 and confirming that the TR incorporates the applicable clarifications identified in RG 1.233
 - All the differences reviewed but primarily focused on those considered to be of some significance

Deviations from NEI 18-04

- TR Section 3
 - In describing Task 7a of Figure 3.2 the TR deviates from NEI 18-04 in that it allows for the use of qualitative arguments instead of quantitative calculation of uncertainty for determining the bounding consequences of each design basis accident. The TR methodology commits to justify that the design basis accident evaluation models are sufficiently bounding using future licensing submittals.
 - This is reasonable from a methodology perspective because the staff will have a future opportunity to assess the acceptability of any qualitative arguments and does not make a finding on the acceptability of potential future qualitative arguments from a technical perspective.

Deviations from NEI 18-04 cont.

- TR Section 3
 - TR Section 3.3.6 describes the process for establishing the risk significance of SSCs. The process is reasonable because it is an element of the integrated RIPB approach in the TR and is the same as NEI 18-04.
 - Currently an industry led PRA standard for non-LWRs is being developed which is expected to be endorsed by the NRC staff via a Regulatory Guide. The standard may define risk significance of SSCs differently from the TR.
 - Item 2 of the Limitations and Conditions section of the safety evaluation states the applicant should address, or justify alternatives to, the acceptance criteria in the Regulatory Guide and endorsed PRA standard related to the determination of risk significance of SSCs as a part of implementing the methodology in this TR.

Deviations from NEI 18-04 cont.

- TR Section 4
 - The first two criteria used as the definition for safety-rated SSCs in the TR are the same as those in NEI 18-04. The TR adds a third criterion for a set of SSCs performing reactor shutdown function. The TR states that the addition is to ensure that the definition in 10 CFR 50.2, “Definitions,” is addressed with the exception of the portion of this definition for which Kairos plans to request an exemption.
 - Adding the third criterion is acceptable since the prescriptive criterion is consistent with the regulations and has the potential to increase the number of safety-related SSCs beyond those identified by the two other criteria.
 - Item 1 of the Limitations and Conditions section of the safety evaluation states that the NRC is not approving any exemptions from NRC regulations, and an applicant using the TR will need to address compliance with pertinent regulations and request exemptions as needed.

Deviations from NEI 18-04 cont.

- TR Section 5
 - TR Section 5.7 does not include general guidance for defense in depth layers and source term that do not translate to specific actions or documentation for the process described in NEI 18-04. The TR commits to justify the mechanistic source term approach using future licensing submittals.
 - This is reasonable from a methodology perspective because the staff will have a future opportunity to assess the acceptability of the mechanistic source term approach and does not make a finding on the acceptability of the mechanistic source term approach from a technical perspective.

Conclusions

- The NRC staff proposes to approve the KP-TR-009 topical report methodology to select the licensing basis events, classify the structures, systems, and components, and assess defense-in-depth adequacy to inform the licensing basis and content of applications, subject to the safety evaluation Limitations and Conditions.
 - The methodology is essentially the same as NRC staff approved NEI 18-04, Revision 1, and incorporates the applicable clarifications and points of emphasis from DG-1353, which has been finalized and issued as Regulatory Guide 1.233, Revision 0
 - The differences between the TR and NEI 18-04 have been evaluated to be reasonable

Backup Slides

Limitations and Conditions

- **1. (Section 3.1)** This SE does not approve any exemptions from NRC regulations, and an applicant using this TR will need to address compliance with pertinent regulations and request exemptions as needed.
- **2. (Section 3.3.6)** The JCNRM of the ANS/ASME is developing a PRA standard for non-LWRs. If the NRC staff concludes that the ANS/ASME PRA standard is acceptable, the staff expects to endorse the standard via a Regulatory Guide. If the Regulatory Guide is issued 6 months before submission of the licensing application, the applicant should address, or justify alternatives to, the acceptance criteria in the Regulatory Guide and endorsed PRA standard related to the determination of risk significance of SSCs as a part of implementing the methodology in this TR.

Safety-Related SSC Criteria

- NEI 18-04 and [TR Criteria](#)
 - Mitigate DBE within the F-C Target and DBAs within 10 CFR 50.34 dose limits
 - Prevent high-consequence BDBEs (those with doses exceeding 10 CFR 50.34 dose limits) from exceeding 10E-4/plant year in frequency and thereby migrating into the DBE region of the F-C evaluation
 - [Shut down the reactor and maintain it in a safe shutdown condition](#)
- 10 CFR 50.2
 - The integrity of the reactor coolant pressure boundary
 - The capability to shut down the reactor and maintain it in a safe shutdown condition
 - The capability to prevent or mitigate the consequences of accidents which could result in potential offsite exposures comparable to the applicable guideline exposures set forth in § 50.34(a)(1) or § 100.11 of this chapter