## Official Transcript of Proceedings NUCLEAR REGULATORY COMMISSION

Title:	Advisory Committee on Reactor Safeguards
Docket Number:	(n/a)
Location:	teleconference
Date:	Friday, October 9, 2020

Work Order No.: NRC-1142

Pages 1-81

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1323 Rhode Island Avenue, N.W. Washington, D.C. 20005 (202) 234-4433

	1
1	
2	
З	
4	DISCLAIMER
5	
6	
7	UNITED STATES NUCLEAR REGULATORY COMMISSION'S
8	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
9	
10	
11	The contents of this transcript of the
12	proceeding of the United States Nuclear Regulatory
13	Commission Advisory Committee on Reactor Safeguards,
14	as reported herein, is a record of the discussions
15	recorded at the meeting.
16	
17	This transcript has not been reviewed,
18	corrected, and edited, and it may contain
19	inaccuracies.
20	
21	
22	
23	
	1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	1
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + + +
4	679TH MEETING
5	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
6	(ACRS)
7	+ + + + +
8	INFORMATION SESSION ON THE
9	EXTERNAL HAZARDS CENTER OF EXPERTISE
10	+ + + + +
11	FRIDAY
12	OCTOBER 9, 2020
13	+ + + + +
14	The Advisory Committee met via Video
15	Teleconference, at 11:45 a.m. EDT, Matthew W. Sunseri,
16	Chairman, presiding.
17	COMMITTEE MEMBERS:
18	MATTHEW W. SUNSERI, Chairman
19	JOY L. REMPE, Vice Chairman
20	WALTER L. KIRCHNER, Member-at-large
21	RONALD G. BALLINGER, Member
22	DENNIS BLEY, Member
23	CHARLES H. BROWN, JR. Member
24	VESNA B. DIMITRIJEVIC, Member
25	JOSE MARCH-LEUBA, Member
	I

		2
1	DAVID A. PETTI, Member	
2	PETER RICCARDELLA, Member	
3		
4	DESIGNATED FEDERAL OFFICIAL:	
5	DEREK WIDMAYER	
6		
7	ALSO PRESENT:	
8	LAUREL BAUER, NRR	
9	LUISSETTE CANDELARIO, NRR	
10	BARBARA HAYES, NRR	
11	DAVID HEESZEL, NRR	
12	MICHAEL LEE, NRR	
13	SCOTT MOORE, NRC	
14	KEVIN QUINLAN, NRR	
15	MICHELE SAMPSON, NRR	
16	KENNETH SEE, NRR	
17	WEIJUN WANG, NRR	
18		
19		
20		
21		
22		
23		
24		
25		
l	I construction of the second se	

	3
1	CONTENTS
2	
3	Call to Order
4	External Hazards Center of Expertise 5
5	Michele Sampson 5
6	Barbara Hayes
7	Michael Lee
8	Kenneth See
9	Kevin Quinlan
10	David Heeszel
11	Weijun Wang
12	Laurel Bauer
13	Dam Safety Program 67
14	Kenneth See
15	Closing Comments
16	Barbara Hayes
17	Dennis Bley
18	Matthew Sunseri, Chairman 80
19	
20	
21	
22	
23	
24	
25	

	4
	PROCEEDINGS
	11:45 a.m.
	CHAIRMAN SUNSERI: This is Matt Sunseri.
It's 11:45	Eastern Time. We will reconvene the
session.	
	I'll start with the roll call.
	Ron Ballinger?
	MEMBER BALLINGER: Here.
	CHAIRMAN SUNSERI: Dennis Bley?
	MEMBER BLEY: Here.
	CHAIRMAN SUNSERI: Charles Brown?
	MEMBER BROWN: Here.
	CHAIRMAN SUNSERI: Vesna Dimitrijevic?
	MEMBER DIMITRIJEVIC: Here.
	CHAIRMAN SUNSERI: Jose March-Leuba?
	MEMBER MARCH-LEUBA: Here.
	CHAIRMAN SUNSERI: Walt Kirchner?
	MEMBER KIRCHNER: Here.
	CHAIRMAN SUNSERI: Dave Petti?
	(No response.)
	Joy Rempe?
	VICE CHAIRMAN REMPE: Here.
	CHAIRMAN SUNSERI: Pete Riccardella?
	MEMBER RICCARDELLA: Here.
	CHAIRMAN SUNSERI: And myself.
	It's 11:45 session.

	5
1	So, we have a quorum. I'm sure Dave will
2	join us when he's available.
3	At this point in time, we are going to
4	start our session, our information session, on
5	External Hazards Center of Expertise. And I'll ask
6	Dennis Bley if he has any opening comments.
7	MEMBER BLEY: Yes. Thank you very much,
8	Matt.
9	I'd like to welcome the folks from the
10	External Hazards Center of Expertise. We have been
11	looking forward to your presentation and learning more
12	about how the Center is organized and all the things
13	you do.
14	Barbara, when you go through your talk,
15	and the others as well, I would like it if you can
16	relate your role to how you interact with NRR for
17	reviews and, in particular, if you've started your
18	reviews on the SHINE operating license application.
19	And also, ahead of time, I'd like to
20	welcome Mike Lee back. He was with us for many, many
21	years, and a few of us were here when Mike was with
22	us.
23	Barbara, I turn it over to you at this
24	time.
25	MS. SAMPSON: Hi. Good morning. This is
I	1 Contraction of the second

(202) 234-4433

Michele Sampson. I'm the Acting Director for NRR's Division of Engineering and External Hazards, and I'll 2 just make a few brief remarks before turning it over to Barbara.

5 The Division of Engineering and External Hazards leads the review of natural and external 6 7 manmade hazards, including their potential impacts on 8 new and operating reactors. In support of our 9 licensing reviews, the staff has developed guidance documents to facilitate the staff's review and to 10 assist applicants in developing their submittals 11 consistent with our principles of good regulation, 12 including openness, reliability, and efficiency. 13

14 We appreciate the opportunity to provide 15 a presentation on the External Hazards Center of 16 Expertise, or, as we refer to it, EHCOE. Todav's 17 presentation will focus the organizational on structure of EHCOE and highlight our programmatic 18 19 rather than any specific safety review or areas, issue. We will provide a brief overview of EHCOE and, 20 then, focus in for a few minutes on each of our 21 technical areas. You will hear about the status of 22 our programs and the changes that we are embracing as 23 24 we become a more modern, risk-informed regulator. 25

With that, I'd like to thank you again for

**NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

3

4

(202) 234-4433

	7
1	the opportunity to make the presentation and turn the
2	discussion over to Barbara.
3	DR. HAYES: Thank you, Michele.
4	And good morning, everyone. I'm Barbara
5	Hayes, the Chief of the External Hazards Branch in the
6	Office of Nuclear Reactor Regulation. I joined NRC in
7	2013 as a hydrologist. I have been the Branch Chief
8	for the External Hazards Branch in NRR for almost a
9	year now.
10	Next slide, please.
11	Thank you for the invitation today to come
12	and talk to you about the External Hazards Center of
13	Expertise. I understand you've had a very busy year
14	and that resulted in this presentation being pushed
15	back by quite a few months, and we're very glad to
16	finally have this opportunity.
17	I'll be starting by providing information
18	on the main focus of our talk today, EHCOE, who we
19	are, what we do and who we do it with, how we are
20	structured and why. I'll, then, pass the lead over to
21	several speakers from EHCOE who will briefly provide
22	information on their areas of technical expertise, as
23	well as the Process for Ongoing Assessment of Natural
24	Hazard Information and, also, information on the Dam
25	Safety Program. Those two programs are both led out
1	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

of EHCOE.
Our speakers today, other than me, will be
Mike Lee from EXHB, a senior hydrologist who will be
talking about hydrology; Kenneth See, EXHB, who is a
senior hydrologist also, and he is the technical lead
for the external manmade hazards technical team. And
he'll be discussing the manmade hazards reviews that
we do.
Kevin Quinlan, meteorologist in EXHB, also
the NRC point of contact for the National Weather
Service. Kevin is the informal or de facto technical
lead of the meteorological group, and he'll be
discussing work of the meteorologists in EHCOE.
Then, that will be passed to David
Heeszel, EXHB, a geophysicist and, also, serving as
the liaison for geology and seismology within EXHB.
And he'll be discussing the geological and seismologic
reviews and work that we have.
Finally, in terms of areas of expertise,
Weijun Wang, a geotechnical engineer in the
Structural, Civil, and Geotechnical Engineering Branch
of NRR, will be discussing geotechnical engineering
work.
We'll, then, go to Laurel Bauer in EXHB,
a geologist, and she is the lead of the Process for

(202) 234-4433

	9
1	Ongoing Assessment of Natural Hazard Information.
2	And we'll close out with a brief
3	discussion by Kenneth See, who is our NRC Dam Safety
4	Officer, and he'll be talking about the Dam Safety
5	Program.
6	MEMBER BLEY: Barbara?
7	DR. HAYES: Yes?
8	MEMBER BLEY: This is Dennis Bley.
9	Two things. One, I'm not conversant with
10	all the acronyms in your organization. I can guess at
11	the ones you said, but, from now on, if you could tell
12	us what they mean, I'd appreciate it.
13	And two, when were you chartered. It
14	seems as if the people in your Branch now have come
15	from many different places. Are you going to tell us
16	some of that? And if not, if you could give us a
17	short summary, that would be nice.
18	DR. HAYES: Yes, Dennis, actually, that
19	really is the focal point of my presentation, is how
20	we are set up and how we function. And my apologies,
21	EXHB I'll probably say again because that's the
22	External Hazards Branch within NRR. I will try to
23	avoid using acronyms as much as possible.
24	So, next slide, please.
25	So, the ACRS, you know us already, but not
	1

(202) 234-4433

	10
1	necessarily how we are organized. You're, no doubt,
2	familiar with some of the speakers today due to
3	previous technical presentations that we have made.
4	Some of our previous activities: combined
5	licenses, early site permits, design certifications is
6	probably the bulk of our interactions with ACRS. Our
7	post-Fukushima work is essentially closed out now, and
8	that really represents a change in our workflow to a
9	certain extent and our focus.
10	Right now, for current activities, we
11	provide a lot of support to operating reactors. We
12	provide support to the other business lines of NRR.
13	But what is a significant new is that we're providing
14	growing support to NMSS on a number of reviews.
15	Just in terms of how we do what we do,
16	both for those reviews that are under your purview as
17	well as other reviews, NRC staff reviews documented
18	safety evaluations and inspection reports. When
19	necessary, they receive a thorough review by this
20	Committee and the Commission prior to an adequate
21	protection regulatory finding.
22	Each licensee or applicant is responsible
23	for preparing their analysis of external hazards based
24	on their unique circumstances and presenting it to the
25	staff. The staff, then, conducts an independent,
I	1

(202) 234-4433

1 thorough safety review of the submittal of the 2 material to ensure that reasonable assumptions have analyses performed 3 been made, sound have been 4 commensurate with potential hazards that may exist at 5 a site. When the staff identifies deficiencies in the could preclude 6 assumptions or analysis that а 7 reasonable assurance finding, the staff requires the 8 licensee or applicant to correct the deficiency. 9 Next slide, please. 10 So, Dennis, you had asked for a brief One of the things that's key here is that 11 history. the staff that's in EHCOE share a history. In 2015 is 12 SECY-15-0143, Project AIM and Centers 13 when for 14 Expertise, recommended the creation of a Center of 15 Expertise for external hazards evaluations. In 16 September 2016, staff issued a memorandum to the EDO 17 which documented EHCOE as a limited-scope COE, and it provided the charter, the rules of engagement, and 18 19 several other documents such as a communication plan and business case. 20 We were chartered as a limited-scope 21 because we were providing service primarily to NRO and 22 to NRR at the time. That is one of the things that 23

24 has changed, in that we are providing more review 25 support to NMSS for some of their activities.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 So, since it's formation in 2016, EHCOE 2 has changed substantially. And we recently drafted 3 revisions of our charter and for the rules of 4 engagement. The revised documents reflect current 5 organizational structure, the current principles and practices, as well as the expansion of the workload to 6 7 cover activities in NMSS. It also reflects EHCOE's 8 movement towards NRC's transformation vision of 9 becoming a modern, risk-informed regulator.

draft 10 The revised charter and the engagement plan is consistent with the OEDO Procedure 11 "Guidance for Identifying, 12 Evaluating, 0940, and Implementing a Center of Expertise." 13 And both of 14 these documents are currently still considered draft, 15 but we are in the process of preparing to share them Both of those documents are available 16 with the EDO. 17 our SharePoint site, which is not publicly on available, but is accessible to the ACRS. 18

19 So, we are a matrix organization. So, it's worth spending a little bit of time talking about 20 what that means. A matrix organization is defined as 21 22 one that's qot dual multiple managerial or accountability and responsibility. Typically, there's 23 24 two chains of command, one along functional lines and 25 alonq project lines. So, it's hybrid one а

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

organizational structure that combines two chains of command, typically. Usually, there's a line manager or a functional manager, such as a Branch Chief, taking care of routine tasks, and there are also Project Managers that work separately. Such an approach allows the balancing of employees' time and knowledge between routine tasks and project work.

8 In terms of matrix organizations, there's 9 a scale over which the level of matrixing can be 10 described. And the way that we are structured, we would be considered a weak matrix in that we basically 11 have strong functionality and supervision along your 12 Branch Chief, first-line 13 traditional supervisor 14 approaches.

15 So, one of the things that also makes us 16 a matrixed approach is that we have what the EDO has 17 recently referred to as double-hatting. Staff, when they go on rotations, which they have recently, have 18 19 been maintaining certain key EHCOE roles. We also have staff that support particular initiatives that 20 are outside of external hazards analysis, and we also 21 have the Project Manager for the Dam Safety Program, 22 in a completely different Division 23 is and who 24 interacts solely as his role as the Project Manager 25 providing support that one EHCOE program.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

(202) 234-4433

	14
1	Next slide, please.
2	So, who we are. EHCOE is matrixed within
3	NRR, but all 14 members and myself are considered
4	full-time members of EHCOE. We cover four of the five
5	disciplines that are covered by EHCOE, and we are
6	responsible for the Process for Ongoing Assessment of
7	Natural Hazard Information, as well as the Dam Safety
8	Program.
9	We also have the Project Manager Luissette
10	Candelario, who is actually moving the slides for us
11	today. We are also the point of contact for various
12	projects and relationships, such as with the National
13	Weather Service.
14	Next slide, please.
15	The other key Branch that's currently
16	involved right now would be the Structural, Civil, and
17	Geotechnical Engineering Branch. Joe Colaccino is the
18	Chief, and three of those members are actually working
19	as part of EHCOE doing geotechnical engineering, our
20	fifth discipline. We also have one staff member in
21	Joe's Branch that supports the manmade hazards
22	activities. So that we have a team of three people.
23	It's probably worth mentioning, the way
24	that BC concurrence responsibilities are is, when that
25	staff member in Joe's Branch actually has a review,

(202) 234-4433

	15
1	I'm the one who's responsible because manmade hazards
2	is part of EXHB's, my Branch's, responsibility.
3	So, the concurrence process goes along
4	with the actual technical area that's covered in
5	EHCOE. However, all of the usual supervision
6	processes are traditional Branch Chief, first-line
7	supervisor, you know, reviewing time and assigning
8	work.
9	What this does is this structure allows
10	staff to work together naturally at the technical
11	interfaces between different groups and to stay
12	integrated, regardless of what the structural changes
13	might be within Branches, which gets us to why.
14	Our matrix approach supports adequate
15	bench strength and preservation of critical skills and
16	knowledge management. Workloads have changed
17	substantially, and so do the organizational structures
18	associated with the Divisions and the Branches. NRC
19	has had a great deal of movement in recent years in
20	preparation and implementation of the merger between
21	the Office of New Reactors and NRR, and also, the
22	creation of the Environmental COE over in NMSS.
23	And what is really the driver of our
24	successes and our vision? It's really the staff. Our
25	staff has highly specialized skills and those
	I contraction of the second

(202) 234-4433

	16
1	represent a productive nexus that supports forward-
2	thinking action, uses of lessons learned, preservation
3	of critical skills, and adequate bench strength. By
4	maintaining this nexus, we support NRC's principles of
5	good regulation independence, openness, efficiency,
6	clarity, and reliability.
7	Next slide, please.
8	We share a vision that supports the agency
9	mission and its visions of being a modern, risk-
10	informed regulator. How we support this vision?
11	We're committed to optimizing the service
12	that we provide to all partners by ensuring access to
13	specialized skills needed to support NRC's public
14	health and safety mission.
15	We are committed to modernizing practices
16	by selectively adopting best practices from the public
17	and private sectors; evaluating and right-sizing
18	activities; considering the benefits and costs, risk
19	implications, both in terms of safety risk and
20	enterprise risk.
21	We ensure adequate bench strength through
22	a combination of internal and external resources.
23	We preserve skill sets critical to
24	supporting the agency's mission through knowledge
25	management activities and through sponsorship of in-
I	I construction of the second se

(202) 234-4433

	17
1	house training opportunities.
2	And we tailor safety reviews and
3	preparation of guidance documents to align with NRC's
4	risk-informed approach to regulation.
5	Next slide, please.
6	We share a process of change that supports
7	the agency mission and the agency vision of becoming
8	a modern, risk-informed regulator. This particular
9	slide represents how EHCOE aligns with the agencywide
10	transformation measures in SECY-20-0049.
11	Within these different areas, much of this
12	is a matter of cultural change, collaborative work
13	towards this culture change that we have been engaged
14	in in this last year that's reflected in our draft
15	engagement plan and our draft revised charter.
16	One of the key examples or areas where we
17	have worked together is related to the SharePoint
18	platform. We had a new version of SharePoint come out
19	that was issued a few months before the merger. This
20	is our primary collaborative IT platform, and we had
21	relied heavily on it for our collaborative work. The
22	functionality of the new platform was very
23	problematic. The structure, the architecture is quite
24	different, and finding files, et cetera, became quite
25	challenging.

(202) 234-4433

We developed as a group a common organizational structure for these five technical areas, and we have a complete new IT platform that's amenable for better workflow and transparency, new functionality that supports information-sharing on our capabilities, and also, vets viable staff-generated ideas.

Next slide, please.

9 So, I've only been with, in terms of our focus on risk significance, I've only been with EHCOE 10 for less than a year. And actual reviews that I've 11 been involved in generally have not been made public 12 But what I have personally experienced working 13 vet. 14 with staff is that staff's evaluation of risk 15 significance has generally enabled them to get to reasonable assurance of adequate protection with less 16 17 RAIs and with quicker turnarounds with producing our inputs for SERs. 18

19 How are we doing this? A lot of it is actually discussions during Branch meetings and really 20 a focus on the principles of good regulation. 21 In terms of training as well, we've taken advantages of 22 classes that reflect this transformation related to 23 24 risk-informed regulation, data-driven decisionmaking, We'll have some examples that are discussed 25 and PRA.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

	19
1	a little bit later.
2	Next slide, please.
3	So, the basis for our reviews. We provide
4	technical reviews for LARs and for the operating fleet
5	and for license renewals. We're tapped for our
6	expertise by the Regions on emergent issues that arise
7	at the nuclear power plants, and we continue to
8	support licensing reviews related to conventional
9	large light water reactor.
10	We have an increased level of support to
11	NMSS, to the Division of Fuel Management of the
12	Division of Decommissioning, Uranium Recovery, and
13	Waste Programs Branches.
14	We are reviewing two major projects
15	related to consolidated interim spent fuel facilities.
16	We've had some recent work related to the
17	probable maximum precipitation for Church Rock, as
18	well as a manmade hazards review for the Trojan Spent
19	Fuel Facility.
20	In terms of advanced reactors, our work in
21	this area has been relatively low because of the
22	reduced source term and where they are in their
23	process. Our current contribution right now is
24	focused on dose assessment, the RAMP, Radiation
25	Protection Computer Code Analysis and Maintenance

(202) 234-4433

	20
1	Program, as well as the Advanced Reactor Content of
2	Application Project, ARCAP, where we're providing
3	support to that in terms of the Chapter 2 content for
4	applications.
5	We have reviews related to the Kairos
6	Power Mechanistic Source Term Draft Topical Report
7	and, also, the Oklo Aurora Combined License Review.
8	MEMBER BLEY: Can you tell us more about
9	(telephonic interference)?
10	DR. HAYES: Excuse me?
11	MEMBER BLEY: Can you tell us a little bit
12	more about what you just said about Kairos and Oklo?
13	DR. HAYES: So, perhaps Kevin can speak a
14	little bit more about the Kairos. But, right now,
15	there's a Power Mechanistic Source Term Topical Report
16	that is under review. And I think there's been
17	initial meetings right now, but it's quite early.
18	The Oklo application for their Aurora
19	combined license has been reviewed. We did a review
20	of the license as it came in with a focus on seismic
21	issues. And at this point, we've done the acceptance
22	review and we will be having some later questions
23	regarding our analysis is going to occur a little
24	bit later on. They have a stepped approach, and I
25	think David Heeszel, who's involved in that, could
	1

(202) 234-4433

	21
1	probably shed some light on it.
2	MEMBER BLEY: Okay. That sounds good.
3	On the Kairos one, I guess I haven't quite
4	connected in my had how you're involved with the
5	mechanistic source term. How does that fit within
6	your help on the reviews?
7	DR. HAYES: Well, first, I'm not sure that
8	we've actually received the application or if we're
9	still in pre-application space. But the area of our
10	interest is the ability to support dispersion
11	MEMBER BLEY: Oh, okay.
12	DR. HAYES: of source term. And that's
13	one of the key areas that my meteorologists work in,
14	not just the hazards of precipitation and hurricane,
15	but also those dispersion of potential radionuclides.
16	MEMBER BLEY: Well, that's kind of
17	interesting. I can see why those people would end up
18	in this group. So, it doesn't really sound like it's
19	part of your charter, except you have the people now
20	who can do that.
21	DR. HAYES: That's right, and there are
22	some folks who I was just going to say that there's
23	also staff that are outside that we still interact
24	with because of the historic nature of what we've done
25	before. So, we still tap and have conversations with

(202) 234-4433

22 folks, even if they're not directly part of EHCOE, 1 because of that sort of collaborative work. 2 It is 3 multidisciplinary. 4 MEMBER BLEY: Okay. Thanks, Barbara. Go 5 ahead. Next slide, please. 6 DR. HAYES: 7 So, this is simply a list of the areas 8 that we actively work in. 9 Next slide, please. 10 So, this lays out what we do. We've got the NRR business lines, sort of our traditional large 11 light water reactors, both new applications and LARs 12 and support for the operating fleet. 13 14 Advanced reactors, we're doing, as Ι some quidance work, as well as actual 15 described, 16 licensing reviews, and then, we're responsible for the 17 Process for Ongoing Assessment of Natural Hazard Information, also under the operating reactor business 18 19 line. For NMSS, we're doing work related to the 20 spent fuel storage reviews, decommissioning actions, 21 mill tailing inspections. 22 With our interactions, our partnering with 23 24 RES, we have a close partnership with them in terms of the probabilistic evaluation of seismic and hydrologic 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

23
hazards.
Currently, we're quite active with
computer code development related to HABIT and
RADTRAN.
I think, Dennis, you had asked about how
we support or how we interact with them on specific
reviews. In general, our relationship is more of a
collaborative, forward-looking relationship in terms
of developing products that are going to support
future reviews.
In terms of actually assistance on any of
the reviews, that's pretty unique. And so, we have
had some of that. A lot of that has been because we
had somebody migrate from NRR or NRO over to RES and
having some special skill set that's going to support
that. In general, we do not regularly tap RES staff
for reviews.
We, however, collaborate very closely in
terms of reviewing documents that are under their
programs. For example, the Probabilistic Flood Hazard
Analysis, generally, all of those reports come to us
that are being generated and processed through that
program for our input. Those reports, typically, also
go to the Branches that are responsible in NRR for PRA
reviews.

(202) 234-4433

	24
1	MEMBER BLEY: Let's pick one, just so I
2	understand this a little better. I wasn't aware quite
3	of your support in developing the tools. And I think
4	that's really interesting.
5	But we're about to pick up the review of
6	the SHINE facility. And when they come in, I don't
7	know if that comes through NRR or through NMSS, but
8	they would, then, request to do, say, the manmade
9	hazards part of their review?
10	DR. HAYES: That's correct, and actually,
11	that application has been received. We have gone
12	through acceptance review. We have draft RAIs, and
13	there are other portions of that process that I'm not
14	familiar with because it's outside of external
15	hazards.
16	In terms of, yes, it's definitely housed
17	within NRR. It's a non-power reactor. So, it's
18	definitely under our authority for the review.
19	And we do not have anybody within RES or
20	in NMSS that are directly supporting EHCOE reviews of
21	basically Chapter 2 and Chapter 3 related to primarily
22	the siting issues.
23	MEMBER BLEY: I didn't understand that
24	one. You do not have anyone?
25	DR. HAYES: No, to the best of my

(202) 234-4433

25 knowledge, within EXHB, we are not using anyone from 1 RES, and typically, we would not do that. 2 That's, as I said before, very unique and unusual. 3 And I did 4 check with Weijun before this, and there's no 5 particular support that's coming from RES for that particular review. So, it's completely within NRR, 6 7 unless there's something else that's going on related 8 to fire protection or something that's outside of the 9 scope for EHCOE. MEMBER BLEY: Okay. Well, I misunderstood 10 that from some interactions we had in the past. 11 Ι thought your folks did those reviews for NRR. But NRR 12 is doing it themselves? 13 14 DR. HAYES: Well, we are NRR. We are 15 housed in NRR. We are all part of NRR. And our 16 relationship with RES is more related to areas where 17 there's research that's ongoing for future implementations, future changes. 18 19 MEMBER BLEY: So, within NRR, your folks are participating, and just for that specific example, 20 for the review of SHINE? 21 Yes, absolutely. 22 DR. HAYES: MEMBER BLEY: Okay. I misunderstood you. 23 24 I apologize. Yes, things have not changed 25 DR. HAYES:

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 that much. It's just a matter of the organization. EHCOE, basically, is an umbrella structure that keeps 2 3 the staff that do those sort of reviews together in a 4 way that really has done a good job of going through 5 the bumpy process of Branch changes, Division changes, 6 mergers, in order to have some continuity for the 7 folks who actually do the geotechnical reviews, who do 8 the geology and seismology reviews, and keep it as a 9 more cohesive, integrated group of reviewers within 10 the Branches. MEMBER BLEY: Okay. Good. 11 DR. HAYES: And so, we are supporting and 12 our staff are the ones who supported all of those COLs 13 14 and ESPs in the past under different Branch names, 15 The Branch names have changed quite essentially. 16 frequently over the past three years, as we got ready 17 for the merger. And so, that's part of the story really. 18 19 MEMBER BLEY: Okay. Well, that makes sense, and that is what I understood before. 20 So, qo ahead. 21 And we also do a fair amount 22 DR. HAYES: of international support activity. For, for example, 23 24 for NEA, the Working Group on External Events has had 25 provide input on the high wind and tornado us

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

questionnaire; also, right now, the Survey on Combined External Hazards.

IAEA documents as well. We've had two that we've reviewed this particular year. Again, we're not the lead on these document reviews, but we are definitely tapped for our expertise and provide some pretty important background.

8 We also have folks who are responsible, 9 either as a point of contact, a member, or in some cases the lead of some of the ANS and the ANSI 10 Let's see, 216, 21, 34, so a lot of the 11 standards. for modeling design basis accidental Chapter 12 2 criteria nuclear facilities, 13 releases for of 14 assessment of atmospheric effects on the ultimate heat I have a fairly long list of these. 15 sink.

We also have ongoing interactions with the USGS related to the Earthquake Hazard Reduction Program. One of our staff members recently provided grant proposal review for them.

interagency partnering 20 We also have activities. For example, the NRC Dam Safety Program, 21 which Ken See will be talking about later. 22 In addition to managing our regulatory authority for the 23 24 dams under our purview, there's an important interagency component of that activity in terms of 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

28 reporting out on status and, also, interacting with 1 other organizations like FEMA and USBR, Bureau of 2 Reclamation, that have responsibility for dams. 3 And also, another area where we have a lot 4 5 of interagency partnership activity relates to training that we work with to produce sometimes and 6 7 participate in other times. So, for example, the 8 Probabilistic Flood Hazard Analysis Annual Workshop, 9 generally, we're a key sponsor. We recently had 10 training that was offered by USGS and NRC together related to, I think, groundwater issues. So, these 11 interfaces are actually quite important and they are 12 an important part of our workload and maintaining 13 14 those critical skills. 15 That's about it. I'm going to hand it off 16 to Mike Lee right now. Are there any questions before I do so? 17 MEMBER BLEY: No, I think you're fine to 18 19 qo ahead. Okay. Next slide. 20 DR. HAYES: Mike Lee. 21 Hi. I'm Mike; I'm me. 22 DR. LEE: Okay. I'm here today to talk briefly about the hydrology-23 24 related reviews recently performed by the EHCOE staff. And before I proceed, I want to thank 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	29
1	Dennis for his kind introductory remarks, and I hope
2	I'm happy to be back.
3	(Laughter.)
4	I mean, it's like we're a team, please.
5	Go to the next slide. It looks like a
6	slide was dropped. All right.
7	Anyway, the staff's recent review
8	activities in the area of hydrology have been driven
9	in large measure by two recent regulatory actions.
10	They include the ESP COLA reviews, for which there was
11	some earlier interactions with the Committee, as well
12	as the 50.54(f) Flood Hazard Reevaluation Reviews
13	performed in connection with the 2011 Near-Term Task
14	Force Recommendation 2.1.
15	From the staff's perspective, one of the
16	key takeaways from both sets of reviews is that not
17	all flood-causing mechanisms described in the SRP were
18	found to be significant for the purposes of flood-
19	related decisionmaking. Based on the ESP COLA and
20	50.54(f) reviews, the staff found that local intense
21	precipitation, riverine-based floods, including dam
22	failures in many cases, and storm surge were important
23	or consequential to defining the external flood hazard
24	at the reactor sites evaluated.
25	Other flood-causing mechanisms listed in
	I contract of the second se

(202) 234-4433

	30
1	the SRP, such as tsunamis, seiche, channel migration,
2	and flooding due to ice jams were, by and large, found
3	to be inconsequential to defining the external flood
4	hazard at the site.
5	MEMBER BLEY: Mike?
6	DR. LEE: Yes?
7	MEMBER BLEY: I don't think you're
8	presenting that as a general conclusion. It's for the
9	plants that you looked at, right?
10	DR. LEE: That's correct.
11	MEMBER BLEY: Okay.
12	DR. LEE: That's for the cohort of 60
13	sites that we looked at.
14	MEMBER BLEY: Is that all the sites?
15	DR. LEE: Well, for the 50.54(f) reviews,
16	there were 60 sites and I forget how many units
17	exactly, but yes.
18	MEMBER BLEY: That's all of them? I'm kid
19	of surprised about the ice dams for a couple of the
20	plants, but that didn't turn up, huh?
21	DR. LEE: No. I mean, I can go back and
22	confirm, but my recollection is the short answer is
23	no.
24	MEMBER BLEY: Yes. The others make sense
25	to me. That one does surprise me because a few plants

(202) 234-4433

	31
1	up in the Midwest, way up north, had problems. Maybe
2	they're not there anymore.
3	We did receive the slide you're missing.
4	That slide just had a list of things you look at.
5	DR. LEE: Yes, yes.
6	That was just intended as background.
7	Those are the eight flood-causing mechanisms that are
8	listed in the SRP that EHCOE's generally, you know,
9	focused on.
10	MEMBER BLEY: Okay. Go ahead.
11	DR. LEE: All right. So, if I can go to
12	slide if I can go to the next slide, please?
13	(Dogs barking.)
14	All right. So, I am sorry, but, you know,
15	Peter's Principle: anything that can go wrong will go
16	wrong. Let me just ask for your indulgence for one
17	minute, please.
18	All right. So, you just heard me refer to
19	the term consequential. As noted in slide 16, the
20	concept evolved in connection with the staff's reviews
21	of the Flood Hazard Reevaluation Report submitted in
22	connection with Near-Term Task Force Recommendation
23	2.1.
24	For the purposes of those reviews,
25	licensees were to identify those flood-causing
1	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

mechanisms that might exceed a site's current design basis, based on an approved flood hazard analysis, methods, and data. Moreover, upon review, it was found that many of the operating sites were designed to address one specific flood-causing mechanism.

That being said, what was learned from the 6 7 reviews is that not all flood-causing mechanisms were 8 equal by virtue of not only higher reported water 9 elevation, also longer surface but inundation durations and flood recession times. To differentiate 10 between those flood-causing mechanisms that were 11 important to design decisionmaking, the staff used the 12 term "consequential" to risk-informing the review 13 14 process. So, as noted in this slide, we believe that 15 the consequential flood concept comports with the Commission's views on risk-informed, performance-based 16 17 regulations.

Upon further study, we also found that the 18 19 consequential flood concept had some foundation in both Part 50's definitions found in 50.2 concerning 20 the site-characteristic flood well the 21 as as hydrology-related chapter of the SRP. 22

In 2018, the staff began to turn its attention to the update of the SRP. Then-Office-Director Fred Brown challenged us to think outside the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

	33
1	box and attempt to modernize the updating process. We
2	believe that the introduction of the consequential
3	flood concept to the SRP was the type of innovation or
4	transformation Fred was looking for.
5	Consequently, the definition was formally
6	introduced in a Federal Register notice issued for two
7	of the first Chapter 2.4 SRP updates, those
8	specifically bearing on channel migration and tsunami,
9	which were made available for comment in September
10	2018 as part of the ongoing SRP update process.
11	Slide 17, please.
12	In closing, slide 17 displays the
13	consequential flood definition that was proposed for
14	the SRP updates as part of the 2018 Federal Register
15	notice I just described. In the spirit of time
16	management and my barking dogs, I don't intend to
17	recite the definition we adopted, but I would note
18	that no public comments were received on this
19	proposal.
20	So, unless there are any questions I can
21	answer, I'll now turn over the presentation to Mr. Ken
22	See.
23	MEMBER BLEY: Mike?
24	DR. LEE: Yes?
25	MEMBER BLEY: Yes, before you leave

(202) 234-4433

	34
1	DR. LEE: Sure.
2	MEMBER BLEY: your last slide, you
3	didn't read the whole thing, but the last statement
4	about "Consequential flooding may occur for events
5	that are less severe"
6	DR. LEE: Uh-hum.
7	MEMBER BLEY: can you say something
8	about that? Was that a surprise?
9	DR. LEE: Well, yes, because, unlike in
10	previous licensing reviews, I don't believe there was
11	a great emphasis placed on examining inundation times
12	that a site may be exposed to some kind of a flood.
13	And what we found is that you could have like a I
14	mean, this is just as a hypothetical for example,
15	you could have a thunderstorm, if you will, that kind
16	of blows over a site in the form of local intense
17	precipitation which may dump a lot of rain on the
18	power plant footprint and, then, quickly move off.
19	So, you don't have very high water surface elevations
20	accumulating onsite.
21	Whereas, you could have some riverine-
22	based flood, for example, attributed to like a spring
23	thaw of snow and ice that may raise the water level to
24	levels higher than the design basis, and the
25	inundation time may be longer than you might expect

(202) 234-4433
ĺ	35
1	for that type of an event. Events that might be more
2	transient or like a tsunami, for example,
3	hypothetically, will dump a lot of water on a site,
4	but the amount of standing water that remains is there
5	for a shorter period of time.
6	So, I would kind of liken this to, in
7	optimization studies you have multiple solutions to a
8	problem on a response surface. So, you can kind of
9	imagine that, for each of the different flood-causing
10	mechanisms, you may have a different not only water
11	surface elevation, but inundation time and recession
12	time. And the consequential flood definition, if you
13	will, is the attempt to kind of capture the maxima of
14	the maxima. Does that make sense?
15	MEMBER BLEY: Yes. Did Prairie Island
16	have much to do with this evolution?
17	DR. LEE: No, frankly, it wasn't any
18	particular site. The concept, frankly, evolved from
19	the fact that the staff, after they did their 50.54(f)
20	reviews, had to write these letters back to the
21	licensees. We, more or less, reached closure on what
22	the appropriate or the new or the reevaluated flood
23	elevations might be.
24	And in the spirit of simplicity, it became
25	clear to us that not all flood-causing mechanisms were
	I Contraction of the second

(202) 234-4433

36 1 driving the design decisionmaking. So, what we attempted to do was try to encapsulate what we learned 2 3 from a particular site review and express it in terms 4 of the consequential flood. 5 MEMBER BLEY: Okay. Well, thank you very This is something I don't think we've heard 6 much. 7 much about. So, I appreciate it. 8 Go ahead. 9 And again, I apologize for the DR. LEE: 10 beasts. (Laughter.) 11 Thank you. 12 Ken? 13 14 MR. SEE: Okay. Thanks, Mike. 15 I'm Ken See. I'm a Senior Hydrologist in 16 the External Hazards Branch, and I'll be talking about manmade hazard reviews that are going on in EHCOE. 17 Next slide, please. 18 19 All right. I don't have any dogs here, so it should be quiet. 20 At a high level, the review from manmade 21 hazards covers the following areas, and these are 22 outlined in the Standard Review Plan. Typically, our 23 24 review would include verifying information provided by the licensee in the areas of locations and distances 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

to the following: typically, transportation facilities and routes, such as airports and airways; roadways; railways; pipelines, and navigable bodies of water. Also, the presence of military and industrial facilities such as fixed manufacturing processing, storage facilities, such as facilities that store compressed gases, liquid hydrogen, liquid oxygen, and propane, for example.

Once the location of these facilities has 9 been identified, we consider the following hazards and 10 their effects: toxic vapors or gases and their 11 potential for incapacitating personnel; overpressure 12 resulting from explosions or detonations involving 13 14 materials such as munitions, industrial explosives, 15 and explosive vapor clouds resulting from atmospheric And then, missile effects from 16 release of gases. 17 mechanical impacts such as aircraft, explosion debris, and impacts from waterborne items such as a barge. 18

Next slide, please.

Okay. Currently, I believe the Committee is up-to-speed on this. It started with you guys. We are currently updating Reg Guide 1.91. Based upon the expert evaluation team's report, which is on the slide here, it was determined that the NRC needs to improve several processes and practices in the area of

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

19

1 inspections, processing petitions, coordinating with 2 other agencies, and updating the pipeline analyses. 3 NRC staff outside of EHCOE are working to 4 implement these recommendations. Within EHCOE, we 5 have been given the task to update the Reg Guide 1.91. So, it is being updated to address the issues that 6 have been identified in these documents. 7 Approaches to evaluating explosion hazards 8 9 have been updated from new research and methodologies. revision of this will 10 The Guide address the shortcomings of the TNT equivalent methodology and 11 will also bring the quidance into agreement with 12 current industry practices. 13 14 There were six specific recommended 15 changes that I will briefly go through. One is to provide clear guidance for 16 including 17 determining the mass release, what assumptions and methods are valid in determining the 18 19 values used. The second, provide clear expectations for 20 detailed calculations that would be conducted if the 21 safe distance criteria is not met. 22 No. 3, address heat flux, which, according 23 24 to some experts, may be the controlling issue for potential nuclear power plant impacts. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

38

	39
1	No. 4, provide specific values for energy
2	equivalents for different chemicals and include
3	additional information on different classes of
4	chemicals.
5	Revert back to the value of 4500
6	kilojoules per kilogram as the heat of detonation for
7	TNT.
8	And then, incorporate some minor changes
9	that are in the equations, which is related to No. 5
10	as well.
11	So, as part of this update, if the
12	timeline permits, the staff may also add additional
13	methodologies to model the consequences from vapor
14	cloud explosions.
15	And some specific milestones for the
16	update are on this slide.
17	So, with that, if there are any questions,
18	I'll be happy to take them.
19	MEMBER BLEY: Okay. Ken, thanks very
20	much. You won't be surprised we're pleased to see
21	this and look forward to seeing the draft when it's
22	ready.
23	MR. SEE: Yes, sir.
24	MEMBER RICCARDELLA: Ken, this is Pete
25	Riccardella. I have a question.

	40
1	All of the changes you just went through
2	appear to be addressing the consequences of such a
3	failure. Is there any consideration of addressing the
4	frequency or the probability of such failure?
5	MR. SEE: Everything's on the table. The
6	staff who are currently working on this are open to
7	you know, there's great debate going back and
8	forth. I've gone through a recent review where the
9	probabilistic alternative was used. We may add
10	emphasis and try to clarify.
11	I think No. 6, you know, it says,
12	"Incorporate minor changes to equations." What we're
13	really to aim there is, basically, to provide a
14	clearer technical basis for the equations and methods
15	that are in the document. And that may include the
16	methods that are currently discussed regarding
17	probabilistic methods.
18	MEMBER RICCARDELLA: Okay.
19	MR. SEE: For example, like the frequency
20	of transportation of hazardous materials on a river,
21	or something like that, you know.
22	MEMBER RICCARDELLA: Yes.
23	MR. SEE: Yes, but one thing I would just
24	want to point out overall is that this is a guidance
25	document. And in this area and you know this
1	

(202) 234-4433

	41
1	there's a whole lot of equations and methods and
2	documents out there that licensees and applicants
3	could use.
4	MEMBER RICCARDELLA: Yes.
5	MR. SEE: I mean, they're free. But this
6	update is clearly needed.
7	MEMBER RICCARDELLA: Yes.
8	MR. SEE: But we may run into an issue
9	like this in the future where they've come in with
10	something that's out of the blue.
11	MEMBER RICCARDELLA: Yes. Well, you refer
12	on this slide to the Indian Point review in April of
13	2020. As I recall, a big focus of that review in
14	fact, the main result was based on frequency, not
15	based on consequences.
16	MR. SEE: Well, we supported that
17	inspection, and the main issue I recall there was the
18	distance, and therefore, the time between the valve
19	stations where you can turn the pipeline off.
20	MEMBER RICCARDELLA: Yes, yes. Well, that
21	would yes.
22	MR. SEE: But that review, the updated
23	analysis, the licensee showed that that wasn't really
24	relevant to the safety finding. I would refer you to
25	the Inspection Report, which is public.

(202) 234-4433

	42
1	MEMBER BLEY: Yes, Pete, there were at
2	least two things here. There was a first quick
3	response report from the staff that leaned in the
4	direction you're talking, and then, there was a much
5	more thorough report later in the Inspection
6	MEMBER RICCARDELLA: Yes, yes, I was part
7	of that report.
8	MR. SEE: Because this was an ACRS report.
9	I'm sorry, I wasn't involved in it. I don't believe
10	I've seen that. The updates that we're pursuing are
11	based upon the expert evaluation team report and,
12	then, the periodic review.
13	MEMBER RICCARDELLA: As I said, I
14	participated in the expert evaluation team report.
15	MEMBER BLEY: The staff's report, you're
16	talking about?
17	MEMBER RICCARDELLA: Yes.
18	MR. SEE: Okay.
19	MEMBER BLEY: Go ahead.
20	MR. SEE: Any other questions?
21	(No response.)
22	Okay. With that, I'm going to hand this
23	off to Kevin Quinlan, who is a meteorologist in the
24	External Hazards Branch as well.
25	Kevin, take over.
	I contract of the second se

	43
1	MR. QUINLAN: Thank you, Ken.
2	Thank you for letting us discuss all these
3	issues today.
4	My name, as stated, is Kevin Quinlan, and
5	I am a meteorologist in the External Hazards Branch.
6	Next slide, please.
7	Meteorological assessments for new and
8	operating reactors generally include a review of the
9	regional climatology and the local meteorology. For
10	new reactor reviews, this includes precipitation, wind
11	speeds, and associated missiles from hurricanes and
12	tornados, as well as extreme temperature and humidity
13	statistics.
14	The Onsite Meteorological Measurements
15	Program is used to collect data as part of the
16	licensing of the plant for atmospheric dispersion and
17	transport purposes. It is also used for operating
18	plants as part of the Emergency Preparedness Program.
19	Guidance for how to set up and maintain an onsite
20	meteorological measurements program is provided in
21	Regulatory Guide 1.23.
22	Recently, small modular reactors and
23	advanced reactor applicants have proposed alternatives
24	to the existing guidance on onsite meteorological
25	measurements programs. These alternatives include
1	I

(202) 234-4433

	44
1	proposals to use data from local/national weather
2	service or Department of Energy meteorological towers.
3	Other advanced reactor design centers are considering
4	not having an onsite meteorological monitoring system
5	at all since they are not expected to have any
6	potential for atmospheric releases. SMR and advanced
7	reactor designs will present a new area of challenge
8	for NRC meteorological staff as the industry trends
9	continue to change.
10	Atmospheric dispersion focuses on accident
11	releases and routine releases to the exclusionary
12	boundary, low-population zone, the control room, and
13	any special receptors going out 50 miles from the
14	site. Generally, the atmospheric dispersion uses at
15	least two complete years of onsite meteorological data
16	from the monitoring program.
17	Next slide, please.
18	NRC meteorologists have been, and continue
19	to be, involved in applications for advanced reactor
20	and SMR applications. Staff recently completed a
21	Topical Report related to the exclusionary boundary
22	and low-population zone dispersion characteristics for
23	the NuScale SMR design, rather than using the PAVAN
24	model, to determine the EAB and LPZ $x/Q$ models.
25	NuScale will develop the proprietary model that
1	

(202) 234-4433

implements the dispersion algorithm adjustments provided in Reg Guide 1.194, which are generally used for control room habitability.

Due to the smaller potential source term associated with SMRs, the Clinch River early site permit application employed a smaller EAB and site boundary than us typical for a large light water reactor.

9 EXHB meteorologists continue to work on 10 and support the reviews of any license amendment requests, operating reactor licensing actions, and 11 applications. 12 alternative source EXHB term meteorologists have also been working to support other 13 14 program officers such as NMSS and Research. Some of 15 this work has included technical analysis of extreme 16 precipitation as part of the Church Rock probable 17 maximum precipitation evaluation and atmospheric dispersion input into the GEIS for advanced reactors 18 19 currently under development.

We are also actively working with the RAMP 20 major update atmospheric 21 program on а to the dispersion codes used for licensing actions. 22 This will include the consolidation of three codes, changes 23 24 how the meteorological data is input to the programs, and includes an updated user-friendly interface. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

(202) 234-4433

45

	46
1	That's it for my portion of the
2	presentation. If there are no questions, I'll turn it
3	over to Dr. David Heeszel.
4	MEMBER BLEY: Thank you.
5	I think we can go ahead. David?
6	DR. HEESZEL: Thank you, Kevin.
7	My name is David Heeszel. I'm a
8	geophysicist in the External Hazards Branch.
9	Next slide, please.
10	The geology and seismology staff in EHCOE
11	focus their review on geologic and seismological
12	hazards at proposed nuclear facilities. Staff in the
13	group use a graded approach to their evaluations,
14	focusing on risk-significant hazards at the level of
15	detail in our reviews increasing with the decreasing
16	distance from the facility.
17	On a regional scale, the staff reviews
18	geologic and seismological information relevant to
19	defining the PSHA inputs, Probabilistic Seismic Hazard
20	Analysis inputs, including regional seismic source
21	characterization and ground motion models.
22	At a local scale, staff reviews the
23	geologic information related to the potential for
24	surface or near-surface deformation. Staff also
25	reviews the local seismic sources to ensure that they
I	I

(202) 234-4433

	47
1	are appropriately included in a PSHA. In addition,
2	staff reviews the site response used in determining
3	the site-specific safe shutdown earthquake, or SSE.
4	Next slide, please.
5	In addition to the geology and seismology
6	group's ongoing licensing activities, the staff are
7	involved in collaborative projects with the Office of
8	Research, the Process for Ongoing Assessment of
9	Natural Hazard Information of a new ground motion
10	model, and the development of a Volcanic Hazards
11	Regulatory Guide.
12	EHCOE staff are engaging with RES and the
13	United State Geological Survey in a five-year
14	interagency agreement to support Regulatory Guide
15	updates and, more broadly, the Process for Ongoing
16	Assessment of Natural Hazard Information efforts. The
17	interagency agreement has multiple elements, but is
18	broadly focused on all three elements of a PSHA the
19	seismic sources, the ground motion models, and the
20	site response. The research products that result from
21	this effort will inform future Regulatory Guide
22	updates.
23	The cooperative agreement also provides
24	EHCOE staff with access to hazard experts outside of
25	the agency that are able to assist in our ongoing

(202) 234-4433

assessment of new information.

1

2 EHCOE staff, in collaboration with the Office of Research, are reviewing the Next Generation 3 4 Attenuation East, or NGA-East, ground motion model for 5 approval for use in licensing applications. NGA-East is a new ground motion model developed for Central and 6 7 Eastern North America. Staff is currently developing 8 an acceptance letter, and the Office of Research 9 published Research Information Letter 2020-11 that 10 provides a technical assessment of the model. Under the agency's POANHI process, EHCOE staff are comparing 11 hazard results using the updated ground motion model 12 with those developed during the agency's Fukushima 13 14 response to ensure the staff has an up-to-date 15 understanding of hazard at regulated facilities.

16 Finally, EHCOE staff are in the process of 17 addressing public comments on the Volcanic Hazards Regulatory Guide, which I believe you've been briefed 18 19 The Draft Reg Guide is focused on a risk-informed on. process for assessing potential volcanic hazards at a 20 site. To this end, the Draft Guide provides a number 21 of off-ramps to potential applicants to ensure that an 22 assessment of potential volcanic hazards is not overly 23 24 burdensome, but is informed by the geologic and tectonic setting and the Quaternary, which is the last 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	49
1	2.6 million years, volcanic history of the site.
2	If there are no questions, I will now turn
3	it off to Dr. Weijun Wang.
4	MEMBER BLEY: Dave, just a minute.
5	DR. HEESZEL: Sure.
6	MEMBER BLEY: Dennis Bley.
7	When do you expect I guess it still
8	remains a draft the final draft of that Reg Guide
9	to be finished, No. 1. And No. 2, have you got any
10	hints of any applications coming that are going to
11	require opinions?
12	DR. HEESZEL: Just one moment. Jenise is
13	getting me the answer.
14	Scheduled discussions for the release are
15	ongoing, but a revision will be available in three to
16	six months. In terms of applicability, as with any
17	guidance document, it's up to the applicant to
18	determine whether or not they're going to use it.
19	Volcanic hazards are more prevalent in regions of the
20	United States with volcanos. Sites at Idaho National
21	Lab are potential users of the Reg Guide.
22	MEMBER BLEY: Okay. Thanks.
23	Go ahead.
24	DR. WANG: Okay. Thank you, Dr. Heeszel.
25	Good afternoon. My name is Weijun Wang,

(202) 234-4433

	50
1	Senior Geotechnical Engineer at the NRC with 40 years
2	of working experience, including 14 years at the NRC.
3	I will give a very high-level briefing on
4	the role of geotechnical engineering in the external
5	hazards expertise.
6	Next slide, please.
7	The geotechnical engineering provides an
8	important link between the Site Suitability Evaluation
9	and the safety of the structure foundation design and
10	the construction for a nuclear facility.
11	First is to ensure a phased site
12	investigation is performed to meet the need of a
13	specific application for a specific site
14	characterization. The key here is specific site
15	because every site is different. That way, we will
16	make sure that the soil and rock engineering
17	properties are determined based on field and
18	laboratory testing.
19	Finally, we will make sure that the proper
20	soil-rock properties, including the site soil
21	profiles, are used in site seismic response and the
22	soil-structure interaction analysis.
23	Geotechnical engineers also evaluate the
24	foundation and the slope embankment suitability with
25	consideration of all anticipated loading conditions,
1	

(202) 234-4433

51 1 including seismic loading and the potential of 2 liquefaction caused by an earthquake, to ensure that 3 there is no adverse effect on the safety-related 4 structure because of the failure of the foundation or 5 slopes. addition, geotechnical engineering 6 In 7 reviews, also, to include the license amendment 8 requests and the site-specific inspection testing 9 analysis and acceptance criteria, as we have done for the Vogel combined license application. 10 Next slide, please. 11 Now I will talk about some ongoing Okay. 12 activities in the geotechnical engineering area. 13 We 14 are currently working on the development of the SRP modernization for Section 2.5.4, "Suitability of 15 16 Subsurface Materials and Foundations," and 2.5.5, "Slope Suitability." 17 Throughout this SRP, we provide guidance 18 19 for staff focus safety significance to on and when conducting application 20 reasonable assurance also provide the usual technical 21 reviews. We consultation to the Defense Nuclear Facilities Safety 22 Board regarding the suitability of 23 a micropyro 24 foundation and the reliability of liquefaction for DOE facilities, based on the MOU 25 assessment

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	52
1	between the NRC and the Board.
2	In addition, we are also working on review
3	of the SHINE Medical Facility operation license
4	application and the consolidated interim facility for
5	spent fuel applications.
6	So, last in my presentation, if there's no
7	questions, I will turn it over to our geologist,
8	Laurel Bauer.
9	Thank you.
10	MS. BAUER: Thank you, Weijun.
11	And good afternoon.
12	I'm Laurel Bauer, and I'm a geologist in
13	the External Hazards Branch in NRR. I joined the NRC
14	in 2007 as a geologist in the Office of New Reactors.
15	I am presently the lead for the NRC's Process for
16	Ongoing Assessment of Natural Hazard Information, or
17	POANHI, a risk-informed approach to ensuring the
18	ongoing assessment of new information related to
19	natural hazards in the United States.
20	Today, I'm going to walk through the NRC's
21	implementation of POANHI. I'll provide you with some
22	background on the development and implementation of
23	the process and give you some information on the
24	framework and the key attributes.
25	Next slide, please.
l	

(202) 234-4433

	53
1	Following the 2011 accident at Fukushima
2	Daiichi, the NRC's post-Fukushima Near Term Task Force
3	in Recommendation 2.2 recommended that the NRC
4	initiate a rulemaking to require that licensees
5	confirm seismic and flooding hazards every 10 years.
6	It specifically recommended that licensees address any
7	new and significant information and, if necessary,
8	take actions that could include updating the design
9	basis for structures, systems, and components
10	important to safety to protect against the updated
11	hazards.
12	The staff assessed the recommendations and
13	concluded that the NRC can meet the intent of
14	Recommendation 2.2 using an approach other than
15	rulemaking. In developing SECY-15-0137, dated October
16	29th, 2015, the staff found that current practices to
17	assess new external hazard information are generally
18	effective, but identified a number of ways to enhance
19	existing processes. The staff also recognized that
20	there was no dedicated NRC process that systematically
21	identifies available new hazard information and
22	assesses its risk significance in a timely manner. As
23	a result, in SECY-15-0137, the staff proposed to
24	enhance its existing processes and develop associated
25	staff procedures.

(202) 234-4433

	54
1	In Closure 2 to SECY-16-0144, dated
2	December 29th, 2016, it provided the Commission with
3	a comprehensive plan for developing and implementing
4	the enhanced process to ensure ongoing assessment of
5	new information and reconfirmation of natural hazards
6	consistent with Recommendation 2.2. The staff briefed
7	the ACRS in October 2016 on the staff recommendations
8	provided in Enclosure 2 to SECY-16-0144, and the
9	Commission approved the staff's implementation of the
10	enhanced assessment process.
11	Next slide, please.
12	MEMBER BLEY: Laurel?
13	MS. BAUER: Yes?
14	MEMBER BLEY: Dennis Bley.
15	I remember discussions some time ago
16	MS. BAUER: Uh-hum.
17	MEMBER BLEY: where people thought you
18	really had to go through rulemaking to deal with this;
19	there was no way for staff to examine these things.
20	Can you summarize the arguments that got us out of
21	that knot?
22	MS. BAUER: So, there was quite a bit that
23	went into evaluating whether or not it was more
24	beneficial or not to go through the rulemaking
25	process. And in the end, the staff did determine, and
	I contract of the second se

(202) 234-4433

1 the Commission agreed, that we could do this. We felt like we already had processes in place where we were 2 3 evaluating information, new information. We just 4 didn't have set guidelines for how to do that, how to 5 document it. And so, in weighing the burden of going 6 through rulemaking versus enhancing the processes that 7 we already had in place, we felt that the enhancement 8 process would be sufficient. 9 Laurel, this is Walt MEMBER KIRCHNER: 10 Kirchner. A follow-on question to Dennis': in your 11 bullet there, every 10 years, if I remember correctly 12 from presentations by your colleagues, a lot of that 13 14 has already taken place, a reassessment, right, of the 15 seismic and flooding hazards? MS. BAUER: For seismic and flooding. 16 17 MEMBER KIRCHNER: Has any plant had to backfit to accommodate, has any plant had to change 18 19 its safe shutdown earthquake design limits or backfit as a result of that assessment every 10 years? 20 I'm not aware of any backfit 21 MS. BAUER: that's been done, but I would ask Dr. David Heeszel. 22 I know he's been involved with some of the follow-on 23 seismic reviews. 24 DR. HEESZEL: Yes, this is David Heeszel. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

55

	56
1	No plant has backfitted as a result of the
2	50.54(f) review.
3	MEMBER KIRCHNER: Yes. For flooding,
4	either? Have plants implemented changes to counter
5	flooding hazards since you embarked on this?
6	DR. LEE: Yes. This is Mike Lee. Yes.
7	Well, in the flooding area, there were
8	mitigating strategies that were proposed and reviewed
9	by the staff consistent with several guidance
10	documents put together by NEI. So, to address the
11	flood hazard reevaluation or the flood hazard, the
12	reevaluated flood hazard elevations and associated
13	events, the licensees performed assessments subsequent
14	to what the staff reviewed. And there was a lot of
15	dialog on that.
16	MEMBER KIRCHNER: Yes.
17	DR. LEE: And most of that dialog, though,
18	was performed by the Licensing Branch and not EHCOE.
19	MEMBER KIRCHNER: Yes, I can think of one
20	plant and I won't name it where I thought they
21	did adopt or adapt some mitigating measures for
22	floods. But I just wanted to check and see if anyone
23	had been impacted by reevaluation of seismic, and
24	then, had to actually make changes, physical changes,
25	to the plant.

(202) 234-4433

	57
1	DR. HEESZEL: So, this is David Heeszel.
2	While the NRC did not pursue backfit for
3	any of the plants that were reviewed in the seismic
4	area, several plants did undertake voluntary changes
5	to improve their seismic readiness.
6	MEMBER RICCARDELLA: This is Pete
7	Riccardella.
8	Weren't there a number of seismic margin
9	analyses and seismic PRAs that were done in response
10	to the new spectra?
11	DR. HEESZEL: Yes, there were 15 seismic
12	PRAs performed.
13	MEMBER RICCARDELLA: So, Walt, I think the
14	answer to your question is they didn't make changes to
15	their design basis, but they did look at the revised
16	spectra in seismic margins or PRAs.
17	MEMBER KIRCHNER: Yes.
18	MS. BAUER: Okay? Are you ready to move
19	on?
20	MEMBER BLEY: Yes.
21	MS. BAUER: Okay. Thank you.
22	So, this slide provides a timeline of the
23	staff activities to fully implement POANHI. The
24	staff, both staff in NRR and in Research, contracted
25	with the Idaho National Laboratories to develop a
	I contraction of the second seco

(202) 234-4433

58 Natural Hazards Information Digest, or NHID that I'll 1 refer to. 2 3 In January 2019, the Digest was rolled out 4 to the technical staff supporting POANHI in NRO and 5 Research. The staff held a public meeting in April 2019 to discuss POANHI and the NRC's implementation. 6 7 And in November 2019, the staff and NRR issued an 8 Office Instruction LIC-208, "Process for Ongoing 9 Assessment of Natural Hazards Information, " and issued 10 a Final Commissioners' Assistant Note confirming the implementation of 11 full POANHI in response to SRM-16-0144. 12 Next slide, please. 13 14 MEMBER BLEY: Laurel? 15 MS. BAUER: Yes? 16 MEMBER BLEY: Another question. I'm 17 quessing that it really helps in dealing with this, having set up this Center of Expertise, that you're 18 19 tracking kind of large-scale things that could reflect down on plants in these areas. 20 MS. BAUER: Uh-hum. 21 MEMBER BLEY: It seems possible that local 22 information could come up and the inspectors at the 23 24 plant could send back information that, hey, there's something new that's evolved here --25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	59
1	MS. BAUER: Absolutely.
2	MEMBER BLEY: before the 10 years is
3	up.
4	MS. BAUER: Uh-hum,
5	MEMBER BLEY: Is there some organized way
6	that you deal with that?
7	MS. BAUER: So, this is actually one of
8	the areas that we looked at when we were evaluating
9	the benefit of doing an every 10 years versus
10	enhancing the process that we already had in place to
11	look at hazards on an ongoing basis. It is that these
12	things do come up over time, and they may be every 10
13	years or every 20 years you might have something that
14	comes up, obviously, in the next month or so. And so,
15	this gives us a little more flexibility to deal with
16	those issues that would come up, maybe in inspection
17	space or some other licensing space.
18	And so, we do have interactions back and
19	forth with the inspection staff. And when we were
20	going through the process of developing our Office
21	Instruction, we worked with the inspection staff on
22	how those interactions would take place.
23	Does that help to answer a little bit?
24	MEMBER BLEY: It does. Thank you.
25	MS. BAUER: Okay. Right. So, they know

(202) 234-4433

60 1 that we're here. And so, yes, something could come up where they would see it first and it would come to us, 2 it works the other way as well, once we've 3 and 4 assessed new information. 5 MR. SEE: Hey, Laurel? 6 MS. BAUER: Yes? 7 MR. SEE: This is Ken. I just want to 8 speak specifically. 9 I mean, that has happened recently. 10 MS. BAUER: Right. For over the last two years, 11 MR. SEE: 12 Resident Inspectors have reached out had and conversations with those concerning issues that they 13 14 have identified, because they do have local knowledge, 15 and that's very valuable. 16 MS. BAUER: Uh-hum. Absolutely. 17 MEMBER BLEY: That's great. Glad to hear it. 18 19 MS. BAUER: Thank you, Ken. The framework for addressing new 20 Okay. natural hazards information consists of three primary 21 components. We have knowledge-base activities, active 22 technical engagement and coordination, and assessment 23 activities. 24 knowledge-base activities 25 The really

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 provide the foundation for the POANHI framework. And 2 this includes the Natural Hazards Information Digest 3 that I spoke of in the previous slide. The NHID 4 provides a digital infrastructure for use by the NRC staff involved with natural hazard assessments to 5 compile and store natural hazards information related 6 7 to nuclear power plant sites. It organizes completed 8 licensing reviews and documented hazard assessments in 9 a clear, consistent, and logical manner. The Digest 10 is organized into five primary hazard areas, including flooding hazards; seismic hazards; high winds, to 11 include tornado and hurricane; snow ice loads, and 12 extreme temperatures and humidity. 13 14 The NHID includes existing information

related to natural hazards that have been submitted by licensees or developed by the staff as part of the Recommendation 2.1 and 2.3 activities, new reactor reviews, and the results from other regulatory activities, such as individual plant examination of external events or IPEEE.

The information contained in the Digest provides staff with a baseline for considering new natural hazards information and the potential effects on licensed sites, so that new information is not being evaluated in isolation.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

61

The staff will document the results of all assessments and provide updates to the cumulative information records contained in the NHID. These updates will include a short summary of the new hazard information and the staff's conclusions regarding significance of the new hazard information from a plant safety perspective.

In addition to supporting the activities 8 9 associated with the proposed framework, the Digest also ensures that information is available and can be 10 used to support other agency activities in a timely 11 manner, including assisting the agency in responding 12 to emergent events associated with natural hazards by 13 14 promptly providing relevant information; engaging 15 stakeholders, including responding external to allegations and petitions; evaluating natural hazard-16 17 related inspection findings under the NRC's significance determination process for power reactors; 18 19 formulating and implementing research plans associated with natural hazards, and updating regulatory and 20 staff quidance. 21

The second key component of the POANHI framework is active technical engagement and coordination. This involves leveraging and enhancing ongoing interactions with a variety of stakeholders,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

1 including internal and external organizations. Internal and external stakeholders include the public; 2 3 industry; licensees and prospective applicants; 4 partner federal agencies; professional, technical, and 5 scientific organizations; academic research institutions, and international counterparts. 6

7 The ongoing technical engagement and coordination activities facilitate the identification 8 of new natural hazard information. 9 The staff will 10 periodically coordinate and document the outcomes of meetings during which NRC and its stakeholders will 11 review and discuss the evolution and knowledge, 12 example changes, and data models and methods related 13 14 to natural hazards.

15 The staff will continue to remain engaged 16 in the broader technical and scientific community, 17 which will ensure the staff are aware of, and are contributors to, advances in data models and methods, 18 19 including opportunities leveraging for more sophisticated models and refinements that may have an 20 impact on nuclear power plant sites. 21

22 Some examples of the coordination 23 activities that the staff is responsible for include 24 the NRC-DOE Natural Phenomena Hazards Meeting and the 25 Annual Probabilistic Flood Hazard Assessment Research

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

64

Workshop.

1

2

3

4

5

6

7

The Natural Phenomena Hazards Meeting is held every couple of years and provides a unique opportunity for the NRC staff to engage in dialog with DOE and industry regarding developments and natural hazards information and its use in regulatory activities.

8 In addition, the NRC hosts the Annual Flood Research 9 Probabilistic Hazard Assessment Workshop at the NRC Headquarters. 10 The Workshop is open to the public and brings together NRC staff, 11 agencies, 12 federal industry, and other external organizations involved in flood hazard assessment, 13 14 flood risk assessment, and flood protection and 15 mitigation research.

The NRC also actively participates in the Advisory Committee on Water Information, and the staff continues to support interagency agreements with partner agencies, such as the U.S. Geological Survey, to address issues related to natural hazards in the United States.

third of the 22 The component POANHI 23 framework is the staff assessment activities. The 24 overall objective of the assessment of hazard significance is to determine if new information 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

65

to

significantly affect the safety at a U.S. nuclear power plant. The assessment of hazard information includes the collection and aggregation of new hazard information; a significance assessment; documentation; referral to the appropriate regulatory program, as necessary, and continued stakeholder interactions.

The assessment activities are intended to 8 9 limited and information require resources use 10 contained within the knowledge base as a starting point to perform a limited-scope, quantitative or 11 determine if 12 qualitative assessment to the new information results in a change in hazard that is 13 14 potentially significant. The assessment will be 15 performed by subject matter experts in the External Hazards Center of Expertise, augmented, as needed, by 16 staff from the Office of Research or other NRC 17 organizations. 18

The Division Director responsible for the External Hazards Center of Expertise may, as needed, convene a technical advisory committee to assess hazard significance and to recommend appropriate next steps to address the issue.

New hazard information determined to be significant will, then, be referred to the appropriate

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

	66
1	regulatory program office, and the staff will document
2	the results of the assessment in updates to the
3	cumulative information record within the Natural
4	Hazards Information Digest and in periodic reports to
5	be made publicly available.
6	Next slide, please.
7	So, this slide just provides a summary of
8	some of the key features of the POANHI process. The
9	POANHI activities are being led by a cross-agency team
10	from EHCOE, as well as from the Office of Research.
11	As part of its activities, the staff will collect new
12	information from the ongoing technical coordination
13	and engagement activities, as well as from other NRC
14	sources, operating experience, licensing experience,
15	and research activities.
16	When the staff identifies new hazard
17	information, it will assess that new information for
18	potential significance using a risk-informed approach
19	and in the context of previously accumulated hazard
20	information and past precedent of significance, rather
21	than in isolation. This assessment will evaluate the
22	change in the hazard represented by the aggregated
23	information and consider available risk insights to
24	determine whether the change in the hazard has a
25	potentially significant effect on plant safety. And
l	I contraction of the second

(202) 234-4433

	67
1	to the extent possible, POANHI will leverage existing
2	regulatory processes, existing research programs, and
3	cooperation with other federal agencies to achieve its
4	objectives in an effective and efficient manner.
5	Next slide.
6	And I won't go into a lot on this. Dr.
7	Heeszel previously spoke to the NRC's review of the
8	Next Generation Attenuation for Central and Eastern
9	North America Project, or NGA-East. And that is
10	currently the big review that we're doing using the
11	POANHI staff in both NRR and in Research.
12	Thank you. And if there are no questions,
13	I will turn the presentation back over to Dr. Kenneth
14	See to discuss the NRC's Dam Safety Program.
15	MR. SEE: Okay. Thank you, Laurel. Thank
16	you for promoting me to "doctor". I am not, unless
17	you want to five me an honorary.
18	MS. BAUER: I'm not, either. So, okay.
19	(Laughter.)
20	MR. SEE: An honorary degree, you know,
21	just email me a certificate. Thank you.
22	(Laughter.)
23	MEMBER BLEY: Hey, Ken?
24	MR. SEE: Yes, sir?
25	MEMBER BLEY: Before you get started, we

(202) 234-4433

5 But, before you qet into all your information, can you say anything about the Prairie 6 7 Island flood and things you learned about that? And does that affect the other things we're sitting here 8 9 -- I think I recall, and I might not be right on this, that there was some kind of issue. I don't know who 10 was controlling the upstream dam, but they were 11 thinking they had to dump a lot more water when 12 Prairie Island was kind of in extremis. 13 Can vou sav 14 anything about how those interactions worked between 15 agencies when such issues come up? That would be 16 appreciated?

MR. SEE: I'm not familiar with the Prairie Island incident off the top of my head. Maybe you can --

20 MEMBER BLEY: Never mind then. Go ahead. 21 MR. SEE: I will look that up. Let me 22 take a little note here.

CHAIRMAN SUNSERI: Dennis, was it FortCalhoun that you're thinking about?

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

MEMBER BLEY: You're probably right. I

25

1

2

3

4

(202) 234-4433

68

	69
1	don't know why Prairie Island stuck in my head. Yes,
2	it was Fort Calhoun.
3	MEMBER KIRCHNER: It was Fort Calhoun.
4	MEMBER BLEY: Yes. Okay. Yes.
5	DR. LEE: This is Mike Lee.
6	I mean, I don't have any specific
7	recollection of the issue. We could certainly take
8	that as a takeaway from the meeting.
9	MR. SEE: Well, I can speak a bit to Fort
10	Calhoun. I was involved in that review. The big
11	picture, in the beginning of the Fukushima effort,
12	licensees went out and hired contractors, engineering
13	firms who could do flood analysis. And to get
14	information on the dams, they would go to the nearest
15	or appropriate Army Corps of Engineers District.
16	And they got kind of an inconsistent
17	response. Some Districts would cooperate and provide
18	the information on their dams and their riverine
19	system; whereas, others were adamant that the
20	information was sensitive and non-public.
21	So, this information, you know, the
22	licensees came back to the agency and said, "Hey,
23	we're not getting coordination across the board. Can
24	you reach out and help?" So, the agency reached out
25	to the Corps and got a better understanding of their

(202) 234-4433

1 position. 2 The Corps, then, I believe it was the 3 Omaha District which was given the national program 4 lead, and they wanted to be consistent across the 5 Corps. So, it was decided, for those Districts that had not given information, that they would work with 6 7 the Omaha District. So, in the end, the Army Corps of 8 Engineers did the analysis and provided the 9 information to the NRC. And then, we would provide non-sensitive information to the licensee for them to 10 perhaps, you know, to further refine the modeling. 11 And Fort Calhoun was one of those stations. 12 The original analysis was not good for 13 14 Fort Calhoun, and we went around several times 15 iterating on modifying the program, doing different 16 sorts of analysis. But, at the end, they made a business decision to close down. So, Fort Calhoun is 17 So, that's my take on Fort Calhoun. closed. 18 19 Any other questions? MEMBER BLEY: All right. Go ahead. 20 MR. SEE: Okay. Next slide, please. 21 All right. Let me start with a little 22 history here. In 1972, Congress enacted the National 23 24 Dam Safety Act. This legislation required the Army Corps to inspect certain non-federal dams based on 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

70
	71
1	their size and storage. The legislation required the
2	Corps to report the inspection results to the states
3	and notify of any actions needed to ensure dam safety.
4	It also established a National Inventory of Dams.
5	In 1976, a report on these activities and
6	some proposed legislation to implement a Federal Dam
7	Safety Program were transmitted to Congress. However,
8	a lack of funding prevented execution of detailed dam
9	inspections.
10	In 1976, Teton Dam fails during the
11	initial filling. Blame on the collapse was on the
12	soil conditions and the soil used in the core and
13	cracking in the foundation that allowed water to seep
14	under and through the dam, which led to internal
15	erosion called "piping," and eventually caused the dam
16	to collapse.
17	This failure revitalized both government
18	and public concerns over dam safety. New legislation
19	for dam safety was also introduced.
20	In 1979, which is on this slide, President
21	Carter established a Federal Dam Safety Program when
22	he issued memorandum titled, "Federal Guidelines for
23	Dam Safety". The memorandum directed that each
24	federal agency having responsibility for design,
25	construction, operation, or regulation of dams
	1

(202) 234-4433

	72
1	establish a Dam Safety Program.
2	The NRC began to develop its Dam Safety
3	Program. During this process, staff identified the
4	following legal authorities for the program. So, the
5	big one, the 1954 Atomic Energy Act, which I think
6	you've heard of; the Energy Reorganization Act of
7	1974, and the Uranium Mill Tailings Radiation Control
8	Act of 1978.
9	At the time, the general regulatory
10	provisions of 10 CFR 30, Part 40, 50, and 70, were
11	thought to provide sufficient authority over
12	radiologically safety-related dams. 10 CFR, Part 40,
13	Appendix A, provides statutory authority over mill
14	tailing dams.
15	Next slide, please.
16	In 1991, the NRC established the NRC Dam
17	Safety Program in SECY-91-193, which outlines the
18	roles and responsibilities of the NRC Dam Safety
19	Officer and presents a program to the Commission to
20	implement and meet the federal guidelines on dam
21	safety.
22	In 1997, SECY-97-110 provided an update to
23	the Commission, informing them of the NRC's belief
24	that the agency full meets the federal guidelines. In
25	SRM-97-100, the Commission approved the Dam Safety
	I

(202) 234-4433

	73
1	Program.
2	In 2006, the Dam Safety Act was amended.
3	This amended legislation requires the Corps to
4	maintain and update information on the National
5	Inventory of Dams in the United States, commonly
6	referred to as the NID, N-I-D. The National Inventory
7	of Dams is used to track information on U.S. water
8	control infrastructure, land use management, flood
9	plain management, and emergency action planning.
10	The NRC provides updates to the Corps on
11	an annual basis. This information is used by the
12	Corps to update the National Inventory of Dams and to
13	support FEMA's Biennial Report on Dam Safety to
14	Congress.
15	The Act also requires the Strategic Plan
16	for Dam Safety to be prepared by the Director of FEMA.
17	The NRC provides input to this Strategic Plan
18	approximately every five years. It's not every five
19	years. It kind of comes and goes.
20	Next slide, please.
21	All right. Based on analysis from OGC,
22	the NRC has regulatory authority over dams that,
23	should they fail, have radiological hazards or mill
24	tailing dams. That is, again, Part 40 where the
25	statutory authority exists.
	I contract of the second se

(202) 234-4433

	74
1	Excluded from NRC consideration are those
2	dams that may be onsite and associated with a licensed
3	facility, but not related to radiological safety.
4	In 2016, the NRC's then-Dam-Safety-Officer
5	asked attorneys in the Office of General Counsel
6	whether NRC's authority to regulate dams had changed
7	since the last legal analysis, which was in 1991. The
8	OGC's conclusion was that the legal analysis from 1991
9	remained valid.
10	Next slide, please.
11	As discussed in SECY-91-193, the NRC
12	entered into a Memorandum of Understanding with the
13	Federal Energy Regulatory Commission, or FERC, to
14	provide technical assistance in developing this Dam
15	Safety Program. Today, FERC provides the staff to
16	carry out inspections of NRC-regulated dams. For
17	mostly budgetary reasons, and some technical reasons,
18	the NRC decided to use FERC in this role in lieu of
19	developing its own set of staff to carry out the
20	inspections.
21	Dams at the nuclear power plants under NRC
22	jurisdiction are inspected by NRC and FERC every two
23	years, and dams at uranium tail milling sites are
24	inspected every three years. These inspections are in
25	addition to those conducted by the licensee.

(202) 234-4433

	75
1	These inspections are the primary method
2	to demonstrate continued compliance with the federal
3	guidelines. These inspections are coordinated with
4	the proper Doral PM for the plant; FERC, the Federal
5	Energy Regulatory Commission, and the licensee. Prior
6	to each inspection, the licensee is requested to
7	provide information such as the results of any
8	inspections performed by them; maintenance work and
9	surveillances performed since the last NRC inspection.
10	This may include instrumentation, monitoring,
11	settlement surveys, et cetera. The inspections
12	typically take four to five hours to complete. This
13	is the FERC inspector and the NRC staff go out and
14	walk down the structures.
15	Observations and recommendations that have
16	typically been reported are vegetation that's found
17	along the slopes of the dam obviously, a
18	geotechnical dam, not a concrete dam. If there's any
19	varmints and dens, recommend their removal.
20	Continuing monitoring any wet areas, which would
21	indicate minor seepage, and monitor and repair any
22	minor erosions.
23	I will say that the FERC inspectors speak
24	often about how impressed they are with the condition

25 of the NRC-regulated dams.

(202) 234-4433

	76
1	Next slide, please.
2	So, this is a list of the dams that are
3	currently under NRC regulation. Seven out of eight
4	are power reactors. So, we're basically at eight dams
5	total. However, we started out with 65 dams at the
6	beginning of the program. This was quickly reduced to
7	34, based upon review by OGC. But recent closures of
8	several uranium mill tailing impoundments, and with
9	the addition of the State of Wyoming as an Agreement
10	Statement, the number of dams was reduced to eight.
11	That concludes my talk. If you have any
12	questions, I will be glad to answer them.
13	MEMBER BLEY: Yes, Ken, this is Dennis
14	Bley again.
15	Do you have any idea how many power plants
16	have upstream dams that are not NRC-regulated? And
17	for those cases well, none of them are NRC-
18	operated, I guess, either. In cases where there
19	becomes an issue between the operator of the dam or
20	the regulator of the dam wanting to dump water, and
21	the plant's needs for it to be controlled more, how
22	are those conflicts resolved?
23	MR. SEE: That's an interesting question.
24	During the review of Fukushima, we put out an Interim
25	Staff Guidance document. I think it's JLD-ISG-2013-1.
	•

(202) 234-4433

	77
1	That's currently being it's going to be turned into
2	a Reg Guide. We're going to be working on that this
3	upcoming year.
4	There are thousands of dams upstream from
5	nuclear power plants. Most of them are very small.
6	You know, I'm talking like HOA impoundments. They
7	pose no threat to the nuclear facilities.
8	The big dams, the ones that we typically
9	are concerned with, are operated in accordance to
10	Congress' direction.
11	I know for Fort Calhoun there was
12	increased communication between the licensee and the
13	Army Corps of Engineers. The licensee was provided
14	access to the emergency action plans, and I believe
15	the Corps committed to notifying Fort Calhoun that
16	they were going to be releasing water. And they had
17	calculated how much water. I mean, they could flood
18	Fort Calhoun just by opening the gates wide open. The
19	dam did not have to fail. So, there was an emphasis
20	on communication.
21	But, as far as other sites, most of the
22	reviews showed that the sites could deal with the
23	flood. Cooper, which is downstream from Fort Calhoun,
24	has put in some mitigation and some flex and have made
25	commitments. I believe they're one of the sites that

(202) 234-4433

	78
1	has made commitments.
2	But the outcome of the Fukushima reviews
3	was that most of these sites could accommodate a
4	beyond-design-basis flood.
5	I hope that answers your question. I
6	would suggest you read that ISG. I think that would
7	be very informative.
8	MEMBER BLEY: Yes. Well, we've got it on
9	the transcript. So, could you say the numbers again,
10	so we make sure they're right in the transcript?
11	MR. SEE: Yes. That's JLD, which is
12	Japanese Lessons Learned Directorate, then
13	-ISG-2013-1.
14	And if you have any issues I wish I had
15	the ML number with me now, but it's a publicly-
16	available document.
17	MEMBER BLEY: Okay. Great. Thanks, Ken.
18	We'll look at that. And I appreciate it. Thanks very
19	much for your presentation.
20	Any questions from other members?
21	(No response.)
22	MR. SEE: Okay. With that, I'm going to
23	turn it back over to Dr. Hayes, the Branch Chief.
24	MEMBER BLEY: Okay. Thank you.
25	MR. SEE: All right.

```
(202) 234-4433
```

	79
1	DR. HAYES: Thank you very much, Ken.
2	For more information, I would go to our
3	SharePoint site. Again, it's not publicly-available,
4	but it is accessible to ACRS members. It shows our
5	areas of expertise and guidance related to reactor
6	reviews. There's a number of EHCOE briefs up there
7	that might be of interest to you on multi-hazard
8	siting reviews; knowledge management from the post-
9	Fukushima work that we've done; EHCOE transformation;
10	external manmade hazards, POANHI, the Standard Review
11	Plan for changes associated with hydrology, and also,
12	the Dam Safety Program.
13	And the SharePoint, that also includes our
14	draft revised charter and our draft engagement plan.
15	In summary, our matrix structure today and
16	the transition that's underway towards a regulator are
17	reflected by the facts that we rely on past
18	operational experience. We focus on risk insights.
19	We ensure that reviews are risk-informed and
20	performance-based, and we embrace process improvements
21	and optimize regulatory reviews that way.
22	We also leverage technology and
23	collaborations. We utilize existing federal data and
24	databases. We have continued participation in
25	consensus standard development, engagement
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	80
1	internationally, and maintaining knowledgeable, agile
2	staff. And we also participate in knowledge
3	management transfer. These are the processes that we
4	have underway.
5	I would like to thank the Committee for
6	its time today, and EHCOE, our staff will, no doubt,
7	be interacting with you in terms of future reviews.
8	And now, are there any additional
9	questions on EHCOE?
10	MEMBER BLEY: Anything from other members?
11	(No response.)
12	Barbara, thank you so much. It was a
13	great overview of what all is in EHCOE, a really
14	fascinating organization right now. And the
15	presenters were all very fine, and we appreciate the
16	talks. And we do look forward to interacting with the
17	folks from EHCOE as we continue our reviews in various
18	license applications.
19	Thank you so much.
20	At this time, I'll turn it back to our
21	Chairman, Matt.
22	And thank you, Matt, for bailing me out on
23	the flood. My brain went belly-up.
24	(Laughter.)
25	CHAIRMAN SUNSERI: No problem. I was in
	I contract of the second se

	81
1	Kansas at the time. So, it was quite familiar to me
2	as well.
3	I couldn't say it any better than what
4	Dennis said on how much we appreciate the thoroughness
5	and the quality of the presentation. It was excellent
6	and I learned so much about what you're doing. It's
7	quite impressive. So, we thank you very much for
8	that.
9	Okay. Committee, at this time, it is
10	almost 1:30. So, we were going to recess for lunch at
11	this time. We will take a break until 2:30 p.m.,
12	Eastern Time, at which time we will continue with
13	report preparation. And at that time, we'll take up
14	the report from Member March-Leuba and we'll look at
15	our response to the staff's response to the Arbonne
16	distribution letter. So, we'll have presentations on
17	that.
18	And I'll conclude now, and we'll see you
19	at 2:30.
20	Thank you.
21	(Whereupon, at 1:30 p.m., the session
22	recessed until 2:30 p.m. the same day.)
23	
24	
25	
l	1

(202) 234-4433

### External Hazards Center of Expertise

Barbara D. Hayes, PhD, PE

Branch Chief External Hazards Branch Division of Engineering and External Hazards Office of Nuclear Reactor Regulation

Barbara.Hayes@nrc.gov

Presentation to the ACRS October 9, 2020



Protecting People and the Environment



Agenda

- ECHOE
- Areas of Expertise
  - Hydrology
  - Man-Made Hazards
  - Meteorology
  - Geology/Seismology
  - Geotechnical Engineering
- Process for Ongoing Assessment of Natural Hazards Information
- Dam Safety Program
- Closing Thoughts



## **Previous Activities**

#### **COL and ESP Applications**

•Completed 8 COL and 6 ESP Reviews •Most recently Clinch River ESP

#### **Design Certification Applications**

- NuScale
- •KHNP APR 1400

#### Fukushima-Related § 50.54(f) Responses

- •63 Site-specific Seismic Hazard Reviews and 15 SPRA reviews
- •Flood Hazard Reevaluation Reports

### **Current Activities**

#### **Office of Nuclear Reactor Regulation**

- LAR Reviews
- Shine Medical Isotope Facility OL Review
- Support for OKLO Aurora Review at INL
- Pre-Application Support for Potential UAMPS Application

#### Office of Nuclear Materials Safety and Safeguards

- ISP/WCS CISF Application Review
- Holtec CISF Application Review



3

## **EHCOE – History**



Formed in NRO as limited scope COE following SECY-15-0143, "Project Aim and Centers of Expertise"



Executive responsibility with the director of the Division of Engineering and External Hazards (DEX)

### **Click to add text**

Matrixed organization within NRR



Recent new Share Point site, draft revised charter, draft engagement plan



Protecting People and the Environment

## EHCOE Who we are

### External Hazards Branch (EXHB)

- Barbara Hayes, Chief
- 14 staff covering meteorology, hydrology, seismology, geology and external man-made hazards
- NRC Dam Safety Officer, Kenneth See
- POANHI POC, Laurel Bauer
- POCs for the National Weather Service and for the Office of the Federal Coordinator for Meteorology
- EHCOE Project Manager, Luissette Candelario



EHCOE – Who we are <sub>Continued</sub>

### Structural, Civil, and Geotech Engineering Branch (ESEB)

- Joe Colaccino, Chief
- 3 ESEB staff members in EHCOE cover geotechnical engineering
- 1 ESEB staff member supports external man-made hazards activities managed by EXHB
- Senior Technical Advisor on Nuclear Power Plant Siting, Cliff Munson
- Dam Safety Project Manager -NRR/DANU/UARL

## **Our Vision**

**Enhance the NRC's ability** to shift resources or work assignments to meet the demands of a changing environment, increase organization capacity without an increase in resources, and achieve more effective knowledge management and maintenance of critical skill sets.



## **EHCOE Transformation**





## **EHCOE Transformation Continued...**



Focus on Risk Significance

- Commitment to Commissions' Risk-Informed/Performance-Based Approach to Regulation
- Training by EHCOE Staff align with NRC's with transformation
- Transformative Examples
  - Hydrology: Introduction of "Consequential flood" concept
  - Geology: Focus primarily on geologic stability during quaternary period; avoid encyclopedic-based geology reviews

## **Regulatory Basis for EHCOE Reviews**





#### Primary Focus on Conventional Power Reactors

Parts 50, 52, and 100



#### Support for Other NRC Programs

Decommissioning, Waste Management, Mill Tailings(Parts 61, 63, 70, and 72)



Support Advanced Reactor Siting

Partnering with DANU and NMSS



## **EHCOE's Focus**



11

- Potential Climatology-driven Hazards (snow loads, tornado and hurricane wind loads, etc.)
- Atmospheric Dispersion of Radionuclides
- Local Intense Precipitation and Associated Site Drainage
- All Potential Flood-related Hazards (rivers, streams, dam failure, etc.)
- Evaluation of the Safety-related Water supply
- All Potential Coastal Hazards (storm surge, tsunami, etc.)
- Groundwater Flow and Radionuclide Transport
- Geologic Hazards (faulting, landslides, volcanism, Karst)

- Potential for Ground Shaking (i.e., seismology and geophysics)
- Stability of Subsurface Materials, Slopes, and Foundations (geotechnical engineering)
- Potential Explosions and Releases of Toxic Chemicals from Nearby Industrial Facilities or Transportation Systems
- Aircraft Crash Hazards
- Radionuclide Contaminant Fate Transport in the Environment
- Probabilistic Flood Hazard Analyses
- Probabilistic Seismic Hazard Analyses





## **EHCOE**

## What we do



### Hydrology Review Activities within EHCOE

Michael P. Lee, PhD Senior Hydrologist External Hazards Branch Division of Engineering and External Hazards Office of Nuclear Reactor Regulation

Mike.Lee@nrc.gov

Presentation to the ACRS October 9, 2020

## **Recent Lessons-Learned**



 Part 52 Early Site Permits and Combined Operating License Applications

2012 § 50.54(f) Information Request (Fukushima Accident)
... Flood Hazard Re-Evaluations

Not All Flood-Causing Mechanisms are Consequential to Defining the Design Basis

- YES: LIP, Riverine/Dam Failure, Storm Surge
- NO: Tsunamis, Seiche, Channel Migration, and Ice Dams

## Definition of Consequential Flood



- Evolved from § 50.54(f) flood hazard re-evaluations
- Intent is to simplify staff reviews
  - Focus <u>only</u> on flood-causing mechanisms defining flood threat
  - Inconsequential flooding mechanisms not relevant to
  - Comports with Commission's RI/PB regulatory approach
  - Consistent with definition of "site characteristic flood"
    - Part 50.2 ("Definitions")
    - Focus of SRP Chapter 2.4 reviews
- Concept introduced as part of SRP update process
  - September 28, 2018, Federal Register Notice
  - Channel migration & tsunami section updates

# **Consequential Flood Definition**



.... For Construction Permits, Operating Licenses, and COL applications, a term used to identify conditions in which the flood severity exceeds the capability of protection features (if available), including considerations for flood level, duration and/or associated effects, such that SSCs important-to-safety may be impacted. For ESP applications, the flood severity is expected to be in reference to the site characteristic flood. Consequential flooding may occur for events that are less severe and with differing characteristics (e.g., shorter warning time) than the deterministically defined probable maximum events. (83 FR 49134)



### Man-Made Hazard Review Activities within EHCOE

Kenneth See, PE Senior Hydrologist External Hazards Branch Division of Engineering and External Hazards Office of Nuclear Reactor Regulation

Kenneth.See@nrc.gov

Presentation to the ACRS October 9, 2020

## **Man-Made Hazards**



- Aircraft Crash Hazards (Airport Operations, Inflight Operations)
- Transportation Accidents (Highway, Railway, Ship/Barge)
- Pipeline and Industrial Facility Accidents



### Man-Made Hazards Regulatory Guide 1.91: Evaluations of Explosions Postulated To Occur on Transportation Routes Near Nuclear Power Plants

- Periodic Review (ML20134J125)
  - Changes based on "Report of the U.S. Nuclear Regulatory Commission Expert Evaluation Team on Concerns Pertaining to Gas Transmission Lines Near the Indian Point Nuclear Power Plant," April 8, 2020 (ML20100F635)
- Revision Timetable
  - Provide draft RG to RES for processing by March 2021
  - Issue Draft RG for Public Comment July 2021



### Meteorology Review Activities within EHCOE

Kevin R. Quinlan Meteorologist External Hazards Branch Division of Engineering and External Hazards Office of Nuclear Reactor Regulation

Kevin.Quinlan@nrc.gov

Presentation to the ACRS October 9, 2020

## Meteorology Areas of Expertise





### Regional Climatology and Local Meteorology

Rain, Snow, Hurricanes, Tornados, Thunderstorms, Temperature/Humidity Extremes



#### Onsite Meteorological Monitoring

Wind Speed, Wind Direction, Temperature, Precipitation

New considerations for SMR/Advanced Rx



#### Atmospheric Dispersion Estimates

Design-Basis Accidents, Routine Releases,

Control Room Habitability

## **Recent Support Activities**



- New Advanced and Operating Reactors
  - Novel Approach to Dispersion Modeling by NuScale
  - Short EAB/Site Boundary by Clinch River ESP
  - LARs, Operating Reactor Applications, ASTs

### NMSS

- Church Rock PMP Evaluation
- Atmospheric Dispersion Input to GEIS for Advanced Reactors
- Office of Research
  - RAMP Dispersion Code Updates
  - NEA High Wind Survey





# Geology/Seismology Review Activities within EHCOE

David Heeszel, PhD Geophysicist & EXHB Geology/Seismology Liaison External Hazards Branch Division of Engineering and External Hazards Office of Nuclear Reactor Regulation

David.Heeszel@nrc.gov

Presentation to the ACRS October 9, 2020

## Geology and Seismology Areas of Expertise



Protecting People and the Environment



#### Regional and Local Geologic and Seismological Hazards

Geologic Characterization of Proposed Site/Regions Regional Seismological Information Important to PSHA

- Regional seismic sources
- Regional ground motion models



#### **Onsite Geologic and Seismic Hazards**

Onsite Geologic Hazards

• Surface and near-surface deformation

Site-specific PSHA and SSE Determinations

- Seismic sources
- Ground motion model
- Site response

## Geology and Seismology Ongoing Activities



## Office of Nuclear Regulatory Research

- USGS/RES Interagency Agreement to support Regulatory Guide Updates and POANHI
- Site Response SSHAC Level II Demonstration Project
- Collaboration on POANHI Activities

## Cross Cutting Issues

- NGA-East Review (new ground motion model for PSHA)
  - Currently under review for acceptance in licensing applications
  - RIL 2020-11 provides review of technical adequacy of model
  - Through POANHI staff is comparing NGA-East hazard with hazard determined currently accepted ground motion model
- Volcanic Hazard Regulatory Guide


### Geotechnical Engineering Review Activities within EHCOE

Weijun Wang, PhD, PE Senior Geotechnical Engineer Structural, Civil, and Geotech Engineering Branch Division of Engineering and External Hazards Office of Nuclear Reactor Regulation

Weijun.Wang@nrc.gov

Presentation to the ACRS October 9, 2020

### **Geotechnical Engineering Areas of Expertise**



- Determination of Subsurface Material Engineering Properties
  - Phased site investigation for site characterization
  - Necessary field and laboratory testing
  - Soil and rock material and engineering properties determination for site seismic response, soil-structure interaction, foundation and slope stability analyses

### Foundation and Slope Stability Evaluations

- Evaluation of potential of liquefaction
- Stability under all natural and man-made loading conditions



Geotechnical Engineering Ongoing Activities

### **SRP Modernization**

 Incorporate Risk-Informed Concepts in SRP Updates to Sections 2.5.4 and 2.5.5

## Technical Support to Other Agencies

 Provided initial technical consultation to DNFSB based on MOU between NRC and DNFSB



### Process for Ongoing Assessment of Natural Hazards Information (POANHI)

Laurel Bauer Geologist External Hazards Branch Division of Engineering and External Hazards Office of Nuclear Reactor Regulation

Laurel.Bauer@nrc.gov

Presentation to the ACRS October 9, 2020

### **POANHI Background**



### Post-Fukushima NTTF Recommendation 2.2

 Advised rulemaking requiring that nuclear power plant licensees confirm seismic and flooding hazards every 10 years

### Staff Requirements Memorandum-SECY-15-0137

 Recommended an approach other than rulemaking to ensure staff proactively and routinely aggregates and assesses new natural hazards information

### Staff Requirements Memorandum-SECY-16-0144

 Provided a comprehensive plan for developing and implementing POANHI that included development and issuance of an Office Instruction and development of the Natural Hazards Information Digest (NHID)

### **POANHI Implementation**



- RES/NRR staff worked with Idaho National Laboratories (INL) to develop the NHID
- NHID Demonstrated to NRC staff for implementation February 2019
- Public Meeting to discuss POANHI implementation April 2019
- Office Instruction LIC-208 "Process for the Ongoing Assessment of Natural Hazards Information" issued – November 2019



### **POANHI** Framework



#### **Knowledge Base**



2=

Active Technical Engagement and Coordination



### **POANHI** Attributes



- Implementation by a cross-agency team
- Aggregation and evaluation of new natural hazards information
- Incorporation of risk insights into a determination of risk significance
- Documentation of independent staff assessments related to new natural hazards information
- Referral of potentially risk-significant issues to appropriate regulatory programs

### **POANHI Current Activities**



# Review of Next Generation Attenuation Models for central and eastern North America (NGA-East)





### **NRC's Dam Safety Program**

Kenneth See, PE NRC Dam Safety Officer External Hazards Branch Division of Engineering and External Hazards Office of Nuclear Reactor Regulation

Kenneth.See@nrc.gov

Presentation to the ACRS October 9, 2020

## **Regulatory Authority**



- President Carter established the federal dam safety program when he issued an implementing memorandum for "Federal Guidelines for Dam Safety," on October 4, 1979
- The memorandum directed that each federal agency having responsibility for design, construction, operation, or regulation of dams establish a dam safety program
- The legal authority for the Commission, in the realm of dam safety, derives from:
  - the Atomic Energy Act of 1954, as amended;
  - the Energy Reorganization Act of 1974, as amended; and
  - the Uranium Mill Tailings Radiation Control Act of 1978 (UMTRCA)

### **Regulatory Authority**



- SECY 91-193 establishes the NRC DSP and outlines the roles and responsibilities of the Dam Safety Officer
- Dam Safety Act of 2006 Amended original Act
- Requires the Secretary of the Army to maintain and update information on the inventory of dams in the United States. (National Inventory of Dams – NID)
- Requires the strategic plan for dam safety prepared by the Director of the Federal Emergency Management Agency (FEMA) to establish performance measures, in addition to goals, priorities, and target dates, toward effectively administering the Act to improve dam safety

### **Regulatory Authority**



### NRC has regulatory authority over:

- uranium mill tailings dams
- storage-water-pond dams at in-situ leach mining facilities, and
- those dams integral to the operation of licensed facilities, or the possession and use of licensed material, that pose a radiological safety-related hazard should they fail.

### **Dam Inspection Program**



- Memorandum of Understanding with FERC 1992
- FERC provides technical assistance to the NRC by inspecting dams under NRC jurisdiction
  - In lieu of creating NRC inspector program
  - Inspections are performed every
    - 2 years (Power Reactors)
    - 3 years (Uranuim Mills)

Ensure compliance with Federal Guidelines for Dam Safety

### **NRC Regulated Dams**



### Uranium Mills (Inspected Every 3 Years)

Crow Butte (Nebraska)

### Power Reactors (Inspected Every 2 Years)

- North Anna (Virginia)
- Shearon Harris (North Carolina)
- McGuire (North Carolina)
- Catawba (South Carolina)
- Summer (South Carolina)
- Farley (Alabama)
- Comanche Peak (Texas)

### Closing: Learn More About ECHOE



- ECHOE SharePoint Site
  - <u>https://usnrc.sharepoint.com/teams/NRR-</u> <u>External-Hazards-Center-of-Expertise/</u>
- Information on our areas of expertise and guidance for reactor safety reviews
- EHCOE Briefs on our work
- Our Draft Revised Charter and Draft Engagement Plan



### Thank You ...

## **Questions**?



### **Abbreviations**

EHCOE ESP COLA HMR FHRR LIP PMP POANHI SRP RG PFHA



SSE SPRA PSHA

