

**Official Transcript of Proceedings**

**NUCLEAR REGULATORY COMMISSION**

Title:                               Licensing and Regulation of  
  Advanced Nuclear Reactors

Docket Number: N/A

Location:                            Videoconference

Date:                                 January 7, 2021

Work Order No.:                    NRC-1334

Pages 1-169

**NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

10 CFR PART 53

"LICENSING AND REGULATION OF ADVANCED

NUCLEAR REACTORS"

SUBPARTS C AND F PRELIMINARY PROPOSED RULE LANGUAGE

+ + + + +

THURSDAY

JANUARY 7, 2021

+ + + + +

The Category 3 public meeting was held by  
videoconference at 12:00 p.m., Robert Beall,  
Rulemaking Project Manager, presiding.

NRC STAFF PRESENT

ROBERT BEALL, Office of Nuclear Material Safety  
and Safeguards

BILL RECKLEY, Office of Nuclear Reactor  
Regulation

JOHN SEGALA, Office of Nuclear Reactor  
Regulation

NANETTE VALLIERE, Office of Nuclear Reactor  
Regulation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ALSO PRESENT

FRANK AKSTULEWICZ, Terrestrial Technology

TRAVIS CHAPMAN, X-Energy

CYRIL DRAFFIN, U.S. Nuclear Industry Council

DENNIS HENNEKE, GE-Hitachi

JEFF MERRIFIELD, U.S. Nuclear Industry Council

ROSS MOORE, Oklo

STEVE NESBIT, LMNT Consulting

MARC NICHOL, Nuclear Energy Institute

REBECCA NORRIS, NuScale

CONTENTS

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

	<u>Page</u>
Welcome, Meeting Logistics and Introductions.....	5
Welcome, Opening Remarks	
John Segala.....	8
Subpart C, Requirements for Design and Analysis	
Nanette Valliere.....	12
Bill Reckley.....	15
Public Comments/Questions.....	35
USNIC Presentation-Introductory Comments	
Part 53 and Subpart C	
Jeff Merrifield.....	47
Cyril Draffin.....	54
Steve Nesbit.....	57
Cyril Draffin.....	59
Response to USNIC Presentation	
Bill Reckley.....	61
Public Comments/Questions .....	65
Facility Safety Program Section in Subpart F, Requirements for Operation	
Bill Reckley.....	78
Public Comments/Questions.....	86
NIC Presentation	
Jeff Merrifield.....	87
Public Comments/Questions .....	91

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Recap of Nov 18, 2020 Public Meeting on Subpart B

2 Nanette Valliere .....104

3

4 Presentations on Subpart B

5 Cyril Draffin .....107

6 Frank Akstulewicz .....108

7 Dennis Henneke .....113

8 Rebecca Norris .....116

9 Cyril Draffin .....118

10 Travis Chapman.....121

11 Ross Moore.....124

12 Public Comments/Questions .....128

13

14 NEI Presentation

15 Marc Nichol.....129

16 Public Comments/Questions .....151

17

18 Adjourn.....170

19

20

21

22

23

24

25

26

P-R-O-C-E-E-D-I-N-G-S

12:04 p.m.

1  
2  
3 MR. BEALL: All right. Good afternoon,  
4 everyone. I want to welcome everyone and thank you  
5 for participating in today's public meeting to discuss  
6 the risk-informed, technology-inclusive regulatory  
7 framework for advanced reactors or the Part 53  
8 rulemaking. My name is Bob Beall and I'm from the  
9 NRC's Office of Nuclear Material Safety and  
10 Safeguards. I'm the project manager for the Part 53  
11 rulemaking and will be serving as the facilitator for  
12 today's meeting. My role is to help insure that  
13 today's meeting is informative and productive.

14 This is a Category 3 public meeting to  
15 encourage active participation and information  
16 exchange with the public to help facilitate the  
17 development of the Part 53 rulemaking. The feedback  
18 that the NRC receives today is not considered a formal  
19 public comment so there will be no formal response to  
20 any of today's discussions. For today's public  
21 meeting we are using Microsoft Teams to support the  
22 discussion of the Part 53 rulemaking instead of an  
23 operator-assisted bridge line that has been used in  
24 the past.

25 We hope that the use of Microsoft Teams

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will allow stakeholders to participate more freely  
2 during the meeting but this will require all of us to  
3 continuously assure that our phones are muted when we  
4 are not speaking and to do our best not to speak over  
5 each other. To help facilitate the question and  
6 answer portions of the meeting, we request that you  
7 utilize the raised hand feature in Teams so we can  
8 identify who has a question or comment.

9 The staff will call on the individual to  
10 ask their question. The raised hand button, which is  
11 shaped like a small hand, is along the top row of the  
12 Team display area. You can also use the chat window  
13 to alert us that you have a question. Please do not  
14 use the chat window to ask or address any technical  
15 issues related to Part 53. The chat window is not  
16 part of the official meeting record and is reserved to  
17 identify when someone has a question or for handling  
18 any meeting logistic issues.

19 To minimize interruptions, the staff will  
20 call on participants who have used the raised hand  
21 feature or the chat window to identify when they have  
22 a question or comment. If you join the meeting using  
23 the Microsoft Teams bridge line, you will not have  
24 access to these features. If you joined using the  
25 bridge line and would like to ask a question or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comment, you need to press the star 6 button on your  
2 phone to unmute it. The staff will pause at the end  
3 of each topic to ensure that all participants have an  
4 opportunity to ask questions before moving onto the  
5 next topic.

6 After your comment has been discussed,  
7 your phone line will be muted again. If you want to  
8 ask questions on a future topic, you will have to  
9 press star 6 to unmute your phone once again. Slide  
10 2, please.

11 The agenda for today includes NRC staff  
12 and stakeholder presentations on three topics related  
13 to the Part 53 rulemaking. Topic 1 will be discussion  
14 of preliminary proposed rule language for Part 53,  
15 Subpart C, Requirements for Design and Analysis.  
16 Topic 2 will be a discussion of the preliminary  
17 proposed rule language related to the facility safety  
18 program section of Subpart F, Requirements for  
19 Operation.

20 And the third topic will be a review of  
21 stakeholder comments on Subpart B to acknowledge the  
22 inclusive safety requirements submitted via  
23 regulations.gov and from the November 18th, 2020,  
24 public meeting. Questions from the public and further  
25 discussions will follow each topic presentations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 today. We will also have one 15 minute break during  
2 today's meeting. Slide 3, please.

3 I would now like to introduce John Segala.

4 John is the branch chief of the Advance Reactor  
5 Policy Branch in the Office of Nuclear Reactor  
6 Regulation. John will be giving the opening remarks  
7 for the days meeting. John?

8 MR. SEGALA: Thank you, Bob. Good  
9 afternoon. Consistent with the Nuclear Energy  
10 Innovation and Modernization Act we are developing a  
11 new alternative regulatory framework for advanced  
12 reactors that embraces risk-informed approaches and  
13 performance-based criteria that will be technology  
14 inclusive to a wide range of new technologies.

15 Key to the development of this rulemaking  
16 is the establishment of high level technology-  
17 inclusive performance criteria and leveraging recently  
18 developed staff guidance in Regulatory Guide 1.233  
19 which endorses the Licensing Modernization Project, or  
20 LMP, methodology described in the NEI 18-04 document  
21 as one acceptable method to use for establishing key  
22 parts of the licensing basis and content of  
23 applications. LMP focuses on identifying the licensing  
24 basis events, classifying the structure systems and  
25 components and ensuring adequate defense and depth.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We also plan to leverage the Southern-led  
2 NEI coordinated and Department of Energy cost-shared  
3 Technology-Inclusive Content of Application Project,  
4 or TICAP, and the NRC led Advance Reactor Content of  
5 Application Project, or ARCAP, which will provide  
6 technology- inclusive risk-informed and performance-  
7 based application content guidance. We are targeting  
8 late February for our next public meeting on TICAP and  
9 ARCAP.

10           In order to meet the Commission's directed  
11 schedule to publish the final Part 53 rule by October  
12 of 2024, we are having extensive stakeholder  
13 engagement to solicit feedback to better inform the  
14 staff's proposals and to ensure a shared understanding  
15 of what will be included in the final rule. As Bob  
16 Beall mentioned, today's meeting is the second of many  
17 webinars the NRC will be having every four to six  
18 weeks over the next year to provide an opportunity for  
19 external stakeholders to provide feedback on the NRC's  
20 development of Part 53 preliminary proposed rule  
21 language for advanced reactors.

22           Today we will be seeking input on  
23 preliminary rule language for Subpart C Requirements  
24 for Design and Analysis and Subpart F, Requirements  
25 for Operations Regarding the Facility Safety Program.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We will also be discussing stakeholder comments on  
2 the preliminary rule language for Subpart B  
3 Technology-Inclusive Safety Requirements that was  
4 discussed during the November 18th, 2020, public  
5 meeting.

6 Some of the preliminary rule text being  
7 discussed today is new and quite different from the  
8 current regulations in 10CFR Parts 50 and 52. So I  
9 would encourage stakeholders to keep an open mind as  
10 you listen to the staff's rationale for suggesting  
11 innovative approaches. We're looking forward to  
12 having discussions today and hearing any feedback you  
13 all may have. That completes my opening remarks.  
14 Thanks, Bob.

15 MR. BEALL: Okay. Thank you, John. I  
16 would now like to introduce the NRC staff who will be  
17 making presentations during today's public meeting,  
18 myself as the rulemaking project manager and meeting  
19 facilitator, and then Nan Valliere and Bill Reckley  
20 from NRR. Bill and Nan are the Part 53 technical  
21 leads for this rulemaking. In addition, we have  
22 members of the public who have requested time to make  
23 presentations on one or more of the topics from the  
24 Nuclear Energy Institute, the U.S. Nuclear Industry  
25 Council, and Hybrid Power Technologies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           If you're not using Microsoft Teams to  
2 attend this meeting and you would like to view the  
3 presentation slides, they are located in the NRC ADAMS  
4 Document Database and on regulations.gov. The  
5 accession number for today's slides is ML21006A as in  
6 alpha, 000. Slide 4, please.

7           The purpose of today's meeting is to  
8 exchange information, answer questions, and discuss  
9 the Part 53 rulemaking. This is the third in a series  
10 of public meetings that the NRC staff will be  
11 discussing the Part 53 preliminary proposed rule  
12 language. Today's meetings will focus on Subpart C  
13 and the Facility Safety Program section of Subpart F.

14          This is a Category 3 public meeting which means that  
15 the public participation is actively sought as we  
16 discuss the regulatory issues.

17          Because of the number attendees, we may  
18 need to limit the time for an individual question or  
19 discussion on a topic to make sure everyone has a  
20 chance to participate. After everyone has had a  
21 chance to ask their question, we can circle back and  
22 allow people to ask additional questions if we have  
23 time. If there is a particular topic you would like  
24 to discuss, please send me an email after the meeting  
25 and we'll try to include it in a future public

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meeting.

2 Today's meeting is being transcribed so in  
3 order to get a clean transcription and to minimize  
4 distractions during the meeting, we ask everyone to  
5 please mute their phones when they're not speaking. A  
6 summary of today's transcript of today's meeting will  
7 be publicly available on or before February 6, 2021.  
8 Finally, this meeting is not designed nor intend to  
9 solicit or receive comments on topics other than this  
10 rulemaking activity. Also, no regulatory decisions  
11 will be made at today's meeting.

12 Please note that towards the end of the  
13 presentation there are two slides containing acronyms  
14 and abbreviations that may be used during this meeting  
15 and a set of back up slides that contain additional  
16 information about the Part 53 rulemaking. And with  
17 that, I'd like to turn the meeting over to Nan  
18 Valliere who will continue the discussions of the Part  
19 53 rulemaking; Nan?

20 MS. VALLIERE: Thank you, Bob. Next  
21 slide, please? Good afternoon. As Bob mentioned, my  
22 name is Nan Valliere and I'm a senior project manager  
23 in the NRC's Advanced Reactor Policy Branch.

24 On Slide 5 we have a slide that we have  
25 used in most of our past public meetings on Part 53

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and we'll continue to use. This slide lays out the  
2 plan to build an entire regulatory framework in Part  
3 53 from design through construction and operation, and  
4 eventually to decommissioning. In November we  
5 discussed the highest level safety or risk metrics as  
6 described in the purple box. But as both John and Bob  
7 mentioned, today we will be discussing rule text in  
8 Subpart C on design and analysis and a portion of  
9 Subpart F on operations that would address  
10 requirements for a facility safety program. Next  
11 slide, please.

12 Slide 6 is a slide that the staff first  
13 presented in November and that we intend to use at  
14 each of our Part 53 public meetings. This slide is a  
15 graphical representation of how the staff plans to  
16 work through stakeholder interactions on each subpart  
17 of Part 53, support the submittal of the proposed rule  
18 package on the milestone schedule that the staff has  
19 provided to the Commission. As the note on this slide  
20 indicates, this is a living picture of where we are  
21 today and we have made some adjustments from the  
22 version presented in November to reflect our current  
23 thinking.

24 The note also highlights the fact that  
25 upcoming introductions of the concepts and discussions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of preliminary rule language will include a variety of  
2 topics that have historically involved specific  
3 technical and programmatic specialties. We wanted to  
4 encourage stakeholders to ensure that appropriate  
5 subject matter experts are involved in future  
6 discussions of rule language for these technical areas  
7 to improve our chances of having efficient and  
8 effective meetings.

9 An example of an area where such subject  
10 matter experts will be needed are concepts and  
11 discussion within Subpart F on operations that  
12 involves staffing levels and operator licensing.  
13 Those discussion will take place later this year. We  
14 will do our best to specify in future meeting notices  
15 which topics we intend to cover in any given meeting.

16 As we mentioned at the last meeting, the  
17 staff recognizes that there will be instances where  
18 developments in one subpart of the rule will have an  
19 impact on the subpart that was closed out earlier and  
20 where revisiting previously closed out subparts will  
21 be unavoidable. Nevertheless, the goal is to reach  
22 closure on each topic to the greatest extent possible  
23 on the timeline depicted in this matrix.

24 And now I'd like to pause here to ask if  
25 there are any comments or questions before we move on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to the discussion of Subpart C on design and analysis.

2 All right, hearing none, I will turn the meeting over  
3 to Bill Reckley now. Next slide, please.

4 MR. RECKLEY: Okay, thank you, Nan. So as  
5 Nan said, we're going to talk first through Subpart C.

6 We did publish and it's available on the public  
7 meeting notice, our discussion table where we tried to  
8 give some thoughts that we had as we developed this  
9 subpart as we had previously so hopefully people find  
10 that useful. If we go to the next slide, please,  
11 Slide 8.

12 This is the outline. I won't spend a lot  
13 of time going through this because we're going to talk  
14 about each of these sections as we go forward. It  
15 does lay out just as we go forward, the general  
16 structure if it helps as we have the discussion, that  
17 we have the safety criteria that we talked about in  
18 Subpart B at the last meeting, both the First and  
19 Second Tier safety criteria. And we have the safety  
20 functions that are needed in order to meet those  
21 safety criteria. In this section we then go down a  
22 level and talk about the design features that will be  
23 supporting those safety functions.

24 And then one level below that are the  
25 functional design criteria that would be established

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for a particular design feature. So one might think  
2 of it in a general term that if the safety function is  
3 cooling, a designed feature might be a cooling loop  
4 and the functional design criteria would actually be  
5 like a heat removal rate. And so you can just go down  
6 levels of detail and that's the way this subpart is  
7 laid out, starting from the higher safety functions  
8 down to specific functional design criteria for  
9 specific design features.

10 So if we go on then to, this is just a  
11 continuation of the logic or the layout of this  
12 subpart. I'll touch on this just so people have time  
13 to think about it if you haven't looked through the  
14 material in detail. One feature or provision that's  
15 been put into this subpart is the 53.470 at the top of  
16 this page which is Application of Analytical Safety  
17 Margins to Operations Flexibilities.

18 This is the notion of trying to actually  
19 get the benefit of the attributes of advance reactors  
20 as they were laid out in the Advance Reactor Policy  
21 Statement. And the Commission's direction in  
22 subsequent guidance which I, personal opinion think is  
23 one of the most important ones, is the Commission  
24 direction and the staff requirements memorandum for  
25 SECY 10-121 where the staff was trying to establish

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what the risk metrics for advance reactors should be  
2 and that SRM is where the Commission basically  
3 specified and clarified what had been ongoing  
4 discussions on the meaning of the advanced reactor  
5 policy statement for decades and clarified that the  
6 safety goals and general performance measures  
7 established for the existing reactors at that time  
8 were also good enough for advance reactors.

9 And that the attributes of advance  
10 reactors were however expected to provide safety  
11 margins in comparison to the older generations. But  
12 that safety margin was then expected to be applied to  
13 provide operational flexibilities. And so with that  
14 kind of a bit of a history you can see I think why we  
15 added this into this subpart. Then we'll talk about  
16 quality assurance and design interfaces. So with that  
17 if we can go to Slide 10.

18 The first higher level section within this  
19 subpart is just the design objectives and this is  
20 intended to be consistent with the objectives laid out  
21 in Subpart B, meeting the overall safety criteria and  
22 as we proposed in Subpart B, the two tier structure.  
23 Again, as Nan said, we know all of this is still being  
24 discussed and I have faith that as we go forward we  
25 can kind of manage to have discussions. But as Nan

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 said, we're going to have to sometimes be looking  
2 forward while also looking in the rearview mirror and  
3 making adjustments to what we've already talked about.  
4 But again, 400 is just a, the objectives for the  
5 subpart.

6 One just note, the second bullet here.  
7 And you see this phrase repeated a lot and it just  
8 reflects the integrated nature that we're trying to  
9 build into Part 53, which is you achieve the safety  
10 goals, the safety criteria through a combination of  
11 design features, hardware, people, and programs. And  
12 so those three things keep coming up, that's because  
13 we're trying to look at it as an integrated package  
14 and there will be the ability to address in choices  
15 the designers can make to address particular safety  
16 functions using combinations of hardware, people, and  
17 programs.

18 That gives a great deal of flexibility.  
19 It also makes kind of the development of this rule a  
20 little more complicated because all of the parts  
21 interface and interplay with each other.

22 So if we go onto Slide 11, this talks  
23 about the two sections, 410 and 420 which are laying  
24 out the functional design criteria related to both the  
25 first and second tier safety criteria from Subpart B.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I know it's a matter of ongoing discussion  
2 about how normal operations are included in these  
3 discussions. This subpart again was developed based  
4 on Subpart B as we talked about it in December. I  
5 think some of the issues with normal operations, both  
6 the first bullet under the first tier meeting the 100  
7 millirem, that's usually not been too controversial.

8 The normal operations under the second  
9 tier and referring to the as low as reasonably  
10 achievable, of course we know that's a matter of  
11 discussion and we'll discuss that later in the day  
12 when we go back to revisit Subpart B. Both of those  
13 bullets under normal operations are also under  
14 discussion in terms of the content of applications  
15 through the TICAP and ARCAP programs projects that  
16 John Segala mentioned.

17 And so again, there's a lot of balls in  
18 the air as we're doing Part 53. If you visit the  
19 advanced reactor website at the NRC's website, there's  
20 basically an integrated schedule that tries to show  
21 all of the things that are going on or at least many  
22 of the things that are going on in regards to  
23 preparing guidance and other activities to support  
24 advance reactors. Many of those come back and play  
25 into the development of Part 53, either in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specific proposals or in what we're looking ahead  
2 might be guidance.

3 And so when we look at the content to  
4 applications related to normal operations and the  
5 ALARA's reasonably achievable goal, we would be  
6 looking over also at ARCAP as supporting that  
7 activity. I bring this up because we all need to look  
8 at this broader, broader landscape. And if, if part  
9 of the concern in addressing ALARA within Part 53 has  
10 been traditional issues we've had in that area during  
11 licensing reviews associated with Generation III and  
12 Generation III plus reactor designs, one of the ways  
13 we were trying to address that was through the ARCAP.

14 So you do have a problem being recognized  
15 and trying to be resolved through a couple different  
16 ways. So again, I only mention that to say there's  
17 many balls in the air and you have to kind of pick the  
18 ones out that are related to a particular problem and  
19 not necessarily think that Part 53 is the only avenue  
20 to address some concern. Then so that addresses the  
21 normal operations in terms of the functional design  
22 criteria.

23 In terms of the unplanned events, those  
24 are of course the events that are not, we're not able  
25 to address exactly through the performance-based

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 programs as you're able to do normal operations. But  
2 there is a performance-based element but because the  
3 unplanned events are being accessed through analysis  
4 versus actual monitoring of releases, for example, the  
5 performance-based elements will be, will come under  
6 things like the reliability assurance configuration  
7 control and some other things that will likely be in  
8 Subpart F under related to operations.

9 So if that's 410 and 420, if we can go to  
10 Slide 12. I'll just reiterate, we developed this  
11 subpart based on our existing structure, Subpart B.  
12 We know that there are some comments on the inclusion  
13 of protection of plant workers within Part 53. But  
14 this part was constructed on the premise that there is  
15 a criterion under the safety criteria for workers. It  
16 still, even in this context, largely refers to Part 20  
17 in terms of both the 100 millirem type number and, I'm  
18 sorry, for the occupational dose would be like the  
19 five rem number to plant workers and then the low as  
20 reasonably achievable for our performance goal.

21 So if we go on to Slide 13, we put in a  
22 440 which goes to the actual, or some actual design  
23 requirements and in particular the NRC goal, the U.S.  
24 Government goal overall to maximize the use of  
25 consensus codes and standards. And so one paragraph

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of 440 points out that to the degree possible, the  
2 design process and design features should be done in  
3 accordance with generally accepted consensus codes and  
4 standards.

5 And then as the note points out, this  
6 leaves some latitude when we say generally accepted  
7 and it also goes to the second bullet on materials  
8 being qualified, that there will likely need to be a  
9 discussion on that terminology whether those kind of  
10 broad terms could be put into the rule and then  
11 guidance could be developed to actually support the  
12 use of specific consensus codes and standards is kind  
13 of what we were hoping and how we would word this, as  
14 opposed to pointing out specific codes and standards  
15 as is done to some limited degree in Part 50 now, in  
16 particular in regards to ASME and IEEE and maybe even  
17 a couple ANS, American Nuclear Society Standards.

18 So I know there's some feedback that we  
19 already expect to get on this so I'll just, I'll wait  
20 for that discussion after I run through this. The  
21 last bullet, safety and security considered together  
22 is coming out of the Advance Reactor Policy Statement  
23 and just the general goal that security be looked at  
24 as the rest of the plant is being designed, as opposed  
25 to designing the plant for traditional safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 functions and then doing security as an overlay.

2 If that were to be done you miss  
3 opportunities to actually meet the goals and security  
4 in terms of also reducing the need to address that  
5 particular area primarily through armed personnel, for  
6 example. And then the last bullet is largely our  
7 capturing of the idea in 10 CFR currently in 10 CFR  
8 50.43(e) which was put in to address advance reactors  
9 and novel design features and basically just  
10 reinforcing that as you introduce things that may not  
11 have a lot of operating experience to support, that  
12 those features would have to be demonstrated through  
13 some combination of analysis test programs and the  
14 possible use of prototype testing.

15 And that just is kind of supportive of the  
16 general notion that, and we use the language in  
17 subsequent sections, that there has to be things done  
18 in those spaces, analysis testing and operational  
19 experience, to provide the needed assurance that  
20 design features are going to perform. So if we go to  
21 Slide 14.

22 This moves us then from the design area,  
23 or traditional design area over to the analysis  
24 portions. And the first thing and we expect to have  
25 some discussion about it, is that we start off with a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requirement to have probabilistic risk assessment  
2 prepared to support either the certification or  
3 issuance of an operating license for a facility.

4 We've had some discussions internally and  
5 do see this as a logical extension or evolution of the  
6 NRC's risk-informed activities over a fairly long  
7 period of time, going back to the reactor safety  
8 study, then the PRA policy statement, the risk-  
9 informed initiatives since that time, the inclusion of  
10 a requirement within Part 52, to have a PRA prepared.

11 This analytical requirement under 53.450,  
12 the preliminary language, is to take it the next step  
13 and say not only do you do the PRA and gain insights  
14 from it, but it becomes an important element of the  
15 analysis, the design, and the licensing of a plant.

16 What we'll acknowledge, there are other  
17 assessment tools and other industries might use  
18 process hazards analysis or even nuclear plants  
19 traditionally using failure modes and effects analysis  
20 and combinations of these tools, we picked PRA and  
21 actually said we would require it, largely because as  
22 I mentioned, we have a history of developing that.

23 We also have the infrastructure in terms  
24 of the safety goals and other things that we can build  
25 off of this requirement. So that's why we chose in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the preliminary language to include the requirement  
2 for a PRA. And then as I mentioned, the sub bullets  
3 under that are not only do you need to do it but you  
4 need to use it and it will become a basis for things  
5 like identifying licensing basis events, classifying  
6 equipment, and assessing defense-in-depth, all of  
7 those elements being carried forward from Subpart B.

8 Also conforming to generally accepted  
9 codes and standards. You know, we have PRA standards  
10 available for light-water reactors and endorsement  
11 through Regulatory Guide 1.200.

12 And we have a current activity underway  
13 looking at the PRA standard for non-light water  
14 reactors that is expected to go through the standards  
15 process and be issued in the relatively near future.

16 We also have a requirement not only to  
17 perform it, but similar to Part 52, a requirement to  
18 maintain and upgrade it every two years.

19 As I mentioned, sort of like in the design  
20 process, the analytical codes would be expected to be  
21 qualified for the range that they are using.

22 We include a provision to address some  
23 specific analyses that have been incorporated into the  
24 existing regulations, fire protection, aircraft impact  
25 under 51.50 and mitigating strategies under 51.55.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And then the last bullet is the  
2 requirement to have at least one set of your licensing  
3 basis events, one element of the licensing basis  
4 events, to include a fairly traditional category  
5 design basis accidents that would rely only on safety  
6 related equipment, have perhaps some other  
7 conservatism as opposed to the best estimate analysis  
8 approaches that are usually associated with the PRA.

9           So we want to go to Slide 15. Out of the  
10 PRA, and to some degree out of the assessment of the  
11 design basis accidents, we have the safety  
12 categorization and identification of needs to have  
13 special treatment for equipment or personnel actions.  
14 We've used somewhat the existing terminology as it's  
15 been developed in for the operating fleet, the  
16 traditional safety related terminology somewhat  
17 looking at 10 CFR 50.69, the risk-informed  
18 categorization of equipment.

19           And then also more recently, the licensing  
20 modernization project that John Segala mentioned. The  
21 second category is the non-safety related but safety  
22 significant. Under the licensing modernization it's  
23 referred to as non-safety related with special  
24 treatment and has some criteria proposed for that  
25 category, and then non-safety significant, which would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be that equipment not warranting additional special  
2 treatment beyond commercial grade equipment.

3 So again, this is, we look at this along  
4 with the other analytical requirements under 450 I  
5 just mentioned and believe that one way to meet these  
6 requirements would be through NEI 18-04 for the  
7 licensing modernization project and its associated  
8 endorsement through Regulatory Guide 1.233.

9 So I think we can move on to Slide 16.  
10 Just a kind of continuation of that discussion, in  
11 particular what do we mean by special treatment. And  
12 just to, largely special treatment is those things  
13 that would need to be done, again, beyond just  
14 procuring this commercial grade equipment, to ensure  
15 that the equipment is able to perform under its  
16 service condition.

17 So this could be things like the radiation  
18 environments, the temperature, humidity conditions  
19 that might be associated with a particular event and  
20 so forth, and with the reliability that's assumed in  
21 terms of the probabilistic risk assessment. And so  
22 that might result for example in its inclusion in a  
23 reliability assurance program that would likely get  
24 captured under Subpart F in operations.

25 We expect to have, for example, in terms

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of configuration and reliability controls, tech specs  
2 to address at least the safety-related equipment and  
3 reliability assurance programs that would pick up the  
4 special treatment requirements for those, that  
5 equipment that's designated as non-safety related but  
6 safety significant.

7 We also include discussions of human  
8 actions and kind of looking at them in a way that is  
9 similar to equipment in terms of if human actions are  
10 needed to perform an operation, a change in state of a  
11 valve, or whatever, then the assessment would have to  
12 look at the ability of the people to perform that  
13 function.

14 So with that I think we can go onto Slide  
15 17. So this is the provision 53.470 that I previously  
16 mentioned, and this is the application of the  
17 analytical safety margins to operational  
18 flexibilities. And the analytical safety margins can  
19 support other things. They should hopefully support  
20 the ability to put together a simpler analysis or a  
21 simpler licensing application if the analytical  
22 margins want to be applied for that purpose.

23 In addition to that, and we've used this  
24 so-called bow tie figure in a number of previous  
25 discussions. In the far, and I didn't want to focus

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on the figure, but just for those who have, are not  
2 familiar, on the left side of the figure it has  
3 threats or events, internal, external, or malicious.  
4 You have a series of barriers which can be equipment  
5 programs, operator actions that are meant to prevent a  
6 plant damage state. And that's usually, for large  
7 light water reactors, the plant damage state that's  
8 normally used is core damage. We can use either core  
9 damage or fission product migration, whatever the term  
10 you want to use, but that's the traditional case where  
11 you're losing control of the hazard and in our case  
12 the hazard is the radiological materials.

13 And in the case you lose control of the  
14 hazard, on the right side or the mitigating measures  
15 that you put in place. And so those include for newer  
16 designs, severe accident design features that have  
17 been put in for the Gen III+ plants. Another barrier  
18 is the, or provision in the mitigation area could be  
19 the siting away from population centers. Certainly,  
20 emergency planning is usually considered to be a  
21 mitigation measure to be applied as necessary.

22 Then under societal benefits you have  
23 mitigation measures with the last one usually  
24 considered to be something like Price-Anderson to  
25 address the potential societal or economical impacts

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from the plant damage state.

2 So all of that talked about, what we're  
3 trying to set up under 53.470 is what we've seen as  
4 the most likely applications of safety margins to  
5 operational flexibilities.

6 And we have two that we're currently  
7 working on, and more that we're beginning to work on  
8 in areas such as staffing that might also be a case  
9 where we would apply safety margins to gain  
10 flexibilities. And we'll talk about that in future  
11 meetings. But let's pick one that we, or two, one or  
12 two that we've already have underway and we've  
13 previously discussed in various forums.

14 One major one is in the area of emergency  
15 planning. So we have a proposed rule out that  
16 basically lays out that if one can demonstrate through  
17 the analysis portions we previously discussed that the  
18 offsite consequence is less than a certain threshold  
19 with the current proposal being one rem over 96 hours,  
20 then you can take that into consideration in defining  
21 the emergency planning zone, in theory taking the  
22 emergency planning zone all the way to the site  
23 boundary, if you can show you meet that threshold at  
24 the boundary.

25 So how does one achieve that? One

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 achieves that by having attributes that either prevent  
2 the core damage state or at least prevent the release  
3 through another barrier like a structure. And so this  
4 provision is simply laying out in the analysis space  
5 the provisions for how that could be applied to other  
6 areas.

7 For example, emergency planning will  
8 likely be in Subpart F for operations and if you're  
9 going to demonstrate that the offsite consequences are  
10 below a certain threshold in order to gain flexibility  
11 in emergency planning, that has to be incorporated  
12 into both plant design and the analysis and then  
13 maintained over the life of the facility to make sure  
14 that you're always meeting those thresholds that were  
15 used to justify something like a reduced emergency  
16 planning zone or an alternate approach to population  
17 density in the siting arena.

18 So this is the way we're proposing to lay  
19 this out. I, you know, there have been some comments.  
20 And one we'll talk about today from some stakeholders  
21 would probably negate the need for this, if for  
22 example you simply said all advance reactors have to  
23 have margins, and then we will use the margins that  
24 are required to kind of generically say, now we can  
25 justify alternatives to areas like emergency planning,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 siting, staffing, et cetera, because by definition all  
2 plants meet this requirement by having the appropriate  
3 analytical margins. That's a possible approach. You  
4 know, that was talked about in previous discussions  
5 and our thought was, the agreement was, to keep it  
6 broad and to allow the trading of safety margins for  
7 flexibilities but not to require the safety margins.  
8 And so that's a point of discussion, and we'll have  
9 it, I know, through at least one of the comments we're  
10 going to get later in the day.

11 So I think we can go to Slide 18. The  
12 design control quality assurance requirements, this  
13 should look familiar to most. It's largely derived  
14 from Criterion III in the existing Appendix B to Part  
15 50. It has the same note in terms of the QA referring  
16 to generally accepted consensus codes and standards  
17 with the thought that if possible and if pursued, if  
18 there were other codes and standards, for example,  
19 other than ASME and QA 1 that could be proposed, then  
20 this language would allow that to be. For example, if  
21 someone wanted to say that ISO standards related to  
22 design control provided an acceptable level of quality  
23 assurance.

24 So going on to Slide 19; this is the last  
25 section within 53.490 within Subpart C, and it talks

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about the need to have design and analysis interfaces  
2 with other areas.

3 One example is given, is the configuration  
4 controls in Subpart F, and this has traditionally been  
5 the case that design activities lay out particular  
6 systems and trains. And then within configuration  
7 control like tech specs or technical requirements  
8 manual, you might get more specificity in terms of  
9 configuration control, allowed outage times, and so  
10 forth.

11 So it's really the same concept here.  
12 You're expected to get the design out of this subpart.  
13 The analysis performed here would then also support  
14 the establishment of configuration control, be it tech  
15 specs, reliability assurance programs, or some other  
16 measures, to maintain that during operations over the  
17 life of the facility.

18 So I think we can go on then to 20, which  
19 was just one last area. We didn't specifically  
20 address this within the discussions, but I lay it out  
21 as an area for us to possibly talk about and try to  
22 elaborate if there is a distinction between an  
23 inherent design feature and our kind of historical  
24 approaches to both active and passive safety features.

25 Inherent is usually looked at, well, it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sometimes looked at as a variation of passive and  
2 sometimes it's looked at as going beyond passive and  
3 being even superior to a passive system, in that it's  
4 simply relying on a natural process.

5 So a passive system may use something like  
6 the convection of air to provide cooling to reactor  
7 vessel or to a reactor cavity and that could be a  
8 passive in that it doesn't need electrical power,  
9 doesn't necessarily even need for a component such as  
10 a valve to change position. Whereas inherent would be  
11 something built in and you wouldn't even need to  
12 ensure that you could develop something like a pathway  
13 for convection to be established. So it might be a  
14 material property, a reactivity feedback coefficient  
15 or something that is even, you have a higher level of  
16 confidence in its performance even above a passive  
17 system.

18 And so the thought was, should we develop  
19 some guidance for further discussion on how inherent  
20 design features are possibly credited within the  
21 analysis and within the design? It's kind of an open  
22 question. I'll just leave it as a topic for  
23 discussion.

24 So I think that was my last slide. We,  
25 Bob, I'll turn it back to you. Did we want to just go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into the presentations and then open it up to general  
2 discussion?

3 MR. BEALL: Well, we have three raised  
4 hands, so let's go out and address those, okay? Is  
5 that okay with you?

6 MR. RECKLEY: Okay. That's fine.

7 MR. BEALL: Okay. I think the first one,  
8 Dennis from GE Power, you can unmute and ask your  
9 question or comment, please?

10 MR. HENNEKE: That's fine. Thanks, yeah,  
11 Dennis Henneke with GE-Hitachi; I am the vice chair  
12 for the JCNRM [Joint Committee on Nuclear Risk  
13 Management], which develops and maintains PRA  
14 standards for light water and non-light water  
15 reactors.

16 On Slide 14 you mention when we start to  
17 use the PRA, a number of things to unpack here. Let's  
18 talk about the fourth bullet under the first bullet,  
19 maintained and upgraded every two years.

20 So a PRA is developed per the standard and  
21 maintained per the standard and then the standard is  
22 endorsed by NRC and right now it's right down around  
23 1.200 and for a non-LWR to be through a different  
24 document.

25 First, the word upgrade has a particular

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meaning in the standard language and should not be  
2 used. It's updated. Upgrade means it requires a peer  
3 review to be redone in standard language, and so they  
4 can't force somebody to upgrade something every two  
5 years. An upgrade is a specific change that is a  
6 novel change that requires new peer review, so it's  
7 updated.

8 Second, the cycle of updates is determined  
9 by the change. So the standard has a change process  
10 and if a plant finds that there is significant change  
11 in insights, they may have to perform an immediate  
12 update, whereas otherwise they set up a cycle within  
13 their process, which is typically every two cycles,  
14 but every utility in existing has their own process,  
15 and then they update the PRA and the associated  
16 analysis on a regular basis. So I would not regulate  
17 the cycle. I would let the standard let you do that  
18 and just to say it's maintained and updated per the  
19 standard requirements.

20 On the second to the last bullet, PRAs,  
21 firstly PRAs do not assess fire protection, they  
22 assess fire hazards. Fire protection is a part of the  
23 fire hazard analysis and the PRA can do fire, no, fire  
24 PRA can be performed. We don't assess fire  
25 protection.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We also do not assess aircraft impacts.  
2           PRAs can be used to inform the aircraft and impact  
3           analysis or you can do it deterministically. There's  
4           no requirement to conflate to do any aircraft impact  
5           using PRA.

6           Some folks find it advantageous to do so  
7           and the methodology of it is there to do it but we  
8           would not assess, in the PRA, aircraft impacts. So  
9           there's a lot to be corrected on this.

10          As far as use of PRA for some of the  
11          following slides, for safety classification and so on,  
12          it seems to me that what you're, you're requiring an  
13          LMP type evaluation under Part 53 and it doesn't, if  
14          you're requiring PRA to be used for safety  
15          classification, I see no other way than LMP to do  
16          that.

17          You know, now the plants have been, some  
18          plants are going in the LMP type evaluation, but  
19          others have preferred not to and to go in with a more  
20          deterministic approach, with a PRA supporting it, but  
21          with a deterministic basis for safety classification  
22          and license-based events and so on.

23          So the requirement to use the PRA to do a  
24          safety classification is really a back door way to  
25          require LMP, and I think you should rethink what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you're trying to do there with regard to safety  
2 classification and the requirement to use PRA to do  
3 so. Thanks.

4 MR. BEALL: All right, thank you, Dennis.  
5 Do you have anything to add, Bill?

6 MR. RECKLEY: No, great comments. We'll  
7 look at those. Under the, for example under aircraft  
8 impact, that does show up under the provisions. It  
9 says, if not addressed by the PRA, you have to do it.  
10 Otherwise, and you know, we have to keep in mind that  
11 this rule is going be in place for a long time. And  
12 so, who knows 20 years from now what the PR -- what  
13 would be within the scope of a PRA? But, we'll, yeah,  
14 great comments. We'll look at the language and think  
15 about what you said.

16 MR. BEALL: Okay, Ed Lyman, Union of  
17 Concerned Scientists, you have your hands up. You'll  
18 have to please unmute your mic, and please ask your  
19 question.

20 MR. LYMAN: Hi, can you hear me?

21 MR. BEALL: Yes, we can, Ed. Go ahead.

22 MR. LYMAN: Great, sorry. Yeah, so a few  
23 comments or questions. So, on the safety, security  
24 interface section that Bill flagged, which I think is  
25 important, but I think it raises questions about how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you would actually implement the security aspects.  
2 So, I see that the language says something about  
3 resolving security issues, which is pretty vague. But  
4 my question is, do you think you would need to  
5 actually reference or incorporate the design basis  
6 threat into this world to ensure that security issues,  
7 quote, unquote, are being identified and addressed  
8 through the design and mapped? So it raises the  
9 question of, as you say, that PRA potentially evolving  
10 over decades.

11 Certainly the design basis threat and the  
12 adversary characteristics will. And that could render  
13 a judgment that you make at the design approval phase  
14 incorrect later on, which you would have to address  
15 through compensatory measures.

16 So, have you thought through all the  
17 complexities of what I'm asking, is my first question?

18 MR. RECKLEY: Probably not. But you have  
19 to look at Part 53 in how it would work with Part 73.

20 At this point, our initial thought was not to roll  
21 security altogether into Part 53.

22 But, so this would only be part of the  
23 picture. There may be changes to security either  
24 coming out of this, or coming out of related efforts,  
25 or future efforts. And they would probably go to more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your specific questions as it relates to security.  
2 For example, we would not undertake, under this  
3 assessment, to redefine the design basis threat. That  
4 will continue to be a security aspect that's done in  
5 that realm.

6 MR. LYMAN: Right, but I'm just saying  
7 there may be, you know, there are design aspects that  
8 may, the DBT and the adversary characteristics would  
9 have a bearing on whether it's a security issue or  
10 not.

11 MR. RECKLEY: Right.

12 MR. LYMAN: For instance, there's just the  
13 thickness and reinforcement of the structural walls,  
14 so.

15 MR. RECKLEY: Right, and that's what  
16 we're, that's what we traditionally try to encourage  
17 people to look at, as you're doing the design for the  
18 safety aspects, to also consider how it might help or  
19 introduce a weakness in security, so, right.

20 MR. LYMAN: Okay, my second comment is, I  
21 haven't been following these discussions as closely  
22 maybe as I should. So I was pretty shocked when I  
23 heard Courtney say in December, before the other NAS  
24 committee that's looking at advanced reactors, that  
25 some stakeholders are questioning the role of PRA, or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the nature of PRA as part of this rule.

2 And that seems, you know, absurd to me  
3 given all the emphasis that's been put in on risk  
4 controlling it. But I guess I'd like to point out  
5 that NEIMA doesn't require you to have a risk-informed  
6 rule. They just thought that it should be technology  
7 inclusive. The language is, doesn't say risk-  
8 informed.

9 So, you're free not to make this  
10 deterministic rule where it's to allow, you know,  
11 applicant to continue with Part 50 if they choose with  
12 exemptions, in its deterministic analysis. But to  
13 question the need for a high quality and accurate, as  
14 accurate as possible, stated in the PRA as part of  
15 this is ridiculous from looking at the history.

16 My last point on the operational  
17 flexibilities issues, which I have issues with, but I  
18 think that what you're talking about does violate the  
19 intent of NEIMA, that reactors that qualify for use of  
20 this rule would have substantial improvements compared  
21 to the current generation of reactors. And this,  
22 incorporating this operational flexibility option,  
23 would seem to undercut that.

24 And but, I'm also wondering hypothetically  
25 if the Commission were to modify its Advanced Reactor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Policy Statement to now require the reactors, let's  
2 say that qualify under this rule, to have clear and  
3 consistent increased safety margin for the public.  
4 And that has to be maintained.

5 And we just caution you that maybe, you  
6 know, anything is possible and that may be something  
7 you're looking at for the future, because that makes a  
8 whole lot more sense than the framework that you have  
9 now, and would be consistent with the intent of NEIMA.

10 Thanks.

11 MR. RECKLEY: Okay, thank you, Ed.

12 MR. SEGALA: Hey Bill, this is John  
13 Segala. I just wanted to add, in NEIMA when it  
14 defined -- it has a definition section. And when it  
15 defines what technology inclusive regulatory framework  
16 is, it says it, means a regulatory framework developed  
17 using methods of evaluation that are flexible and  
18 practical for application to a variety of reactor  
19 technologies, including, where appropriate, the use of  
20 risk-informed and performance-based techniques or  
21 other tools and methods.

22 MR. LYMAN: Right, and where appropriate  
23 it the key language there.

24 MR. SEGALA: Yes.

25 MR. LYMAN: Because it is with total

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 discretion.

2 MR. RECKLEY: I think we would agree with  
3 you, Ed. I think this is a conscious choice on our  
4 part that, as I mentioned earlier, it's an evolution  
5 of the use of probabilistic risk assessment. And if  
6 you look back over the decades, we just think this is  
7 the next step on its application.

8 But I'd agree with you that it would be  
9 over reading NEIMA to say we needed to do this.

10 MR. LYMAN: Risk-informed without a PRA is  
11 meaningless, that's my --

12 MR. RECKLEY: Okay, additional hands?

13 MR. BEALL: Yes, we have one, Mr. Kee,  
14 Ernest Kee.

15 DR. KEE: Hi, thank you, Bill. It's a  
16 very informative presentation. I have a very, I made  
17 this comment on the federal rulemaking website, but  
18 you know, NEIMA says innovation. And what I'm afraid  
19 of, and from what I'm hearing, in the last, this one  
20 and the previous public meeting, is the innovation  
21 part might not be emphasized, in my view, enough.

22 I feel like we're going down the same path  
23 that we followed in 50, in Part 50. And I would like  
24 just for people to think about this as a possibility  
25 to allow actual commercial operation of these advanced

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactors.

2           And that's this, if focused on  
3 containment, that's risk-informed. So, there's been a  
4 lot of work in containment analysis for various kinds  
5 of accidents. And I think, my thinking is  
6 containments can be designed to accept a full on core  
7 damage event, what we used to call 'core-on-the-floor'  
8 event.

9           And they can be designed with high  
10 probability of success against release. And the  
11 reason I'm going here is because I feel like the  
12 Commission -- well, risk-informed, so risk-informed.  
13 Where's the risk, from the Commission's point of view,  
14 is exposure to the public, right. And so, you'd have  
15 to contain an event.

16           And what I've seen, even in the Gen II and  
17 reactor experience now, is every one of them has  
18 resulted in some level of radioactive release, above  
19 what you have pointed out as being a normal release  
20 level. So, in order for every reactor, for all the  
21 different designs to be able to be licensed under this  
22 new regulatory framework, I feel like it would be  
23 proper to focus on containment.

24           And allow -- so we'd have two levels.  
25 Containment would be under regulation and would follow

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basically the same kind of requirements that we have  
2 now, like in Appendix A. But the rest of the process  
3 part, these vendors are doing a lot of work in  
4 analysis to ensure these things don't break down,  
5 don't have a core damage event.

6 And I think those should be relegated, all  
7 that process internal, what you call internal hazards.

8 The core damage events should be relegated to  
9 commercial standards. And so there would be two  
10 levels. And containment would be the focus of the  
11 NRC.

12 This would allow different technologies to  
13 be built under the same kind of a standard without  
14 having to focus on their various different, you know,  
15 types of technology they employ. And the performance  
16 part, performance based part I think could be -- this  
17 is my opinion -- could be the NRC's oversight and  
18 enforcement that the commercial standards committed to  
19 would be properly maintained.

20 So, that's my comment. Thank you for the  
21 presentation and listening.

22 MR. RECKLEY: Just a quick question back  
23 to you, Dr. Kee. What I have for you is, would that  
24 apply -- in the advanced reactor realm we've shifted  
25 over to some degree to talk about functional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 containment, because that function may not be served  
2 by a traditional structure.

3 Would your argument equally apply to a  
4 functional containment where that attenuation or  
5 preventing the release is served by something other  
6 than a structure?

7 DR. KEE: Yes, but I think the key --  
8 there's other things too, I point out in my comment  
9 that need to be looked at. But the point I'm trying  
10 to -- I think the inherent design feature that you all  
11 have pointed out is probably operative here. And I  
12 think that's what you're hinting at.

13 That generally, the expectation would be,  
14 you could walk away from this. This is very similar  
15 to something I got involved in before. You know, we  
16 talk about 96 hours in one rem. I don't think that's  
17 the right attitude.

18 The right attitude is the containment  
19 following an accident has to be there in place. How  
20 long has it been since Fukushima, I mean it's years,  
21 right? So this thing has to be very well built, but  
22 by focusing on the containment end. And it has to  
23 have defense-in-depth, it has to have safety more. I  
24 think it has to be safe for the public to have  
25 confidence in this kind of new technology. We have to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be safe, but I think we can do that.

2 And I think the best way to think of  
3 outages is what you said, is these inherent safe  
4 design features are, I'm sorry, yeah, inherent design  
5 features as you refer to them. Yeah, I think that's  
6 what I have in mind.

7 MR. RECKLEY: Okay, thanks. Bob, or maybe  
8 we can go over to Cyril's presentation.

9 MR. BEALL: Yes, we can move on now. That  
10 was the last hand.

11 MR. DRAFFIN: Okay, thank you. This is  
12 Cyril Draffin with the U.S. Nuclear Industry Council.  
13 We'd like to start with some opening comments from  
14 Jeff Merrifield.

15 MR. MERRIFIELD: Thank you very much,  
16 Cyril. I'd like to thank NRC staff for providing an  
17 opportunity for us to give our comments on parts C and  
18 F. Can I go to the next slide, please?

19 One of the things I just wanted to say up  
20 front, given the timing of when these materials were  
21 made available. And I think that was around, oh, I'd  
22 say December 18th, we have been limited in our ability  
23 to take a detailed look at this, more as a function of  
24 the holidays. And now we still got, we did get  
25 together on a variety of occasions and have worked to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 provide some comments.

2 We have detailed comments on our feed.  
3 We'll be providing those later in the meeting. But we  
4 feel it's going to take us a little bit more time,  
5 particularly having had an opportunity to hear the  
6 presentation this afternoon, to give you a more  
7 detailed assessment.

8 One of the elements I think is important  
9 in that analysis is really going to the Bullet Number  
10 4 is in order to understand how this all works  
11 together, we're really going to need to get a better  
12 understanding of other elements that are being  
13 prepared by the NRC and its contractors. Some of  
14 which you've telegraphed your intentions, others of  
15 which I think it will be necessary to take a look at  
16 it in more detail to see how all of thing hangs  
17 together.

18 Really there's the sense of understanding  
19 the totality of what you're trying to do. And  
20 obviously that will help put the subparts in context  
21 and be able to make a more detailed response.

22 Next slide, please. I think, you know, we  
23 certainly appreciate the extraordinary work that the  
24 staff has put into these efforts. I think the  
25 explanation that Bill provided, provides some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 additional insights into the direction you all are  
2 going. I think we would certainly like to have  
3 opportunities to engage today and elsewhere to get a  
4 better sense of that.

5 One example that I think is the issue of  
6 Subpart F. We're attempting to create a Facility  
7 Safety Program. In our initial review, it was unclear  
8 to us what you were intending to address by this and  
9 what would be included. And I think having a dialogue  
10 today to understand that is going to be helpful.

11 I will admit up front, I think based on  
12 our initial review, there was significant doubts on  
13 the part of the advanced reactor community as to the  
14 utility of Subpart F.

15 Now, this may be of greater interest,  
16 given its operational nature, to future users. But I  
17 think in order for us to provide a more detailed  
18 understanding, we're going to have to certainly get  
19 into that in greater depth.

20 There have been some comments previously  
21 relative to Subpart C and the elements that were  
22 included on Page 14. I think we've got some members  
23 of our group that believe if you have a very small  
24 reactor, a microreactor, and perhaps others, having a  
25 full blown, full scope PRA doesn't make a whole lot of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sense. There may be some more deterministic ways of  
2 meeting adequate protection. And as is pointed out,  
3 NEIMA does not require a PRA. And so for that reason,  
4 we've got some questions on that issue. And certainly  
5 we'll raise that more.

6 We do want to be constructive today, and  
7 so part of our testimony -- and we've got a variety of  
8 people who will be talking today -- part of it will be  
9 to raise what we think are some questions regarding  
10 how you all want to implement the draft rule. Getting  
11 a better understanding of that intention will  
12 certainly put us in a position to provide more  
13 detailed comments in the upcoming weeks.

14 Next slide: one of the things we would  
15 like to suggest, there's a format that we have gotten  
16 ourselves into where the staff prepares certain  
17 elements of what you want to have in the rule. And  
18 then you send that our direction, and we prepare  
19 comments, we send that back.

20 And we think that there is a utility in  
21 trying to create more of a workshop format, where we  
22 could have a discussion and really try to garner the  
23 total picture of what the proposed rule is intending  
24 to do. And really go beyond commenting just on the  
25 individual subparts.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We would certainly suggest after we've had  
2           an opportunity to give additional comments on Subparts  
3           C and F, perhaps reconvening at some point within the  
4           next three to four weeks and have a more open-ended  
5           dialogue about the expectations for Part 53, and how  
6           things should be going forward.

7           It would also as part of that, be helpful  
8           for us to understand, you know, what part or parts of  
9           10 CFR that the staff intends to incorporate by  
10          reference or otherwise in Part 53, because that  
11          obviously plays into the total picture.

12          A couple of things I want to mention that  
13          were raised in the meeting earlier. There was  
14          references to Slide 6. One of the elements, that is a  
15          chart that I understand where it comes from. The  
16          Agency is trying to work through, or the staff is  
17          trying to work through these various elements on an  
18          aggressive agenda in order to meet the focus of the  
19          Commission.

20          A couple of things I'd say in that regard.  
21          Number 1, at the end of the day, I think we all need  
22          to be mindful that we need to get this right and we  
23          need to put the time into it that's needed to get a  
24          rule that's going to be used and useful. While  
25          certainly meeting the Commission deadline is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 important, I think we need to make sure we use  
2 sufficient time to make sure that we can understand  
3 what is being intended, and get it in a function that  
4 people will be able to use.

5 As it relates to the individual elements  
6 of that chart, on Slide 6, for example it notes that  
7 the safety criteria will be closed on February 21st.  
8 Now, as was noted by Nanette and by Bill, there is an  
9 opportunity for some look-back, but I think there's an  
10 effort to sort of drive this toward a date in the  
11 future, 2024.

12 From my personal standpoint, I don't think  
13 this is a discussion about trees. This is a  
14 discussion about the forest. And so, you know, my  
15 view and I think it would reflect many of our members,  
16 any of those issues remain open until the totality of  
17 the package is complete.

18 Because this is a, it is a living  
19 document, it is a living rule. And until we get a  
20 complete picture of what it's going look like, I don't  
21 think you can really effectively say that anything is  
22 fully closed out.

23 In terms of staffing and timing, I do want  
24 to make a note. You know, in earlier days and I'm  
25 going back to a decade or more ago when we were doing,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 preparing rules like this. And we had large  
2 integrated companies that design these reactors, I  
3 mean there would be leagues of experts that would be  
4 brought into, in various elements of these rules.

5 With the advanced reactor community, these  
6 staffs are a lot smaller. And so, I think we do need  
7 to be mindful in how we approach all this. There are  
8 stresses in terms of staffing. Again, we want to make  
9 sure we get it right.

10 The final bullet I have here really goes  
11 to the notion of a phased licensing approach. This is  
12 one that we've talked about in the past. It is one  
13 that is reflected in NEIMA. We certainly would like  
14 to understand as it relates to the staff's plans  
15 relative to Part 53, how that would come about, and  
16 how that would be incorporated in the rule?

17 The final notion, there were some comments  
18 made earlier regarding what was intended within NEIMA  
19 relative to advanced reactors, in the definition of  
20 what is meant by significant improvements compared to  
21 commercial nuclear reactors.

22 And I want to clarify for the record,  
23 there were a series of criteria lettered A through H,  
24 additional inherent safety features, significantly  
25 lower levelized cost of electricity, lower waste

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 yields, greater fuel utilization, (E) enhanced  
2 reliability, (F) increased proliferation resistance  
3 (G) increased thermal efficiency; or, and I underline  
4 the word or, which from a legal standpoint is quite  
5 noticeable, (H) the ability to integrate into electric  
6 and nonelectric applications.

7 So, as you read that definition in its  
8 totality, there is no driver toward requiring enhanced  
9 safety features. As long as the designs that you are  
10 to review meet the adequate protection standards, that  
11 is perfectly fine.

12 If there is a reactor design that comes in  
13 front of you, and has an enhanced ability to integrate  
14 into electric and nonelectric applications as  
15 indicated in H, that would be perfectly consistent  
16 with NEIMA. So, just wanted to clarify for that  
17 record, that for the record, because there was an  
18 inaccurate representation of that. Thank you very  
19 much. Cyril.

20 MR. DRAFFIN: Thanks. On the next slide  
21 our goal for today is, the NRC and the industries, is  
22 to both have a better understanding of Part 53 by the  
23 end of this meeting. We're providing a response to  
24 the topics NRC raised. And we are also going to  
25 provide additional comments.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So we'll start on design analysis for the  
2 topics that the NRC raised in their materials that  
3 they provided in December.

4           For Part 53.420, and these are preliminary  
5 responses as Jeff indicated, they're talking about the  
6 approach for specific event categories. And we think  
7 this is useful. It's an accepted structure provided  
8 that there's a use for those specific categories in  
9 the rule structure. And those would be beneficial to  
10 put in.

11           Regarding 53.430 which deals with  
12 occupational dose, we recommend that occupational  
13 safety not be included in Part 53. That was one of  
14 the questions that you'd raised. We don't think it's  
15 appropriate to regulate occupational dose one way for  
16 advanced reactors and another way for the current  
17 fleet. And just rely upon Part 20, which already  
18 exists.

19           As far as 440, you raised the question of  
20 generally accepted. Now, generally accepted is  
21 currently used in Part 50 and 52. But it's an  
22 uncertain phrase and, you know, it provides latitude.  
23 But as, we think this might be addressed in review  
24 guidance and Bill alluded to that in terms of the use  
25 of consensus standards and codes, and how that would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be done. But not as a requirement, as a license  
2 requirement to -- so we think it follows a little bit  
3 of thinking it through in terms of how this would  
4 actually be done.

5 On the next slide, to continue with  
6 comments that the NRC had raised, they asked whether  
7 qualified was okay. We think it is. In talking about  
8 the identification and treatment of human actions,  
9 we're not quite sure what information the NRC needs,  
10 and so clarification would be helpful.

11 And the topic that Bill raised at the end  
12 regarding inherent design features, we do think that  
13 advanced reactors offer that as a capability. But  
14 it's vitally important to understand how these  
15 inherent features would be credited within the context  
16 of satisfying the proposed regulation.

17 In other words, it's not just thinking  
18 through how, what the inherent features are in the  
19 advanced reactors, and then make sure they come out  
20 reliable. But how is it going to be used? How would  
21 it be credited? And whether that's really a question  
22 for regulation or something could be used in terms of  
23 supporting the analysis.

24 So those are some initial reactions to the  
25 questions the NRC had raised. But we wanted to go on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and provide some additional detail. So on the next  
2 slide, on discussion of safety and security, Steve  
3 Nesbit, could you provide a little background on this  
4 one?

5 MR. NESBIT: Sure, thanks, Cyril.

6 We, first of all, we just wanted to point  
7 out that, you know, we don't think that we're  
8 ultimately going to need to address security in the  
9 safety analysis report. That it's better to deal with  
10 it the way that it is currently being dealt with in  
11 light-water reactor space, which is to put that  
12 safeguards type information in the security plan.

13 Getting to the proposed requirement, the  
14 Part 53 requirement, which I'm repeating here, safety  
15 and security must be considered together in the design  
16 process such that, where possible, security issues are  
17 effectively resolved through design and engineered  
18 security features. I think we agree that that's the  
19 right way to, or the optimal way to address security  
20 in your design, but we don't agree with the statement  
21 as a regulatory requirement. And the reason is that  
22 it addresses the design process, not the resulting  
23 facility.

24 Like I said, we agree with the sentiment.  
25 In fact I went back to the NRC Policy Statement and,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you know, the Policy Statement notes that the NRC  
2 believes it's in the interest of the public, vendors  
3 and license applicants to address security issues  
4 early in the design stage to achieve more robust and  
5 effective security posture for future nuclear power  
6 reactors.

7 So that is what the Commission had to say,  
8 but translating that into a security requirement in  
9 Part 53 is potentially problematical. We think that  
10 you need to assess the adequacy of security against  
11 performance requirements.

12 Now, we'd like to see the current  
13 requirement structure for security maybe addressed a  
14 little bit, so that it's more performance based. It's  
15 rather prescriptive right now. At any rate, you need  
16 to make that assessment against what the requirements  
17 are, not how you got to your ultimate security design.

18 So that kind of leads to a question, and  
19 the question is, suppose you've got an advanced  
20 reactor applicant and the facility meets all the  
21 safety and security requirements. However, when you  
22 delve into it, you determine that safety and security  
23 weren't actually considered together in the design  
24 process, which is the requirement.

25 Would you refuse to grant a license at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that point, even though the facility has been safe and  
2 secure? Would you require a licensee to get an  
3 exemption because they didn't do it exactly the way  
4 you wanted them to? So, that's the perspective we're  
5 coming from. And we think that that requirement might  
6 be problematical for that reason; back to you, Cyril.

7 MR. DRAFFIN: Thanks.

8 On the next slide, we have some additional  
9 comments regarding design analysis in 450. There's a  
10 term of contributing factors to unplanned events.  
11 It's unclear, so perhaps you could clarify,  
12 contributing to what, the probability, the  
13 consequences? And indicate whether that's referring  
14 to prevention, or mitigation, or both, so just a  
15 clarification would be helpful.

16 And then on 450(b)(5) there's a discussion  
17 of plant control. And it would be helpful if NRC  
18 could clarify what is meant by plant control. And  
19 what was the goal of that section?

20 On the following page, still staying with  
21 the 450, there was discussion earlier today regarding  
22 the PRA. And we certainly see the benefits, industry  
23 sees the benefits of doing a PRA, but and while it is  
24 consistent with the LMP, the PRA insights should  
25 complement and inform the safety review, but the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       submittal of a complete PRA should not be required.  
2       In other words, doing one would be beneficial, where  
3       you could pull out the insights, the analysis. It  
4       helps you in your design, but putting in the whole PRA  
5       should be a choice and not a requirement.

6               And we also raised a couple specific  
7       questions such as, how does the Agency intend to  
8       address microreactors and other designs that want to  
9       pursue a deterministic approach for selected portions  
10      of its application, such as seismic events? And, you  
11      know, just explicitly, is a PRA needed for  
12      microreactors? So it's, we've had some of that  
13      discussion today, but I think we need, you know,  
14      probably more robust discussion of how we would  
15      actually, the actual language that would be used and  
16      the intent and the flexibility that would be allowed.

17             Under 53.490, there is a discussion of  
18      control of interfaces, but it may be referring to  
19      change management or configuration management. And  
20      we've included the last sentence there, but it's not  
21      clear what the intent of that requirement is.

22             And then even more specifically, there is  
23      discussions of what's the state of technology and  
24      economics of improvements? Is that something that's  
25      done once or continuously? What does it mean to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 consider risk reduction measures?

2 Does NRC plan to provide guidance for the  
3 economics of improvement after defining it? And what  
4 does this imply for licensees? Must backfit if  
5 someone can identify an enhancement? So flushing that  
6 out with more detail would be helpful.

7 So that's our comments on the Subpart C  
8 and again as Jeff indicated, this is preliminary and  
9 we will be happy to work with NRC on more details and  
10 provide more analysis and insights later. Thank you.

11 MR. RECKLEY: Okay. Thanks, thanks Cyril.

12 Just to kind of quickly go through some of  
13 those and again, appreciate the comments, coming up  
14 with the right language is always a challenge. And  
15 maybe a word or phrase that we use is, could be better  
16 developed.

17 But kind of quickly going through your  
18 short list of specific questions, contributing factors  
19 to unplanned events, we meant that in the broadest  
20 sense. And that was just because we gave a couple of  
21 examples, but they're not all inclusive of things that  
22 can contribute to an event sequence, in that what we  
23 meant, would apply to both those things that would  
24 address both consequence and frequency. Because  
25 that, we see both of those variables as being

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 important in how we were laying this out.

2 The same with plant control and safety  
3 system failures and maybe there's better language.  
4 But we just meant that you need to look beyond the  
5 performance of actual safety systems, since other  
6 systems, normal operating systems, control systems,  
7 could contribute to initiating events that then are  
8 part of the sequence that needs to be assessed.

9 But again, maybe there's better language  
10 that we could use. You've already talked about the  
11 PRA. As it's written, microreactors would be required  
12 to do a PRA. We had numerous discussions during LMP,  
13 the licensing modernization.

14 And we're generally hoping, I'm not a PRA  
15 guy, but we were generally hoping that microreactors  
16 or other designs that are simpler by nature, fewer  
17 components, fewer parts overall, would be able to  
18 still do a PRA. And by nature the PRA would be  
19 simpler, because the plant is simpler.

20 If that is not thought to be the case,  
21 then we can -- again this, the whole reason to put out  
22 the preliminary language and have these discussions is  
23 to make sure there's a common understanding. And that  
24 we don't need, we don't end up being overly burdensome  
25 if it's not required.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We are looking at guidance and the  
2 development of guidance perhaps as a supplement to  
3 this. If you go, and maybe we can quickly go, Liz, if  
4 you could go to the first backup slide. I hate to ask  
5 you do that, because it's at the long end of a line  
6 here.

7           But this, this slide -- and we've used  
8 this in previous discussions as well. And it goes  
9 somewhat to Dr. Kee's point that in the end, what  
10 we're interested in is the risk to the public, which  
11 is decided upon or determined by how much radioactive  
12 material is actually released.

13           And so we are looking to the degree that  
14 reactors -- and this is a simplified model of a  
15 mechanistic source term and it's reflected in some --  
16 again, previous presentations. Also some reports that  
17 you'll find on the reference list within the advanced  
18 reactor's webpage. Both reports prepared by Sandia  
19 and Idaho on mechanistic source term, to see if  
20 there's a way that we could simplify the overall  
21 process.

22           Because in the end, if you are able to  
23 successfully contain the material, which is reflected  
24 in the inventory black box there, you should be able  
25 to kind of stop the process as soon as you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 successfully prevented the release.

2 And so to the degree that we can start to,  
3 through either the mechanistic source term model,  
4 which is inherent within the PRA model, or somehow  
5 come up with either an alternative or perhaps guidance  
6 that says this is effectively the same. You still  
7 have to do an assessment of all of the initiating  
8 events. But in terms of how far you carry the  
9 sequence, maybe only carrying it -- and I think this  
10 was what we were thinking, but maybe it's not  
11 reflected in the PRA standard, you only need to take  
12 it as far from a regulatory perspective as the first  
13 success criteria in terms of retaining the material.

14 But anyway, we can go back now. I'm just,  
15 this is an opportunity and a discussion point that if  
16 the fear is that the cost of doing PRA is unwarranted  
17 and there's a cheaper way, a simpler way to do the  
18 assessments, that would be perfectly consistent with  
19 the Advanced Reactor Policy Statement and where we  
20 want to go, in that simpler designs, those with  
21 attributes that are identified in the Advanced Reactor  
22 Policy Statement, can get by with simpler analyses and  
23 simpler licensing, so long as they can demonstrate  
24 that you end up in the same safety space.

25 So, anyway it's good discussion. We'll

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certainly talk about this internally. And we can talk  
2 about it, as you say, as you've had more chance to  
3 talk about it at the -- and we can bring it up at the  
4 February meeting.

5 And then the last part about state of  
6 technology, economic improvements, we'll actually talk  
7 about that under the Facility Safety Program in the  
8 next discussion. But the general interface here as  
9 you mentioned was just to make sure that whatever you  
10 do in the design and the analysis phase, the other  
11 subparts related to construction and operations needs  
12 to maintain the validity of those analyses and the  
13 functional performance of the plant features that have  
14 been incorporated into the design.

15 So, but on the last bullet, we'll get to  
16 that in the next segment on the Facility Safety  
17 Program.

18 So, I think with that I see it's ten till  
19 2:00, so we're kind of running out of time on this.  
20 We have Marc Nichol, I think, has his hand up.

21 MR. BEALL: That's correct. Marc, you can  
22 unmute and ask your question or provide any comments  
23 please.

24 MR. NICHOL: Yeah, thanks Bill, can you  
25 hear me.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BEALL: Yes, we can.

2 MR. NICHOL: All right, great. Thanks,  
3 this is Marc Nichol, Nuclear Energy Institute. I have  
4 very similar comments to USNIC's so I won't repeat  
5 ones that they may have. But I will start off with  
6 one that Jeff Merrifield made.

7 And just note that because this  
8 information was released on the 18th, before most  
9 people went on vacation, I haven't had a chance to  
10 really convene with our members on it, or even  
11 internally within my organization. So, I preface  
12 everything I'm about to say as my personal views and  
13 not representative of an industry position.

14 I would start out based on the whole risk-  
15 informed PRA conversation since it's been buzzing  
16 about. And I think it merits its own topic of  
17 discussion at a future meeting. The reason I say that  
18 is because I think everybody has a different  
19 perspective on what risk-informed means, and  
20 specifically what it should be in Part 53.

21 And so getting on the same page in terms  
22 of first, what does risk-informed mean, and then two,  
23 what do we want it to be in Part 53, is important. I  
24 will say, even within Part 50 and 52, a PRA is  
25 required. I don't imagine that we'll be able to get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 away from, you know, not having any requirements for a  
2 PRA.

3 And I think generally most of industry is  
4 planning to have PRAs, even if somebody is looking at  
5 a very deterministic approach. They may have a  
6 rudimentary PRA. So I don't think the risk is in  
7 having, is in one, an industry wanting no PRAs.

8 But now that said, we should make sure the  
9 rule is flexible and within that, especially within  
10 this risk-informed approach. I sort of view what the  
11 NRC has been proposing is more of risk-based approach  
12 rather than what I would consider a risk-informed  
13 approach. And like I said, others may have different  
14 views on what those terms mean.

15 And I take that the proposals for QHOs in  
16 the rule, these very strict and prescriptive  
17 requirements on PRA, and I'm not saying that's a bad  
18 thing. It's just a different way to write the rule.  
19 And I think if we do that, we want to be intentional  
20 about it. I do think risk-based does tend to limit  
21 flexibility in what can be done. But that's just, you  
22 know, one thing to consider.

23 The other thing I'd like to say is that,  
24 just taking the totality of Subpart B, C and F, it  
25 seems to me, and I could be reading more into it than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what's there, or misunderstanding what's being  
2 proposed, but it really appears to me that the  
3 requirements that are being proposed for Part 53 are  
4 more burdensome and prescriptive than what's in Part  
5 50 and 52. And it's a little bit counterintuitive for  
6 me, because advanced reactors are going to be simpler,  
7 have higher levels of safety, and rely more on  
8 inherent safety features, less on human actions. So  
9 you think that it would tend to go the other way.

10 And, you know, we, you know, another  
11 metric to that is there seems to be information being  
12 proposed in Part 53 rule text that to me would  
13 historically, or should, be in guidance. And so the  
14 increasing prescriptiveness is a little bit concerning  
15 to me. So, I just say that as another sort of broad  
16 comment to think though.

17 We did, in our comments on Subpart B, try  
18 to propose an alternative, which we think is aligned  
19 with the NRC's original proposal. But what we believe  
20 would be much more performance based, flexible, and  
21 easier to read.

22 The other thing I wanted to mention, I'm  
23 still trying to get through this information on  
24 Subpart C. It's complex and I'm trying to figure out  
25 how all the terms work. Some of them seem to be used

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in a different way than Part 50 and 52. And I'll just  
2 take design criteria.

3 So, in Part 50, 52 those are general  
4 design criteria. They're in my mind, I sort of call  
5 them safety functions. They're not the fundamental  
6 safety functions, but they're, you know, they define  
7 safety functions for the plant.

8 But design criteria in Part 53 seems to be  
9 criteria for a particular design feature. And so that  
10 seems to be a lower level item within that design-flow  
11 process. And it's, you know, to me it didn't appear  
12 to be the same type of use of the term.

13 It's even not clear to me what design  
14 features mean. Are we talking about system structures  
15 and components that provide safety functions? It  
16 didn't appear to be the case, but, you know, that  
17 would be the more traditional use of that.

18 And then even the safety functions, they  
19 appear to be the fundamental safety functions, which  
20 is fine if that's how we want to structure it. But,  
21 you know, there may be this missing gap of what are  
22 the functions that the plant needs to provide to be  
23 able to assure safety?

24 And then within that whole construct, the  
25 way it's written up seems to be that design features,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and so this would SECs, are the only ways to  
2 accomplish a safety function. That's there's no --  
3 that programmatic controls obviously support the --  
4 you know, enable to do that with confidence.

5 But it didn't seem to allow for human  
6 actions to be able to fulfill safety functions. And I  
7 don't believe that's the intent, but that the way I  
8 read the rule. So I wanted to make sure you knew  
9 about that.

10 There was one slide in there that talked  
11 about the requirement to analyze fire, aircraft, a  
12 couple of other things, and my question is, well what  
13 if, for a given design a fire and aircraft impact  
14 aren't actually important? You know, why should we  
15 require these in a very prescriptive way? If we do it  
16 more performance based and, you know, those would be  
17 to me, those would events that you would need to  
18 analyze.

19 And so within the design process, an  
20 applicant would determine is a fire, is an aircraft  
21 impact, are those events that are important for me to  
22 consider in my design? Or are they consequences such  
23 that, you know, there's no potential harm to the  
24 public, so that I don't even have to design against  
25 them?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I was interested, and maybe we'll get to  
2 this in Subpart B, but you had a requirement in there  
3 for mitigation beyond design basis events. But if you  
4 already required the quantitative health objectives, I  
5 wasn't sure why we also need to mitigate beyond design  
6 basis events, that if mitigation is necessary, it  
7 would have been caught up in compliance with that QHO,  
8 so, that may be a topic for later discussion.

9 You had a question about safety related  
10 versus special treatment, and non-safety related. I  
11 tend to think we don't have to specify those terms,  
12 that we could allow different approaches by not  
13 specifying them in the requirements, and some may use  
14 those terms exactly the way you define them. Some may  
15 use different terms, or use them in different ways  
16 based on their approach.

17 But the reason I say I don't think it's  
18 necessary to use those terms in the requirement is  
19 based on our alternative proposal of the safety  
20 criteria where we talked about adequate protection,  
21 and extra-adequate protection. And if you then start  
22 to align various requirements around that, you can do  
23 it without having to actually use those terms, I  
24 believe.

25 You asked a question about inherent safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 features. I think these definitely merit further  
2 consideration. You know, whether they should be  
3 included or I guess addressed in the regulations,  
4 specially or not is a good question. I think it is  
5 possible to address them in guidance.

6 And in my mind, the difference between an  
7 inherent safety function, and I'll just say an active  
8 safety function, is in what types of programs do you  
9 need to be able to assure that that component will be  
10 able to satisfy its given function at the time  
11 necessary, at the time it needs to be relied upon?

12 And what additional defense-in-depth, or  
13 what defense-in-depth may you not need since it's  
14 inherent, that you might otherwise need for an active  
15 component?

16 There was some good discussion about  
17 security. I liked Steve Nesbit's discussion. I  
18 agreed with him. I wrote a note off to the side, is  
19 that the requirements for design should be focusing on  
20 the resulting design, or the design that is the  
21 product of this whole design process and the adequacy  
22 of the design itself as an outcome.

23 Certainly there is going to be a need for  
24 the NRC to have some assurance over the process  
25 itself. But we should really focus in on that minimum

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 amount of the process, the design process that the NRC  
2 needs to assure in order to have confidence that the  
3 resulting design is adequate. So, for example QA or  
4 design control, if designs change over time.

5 I was really curious about the requirement  
6 at the very end, I think of the PRA section, where you  
7 now require a deterministic evaluation of the design  
8 basis accident. And I was really curious why we would  
9 need that if you've already gone through a very  
10 probabilistic approach?

11 It didn't seem to be necessary. And this  
12 actually ties back to the conversation about, are we  
13 headed in a risk-based approach, or a risk-informed  
14 approach? And how do you allow flexibility?

15 In the way that it's been written up, I  
16 would think, you know, you've got the QHOs. You've  
17 got these prescriptive requirements for PRAs. They  
18 wouldn't need to do a deterministic, you call it  
19 complementary analysis.

20 But perhaps somebody that didn't utilize  
21 the PRA in such an extensive manner, perhaps they do  
22 need to have some deterministic analysis to give  
23 greater confidence, but there was a thought there.

24 So with that, I do also agree with Jeff  
25 Merrifield's comment about, we're diving deep into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 different topics and not really seeing how it relates  
2 back to the big picture. This was one of the things  
3 we had flagged in our October letter and why we  
4 recommended a systematic approach.

5 I think we're starting to see the friction  
6 of not having that picture put together at the  
7 beginning of the project. We also provided in our  
8 last letter, project requirements, or success criteria  
9 which I helped, I think helped put together that  
10 bigger picture.

11 But I would also encourage, as Jeff did,  
12 having a discussion on how do these things fit  
13 together, you know, so that there's a much better  
14 understanding of where we're headed. That's the end  
15 of my comments. Thank you.

16 MR. RECKLEY: Okay, thanks, Marc; yeah, a  
17 lot of material there. We'll go back and look at  
18 those. And some of them we'll be talking about later  
19 when we get to the Subpart B discussions, so anyone  
20 else, Bob?

21 MR. BEALL: Yes, Peter Hastings, you have  
22 your hands up. Please unmute your mic.

23 MR. HASTINGS: Thank you, can you hear me?

24 MR. BEALL: Yes, we can.

25 MR. HASTINGS: Just a, this is Peter

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Hastings with Kairos Power, and just a couple of  
2 complimentary comments to NEI's and USNIC's comments,  
3 but to emphasis a couple of points. And I'll be as  
4 brief as I can.

5 When there's two terminologies, and one of  
6 the slides, I forget which number, mentioned -- it was  
7 in the discussion of the evaluation of design basis  
8 accidents and the expectation that a limited set of  
9 events would be evaluated as design basis accidents  
10 under the traditional construct of using conservative  
11 assumptions, only crediting items that are safety  
12 related. And of course that typically also includes  
13 other provisions, such as applicability of the QA  
14 program, historically at least, single failure  
15 criteria applicability, and so forth.

16 So, when we're looking in other parts of  
17 the rule to expand the definition of safety, we need  
18 to be really careful. Because pulling things like  
19 occupational exposure in normal op, effluent release  
20 doses into the, unwittingly, I believe, into the  
21 definition of safety also risks increasing the  
22 regulatory burden dramatically.

23 I don't think the staff's intent, but I  
24 think paying special attention to the language that we  
25 use and the use of the label safety, safety criteria,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 safety related and so forth, needs to be done very,  
2 very cautiously. That's my first comment.

3 Second comment on the language referring  
4 to the mandatory, those are my words, use of  
5 standards. By virtue of the language that at least  
6 was in the slides about standards must be used. I  
7 want to be similarly cautious. First of all, and I  
8 speak with a lot of experience here in the standards  
9 development community, consensus standards are not  
10 things that happen quickly. NRC endorsement of  
11 consensus standards also is not, typically not timely  
12 for things that are trying to evolve quickly and  
13 innovatively. And requiring the use of the standard,  
14 of a consensus standard that may have been developed  
15 five or ten years ago, actually directly discourages  
16 innovation, which I don't think is the intent either.

17 So, I'd recommend looking for different  
18 language that encourages the use of standards where  
19 they're available and applicable, but certainly not  
20 requiring them. And I think, or better yet, take that  
21 provision out of the rule and have it exist in policy  
22 and guidance space.

23 And then finally, my third comment, and  
24 this reiterates some of the comments you've heard, the  
25 mandatory use of PRA. We all recognize that today

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 many designs will use PRA. The language in 50 and 52  
2 varies between strongly urging it and requiring it.

3 But we, this is an opportunity to take a  
4 step back. And again, this is mainly about language.  
5 Having language, having requirements in the rule for  
6 which PRA today is a logical implementation step  
7 certainly makes sense.

8 But I would hesitate to try to look ten  
9 years in the future and conclude that what we call a  
10 PRA today is a sufficiently, sufficiently stable and  
11 sort of bedrock implementation method that it makes  
12 sense to mandate it as a tool.

13 Let the PRA be the tool that implements  
14 what the regulatory requirement is around risk-  
15 informed solutions, not call out a specific analytical  
16 tool today as a regulatory requirement. That concludes  
17 my comments, thank you.

18 MR. RECKLEY: Thank you, Peter; anybody  
19 else, Bob?

20 MR. BEALL: Nobody has their hands raised.  
21 If there's somebody on the bridge line that would like  
22 to ask a question, or have a comment, please hit \*6 on  
23 your phone, unmute your phone, and then introduce  
24 yourself, please.

25 Okay, not hearing anybody on the bridge

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 line. That concludes our discussions of Subpart C; I  
2 would like to take a break right now. We're a little  
3 bit over schedule, so let's take a ten-minute break  
4 and come back, or a little bit over ten minutes and  
5 come back at how about 2:20? Okay. So, we can get a  
6 little bit of time back.

7 So, we'll take a break now and reconvene  
8 the public meeting at 20 minutes after 2:00.

9 (Whereupon, the above-entitled matter went  
10 off the record at 2:08 p.m. and resumed at 2:20 p.m.)

11 MR. BEALL: So next slide, please. All  
12 right, so we're starting the second half of our public  
13 meeting, in which we'll be discussing the Facility  
14 Safety Program Section in Subpart F, Requirements for  
15 Operation.

16 Bill, can you lead us through the  
17 discussion, please?

18 MR. RECKLEY: Thanks, Bob. Yeah, we'll  
19 probably circle back before I start, circle back to  
20 this at the end of the meeting and follow on, but it's  
21 probably useful to mention it here, as we look forward  
22 to the February meeting, I think what we're thinking  
23 is that we'll give more time. It's probably going to  
24 be a full day meeting, and I think we can use that as  
25 an opportunity to have some of the more generic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 discussions that both Jeff Merrifield and Marc Nichol  
2 mentioned.

3 That said, I think by both schedule, and  
4 maybe as it works out on purpose or by accident, this  
5 has probably been a useful approach because my  
6 experience has been until stuff gets put down on paper  
7 and people can assess it, without an initial draft of  
8 a document, we would probably just spend a lot of time  
9 talking philosophy. So I think this could still work  
10 out. At the same time, be open as Marc and Jeff  
11 mentioned, and we can talk at the end of the meeting  
12 about doing that at our February meeting.

13 So let's go to slide 33, and we'll talk  
14 about one element of Subpart F. For the February  
15 meeting, the other thing that we can say, we had said  
16 at the December meeting we would try to work out a  
17 more complete outline than what we've provided with  
18 the, kind of, simple text boxes on what the various  
19 subparts would address. We could do that by the  
20 February meeting.

21 Subpart F is the Operations part, Subpart,  
22 and the thinking is that this would have basically  
23 everything that addresses the operations phase. And  
24 so this is going to have requirements on technical  
25 specifications, other configuration control, elements

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 like Reliability Assurance Program. Also address  
2 staffing, and as Nan pointed out on the one slide, one  
3 concern that we have is, as we go forward on this  
4 schedule, we're going to be addressing topics that in  
5 and of themselves would usually take years to resolve,  
6 and we're going to have to come up with preliminary  
7 language and then follow that up with what the  
8 Commission and its staff requirements memorandum  
9 called at least a rudimentary proposed rule by the  
10 schedule that was on Nan's slide.

11 So areas like staffing and various  
12 proposals to reassess the role of operator licensing  
13 and staffing levels, with some proposals perhaps going  
14 all the way to unmanned micro-reactors. Those kind of  
15 things, like I say, would normally take a long time in  
16 a regulatory discussion to come to an approach. And  
17 we are going to have to introduce such topics and  
18 resolve them in months, not years, at least to the  
19 point of developing the proposed rule.

20 So as Nan was mentioning, on our side,  
21 that's a challenge to bring in all the staff, but we  
22 probably -- our task is probably easy in comparison to  
23 yours, to bring in the right expertise, the right  
24 staff, to get volunteers from various designers,  
25 various organizations, or whatever. So the February

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meeting we can talk about that a little bit more too.

2 So all that is background, and maybe I'm just trying  
3 to delay this discussion because I've already seen the  
4 comments.

5 So the part of Subpart F that we're  
6 looking to introduce is the concept of a facility  
7 safety program. And the notion for introducing that  
8 is us trying to look at the overall regulatory  
9 program, not just licensing, but start to think about  
10 what the overall program looks like.

11 The inspection program, our continuing  
12 assessment of things like generic safety issues,  
13 operating experience, and all of the infrastructure  
14 that the NRC has in place to support the number of  
15 reactor sites that number in the tens. And the number  
16 of reactor technologies that number two. And so you  
17 then have to look at what the landscape might look  
18 like ten or 15 years from now when there are many  
19 sites of smaller reactors and of a wide range of  
20 technologies.

21 And so if the mindset remains that upon  
22 licensing, the reactor is deemed safe and is static  
23 for the next 40 years, unless the NRC makes you do  
24 something different, then the NRC will have to develop  
25 that infrastructure to make sure that, where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 appropriate, we can challenge and impose additional  
2 requirements. And so one alternative, and we looked  
3 at other agencies that regulate larger number of  
4 smaller facilities or smaller hazards, and said how do  
5 other agencies do this?

6 And one concept is the concept of a  
7 facility safety program, which in -- I'm not trying to  
8 beat around the bush, it puts a burden on the licensee  
9 to do more active, dynamic risk-management of the  
10 facility, and to, where appropriate, take measures to  
11 address new information. So that's the rationale.  
12 Again, looking at the bigger picture of not just  
13 licensing, but also into operations and how we might  
14 do things a little different.

15 So if you go to slide 34, this basically  
16 lays out that, the first 53.800 current preliminary  
17 number, would establish a requirement to have such a  
18 program, and put it on the licensee to periodically  
19 assess, periodically look for and assess new  
20 information in regards to hazards, or operating  
21 experience, or new technologies. The second bullet,  
22 to routinely evaluate such identified hazards, and  
23 consider measures to mitigate or eliminate the  
24 resulting risks associated with the new information.

25 Other sections of Subpart F under

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operations, will address the actual, kind of, more  
2 traditional compliance-oriented configuration  
3 management of equipment. Tech specs would still  
4 include provisions for having the safety-related  
5 equipment available, and have actions to take if that  
6 equipment becomes inoperable, for example.

7 The reliability assurance program will, as  
8 we envision, would have provisions to monitor the  
9 reliability of equipment assumed to address event  
10 sequences and deemed to be non-safety related, but  
11 safety significant. So those things would still  
12 exist. This program's only looking at new information  
13 that would potentially contribute to risk.

14 So if we go to slide 35, and what we were  
15 saying in the notes, is we first talk about the  
16 general concept here and then we can talk about the  
17 actual criteria, although we did include some, at  
18 least, starting points in the preliminary language.  
19 But again, the goal is really to look at this as not  
20 those things that would be contributing to ensuring  
21 adequate protection, those are going to be in the  
22 compliance-oriented, things like tech specs, but to  
23 look more for measures that would be, under current  
24 language, cost-effective safety enhancements.

25 So the criteria, again, we can get into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1        specifics. They may need to be tweaked or just  
2        rethought, but the challenge is to try to come up --  
3        in such a program, the challenge is to try to come up  
4        with criteria that have you enter the process  
5        appropriately, and that's where you have -- you want  
6        to make sure the bar is low enough, such that you're  
7        actually identifying new information to assess, but  
8        you also want to make sure that it's not so low that  
9        you are challenging and wasting people's time in  
10       assessing measures that you know won't be cost-  
11       effective.

12                    So that's what we were trying to reach in  
13       the very preliminary criteria that we put in this  
14       first cut, which is for more frequent events, normal  
15       operations, that you have a fairly low threshold. And  
16       that was, again, in the proposal 2.5 millirem, and --  
17       to an individual, and, collectively, a 5 person-rem to  
18       the population.

19                    And the reason to -- and the 5 person-rem,  
20       it might not be the right number, but, again, the idea  
21       here is it has to be of sufficient value to even enter  
22       into the assessment. So 5 person-rem, roughly, at  
23       \$6,000 a person-rem, that's \$30,000, the thinking  
24       being if the added consequence doesn't add up to at  
25       least a number like \$30,000, you can't even initiate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the process to consider a risk-reduction measure. So  
2 it's not worth the effort.

3 So that's what those criteria are trying  
4 to aim at. And the other ones related to those times  
5 where you take advantage of your safety margins to get  
6 operating flexibility, the criterion is set at 10, a  
7 reduction in margin at 10 percent. So that's  
8 basically what we were laying out.

9 If you go to slide 36, I know this looked  
10 ominous and resulted in some of the comments because  
11 this is the section that identifies the need to  
12 identify staff and have training and so forth. So we  
13 did use as a model the program from the Federal  
14 Railroad Administration, but I think if you look past  
15 the fact that it's a couple pages of requirements,  
16 most of it comes around, basically, to you have to  
17 identify your staff, you have to have training for  
18 them, and you have to do a periodic assessment of the  
19 program.

20 So if we go to 37, this was starting to  
21 get into the licensing part. This would interface  
22 with the licensing subpart, Subpart H, in terms of  
23 including a facility safety program as part of the  
24 application, the NRC approving the plan, and then we  
25 would have to work out, like any change control

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 process, the processes for evaluating changes and  
2 providing updates. So in a nutshell, that was the  
3 proposal.

4 The reason we thought we would introduce  
5 it, in my mind it's a little bit analogous to the tech  
6 spec improvement initiatives, at least in my mind,  
7 that we've been evaluating and implementing over the  
8 last couple decades, which took, basically,  
9 prescriptive requirements that had been previously in  
10 the technical specifications, and moved them over  
11 into a risk management approach that took advantage of  
12 the maintenance rule and the availability of PRAs and  
13 other tools.

14 And so, to me again, this is just an  
15 ability to take those similar tools and build it in to  
16 hopefully improve the overall regulatory program, in  
17 comparison to having a fairly prescriptive and static  
18 set of requirements, and then basically saying the  
19 process is those static things change only when the  
20 NRC goes through the process of doing a backfit  
21 analysis and imposing it.

22 So 38, I think, we can either open it up  
23 real quick for questions to me on the specifics, or we  
24 can just delve into the presentation, Bob. It's up to  
25 you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BEALL: Yeah, we have one hand raised,  
2 from former Commissioner Merrifield. You can unmute.

3 MR. MERRIFIELD: Yeah, thanks so much.  
4 Actually, I'm going to be presenting the next two  
5 slides on behalf of NIC, so I've lowered my hand and  
6 can certainly address that in the context of those  
7 comments.

8 MR. BEALL: Okay, so you're the only one  
9 that had their hand raised, so let's go ahead and go  
10 right into USNIC, please.

11 MR. MERRIFIELD: Thank you very much. And  
12 I want to -- I'm going to preface our slides by some  
13 comments and reactions of my own relative to the  
14 presentation that Bill just gave. And so before I  
15 turn to the official slides, I do want to make a  
16 couple of up-front comments.

17 I appreciate the thoughtfulness that the  
18 staff has undertaken in thinking about this exercise  
19 and incorporating these elements in the context of a  
20 Part 53. I think as we evaluate that, and as NIC is  
21 going to be responding, and others respond, I think it  
22 is important to go back to look at the basis upon  
23 which Congress passed NEIMA and its intention. And I  
24 think that general intention of Congress was to have  
25 the NRC prepare a risk-informed licensing program to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 facilitate the licensing of advanced reactors and  
2 enable the deployment of these technologies.

3 And you can go back, you look at the  
4 testimony, you look at the legislative history, you  
5 look at the language, all is consistent with that  
6 program. While I appreciate it's the desire of the  
7 staff to have an ability for the licensing of these  
8 reactors not to be static, and while I appreciate the  
9 notion that by putting these operational issues in  
10 it's going to make things more efficient for the NRC,  
11 I would say several things in regards to that.

12 The first one is, historically, we have  
13 lived with the fact that, and the NRC has regulated  
14 the notion that once a reactor gets its license, that  
15 is the licensing basis of the reactor, and where the  
16 agency feels it's appropriate to make changes, it has  
17 to do work and it has to take actions to change that,  
18 including an appropriate analysis of the backfit rule.

19 And the notion that we're simply going to take, and  
20 contrary to the Agency's efforts to reduce unnecessary  
21 burden, in this case we're going the opposite  
22 direction where we're putting more burden on the  
23 ability of the individuals trying to license a reactor  
24 technology, to meet these new proposed requirements,  
25 which are not there now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Having that level of detail in a  
2 rulemaking which is intended to license these reactor  
3 technologies, certainly adds commensurately to that  
4 burden and will make it more difficult for the  
5 advanced reactor developers to get through that  
6 wicket. I think that is contrary to the intention of  
7 Congress, and further, given the expedited time line  
8 that has been outlined by the Commission, I think a  
9 considerable amount of time and effort could be  
10 avoided on behalf of both the agency and the  
11 applicants and commenters on this Part 53 effort, if  
12 this were not to be included. And so my personal gut  
13 reaction is that this is taking things in the wrong  
14 way, well intended, but I don't think this is  
15 consistent with where Congress was intending the  
16 Agency to go in crafting a new Part 53.

17           With that, let me go to the NIC comments.

18       Next page, please. The first comments on this is  
19 certainly intended to get a better understanding of  
20 what you all are attempting to accomplish. I think  
21 Bill Reckley outlined a bit of that, and I think as a  
22 group, NIC and its advanced reactor developer members  
23 is going to have to go back and assess in more detail  
24 our reaction to all of this. I don't want to speak  
25 for the group as a whole. That may -- it's certainly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 possible they may have a different reaction than I  
2 gave you for my own personal comments, but certainly  
3 we will endeavor to go ahead and try to craft more  
4 detailed comments for you.

5 In terms of the specific comment below, we  
6 do not believe this is a performance-based program,  
7 and we do believe it's prescriptive. And I think this  
8 is consistent with my comments prior. We are  
9 concerned about the potential for increased regulatory  
10 uncertainty and regulatory burden, and we are quite  
11 concerned about the potential adverse impacts to the  
12 backfit rule.

13 Next slide, please. Can I have the next  
14 slide, please? In terms of the safety program  
15 performance criteria, we just see no prior precedent  
16 for this program, and I don't think Bill's comments  
17 indicated that. I think you were looking at other  
18 programs including some from the rail industry. We  
19 think it could create a number of problems,  
20 duplicative paperwork, including the regulatory  
21 updated -- burden -- updating this document, as well  
22 as the FSAR.

23 We think it brings into question the issue  
24 of reasonable assurance when the license is granted,  
25 and we don't think it's feasible to continue to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 revisiting these issues on decisions that were made  
2 back in the design process. As indicated, as I said  
3 before, we think this is inconsistent with  
4 streamlining regulations. We would certainly like to  
5 get additional understanding of where you're coming  
6 from. We got some of that today.

7           Again, this may be a topic that would be  
8 helpful in a workshop-like program. Better  
9 understanding of the scope for maintenance and how  
10 this applies to current fleet, I think Bill did go  
11 into that somewhat. That may be an area that we need  
12 to poke a little bit more. And, you know, we  
13 certainly need to have a better understanding of what  
14 the mechanism would be where licensees would assess  
15 new information and be required to make plant changes  
16 to address them. And, again, Bill outlined some of  
17 that today, but I think having a better understanding  
18 would be helpful.

19           With that, I believe NIC's comments are  
20 complete. Thank you very much.

21           MR. BEALL: Okay, thank you. Does anybody  
22 have any questions for the staff? Please raise your  
23 hand.

24           Okay, Marc, go ahead. Unmute yourself,  
25 please. Marc Nichol?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. NICHOL: Okay, can you hear me now?

2 MR. BEALL: Yes, we can, thank you.

3 MR. NICHOL: Okay, great, thanks. Marc  
4 Nichol, Nuclear Energy Institute. Yeah, I, again,  
5 similar to my earlier comments, these are only my  
6 thoughts because we really haven't had a chance to  
7 talk about them.

8 But I would start, it's a novel new idea,  
9 and despite the fact that it appears to put a lot of  
10 burden programmatic-wise on the licensee, I want to be  
11 open-minded to understand this approach. So I'm not  
12 trying to shoot it down, although, as Jeff mentioned,  
13 as we deliberate, we may come back and say we don't  
14 like this for some reasons. But I wanted to start  
15 with questions because I have a lot more questions  
16 than actual opinions, and two main questions.

17 The first one is what problem is being  
18 solved? I know, Bill, you went into it a little bit  
19 by saying the difference is having essentially one  
20 type of reactor, a large light water reactor, and even  
21 though we have 100 reactors, the number of facilities  
22 are relatively small, in the dozens, versus where  
23 we're going, which could be, you know, a dozen or more  
24 different types of designs, and if we're really  
25 successful, and especially if they're smaller, then we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 may have hundreds and hundreds of these facilities.

2           So I do get that, but -- and I see the  
3 benefit to the NRC by relying more on a licensee to do  
4 some of this work in terms of evaluating new  
5 information, but I'm not seeing the value or the  
6 benefit to the licensee. So that's the second  
7 question, is, you know, not only what problem are you  
8 solving for them, if any, but what's the overall  
9 benefit, especially to the licensee?

10           So, for example, are you able to eliminate  
11 event reporting, which is under 50.72 or 50.73? Are  
12 you able to eliminate the need for the NRC to operate  
13 a generic issues program? What types of things there  
14 is going to be an offsetting benefit? Because without  
15 a benefit, not just to the NRC, but also to the  
16 licensees, there's not going to be an interest to  
17 change because what we do currently under Part 50.52  
18 already is adequate.

19           So there's already the licensees under  
20 Part 50 have to review operating experience. The NRC  
21 already has a process for imposing new rules, orders,  
22 and rules on licensees for different things. So it's  
23 not that we don't have this in place already, it's  
24 just a different way of trying to do it. So it would  
25 be interesting to know what's the potential benefit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there, especially if we're able to eliminate things  
2 that are doing.

3 And what might help there, actually, is to  
4 run through how it would, how things would be handled  
5 under 50.52's process, which could be carried forward  
6 to 53, or under what you're proposing for this  
7 facility safety program, so we can better visualize  
8 what the differences are. So, for example, generic  
9 case issues like Fukushima or the central eastern  
10 earthquake. Generic issue, I think it's 191, that's  
11 the suction material stuff. How would those be  
12 handled differently, and so we can better visualize  
13 the benefits.

14 The other comment I want to make, and it's  
15 really designed to -- or it's really focused on the  
16 regulatory philosophy, and you'll see it again as I  
17 talk about ALARA later, but I'll focus it here on the  
18 facility safety program. It appears to me to be  
19 driving to ever lower risk and ever increasing safety.  
20 And that's not what I think the regulatory philosophy  
21 should be. I think the regulatory philosophy should  
22 be focused on what is safe and making sure that things  
23 are safe according to what safe is.

24 And so if we look back at Section B,  
25 Subpart B, the safety criteria, we have the 25 rem for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accident conditions, we have those criteria 100  
2 millirems to the public for normal operations, those  
3 sorts of things. That's defining safe, so why do we  
4 have to be safer than safe? I agree that it's a good  
5 thing to do, but from a regulatory perspective, isn't  
6 safe, safe?

7 And so isn't it enough to just make sure  
8 that the plants are meeting what is safe, and, you  
9 know, you could encourage them to be safer, but to  
10 actually require them to be safer, even with these  
11 economic checks in place to be able to screen some out  
12 that aren't economical. There is the overall  
13 cumulative effect of regulation, and so as you go  
14 through these individual situations where, okay, I'm  
15 driving to levels of safety that are way below what's  
16 already been determined as safe, and there's a cost  
17 that was justified based on that, but when you  
18 aggregate all of them together, there's largely an  
19 increase in cost.

20 And I know that the NRC may not consider  
21 this very much, I do believe you should, but the  
22 industry is in business, and so these have to be cost  
23 effective. Now if the costs increased just to be able  
24 to reach what's safe, okay, I'm not going to complain  
25 about that. We have to be safe; I agree.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But if the costs are increasing to be more  
2 than safe, then that's where I think there's a  
3 disadvantage, and actually, for nuclear, you're  
4 actually pricing nuclear out of the market, which is  
5 not just being a nuclear enthusiast is a bad thing,  
6 but recognizing that the world needs nuclear power to  
7 reduce carbon emissions, it actually has a negative  
8 societal impact. So I just want to, from a regulatory  
9 philosophy, I do want to get that across, and I'm  
10 hoping that others can agree with me on that. But I  
11 do think it's an important point to talk about.  
12 That's the end of my comments. Thanks.

13           MR. BEALL: Okay, thank you, Marc. Bill,  
14 do you have anything?

15           MR. RECKLEY: Yeah, I'll give a little  
16 feedback to that, and this is a little bit  
17 speculation. Obviously, I can't say that the NRC  
18 will, down the road, be smaller and do everything that  
19 you mentioned in order to reduce the annual fee. And  
20 in the end, that's how a payback for this program  
21 would come about.

22           Is that, the way I was looking at it, and  
23 I'll talk first-person here, was that this is an  
24 enabling requirement. And I'm not trying to dance  
25 around, it's a requirement, it is. It's putting a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       burden on the licensee, on a prospective licensee.

2               But the enabling part is if this were in  
3 place, as we then develop reporting requirements and  
4 other parts of our inspection and oversight program,  
5 as we look at even natural hazards, this stuff gets  
6 subtle. And I know it's kind of hard to talk about,  
7 but keep in mind when the NRC staff is looking at a  
8 hazard, if you basically are telling the staff  
9 identify the hazard, and it's fixed in place for the  
10 next 60 years unless you're able to do a backfit  
11 justification. And we all know what a challenge that  
12 is.

13               Is it a wonder then, how much time, effort  
14 and discussion goes into agreeing to the hazard?  
15 Because the staff has one shot for 60 or 80 years to  
16 identify the hazard for a facility. So just, again,  
17 that's a subtle point. But just keep in mind the  
18 unintended consequences of a static approach.

19               But going to your specific point, Marc,  
20 again, I was looking at this as an enabling  
21 requirement because if it's not in place, then as we  
22 go forward out of Part 53, and also start to develop  
23 the other infrastructure, we're going to have to  
24 assume that it does not exist. And, therefore, we  
25 will need the same generic safety issue program,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 similar reporting requirements, and so forth.

2 And so we'll have to start to build that,  
3 whereas, perhaps, and I don't want to over-commit or  
4 over-promise, and it needs work, I know, if we had  
5 such a program, could it serve part of that purpose?  
6 So that was the thinking. But I see Peter's hand is  
7 up, so we can move on so we can stay on schedule.

8 MR. BEALL: Okay. Actually, the next --  
9 Ed raised his hand first, so, Ed, can you go ahead?

10 MR. LYMAN: Hi, yes, can you hear me?

11 MR. BEALL: Yes, we can, Ed. Go ahead.

12 MR. LYMAN: Great, okay. So I was  
13 wondering if the licensee is going to like this idea  
14 so much. You know, France has gone to a regulatory  
15 regime, I believe, where the reactors have to undergo  
16 a review every ten years of, I guess, their design  
17 basis, and implement safety upgrades at that time.

18 So I think if the problem you're trying to  
19 solve is to address the temporal changes and that it  
20 could affect safety risk, that you might consider that  
21 as an alternative to this, simply having a ten-year  
22 review of the hazards and the design basis, and then  
23 require implementation of all cost-justified safety  
24 significant enhancements. That's my suggestion.  
25 Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BEALL: Okay, thank you, Ed. Bill,  
2 you ready to move on to Peter?

3 MR. RECKLEY: Yeah, or I'll let you  
4 control the order.

5 MR. BEALL: Okay. Yeah, I'm keeping a  
6 running list. So okay, Peter Hastings, go ahead, sir.

7 MR. HASTINGS: Thank you, Peter Hastings,  
8 Kairos Power. And I'll try not to be too repetitive.  
9 I echo Jeff's and Marc's comments. And, Bill, I will  
10 say that, like Jeff, we appreciate the explanation and  
11 acknowledge the good intentions here. And like Marc,  
12 I don't want to dismiss the idea out of hand. It's  
13 frankly something that we just haven't had a chance to  
14 think about a little bit.

15 I'll be honest that at first blush it  
16 looked like a solution looking for a problem. The  
17 notion of requiring a constant revisiting, or a  
18 constant search for additional risk reduction, seems  
19 to constitute an erosion of regulatory stability.  
20 I'll also observe it seems to, rather conspicuously,  
21 not refer to the opportunity to relax requirements  
22 based on this kind of a, sort of, ongoing program.

23 Your follow-up remarks, Bill, in response  
24 to Marc's comments, I think are really useful, and so  
25 I do think this is worth looking at it in more depth,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because I think what you're trying to get to could be  
2 helpful. I'm frankly a little skeptical that all of  
3 the infrastructure elements you were talking about  
4 doing away with would actually go away, but maybe, and  
5 I think there's some merit in looking at those kinds  
6 of things.

7 As we do this though, I think one of them,  
8 and Marc touched on this, I think, really eloquently,  
9 it's an important consideration, sometimes these  
10 discussions can send the message that a reactor can  
11 never be safe enough. This kind of approach can  
12 easily be perceived to increase regulatory  
13 instability. And despite advanced reactors expecting  
14 to increase safety margins compared to the existing  
15 fleet, in some cases by orders of magnitude, when by  
16 any objective measure, the existing fleet is already  
17 among the safest form of electricity production that  
18 exists.

19 So again, a little bit of balanced  
20 comments back and forth. I do think some additional  
21 discussion on this is warranted. Thank you.

22 MR. BEALL: Okay, thank you, sir. Bill,  
23 you have anything to say?

24 MR. RECKLEY: No. This is -- I'll be  
25 honest, we expected this. I will ask that people also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 look at the criteria. The first objective is to  
2 identify and address new information. When you get  
3 into the second step of actually saying when do you  
4 need to do a risk-reduction measure to address the new  
5 information, that's, I think, where you get into the  
6 criteria and where we can have a lot of discussion,  
7 even if the program remains in the preliminary  
8 language. So I'll leave it there so people can look  
9 at that aspect as well, whoever is next, Bob.

10 MR. BEALL: Okay. Commissioner  
11 Merrifield. You can open your mic, please.

12 MR. MERRIFIELD: Yeah, I just want to make  
13 one comment. Luis Reyes, who is the former Executive  
14 Director of Operations, and I presented on behalf of  
15 the NRC at the third Nuclear Safety Convention in  
16 Vienna a while back. And an area that has been a  
17 long-standing difference is between the French and the  
18 United States approaches to regulating reactors.

19 And as was noted earlier, the French do have a  
20 program which requires a ten-year periodic safety  
21 review which can result in additional requirements for  
22 operating reactors. That is an approach that the  
23 Nuclear Regulatory Commission has systematically  
24 rejected. And the Commission has systematically gone  
25 the other direction on that approach.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And so I think in context of long-standing  
2 Commission policy, I think this particular proposal  
3 needs to be evaluated very carefully because of the  
4 impacts that it could have on long-standing policy  
5 views, of which Luis and I had to robustly defend in  
6 that particular convention. Thank you.

7           MR. BEALL: Okay, Thank you very much.  
8 Marc, I see you're next, so please unmute your phone  
9 and go ahead. Marc Nichol?

10           MR. NICHOL: This is Marc. Sorry, I  
11 muted. I didn't know I was unmuted, so I muted and  
12 then unmuted.

13           I was just following up on Bill's last  
14 comment in terms of taking a look at this and there's  
15 the requirement to assess, and then there's a  
16 requirement to take an action based on that. And part  
17 of my comment on this regulatory philosophy of making  
18 sure that we're safe, but not regulating ever lower  
19 levels of safe because safe is safe, in part it  
20 relates to that criteria. So I think there's a  
21 criteria of 2.5 millirem to an individual, or 5  
22 person-rem is sort of the threshold, and if it's above  
23 that then you need to -- you might need to take an  
24 action.

25           And that's really where I was concerned as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 well. I could understand if it's a matter of this new  
2 information is now you're violating one of those  
3 safety criteria, so now you're over, just pick one,  
4 you're over 100 millirem dose to the public, then I can  
5 see you need to take an action there. But if you're  
6 down at, let's just say your normal operations is down  
7 at 10 millirem, and now you're exceeding, you know,  
8 going up just a little bit from that, it really seems  
9 punitive for a plant that's so low already, or below  
10 the level of safety, to have to take extra actions to  
11 be safer than safe.

12 I think, you know, I just wanted to  
13 reiterate again. I think the focus needs to be on  
14 safe, not safer than safe, and always safer than safe,  
15 what we were before then. Thank you.

16 MR. BEALL: Okay, thank you, Marc. Bill,  
17 do you have any other comments?

18 MR. RECKLEY: No, just again, I appreciate  
19 people giving it some thought. And we will, I'm sure,  
20 talk about it in future meetings.

21 MR. BEALL: Okay, great. If there's  
22 anybody on the bridge line who would like to have a  
23 comment or say something, please send us a quick chat  
24 in the chat window.

25 Okay, with that, we will move on to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 next slide, please. Okay, so this will be recap of  
2 our November 18, 2020, public meeting on Subpart B,  
3 and Nan Valliere will be leading this session of the  
4 public meeting. Nan?

5 MS. VALLIERE: Thank you, Bob. Starting  
6 on this slide, slide 42, I'm going to briefly go  
7 through a summary of key comments that resulted from  
8 the November public meeting, which focused on the  
9 safety criteria in Subpart B.

10 I want to note that these slides do not  
11 include all of the written comments we have received  
12 to date on Subpart B. They focus on the comments from  
13 the public meeting. And I know we will be hearing  
14 more on many of these comments in the presentations  
15 that follow this one, so I will very quickly step  
16 through these few slides.

17 This first slide just lays out the various  
18 sections of Subpart B that were discussed at the last  
19 meeting. Next slide, please.

20 On slide 43, we have the first of three  
21 slides highlighting the comments that we heard. The  
22 key topics of interest included the adequate  
23 protection standard, where commenters indicated,  
24 first, that the NRC should avoid regulations that are  
25 not needed to provide reasonable assurance of adequate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 protection of public health and safety. Second, that  
2 using the qualifier of reasonable assurance can erode  
3 public confidence, and, third, that addition of some  
4 text to the rule language to help clarify exactly what  
5 reasonable assurance of adequate protection means  
6 would be helpful.

7 We heard comments that flexibility is  
8 important to allow applicants to use different  
9 approaches to define their safety case. Some  
10 commenters suggested that the NRC consider using site  
11 boundary as the location for assessing dose in the  
12 first safety criteria, as was done in the emergency  
13 preparedness rule, instead of using the exclusion area  
14 boundary.

15 Some commenters were concerned about the  
16 use of numerical probabilities in the rule language  
17 and suggested that the NRC consider replacing them  
18 with qualitative probabilities. There were also  
19 suggestions that the NRC clarify how the rule  
20 addresses specific licensing basis event categories.  
21 Next slide, please.

22 In November, we heard several suggestions  
23 related to the treatment of beyond design basis  
24 events, including that the NRC consider focusing such  
25 requirements on mitigation, as is being done for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operating reactors. We also heard many comments  
2 questioning whether inclusion of the quantitative  
3 health objectives from the NRC safety goals was  
4 necessary.

5 Several commenters questioned whether the  
6 inclusion of a provision to address additional  
7 requirements established by the NRC for ensuring  
8 reasonable assurance of adequate protection was  
9 necessary. Some commenters found the two tier concept  
10 to be overly complex. Certain commenters questioned  
11 the need to include requirements to maintain doses as  
12 low as reasonably achievable, or to include a  
13 requirement for limitations on effluent releases  
14 during normal operations. Some stakeholders asked if  
15 Subpart B could be less prescriptive. Next slide,  
16 please.

17 Some stakeholders expressed concern that  
18 use of certain terminology might make understanding  
19 the rule more difficult for the general public.  
20 Plainer language was encouraged. Some expressed  
21 concern with the perceived deterministic nature of the  
22 requirements for defense-in-depth. Certain  
23 stakeholders stated that the NRC should avoid use of  
24 the term high confidence in the rule language.

25 Some suggested that the NRC should remove

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requirements for occupational dose from the safety  
2 criteria. And finally, some stakeholders did not  
3 believe Part 53 should include reference to Part 50  
4 Appendix I, but should instead, pull out and copy over  
5 any needed criteria from that appendix.

6 So that concludes the summary of the  
7 Subpart B comments from the November meeting. And at  
8 this point we're going to turn the meeting over to the  
9 U.S. Nuclear Industry Council, which will have several  
10 presenters provide some of their thoughts on Subpart  
11 B.

12 Cyril, are you prepared to begin the U.S.  
13 NIC presentation of Subpart B?

14 MR. DRAFFIN: I am. Yes, thank you very  
15 much, Nan. So the plan is to cover five issues that  
16 we think are particularly important that you covered.

17 The first one was on the top of slide 43, and that  
18 deals, if you go on to the next, with adequate  
19 protection standard, defense-in-depth, qualitative  
20 health assessments objectives, quality assurance and  
21 performance-based risk regulations.

22 So we're going to have five presenters  
23 from industry to give you, kind of, in-depth  
24 assessment of each of these things. So if you go on  
25 to the next slide, which is slide 48, Frank

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Akstulewicz will elaborate on adequate protection and  
2 our perspectives on that. And this is based on a  
3 discussion we had with multiple developers. We met  
4 two times over the holidays, and so this is not just  
5 one person representing it, but a variety of inputs  
6 from our developers.

7 So, Frank, over to you.

8 MR. AKSTULEWICZ: Sure, thanks, Cyril.

9 First of all, I want to appreciate the  
10 efforts that the staff has underway to try to  
11 integrate all of these comments into one meaningful  
12 regulation. I know it's particularly challenging.  
13 The subject that I'm here to talk about, and I know  
14 Nan has gone through some of the comments, and some of  
15 these key points are repetitive to the comments that  
16 were made previously.

17 And so we don't know the direction that  
18 the staff has gone with respect to modifying Subpart  
19 B, but I will note that getting the adequate  
20 protection standard right for Part 53 has to be the  
21 central focus for this particular rulemaking. And if  
22 we don't have a clear standard for what is safe,  
23 you've heard some of the ongoing discussions about how  
24 much more is safe enough, or why are we doing what  
25 we're doing. You know, how does it integrate into a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 general program for assuring overall safe operations?

2           So just a couple of key thoughts. Again,  
3 having a clear standard for what constitutes adequate  
4 protection is essential. The rule starts out by  
5 predicating that the standards have to be focused on  
6 assuring certain fundamental safety functions. We  
7 think that that's a great thing, but then again, how  
8 the other requirements establish or relate to a nexus  
9 to that adequate protection standard, is part of the  
10 question that we have.

11           And we hope that as part of the ongoing  
12 discussion, we talk about how this adequate protection  
13 standard is independent of the technology selected,  
14 the reactor size, or the selected licensing process.  
15 And, you know, we're still not sure in terms of how  
16 this is going to integrate or be separate from the  
17 licensing processes of Part 50 or Part 53, in terms of  
18 whether or not a decision about licensing will be only  
19 predicated on information provided under Part 53.

20           And my -- this is my opinion, based on  
21 some of the discussion today, I'm getting this picture  
22 that the staff is trying to translate much of the  
23 necessary requirements from Part 50 and Part 20 and  
24 Part 52 into a process that will be unique to Part 53,  
25 and therefore will be stand-alone. And I don't think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that that clarity has been really discussed up to this  
2 particular point in time. And maybe I even have it  
3 wrong.

4 Just another major point, and we've heard  
5 a lot of this discussion today. This is not the  
6 opportunity to try to add requirements to reactors  
7 that are already safer than the current fleet of  
8 reactors. Now, we need to have a common standard for  
9 what is considered safe, and if that standard is met,  
10 that should be sufficient.

11 There's this discussion about whether  
12 beyond-design basis or not is necessary, or should we  
13 expand the rule, I meant, you know, to include  
14 minimizing danger and protecting property to that  
15 particular provision of paragraph 200. It's still not  
16 clear why that is necessary, and why the QHO criteria  
17 are absolutely necessary to establish, or to be  
18 requirements for establishing adequate protection, or  
19 a safety construction. So we are concerned about  
20 challenges to the backfit rule and backfit process  
21 that some of these processes could portend. I know  
22 Jeff talked about it a little bit when we were talking  
23 about the Section 800 concerns.

24 But I want to go and specifically point  
25 out something that may not be apparent, and it gets to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some of the first standard. And that is, under  
2 Section 220, if you look at paragraph B, right, it  
3 defines having a consequence of less than or  
4 approximately equal to one in 10,000 years, right? So  
5 that would mean that licensing basis events above 10  
6 to the minus 4 would be subject to the following dose  
7 criteria, right? And that is 25 rem.

8 So what that means is that from an  
9 adequate protection standpoint, AOOs could -- have  
10 those consequences up to 25 rem, and still meet this  
11 provision. So, again, I want to make sure that you  
12 understand and appreciate the significance of the  
13 construction of the language and how you define  
14 licensing basis, and how that licensing basis  
15 definition is applied throughout the set of  
16 regulations.

17 The last thing that is on the slide here  
18 is Part 53 should establish the minimum. And that is,  
19 going in, essentially what Part 50 established when it  
20 was structured back in 1979, I believe is when it was  
21 originally set up, or maybe even earlier than that,  
22 60-something. The idea was to not pile on a whole  
23 bunch of criteria at one time, but to establish what  
24 the minimum regulatory load would be, and then to ask  
25 for the information that was appropriate in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 establishing the criteria -- that the criteria are  
2 being met.

3 So we don't want to suggest that it's a  
4 bad thing to have regulatory standards. It's a good  
5 thing, but it should be established at the minimum  
6 requirements, not anything more.

7 And the last thing, and it's kind of an  
8 over-arching comment about the rule going forward, and  
9 that is the process for demonstrating that the  
10 requirements are met should not be defined in a  
11 rulemaking. This gets to the flexibility question,  
12 which is if a licensee can demonstrate that the  
13 standards for adequate protection are being met using  
14 some process other than PRA, just to pick one, or some  
15 other facility safety program for another, then that  
16 should be good enough.

17 And so I think that's kind of where we'll  
18 stop. And I think those are the high level  
19 considerations that we wanted to kind of bring forward  
20 again and repeat the urgency of making sure that the  
21 staff is listening to what we're trying to bring  
22 forward.

23 MR. DRAFFIN: Thank you, Frank, appreciate  
24 that. The next topic on the next page is defense-in-  
25 depth, and that was referred to on, I guess, slide 45,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the second comment. And we're going to have two  
2 slides on this, and it will be presented by Dennis  
3 Henneke.

4 So, Dennis?

5 MR. HENNEKE: Okay. Thanks. Again,  
6 Dennis Henneke with GE-Hitachi. I did want to give a  
7 little bit of background on the defense-in-depth.  
8 GE-Hitachi has been involved in the licensing  
9 modernization project and we have performed LMP  
10 evaluation for several plants and have done the  
11 defense-in-depth evaluation for LMP.

12 And as far as defense-in-depth, we  
13 understand, under LMP, what that looks like for an LMP  
14 application. Although, I would say, for an  
15 application itself, it may look slightly different,  
16 and we are currently applying that to the TICAP  
17 program. And it is an important aspect to any  
18 risk-informed, performance-based application. I  
19 understand there were comments earlier about being  
20 risk-based, but there are several aspects of  
21 risk-informed and performance-based, and one of them  
22 is demonstrating adequate defense-in-depth.

23 And so we think, with regard to a safety  
24 case, that it really needs to be looked at a little  
25 bit further and not rely entirely on NEI 18-04 under

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 LMP. So I think we need to have further conversations  
2 about that to understand what it means to have an  
3 adequate defense-in-depth and areas of prevention and  
4 mitigation.

5 I saw that slide earlier on the defense  
6 levels and barriers. That's just a diagram that shows  
7 -- Bill presented one aspect of defense-in-depth, and  
8 I don't think that -- I think you'd rather have  
9 something that defines what defense-in-depth is versus  
10 requiring something very deterministic with regard to  
11 defense-in-depth, such as showing barriers and  
12 containment and so on.

13 But, in regard to this, what we are  
14 talking about -- and Bill mentioned to it earlier --  
15 that the reactors have unique designs and they may be  
16 presenting defense-in-depth, or have a defense-in-  
17 depth that is unique, either due to the use of passive  
18 reliability or design features, such as the fuel type,  
19 that give you a different viewpoint of what defense-  
20 in-depth is. It wouldn't always be, you know, the  
21 fuel, the vessel containment, and the safety system.  
22 So, it may look slightly different.

23 So, we're just trying to open the  
24 conversation up to understand what that looks like and  
25 to try and maybe establish some conversation to what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that looks -- what adequate defense-in-depth is, and  
2 may need to develop some guidance on that.

3 So, on the next slide we open up the  
4 question -- the types of questions that you may want  
5 to look at as, you know, is defense-in-depth multiple  
6 barriers or, for design basis events, do we really --  
7 do we need to look at beyond design basis events? I  
8 heard a question about that. How does that apply?

9 You know, what are we trying to accomplish  
10 with defense-in-depth if we're really going with  
11 risk-informed performance-based? Is it really to show  
12 the adequate risk-informed, you know, PRA results and  
13 meeting the QHOs and so on?

14 And so we're looking for a little bit of  
15 clarity in starting the conversation about what the  
16 NRC is really trying to accomplish, and then how does  
17 a licensee translate what's trying to be accomplished  
18 into an application. Of course, we recommend, you  
19 know, following on what we're doing in TICAP because  
20 we'll have something on that shortly, but that TICAP  
21 application we're presenting is really just one  
22 plant's approach to it, and another, different type of  
23 design may have a different type of argument for  
24 defense-in-depth.

25 And, lastly, back to the previous point,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you know, on the inherent features of a reactor, I  
2 think Bill mentioned that earlier, that may give you a  
3 different defense-in-depth argument. But what if you  
4 had reactors that do not have a large amount of  
5 radioactivity that could be released offsite? What  
6 does defense-in-depth look like?

7 So, it's a challenge for us, but we'd like  
8 to start the conversation with trying to understand it  
9 better and maybe move this into a workshop discussion  
10 at some point. So, I appreciate it. Thanks.

11 MR. DRAFFIN: Great. Thank you, Dennis.  
12 And NRC had asked us to cover all five topics at once,  
13 and then NRC can, you know, provide comments if you  
14 wish. The next one is on quantitative health  
15 objectives. That's, I guess, mentioned on Slide 44,  
16 the first comment. And we're going to hear from  
17 Rebecca Norris from NuScale.

18 MS. NORRIS: Hi. Yes. Good afternoon.  
19 This is Rebecca Norris. Can everyone hear me?

20 MR. DRAFFIN: Yes.

21 MS. NORRIS: Awesome. Thank you. So, Nan  
22 summarized her concern in her introduction, and I  
23 understand, as Marc mentioned, that NEI is also  
24 considering recommendations for 53.230. So, this is  
25 compiled with USNIC separate from that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So, we noted in the draft 53.230(b)(2)  
2           that there is a codification of the quantitative  
3           health objectives. I was not lucky enough to have  
4           been around for the history of this topic, so I had to  
5           look it up. I found the IAEA reference in that middle  
6           bullet very enlightening.

7           For the benefit of anyone else who's in my  
8           shoes, the term "QHO" is not to say that the rest of  
9           53.230, CDF, the core damage frequency, or large early  
10          release frequency, are not quantitative. It was just  
11          the original term coined in the 1986 safety goals.

12          The 1986 safety goals have been in  
13          practice for quite a while, but they actually have not  
14          been codified explicitly yet. So, if this draft were  
15          codified, that would be the first time it was done for  
16          these safety goals.

17          The rest of the dose limits in 53.230  
18          parallel the requirements of Part 50 and 52 and those  
19          in 10 CFR 20.1301. So, our concern really centers  
20          around the fact that this would add a large burden  
21          associated with this approach, especially compared to  
22          the expected very low releases from advanced reactors;  
23          i.e., the lower risk with advanced reactors.

24          Also, specifically, it appears it would  
25          need to be performed at each site and possibly redone

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 over time as population changes, with how it's worded  
2 right now.

3 So, we have two specific questions. Our  
4 first question is general. We would be interested in  
5 the reasoning behind the addition of the QHO  
6 requirement on top of the, quote/unquote, normal  
7 requirements in 53.230, as there might be a less  
8 restrictive way to meet the same goals.

9 In the spirit of not presenting a problem  
10 without a possible solution, we believe that 53.230  
11 gives adequate public protection without paragraph  
12 (b) (2), which is the QHO requirement.

13 Additionally, I understand the NRC's  
14 Office of Regulatory Research has conducted studies  
15 similar to what would be required by (b) (2) for each  
16 existing LWR generically, and this could, and should,  
17 be continued for new applicants.

18 Our second question is: if the QHO  
19 codification is retained, what is the objective in the  
20 slightly modified wording from the original 1986  
21 safety goals? I believe the original goals were 0.1  
22 percent increase in the risk above the existing risk  
23 to the population, and that's been slightly modified  
24 to that listed in my first paragraph there.

25 So, those are our two questions, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's all I have for you today. Thank you.

2 MR. DRAFFIN: Thank you, Rebecca.

3 The next topic is QA. And we think that  
4 Part 53 provides an opportunity for the NRC to take a  
5 fresh look at Appendix B, NQA-1 program, the ASME  
6 standards, and consider alternatives.

7 Since that was adopted, the level of  
8 quality of commercially available components may meet  
9 and/or exceed the nuclear standards without the need  
10 for burdensome reporting requirements. We recommend  
11 the rules should state that quality control is  
12 necessary, but not provide directions on which  
13 approach to use.

14 Now, the guidance, which we think is  
15 necessary, could then indicate some of the alternative  
16 approaches, such as the ISO 9000 series, IAEA, the  
17 commercial dedication programs, and other approaches  
18 presented by industry. And that would have a number  
19 of advantages.

20 One, it moves toward an international  
21 acceptance. We hope that these reactors will be sold,  
22 the U.S. reactors and others, internationally to  
23 reduce climate change worldwide, not just in our  
24 country. And if you have some consistency among the  
25 approvals of the requirements for quality assurance,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that would be helpful in getting it done, getting it  
2 certified, and then certified and used in multiple  
3 parts of the world.

4 If you go down that path, you could also,  
5 you know, extend and broaden the scope and maybe get  
6 universal acceptance of codes and standards to  
7 mechanical or electrical, other things other than just  
8 QA.

9 And as you do, this should be deployed to  
10 show how these standards for ISO or IAEA can meet  
11 whatever requirements there are in Part 53, and  
12 potentially other NRC parts as well. So, that's our  
13 comments on quality assurance.

14 I did, since you had mentioned protection  
15 of workers, I did want to just reiterate what we had  
16 said before, that we recommend occupational safety not  
17 be included in Part 53. And we've had dialogue on  
18 that earlier today.

19 Our last topic for Subpart B is  
20 risk-informed, performance-based regulations. And we  
21 have two slides on that and we have a tag team of  
22 people from two different companies: Travis Chapman  
23 from X-Energy and Ross Moore from Oklo. So I turn it  
24 over to both of you for discussing this broad and  
25 important issue.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHAPMAN: Thank you, Cyril. Could you  
2 nod your head if you can hear me?

3 MR. DRAFFIN: I can.

4 MR. CHAPMAN: Excellent. Alright. I was  
5 asked to carry the message on the use of probabilistic  
6 risk assessment in the risk-informed language that was  
7 in Part 53 that we reviewed. I have a variety of  
8 developers and other applicants that have a differing  
9 range of design maturity, of the safety cases that  
10 they're following, of the licensing pathways that  
11 they're considering. And so we-- we elicit a lot of  
12 responses in this particular area.

13 I would say, personally, when I read  
14 through the language, I viewed it from the perspective  
15 of meaning what is required and how can I demonstrate  
16 compliance or that the requirement is met, and trying  
17 to think through what are the implications of the  
18 language as proposed.

19 So, a takeaway we had is that, in reading  
20 the Subpart B language, we certainly want our  
21 regulatory framework to be risk-informed. We don't  
22 want to lose the benefit that that has provided to  
23 this industry. But, at the same time, we're also  
24 concerned that it not become purely risk-based, making  
25 it challenging to meet requirements at differing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 levels of design.

2 In the reading of the language in Subpart  
3 B as it is, it's certainly apparent that NEI 18-04  
4 could be used as a mechanism to meet that. It's hard  
5 to understand is there a method of meeting the  
6 language as is without using NEI 18-04, just given how  
7 much of that language and that framework is already  
8 kind of seeded into the languages there.

9 We think that, depending on the design  
10 stage and the developer, the type of design, and its  
11 safety case, there's certainly deterministic  
12 approaches that could be appropriate for them to use,  
13 certainly in the areas of external hazards assessment,  
14 some of the seismic analyses, providing bounding  
15 analyses; in some cases, maybe early on, it may be  
16 appropriate for that licensee or that applicant to  
17 approach the NRC to get feedback on safety findings.  
18 Given the size of hazard that may be perfectly  
19 appropriate. And the effort of going through detailed  
20 PRA analysis at those early stages may not provide as  
21 much value to the reviewer to risk-inform the review.

22 The advanced non-light water PRA standard  
23 exists right now. That was on my mind as I read this,  
24 thinking the standard is providing me a mechanism of  
25 developing that PRA. But I would say that standard

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and its use is still maturing. There are limited  
2 examples right now of acceptable cases across the  
3 different designs, the application types, the level of  
4 maturity, to really think through the implications of  
5 using that PRA standard to develop the risk  
6 information necessary to comply with the proposed Part  
7 53 language.

8 So, I don't have them listed here as  
9 questions, necessarily, but some things that the  
10 developers were discussing just trying to get an idea  
11 of initial thinking about how the NRC view PRA  
12 development through a design cycle, including the  
13 capability of the PRA and how it would be delivered in  
14 terms of the license application.

15 Would it simply be insights? Would it be  
16 full PRA? Fault or event trees, event sequences,  
17 different information that may be required that maybe  
18 hasn't been before, and how does that relate to past  
19 precedent from Part 52 for expectations of PRA in  
20 applications?

21 If, as has been discussed kind of earlier,  
22 the idea that LMP wouldn't be required to comply with  
23 Part 53, how would an applicant meet those  
24 risk-related requirements, things like licensing basis  
25 event, frequency bins, especially in maybe a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 preliminary stage of design information that may have  
2 significant uncertainty, thinking about how would you  
3 be able to show compliance with that requirement  
4 without having that framework in place.

5 And, lastly, and it's a bullet at the end,  
6 many applicants are considering international markets.  
7 There are other regulatory frameworks that we're  
8 trying to make sure that the designs can fit within,  
9 the IAEA-specific safety requirements or markets that  
10 have dual requirements for deterministic and  
11 probabilistic safety assessments.

12 And we're trying to think through, in  
13 complying with Part 53 as it's developed, how are we  
14 making sure that we're preparing to reduce the  
15 additional effort of meeting some of those other  
16 market requirements? And to what degree is the  
17 language, is that the thing that's going to be  
18 produced, or the way that we go about demonstrating  
19 compliance maybe compatible with multiple market  
20 regulatory frameworks?

21 And I will pass it off to Ross to talk  
22 about the performance-based elements.

23 MR. MOORE: Hello. So, in addition to  
24 risk-informing the regulations, I think it's also  
25 important that the requirements also be appropriately

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 performance-based and ensure clear interpretation of  
2 those requirements. And our review of Part 53 Subpart  
3 B proposed language offers several examples where  
4 requirements could lead to uncertainty.

5 Clear performance-based criteria can allow  
6 designers to be flexible in how they implement design  
7 features, programmatic controls, or other approaches  
8 while improving predictability in the review process.  
9 Determining those performance-based criteria should  
10 also be specifically based on those requirements  
11 necessary to ensure adequate protection without  
12 escalating the quantity and scope of criteria beyond  
13 that protection. And that goes back to what Frank had  
14 previously mentioned about not ratcheting up  
15 requirements.

16 Performance-based requirements should  
17 specifically set measurable outcomes, such as dose  
18 goals, that allow an applicant to establish design  
19 criteria for a subsequent material or system testing  
20 that demonstrates a system or component as performing  
21 the way it was committed to perform, without  
22 prescribing the methods required to get there.

23 A good example of clear and measurable  
24 outcomes could be that proposed language in 53.220(a),  
25 which calls out measurable dose criteria based on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 previously determined safety requirement.

2 An example that is markedly less clear  
3 would be 53.220(c), which uses the phrase, and I  
4 quote, "additional requirements established by the NRC  
5 for ensuring reasonable assurance of adequate  
6 protection of the public's health and safety  
7 maintaining common defense and security."

8 This language is open-ended, difficult to  
9 interpret, uses terminology that isn't formally  
10 defined, and that could ultimately result in a moving  
11 target for an applicant to meet, especially depending  
12 upon, you know, a reviewer or technology.

13 So, that's for performance-based. And  
14 then some other considerations: tangentially, the Part  
15 53 performance-based requirements, as written, Part 53  
16 draft language -- and this has obviously been  
17 previously mentioned -- appears to rely heavily on NEI  
18 18-04, making it almost an implicit requirement.  
19 While efforts of the LMP should not be ignored, Part  
20 53 should accommodate the implementation of LMP rather  
21 than requiring it.

22 Performance-based, risk-informed  
23 regulations offer an opportunity to utilize risk to  
24 right-size the regulations using risk insights and  
25 determining appropriate level of requirements that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should apply based on the safety case of a design.

2 And then using performance-based language  
3 should offer an applicant flexibility in how to  
4 demonstrate that compliance.

5 Additionally, a properly implemented  
6 risk-informed, performance-based regulation should be  
7 technology- and design-neutral, minimizing the need  
8 for exemptions.

9 And then, lastly, the development of Part  
10 53 should consider the overall impact and level of  
11 detail requirements for perspective applicant types.  
12 Specifically, not all applicants will be coming in  
13 with the same purpose or with the same level with the  
14 design review maturity, depending upon the  
15 application. And that expectation should not be  
16 limiting in the language and requirements of Part 53.  
17 I know the content of applications has not yet been  
18 specified, but that would be the concern there.

19 Additionally, Part 53 is an opportunity to  
20 reconsider the language and framework and how it  
21 impacts applicants coming in under those variety of  
22 pre-established application approaches, like Part 50  
23 or Part 52, or potentially innovative approaches  
24 should they consider it.

25 That's all I have there, Cyril.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DRAFFIN: Okay, Ross and Travis, thank  
2 you very much. So, that concludes Nuclear Industry  
3 Council's comments on Subpart B.

4 MS. VALLIERE: Thank you. Thank you.  
5 Yeah, thank you to all the USNIC presenters. You've  
6 certainly given us a lot to think about and we  
7 appreciate your insights.

8 I guess I'll just pause for a minute here.  
9 Bill, do you have any high-level comments you want to  
10 make before we move on to the next presentation from  
11 NEI? And I note that NEI will touch on some of the  
12 same issues.

13 MR. RECKLEY: I guess I'll just -- the one  
14 that was maybe a recurring theme, at least mentioned  
15 in a couple of the areas, our intent, and I think  
16 we've been straightforward on this, has always been  
17 that NEI 18-04, licensing modernization, would be one  
18 way to meet the Part 53 requirements. And so I'll  
19 acknowledge we had that in mind as we were developing  
20 the language. We were not trying to require it, but  
21 having in mind that NEI 18-04 was one way to meet it  
22 definitely influenced how it was written.

23 So, your comments will give us some things  
24 to think about and maybe go back and look at the  
25 specific language if it got too specific.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           On the other hand, and this is an issue  
2           that we've always had, that when we've worked with NEI  
3           or we've worked with owner's groups or any group of  
4           applicants to come up with guidance like, in this  
5           case, NEI 18-04, it's one acceptable way and we'll  
6           acknowledge it's only one acceptable way. If  
7           individual designers or if groups, if there's a  
8           technology or other consideration, would want to  
9           develop, let's say, an alternate approach to defense-  
10          in-depth than that presented in NEI 18-04, or  
11          alternate risk criteria to the QHOs, which is also  
12          included in NEI 18-04, then we would certainly -- we'd  
13          be able to work with and cooperate with any other  
14          entity or organization that wanted to maybe step up  
15          and develop alternative guidance to that.

16                 So, I'll just leave it at that and we can  
17          get into the next presentation.

18                 MS. VALLIERE: Okay. Thanks, Bill. And  
19          now we're going to turn the floor over to NEI to  
20          present their thoughts.

21                 Marc, are you ready to present your slides  
22          on Subpart B?

23                 MR. NICHOL: Yeah. This is Marc. Can you  
24          hear me?

25                 MS. VALLIERE: Yes, we can. Go ahead.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. NICHOL: Okay. Excellent. Thank you.

2 So, thank you for the opportunity to present on this  
3 topic. We actually benefitted greatly from your  
4 explanation in the last meeting. And, with that, we  
5 had put together what I think were some pretty  
6 well-thought-out ideas and alternatives, you know,  
7 building on what you all had proposed in Subpart B and  
8 trying to improve upon that, while still being  
9 consistent, especially in the areas where we agreed  
10 with you. So this presentation will go into more  
11 depth and background on the letter we sent with those  
12 formal comments.

13 We can go to the next slide. And, I  
14 think, actually forward on to the next one.

15 So, I'm going to start talking about the  
16 safety criteria. This is the Subpart B. Your Subpart  
17 B had more than just the safety criteria, I'll address  
18 those other requirements as well, but I want to talk  
19 about the safety criteria. And you started out with  
20 safety objectives -- I'll skip safety functions --  
21 safety objectives, and then two tiers of criteria.

22 And, from your explanation, we really got  
23 the understanding that there was a tier that was  
24 dedicated toward reasonable assurance of adequate  
25 protection, and then there was a tier dedicated toward

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what we call extra-adequate protection. I know you  
2 called it minimized danger, which is the term used in  
3 the Atomic Energy Act. I'm told by my lawyers that  
4 extra-adequate protection is actually the preferred  
5 term of art in the legal world because it has a  
6 greater meaning to it.

7 So, we recognize -- or we understood that  
8 that's what you were trying to do. And so, within  
9 that, we agree and we believe that the primary focus  
10 really should be on a reasonable assurance of adequate  
11 protection since that's really the legal standard for  
12 licensing.

13 And, along the lines of some of the  
14 feedback you got in terms of clarifying what  
15 reasonable assurance of adequate protection means, we  
16 included that into all our alternative-proposed draft  
17 rule text, really basing a lot of it on the NRO 2018  
18 memorandum that went toward clarifying some of that,  
19 and especially making sure that it's clear that it  
20 doesn't mean elimination of all risk. And that's very  
21 key there, back to the regulatory philosophy comment I  
22 had made earlier in the meeting.

23 But we also recognize that the NRC has  
24 full discretion to implement regulations for  
25 extra-adequate protection. That's the court case

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's referenced here that sort of clarifies that.  
2 But we also know that the NRC has clarified that the  
3 focus of this extra-adequate protection really needs  
4 to be on substantial safety benefits that are  
5 justified by economic costs. And so that's an  
6 important element to capture in the regulations, which  
7 wasn't there before. And so you'll see from our  
8 alternative proposed draft rule text that we also  
9 provide that context.

10 And so, within that, we also recognize the  
11 NRC's proposal for two tiers was a little bit complex,  
12 or maybe overly complex, and it was really difficult  
13 to figure out how those work. That was actually part  
14 of -- I think that is a root of part of my challenge  
15 with understanding Subpart C, is that's where you  
16 really start to see how it becomes complex to  
17 implement two tiers.

18 And so in our proposed change or  
19 alternative it's still separated. And so we propose a  
20 requirement for reasonable assurance of adequate  
21 protection, and we proposed another requirement for  
22 extra-adequate protection. The criteria under -- we  
23 believe this is largely consistent with what the NRC  
24 was proposing. Under the reasonable assurance of  
25 adequate protection requirement, the criteria of 25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rem for what we call infrequent events would be there.  
2 Infrequent events is the term for what would capture  
3 design basis accidents. And so part of my comment  
4 earlier today is we could structure the requirements  
5 without defining classifications, and that would be  
6 the way to do it, term it as an infrequent event  
7 rather than a design basis accident.

8 And then the other requirement for  
9 extra-adequate protection, this is where you get your  
10 normal operating conditions, including, you know, if  
11 somebody had an AOO, that would be a normal operating  
12 condition.

13 And then you have another criteria for  
14 rare events. And this would be, presumably, design  
15 basis events, but, again, not having to use that term.  
16 And so for those very rare events.

17 And so we think by setting it up that way  
18 that, once we start to develop these other safety  
19 construct requirements, it will be much cleaner to tie  
20 them to these two requirements and be able to specify  
21 what additional requirements apply to things that are  
22 being provided to meet adequate protection versus  
23 what's needed to meet extra-adequate protection.

24 So, we do think that it's consistent. You  
25 know, and we tried to simplify the language as well.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'll get into a little bit of clarity of language  
2 later within that.

3 There was a difference, one major  
4 difference -- and if you can go to the next slide now  
5 -- one major difference between what the alternative  
6 group proposed and what you had. And it really gets  
7 into the area of ALARA. And, you know, I didn't  
8 mention it specifically; there was the effluent dose  
9 releases that you had in there, as well. So, I sort  
10 of consider that as a type of ALARA, a more  
11 prescriptive ALARA requirement. And we didn't see  
12 that the ALARA really is needed for Part 53  
13 requirements.

14 Now, there is a cost for regulatory  
15 compliance. We don't really think there's a  
16 substantial safety benefit. Part of my comment  
17 earlier today is regulating to safe and not trying to  
18 regulate ever-increasing levels of safety. Safe is  
19 safe. So let's be safe. But, beyond that, let that  
20 be to the discretion of the licensee.

21 And we do plan to implement ALARA  
22 practices. They make sense. They're wise practices.  
23 And, you know, even the Commission had noted a while  
24 back that the concept is intended to be an operating  
25 principle, not an absolute. And so I really take that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to mean that, hey, it's a guiding principle. If you  
2 can do it, you know, implement it the way it makes  
3 sense to you. I don't really think that it's  
4 something the NRC has to require.

5 For either of those, you know, it's  
6 certainly not adequate protection, and I don't think  
7 it's really necessary for extra-adequate protection  
8 because you've already got the criteria for normal  
9 operating conditions, 100 millirem to the public, or,  
10 for the rare events, which the NRC proposed QHOs.  
11 We'll talk about alternatives for that a little bit  
12 later here.

13 So that really would be the argument about  
14 why ALARA is not really needed. It's not that it's  
15 not a good idea. It's not that industry won't  
16 implement it at the plant. It's just a matter of not  
17 really needing to fall within the NRC's regulatory  
18 footprint.

19 We do know that this would be a difference  
20 and a change. We don't think that there would be any  
21 negative impact to safety. As I mentioned, safety is  
22 focused on those safety criteria, not how you can  
23 cost-justify it going down to lower levels of safety.

24 And we did mention in our letter that if,  
25 you know, the NRC wanted some greater assurance that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 industry actually is going to look at doing ALARA  
2 programs, that you could issue a policy statement  
3 encouraging industry to do ALARA, similar to the  
4 advanced reactor policy statement, which encouraged  
5 industry to develop advanced reactor designs that have  
6 improved safety levels. And we follow that. We  
7 believe in that policy statement. And I think you see  
8 the advanced reactor designs that are coming about do  
9 have increased levels of safety.

10 So, next slide, please. Now I'll talk  
11 about the quantitative health objectives. And we've  
12 talked for more than two months with our members about  
13 this. It's been a topic of great conversation and  
14 great insight. I would say that there are people that  
15 do like quantitative health objectives in the rules,  
16 and there are people that don't like the QHOs in the  
17 rules.

18 NEI has not yet taken a position on it as  
19 an industry position. We do plan to do so at the  
20 right time, but we think that, more than that, it  
21 deserves some more detailed discussion. It's not a  
22 light topic to just pop the QHOs into the requirements  
23 and move forward. We think that needs to be really  
24 well-thought-out and it really needs to be a  
25 deliberate decision.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The reason is: this would be the first  
2 time the QHOs are in the rules. And the Commission  
3 always intended the QHOs to be as a policy statement,  
4 not in the rules. So this would be something to  
5 really do with a lot of forethought.

6           I do want to make sure that we all  
7 understand that whether the QHO is in a policy  
8 statement or whether it's in the rules, the level of  
9 safety of the plant is the same. The design, the  
10 analysis, the NRC scope of review, they are the same.

11          The QHOs will have to be met regardless of being a  
12 policy statement or a regulation.

13           So, that's not the consideration. The  
14 difference is in legal compliance with the  
15 requirements. And so, if the QHOs are in the policy  
16 statement, there's no legal compliance because, you  
17 know, there's no requirement to legally comply with.  
18 And so, if it is in the rules, then there is.

19           So, let's go to the next slide. There are  
20 two options here that we've discussed and come up  
21 with. One is the QHOs in the rule language. And if  
22 it were in the rule language, we would propose framing  
23 it differently. We think that this framing is more  
24 precise, accurate, and leads to less confusion, but is  
25 otherwise largely the same as what the NRC proposed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And the other is, if the QHO is in the  
2 policy statement, the question is, well, what is the  
3 criteria for -- under extra-adequate protection, what  
4 is the criteria for these rare events, or what we  
5 typically call beyond design basis events? Well, we  
6 think that the alternative there could be similar to  
7 what's done under Part 50/52 and equivalent to 50.155,  
8 which is the mitigation of beyond design basis events.  
9 And if we did that, then we could write more  
10 technology-inclusive performance-based language for  
11 Part 53. This is the language that we had come up  
12 with.

13                   So, that's how we see it. And I really  
14 would like to understand from the NRC -- so this is a  
15 question I hope you will respond to in this meeting,  
16 because it came up in Subpart C where it appeared that  
17 even if the -- you know, the NRC is requiring  
18 mitigation of beyond design basis events even if the  
19 QHOs are in the rule. So, we see it as an either/or.  
20 I don't know if the NRC sees it as, regardless of  
21 where the QHOs are, you're still going to have a  
22 requirement for mitigation, or if you also see it as  
23 an either/or. So, hopefully at the end of my  
24 presentation you might be able to shed some light on  
25 that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Next slide, please. This is looking at  
2 the advantages of the QHOs in the rule versus the  
3 disadvantages. This doesn't look at the opposite,  
4 which is what are advantages of QHO in the policy  
5 statement. It's not exactly an inverse of that, but  
6 it's close enough.

7           So, I will talk through this a little bit.

8           And on the advantages side, we do recognize that  
9 there is enhancements to the regulatory stability,  
10 because if the QHOs are in the regulations, then it's  
11 harder for these limits to change or for arbitrary  
12 judgments to be made on the QHO. So there is some  
13 regulatory stability.

14           Likewise, there's some additional clarity  
15 that's provided by having specific limits of  
16 acceptable risk to the public for these beyond design  
17 basis events, specifically, you know, in the risk  
18 areas that are presented in there.

19           Having the QHOs in the rule ensures that  
20 the regulations are explicitly -- that the regulations  
21 explicitly result in the risk levels that comply with  
22 the QHOs. And the QHOs -- I'm going to combine a  
23 couple -- the QHOs are also the maximum acceptable  
24 consequences, and, therefore, avoid more conservative  
25 surrogate requirements. And so there is a lot of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 benefit in that in terms of not being overly  
2 conservative in that area.

3 And the QHOs are understandable to the  
4 public because they're expressed in terms of public  
5 health effects. That's latent cancers and immediate  
6 health effects. And we believe that if the QHOs are  
7 in the rule, then they could eliminate the need for  
8 mitigation on beyond design basis events.

9 Now, on the disadvantages side, including  
10 that QHOs can increase regulatory uncertainty because  
11 it would establish the requirements without specifying  
12 the consequence limits. So, if you look at the other  
13 criteria, 25 rem for adequate protection, 100 millirem  
14 for normal operations, this would not specify the  
15 consequence limits.

16 So the question is: what are the doses for  
17 immediate fatalities and latent cancers that would be  
18 acceptable? The answer is: it's fairly complex. And,  
19 you know, to the best of my understanding, the only  
20 place it's documented currently is in computer codes,  
21 analytical codes, like MACCS.

22 Now, that doesn't mean that it couldn't be  
23 specified in guidance. And certainly, if QHOs were in  
24 the rules, then we would push for these consequence  
25 limits being in guidance. But not having them in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rule, they could be subject to change. That reduces  
2 some regulatory stability if they were.

3 The other thing, I did mention earlier  
4 that the Commission's intent was not to have the QHOs  
5 as limits, but rather as goals. So including them in  
6 the regulations would make them limits.

7 And then there is increasing licensing  
8 risks. The complexity of demonstrating QHOs are met  
9 are high. Now, that complexity is not eliminated by  
10 keeping them in a policy statement, but the complexity  
11 or the difficulty in demonstrating it in the legal  
12 compliance space increases. There's also some  
13 subjectivity to changes and some societal risks that  
14 could force changes to the facility design if they're  
15 in the rules. I think there's less flexibility in  
16 that area. And I mentioned how these analyses would  
17 be used for legal compliance.

18 The last one here is an unknown. We  
19 looked at the history of the QHOs. The NRC  
20 discontinued its efforts, back in 2000, to update the  
21 safety goals. And it was really the staff was  
22 pursuing it, the Commission said don't do it, let's  
23 get more insights from risk decision-making and then  
24 do it. So the question would be, if we're putting  
25 QHOs in the rules, would it necessitate a need to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 update the QHOs at that time? So, that would be a key  
2 uncertainty.

3 And the purpose of putting these  
4 advantages and disadvantages up here is to create  
5 discussion. As I said, we haven't taken a position on  
6 it. We'd invite the NRC's reflection on these  
7 advantages and disadvantages. And it's not to say  
8 that, you know, putting it in the rule is all for the  
9 best or putting it in the rule is all for the worst.  
10 There's arguments on both sides. And so I just want  
11 to make sure we collectively make our decisions with  
12 full information.

13 Next slide, please. Somewhat related to  
14 the QHOs is this topic of quantitative frequencies.  
15 Even in the 25 rem, the NRC had put in there  
16 frequencies greater than once in 10,000 years. And,  
17 again, some people like to have quantitative  
18 frequencies in the rules. Others prefer to have the  
19 quantitative frequencies in guidance and then use  
20 qualitative frequencies in the rule.

21 So I did want to, again, stimulate  
22 conversation and make sure we're making a  
23 well-informed decision. And, again, whether the  
24 quantitative frequencies are in the rule or whether  
25 they're in guidance, the level of safety is the same.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       The applicant's design, analysis, and scope of review  
2       are the same. It's just a matter of what are the  
3       additional benefits or disadvantages of putting them  
4       in the rule.

5               And so, here, the third sub-bullet under  
6       the first bullet is really a comparison of what it  
7       would look with qualitative versus quantitative  
8       frequencies. The first italicized brackets is the  
9       qualitative frequencies. So, here, where we're  
10      talking about infrequent events, this is for adequate  
11      protection of 25 rem. And frequent events would be  
12      ones that are not expected to occur in the lifetime of  
13      a nuclear power plant. That's a qualitative. And  
14      then in guidance we would say not have expected  
15      frequency greater than once in 10,000 years. Or, if  
16      the quantitative were in the rule, you would say that  
17      infrequent events are those that have expected  
18      frequencies greater than once in 10,000 years.

19              The other thing I'll point out, just in  
20      terms of what we think is better clarity of rule text,  
21      we eliminated some extraneous words. And so it does  
22      read slightly different than the NRC's, but from a  
23      technical perspective it comes to the same conclusion.

24              Again, including quantitative frequencies  
25      in the rule would be a first of the kind, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certainly there would be more stability from that  
2 because the values are more difficult to change in the  
3 future. But we do need to consider potential for  
4 unforeseen complications. There's been expressed a  
5 concern that the role of the PRA in demonstrating  
6 legal compliance would increase.

7 I think we see that reflected in Subpart C  
8 where you have many more prescriptive requirements on  
9 PRA and what we would do. And I note that, you know,  
10 Peter Hastings had made a cautionary comment about  
11 that. And then also what happens is the state of the  
12 art of the PRA continues to change over time.

13 Next slide, please. I mentioned the  
14 related requirements. And in our letter we did not  
15 propose alternatives for those because I think they  
16 fit better with what's been put into Subpart C, you  
17 know, the design features and those sorts of things.

18 The licensing basis events, the  
19 defense-in-depth, the safety functions, those all sort  
20 of fit together in what we're calling the safety  
21 construct.

22 And so we wanted to focus now on just the  
23 safety criteria, and we intend to come back and  
24 address those safety functions, LBEs, defense-in-  
25 depth, when we make comments on Subpart C. So I want

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to make sure you're aware of that.

2 Similar to USNIC, we think that for  
3 occupational exposure the NRC proposal wouldn't be  
4 consistent with Part 50/52. It really -- and similar  
5 to NRC's proposal for ALARA -- moves it from a  
6 radiation protection program into design constraints.

7 And that would be new and we don't think it is really  
8 justified. So we would propose to address  
9 occupational exposure similar to Part 20. You know,  
10 our proposal that would not have requirements in Part  
11 53 for ALARA would need to figure out how to address  
12 those Part 20 requirements that are related to ALARA  
13 that would not apply to Part 53. But that could  
14 easily be done.

15 Administrative requirements. There will  
16 be a whole bunch of these that I think we'll need to  
17 put together as we go forward. One is the NRC's  
18 authority for new requirements. That was in one of  
19 your criteria. I think the comments back at the last  
20 meeting, we took it to mean that, oh my gosh, every  
21 application you're going to come up with new  
22 requirements here. Your comment was, no, this is  
23 really the NRC's authority to do that. And we agreed.  
24 And we do also acknowledge it has some limitations,  
25 like a backfitting. So, those could be rolled up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 together somewhere in an administrative subpart.

2 I touched mostly on some specific areas  
3 for performance-based language. And, really, when we  
4 write these, we want to avoid unnecessary language.  
5 So, wherever we don't need a word, don't include the  
6 word; wherever a word or term or phrase is ambiguous,  
7 don't use it in that way. Make sure it's clear and  
8 precise. That will avoid complications.

9 So, some of the terms that were used,  
10 "high confidence," "upper bound," I think those were  
11 mainly used for quantitative frequencies. And, you  
12 know, we may have some technical comments about  
13 whether those are the right things or not, but they're  
14 better included in guidance rather than rule language.  
15 And I think you'll see our alternatives to  
16 quantitative requirements show how you could eliminate  
17 them.

18 And then there were a lot of repeating of  
19 similar information which every time it's in there --  
20 and I'll just pick on the term "design features and  
21 programs will be included to demonstrate" -- or every  
22 time you include the same thing over and over and over  
23 again, that's a new requirement that has to be  
24 demonstrated. And especially if it's phrased  
25 differently, then that's going to come up with all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 kinds of complications.

2 So, the idea here would be simple, not  
3 repetitive, in that regard. That was part of the  
4 thinking we tried to put into our alternative proposed  
5 draft language, which we think it accomplishes the  
6 exact same thing you did in your safety criteria. And  
7 so we look forward to your feedback on that.

8 Next slide. I'll go through quickly here.  
9 I know the meeting is coming close to an end. Also in  
10 our letter we proposed success criteria, or you could  
11 also call them project requirements. And this is  
12 success criteria for what does a successful Part 53  
13 look like?

14 And this follows up from our October  
15 letter with a systematic approach where you start by  
16 defining the -- having the end in mind and defining  
17 what the end product needs to look like. In this  
18 case, it's the final Part 53 rule. And then you can  
19 work toward those requirements. And it gives a lot of  
20 benefits.

21 One is you can make sure that you're  
22 working towards success the entire time, because you  
23 already know what it looks like. You could use that  
24 to plan discussions for these meetings with  
25 stakeholders and also guide the development.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           What the success criteria did not do is  
2 define, you know, how to do it or the process to do  
3 it. That's really not the intent. And so you'll see  
4 things within our success criteria like, you know,  
5 defining the safety construct or the safety criteria,  
6 things we're talking about now, but also things like  
7 defining the types of licenses to be approved, what is  
8 the application process. We also identified in there  
9 operations, construction, that sort of thing.

10           So, having that all laid out together I  
11 think actually helps facilitate what was discussed  
12 earlier today, which is alignment on the grand vision  
13 of Part 53 and how everything fits together. That's  
14 one of the benefits of the success criteria, is it  
15 shows how everything is fitting together. So we  
16 encourage NRC feedback on that.

17           And when we developed these project  
18 requirements, we aligned them with both the NEIMA and  
19 the vision and goals that we proposed in our October  
20 letter. So we think that there's great alignment  
21 there. And while we intended to be exhaustive, we do  
22 expect additional criteria to be identified, just as  
23 further clarification of the scope or as we start to  
24 realize we forgot things.

25           Next slide. This is just a listing of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some of the higher level ones. I mentioned a couple  
2 of these. But, even in terms of defining, well, what  
3 are the licenses, you know, starting to talk about how  
4 is this going to fit back with 50 and 52 is going to  
5 help, because if the NRC has a vision of how 53 fits  
6 with 50 and 52 and it's different than what  
7 stakeholders are thinking in 50, 52, and 53 working  
8 together, then that's going to lead to a lot of  
9 differences in perspectives on how the details within  
10 each of these requirements work.

11 And I'll just take the Part 20 as an  
12 example. That's probably the first one that came up.  
13 You know, is the intent to have radiation protection  
14 all in Part 53? Is it to reference completely to Part  
15 20? Is it to, you know, somehow recognize that not  
16 all of Part 20, specifically ALARA requirements, don't  
17 need to apply, and that's what needs to be worked out?  
18 Or even there was an earlier discussion about  
19 security. How is security going to fit in?

20 I think that we really should discuss an  
21 integrated approach to safety and security. Whether  
22 at the end of the day that makes sense to put into  
23 Part 53 or not needs to really come out of a  
24 discussion. I think that there's a lot of potential  
25 benefit to doing that, but, anyway, that's what this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 type of document can drive.

2 Next slide, please. We need some feedback  
3 on some ACRS recommendations. The first is addressing  
4 uncertainties. We didn't really agree with their  
5 assessment on this. We think, first, we did agree  
6 that a systematic approach needs to be done to address  
7 uncertainties. We really think that this can be done  
8 with modern tools. Specifically, NEI 18-04, we think,  
9 does this. And so we disagreed with their presumption  
10 that you have to use deterministic postulated worst  
11 case approaches for all designs.

12 We think a better approach would be to  
13 focus on these more risk-informed things that's being  
14 developed, but also allow flexibility for  
15 deterministic if that's the approach that works best,  
16 but that not be, you know, the primary focus. Similar  
17 prototype licensing should be an option, but it  
18 shouldn't be required.

19 And then the GDC, the ACRS seem to imply  
20 that the GDC from Part 50 should be included in Part  
21 53. Maybe a technology-inclusive adopted -- or  
22 adapted, I should say. We really -- based on our  
23 experience with the ARDC and trying to be  
24 technology-inclusive, it seems really difficult to  
25 come up with a set of design criteria for Part 53 that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would be applicable to all designs.

2 So, while we think design criteria need to  
3 be addressed in Part 53, we don't think a set of it  
4 that applies to all reactors is the best way to do it.  
5 So we're looking at proposing an alternative approach  
6 when we make comments to Subpart C and the other  
7 requirements from Subpart B that we didn't comment on  
8 yet.

9 I think that's all I had, if there's any  
10 questions or feedback.

11 MS. VALLIERE: Thank you, Marc. We  
12 appreciate NEI's comments on Subpart B and the other  
13 topics you covered.

14 Bill, do you have any comments you'd like  
15 to make before we move on to our final stakeholder  
16 presentation?

17 MR. RECKLEY: No, not specifically. Was  
18 there something, Marc, that you were looking  
19 specifically for feedback from us?

20 MR. NICHOL: Yeah. There was one specific  
21 question, if you're able to answer it now. And that  
22 is: you proposed the QHOs in the requirements, and  
23 then today we saw there was a potential requirement  
24 for mitigation of beyond design basis events. We  
25 would see that if QHOs are in the rule, then there's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 no need for a mitigation of beyond design basis event  
2 requirement. That it's one or the other.

3 And I was wondering if you saw it as one  
4 or the other, or if you see it as, regardless of where  
5 QHOs go, you are also going to need a mitigation of  
6 beyond design basis event requirement.

7 MR. RECKLEY: Yeah. I mean, we were  
8 trying to capture things to make sure we didn't lose  
9 anything, and where that showed up is if not covered  
10 in the PRA. So, my own personal thought is that, for  
11 example, if you were using NEI 18-04, you would  
12 probably disposition that as being covered. It would  
13 require a little bit of additional guidance, because  
14 keep in mind that 51.55 is not for beyond design basis  
15 events. It's for a specific beyond design basis event  
16 that's actually defined within the rule. But we did  
17 want to make sure we didn't lose that thought, and  
18 gave it some further consideration.

19 So, I know we had -- even as we were  
20 writing it, we knew there were more work to be done in  
21 that area, but -- so I generally agree with you that,  
22 as we matured this, if you followed a probabilistic  
23 approach and had a metric like QHOs, that you could  
24 probably not need to do anything in addition to  
25 satisfy the mitigation part of 51.55.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We also have to look at the loss of large  
2 area part of 51.55, and that's going to be an area of  
3 additional discussion. So, we know this is a work in  
4 progress. And, you know, I'll be honest, we haven't  
5 thought all of this all the way through.

6           MR. NICHOL: Yeah. And you'll see that --  
7 and they're on the slide now at 60 there. So, if you  
8 look at the bottom bullet, that also addresses loss of  
9 large area. So, we try to take that entire thing and  
10 say, well, you know, adequate protection comes from  
11 assuring that the -- and I'll just use the design  
12 basis accident even though that's not the terms we're  
13 using -- design basis accident, so less than 25 rem.  
14 But there are accidents with, you know, that are  
15 beyond that, and we need to have a cutoff for that as  
16 well, that are beyond that that we need to have a  
17 little bit of extra-adequate protection.

18           And so we said, well, if we didn't use  
19 QHO, then how would you do that extra-adequate  
20 protection for these beyond design basis events? And  
21 the conclusion was, well, you could mitigate them,  
22 because the mitigation is a very good approach. And  
23 you can see here that the types of mitigation you need  
24 to be able to -- the capability to maintain or restore  
25 the fundamental safety functions, you know, access and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 use of offsite. And that could apply to anything  
2 that's a beyond design basis event.

3 So, anyway, we --

4 MR. RECKLEY: No, this is very useful and  
5 it gives us some things to think about. Again, you  
6 know, you have to be careful as you're bringing things  
7 -- and you cautioned us, and then I'll return the  
8 caution of bringing things over back and forth between  
9 50, especially Part 50, and what we're proposing here.

10 You know, 51.55 was added to a set of  
11 plants that had pretty much well-defined requirements  
12 already, including compliance with station blackout  
13 rule and things like that. And so we added this in  
14 that context.

15 If we went to your proposed language, you  
16 know, we would end up still having to discuss, in my  
17 opinion, having to discuss a probabilistic element to  
18 this, which is: would your wording, the proposed  
19 wording on the slide, simply require one success path?  
20 And is it clear that one success path is always okay?

21 For 51.55, we were able to evaluate that  
22 in the context of it was being added onto a set of  
23 requirements in terms of the existing accident  
24 analysis, as well as things like the emergency  
25 procedures and the requirements that were added for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the 9/11 orders and all of that. So, it was added on  
2 in that context.

3 And so, as we look to come back, it may  
4 very well be a proposal, but there would still be then  
5 questions we'd have to answer that, in my own opinion,  
6 are resolved, actually, by referring to the QHOs.

7 So, anyway, we'll look at your wording,  
8 and it's a good point of discussion.

9 MR. NICHOL: Yeah. And just to provide  
10 clarity as you think through it -- and we'll just take  
11 station blackout as one. So, let's say a plant  
12 identifies a station blackout as a beyond design basis  
13 event. So it would fall under this requirement.  
14 Well, the requirement would be to maintain or restore  
15 the fundamental safety function. So, let's just say  
16 that plant's fundamental safety function is core  
17 cooling.

18 Well, if it can provide core cooling  
19 without electric power, then a station blackout is not  
20 really an issue. So, boom, that whole issue goes away  
21 for them. Or, if it is an issue for them, well, they  
22 may need to have some ability to address the station  
23 blackout.

24 So I think it does give that flexibility  
25 to think through it without adding in a lot of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 complexity and prescription. So I think it's fairly  
2 flexible from a technology-inclusive approach, but --

3 MR. RECKLEY: Okay. It may be. We'll  
4 look at it. Thank you.

5 I guess it is approaching 4:30. So, Nan  
6 or Bob, if we want to go on to --

7 MS. VALLIERE: Yeah. So, I think next  
8 we're going to turn the floor over to Michael Keller  
9 from Hybrid Power Technologies.

10 Michael, are you on the line and prepared  
11 to present your slides on Subpart B?

12 (Pause.)

13 MS. VALLIERE: So, perhaps Michael was not  
14 able to join us today. So, Michael's slides are in --  
15 go ahead, Bob. Were you going to say something?

16 MR. BEALL: Yes. Mike, can you unmute  
17 your phone if you're on the line? Or put something in  
18 the chat window if you are.

19 (Pause.)

20 MS. VALLIERE: So, Bob, it appears, as I  
21 was saying, that he was not able to join us today.

22 MR. BEALL: Yes.

23 MS. VALLIERE: So, perhaps we can just  
24 alert the other attendees to the fact that his slides  
25 are included in the slide package that you referenced

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 early in today's meeting. And that can be found in  
2 the public meeting page on the NRC's public website.

3 And so I guess at this point I'll ask --  
4 we have had some raised. Is that correct?

5 MR. BEALL: Yes, we have two.

6 MS. VALLIERE: Yes. Mr. Kee first?

7 MR. BEALL: Yes, ma'am. So, Ernest, if  
8 you could unmute your phone?

9 DR. KEE: Hi. I promise to leave after  
10 this comment, but I did go back and look at the AEA as  
11 amended, and I think Congress has it right that  
12 reasonable assurance with adequate protection is  
13 called out in two places there with regard to  
14 temporary or interim use. And that's Section 189 and  
15 192.

16 But Section 189 and 192 -- and Section  
17 182, which is, I think, what we're up against here --  
18 it, in my opinion, purposely leaves off the reasonable  
19 assurance. So I'll just leave it at that.

20 And with regard to the discussion around  
21 probabilistic risk assessments and, most recently,  
22 quantitative health objectives, I want to warn y'all  
23 that we don't have the law of large -- this isn't like  
24 automobile accidents where you can find frequencies of  
25 different kinds of consequences. We don't have that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 here. And so it's very valuable in probabilistic risk  
2 assessment to look at the scenarios, like I think  
3 people have said earlier, what will take you to a  
4 problem?

5 But when you go to assigned probabilities,  
6 this becomes kind of, I think, a bridge too far,  
7 especially -- I mean, we don't have enough data even  
8 in the existing reactor fleet. One hundred reactors,  
9 we don't have the law of large numbers even close on  
10 our side, especially domestically.

11 Now, if we now go to advanced reactors  
12 where nothing exists, they haven't even been built  
13 yet, then I just think this indicates caution on  
14 trying to assign probabilities, and I would go back to  
15 saying let's be careful with that. That's all I have  
16 to say.

17 MR. RECKLEY: Okay. Thank you. I'll use  
18 this as an opportunity to plug an effort the NRC  
19 didn't do, this was a DOE initiative working with EPRI  
20 and Vanderbilt and some others, to look at basically  
21 going to -- from process hazard analysis, or other  
22 tools, and using those assessments that are not as  
23 focused on the probabilities to then inform and build  
24 the PRA.

25 The other aspect is I think we will all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have to be comfortable with large uncertainties as  
2 PRAs are used.

3 And that might be a little different than  
4 what we were accustomed to, but that actually can be a  
5 good thing to use the PRA, acknowledge that there's  
6 large uncertainties in -- but continue to use it as a  
7 tool.

8 But anyway, I'll leave it there. We have  
9 more hands raised. So, Nan or Bob?

10 MR. BEALL: Yeah. I think the next one is  
11 Ed Lyman. So, you can unmute, please.

12 MR. LYMAN: Hi. Can you hear me?

13 MR. BEALL: Yes, sir.

14 MR. LYMAN: Hi. Thanks. A few comments.  
15 So, I had to laugh when the NIC presentation suggested  
16 that you define "adequate protection" in the context  
17 of this rule. And just looking at the schedule you  
18 have, the idea that you can actually do that and  
19 resolve an issue, which I think has been discussed for  
20 -- since the Atomic Energy Act was originally passed,  
21 that you can do that by the end of this year is -- I  
22 assume you understand how absurd that is.

23 Not that I wouldn't be opposed to you  
24 coming up with a clear definition of "adequate  
25 protection," but I think the Commission's weighed in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 periodically that that isn't necessary.

2 On the QHOs, we certainly don't support  
3 the use of the current numerical values for the QHOs  
4 in any kind of new rule.

5 As you know, the QHOs do not even -- they  
6 are -- greatly exceed the risk profile for the current  
7 fleet looking at SECY -- let us see, 97-208, where the  
8 staff pointed out that a core damage frequency of ten  
9 to the minus 4th per year is more stringent than the  
10 QHOs.

11 So, given the CDF of the fleet average is  
12 less than that, that means the QHOs are much less  
13 protective than even the current fleet. So, including  
14 them in a rule for advanced reactors, which arguably,  
15 you know, are not supposed to be safer than the  
16 current fleet, but certainly not less safe, so I think  
17 without revising them and updating them they should  
18 not be included.

19 And certainly without an additional  
20 societal risk QHO that would address the issue of land  
21 contamination and non-individual risk end points.

22 The other aspect of the QHOs and trying to  
23 -- because they're explicitly in terms of cancer risk  
24 and (audio interference) cancer risk, the linkage of  
25 those to actual fatality risk is not a uniform linkage

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 across the population.

2 In fact, as the NRC or in all other  
3 federal agencies are going to have to grapple with the  
4 issue of racial equity and discrimination in their  
5 regulatory processes, I think you're going to have to  
6 take a hard look at whether using these uniform risk  
7 metrics that don't take into account the pathway  
8 between being exposed to a carcinogen, you're actually  
9 dying of cancer, which is rooted in discrimination and  
10 racial inequity in access to healthcare and all those  
11 other factors. You're going to have to grapple with  
12 that. We're going to make sure that you grapple with  
13 that.

14 My final point -- well, actually I had a  
15 question and it was to Mr. Nichol. He compared two  
16 numbers which I think are not direct comparisons and I  
17 just want to make sure I understood that.

18 So, could the NRC clarify when he put  
19 events -- this is slide 59 of the slide deck. He  
20 compared events between 1 in 10,000 years and 5 in 10  
21 million years where the first was the reference to the  
22 -- sounds like a reference to core damage frequency,  
23 but the second is the QHO. And that isn't core damage  
24 frequency. That's individual latent fatality risk.

25 So, can someone clarify if that's what's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going on there? Thank you.

2 MR. RECKLEY: I think, and since it's not  
3 my slide, but I think the 1 in 10,000 to 5 in 10  
4 million are relating to basically back to the  
5 licensing modernization. That is the band that we  
6 refer to in Reg Guide 1.233 and referencing NEI 18-04  
7 as the beyond design basis event category.

8 And so, as we were developing this  
9 language in Part 53, we used the 1 in 10,000 --

10 MR. LYMAN: But those are apples to  
11 oranges. Isn't 5 in 10 million, isn't that the QHO --

12 (Simultaneous speaking.)

13 MR. RECKLEY: It actually does and it's  
14 where the numbers correspond. It's also in -- and I  
15 don't know. Maybe I can ask Marc to come in since I'm  
16 trying to interpret his slide.

17 MR. NICHOL: Am I still through or do I  
18 need to unmute?

19 MR. BEALL: No, Marc, you're still good.

20 MR. NICHOL: Okay. Yeah. No, that was  
21 shorthand. So, the events to a frequency of 1 in  
22 10,000 years is the adequate protection. That's  
23 design basis events. And then events up to 5 in 10  
24 million years, that's the cutoff for beyond design  
25 basis events. So, that was just to reflect that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Those numbers aren't being compared there.

2                   So, it's just basically saying beyond design basis  
3 events are those that have a frequency between 1 in  
4 10,000 years and 5 in 10 million years. And that's  
5 consistent with LMP, NEI 18-04 and NRC-established  
6 policy.

7                   MR. LYMAN:    So, let me ask what's the  
8 physical origin for 5 in 10 million year core damage  
9 frequency?

10                  MR. NICHOL:   That's not a core damage  
11 frequency. That's --

12                  MR. LYMAN:    Then it's apples to oranges.  
13 Those aren't the same units.

14                  MR. NICHOL:   Well, the 1 in 10 million  
15 years is also events. They're both events. We don't  
16 use core damage frequency for advanced reactors.

17                  MR. LYMAN:    No, the -- well, actually we  
18 do, but it -- by saying 1 in 10,000 years in the rule  
19 refers to a frequency of initiating event, right?

20                  MR. RECKLEY:   No, an event sequence. So,  
21 it's not just the initiating event.

22                  MR. LYMAN:    Okay. The sequence. That's  
23 the -- an event sequence. 5 in 10 million is what the  
24 QHO -- that is likely in cancer fatality risk.

25                  MR. RECKLEY:   And that's -- well, it's not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a coincidence, but sort of a coincidence. It's also  
2 within licensing modernization. The bottom frequency  
3 --

4 MR. LYMAN: Okay. But what --

5 (Simultaneous speaking.)

6 MR. LYMAN: All right, but I wasn't aware  
7 of that, but what is the technical rationale for that?  
8 That's kind of odd.

9 MR. NICHOL: I'm not the expert on the LMP  
10 approach. So, I can't answer.

11 MR. LYMAN: Possible the LMP screwed up.  
12 I have to go back and look at it now.

13 MR. RECKLEY: Well, yeah. Well, and look  
14 at the Reg Guide. I mean, we did give a fair amount  
15 of consideration to how far down in the frequency  
16 ranges you needed to look at events.

17 The proposal in NEI 18-04 was -- it was  
18 the 5 in 10 million years. We thought that was a  
19 reasonable number with the caveat, as we pointed out  
20 in the regulatory guide, that it's not an absolute  
21 floor.

22 That the PRA is going to be looking at  
23 sequences at lower frequencies and you do need to go  
24 down to lower frequencies to look for things like  
25 cliff edge effects and other factors and uncertainty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to make sure there's no uncertainties that are going  
2 to push the 5th or 95th percentile above that  
3 frequency range.

4 MR. SEGALA: And, Bill, they also do  
5 cumulative risk measure looking at all the event  
6 sequences to compare against the QHOs in LMP as well.

7 MR. RECKLEY: Right.

8 MS. VALLIERE: Okay. I don't think we  
9 have any other hands raised, do we, Bob?

10 MR. BEALL: No. I don't see anything  
11 else.

12 Is there anybody on the bridge line that  
13 would like to ask a question or make a comment? If  
14 you do, please put something in the chat window or  
15 unmute your phone with \*6, please. Say something.

16 (Pause.)

17 MR. BEALL: Okay. Let's go to the next  
18 slide. I think USNIC would like to make some closing  
19 remarks.

20 Cyril?

21 MR. DRAFFIN: Thanks. This is Cyril  
22 Draffin for the US Nuclear Industry Council. Go to  
23 the next slide.

24 We certainly appreciate the opportunity to  
25 have a dialog with the NRC staff regarding a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 streamlined Part 53 that meets the adequate protection  
2 standard. It might be a challenge, but we think the  
3 group is up to it and we can provide more comments on  
4 the proposed Subparts C and F in the next couple  
5 weeks.

6 And as Jeff Merrifield mentioned, we  
7 suggest a more interactive workshop on Part 53 to  
8 enable -- facilitate more dialog, raise some of the  
9 issues that we've raised, and NEI has raised today,  
10 and kind of go through some more of the details than  
11 just long presentations and some response.

12 Bill had indicated that there might be an  
13 all-day meeting. I know you had indicated earlier on  
14 it might be in early February and we're happy to work  
15 with the NRC to make that as constructive as possible.

16 On the last slide, we had just a reminder  
17 that advanced reactors can be used for more than just  
18 power generation and so we need to think through  
19 nonpower applications as well.

20 And that every element of the licensing  
21 process needs to be considered, and that includes  
22 technical, administrative and procedural lines and the  
23 Advisory Committee on Reactor Safeguards, how they  
24 interact with applicants, questions they ask, how they  
25 overload in terms of duration of comments.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So, it's not just what they recommend, but  
2           also how much time it takes to work with them, what  
3           their role is, as well as the Atomic Safety and  
4           Licensing Board.

5           And then, finally, internationally we  
6           refer to the Danishes for having some approaches that  
7           could be applied in multiple countries and some  
8           regulatory standards for quality assurance and others  
9           so that Part 53 moves the entire world forward in  
10          terms of licensing advanced reactors.

11          So, I'll return it to NRC for final  
12          schedules.

13          MR. BEALL: Okay. Thank you, Cyril.

14          Are there any last questions or comments?

15          Please raise your hand using the Teams button.

16          (Pause.)

17          MR. BEALL: Okay. Well, on this slide it  
18          provides an overview of the current Part 53 rulemaking  
19          schedule. As you can see from this slide, we are  
20          still on the first milestone where the staff is  
21          performing public outreach, meeting with ACRS and  
22          working on the draft final proposed rule package.

23          The staff has 16 months to complete these  
24          activities before the draft proposed -- excuse me --  
25          the draft proposed Part 53 rule package is submitted

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to the Commission for review and approval. The staff  
2 is still projecting that the Part 53 proposed rule be  
3 published for public comment in October 2022.

4 Next slide, please. Slide 81. The staff  
5 will be hosting additional public meetings every four  
6 to six weeks. These public meetings will cover  
7 additional topics and will include the release of  
8 additional Part 53 preliminary proposed rule language.

9 The staff will continue to post all  
10 preliminary proposed rule language and any comment  
11 submittals received on the preliminary proposed rule  
12 language on regulations.gov under docket ID NRC-2019-  
13 0062 prior to the public meeting.

14 The next Part 53 public meeting is  
15 tentatively scheduled for early February 2021. And,  
16 as Bill has mentioned, we're looking at making that a  
17 full-day meeting.

18 The staff would also like to remind  
19 everyone of the importance of receiving both  
20 functional and technical feedback from stakeholders on  
21 the preliminary proposed rule language. In the  
22 upcoming months, stakeholders may need to determine if  
23 they have the right level of support to review the  
24 technical areas related to advanced nuclear reactors.

25 Future releases of the Part 53 preliminary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 proposed rule language will be more technical than  
2 previous releases. And, as such, may require  
3 technical experts to address and provide feedback.

4 Slide 82, please. The NRC staff will also  
5 be hosting a meeting with the NRC Future Plant  
6 Subcommittee to receive feedback on the Part 53  
7 rulemaking. The first meeting will be on January  
8 14th, 2021, to discuss Subparts B and F. Additional  
9 ACRS meetings will be held every one to two months.

10 In addition, separate from the current  
11 Part 53 public meetings, the NRC staff will have a  
12 series of public meetings to discuss and receive  
13 feedback on the regulatory framework for fusion energy  
14 systems. The first of these public meetings will be  
15 on January 26th, 2021.

16 Slide 83, please. In addition to have --  
17 if you have additional input or suggestions for future  
18 topics related to the Part 53 rulemaking, please send  
19 an email to Bill and I at the email addresses on this  
20 slide. Your interest and comments will provide --  
21 will improve our rulemaking effort.

22 I also encourage you to monitor the Part  
23 53 rulemaking docket ID -- again, that's NRC-2019-0062  
24 -- on the regulations.gov website for updates and  
25 important documents related to this rulemaking.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Finally, we are always looking for ways to  
2 improve our public meetings and your feedback is  
3 important to us. At the end of this meeting, please  
4 go to the NRC public meeting webpage, click on the  
5 "Recently Held Meeting" button and look for this  
6 meeting. The meeting feedback form will be at the  
7 bottom of the meeting announcement.

8                   I'd like to thank everyone for  
9 participating in today's meeting and I hope everyone  
10 has a good evening. Thank you very much for your  
11 attendance. This will close the meeting for the day.

12                   (Whereupon, the above-entitled matter went  
13 off the record at 4:45 p.m.)

14  
15  
16