

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 Materials and Metallurgy Subcommittee
 Open Session

Docket Number: (n/a)

Location: teleconference

Date: Thursday, September 24, 2020

Work Order No.: NRC-1108

Pages 1-43

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

METALLURGY AND REACTOR FUELS SUBCOMMITTEE

+ + + + +

OPEN SESSION

+ + + + +

THURSDAY, SEPTEMBER 24, 2020

+ + + + +

The Subcommittee met via Video
Teleconference, at 9:30 a.m. EDT, Jose March-Leuba,
Chairman, presiding.

COMMITTEE MEMBERS:

- JOSE MARCH-LEUBA, Chair
- RONALD G. BALLINGER, Member
- CHARLES H. BROWN, JR., Member
- VESNA B. DIMITRIJEVIC, Member
- WALTER L. KIRCHNER, Member
- DAVE A. PETTI, Member
- JOY L. REMPE, Member
- PETE RICCARDELLA, Member
- MATTHEW W. SUNSERI, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ACRS CONSULTANT:

STEPHEN P. SCHULTZ

DESIGNATED FEDERAL OFFICIAL:

ZENA ABDULLAHI

NRC STAFF PRESENT:

JOE DONOGHUE, NRR/DSS

MATHEW PANICKER, NRR/DSS/SFNB

ALSO PRESENT:

JERALD HOLM, Framatome

NGOLA OTTO, Framatome

P R O C E E D I N G S

9:30 a.m.

CHAIR MARCH-LEUBA: Okay, it's 9:30, this meeting will now come to order. This is a meeting of the ACRS Accident Analysis Thermal Hydraulics Subcommittee. I am Jose March-Leuba, the SC Chairman.

Because of COVID-19 concerns, this meeting is being conducted remotely. I see on the list of attendants we have Member Ron Ballinger, Charles Brown, Vesna Dimitrijevic, Walter Kirchner, David Petti, Joy Rempe, Pete Riccardella, Matt Sunseri.

Today's topic is Topical Report ANP-10323P, Revision 1, GALILEO Fuel Rod Thermomechanical Methodology for Pressurized Water Reactors. Portions of the meeting will be closed to the public to protect proprietary information. We will have an opportunity for public comments before we start the closed section of the meetings.

The ACRS was established by a statute and it's governed by the Federal Advisory Committee Act, FACA. As such, the Committee can only speak through its published letter reports. The ACRS section of the US NRC public website provides our charter, bylaws, agendas, letter reports, and full transcripts for the open portions of all full and subcommittee meetings,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 including the slides presented there.

2 The Designated Federal Official today is
3 Zena Abdullahi.

4 A transcript of the meeting is being kept,
5 therefore, please speak clearly and state your name
6 for the benefit of the court reporter. Please keep
7 the microphone on mute when not in use and don't use
8 video feed to minimize bandwidth problems.

9 We know that we have scheduled a full
10 Committee meeting on this topic in early October to
11 write a letter. And I also wanted to note to the
12 members that we have two topics. The main topic of
13 this committee is the GALILEO fuel thermal properties
14 methodology. But we will also have an information
15 meeting on the best estimate Option III solution,
16 which is a long-term stability solution that we
17 already reviewed in plant-specific basis.

18 Now the staff is in the process of
19 reviewing the Generic Topical Report that will be
20 applicable to all plants. And they have asked us if
21 we want to review it when it's done, which is expected
22 the February time range, or not. And I made a
23 decision that probably because we have already
24 reviewed it in detail, we only needed a short
25 information meeting where we see the differences

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between the generic and the plant-specific.

2 So at the end of this presentation, we
3 will be hearing something about BEO-III, and we will
4 ask the members if we want to have a full committee
5 meeting on a letter, or this information is
6 sufficient.

7 So at this point, let's request the NRC
8 staff, Joe Donoghue, to make the introductory remarks.

9 Joe, you're in charge.

10 MR. DONOGHUE: Thank you, sir, this is Joe
11 Donoghue. I'm a Director of the Division of Safety
12 Systems in NRR.

13 Thank you for taking the time to let us
14 present the Safety Evaluation that our staff's
15 prepared on GALILEO. It's a methodology for a
16 realistic evaluation of the performance of fuel rods
17 in PWRs. And this is an important step in the
18 vendors' suite of analysis methods and information
19 they're going to provide related to ATF designs that
20 they're pursuing.

21 So you're going to hear some details today
22 about the thermal model, how it predicts the fuel
23 swelling, densification, how it -- in other parts of
24 the mechanical models. And then what licensing
25 applications are expected -- that this would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expected to apply to.

2 So we've done a detailed review. We
3 worked very closely with Framatome. I'm going to say
4 out loud here that we've I think done a good job, the
5 staff, working with Framatome. Framatome's done a
6 good job being supportive of our needs to get to a
7 Safety Evaluation that's before you.

8 So thanks very much, looking forward to a
9 good meeting.

10 CHAIR MARCH-LEUBA: Thanks, Joe. At this
11 point we give the floor to Framatome. I believe we're
12 going to have a tag team of Jerald Holm and Chris
13 Allison. And NRC will be providing the slides.

14 So Framatome, go ahead.

15 MR. HOLM: So good morning, my name is
16 Jerry Holm, and I'm a Licensing Engineer for
17 Framatome. We appreciate the opportunity to present
18 Framatome's advanced fuel performance code for PWRs to
19 the ACRS. The code GALILEO is a key element in our
20 suite of advanced methods, and will be part of future
21 submittals. I expect we may be back talking about
22 GALILEO in support of these future submittals.

23 In particular, we appreciate the ACRS
24 scheduling the full committee meeting on this topic
25 for October 8 of 2020, so that the final SE may be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issued in October.

2 With that, I'll turn it over to Chris.

3 MR. ALLISON: All right, thank you, Jerry.
4 Can everybody hear me okay?

5 MEMBER SUNSERI: Yes.

6 MR. ALLISON: Okay, very good. Otto, do
7 we -- excuse me, Ngola, do we have the slides
8 available to bring up?

9 MR. OTTO: Yes, I'm loading them right
10 now. So you should see them momentarily. Are you
11 able to see the slides now?

12 CHAIR MARCH-LEUBA: I can.

13 MR. ALLISON: Yes, it has come up. Thank
14 you.

15 So as introduced, my name is Chris
16 Allison, I am the GALILEO project leader for the
17 licensing in the United States. I'm in the Fuel
18 Thermal Mechanics Department here at Framatome. If
19 you go to slide 2, please.

20 Just a quick overview of the topics I'm
21 going to discuss this morning in the open session.
22 I'll give you some background to get you grounded in
23 the history of GALILEO and its development. I'll
24 provide a brief overview of the topical report and
25 give some details on the GALILEO fuel performance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 code, and then the statistical evaluation methodology
2 that it's paired with. And then I'll give a view of
3 how GALILEO fits within our future plans for our
4 advanced methods platform. Slide 3, please.

5 So, background. So the development of
6 GALILEO was initiated with the goal to consolidate
7 Framatome's worldwide expertise and experience into a
8 single fuel performance code. And in doing so, we
9 hoped to build upon all the best practices and
10 techniques from our current generation of fuel
11 performance codes.

12 And that includes COPERNIC, which is used
13 in France and the United States for PWR applications.
14 It includes RODEX4, which is used in the United States
15 for BWR applications. And it includes CARO-3E, which
16 comes from Germany.

17 The original development was to support a
18 very broad range of applications, and that included
19 PWR and BWR applications, and included UO2, gadolinia,
20 and MOX fuels. During the process of the review, we
21 submitted a revised topical report, and in that
22 revision, we made a specific removal of the BWR
23 applications and the MOX fuels. And that was
24 consistent with our evolving priorities and strategies
25 for where we wanted to go with our codes and methods.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so the requested NRC approval that we
2 have today is for PWR applications, it's for UO2 and
3 gadolinia fuel types, with either M5 or Zr-4 cladding.

4 CHAIR MARCH-LEUBA: Chris, this is Jose.
5 I -- can you give us a little background on why you
6 decided to drop BWRs and MOX at this time? Because
7 this approval has been going on for a long time. Was
8 it an issue with being able to develop models inside
9 the code, or the issue was validation against data?
10 The timing, no need for it? Why did you do it?

11 MR. ALLISON: It was mostly an issue of
12 timing and the strategy that we decided to employ for
13 our codes and methods. We had already invested
14 strongly in our BWR methods using RODEX4, and we
15 decided that we did not want to repeat that process,
16 to go again with GALILEO. And so we decided that
17 RODEX4 was the better option there.

18 In terms of MOX fuel, that was more in
19 terms of the, I would say the general dynamics of the
20 MOX program in the United States. And then as that
21 program kind of came to a stopping point or a, maybe
22 an interim hold point, we decided it was better to
23 wait and pursue that at a different time. So it's
24 mostly just a timing issue and how it fit within our
25 strategy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BALLINGER: This is Ron Ballinger.
2 To my knowledge, there are no plants in the U.S. that
3 are -- no PWRs that are using Zr-4 cladding anymore.
4 So including Zr-4, is that as an afterthought?

5 MR. ALLISON: I would kind of --

6 MEMBER BALLINGER: Or is it the fact that
7 COPERNIC already has it in it?

8 MR. ALLISON: I think from my perspective
9 it's almost like a bit of a security blanket issue.
10 It leaves that option open for us if, you know, if we
11 ever had an emergency need where we needed to do an
12 evaluation of an old fuel assembly with Zr-4 cladding,
13 this approval would allow us to do that. But I do
14 agree with your evaluation that Zr-4 cladding is
15 basically an obsolete product in the market today.

16 MEMBER BALLINGER: Thank you.

17 CHAIR MARCH-LEUBA: Okay, thank you,
18 proceed.

19 MR. ALLISON: Okay, slide 4, please. So
20 in terms of the overview of the topical report, it
21 does describe a methodology for the realistic
22 evaluation of the thermal-mechanical performance of
23 the fuel rods for PWR applications. And this is for
24 demonstrating compliance with many of the fuel rod
25 requirements that come from Section 4.2 of NUREG-0800.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The methodology is composed of two major
2 components, the first being the GALILEO fuel
3 performance code, and then the second being the
4 statistical evaluation methodology that employs
5 GALILEO. And the topical report describes the
6 requirements and capabilities of the GALILEO fuel
7 performance code.

8 It describes how the code is calibrated,
9 validated, and the range of parameters over which that
10 process was performed. It describes the uncertainty
11 analyses and how those were selected and how they were
12 developed based on the data. And then it provides a
13 series of demonstration analyses to show how the code
14 performs and how the methodology is applied to
15 different plant types and fuel types. Slide 5,
16 please.

17 So the GALILEO fuel performance code is a
18 best estimate fuel rod performance code that simulates
19 the thermal and mechanical response of the fuel rods
20 in the reactor core as a function of their exposure
21 for the local power and flow conditions. It's based
22 on phenomenological rate-dependent models, and those
23 were used to evaluate things like the temperatures,
24 the strain, and exposure-dependent changes in the fuel
25 and cladding materials and the fission gas releases

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that occur during operation.

2 It includes modeling of things like
3 thermal conductivity degradation with burnup and
4 irradiation damage. It has models for enhanced
5 fission gas release at high burnup conditions and in
6 transient conditions. And it also includes the
7 formation of high burnup structure on the pellet rim
8 and how that impacts the fuel behaviors at high
9 burnup.

10 And maybe one of the more important
11 things, or more advanced things, excuse me, is that it
12 includes many new models in the pellet mechanic
13 modeling and behavior that go a step beyond where our
14 current generation of fuel performance codes are.

15 And then the -- go ahead.

16 CHAIR MARCH-LEUBA: Chris, when you say
17 phenomenological rate-dependent model, what do you
18 mean by that? What rate?

19 MR. ALLISON: So it could be many
20 different things. One example would be a corrosion
21 model where the model is developed to evaluate the
22 corrosion rate over time, and then that performance is
23 integrated to provide, you know, an oxide thickness at
24 a given point in time.

25 It could also be a creep model, where the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 creep model is based on the rate of creep, given the
2 conditions at a certain point in time. And then that
3 behavior is integrated over the lifetime of the rod.

4 CHAIR MARCH-LEUBA: So for a
5 mathematician, you are saying that you are modeling
6 the non-linearities in the system and the histories if
7 any are this history of the burnup.

8 MR. ALLISON: Yes, yes, that is correct.

9 CHAIR MARCH-LEUBA: Okay, thank you.

10 MEMBER BALLINGER: This is Ron Ballinger
11 again. Am I to assume, I think I read it, that this
12 -- you're assuming chromia-doped fuel as well?

13 MR. ALLISON: Chromia-doped fuel is a
14 piece that will be addressed in a future step.

15 MEMBER BALLINGER: Okay, okay. Thank you.

16 MR. ALLISON: And then the last piece of
17 this is that the fuel performance code is calibrated
18 and validated using a very extensive database of
19 measurements to both commercial rods and experimental
20 test rods, both from in Europe and in the United
21 States. And that really forms the backbone of the
22 GALILEO fuel performance code and assessing its
23 ability to predict rod performance.

24 MEMBER KIRCHNER: Chris, this is Walt
25 Kirchner.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ALLISON: Yes.

2 MEMBER KIRCHNER: How generic would you
3 describe the models in this open session? And I'm
4 anticipating future developments in claddings in
5 particular. So you have a fairly generic base set of
6 models that could be adapted for changes in cladding?

7 MR. ALLISON: I think that's a fair
8 assessment. Generally the models are -- we try to
9 base them on physics, so it's based on, you know,
10 principles that are, that should be able to extend
11 into different materials.

12 And then, you know, specific tuning is
13 done to make that model work for a given material.
14 But I do think the basis of the model does allow that
15 we could make some application to a different material
16 in the future, just needing to make some calibration
17 of that model to the specific material.

18 MEMBER BALLINGER: Are you saying that
19 this phenomenology or the generic model can be used
20 for non-zirconium alloy tubing?

21 MR. ALLISON: I don't know that I would
22 say it could be used for non-zirconium alloy tubing.

23 MEMBER BALLINGER: I didn't expect -- I
24 didn't expect so, thanks.

25 MR. ALLISON: Okay, slide 6, please. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the next piece of the topical report describes the
2 statistical evaluation methodology. And the
3 methodology is used to analyze rod performance during
4 normal operating and AOO conditions for a given fuel
5 reload and at a given power plant. It considers
6 uncertainties over the projected range of operation of
7 the rods in the core. And you should take that to
8 mean the power histories for each rod.

9 And it includes the impact of measured and
10 calculated power uncertainties, uncertainties in the
11 manufactured fuel rod characteristics, and
12 uncertainties in the GALILEO models. It employs a
13 random sampling of those three uncertainty components
14 that's similar to a Monte Carlo process, and it uses
15 that with the best estimate GALILEO code, and then
16 applies non-parametric order statistics to evaluate
17 how those uncertainties propagate and influence the
18 design analysis result.

19 And ultimately what we want to do is
20 demonstrate that the fuel meets the design criteria
21 with a quantified probability and confidence level.
22 Slide 7, please.

23 So in closing, I'd like to give you a
24 little perspective on where GALILEO fits in the future
25 of our codes and methods suites and where it fits with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our advanced technologies. And GALILEO really does
2 fill a foundational role in that. You can start here
3 at the first with a PWR rod ejection accident
4 analysis.

5 This is a methodology that we've had
6 approved by the NRC. It is -- it would be based on
7 GALILEO, and that would be our foundation to support
8 the new requirements and the new guidance that come
9 from Regulatory Guide 1.236.

10 The next piece would be our advanced non-
11 LOCA transient analysis methodology. And you may see
12 that called the ARITA methodology. That is a topical
13 report that's currently in review by the NRC, and it
14 uses GALILEO for the evaluation of fuel melt and
15 cladding strain during transient events.

16 The next piece would be our advanced LOCA
17 analysis methods. And these would be using GALILEO to
18 provide fuel rod input to the LOCA analysis. And you
19 would expect to see -- you can expect to see that in
20 a future submittal.

21 The next piece would be our advanced fuel
22 management program. And this is targeting
23 applications such as increasing our burnup limits.
24 We're using higher enrichment in our fuel pellets, and
25 you can expect to see those in future submittals as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well. And GALILEO is a basis behind those.

2 And then the last piece would be the
3 enhanced accident-tolerant fuel program, which you
4 would also see in future submittals. And here GALILEO
5 would be a supporting role for that, for the different
6 types of technologies that we're exploring in that
7 program.

8 MEMBER REMPE: So Chris, this is Joy
9 Rempe. When you start thinking about what you're
10 going to do when you go for new fuels and enhanced
11 accident-tolerant fuels, and the fact that Halden has
12 shut down, what's the plan for Framatome for getting
13 data for extended burnup for these new fuels?

14 MR. ALLISON: I am maybe not the best
15 person to comment on the plans for the accident-
16 tolerant fuel program. I do know that there are plans
17 of how they want to try to address different testing
18 needs in the absence of Halden, and that might rely on
19 more homegrown testing here in the United States,
20 either out at Idaho or maybe at Oak Ridge. But the
21 details of that plan I am not cognizant of.

22 MEMBER REMPE: So it's off-topic a bit,
23 I'll grant you that, but I was reading your reports
24 and the information we were given for this and
25 thinking about the burnup limitations for various

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fuels. And I'd note that you can't really do it at
2 Oak Ridge. And so yeah, maybe you could do something
3 out at ATR, but they don't have the instrumentation
4 capabilities they had at Halden.

5 Sometimes people talk about, well, the
6 Jules Horowitz Reactor. And again, it's not up and
7 running yet. But I think it's going to be hard to
8 when you start talking about different things that are
9 up for certain, up to certain burnups, what you're
10 going to do in the future here. And I'm just curious
11 what -- and you know, I think it's something that
12 people need to think about.

13 MR. ALLISON: I agree completely with you.
14 The loss of Halden is important for the industry as a
15 whole, and specifically in terms of what it means for
16 accident-tolerant fuel. And as you want to proceed
17 into these ranges where we don't have data, it is
18 going to be a substantial challenge.

19 MR. SCHULTZ: Chris, this is Steve
20 Schultz. I have a general question on the additional
21 submittals that you're anticipating. Are you
22 expecting that you're going to have to make changes to
23 GALILEO in these submittals, that there's going to be
24 additional model changes that may be required for
25 these future applications?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ALLISON: I think that's a certainty,
2 if you're speaking about accident-tolerant fuel. I
3 think you would certainly see new modeling come in to
4 handle those different materials and different fuel
5 types that are being addressed there.

6 In terms of the advanced fuel management,
7 I would not expect that to be the case.

8 MR. SCHULTZ: You already have information
9 related to both increased -- well, to increased burnup
10 at least, higher enrichment. I guess it depends where
11 you intend to go with that, given what you presented
12 in the GALILEO application.

13 MR. ALLISON: That's correct.

14 MR. SCHULTZ: So that would be a -- that
15 could be a validation of what has already been
16 presented to the NRC. Again, it depends where you're
17 intending to go with that. Thank you.

18 MR. ALLISON: Yes, yes, I would agree with
19 that statement. In future submittals, that would come
20 up along those lines of increased burnup and higher
21 enrichment, would certainly address how GALILEO and
22 its methodology addresses those items, but it also
23 includes many other items. And so those are much more
24 --

25 MR. SCHULTZ: How are where you're --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 excuse me, yeah, how about what will you expect --
2 where you expect to go with the LOCA analysis methods.
3 Is what you have and what we're reviewing now as you
4 see it satisfactory for what you're anticipating for
5 your future submittal?

6 MR. ALLISON: I would have to defer that
7 question because I am not involved with the LOCA
8 analysis method. So I would have to defer that to
9 someone more involved with that program.

10 MR. SCHULTZ: That's fine, thank you.

11 MEMBER BALLINGER: This is Ron again.

12 MEMBER PETTI: But to be clear, this,
13 GALILEO, what we're really reviewing is the steady
14 state.

15 MEMBER BALLINGER: Yeah, that's what I was
16 about to say. It's not a transient code.

17 MEMBER PETTI: At least the transient
18 capabilities we're not reviewing. We're really
19 focusing on steady state.

20 CHAIR MARCH-LEUBA: Jerry, could you
21 comment on that? Because when you do the non-LOCA
22 transient analysis, which is currently under review,
23 how is it coupled to the calculation?

24 MR. ALLISON: I'm sorry.

25 CHAIR MARCH-LEUBA: Do you understand the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question? If you apply the GALILEO methodology to
2 evaluate the results of a rod ejection or a non-LOCA
3 transient, how do you do it? Do you do it in quasi-
4 steady states like this?

5 MR. ALLISON: So for -- I can speak first
6 to the PWR rod ejection. So the main application of
7 GALILEO there would be more in terms of like initial
8 conditions and the initiation of the accident.
9 Providing things like an initial hydrogen content, for
10 example.

11 In the non-LOCA transient analysis,
12 GALILEO does include, I think I would go with your
13 statement of quasi-steady, quasi-steady state or
14 quasi-transient. And so it has the capability to make
15 those transient types of predictions for fuel center
16 line melt evaluations and clad strain evaluations.

17 CHAIR MARCH-LEUBA: So you would use ARITA
18 to calculate the coolant conditions and the fuel power
19 to each rod. And then every time step, you will do a
20 steady state GALILEO calculation to calculate the
21 center line temperature. Is that reasonable to say?

22 MR. ALLISON: That's a reasonable
23 assessment, yes.

24 CHAIR MARCH-LEUBA: Okay.

25 MEMBER BALLINGER: This is Ron again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it'll probably be a lot of agains. In part -- not to
2 get into proprietary stuff, but does the non-LOCA
3 transient part include accounting for liftoff of the
4 cladding from the fuel?

5 MR. ALLISON: I think I would -- if I can
6 defer that question to the closed session.

7 MEMBER BALLINGER: Okay, fine.

8 MR. ALLISON: I can answer it there.

9 MEMBER BALLINGER: Yep, thanks.

10 MEMBER KIRCHNER: Chris, this is Walt
11 again. I had to ask rather a leading question, and
12 some of your bullets here addressed where I was going
13 with my question.

14 But when you describe this as a platform,
15 or I'm sorry, a methodology, that has rate-dependent
16 phenomena, what you're really talking about, the rates
17 you're talking about are time at temperature, time
18 exposure, burnup, not transient -- do you also mean
19 transient performance as would be used for something
20 like a LOCA analysis where you've got a quick
21 transient and the dynamics that go with that?

22 Or maybe we save this for the closed
23 session. You see what I'm saying?

24 MR. ALLISON: Yes.

25 MEMBER KIRCHNER: Things like pellet clad

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interaction under those LOCA kind of transients is a
2 rate-dependent phenomenon as well. But that's very
3 quick, not the -- I presume the rate-based phenomena
4 that you're generally talking about are time, you
5 know, exposure, burnup over a fuel cycle, not over a
6 short-term transient.

7 MR. ALLISON: I believe that is a correct
8 assessment. And we can -- we could go more detail on
9 that in the closed session if you would like.

10 MEMBER KIRCHNER: The one I was reacting
11 to was fission gas release in particular. Because for
12 the rod ejection accident, that certainly is a rate-
13 dependent phenomenon, but a very short -- and during
14 a very short transient.

15 MR. ALLISON: Right. I think in terms of
16 the speed of an event, we would say the rates we're
17 talking about are for normal operations and for
18 typical AOO-type of events, but --

19 MEMBER KIRCHNER: Right, so as one of my
20 colleagues pointed out, more quasi-steady state, so to
21 speak.

22 MR. ALLISON: Yes. And things like rod
23 ejection and LOCA would bring in new sets of
24 phenomena. And you address those types of rate
25 dependencies in those specific methodologies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR MARCH-LEUBA: Any more questions for
2 Framatome before we transfer to the staff? Okay,
3 thanks, Chris.

4 MR. ALLISON: Thank you.

5 CHAIR MARCH-LEUBA: We are going to start
6 the presentation by the staff. It's going to be also
7 a team of two, Mathew Panicker and Ken Geelhood.

8 So Mathew, are you going to talk?

9 MR. PANICKER: Yeah, this is an open
10 session. Next up is a team of engineers from NRC and
11 PNNL who were involved in the review of this GALILEO
12 code, ANP-10323, Revision 1. The review was focused
13 on the core, and the assessment of the individual
14 models in the core, for example thermal model, fission
15 gas release model, et cetera, mechanical models.
16 Assessment of the integral core predictions.

17 The methodology consisted of assessing --
18 the review consisted of assessing proposed
19 uncertainties, the statistical methodology Framatome
20 used for various models and assessment, and assessment
21 of fuel damage limits. Next please.

22 The Revision 0 of the methodology topical
23 report was submitted in October 2013, and it is based
24 on realistic evaluation of the thermal-mechanical
25 performance of fuel rods for pressurized water reactor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fuels, PWR fuels. And original submission was
2 applicable to PWR, BWR, and MOX fuels, and later on
3 NRC suspended -- requested the suspension of MOX and
4 BWR fuels. It has got burnable absorbers, UO2 fuel.
5 Originally it contained Zircaloy-2 for BWRs, Zircaloy-
6 4 and M5 for PWRs.

7 The methodology provided for all of the
8 thermal mechanical analysis, which is typical of a
9 fuel performance core. Acceptance review was
10 performed in March 2013, and we accepted the core. We
11 give -- we had PNNL staff as consultants under a
12 contract. And upon review, there were about 70 RAIs,
13 including subparts, was issued. Next please.

14 CHAIR MARCH-LEUBA: Mathew, can you keep
15 the slide 3? I see the cladding materials, Z-2, Z-4,
16 and M5, that are quoted as the Framatome fabricated
17 clads. And I don't remember seeing in the SER any
18 mention of what we call mixed cores, when you have
19 coresident fuel from a different vendor. How do we
20 plan to handle that? Did I miss it in the SER?

21 MR. PANICKER: Mixed core analysis is
22 done, and not as part of this but fuel performance
23 core. That will be under different thermal hydraulics
24 analysis.

25 CHAIR MARCH-LEUBA: So the plan will be to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 use the vendor number two thermal mechanical codes for
2 the properties for their fuel?

3 MR. PANICKER: This is for the Framatome
4 fuels.

5 CHAIR MARCH-LEUBA: So this is limited
6 exclusively to analyze Framatome fuel, and if they
7 have a mixed core with a transition with coresident
8 fuel, we'll have to handle it separately?

9 MR. PANICKER: Yeah, that will be handled
10 separately. There are other issues connected with
11 mixed core, because DNBR values, mixed core thermal
12 hydraulics, different pressure drops for different
13 fuel assemblies.

14 CHAIR MARCH-LEUBA: Yeah.

15 MR. PANICKER: All those things are to be
16 considered in the thermal hydraulic analysis.

17 CHAIR MARCH-LEUBA: Yeah, if we can make
18 a recommendation that maybe the SER should -- well
19 it's kind of late, but should be specific that this is
20 only for Framatome fuels. Go ahead, Ron.

21 MEMBER BALLINGER: We need to be a little
22 careful here. This fuel performance code doesn't care
23 who made the fuel. All it cares about is the input
24 parameters. So to the extent that another person's
25 fuel is in the core, they can use this for that. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just that the thermal hydraulics part would be
2 different. So there's nothing in this code that deals
3 with anything other than the surface temperature of
4 the clad.

5 CHAIR MARCH-LEUBA: M5 is a proprietary
6 alloy for Framatome. Nobody else can use it.

7 MEMBER BALLINGER: Yeah, sure.

8 CHAIR MARCH-LEUBA: And another vendors,
9 I don't recall, SIRCLO (phonetic) --

10 MEMBER BALLINGER: Oh, you mean other
11 vendors using this model. That's a different --

12 CHAIR MARCH-LEUBA: No, no, no. Framatome
13 using this model to analyze a core that has coresident
14 fuel from Westinghouse.

15 MEMBER BALLINGER: Sure, they don't need
16 anything other than the input parameters for this code
17 to run a fuel performance model.

18 MEMBER KIRCHNER: Yeah, that -- I agree,
19 Ron. That's why I was asking the question about
20 generic. As long as you're staying within the
21 qualified, the validated basis for this methodology,
22 it should not matter.

23 MEMBER RICCARDELLA: Right.

24 PARTICIPANT: But this code might not work
25 for ZIRLO.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GEELHOOD: This code doesn't have any
2 models for other alloys such as ZIRLO.

3 MEMBER BALLINGER: Well, but it's not,
4 you're not asking for approval for that, right?

5 CHAIR MARCH-LEUBA: Well, but if you want
6 to balance a core that has both manufactured fuels,
7 you will have to get a special dispensation to use
8 mixed methods. It pays to think these things in
9 advance before a plant has to do a reload in May --

10 MEMBER KIRCHNER: Well, I would think,
11 Jose, that if you had such a mixed core, you might
12 have to use GALILEO for the Framatome fuel and the XYZ
13 methodology for the other fuel. But --

14 CHAIR MARCH-LEUBA: That sounds
15 reasonable.

16 MEMBER KIRCHNER: It should still be valid
17 for the fuel assemblies that are being analyzed with
18 GALILEO.

19 CHAIR MARCH-LEUBA: Okay.

20 MEMBER KIRCHNER: It's more the thermal
21 hydraulics domain and the spacer grids and other
22 factors outside of the actual fuel rod mechanical
23 model that would be substantially different when you
24 change fuel bundles or mix fuel bundles.

25 CHAIR MARCH-LEUBA: And a fuel bundle with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 M5 performs hydrogen-wise much better than one with
2 Zr-4, or even certainly Zr-2.

3 MEMBER KIRCHNER: Yeah, I agree. So that
4 the complexity would be you would have to use, like I
5 said, the XYZ code for the other fuel.

6 CHAIR MARCH-LEUBA: I think so.

7 MEMBER KIRCHNER: Yeah.

8 MEMBER BALLINGER: I mean, it's the same
9 dance that has to be done if you've got a BWR and
10 you're evaluating instability and you got two
11 different types of fuel.

12 CHAIR MARCH-LEUBA: Yeah, okay. I'm
13 saying -- okay, I'll drop my comment. I was saying
14 that the SER should be more specific that it's only
15 applicable to the cladding of -- that it was intended
16 for.

17 MR. PANICKER: Yes, this is Mathew
18 Panicker, Fuel Analysis Group. For a mixed fuel, we
19 usually have the specification from all the vendors,
20 and they are to do a thermal hydraulic compatibility
21 analysis including the friction factors, pressure
22 drops, et cetera and come out with the margin for
23 pressure drop which is acceptable for the operating
24 and for that fuel to operate in the core, the mixed
25 fuel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then there is another way of doing,
2 solving the mixed core problem is characterization
3 analysis. The compatibility of all the fuels with the
4 configuration of the core. Like bypass flow, et
5 cetera, et cetera.

6 CHAIR MARCH-LEUBA: Right, but for some of
7 the acceptance criteria, you need to know how much
8 hydrogen is in the clad. And for that you need to
9 know who manufactured the clad, and you have to use
10 the proper correlation. GALILEO cannot be used to
11 calculate a SIRCLO hydrogen intake.

12 MR. PANICKER: That's right.

13 CHAIR MARCH-LEUBA: Yeah, okay, so I guess
14 we'll cross that bridge -- maybe it's more applicable
15 when we review the ARITA thermal hydraulic and non-
16 LOCA transient. Probably the limitation or condition
17 or at least bringing this up belongs more there than
18 here. All right, continue.

19 MR. PANICKER: Next slide, please. The
20 AREVA, as I said before, AREVA revised the scope of
21 the topical report, suspended BWR and MOX fuels in
22 November 2015. And then after that, in June of 2018,
23 after they have looked at the RAIs and et cetera, et
24 cetera, they revised the topical report Revision 1 of
25 ANP-10323 after dropping the MOX and BWR fuels. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this is applicable to UO2 and gadolinia fuels,
2 Zircaloy-4 and M5. The methodology provided limited
3 set of thermal-mechanical analyses.

4 Because of the extensive nature of the
5 RAIs, Framatome could deliver it in five installments,
6 starting from December 18 through July 20th. The July
7 20, 2020 was to clarify a limitation condition, couple
8 of limitation conditions in the Safety Evaluation.
9 For review -- during the review, confirmatory
10 calculation were performed using the analysis FRAPCON
11 fuel performance code for comparison with GALILEO.

12 And most of the properties of the GALILEO
13 has been compared with FRAPCON, and you might have
14 seen, the members of the ACRS might have seen that in
15 the Safety Evaluation. There were extensive graphical
16 representation of those comparisons. Next please.

17 So this is some -- the GALILEO is actually
18 built on the COPERNIC PWR cores that just been used in
19 the U.S., and then the German TUV approved CARO-3. It
20 has got models for thermal model and assessment,
21 fission gas release, and its impact on internal
22 pressure of RIP; cladding corrosion and hydriding
23 model; cladding hydrogen pickup; fuel densification
24 and swelling model; mechanical modeling and
25 properties; fuel mechanical properties; rod volume and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- rod volume model, void volume model and growth
2 assessment; licensing applications.

3 It is not an improved statistical
4 approach, 95% -- 95/95 or better. In most cases, it
5 was 99.9/95 uncertainty calculations and other code
6 applicabilities for fuel performance analysis. Next
7 please.

8 These are the list of guidances and the
9 regulations we used. GDC 10, which applied to SAFDL,
10 which is not exceeding -- is not exceeded during the
11 normal operation and AOOs. Provide emergency core
12 cooling following LOCA, that is usually comes from
13 what you call the fuel performance codes. But in this
14 case, Framatome will submit another application for
15 LOCA analysis. And also 10 CFR 50.46, acceptance
16 criteria for ECCS.

17 10 CFR 50.34 talks about the -- provides
18 guidance for the analysis and evaluation of design and
19 performance of structures, systems, and components.
20 SRP 4.2, which is the guideline for the fuel damage.
21 No damage during AOOs. Fuel damage is not severe to
22 prevent control rod insertion. Number of fuel rod
23 failures not underestimated for proposed accidents.
24 Core coolability should be maintained.

25 And also it -- there were complaints with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 SRP 15.02. You cannot say complaints, the guidance in
2 SRP 15.02 is followed because they have provided us
3 with a lot of documentation including theory manual,
4 V&V analysis, and all those things, the evaluation
5 models. And a good explanation for the uncertainty
6 analysis is included in the topical report. Next
7 please.

8 The staff found that the GALILEO code and
9 methodology as described in ANP-10323P Revision 1 and
10 modified as discussed in the RAI responses are
11 acceptable. There are several fuel limitations and
12 conditions regarding the applicability rates,
13 methodologies that are not approved, and
14 documentation.

15 I think that should be the final slide.

16 CHAIR MARCH-LEUBA: Yes, it is. Thank
17 you, Matt. Anybody has any questions for the staff on
18 the open session? Remember that we'll be seeing
19 details on the closed session in a moment.

20 So Mathew, I just wanted to say that this
21 is a very good SER, very thorough work, very detailed.
22 Lots and lots of confirmatory calculations, which is
23 always good to see. And I congratulate you and your
24 team on an excellent job.

25 MR. PANICKER: Thank you.

1 CHAIR MARCH-LEUBA: So we are moving now,
2 changing topics completely, we are moving to the BWR
3 division of Framatome. And we're going to be talking
4 about the long-term stability solution for boiling
5 water reactors that the staff has already approved and
6 we reviewed for plant-specific implementation in
7 Brunswick. And now they're submitting a generic
8 topical report with a few modifications.

9 So this is an information meeting and the
10 members will have to provide feedback if we want to
11 issue a letter on it or are we satisfied with the
12 original recommendation for Brunswick and this
13 information meeting.

14 So Doug Pruitt, I believe you are on. You
15 only have a few minutes for the introduction. Doug,
16 I don't see you coming up.

17 MR. PRUITT: Can you hear me now?

18 CHAIR MARCH-LEUBA: Yes.

19 MR. PRUITT: Okay, I was muted from your
20 side. Here we go. I'll unmute you, can you say
21 something?

22 MR. OTTO: Can you see my screen?

23 CHAIR MARCH-LEUBA: I can see the screen.
24 Doug, if you can speak a little louder, you come a
25 little soft.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PRUITT: Okay, can you hear me now?

2 CHAIR MARCH-LEUBA: Perfect, thank you.

3 MR. PRUITT: Okay. Good morning, I am
4 Doug Pruitt, I would like to thank you for this
5 opportunity to brief the changes to the best estimate
6 enhanced Option III methodology from that client-
7 specific methodology you reviewed in November.

8 I'm on slide 2, by the way. In this
9 introduction, I will briefly touch on the BEO-III
10 background, basically addressing why would we
11 introduce statistical methodology; a summary of the
12 BEO-III methodology; and a comparison of plant-
13 specific and the generic methodology. That's slide 3.

14 The original BWR Owners' Group option III
15 methodology and associated Detect and Suppress
16 hardware was developed and implemented over 25 years
17 ago. And that setpoint methodology was composed of
18 several analytical components, each with its own
19 conservative assumptions.

20 And part of that was because it was a
21 generic methodology that addressed all vendors, and at
22 the time obviously the methodologies and the computer
23 capacity were limited.

24 The compounding of those conservatisms may
25 result in a relatively small margin between normal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operational noise and the trip setpoint for some
2 plants. It consequently resulted in some spurious
3 reactor scrams. The BEO-III statistical methodology
4 aims to provide conservative reactor setpoints that
5 provide greater operational flexibility to avoid
6 spurious scrams and challenges to the safety systems.
7 Slide 4, please.

8 BEO-III is based on a cycle-specific
9 statistical analysis to determine the bounding 95/95
10 figures of merit criteria and establish the operating
11 limit MCPR for reactor instabilities. Unique to the
12 BEO-III methodology is the greater insight in core
13 design due to the figures of merit. Of course, we do
14 the core MCPR to demonstrate that the safety limit is
15 not challenged at the time of oscillation suppression.

16 We go further and look at the limiting
17 channel hydraulic response to demonstrate that the
18 Detect and Suppress System was not challenged by
19 independent channel oscillations. Slide 5.

20 So what's changed between the plant-
21 specific that we talked about last year and the
22 generic LTR? The correlations, nodalization,
23 numerical solutions, validation against measured data,
24 derivation of modeling uncertainties, statistical
25 analysis, and capability that supports plant-specific

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Detect and Suppress hardware are identical.

2 The changes include one, revision to the
3 numerical basis for ICO, independent channel
4 oscillations. Two, introduction of an exposure pre-
5 filter to disposition non-limiting exposures from the
6 statistical evaluation. Implementation of a more
7 robust determination of oscillation decay ratios, and
8 an additional analysis step to assess operational
9 flexibility.

10 And that's the conclusion of my open
11 presentation. Any comments, questions?

12 CHAIR MARCH-LEUBA: Hearing none, I just
13 want to say that I've reviewed the BEO-III when we all
14 reviewed it back in the Brunswick application, and I
15 like the fact that it gives more insight into the
16 whole core operation, the whole cycle.

17 Because it analyzes the whole cycle ahead
18 of time and tells you when you may have a problem and
19 when you don't have a problem. As opposed to the old,
20 the 1980s methodologies, which we had to calculate in
21 very conservative numbers and too much conservatism.

22 So I like the -- I want to say thank you
23 for submitting this methodology because I think it's
24 an improvement. Makes the reactor safer and improves
25 the operability.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: Jose, can I ask a question?

2 CHAIR MARCH-LEUBA: Please, go ahead.

3 MEMBER BROWN: Back on slide 3. Second
4 bullet.

5 MR. PRUITT: Yes.

6 MEMBER BROWN: The compounding of
7 conservatisms results in a relatively small margin
8 between normal operational noise and setpoints for
9 some plants and have resulted in spurious scrams. I
10 understand that statement.

11 In my past battles in my old program, the
12 Naval Nuclear Program, we normally based what I would
13 call removal of -- or having better knowledge of the
14 level of our conservatisms, they were based on data,
15 not on just the desire to redo, you know, to redo the
16 analysis.

17 Is this, when we -- when you talk about
18 removing conservatisms, I understand the desire to
19 prevent spurious scrams. Are they based on test
20 empirical data from fuel performance, or is it just,
21 it is better instrumentation that you know where you
22 are better? As opposed to a ten percent error
23 instrumentation, you now have stuff that's good to one
24 or two percent or four percent?

25 I'm just looking for what's the basis for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 being able to improve this performance aspect.

2 MR. PRUITT: Yes, the primary change that
3 results the conservatism of the old method. The old
4 method basically assumes that to arrive at natural
5 circulation at equilibrium conditions, so the
6 feedwater, there's no time element associated with it.

7 And it also assumes that basically you
8 start out the oscillation at some growth ratio. And
9 it was a distribution maybe between 1.0 and 1.4 or 5,
10 I can't remember exactly. And that was what
11 established the hot-channel oscillation magnitude.

12 By going to a full simulation of the pump
13 trip and the feedwater temperature equilibration, you
14 start your detection of oscillations at a much lower
15 magnitude, basically when it's becoming unstable. And
16 so your system is able to respond much faster in a
17 real transient simulation than it is in the
18 conservative kind of steady state approximations.

19 MEMBER BROWN: Well, okay, but how are you
20 able to get it lower? Is that because your
21 measurements allow you to do that?

22 MR. PRUITT: Well, the other system
23 assumes that you start detecting the oscillations when
24 you're at a growth ratio of 1.1, 1.2, 1.3, whatever
25 would be at that equilibrium condition. And so you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still then have to wait for it to get to the number of
2 counts in the oscillation magnitude in order to trip
3 the system. In reality, it starts counting
4 oscillations and monitoring when you cross the
5 boundary.

6 And it's a much slower process where you
7 start out at 1.0 and it slowly increases in growth
8 rate as the feedwater equilibrates. And so basically
9 the protection system is armed and ready to trip the
10 reactor at a much lower or much earlier in the
11 oscillation growth.

12 CHAIR MARCH-LEUBA: Doug, would you say
13 that -- I mean, the detection system has not changed.
14 We have the same detection system --

15 MR. PRUITT: Right.

16 CHAIR MARCH-LEUBA: -- before and after.
17 The main difference is that now you're doing a best
18 estimate calculation of what actually happens in the
19 reactor, versus assuming the worst possible scenario.

20 MEMBER BROWN: Okay, I got that. So but
21 is that -- is the best estimate then being used for
22 design basis accident considerations or for beyond
23 design basis considerations?

24 MR. PRUITT: Well, this is treated as a
25 regular AOO, so this is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR MARCH-LEUBA: It is always a pump
2 trip, correct, Doug?

3 MR. PRUITT: Correct, yeah.

4 CHAIR MARCH-LEUBA: So it's a
5 recirculation pump trip.

6 MEMBER KIRCHNER: Yeah, Charlie, this is
7 in an AOO category of events for BWR.

8 MR. PRUITT: Yeah, we treat it as an
9 Anticipated Operational Occurrence. We have separate
10 methodologies based on the same code for anticipated
11 transients without scram and an instability.

12 MEMBER BROWN: Okay, thanks.

13 CHAIR MARCH-LEUBA: Excellent. Any more
14 comments in the open session? I'll count to five.
15 I'll say no, so can we open the public line. Any
16 members participating in the conference, in the Skype
17 conference or the public line, could you, if you want
18 to make a comment, please do so right now.

19 Can we have a confirmation the public line
20 is open, Thomas? I don't hear anything. Anybody at
21 all that wants to make a comment, please do so now,
22 the next five seconds.

23 Good, so this concludes the open session
24 of the meeting. We're going to transfer to the closed
25 session to discuss proprietary information to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Framatome. And we are going to try to use a different
2 process today than we've used in the past.

3 The closed meeting is being controlled by
4 some gatekeepers, and they are the ones that will let
5 you in if they determine that you belong inside, that
6 you have a need to know for this proprietary
7 information.

8 So we will reconvene at 10:35, which is
9 seven minutes from now, on the closed session. And it
10 will take a little while to let everybody through the
11 log-in. So thank you very much for --

12 MEMBER KIRCHNER: Jose, could we have a
13 few more minutes than seven minutes?

14 CHAIR MARCH-LEUBA: Yeah, I just didn't
15 want to run over one, but you're right. Let's start
16 at 10:45. Because it will take that long to let
17 everybody in.

18 MEMBER KIRCHNER: Much obliged.

19 MEMBER BALLINGER: This is Ron, we have a
20 second invitation, is that correct?

21 CHAIR MARCH-LEUBA: That is correct. And
22 it starts with capitals closed meeting.

23 MEMBER BALLINGER: Yeah, yeah, okay.

24 CHAIR MARCH-LEUBA: Yeah, okay, so this
25 phone line should go dead because there is no business

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be had here. So everybody that belongs in the
2 closed meeting, please move to the closed meeting. So
3 we are temporarily recessed, and we will reopen the
4 meeting later on, at 10:45.

5 MEMBER BROWN: So we'll reopen this
6 meeting later also after? We're going to have
7 another open session, or is the rest of the day on
8 closed?

9 CHAIR MARCH-LEUBA: We, ACRS, will have a
10 completely different topic this afternoon at 2:00 p.m.

11 MEMBER BROWN: Oh, no, I understand that,
12 but for your purposes, we're going to be in closed for
13 your subcommittee meeting.

14 CHAIR MARCH-LEUBA: We will be closed for
15 the rest of the morning, until 1:00.

16 MEMBER BROWN: Okay, thank you, thank you.

17 (Whereupon, the above-entitled matter went
18 off the record at 10:29 a.m.)

19

20

21

22

23

24

25



ACRS Sub-committee Meeting

Topical Report ANP-10323P GALILEO

Chris Allison

September 24, 2020

Topics

- Background
- Overview of Topical Report
- GALILEO Fuel Performance Code
- Statistical Evaluation Methodology
- Advanced Methods Platform

Background

- Development of GALILEO initiated to consolidate Framatome's worldwide expertise and experience into a single fuel performance code
- Builds upon the best practices and techniques from Framatome's current generation of fuel performance codes and methods, including:
 - COPERNIC (France and US)
 - RODEX4 (US)
 - CARO-3E (Germany)
- Originally developed to support PWR and BWR applications for UO₂, gadolinia and MOX fuels
- Requested NRC approval for
 - PWR applications
 - UO₂ and gadolinia fuel types
 - M5 and Zr-4 cladding

Overview of Topical Report

- Describes a methodology for the realistic evaluation of the thermal-mechanical performance of fuel rods for PWR applications
- The methodology is for demonstrating compliance with many of the fuel rod requirements of Section 4.2 of NUREG-0800
- Two major components:
 - GALILEO fuel performance code
 - Statistical evaluation methodology
- Topical report describes the following aspects
 - Requirements and capabilities
 - GALILEO calibration, validation, and range of parameters
 - Uncertainty analyses
 - Demonstration analyses

GALILEO Fuel Performance Code

- Best-estimate fuel rod performance code
- Simulates the thermal and mechanical response of a fuel rod in a reactor core as a function of exposure for the local power and flow conditions encountered during reactor operation
- Phenomenological rate dependent models evaluate the temperature, strain, exposure dependent changes in the state of the fuel and cladding materials, and the release of fission gas products
- Includes modeling of
 - Thermal conductivity degradation with burnup
 - Enhanced fission gas release in transients and at high burnup
 - Formation of high burnup structure on pellet rim
 - Advanced pellet mechanical models
- Calibrated and validated to an extensive fuel performance database consisting of European and U.S. data

Statistical Evaluation Methodology

- Analyze fuel rod performance during normal operating and AOO conditions for a given fuel reload and power plant
- Considers the uncertainties over the projected range of fuel operation for the rods in the core (power histories), the measured and calculated power uncertainties, the manufactured fuel rod characteristic uncertainties, and the GALILEO model uncertainties
- Employs a random sampling of the power, manufacturing, and model uncertainties, similar to Monte Carlo, with the best-estimate GALILEO code in conjunction with non-parametric statistics to evaluate the propagation of the uncertainties to the design analysis results

Demonstrate that the fuel meets the design criteria with a quantified probability

Advanced Methods Platform

- GALILEO is a foundational piece in Framatome's platform of advanced technologies and methods, including
 - PWR Rod Ejection Accident (REA) analysis – NRC approved methodology
 - Supports RG 1.236
 - Non-LOCA transient analysis – in NRC review
 - LOCA analysis methods – future submittal
 - Advanced Fuel Management (AFM) – future submittal(s)
 - Increased burnup
 - Higher enrichment
 - Enhanced Accident Tolerant Fuel (EATF) – future submittal(s)

Acronyms

ACRS – Advisory Committee on Reactor Safeguards

AFM – Advanced Fuel Management

AOO – Anticipated Operational Occurrence

BWR – Boiling Water Reactor

EATF – Enhanced Accident Tolerant Fuel

LOCA – Loss of Coolant Accident

MOX – Mixed Oxide

PWR – Pressurized Water Reactor

REA – Rod Ejection Accident


RG – Regulatory Guide


Trademarks

CARO-3E, COPERNIC, GALILEO, M5_{Framatome}, M5, and RODEX4 are trademarks or registered trademarks of Framatome or its affiliates, in the USA or other countries.

framatome

Thank you





U.S.NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment

**NRC EVALUATION OF GALILEO CODE AND
METHODOLOGY**

TOPICAL REPORT ANP-10323 REVISION 1

OPEN SESSION

Mathew Panicker Ph.D., P.E.

Nuclear Methods and Fuel Analysis Branch

NRR/DSS/SFNB

ACRS Subcommittee Meeting

September 24, 2020

Review of GALILEO Fuel Rod Thermal-Mechanical Code and Methods

- Mathew Panicker (NRC)
- Technical Review provided by PNNL under contract with NRC
 - Ken Geelhood
 - Dion Sunderland
 - Christine Goodson
 - Carl Beyer
 - Robert Montgomery
- Review focus
 - GALILEO Code
 - Assessment of individual models
 - Assessment of integral code predictions
 - GALILEO Methodology
 - Assessment of proposed uncertainties
 - Assessment of statistical methodology
 - Assessment of fuel damage limits

Overview and History

- Revision 0 of ANP-10323 (GALILEO) submitted in October 2013
- Realistic evaluation of the thermal-mechanical performance of fuel rods for Pressurized Water Reactors (PWRs).
 - Applicable to PWR, BWR and MOX fuels
 - UO₂, burnable absorbers
 - Zircaloy-2, Zircaloy-4, M5
 - Methodology provided for all thermal-mechanical analyses
- Acceptance review was performed by NRC staff, March 2014
- PNNL staff supported the technical review under contract NRC-HQ-20-14-T-0009 under technical supervision of NRC staff
- Upon review, over 70 RAIs (including sub-parts) were issued

Overview and History (Contd.)

- AREVA revised the scope of TR, suspended BWR and MOX fuels, November 2015
- Framatome submitted ANP-10323 Revision 1 for PWR fuels June 2018 (Applicable to PWR fuel, UO_2 and $\text{UO}_2\text{-Gd}_2\text{O}_3$, Zircaloy-4 and M5, Methodology provided for limited set of thermal-mechanical analyses
- Framatome responded to RAIs in five installments; 12/18, 1/19, 6/19, 9/19,, 5/20, and 7/20
- For the review confirmatory calculations were performed using the NRC's FRAPCON fuel performance code for comparison to GALILEO

- Areva (Framatome) submitted GALILEO topical report in August 2013
- GALILEO is Built upon NRC-approved COPERNIC and German TUV approved CARO-3
 - Thermal model and assessment
 - Fission gas release (FGR) model and its impact on internal pressure (RIP) model
 - Cladding corrosion and hydriding model
 - Cladding hydrogen pickup
 - Fuel densification and swelling model
 - Mechanical modeling and properties; Fuel Mechanical properties
 - Rod void volume model and growth assessment
 - Licensing applications
 - Improved statistical approach
 - 95%/95% or better approach for uncertainty calculations
 - Code applicability

- GDC 10: SAFDLs not exceeded during NO and AOOs
- GDC 35: Provide emergency core cooling following LOCA
- 10 CFR 50.46 Acceptance criteria for ECCS
- 10 CFR 50.34 Analysis and evaluation of design and performance of structures, systems, and components
- SRP 4.2: No damage to fuel during NO and AOOs
 - Fuel damage not severe to prevent control rod insertion
 - Number of fuel rod failures not underestimated for PAs
 - Core coolability is maintained
- Compliance with SRP 15.02; documentation, code verification and validation, evaluation model, uncertainty analysis included

Conclusions in SE

- NRC finds GALILEO code and methodology as described in ANP-10323P Revision 1 and modified as discussed in RAI responses to be acceptable
- Several limitations and conditions were stated regarding applicability range, methodologies that are not approved, and documentation

AOO - Anticipated Operational Occurrences

BWR - Boiling Water Reactor

ECCS - Emergency Core Cooling Systems

LOCA – Loss of Coolant Accident

MOX - Mixed Oxide

NO – Normal Operations

RAI – Request for Additional Information

SAFDLs - Specified Acceptable Fuel Design Limits

UO₂ - Uranium Dioxide



Best-estimate Enhanced Option III (BEO-III) Open-Session

Doug Pruitt

ACRS Information Meeting – September 24, 2020

Outline

- BEO-III Background
- Summary of BEO-III Methodology
- Comparison of Plant-Specific and Generic Methodology

BEO-III Background

- The original BWROG Option III methodology and associated Detect and Suppress (D&S) hardware were developed and implemented over 25 years ago.
 - The setpoint methodology was composed of several analytical components each with its own conservative assumptions.
- The compounding of conservatisms result in a relatively small margin between normal operational noise and the trip setpoint for some plants and consequently have resulted in spurious reactor scrams.
- The BEO-III statistical methodology aims to provide conservative reactor setpoints that provide greater operational flexibility to avoid spurious reactor scrams and challenges to the safety systems.

Summary of BEO-III Methodology

- BEO-III is based on cycle-specific statistical analyses to determine the bounding 95/95 figures of merit (FoM) and establish the OLMCPR for reactor instabilities
- Unique to the BEO-III methodology is the greater insight into the core design due to the selected FoM.
 - Core MCPR to demonstrate that the Safety Limit is not challenged at the time of oscillation suppression
 - Limiting channel hydraulic response to demonstrate that the D&S system is not challenged by independent channel oscillations (ICO)
- The BEO-III methodology has been reviewed previously as a plant specific methodology

Comparison of Plant-specific and Generic Method

- Correlations, nodalization, numerical solutions are identical.
- Validation against measured data and derivation of modeling uncertainties is identical
- Statistical analysis is identical
- Both support plant specific D&S hardware
- Changes include:
 - Revision to the numerical basis for ICO
 - Introduction of an exposure pre-filter to disposition non-limiting exposures from the statistical evaluation
 - Implementation of a more robust determination of oscillation decay ratios
 - Additional analyses step to assess operational flexibility