

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards

Docket Number: (n/a)

Location: teleconference

Date: Wednesday, October 6, 2021

Work Order No.: NRC-1708

Pages 1-96

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1716 14th Street, N.W., Suite 200
Washington, D.C. 20009
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

689TH MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

WEDNESDAY

OCTOBER 6, 2021

+ + + + +

The Advisory Committee met via
Videoconference, at 2:00 p.m. EDT, Matthew W. Sunseri,
Chairman, presiding.

COMMITTEE MEMBERS:

MATTHEW W. SUNSERI, Chairman

JOY L. REMPE, Vice Chairman

RONALD G. BALLINGER, Member

VICKI M. BIER, Member

DENNIS BLEY, Member

CHARLES H. BROWN, JR. Member

VESNA B. DIMITRIJEVIC, Member

GREGORY H. HALNON, Member

JOSE MARCH-LEUBA, Member

DAVID A. PETTI, Member

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DESIGNATED FEDERAL OFFICIAL:

ZENA ABDULLAHI

P R O C E E D I N G S

(2:00 p.m.)

CHAIR SUNSESRI: Okay, it's 2 o'clock. We will reconvene the 689th ACRS Full Committee Meeting. I'll start with a roll call. And Ron Ballinger.

MEMBER BALLINGER: Here.

CHAIR SUNSESRI: Vicki Bier.

MEMBER BIER: Here.

CHAIR SUNSESRI: Dennis Bley.

MEMBER BLEY: Here.

CHAIR SUNSESRI: Charles Brown.

MEMBER BROWN: Here.

CHAIR SUNSESRI: Vesna Dimitrijevic.

MEMBER DIMITRIJEVIC: Here.

CHAIR SUNSESRI: Greg Halnon.

MEMBER HALNON: Here.

CHAIR SUNSESRI: Jose March-Leuba.

MEMBER MARCH-LEUBA: Here.

CHAIR SUNSESRI: Dave Petti.

MEMBER PETTI: Here.

CHAIR SUNSESRI: Joy Rempe.

MEMBER REMPE: Here.

CHAIR SUNSESRI: And myself. So we are going to continue with our agenda, starting at 2 o'clock here. We had the biannual review of NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Safety Research Program. And as the agenda is
2 currently laid out, we have another topic starting at
3 4:15, which is really an, you know, unassigned topic.
4 It's a clean-up -- It's clean-up time for finishing
5 reports, preparation for the commission of
6 presentation. And so what we may elect to do as we'll
7 see when we get there, extend the biannual review to
8 see how far we can progress this. We may get through
9 it all in the allotted time. We may need some extra
10 time. But the goal would be to get alignment of the
11 committee so that the draft letter report can start
12 being prepared. So that's where we are today. Just
13 to let you know where we're going. Any questions
14 about that?

15 Alright, well then I will turn to Vice
16 Chair Rempe to lead us through this session. Joy,
17 it's all yours.

18 MEMBER REMPE: Thank you. First, I want
19 to thank everyone, not only the members, but also the
20 research staff for participating in all the
21 information briefings we've had. And I especially
22 want to thank the three leads, which include Matt,
23 Dave, and Vesna for their support in this effort, as
24 well as the members. The Agency's research does span
25 many fields. It's important that we are able to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 benefit from the collective expertise of all of our
2 members.

3 Today, if you'll go to the next slide,
4 Hossein, we're going to go through a presentation that
5 contains our initial thoughts about key points to
6 include in our letter report. And we're currently
7 planning that our letter report will have the six
8 sections that are shown on this slide. Although as
9 typical of all our letter reports, the conclusions and
10 recommendations section will appear at the beginning
11 of the letter, but this is the order we're going to go
12 through our thoughts on what should be in each
13 section.

14 And I'm going to start off with some quick
15 -- with a quick overview of what will be in the
16 background section of our letter report. And then
17 we're going to have each of the leaders for the
18 reviews of each of the research divisions to present
19 their slides on what they have prepared. And then
20 I'll go back through and propose some points for our
21 integrated assessment and the basis for that
22 integrated assessment will lead to the conclusions and
23 recommendations.

24 I've emphasized to the leads, as well as
25 I'd like to emphasize to the members that we're not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 looking for any sort of a line by line type of
2 comment. What we want to know is have we hit the high
3 points of what should be included in the letter
4 report? And where there are gaps, please notify us.
5 And then we'll work on the wording as we go through
6 this later on. Okay?

7 So let's go ahead and go to the next
8 slide. Are there any questions or comments on what
9 I've said so far? Okay, so in the background as in
10 prior years, I'll start off with some high level
11 remarks about what the Office of Regulatory Research
12 does and how they accomplish their mission. And the
13 words that you see here are typical of what we've had
14 in prior letters. Okay?

15 And if you'll go to the next slide,
16 Hossein. I'll include some historical information
17 about the process that's used by ACRS to review
18 research activities. And for those of you who've
19 heard me say this before, it will sound repetitive,
20 but because we have some new members, I will emphasize
21 the fact that we do review the research program
22 because there was an SRM issued back in 1997 that
23 tells us to do this. And so those three items come
24 from the SRM.

25 And then in addition over the years, we've

1 come to emphasize several other aspects such as are
2 they able to not only meet current and near term
3 agency needs? How well are they prioritizing new
4 research projects, their long-term planning. And then
5 how well they're responding to our prior
6 recommendations.

7 And then in the next slide, I'll just talk
8 about some of the process -- if you'll go to -- Yeah.
9 Slide 5. We'll talk about the process and activities
10 that we use to complete this report. And basically as
11 you all know, we had the meeting with the Director of
12 Research and then had three working group meetings
13 where we listened to each division discuss the
14 research. But then there are other briefings, some of
15 which have already occurred and some which are planned
16 in the future.

17 And actually in our conclusions and
18 recommendations discussion, although I don't plan on
19 putting those -- that list in the conclusions and
20 recommendations, I have gone through the transcripts
21 of each of our meetings and tried to list all the
22 possible topics that we might want to hear about for
23 some of our future updates, as well as we always do
24 these episodic reviews like the IDHEAS Research
25 Program on the Level 3 PRA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 But anyway, I would like -- if we had time
2 today, to make sure that I did capture all the
3 possible follow-on discussions we might want to have.
4 And then we hopefully will get some insights on what
5 the membership would look like with respect to
6 priorities of those future discussions.

7 And so if there aren't any questions about
8 what would be included in the background, I'll turn
9 this over to Vesna who will start off with a
10 discussion about the DRA overview. But I'd like to
11 pause for a minute to make sure that members have an
12 opportunity to provide their input. And hearing no
13 additional comments, I'm going to turn it over to you,
14 Vesna.

15 MEMBER DIMITRIJEVIC: Okay. So we're here
16 to talk about the Division of Risk Analysis. So
17 (audio interference) discuss the necessary -- I mean
18 how I'm going to present that is just with our
19 discussion today. It doesn't necessarily mean what we
20 will be talking in our report or the letter. But it
21 is the summary of relevant facts.

22 So it's a prominent agency resource in all
23 risk-related matters. It maintains and enhances tools
24 and matters for (indiscernible due to accent)
25 evaluation, which supports the Agency's solution to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 current and anticipated regulatory challenges. It's
2 organized in four branches; the PRA Branch, Fire and
3 External Hazard Branch, Performance and Reliability
4 Branch, Human Factors and Reliability Branch.

5 How they define their main objectives is
6 to grow the Agency risk informed decision making
7 capabilities to be ready for future technologies, to
8 complete high quality research products. And this is
9 something that, you know, it sounds very general, but
10 they have this new role in the Agency which we will
11 discuss later. You know, of course, like everybody
12 else, they want to facilitate transformation and build
13 and enhance staff capability.

14 So the next slide -- Thank you -- The next
15 slide, we will -- I'm talking about -- I mean it
16 doesn't really have to be called highlights and
17 observation, but I tried to summarize what are the
18 plan -- what are the projects and plans for the future
19 work in the different branches. So this is for the
20 Performance and Reliability Branch. They're the one
21 who -- you know, that maintains the PRA guidance and
22 standards and same for the risk-informed decision
23 making. And their future directions, you know, they
24 have to plan to issue these new standards for the
25 regulatory guidance. And we had actually today,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 discussion on Reg Guide 1.247.

2 Their plan is to enhance guidance on the
3 treatment of uncertainties. They're working with --
4 you know, on that, which is really positive because we
5 will discuss -- I will discuss this later. Also they
6 are -- They will offer guidance of risk-informed
7 decision making and uses of non-PRA techniques. And
8 they are developing two databases; one for PRA
9 standards and one for PRA matters.

10 So throughout the efforts in the branch of
11 Data Collection and Analytics, you know, they do the
12 regular job of elevating -- operating experience
13 information and also the (audio interference) is this
14 accident sequence precursors, which I will like the
15 operating experience from the Nuclear Plant, documents
16 of uncorporational events.

17 Next slide is talking about -- The next
18 slide is talking about the PRA Branch. They maintain
19 two models; SAPHIRE AND SPAR. They plan -- Their
20 future direction is to cloud-base SAPHIRE to do
21 application of IDHEAS-ECA and to expand enhance
22 (indiscernible due to accent) , you know.

23 And then we have a Level 3 PRA future
24 directions. We are sort of familiar with the effort
25 that they coming -- you know, causing to bend. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 they are -- So they are planning release of the
2 reports. And they are planning to use Level 3 PRA to
3 support licensing of advance reactors, which makes
4 sense.

5 And then there is this new project,
6 Dynamic PRA. And supposedly they will be documenting
7 results, issuing final reports, and organizing
8 workshop and training, you know, for this new work.
9 And also seek and this work supports this changing
10 environment.

11 MEMBER BLEY: Vesna?

12 MEMBER DIMITRIJEVIC: Next slide.

13 MEMBER BLEY: Can I sneak a question in?

14 MEMBER DIMITRIJEVIC: Sure. Sure.

15 Whoever has a question, stop me in the middle. That's
16 the best way to go through this.

17 MEMBER BLEY: The dynamic PRA, that's
18 something Nathan Su has been pursuing for about 20
19 years or more.

20 MEMBER DIMITRIJEVIC: Right.

21 MEMBER BLEY: But he's gone now. Does
22 this have a champion left on the staff?

23 MEMBER DIMITRIJEVIC: I don't know. I
24 don't know, Dennis. I couldn't tell this. However,
25 they did say that they're planning to, you know, do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 this all work, you know, documenting these results,
2 organizing workshop and training. So I assume there
3 is somebody, you know, taking this over.

4 MEMBER BLEY: Okay.

5 (simultaneous speaking)

6 MEMBER DIMITRIJEVIC: -- talk a little bit
7 more about that because they're also considering using
8 this -- using this new -- you know, the non-PRA in the
9 licensing of advanced reactor. (indiscernible due to
10 accent) some function and bring some new insights.

11 Charlie had a question during the meeting
12 about what is it actually the non-(indiscernible due
13 to accent) PRA? And how does it differ from the
14 regular PRA? And it differs by this time component,
15 you know, how the -- Because in the PRA we can just go
16 back to events in the old, but we don't consider
17 timing dependency between them. So it's interesting
18 that they will consider how can that be used to bring
19 some insight. So for me, this isn't any new -- I
20 don't know -- I don't think, Dennis, we have never had
21 any presentation on it. Right?

22 MEMBER BLEY: Not since I've been on the
23 committee. I've been following it for a long time and
24 it was really impractical early on. Nathan wrote a
25 paper a couple years ago, which I can find out if we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 can share and pass it around. But he did mention
2 once, I think a couple years ago to me that one of the
3 new reactor folks was actually making some progress on
4 an application. And it's possible because the design
5 is pretty simple. So it will be interesting. And
6 I'll see if I can get that paper --

7 (simultaneous speaking)

8 MEMBER REMPE: This is Joy and actually
9 with questions like what you're raising, Dennis, I'm
10 making a list and we'll follow up to find out a bit
11 more about who's going to champion it since Nathan has
12 retired and what their vision is a bit more, okay,
13 beyond what we heard at the subcommittee meeting.
14 Sorry I interrupted you, Vesna. Go ahead.

15 MEMBER DIMITRIJEVIC: I just noticed that
16 I was muted actually. Sorry. I wanted to say -- I
17 agree with Dennis that this is sort of unpractical in
18 a lot of ways. Even I have to say was the subject of
19 my thesis, which was then, you know, like I don't
20 know, 25 years ago or something. And it was already
21 considered in that time. But I do agree it's really
22 complex and impractical. And seeing the application
23 would be amusing. So I just -- I'm also concerned it
24 can just complicate things further. So (indiscernible
25 due to accent) really have a good hold on that -- on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 all the aspects of the cool and statical PRAs. Okay?

2 Okay so the fire -- the next slide. So
3 the fire -- you know, some projects here are sort of
4 being sunset. So they will be localized work to be
5 done in this area in the future. The improving fire
6 PRA realism is now mostly in the EPRI code as I
7 understood. The high energy, action codes, which we
8 have discussed a lot. And now -- not considered
9 anymore, the accident -- the GI category and the
10 transfer back to research. And again, the EPRI, OECD,
11 and NEA are working to advance, you know, our
12 understanding of that risk and how can be included in
13 the fire risk analysis.

14 So for probabilistic fire hazard, the
15 assessment -- the pilot study will be completed in
16 2022, this year. And the regulatory guidance will be
17 issued the next year. And then we have this new
18 project, which is subsurface characterization and
19 waste covers. This is a new area that we're planning
20 to support NMSS -- NMSS and environmental projects.
21 And it provides expertise area of the element of
22 hazard analysis, including (indiscernible due to
23 accent) monitoring, radon barriers, and
24 evapotranspiration.

25 I don't know too much about that, but this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 is the -- you know, related to the NMSS environmental
2 projects, which supports some of the things we are
3 interested in. So you know, dry cask and the
4 decommissioning. But we will talk about that later.

5 MEMBER BLEY: Can I toss another one in
6 here?

7 MEMBER DIMITRIJEVIC: Sure.

8 MEMBER BLEY: This is probably more for
9 Joy, but maybe not, maybe for you, Vesna. There was
10 a meeting back in September on this standard. Joy had
11 (audio interference) about the transportation of small
12 reactors before they had been used and after they had
13 been used. And we got back that, that belongs to
14 NMSS. My question is -- because I haven't heard
15 anything more about that -- Is that something that
16 NMSS is addressing in guidance or rule? Or is that
17 something that really fits into this research topic?

18 MEMBER DIMITRIJEVIC: There is a slide --
19 That was actually 11 out of 11. So let's transfer
20 that question and we get back to that on the slide.

21 MEMBER BLEY: Okay. You disputed me on
22 this one.

23 MEMBER DIMITRIJEVIC: Okay, we will not
24 forget this. Okay. Next slide. So this is on the
25 human factors and reliability. I actually have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 following, you know, this for a while. So you know,
2 the work on this advanced human factors; the license
3 review guidance and things like that. So they're
4 working now to have this scalable Part 53 review
5 guidance for human factor (indiscernible due to
6 accent). And also the -- related to Part 53, operator
7 licensing -- you know, definition of operator reactor
8 licensing requirements. So they're using this work to
9 support the Part 53.

10 Also because this is the branch which has
11 (indiscernible due to accent), you know,
12 organizational factors and agency innovation and
13 (indiscernible due to accent) changes. This actually,
14 innovation project become a part of that. And we will
15 talk in the later slides about that. This is just on
16 the branch level summary.

17 So they use this organizational factor
18 (indiscernible due to accent) to drive innovation and
19 culture changes in the NRC. And present enhanced
20 capability to perform external cloud sourcing for
21 significant tech challenges. And it's very
22 interesting that we don't know now from this moment
23 about that. And they also testing using ideas for an
24 NMSS application, which we will discuss later.

25 Okay, next slide. So this is -- because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 we always want to discuss these core competencies in
2 the Agency. And you know, this is one of the
3 objective to building and enhance those core
4 competencies. So there is a shortage in core
5 positions and reliability of these engineers is
6 expected over the next five years because of the
7 retirements.

8 And the strategy to address this shortage
9 is, you know, normal about hiring next level and a lot
10 of staff and then develop the competencies of the
11 greatest need of cross-training staff across branches.
12 And currently there is an effort to find a way to
13 (audio interference) from different fields to become
14 experts in licensing review of human factors. They're
15 developing training program, which will be shared
16 internationally within country and internationally
17 through the Nuclear Energy Agency.

18 Okay, so next slide. The collaboration,
19 they have a really high, you know, collaboration,
20 which makes perfect sense. One of our comments was
21 that we will sort of -- in our previous slide, that we
22 would like to see that they define their goals of --
23 they have a clean definition of the goals of the
24 deliverables from those projects are. But we didn't
25 see that, but sometimes it's maybe obvious.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So they're working in the, you know, the
2 CSNI and NEA for the extent of advanced human
3 (indiscernible due to accent) factors. And that's the
4 part where they address these PRA uncertainties, which
5 is, you know, especially useful to support advanced
6 reactors. Then they have the internal arrangement
7 with France to collaborate on flood-risk modeling.
8 This is one of the projects, which is actually being
9 sunset -- being finished, so we will talk about that
10 still.

11 They are exchanging human performance data
12 with Czeck Republic and South Korea, and also they're
13 participating in the Halden projects of the -- looking
14 in the -- in the operator performance and digital
15 control room. And human performance for small modular
16 reactors. And also for human performance in highly
17 automated plants, which will connect to which we
18 discussed earlier with Dennis and we could -- that
19 could be the new sub-group looking in this connection
20 between, you know, human performance and
21 automatization. And of course they base it, you know,
22 a lot of the operation with EPRI and NIST on the fire
23 modeling and these AGAF issues.

24 Okay, the next slide. So sunsetting
25 projects -- sunsetting projects of this AGAF Level 3

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and probabilistic Flood Hazard Assessment Project.
2 And it seems that only one of them has really
3 completed the Level 3 PRA Project is (audio
4 interference) to support licensing of advanced
5 reactors and you know, like assessing the risk for
6 multi-unit sites and integrated site risk. And the
7 HEAF, even we said the kinetic issue problem has been
8 (indiscernible due to accent) that there is still work
9 ongoing and they will be delivering those coming due
10 in '22. And this will be mostly to understand the
11 risk caused by this issue.

12 Okay, next. So (indiscernible due to
13 accent) Future-Focused Research Project. And they
14 should be getting prioritization in the ranking. We
15 actually didn't really discuss much this
16 prioritization throughout the principles of the
17 Preparedization Project even it was a -- one part of
18 our letter.

19 So what I'm doing currently for the
20 Advanced Reactor Program is developing PRA guidance.
21 We had the discussion this morning on this Reg Guide.
22 And this will also include the guidance to address the
23 PRA uncertainty. That's a very important issue for
24 the, you know, advanced non-light water reactors where
25 we don't have operating experience.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And they also can do (indiscernible due to
2 accent), the graded approach to scale and target human
3 factor (indiscernible due to accent) reviews for small
4 and microreactors. And that will mean to develop
5 (indiscernible due to accent) and also develop in
6 technology inclusive operator training and examination
7 requirements. And they have this Future-Focused
8 Research Project on the use of this dynamic PRA, which
9 we just discussed and how could it be applied for
10 advanced reactor.

11 And now that Joy made this comment in the
12 reg, and I myself am not sure, do I really understand
13 Joy's concern here because I was not really -- it
14 wasn't my impression that this EPRI/Vanderbilt
15 approach is taking the role of pilot application. So
16 Joy, can you elaborate a little --

17 (simultaneous speaking)

18 MEMBER REMPE: Sure. Yeah, at the
19 beginning of our subcommittee meeting, I believe Mark
20 Thaggard was the one who addressed my questions on
21 this. Two years ago we were told that DRA would have
22 reference plant evaluations where they tried to use a
23 risk assessment for the various technologies similar
24 to what the DSA folks have done for source term
25 evaluations. And you know, the DSA folks have had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 public, as well as staff workshops presenting their
2 results from evaluating reference plants for each of
3 the technologies and the type of results they're
4 getting.

5 For example, they had a pebble-bed HTGR or
6 a prismatic HTGR or different sodium reactors and
7 molten salt reactors that they presented results for.
8 And I have -- I asked Mark actually in our pre-meeting
9 before we actually heard from his division, what
10 happened to the reference part evaluations? What's
11 going on? And he said, well we're letting Vanderbilt
12 University do it. And then he mentioned some of --
13 briefly the results during our subcommittee meeting.
14 And I asked to hear more about it and see more about
15 it because it seems like the Division has basically --
16 they're involved in it, but Vanderbilt's going to have
17 the lead on it.

18 And I'm not sure that's the right approach
19 that should be taken. However, they sent me this
20 EPRI/Vanderbilt -- They sent it to all of us. Hossein
21 got it and forwarded it to us. And they basically are
22 using a concept called Safety in Design, which is a
23 process hazard assessment where they use HAZOPs. And
24 they did it for one molten salt reactor. And you
25 know, with -- And we discussed this during P&P today

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 when Dave was talking about the staff is looking at a
2 graded approach to PRA.

3 And actually in the Part 53 subcommittee
4 hearing last September, we heard that staff is also
5 because of stakeholder comments, they are thinking
6 about what could be done for the stakeholders.
7 They're saying we don't want to do a PRA at all, not
8 even in a secondary role. We just don't want one.
9 And this Safety in Design approach is something that
10 I think -- it would be good for the subcommittee --
11 the whole committee to look at. Because it is a
12 systematic approach to try and look at where the
13 radiological hazards are. And they try and identify
14 the initiating events and do something with that
15 approach.

16 So I think we -- we don't have enough
17 information to have a solid recommendation here. And
18 us folks just think it's a bad idea for the staff to
19 turn it over to the university and participate in a
20 secondary role, which is one thing -- Again, I don't
21 have the answers here. There's just possible options
22 that the committee may want to think about. But if we
23 hear more about it, which I would like to hear more
24 about it -- and it may be from this Part 53-related
25 subcommittee meeting, we might think this is a viable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 approach for dealing with some of these non-LWRs.

2 And they actually -- they didn't get very
3 far, but they even talk about it in this
4 EPRI/Vanderbilt report about trying to think of other
5 risk metrics that could be used because we've also
6 struggled with that. We can't use core damage
7 frequency or some of the other surrogates for the
8 QHOs. And what they proposed was a huge -- a
9 significant change in release might be an approach.

10 But anyway, I think that we ought to have
11 some comment on it since it was brought up to our
12 attention in the research review about this approach.
13 And that we plan to investigate it further as a
14 minimum type of comment we ought to have on it. And
15 that's why I've had this comment and I didn't just
16 delete it like I have other comments I've had for
17 others because I wanted to make sure this got
18 discussed today. And again, there are some gaps.
19 There's nothing about transportation to or from the
20 site of a small modular reactor in what
21 EPRI/Vanderbilt did.

22 And your comment about -- that earlier
23 Dennis, it showed up in another subcommittee meeting
24 -- the EP meeting that Greg shared last month. And I
25 at the time asked about that. And I was also told oh,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 transportation's an NMSS thing. And I made the
2 comment to myself, it sounds like a lots being turned
3 over to NMSS and we need to track that. So it's on
4 my list of to-do's to mention it somewhere, we need to
5 track it. Because it seems like it's being thrown
6 over the fence. And I'm not sure how -- you know, we
7 ought to follow up on that too by the way, Dennis. So
8 I'll shut up and let other people put their comments
9 in.

10 (simultaneous speaking)

11 MEMBER DIMITRIJEVIC:-- on the 11th slide
12 of these observations. But however, what I want to
13 tell you that I didn't really visualize this as a
14 replacement. It totally didn't mean to me that NRC is
15 turning things to the EPRI and Vanderbilt University.
16 What they are exploring is one different method --
17 which is just one of the different methods that NRC is
18 actually considering using for the PRA partially or
19 the PRA replacement that we also had, you know, to
20 discuss the (indiscernible due to accent) objectives.
21 But the thing is for me, I don't know really why we
22 think is the -- are you told explicitly like this is
23 what they consider a place reference plant because
24 that would not make any sense.

25 MEMBER REMPE: That was my take from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 subcommittee meeting and it's in the transcript. If
2 I'm wrong, let me know. But that's what I read and I
3 heard.

4 MEMBER BLEY: Well, if I could jump in
5 here a little bit since you mentioned me a couple of
6 times. Just a few different comments. One, this
7 Safety in Design, it smells a lot like PRA, but maybe
8 a modified approach to that. But you know --

9 (simultaneous speaking)

10 MEMBER BLEY: -- in developing this are
11 some PRA people. It's not -- It's pretty clear that
12 the Vanderbilt people are the organizers and got the
13 funding from EPRI. But the people who worked on it
14 are a real mix of people out of industry. Some might
15 now be at Vanderbilt or consulting with them. Also
16 one of the -- one of the vendors is in here pretty
17 strongly. So the staff can't be turning over this to
18 the vendors. There's more than meets the eye here, I
19 suspect. And if you look at the list of names of the
20 people who are heavily involved in that report, you'll
21 see an interesting range. Anyway, I'll step out.

22 MEMBER REMPE: Okay, so just real quick,
23 Dennis, it's two of the three questions. It's called
24 a process hazard assessment. So they don't address
25 frequency at all of the triplet three questions to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 answer. And that's identified in the report. And the
2 report talks about, it's supposed to be a PHA to PRA
3 approach. And then as they worked on this, they came
4 to the conclusion you don't necessarily have to go to
5 a PRA. And so again, we're hearing this from the
6 staff in Part 53, as well as from the research folks.

7 CHAIR SUNSERI: Hey Joy, Vicki has her
8 hand up patiently waiting to interject.

9 MEMBER REMPE: Thank you. Vicki, go
10 ahead.

11 MEMBER BIER: I'm muted. There we go. I
12 just wanted to comment kind of general. First of all,
13 I agree we should at least be keeping tabs on what the
14 Vanderbilt group is doing and how it fits into the NRC
15 plans. But also just in general, I think the idea of
16 doing safety analysis as kind of a qualitative design
17 process, rather than a PRA, whether that works
18 probably depends a lot on the simplicity of the
19 design. And part of why we end up with such
20 complicated PRAs is because we have complicated plants
21 with a zillion pumps and valves and everything else.

22 And there the frequency becomes really
23 crucial because there's so many zillion scenarios.
24 And you have to have a way to figure out which ones to
25 prioritize and really look at. And if you have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 really super simple design that's operating more from
2 the basics physics with fewer active components, it
3 may be possible to have a more qualitative approach
4 that does a pretty good job.

5 MEMBER DIMITRIJEVIC: Thanks, Vicki.
6 Thanks. I do agree on a lot of that. I had the
7 chance actually last night to look in this report.
8 And I have through our meetings in 53, advocated there
9 is a lot of portions of the PRA which are not (audio
10 interference) necessarily quantitative which can be
11 used, you know, to make conclusion. And if you need
12 to have a -- One of the -- why this study was built
13 based on what I have -- you know, I haven't studied in
14 detail is to -- if you have to make this design
15 decision early in the process when you're designing
16 plant and you don't have a fully developed PRA, there
17 should be some other approach actually available for
18 that. And in my sense, I think it's very interesting
19 work.

20 I agree with Joy that we should definitely
21 look in that. But I don't think that we should be
22 sort of concern that, that's replacing reference plan.
23 And we should definitely suggest to the staff to renew
24 their interest in the -- you know, having reference
25 plan for the -- you know, 10 CFR 53. Okay --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER REMPE: Vesna, just a second.
2 Again, that's an important recommendation. And I'm
3 with you if that's what the ACRS wants to do. So I
4 just think that's an important recommendation we ought
5 to definitely --

6 MEMBER DIMITRIJEVIC: Right.

7 MEMBER REMPE: -- write up. So thank you.
8 I just didn't know what we should do --

9 MEMBER PETTI: So are we just personally
10 recommending that we want to hear more about this
11 under the umbrella of Part 53, which is sort of what
12 we decided this morning?

13 MEMBER REMPE: Yeah, we'll have some -- We
14 are pursuing this matter. We don't have to say where.
15 It gets very convoluted with what's going on now with
16 the Agency with Part 53 versus research and actually
17 even the Digital I&C and other places. It's an
18 integrated approach.

19 MEMBER DIMITRIJEVIC: Yeah. Okay, I'm not
20 sure how this -- technically that really works. So I
21 -- I mean I definitely would be interested to hear.
22 Can we recommend that or not? I'm not sure. So I
23 think we can definitely recommend they have a -- renew
24 this reference plan process.

25 Okay, so the next slide. So in the next

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 slide, I want to talk about this innovation -- the
2 process -- that actually this innovation activities is
3 now leading this department, which is very
4 interesting. So DRAs are one of two places as we have
5 been informing the Agency, which has this
6 organizational factor specialists. And that
7 department is this Office of Chief Human Capital
8 Officers. And the (indiscernible due to accent)
9 Office of Nuclear Regulatory Research.

10 And so when this push for the innovation
11 started looking for staff members from the Human
12 Factor Reliability Branch move to the ED Office and
13 provide the technical support role. So they help you
14 -- what they call innovate NRC to (indiscernible due
15 to accent) the program. And that program includes
16 infrastructures and the procedures and process for
17 maintaining and sustaining innovation.

18 So basically it's a part of this program
19 as I understand, that builds this infrastructure and
20 procedures and process for innovation in the Agency.
21 I am not going to -- You will see later in the
22 recommendations that, that's when ADR will be
23 interesting to see what they have done and how they
24 coordinate this and how do -- how does this process
25 work. We have not learned too much about that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Okay, next slide. The (indiscernible due
2 to accent) increasing the (indiscernible due to
3 accent) they have (indiscernible due to accent) having
4 innovation. Okay, so some of innovative as I put in
5 the (indiscernible due to accent); one is this
6 (indiscernible due to accent) PRA, which we discussed
7 before. And since it has this time element in the --
8 time dependency element, it has the potential to
9 provide, you know, additional use with (indiscernible
10 due to accent) and I mean, even there is not too
11 impractical.

12 So final report documenting those results
13 is expected in the middle of the next year, in July of
14 2022. Also they're doing limited work on artificial
15 intelligence, mostly with DOE and to use artificial
16 intelligence to analyze operating data. And possible
17 future projects they consider effects of extreme
18 weather events and security area -- support of the
19 physical security area itself. Those are the new
20 projects they're considering starting.

21 Okay, here comes this 11/11, which talks
22 about the transportation NMSS and the dry cask
23 storage. So yeah, they're currently looking to expand
24 their support to NMSS. That's the next slide. Sorry.
25 Sorry. Sorry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER REMPE: Vesna, before you leave
2 this just to emphasize what I was talking earlier
3 wasn't just for licensed geostorage and
4 transportation. I'm talking about people who want to
5 move us -- a small modular reactor with a loaded core
6 to and from the site. And they're also passing that
7 over to NMSS. Right?

8 MEMBER DIMITRIJEVIC: Well okay, they
9 cannot -- Sure, so I will tell you what they have --
10 the NMSS is doing, they're supporting them. And then
11 we can talk about it. I didn't get the impression if
12 you mean -- I know you're always concerned about
13 modules moving. So I didn't get the impression that
14 this is the -- that NMSS will be working on it.

15 MEMBER REMPE: Well whenever we ask what
16 are you going to do with the spent modules and what
17 about the risk and moving it to the site and starting
18 it up and then afterwards storing --

19 (simultaneous speaking)

20 MEMBER REMPE: -- marking a lot of them
21 and then taking them off site, we are now getting it
22 bounced over to well, NMSS will take care of that.

23 MEMBER BLEY: Joy, it's not really
24 bouncing over. That's always been a materials issue
25 and it's always belonged to NMSS. They gave the cask

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 certification. They do anything associated with
2 transportation and they always have as far as I know.

3 (simultaneous speaking)

4 MEMBER PETTI: And I think that it's
5 important to recognize that there is a regulation,
6 Part 71 is what is being used to look at requirements
7 for transportation. The biggest difference is that
8 it's not very risk-informed. It's very prescriptive.
9 But it's written at a high enough level that, you
10 know, it's used for spent fuel largely, but it can
11 easily be used for the reactor. There are
12 requirements on criticality. There are requirements
13 on radiation dose. You know, all the things you'd
14 expect to see.

15 MEMBER REMPE: But the kicker is then
16 okay, what about when you're trying to pick a site
17 boundary? If it doesn't go off site, it's another
18 source of radiological hazard. What if you have --
19 We've learned now that one of these advanced designers
20 wants to heavily emphasize the difference between
21 spent and used fuel. Again --

22 (simultaneous speaking)

23 MEMBER PETTI: -- that's not a -- that's
24 not a transportation issue. That's a site issue.

25 MEMBER REMPE: Well, if you don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 transport it off while you're -- Anyway, the issue is,
2 is that we need to have an integrated approach and
3 follow both. Right?

4 MEMBER PETTI: Yeah.

5 MEMBER DIMITRIJEVIC: Currently what this
6 Department is trying to do is to help NMSS to develop
7 risk tools to look in this, you know, dry cask storage
8 into the spent fuel dry storage. They're providing
9 both support in the risk tools and now the new thing
10 is the supplemental support, which we discussed. So
11 whatever, you know, currently is going -- and this
12 also covers transportation, you know, the risk tools
13 to help future review of transportation packages,
14 those tools and the supplemental support will apply
15 for extension that could be -- that would be different
16 model approaches. But it will apply to extension of
17 those -- you know, those activities.

18 So what we hope here is that
19 transportation, dry cask storage, the commissioning
20 problems, spent fuel dry storage. You know, so I
21 think at this moment how it works, it's perfectly
22 fine. But it needs to be extended to other things or
23 we can already discuss in our recommendation, you
24 know, they can keep in the -- the developing risk
25 tools that can keep this in their mind. They could be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 extended for blah, blah, blah.

2 You know, so we cannot let our recommendation that
3 this support to providing to NMSS to be, it would
4 never be covering risk associated with (indiscernible
5 due to accent) can be extended, to you know, different
6 subjects.

7 MEMBER REMPE: Okay, I've got it in the
8 notes. Thank you.

9 MEMBER PETTI: I mean is it worth -- Do we
10 think they should -- you say developing risk tools,
11 but risk informing some of the regulations in
12 transportation. Is that worth knowing --

13 (simultaneous speaking)

14 MEMBER PETTI: -- evaluate the potential
15 --

16 (simultaneous speaking)

17 MEMBER DIMITRIJEVIC: -- risk tools.
18 Right? Does it cover risk tool --

19 (simultaneous speaking)

20 MEMBER PETTI: Okay.

21 MEMBER DIMITRIJEVIC: -- then we could
22 consider what we would like to risk --

23 (simultaneous speaking)

24 MEMBER PETTI: Yeah, okay.

25 MEMBER DIMITRIJEVIC: All right. Yeah, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 mean obviously there is no (indiscernible due to
2 accent). I mean there could be, I mean, you know, but
3 it's under different level. You know?

4 MEMBER PETTI: Yeah.

5 MEMBER DIMITRIJEVIC: It's a different
6 frequency base.

7 MEMBER BALLINGER: I might add that there
8 is this ongoing or at least developing program at the
9 Agency to deal with the consequences. And I think
10 that will -- of dry fuel storage leakage. And that
11 may transition into a risk-informed operation, which
12 would then in the long-term affect Part 72.

13 MEMBER DIMITRIJEVIC: Right, Ron. This big
14 report was this EPRI report. I didn't remember seeing
15 this. I forgot who was it done by.

16 MEMBER BALLINGER: Yeah. There's a user
17 need that's going on and we're following that with
18 regard to the consequence analysis.

19 MEMBER DIMITRIJEVIC: Right. And that
20 would be part of the -- of the, you know, part of the
21 risk analysis. Okay.

22 MEMBER BALLINGER: Because Dave is right,
23 Part 72 has got to change if you're going to do any of
24 this. Because Part 72 simply says "no leakage."

25 MEMBER DIMITRIJEVIC: Okay, that's some of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the -- I see some sign here. Does that mean somebody
2 raised their hand? I cannot see this. Okay, I don't
3 see any hands raised. Okay, so this was basically
4 everything what they're doing. And then I tried to
5 combine this in the conclusions.

6 So next slide. So next slide, I have this
7 high level conclusion. One is that they're sunseting
8 some projects, which was a part of our recommendation
9 and discussion, you know, in the previous review. But
10 they's finally renewal for ongoing projects. And I
11 think that's -- I thought that was very positive. And
12 they are considering using Level 3 PRA to support
13 licensing advanced reactors because, you know, it goes
14 (indiscernible due to accent). And so it can support
15 the (indiscernible due to accent). And also to
16 develop the Part 53 human reactor review guidance and
17 also operator reactor licensing requirements for
18 advanced reactors. I think that's another positive
19 development for those two projects which were reaching
20 end -- (indiscernible due to accent).

21 And also as they said, DRA has this new
22 important role in the Agency transformation effort to
23 overseeing the innovation activities by utilizing
24 organizational factors expertise to drive innovation
25 and capture changes. And that sounds very good. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 just don't know how it's done. So we will support
2 this effort, but we don't have enough information to
3 analyze how it's being coordinated and what have been
4 accomplished so far. So we can, you know, maybe this
5 part is our next review to get familiar with that.

6 Okay, the next slide. Also they have
7 twice brought up their interest in addressing PRA
8 uncertainties in both the regulatory guidance, you
9 know, like for the advanced reactors and also for HRA
10 efforts. And I think we should strongly support this
11 effort because there is clear needs to have a guidance
12 on how to utilize uncertainty results in regulation.
13 And it's especially important when we now talk about
14 reactors where the new design features where we have
15 no operating data and also we don't really have
16 modeling experience in that -- in these reactors, you
17 know, so it will be -- I mean a lot of uncertainties
18 associated with that. So a little, you know, guidance
19 in this area would definitely help.

20 And the last one, these new projects --
21 they have new projects. One is to see how dynamic
22 PRA may be used for advanced reactors. And we have
23 this NMS-related support projects. And also they were
24 considering these possible future projects of
25 analyzing effects of extreme data and you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 supporting physical security areas. I even saw some
2 risk with the (inaudible) program or something. But
3 I saw that in transcript; however, I didn't remember
4 that from discussion.

5 So what we can notice from there that all
6 of these new things are sort of general. And they're
7 not really projects that can eventually support
8 advance reactors like extreme data. But they're
9 currently more than 80 percent of DRA work is in
10 operating reactor business line and less than 10
11 percent in advanced reactors. So significantly less.
12 So I think that we should really, you know, express
13 our hope that we will see that those percentages are
14 changing in upcoming years. And that more work is
15 dedicated to the -- to the advanced reactors.

16 CHAIR SUNSESRI: Hey Vesna, I have a
17 question about that.

18 MEMBER DIMITRIJEVIC: Sure.

19 CHAIR SUNSESRI: I mean just think about
20 the presentations we had this week on the non-light
21 water reactor standards. I mean, you know --

22 MEMBER DIMITRIJEVIC: Right.

23 CHAIR SUNSESRI: -- much of the work that
24 is done for the operating fleet is applicable to the
25 -- I mean, you know, they're almost agnostic. Right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I mean, it's how you do analysis -- risk analysis.
2 It's a process, not necessarily technology-specific
3 things. So I mean is it fair to say just because only
4 10 percent of the work is advanced reactors that it's
5 not being advanced proportionately?

6 MEMBER DIMITRIJEVIC: Okay, well it's not
7 being advanced proportionately -- What would that
8 really -- What would that imply? That we are saying
9 that --

10 CHAIR SUNSESRI: Well, what I'm reading
11 this is saying is that we're doing 80 percent of the
12 work on operating reactors in (inaudible) and we want
13 to see that shift to I don't know, 50/50 or something?
14 You know, but --

15 MEMBER DIMITRIJEVIC: Yes. Yes.

16 CHAIR SUNSESRI: -- what advantage is
17 there? I mean is part of the 80 that is operating
18 reactors applicable to the -- to the advance as well?
19 I mean it seems to me it is.

20 MEMBER DIMITRIJEVIC: Yes, that's (audio
21 interference) -- big percentage of operating things is
22 applicable for the advanced, but may not. I mean you
23 know, it may be totally new design, totally new
24 issues. And the main point is that we already -- in
25 my opinion, that we already know a lot, you know, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the -- You know, like for example, let's say that we
2 are concentrating on the cable fires and the fire is
3 really sunsetting a lot. But you know, this will
4 definitely be applied for the all new designs. But
5 for example, some new type of the fire risk because of
6 the (indiscernible due to accent) interaction and we
7 are not looking at all. And that can come with the
8 new reactors. You know?

9 So I just want to say we have some, you
10 know, when it comes to research, you know, this is not
11 work in general (indiscernible due to accent). I
12 think that we should increase definitely searching
13 what we don't know.

14 MEMBER REMPE: So this is Joy. And I
15 think -- again, sometimes we get told to not focus --
16 We do ask them for percentages of funding, but that's
17 so we understand the resource allocation. And I think
18 a better -- because we get criticized if we swim out
19 of our swim lane. You mentioned already in your
20 presentation some ideas that would accomplish what
21 you're saying here, Vesna. Like you thought they
22 should reconsider the PRAs -- the reference plant PRAs
23 for non-LWRs.

24 There's the issue that has come up several
25 times that you've actually brought up Vesna, about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 what metrics should be used for non-LWRs? It's for
2 surrogates for the qualitative -- the qualitative
3 health objectives. So I think we suggest some
4 projects, that they should reconsider for research,
5 dynamic PRA applications, et cetera that, that would
6 accomplish your objective. And maybe avoid what
7 Matt's suggesting as a comment. What do you think?

8 MEMBER DIMITRIJEVIC: I mean, you know, I
9 wasn't sure that it would be necessary for this
10 (indiscernible due to accent). So in general, yes.
11 And I would be too like, you know, hesitant because
12 I'm not sure I completely understand the concern why
13 we object to increase. But that's okay. So Dave has
14 hand raised. Dave?

15 MEMBER PETTI: Yeah. My thing would be
16 maybe be a conclusion that they should engage more and
17 use their expertise as Part 53 with this graded
18 approach to PRA that they're struggling -- They've got
19 a working group, so they probably are doing that. But
20 they didn't really talk to us about that at all. And
21 given the stakeholder comments of late, I think it's
22 going to be a pretty important topic. I mean I'm
23 assuming that the Agency reaches out to the expertise
24 in DRA. I mean there's a lot of risk assessment
25 expertise, both in NRR and in DRA. So I'm assuming

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that they know each other and they reach out as
2 appropriate as indicated by the, you know, the reg
3 guide we just looked at. And the presentation was
4 from somebody from RES and somebody from NRR.

5 MEMBER DIMITRIJEVIC: So we should be
6 careful how we phrase this. I mean I can see that.
7 I just want to say we don't see -- we see a lot of
8 issues when we talked to NCSI, but we don't really see
9 the NRC is doing research. (indiscernible due to
10 accent) is this relative importance measures because
11 it's extremely important thing if we're going do this
12 risk-informed thing is to understand how you're going
13 to rank importance with the plants which already, you
14 know, low risk.

15 And you know, the thing is like we say
16 we're doing risk-informed applications, but you know,
17 nobody really defines what risk -- what the heck are
18 we talking about. So we are just trying to phrase
19 this without really trying to understand what we are
20 trying to accomplish. I mean the (indiscernible due
21 to accent) at this thing or at least maybe review of
22 the little (indiscernible due to accent) forming the
23 task, but maybe that's not for the NRC.
24 (indiscernible due to accent) I'm staying out of that.
25 I mean obviously the different departments do the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 different things. And maybe they didn't ask for help
2 from the Research Department.

3 Okay, well this is -- I'm sort of
4 basically done. I see that Joy put a little comment
5 here. I'm delighted to hear her comments on the
6 Vanderbilt things which we already discussed. Okay,
7 so basically this doesn't mean that this is going to
8 be our recommendation. That was my thinking in this
9 way when we write our letter and we will put on this
10 discussion and things like that, that we can ask
11 (audio interference) better. Okay.

12 MEMBER REMPE: Thank you, Vesna. And I
13 apologize. I should have cut off that comment on the
14 end there. It's late night changes that I didn't
15 quite incorporate, so my fault. But anyway, let's go
16 on to Dave's presentation. And let's try and go as
17 fast as you -- I mean let's try and do it in 25
18 minutes like we originally said. Okay, Dave?

19 MEMBER PETTI: Oh yeah. I only have, I
20 think, five or six slides. So, Division of Systems
21 Analysis talks about what they do. They develop and
22 maintain a wide spectrum of codes that are either
23 state of factors or state of the art. They're in four
24 branches. They have core competencies in the usual
25 things that you would expect given the system analysis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and the developing new competencies in -- I call it
2 advanced reactor behavior of data science and
3 artificial intelligence.

4 So next slide. In terms of prior
5 recommendations, they have been implementing the non-
6 LWR code integrated action plans. Remember, the
7 multivolumes that Kim and her staff have talked to us
8 about, emphasizing simplified solutions for estimating
9 source terms, focused on developing and maintaining
10 in-house codes and capabilities and expertise. And
11 using these advanced reference plan evaluations to
12 assess the modeling capabilities and the data gaps.

13 They're trying to develop longer term
14 strategy for code maintenance. We heard about that.
15 They've got a new person that came out of, I believe
16 the DoD to help them think about strategic planning in
17 this area for code maintenance, consolidation,
18 development -- code development and how to integrate
19 the needs of the emerging technologies.

20 Next slide. So we suggest the findings
21 that -- I mean my draft write-up is that the breath
22 and depth of the capabilities in the division are
23 critical to providing that -- the technical basis for
24 the reasonable assurance findings that you know, the
25 Agency develops. We have numerous international

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 collaborations, you know, all of the different
2 departments, to leverage experimental capabilities
3 around the world. It would have cost NRC hundreds of
4 millions to replicate that in the U.S. So huge
5 leveraging, very valuable for them.

6 And also that the codes that they use, all
7 of them in this -- in DSA have a large international
8 set of users. And to me, that's a testament to the
9 quality and value of the DSA product to the
10 international reactor safety community. If you look
11 at -- I can't remember what it is -- the National
12 Academies were asked to talk about the quality of
13 research products. And they said that the best metric
14 for quality is being recognized internationally. And
15 I can clearly -- the DSA products given the use of --
16 international use meets that criteria.

17 Next slide. You know, they've got this
18 balancing act to look at current needs and future
19 needs, you know, acts in (inaudible) fuel, high burn-
20 up fuel and advanced reactor applications. Those are
21 big issues on their plate. And I thought it was very
22 admirable, the balancing that they've been able to do
23 given the changing reactor technology environment.

24 Their preparation for advanced reactors,
25 the application is coming along well, I think, across

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the range of anticipated technologies. We expect to
2 hear more from them this year. The reference plan
3 evaluations have identified gaps to help prioritize
4 data needs and establish the adequacy of their
5 confirmatory tools. The recent daily funding awards
6 and the Advanced Reactor Demonstration Project has
7 helped NRC prioritize its research activities. And
8 just note that this balancing is critical to
9 performing code research at the right time.

10 Next slide. I thought the code investment
11 strategy was sound. It's a holistic assessment
12 focused on needs over a longer time period, five to
13 seven years over the historic three, to have the
14 greatest impact to the Agency. Also this new agency
15 wide data science and artificial intelligence
16 initiative seems to be a worthwhile endeavor. Good
17 definitions, standards, and use cases are going to be
18 critical to be a value to the NRC. The impact on
19 reactor safety, specifically the biggest areas,
20 autonomous control and vulnerability assessments needs
21 to be established. Getting started on this work
22 earlier I thought was laudable.

23 Next slide. That's it.

24 MEMBER REMPE: So you did it very fast.
25 This is Joy. So I know, you know, that I've made the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 comment about do you have any recommendations? You
2 know, something to help them do a better job. And
3 some ideas that I came up with when I was looking
4 through the transcript were coming from other member
5 comments -- from that meeting, as well as some prior
6 meetings.

7 For example, one member said about the
8 code investment strategy, they ought to try and go for
9 a longer period of time. I mean what they've done is
10 great because they have never tried to think about
11 five to seven years. But should we also say they
12 might want to consider going longer? There was one
13 member -- I know it's in the integrated assessment
14 about this is a substantial effort that may require a
15 lot more resources. The integrated action plan
16 reports that we reviewed as part of -- I don't know,
17 the non-LWR effort or future plants efforts. At one
18 time, we said are they ever going to update these
19 reports? Did we want as a group to say they ought to
20 consider updating these reports at some point in the
21 future? Do you have any ideas about what you'd like
22 to recommend for changes, Dave?

23 MEMBER PETTI: So I thought ten years was
24 too long right now in such a dynamic environment.
25 It's hard enough, I think, for them to see five to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 seven. So I mean if we put some words in, you know,
2 where practicable, they could look longer. But for
3 instance, you know, in the advanced reactors, we don't
4 know which ones are going to come through and make it
5 to the finish line. So I think that's difficult. But
6 in other areas like the dose calculation of stuff and
7 some of that, they may be able to look further and
8 still see value for looking longer. So we could work
9 that in.

10 MEMBER REMPE: So okay, the five to seven
11 year investment strategy, if you think about it, they
12 didn't develop any new codes for non-LWRs. They use
13 MELCOR. And for some cases, they were able to use
14 trace. For the dose calculations, they're using MAACS
15 and other codes that existed. So again, maybe not for
16 those models, but the codes are their codes. Right?

17 MEMBER PETTI: Right, although they have,
18 you know, agreed for some cases to go to the DOE codes
19 where they --

20 (simultaneous speaking)

21 MEMBER REMPE: And I'm guessing that the
22 investment strategy is not on any of the DOE codes
23 because DOE is paying for those. Right?

24 MEMBER PETTI: Yeah, I mean I guess I took
25 investment in a broader sense. Not just dollars, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 you know, people, resources, just the whole
2 enterprise. But you know, until -- I think it's just
3 hard for them to see beyond what they -- where they
4 are today. I mean five to seven years.

5 MEMBER REMPE: I may agree with you. In
6 the U.S., it's always essentially -- although their
7 funding's reimbursable from licensees. But anyway,
8 it's always hard to predict the future.

9 MEMBER PETTI: Yeah.

10 MEMBER REMPE: You may be right, but I
11 just am trying to push it and think about is there
12 anything you want to suggest that they do differently?
13 Any gaps?

14 MEMBER PETTI: You know, until we get
15 further into the actual applications, I don't -- I
16 don't -- at this point, I can't see any gaps. I mean
17 I think that they're well set for both Natrium and X-
18 energy, I think that they're good tools. Thir tools
19 obviously in salt systems, a little behind that. But
20 I don't think there's going to be something, you know,
21 pounding at the door immediately. In terms of the
22 dose, everything's sort of consequence. I mean we're
23 hearing about it in pieces and parts, but my sense is
24 that, you know, it's going to be -- they're going to
25 be in pretty good shape when we see all the pieces of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the puzzle.

2 MEMBER REMPE: Okay.

3 MEMBER PETTI: And again, my concern
4 updating -- I just hate creating bureaucracy. I'm not
5 a big fan of -- I mean having lived in where you
6 update plans all the time. They're very limited on
7 resources and I'd hate to recommend something that
8 requires them to use resources on, you know, more
9 paperwork. If I saw a value to it, I guess I would.

10 But maybe what we would recommend instead
11 is, you know, not updating the four volumes, but sort
12 of a status report against that plan. You know, how
13 are we doing? What do we have to do different? Are
14 there course corrections? But it could be sort of an
15 annual addendum to those reports so that they don't
16 have to carry. And those are four very large reports
17 to have to carry on and do revisions.

18 So maybe something that says, you know,
19 just tell us where you are relative to where you
20 thought you'd be. You know, would be something that
21 would maybe balance the resources a little better
22 because of what it would take to get something like
23 that done.

24 MEMBER REMPE: Okay, I did. I'm just
25 trying to kick the tires a little bit. I'm not trying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to force you into anything, although I kind of like
2 the idea of a status report. But it's something to
3 think about.

4 MEMBER PETTI: Yeah.

5 MEMBER REMPE: Do any other members have
6 any comments or questions?

7 MR. WIDMAYER: Hey, Joy?

8 MEMBER REMPE: Yes.

9 MR. WIDMAYER: This is Derek. I think Kim
10 Webber from the Office of Research would like to ask
11 a question or make a comment. Is that okay?

12 MEMBER REMPE: Sure. Again, you're not
13 allowed -- I'm sure you know, Kim, so I don't have to
14 repeat it. But you're not allowed to give editorial
15 comments. At this point, we're kind of close to
16 letter writing. But factual corrections, updates.

17 MS. WEBBER: Sure. Yeah, the only thing
18 --

19 (simultaneous speaking)

20 MS. WEBBER: I was going to chime -- I was
21 going to chime in, but I think you got it. I just
22 want to clarify that the code investment plan is a
23 strategy document that identifies what the code
24 development needs are over five to seven years. And
25 so that helps for us in regard to budget formulation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and execution. Whereas the IAP strategy documents
2 identify the specific tasks and activities that need
3 to be completed to get us to a certain point relative
4 to readiness to perform, you know, analysis and
5 calculations. So the two are related, but they're
6 different. So I just wanted to put that clarification
7 on the table. But I think you understand that from
8 the follow-on conversation that you're having.

9 MEMBER REMPE: And so my interpretation is
10 that the investment strategy is not just limited to
11 non-LWR applications. It is for the whole thing, what
12 your (audio interference). For example, Fukushima
13 detects a new something or other for vessel failure --
14 that would be -- or instrumentation. That would be
15 included in this investment strategy and it has
16 nothing to do with non-LWRs. Right?

17 MS. WEBBER: So the code investment plan
18 broadly covers the NRCs 40+ scientific computer codes
19 of which the codes that we're working on in the
20 context of advanced reactors, BlueCRAB, MELCOR, and
21 MACCS, they're a subset of those 40+ set of codes.

22 MEMBER REMPE: That's my understanding
23 too. And I think Dave understands that too. It was
24 just the answer implied it a bit differently. And I
25 think we -- we beat that horse to death, but thank

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 you.

2 MS. WEBBER: Okay.

3 MEMBER REMPE: Any other comments from
4 members on Dave's -- Then let's go on to Matt's
5 section please.

6 CHAIR SUNSESRI: Thank you, Joy. One of
7 the advantages of being last is that a lot of this
8 stuff has already been said. So I'm not going to
9 repeat some of the things that have already been said
10 about competencies and how they're deploying. I'll
11 touch on the specifics related to DE. But design
12 engineering is right up their presentation on the
13 website, what they're responsible for.

14 So let's go to the next slide. The
15 competencies that were -- that were discussed, either
16 that I identified through looking at their public
17 website, the things that were mentioned in their
18 presentation and looking at their transcript, things
19 that were said in response to questions, these are the
20 various competencies. And it's a tough call to
21 separate our core and developing areas from a group
22 like this. So if you put them all together on one
23 slide, they seem appropriate for the level of work and
24 responsibilities that the group is embodied with.

25 And just as an example of something that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 you might consider developing is you're looking at the
2 molten salt -- molten salt fuel cycle. So that's
3 obviously something new when you compare it against
4 metallurgy and NDE, which would be established
5 competencies that they've had. And you know, they're
6 deploying the entire variety of things that we heard
7 in the other presentations. You know, reverse of
8 rotations and national ads, and more use of virtual
9 technology because the pandemic has restricted cross-
10 sharing of people if you will, and things like that.
11 So does anybody have any comments on just
12 competencies?

13 All right, we'll go to the next slide
14 then. They did a good -- They've done a good job of
15 addressing activities and prior ACRS recommendations.
16 They've obviously even through the pandemic, they've
17 increased external engagement through the virtual
18 platform, engaging in non-nuclear technology with
19 things like the Advanced Manufacturing Technologies
20 and a little bit of the big data stuff.

21 We had a recommendation about Halden Gap
22 at the time when the Halden was being taken out of
23 service. And they've actually -- we had a separate
24 briefing on that, so they're addressing, you know, our
25 comments from there. Although there's still some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 longer term data that need to be addressed. And we'll
2 be following that with them.

3 Other things that are continuing to -- How
4 do I want to say this? Okay, so one of the things
5 that we look at is the nature of their work. Is it
6 ongoing? Does it need to be ongoing? Has it met its
7 objectives? Can it be sunset or whatever. They do a
8 good job of looking at their work critically. And we
9 would agree that to digitalize the action plan is on
10 track and these can be continued to develop and
11 progress on that. It's not quite reached its end
12 point yet as we know from our numerous subcommittee
13 meetings with various groups on the topic. And they
14 are being self-critical as far as sunsetting some
15 projects like the embedded digital device research.
16 They've discontinued that now because it's reached its
17 objectives. So good job there. Any other comments on
18 this slide?

19 We'll go to the next one. Some of the
20 highlights and observations, this is just stuff that
21 we've talked about. And this slide is -- I didn't
22 construct this very well here. Some of the things
23 that we've talked about coming into the meeting where
24 we were interested obviously in the digital twin
25 business and we got a good presentation on that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 advanced manufacturing technology, harvesting. These
2 are all things and areas that we were looking at going
3 into it. What we heard were some successes. They've
4 strengthened their reg guide group. They've combined
5 some things such as project management into the reg
6 guide review and a bit of process overhaul and the
7 turn around their reg guides in a much faster pace.

8 I do have a recommendation on the next
9 slide there that we'll talk about. We've already
10 talked about some of the project terminations. And we
11 were also interested in identifying areas that we
12 might interface with them in the future. This is just
13 kind of a list of things and we'll get to the details
14 on the next slide and the recommendations.

15 So let's go to the next slide. Here's
16 kind of the conclusion and the sum-up of the whole
17 review of the area. So in the area of -- in the topic
18 -- on the topic of advanced manufacturing technology,
19 we had a good discussion. And obviously there's a lot
20 of advancements, so there are parts being made right
21 now for reactor service in this. And not safety-
22 related parts, but parts nonetheless.

23 So our questions were really centering
24 around what are the quality assurance requirements
25 going to be for really safety-related components or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 (inaudible) components if you want to call them that.
2 What the group is doing. What is the group doing to
3 identify what QA requirements might be unique to AMP
4 as opposed to any other manufacturing process? So I
5 guess the recommendation would be for them to
6 consider, you know, more emphasis on identifying what
7 the unique quality assurance requirements would be for
8 advanced manufacturing technology. And since they're
9 right in the middle of doing -- doing the work on
10 that, it would be a good opportunity.

11 I don't know a lot about this. I mean we
12 had a discussion about the progress and viability of
13 risk-informed performance-based seismic design. I
14 know the committee probably has some differing
15 opinions on performance-based seismic design and how
16 do you do that. So I just -- Vesna or Dennis, anybody
17 want to weigh in on this?

18 MEMBER DIMITRIJEVIC: I don't really know
19 too much about that, Matt. I'm not sure how it will
20 work, so I would just have to get informed about it.

21 CHAIR SUNSESRI: Yeah, I -- you know, I
22 pulled this out the transcript. I'm going to have to
23 go in there and do some research on this. But I think
24 I cut somebody off. Dennis, was that you?

25 MEMBER BLEY: Yeah, it was me. I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 what they're after there -- and this is something that
2 will be good -- is being able to dig into things and
3 find out the physics of failure. Just what went wrong
4 so you can do a better job of designing and maybe
5 predicting failures. But I don't know much about it
6 beyond something like that.

7 MEMBER HALNON: I don't either, but I
8 think it's a continuation of, you know, I think
9 they're called the (inaudible) where you look at
10 experience and what happened and the structures that
11 you have (audio interference) I think it would be a
12 good topic to get to.

13 CHAIR SUNSESRI: Okay. Yeah, I'll do a
14 little bit more research on that. And we'll have
15 something better -- more descriptive for the letter
16 report. (audio interference).

17 Okay. All right, guys. Let's see here.
18 Plenty of discussion about digital twins and how that
19 technology might be used in the future. We had
20 internal questions from the members really setting on
21 digital twinning sounds a lot like simulation. And
22 we've been doing simulation. We have years of
23 simulation experience in various things and what is
24 the branch doing to leverage simulation experience and
25 their continuing development of these digital twins?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So I think there might be a recommendation
2 in there for some partnering or some collaboration if
3 you will with other industry similar to what they did
4 with the Advanced Manufacturing Technology and the big
5 data stuff just to get the lessons learned out of
6 others that may have been down this road already. And
7 how it might influence what they are doing with the
8 digital twinning.

9 This next area, I mean we've been kind of
10 around the block on material harvesting. It's too
11 expensive. What value does it add? You know, all
12 these kind of things. There's a unique aspect of it
13 that was discussed in the working group meeting
14 because there is still some work going on here,
15 especially internationally. Of course, there's
16 unfortunate opportunities in the U.S. with some of the
17 plants that are being decommissioned and taken apart.
18 Since you're taking them apart anyway, can you harvest
19 that material effectively? But instead of using the
20 material as kind of a validation of things that have
21 happened, can this material harvesting data if you
22 will, be used to start tweaking models in a way that
23 makes them more predictive in nature?

24 In other words, you know, we've heard a
25 lot about interpolation. But what about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 extrapolation? Can you use this information coming
2 from this new round of interest in material harvesting
3 to maybe think about the models in a different way and
4 make them more predictive in nature? Especially with
5 things like concrete and some of the other materials.

6 Okay, Walter had some thoughts on this.
7 And I did not -- wasn't able to talk to him
8 beforehand. So before I get too far, I know Ron
9 Ballinger has some comments about the digital
10 twinning. So did you have anything you wanted to add
11 about the digital twins, Ron?

12 MEMBER BALLINGER: I mean -- digital twin
13 is at least in my mind, a buzz word now that will
14 change two or three years from now. But the advent
15 of these advanced computing systems -- high powered
16 computing systems, you can do modeling, which you
17 couldn't do before. So that's what digital twinning
18 really is. But you know, I mean it's the word that
19 people are -- people are using. I think the --
20 nobody's starting from scratch. They act as if
21 digital twin sort of came full blown from somebodys
22 forehead when in fact it was an evolutionary process
23 where you now have modeling capability that's much
24 more faster and you can be more detailed.

25 The comment I made in their presentation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 was that they -- they don't -- they already have a
2 fair amount of expertise at the agency with their code
3 development and all that kind of thing. And they
4 should leverage that if they can. They don't need to
5 go hiring people to do digital twin modeling.

6 CHAIR SUNSESRI: Okay. Thank you for that
7 clarification and insights.

8 MEMBER BALLINGER: No, I mean I'd be
9 absolutely astounded if the NuScale plant, their
10 simulator is a digital twin.

11 CHAIR SUNSESRI: Right, yeah.

12 MEMBER BALLINGER: You know?

13 CHAIR SUNSESRI: And you're right about
14 the -- you're right about the concept of digital
15 twinning. I'm in an organization called the National
16 Associate of Corporate Directors. And I hear often
17 times presentations on organizational digital twinning
18 where they will go model an entire organization and
19 kind of run it in parallel to see how different, you
20 know, the product line changes might affect the
21 overall outcome. So it is interesting work and I
22 appreciate your comments.

23 (simultaneous speaking)

24 MEMBER BALLINGER: And if you go down to
25 oil industry, some of these refineries, the ones that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 aren't, you know, circa the Stone Age, they all --
2 they run digital twins of that system in real time.

3 CHAIR SUNSESRI: Right. Okay, thank you.
4 Just two more points here. The bullet that's here on
5 the screen is -- the next one is the effectiveness
6 and lessons learned from future focused research.
7 This is captured under this branch discussion (audio
8 interference). It broadly applies to everybody. So
9 the research office is undertaking this future focused
10 research project or process. I think this is maybe
11 the start of the second year of it. And so, you know,
12 it would be a good opportunity for them to kind of
13 step back from the process a little bit and see if
14 it's giving them the results that they were looking
15 for. And make any course adjustments for future --
16 you know, identification of future focused research
17 needs.

18 I know that the office director is very,
19 you know, supportive of this whole process. Ray has
20 talked to us a number of times on that. So you know,
21 making sure that they're getting the best out of --
22 the most out of this would -- most out of your
23 research and energy would be ideal and the basis of
24 our recommendation.

25 Anyway, the last thing I have is -- it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 kind relates back to a note on the previous slide
2 where I was talking about regulatory guides and the
3 process and improvements that they made. And it
4 didn't make this slide and I apologize for that. But
5 one of the things that's kind of a backwards
6 recommendation actually. Not withstanding the
7 successes that they've touted about the changes in the
8 regulatory process, they do see a continuing
9 opportunity to make it even better by engaging the
10 ACR. That's earlier in the process review of the reg
11 guides and particularly their thinking about the draft
12 stage before they go out for public comment. I know
13 a lot of times we wait until after public comments.

14 And you know this -- you've heard me say
15 also before, there's a balancing act sometimes on
16 these things because we don't want to get so involved
17 in the -- in the front of the thing that we actually,
18 you know, are co-creators if you will. Because at the
19 end we have to be independent and judge the work
20 independently. So it's something to think about and
21 I'll work with Joy to see how we might capture that
22 thought in the letter report. But it would be -- it
23 would be kind of like a mirror -- looking at the
24 mirror on that recommendation. What are we going to
25 do? Or maybe we can turn it into how can they help us

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 kind of a recommendation.

2 Anyway, that concludes my part of the
3 presentation. Any additional questions? Thank you.

4 MEMBER PETTI: So Matt -- Matt, this is
5 the last bullet on this slide. It seems like it's
6 something that cuts across all of -- all of them. So
7 it's a conclusion that we should put in the section of
8 the report that's not just DE specific, but --

9 (simultaneous speaking)

10 CHAIR SUNSESRI: Yeah, I agree with you
11 there.

12 MEMBER REMPE: I also agree. I have a --
13 in the integrated assessment, I have a topic of future
14 focused research with a recommendation. But I didn't
15 quite capture what you have here, Matt. And so when
16 we get to that slide, remind me and I'll type it in my
17 notes. But I think I got it in your notes too -- on
18 the notes on your slide, so we'll get it. But yes, I
19 agree.

20 CHAIR SUNSESRI: Thank you. All right.
21 Any others?

22 MEMBER REMPE: Thank you. So let's go on
23 to the next slide, Hossein. And it's the section
24 called integrated assessment observations. And I've
25 grouped them into four topics. And again, I went

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 through the transcripts and I pretty well tried to
2 just list everything. And so if folks say oh, don't
3 put that in there, Joy. This is a good time to tell
4 me so I don't put it in the draft letter. So I expect
5 some folks to jump in here and tell me some things are
6 bad and get rid of them. Okay?

7 So the first topic or point I'd like to
8 make in the integrated assessment is that RES is
9 addressing Agency existing and near-term research
10 needs. In our review, I didn't hear that there is a
11 big gap that RES has missed and they need to jump on
12 it right away. We had suggestions here and there, but
13 nothing that was a big ticket item.

14 I think that some examples to emphasize
15 this might be useful such as I thought what RES has
16 done on the accident tolerant fuel reviews was a good
17 way of using RES resources. They funded and developed
18 some reports related -- reports related to where there
19 are data and modeling gaps. And I would again
20 highlight the fact that some gaps may be difficult to
21 address without a Halden-type capability. And I know
22 we've been briefed on that, but I would still
23 emphasize that it's not clear we're going to get the
24 data like we had data from Halden.

25 I think that the initiatives are preparing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the Agency for non-LWR reviews. And I expect again,
2 a lot of this will appear in other sections that you
3 know, we can just say it's emphasized in other
4 sections. Again, as I get written in, I will probably
5 not reiterate what we already have discussed. I do
6 think that something about the DRA approach and how
7 we're going to follow on it, might be useful. And
8 with what Vesna has said about that they might want to
9 reconsider the reference plan PRA evaluations, I think
10 that they might be highlighted in this section again.
11 And I emphasize that it is very important as the
12 Agency identifies gaps in models and validation data
13 that they continue to communicate that to DOE and
14 design developers. Anything else from anybody or any
15 comments about deleting some of this?

16 So let's go to the next slide. Core
17 competencies and capabilities. Again, this I think
18 spans all of the divisions. Every division had
19 acknowledged this is a significant challenge and they
20 are tracking it and are trying to take action to
21 address it as they see it occurring. And I didn't
22 have any suggestions for improving what they're doing,
23 but I thought it would be worthwhile noting that we
24 explored that. And they are doing things that we
25 think are good ideas. And I've listed some of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 ideas on this slide. I think it's interesting that
2 they're taking this integrated university program
3 grants and trying to leverage it for projects that are
4 of interest to the NRC. Okay, not hearing any
5 comments, prior --

6 (simultaneous speaking)

7 MEMBER DIMITRIJEVIC: Joy, did we hear --
8 what I heard from three of us is this is not really
9 necessary connected because -- so I'm not -- there are
10 your specific notes. Right? Because I don't really
11 -- I mean I think we discussed this university problem
12 now previous, right up, you know, two years ago. So
13 is this something -- I mean are we bringing a lot of
14 the same things in this -- I don't remember anybody
15 discussing these problems. Did they discuss those
16 problems?

17 MEMBER REMPE: In Ray Furstenau's
18 presentation, he mentioned it. And again, it's been
19 a while since I've looked at the slides. But it's my
20 understanding that was something he suggested that he
21 would like to brief -- have his staff brief us on. So
22 we will have an upcoming presentation on that. And
23 Hossein, I believe this was the one that you said
24 you'd like go ahead and start scheduling for us.
25 Right? Hossein, if you're there, you're on mute. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 can't hear you.

2 MR. NOURBAKHS: Yes, we have mentioned
3 that. But we have to be at one some point to have
4 that briefing.

5 MEMBER REMPE: Okay. So that's where it's
6 at, Vesna. Okay? And I guess, you must have had
7 trouble sharing your screen and talking at the same
8 time. So we're going to need you to share your screen
9 again. Sorry.

10 MEMBER PETTI: So Joy, I had a comment on
11 that slide.

12 MEMBER REMPE: Okay, this is the slide
13 about the integrated -- the core competencies or the
14 next slide?

15 MEMBER PETTI: Yeah, yeah. Yeah and it
16 will be -- Well hold on, maybe not. It might be the
17 next slide. The hiring prioritization.

18 MEMBER REMPE: Uh huh.

19 MEMBER PETTI: So you know, what many of
20 the national labs do is they kind of try to prime the
21 pump. Right? They have people out giving
22 presentations at the universities because they offer
23 seminar series. I just wonder if NRC could do -- you
24 know, take a page from them. To get them out there so
25 that students think of them as a place to work coming

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 out of school. It might be that they focus a little
2 bit on that young end of the pipeline.

3 CHAIR SUNSESRI: There is a grant program
4 that they --

5 MEMBER PETTI: Right, right. So do they
6 follow up? I mean, you know, do they -- do they go to
7 the university and show interest and develop
8 relationships? That's the thing that is important.
9 Right? I mean so the professor goes oh, I know
10 somebody that might be really good. You know, calls
11 his friend at NRC and says hey, we've got somebody
12 here that would be perfect, that sort of thing.

13 MEMBER BIER: Yeah, another thing the labs
14 do is offer a lot of the summer internships for
15 students with the understanding that then hey, the
16 student might be interested. And maybe they get a
17 chance to see whether they want that student.

18 MEMBER PETTI: Yeah.

19 MEMBER REMPE: Well I know they do offer
20 internships. And I do know that they said that those
21 who have been their university grant recipients get
22 preferential hiring. I don't know about -- We could
23 ask for Ray to speak up and inform further if that's
24 allowed. And now I'm going to need somebody like
25 Scott to tell me no, that's not allowed. The other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 thing we could do is just encourage them to increase
2 proactive engagements with the universities early on.
3 And that would be something that would be factually
4 correct no matter what. And we could -- Perhaps Ray
5 would like to speak up and say yeah, we are doing this
6 to some level or something.

7 (simultaneous speaking)

8 CHAIR SUNSESRI: Ray has his hand up, so
9 you may call on him. Ray, go ahead.

10 MEMBER REMPE: Okay. Ray, please.

11 MR. FURSTENAU: Okay. Yeah, those are
12 really good comments, I think, that we provide
13 scholarships and fellowship grants as part of the
14 university program. There's a program called NРАН, an
15 apprenticeship program that started this past year
16 that drew heavily from the fellowships and scholarship
17 recipients. But we also have -- I know in research we
18 use the intern program and co-op program as well where
19 we get a lot of the early career -- target the early
20 career people. So we do have -- we do have programs
21 that help. Could we use them better? Certainly, I
22 think we could.

23 On the recruitment, I think, you know,
24 Dave Petti, you mentioned about what the labs do.
25 What we do with I think in turns is certainly not to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the degree as the -- as the national labs. But we do
2 try to get undergraduates and graduate students
3 interested and bring them in during the summers. And
4 then the co-op kind of keeps them on during the year
5 to see if we can get a good fit with a student and
6 what we do. So we do have those programs, but I think
7 we can always do better.

8 MEMBER REMPE: Does that address Vicki's
9 and Dave's comments?

10 MEMBER PETTI: Yeah.

11 MEMBER REMPE: And I've taken notes -- And
12 I've taken notes and I'll try and write the section
13 accordingly. So thank you.

14 MEMBER PETTI: Thank you.

15 MEMBER BALLINGER: This is Ron. My
16 experience with seminars from national lab people and
17 things like that is they're very good, but they're
18 technically oriented. And they're not structured in
19 a general sense with the eye of finding somebody that
20 they might want to hire. And most universities have
21 at least two job fairs per year. And I've never seen
22 anybody from the NRC at any of the ones at MIT.

23 And the other question I might have is --
24 and I'm sure Ray probably already has somebody doing
25 this, but is there a dedicated person whose job

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 function is that? Is you know, dealing with seminars
2 and recruiting? Or is it kind of a catches, catch,
3 can kind of thing where you've got a friend that's at
4 a university and you get invited to do a seminar?

5 CHAIR SUNSESRI: We've got several hands
6 up here.

7 MEMBER REMPE: Since he asked Ray a
8 question and I think Ray's hand -- maybe it was left
9 over from before, but Ray, did you want to respond?

10 MEMBER BALLINGER: Let him follow up and
11 then we'll go to the other ones.

12 MR. FURSTENAU: Yeah, just quickly to
13 follow up to Dr. Ballinger's comment. It is -- It's
14 a little mixed. We have like in our personnel branch
15 -- in our personnel office in charge of the -- you
16 know, a person in charge of recruiting for example and
17 has other job duties as well. But then we do have
18 volunteers, you know, that are maybe graduated from a
19 particular university that will go on job fairs. A
20 lot of those are virtual right now. As a matter of
21 fact, you know, one that comes to mind right now we're
22 going to be participating in is University of
23 Michigan. MIT, I'm not sure. We'd be glad to
24 participate in a job fair for MIT certainly.

25 But it is kind of a mix of, you know, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 people who have a fondness for a particular university
2 will help recruit people. It is formally
3 participating in job fairs as well. So it's not just
4 one thing.

5 MR. BURKHART: Yeah, do you have -- do you
6 have follow-through? A lot of times, you know, one
7 contact and you're done doesn't work very well. If
8 you find a contact and you follow through keeping up
9 -- keeping contact with them. Because they start out
10 as a freshman and then, you know, it may take two or
11 three years before they finally ended up having to get
12 a job. But if they have you constantly on their mind,
13 you know, that's a -- it's a longer term, higher
14 payoff thing, I think.

15 MR. FURSTENAU: Yeah, I agree with that.
16 You know, you have to start early if you want to get
17 the best, I think. I would agree with you.

18 MEMBER REMPE: Scott, you've had your hand
19 up for quite a while. What's up?

20 MR. MOORE: Thank you. I agree completely
21 with what Ray just said. We do have a recruiting
22 group within our office; a chief human capital
23 officer. We have people both go out to job fairs at
24 the universities and also job fair from other
25 organizations like the service academies get together.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 There's all kinds of job fairs. We also have people
2 that go along with the professional recruiters in
3 OCHCO that as Ray pointed out, have affiliations with
4 those universities.

5 With regard to the integrated university
6 program, I know for a fact that this past year, they
7 tried to mine that program to see if there would be
8 any good matches between that and the NRAN program.
9 So OCHCO provided names of people within that program
10 to offices to see if they would be interested in some
11 of them. So there was an effort to go -- to match the
12 two.

13 MEMBER BALLINGER: For example, do you
14 guys have an interface with the Women in Nuclear
15 organization?

16 MR. MOORE: I'm not sure personally, but
17 I would think so, yeah.

18 MR. BURKHART: Yeah, this is Larry. So
19 yes, there is all of that. There's a university
20 champion for most of the universities. So there's a
21 very well organized group that interacts with OCHCO.
22 And it's kind of a bridge between OCHCO and
23 universities and technical folks. But I think you
24 make a good point.

25 MEMBER REMPE: I had my mic on mute.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Luis, do you have your hand up?

2 MR. BETANCOURT: Yeah, I want to say --
3 like I have been very active on the area of
4 recruitment. And OCHCO and SPCR, they have a very
5 detailed (indiscernible due to accent) all of the
6 recruitment at the (indiscernible due to accent) that
7 we have in the Agency. And we go off into this cool
8 spin, plus the question from the last meeting is we go
9 through the activities through the (indiscernible due
10 to accent) Service Program. So we know this question
11 that a member has. OCHCO has all of the answers. So
12 I think it would be beneficial, maybe OCHCO can make
13 a presentation to you guys and some other topics.
14 Because all of these topics, they are very involved.
15 And we need to start doing (indiscernible due to
16 accent) of recruiting (indiscernible due to accent)
17 guidance.

18 MEMBER REMPE: Okay, thank you. Any other
19 comments? Then let's go on to Slide 3. And it
20 highlights our continued interest in the way RES
21 prioritizes research activities and some of the
22 process improvements. And the first one emphasizes
23 their ongoing process to emphasize enterprise risk.
24 And here's where I would like to -- Again, I collected
25 items from various members that were comments in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 transcript. And so if you want to have me delete
2 them, I can. But again, there was one comment that
3 a member made about this code strategy and that code
4 maintenance requires continual support. And it's a
5 sustained support that's required. And it may be
6 something where additional resources may be required.

7 The other thing is that other projects
8 might be discontinued if it were -- they were
9 subjected to more rigorous evaluations. And one
10 member actually made a comment about maybe that user
11 needs should have a fixed end date and require
12 revisions to reflect redirection after the original
13 objectives are achieved.

14 I'm going to stop here. Are members okay
15 with something like this to be put in our integrated
16 assessment section or you want me to delete some of
17 these items? Okay, not hearing any comments, we'll go
18 forward with it then.

19 The second bullet just emphasizes some of
20 the process improvements we've seen happen within RES.
21 They are trying with the reg guides to have more
22 interactions with industry to emphasize which ones
23 should get updates. They have developed a risk app
24 for resident inspectors. So they're making use of
25 their risk insights. And then of course there's been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 a lot of increased use of the virtual platforms. And
2 I've been very impressed with some of the seminars
3 that I was able to participate in, in the last six
4 months such as the source term results that DSA has
5 presented. And it's been helpful for me to understand
6 some of the non-LWR technologies. And they're there
7 for the staff, as well as the public. And it's been
8 a nice thing to have where you can't always (audio
9 interference) at NRC.

10 And then the last item I wanted to
11 emphasize is on slide -- the next slide. And it
12 actually spans two slides. So if you'll go to Slide
13 33 -- and you may already be there, but my -- oh, my
14 screen just updated.

15 Anyway, I think it's been interesting to
16 see RES try and take on some projects for the whole
17 agency. They have taken on this data science AI
18 implementation effort again. And they are not only
19 looking at outside organizations, but inside
20 organizations to develop an agency-wide strategy.

21 With respect to the future focused
22 research projects, I'd like to add here the
23 recommendation that Matt suggested. But also that
24 they're taking some of these FFRs and making them in
25 -- they're proposing that the FFR effort become a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 sustained R&D program to improve the agency knowledge
2 on some key topics. And during our discussion on the
3 FFRs, we recommended that they consider having an
4 annual status report. And I know after the meeting I
5 received what they provide to the commissioners and
6 it's just a list. And what we were thinking of is
7 just a highlight of what the FFR program has
8 accomplished might be a good idea to include as a
9 recommendation. Okay? Everyone understand what I'm
10 saying there?

11 CHAIR SUNSESRI: Yeah, I do but --

12 (simultaneous speaking)

13 MEMBER REMPE: Okay, then if you'll go to
14 the next slide.

15 (simultaneous speaking)

16 MEMBER REMPE: Sorry, I heard a comment?

17 CHAIR SUNSESRI: Yeah, yeah. This is
18 Matt. I want to ask Joy about the annual report. So
19 what are they doing? I mean I don't really know what
20 they're doing for the rest of their stuff. I mean,
21 you know, would this be separate from however they
22 report the results of all their research?

23 (simultaneous speaking)

24 MEMBER REMPE: Yeah --

25 (simultaneous speaking)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER REMPE: -- this research report.
2 And it talks about all the research projects. But
3 what I'm thinking of is a short -- not a 50-page
4 report, but a short brochure that says, "Future
5 focused research projects". And not just talking
6 about what they are, but some of the accomplishments
7 of what they've learned and done with the funding.
8 Because this is -- you know, most of the research
9 projects are still user needs -- user need instigated.
10 And this is something where they are taking on
11 research-instigated projects, right, or initiated
12 projects. Does that sound good? And again, if you
13 think they shouldn't do that, this is the time to tell
14 me and I'll take that recommendation off.

15 CHAIR SUNSESRI: Well, I'd like to see --
16 Well, I don't know. It's fine, I guess. You know, I
17 just -- I worry about creating unnecessary work. If
18 they have something that is similar that they could,
19 you know, add this to it or make it a focus or
20 whatever. You know, any time you're asking somebody
21 to create a report, it just sounds like well what's
22 the value of this going to be? What's the goal? You
23 know, how does that fit in with their performance
24 model, things like that.

25 MEMBER PETTI: You know, you could also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 think about like a one pager. I know that at the labs
2 -- the internal R&D, sometimes they just do sort of a
3 simple one pager to give you a sense of where it is.
4 So it wouldn't take a tremendous amount of effort and
5 it's all there together.

6 MEMBER REMPE: I think that's what the
7 intent was with that recommendation. A short
8 bulletin, like one or two page bulletin of
9 highlighting it. Because a list of -- I don't
10 remember now if it was ten projects that they send to
11 the commissioner or if it's just the topic -- the
12 headings or the title of the projects. And instead,
13 you know, what does it accomplish? You know, that's
14 what -- I'll light it up as a short bulletin
15 highlighting accomplishments. Okay?

16 CHAIR SUNSESRI: Yeah, that's fine. I
17 mean I just think about, you know, when we think about
18 asking staff or whatever to come to us and make a
19 presentation on that, we had one idea of what the
20 effort goes into that. And I think they put in way
21 more effort into it than what we think. So just as
22 long we can avoid that they don't go overboard -- You
23 know, creating a whole bunch of work to address to
24 address this recommendation, I'm fine with it.

25 MEMBER REMPE: Okay. When it was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 suggested to the staff -- and again, maybe they just
2 wanted to say something and move on -- but the staff
3 in the transcript said they thought that would be a
4 good idea and they weren't aware of any such document.
5 And I can't remember now if it was Dennis or which
6 member asked if they had such a bulletin. Okay?

7 MEMBER HALNON: Joy, just real quick.
8 This is Greg. You've just got to be careful. I hate
9 to be the negative, but unintended consequences of
10 putting out headlines or partial information on
11 projects and it's effect on the potential of the
12 nuclear industry relative to the folks that might use
13 that and expound on it in a way that research is not
14 going to be able to answer. So I don't know if I'm
15 saying that correctly. I'm trying to be politically
16 correct, but you've just got to be careful with the
17 headlines of future projects that people could use in
18 a toxic way.

19 MEMBER REMPE: Well, we could take this
20 off and not recommend it. You know, again that's why
21 I'm discussing it today to try and make the letter
22 writing go better.

23 MEMBER HALNON: I think the benefits are
24 good. And I think the staff just needs to be
25 cautioned not to say things in such a way that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 somebody can misconstrue them into a safety issue or
2 some ongoing issue that could be used in an
3 inappropriate way. It may be appropriate to have a
4 conversation about it, but not necessarily expound on
5 unfactual things that could cause problems. So I just
6 think that the staff needs to be aware and careful on
7 how they characterize these future projects.

8 MEMBER BLEY: I kind of get where Greg's
9 coming from. But I like Dave's comment and I've been
10 associated with organizations that require this one
11 pager. But often it's like a slide broken into four
12 pieces. And then you can get enough information down
13 that it's not going to get misinterpreted badly the
14 way it could. But you give a real quick summary of
15 where it's headed. So maybe some of us could find
16 examples of those from other places that would be
17 helpful to pass onto the staff.

18 MEMBER HALNON: Well, I think the staff is
19 well equipped to do it. I just wanted to make sure
20 that caution was out there that it's important on how
21 you put it across. Not as -- just avoid the
22 unintended consequences of a headline.

23 MEMBER BLEY: Yeah. We've heard quite a
24 few years -- we've mentioned the work that the fire
25 protection guys have done to promote their research

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and usually that's done pretty nicely. So there are
2 some good examples from that, that other people could
3 look at.

4 MEMBER HALNON: Yeah, HEAF didn't go over
5 it that well though initially. I mean it was pretty
6 tense for a while.

7 MEMBER BLEY: Well that's true and it got
8 zeroed out at one point too.

9 MEMBER HALNON: Right. Just a caution
10 there and it doesn't even need to be in the
11 recommendation, but I just felt compelled to say
12 something.

13 MEMBER REMPE: So a couple of hands up.
14 But first of all, as I write this up, what would be a
15 nice way of doing this is to say "We suggest they
16 consider a short bulletin to highlight accomplishments
17 similar to" -- And if somebody will send me some good
18 examples, I'll point them that direction.

19 And so then I saw Vicki's hand and I
20 thought I saw Ray's hand. So Vicki, you go first.
21 Then I'll see if Ray's hand is still up.

22 MEMBER BIER: I just wanted to mention
23 that communicating for public consumption in this kind
24 of headline mode is kind of a whole different skill
25 than technical communication, you know, peer to peer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to be read by other engineers or whatever. And so I'm
2 kind of sensitive to Greg's issues about if we
3 encourage people to do a lot more publicity of their
4 work, they also have to have editorial support and et
5 cetera to make sure that it's done well. And I know
6 NRC has that internally, but it needs to be looped in,
7 in any publicity that they do.

8 MEMBER REMPE: Okay, thank you. And Ray,
9 did you have a comment?

10 MR. FURSTENAU: Yeah. I think the -- I've
11 been taking in the comments from Greg and Dennis and
12 others about how to present this. You know, we
13 intended to the periodicity I haven't decided yet.
14 Okay, here's this future focused research program that
15 started in FY20. Here's what it's -- you know, what
16 it's done for us. These are certainly like I user
17 need that could go on for several years and have
18 multiple reports. These are kind of investigative
19 things.

20 You know, it's kind of like a -- I hate to
21 compare it to LDRD, but it's LDRD very, very light,
22 you know, from a regulatory standpoint. So we do
23 intend to show okay, this new program's been
24 supported. I think we owe it to the commission to say
25 okay, you supported this. Now here's what we see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 coming out of it as a whole. We're not quite sure
2 exactly how to do it yet, but it was good for me to
3 listen to the comments and cautions that you folks
4 have. So thank you for that. So we do intend to do
5 some sort of an accomplishment report.

6 MEMBER REMPE: Okay. So again, if someone
7 will send me some good examples, I'll cite them in the
8 letter and we'll include them in our reference list.
9 Okay?

10 MEMBER BLEY: Well one thing we've seen a
11 lot of in the last three or four months is NRR's, what
12 do they call it, Venture Studio. And they've been
13 turning out some really first rate presentation
14 material and graphics and that sort of thing. And I'd
15 hope if you guys over in research are following that
16 pretty closely because they could be a big help to
17 you.

18 MEMBER REMPE: Okay, that's a good point.
19 And I am aware of the EMBARK Studio folks and what
20 they've been putting out.

21 Okay, so then on slide -- the next slide,
22 which is 34. I was going to mention again the
23 Agency's code investment plan. And I guess this is
24 where I planned to talk about the substantial and
25 sustained research efforts to address these emerging

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 technologies and code maintenance needs, and
2 additional resources may be needed. And that's the way
3 -- Again, I'm not recommending additional resources.
4 I just am commenting as a member did during the
5 discussion that additional resources may be needed.

6 And I didn't like to say that we're going
7 to have some additional briefings that we plan on.
8 And I guess I didn't get to the list until I was
9 trying to draft up the slides for the conclusions and
10 recommendations. But I probably would list it in this
11 section. But if we go on to the last slide, I've got
12 that list and I'd like input if I've missed any
13 topics. Or if we could possibly prioritize that very
14 long list, it would be good to do that today so
15 Hossein and I know where to go on the future
16 briefings.

17 But anyway, I'm not hearing any big
18 changes in my integrated action plan. So I'd like to
19 go ahead and go through what I think might be good
20 conclusions and recommendations to have at the
21 beginning of our report. And again, starting off --
22 which I think this has been a conclusion from our last
23 -- I don't know how many biannual reports -- but we
24 continue to say that the current RES activities are
25 meeting the Agency's current and near-term needs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And that we do continue to support the
2 fact that they are using a systematic approach to
3 prioritize research, project selection, evaluation and
4 determination. And the importance of international,
5 as well as domestic collaborations. And then this
6 thing about the extend dates that we -- I discussed
7 earlier and noone told me to take it off.

8 And then if you go on to the next slide,
9 Hossein. I was going to emphasize about the RES
10 initiatives to address longer term agency research
11 needs and comment about the FFRs and the strategies.
12 The integrated code maintenance and development plan
13 and the ongoing efforts to emerging technologies. And
14 I think I've got some words that are repetitive and
15 I'll try and work on that in the next month here. But
16 I was going to comment additional agency resources may
17 be required in the conclusions and recommendations.

18 And then in this next slide, which is
19 Slide 37, I wanted to go through our additional
20 briefings that we're planning, as well as the episodic
21 reviews that we will continue going through. And so
22 I guess, let's go to the list of additional briefings.
23 I think we've heard from the staff. They'd like to
24 kind of give us an update on the Future Focused
25 Research projects, as well as the Integrated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 University Program. Then during the discussions,
2 these other items came up like this safety and design.
3 It may be taken care of through the Part 53 discussion
4 that Dave's going to have in the next month or so.
5 But are there any other items that we'd like to be
6 briefed on? Or was there something that you don't want
7 to hear about? Because that's a lot of briefings.

8 MEMBER PETTI: Well yeah, I'm a little
9 confused. I mean we could talk about, you know, as
10 part of the source term briefing, they're going to
11 brief us on the RES contractors and their work on
12 calculating source term. It will be done under Part
13 53, but I don't think that -- that matters
14 necessarily.

15 MEMBER REMPE: So put down the reference
16 plant source term evaluations? Is that --

17 MEMBER PETTI: Something like that, yeah.
18 Or source term calculations.

19 MEMBER REMPE: I apologize, but I'm typing
20 and I'm sure you're going to hear it, but I'm hoping
21 not. And I -- When I write this up in the integrated
22 action section -- assessment section, I'll mention
23 that some of these are being covered other places.
24 And the conclusion will just have -- we have
25 additional briefings. But it's good to get this list

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 agreed upon. Anything else, folks?

2 (simultaneous speaking)

3 CHAIR SUNSESRI: You have some hands up.

4 MALE PARTICIPANT: Yeah. There's several
5 hands up, Joy.

6 MEMBER REMPE: Okay. Is there any member
7 first? Okay, so I see Mark.

8 MR. THAGGARD: Yeah. I just wanted to
9 provide some clarification if I could about the safety
10 and design, the EPRI report. We're not planning to
11 use that report to replace looking at the reference
12 designs or anything like that. Our intent on that
13 report was simply -- our initial effort was we would
14 -- we were planning to do -- to develop a PRA model
15 for one of the designs. And we picked out a
16 particular design that we wanted to develop a PRA
17 model on just to see what was the data gaps.

18 Then you've got the EPRI and Vanderbilt
19 was doing something similar. So under our MOU with
20 EPRI, we decided we'll just follow and see what
21 they're doing to see what kind of conclusions that
22 came out of it. That was really the only intent of
23 that effort. It was not to -- There was no intent to
24 use that to the plant, looking at -- you know,
25 different type of plant designs or reference of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 plant designs or anything of that nature.

2 So I just wanted to make sure, you know,
3 I was clear on that. We have right now very little
4 involvement with the whole graded PRA approach. We do
5 have a staff member's that participating in it. But
6 that effort is being led out of NRR and we're
7 providing them support on it. But they currently have
8 the lead on it.

9 MEMBER REMPE: So I'm confused because
10 Vesna said she didn't -- her understanding is
11 consistent with yours. But when I looked at the
12 transcript and when I recall the discussion, I did not
13 hear that you have any plans -- and now even today,
14 you're saying NRR will do a reference plant
15 evaluation, instead of Research. Whereas research did
16 reference plant evaluations via saved it for the
17 source term. How will NRR do a reference plant
18 evaluation? And why are they doing it, instead of
19 Research?

20 MR. THAGGARD: I don't know that NRR is
21 doing that. I didn't say that. What I said is that
22 they have the lead for developing this approach for a
23 graded PRA. They've taken the lead on that. We're
24 supporting them on that. I don't know that anybody is
25 right now developing a graded approach -- developing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 a PRA for reference. That work is not being done as
2 far as I know.

3 MEMBER REMPE: So two years ago, we were
4 told by your predecessor that they were going to try
5 and do reference plant PRAs. And you're saying now,
6 are you going to or are you not?

7 MR. THAGGARD: I will have to go back and
8 double check what was conveyed in that, Joy, because
9 that wasn't my understanding. But you know --

10 MEMBER REMPE: So the answer is right now,
11 you do not intend to or you do intend to?

12 MR. THAGGARD: No, we do not. We do not
13 intend to. That's not in our current plans.

14 MEMBER REMPE: So if we were -- again, I
15 don't know when we're doing the final letter -- but if
16 ACRS would say -- provide a recommendation saying that
17 we suggest that DRA consider reference plant PRAs,
18 that would be something different. Because right now,
19 I'm hearing you're not considering it. Right?

20 MR. THAGGARD: That would be -- That would
21 be -- You're correct. We're not considering that
22 right now.

23 MEMBER REMPE: Okay.

24 MEMBER PETTI: So Joy, I don't know how we
25 can tie this stuff together. Because when you get into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 this graded approach for PRA, it gets a little
2 ethereal. And a recommendation of a use case, you know
3 -- you know, to take it out and see if it actually
4 works, that's done a lot. Right? I mean they did
5 that for LMP. And so maybe, you know, we could wrap
6 that idea together with the graded approach to PRA.

7 MEMBER REMPE: Okay, this helps. And then
8 Tim, you had --

9 MEMBER PETTI: You know, a PRA of a larger
10 design is a really a large exercise. But if these
11 graded approaches are simpler, then it implies that it
12 wouldn't be as much strain on resources to be able to
13 -- you know, to take it out and see if it actually
14 works.

15 MEMBER REMPE: Okay. So I'll put this in
16 the notes and we'll cogitate on how to do this or to
17 write it up. Kim, your hand's been up for a while.

18 MS. WEBBER: Yeah. Just a quick
19 clarification on the advanced reactor source term
20 work. Were you thinking about having a meeting that's
21 in context of the everything source term February ACRS
22 meeting or separate from that?

23 MEMBER PETTI: No, when I talked to
24 (inaudible) NRR -- we were talking about doing it all
25 in that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MS. WEBBER: Yeah.

2 (simultaneous speaking)

3 MEMBER PETTI: Wrap it all together.

4 MS. WEBBER: Yeah, that's what I thought
5 my understanding was too. That's why I wanted to just
6 double check.

7 MEMBER PETTI: Yep.

8 MS. WEBBER: Okay, thanks.

9 MEMBER REMPE: Are there any other items
10 you want to add to this first bullet on possible
11 briefings?

12 Okay, so then the second bullet is a bit
13 more straight forward, I think. That we're going to
14 continue episodic reviews on activities. I would
15 offer up that the non-LWR, it would be done something
16 done under Part 53. You know, but we continue to
17 follow these items. And the Reg Guide 1.247 is
18 actually done, so I guess I'll take it off the list
19 because it wasn't done at the time when I generated
20 this slide. Is there anything else I should be adding
21 or taking off?

22 CHAIR SUNSESRI: I know that it's a low
23 priority.

24 MEMBER REMPE: The research folks, so do
25 you want me to just take it off? And then it will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 done as part of the research. I know that actually
2 during the subcommittee on this topic, I almost
3 thought it was Mark, but maybe it was a different --
4 maybe it was Mark Salley. But anyway, I thought they
5 said they would like to come back and brief us on it.
6 But do you want to have that taken off?

7 CHAIR SUNSESRI: I just said make it a low
8 priority. It's like number two on the list. I'd move
9 it to the bottom.

10 MEMBER REMPE: Okay, so I -- the list
11 wasn't meant to be prioritized, but I will move it
12 just right now since I'm doing that.

13 CHAIR SUNSESRI: I think Mark wants to
14 comment.

15 CHAIR SUNSESRI: Sure. Mark?

16 MR. THAGGARD: No, I was just going to
17 respond. So we are developing a number of reports --
18 highly technical reports that we should be finished
19 with next year. (audio interference) -- I think there
20 might be a desire to come back and brief the committee
21 on those reports because it's somewhat groundbreaking
22 in terms of how to analyze this HEAF events.

23 MEMBER REMPE: And I'm guessing again, if
24 we can accommodate it, we would like to hear about it.
25 Okay and so then there's just this last bullet about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 -- and I'm not sure that's needed in the letter, but
2 we do continue to provide letter reports as needed.
3 It doesn't mean that there will be any letter
4 reporting on any of the above items. But if something
5 happens that we think is noteworthy, we would write a
6 letter report or if the staff requests one.

7 MEMBER PETTI: So Joy, the digital I&C
8 IAP, that's an NRR letter activity.

9 MEMBER REMPE: Okay, so is that on?

10 MEMBER PETTI: No, it's not on the list.
11 I mean it shouldn't be if it's not an RES activity.
12 I think it's an NRR activity. I'm just trying to --
13 (simultaneous speaking)

14 MEMBER REMPE: You know, when Charlie had
15 his meeting two weeks ago, it was I think the NRR
16 folks who were doing it. But it kind of spans --
17 sometimes there's research folks that are involved in
18 it too. So should I add it or should I not? Because
19 I mean some of these things kind of cross boundaries,
20 but it's up to you. I could add it in or leave it
21 off.

22 CHAIR SUNSESRI: I don't think there's a
23 need to add it. We have plenty of interaction on the
24 Digital I&C already, so I mean, yeah.

25 MEMBER REMPE: And that's it. And I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 amazed we got through this with only being 15 minutes
2 over. Thank you for extending our schedule, Matt.

3 CHAIR SUNSESRI: All right. Well it was
4 important to get through this because then it
5 unleashes the letter preparation now. So we can go
6 forward with some pretty solid backing on putting
7 together a good draft for the committee to review
8 downstream. So thank you members for your indulgence
9 here.

10 What I'd like to do for the rest of the
11 day is take a short break here. We'll take a 15
12 minute break and then reconvene at 4:30. And then we
13 will pick up the letter report from the -- on non-
14 light water PRA standard. And then I suggest we call
15 it a day and then we will pick up tomorrow with the
16 dry run, the Commission briefing, and that's all we
17 have for this week. So we can talk about that more
18 after the letter report today. So we are recessed
19 until 4:30. And at 4:30, we will reconvene on the
20 letter report for the non-light water reactor PRA
21 standard. Thanks. Did I say "adjourn"? I mean
22 "recess."

23 (Whereupon, the foregoing matter went off
24 the record at 4:15 p.m. and went back on the record at
25 4:30 p.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

ACRS Research Review – Annotated Report Outline

ACRS Safety Research Subcommittee

Background

- The Office of Regulatory Research (RES) supports the NRC's mission by providing technical advice, tools, and information to help resolve safety and security issues, make regulatory decisions, and promulgate regulations and regulatory guidance.
- RES activities include conducting confirmatory analyses, developing technical bases to support safety decisions, and preparing the agency for new technology safety evaluations. These activities also enhance agency technical expertise, build staff competencies, and facilitate transformation.

Background (continued)

- Our biennial review addresses 1997 Commission guidance:
 - Examine need, scope, and balance of the reactor safety research program.
 - Evaluate the progress of on-going activities to meet agency needs
 - Consider how well RES anticipates research needs and how it is positioned for the changing environment
- Our letter report emphasizes several RES program aspects:
 - Ability to meet current and near-term agency needs (including competencies and capabilities)
 - Prioritization of new research projects
 - Long-term planning
 - Response to our prior recommendations and planned future interactions

Background (continued)

- 2022 biennial report developed using insights from:
 - Initial meeting with RES Director to obtain overview of program, plans, priorities, and areas of interest
 - Three working group meetings to discuss research conducted by each RES division: Division of Risk Analysis (DRA), Division of System Analysis (DSA), and Division of Engineering (DE)
 - Other briefings:
 - Future focused program update
 - Halden gap briefing
 - Episodic reviews (IDHEAS, Non-LWRs IAPs, DI&C IAP, Level 3 PRA, etc.)

DRA Overview

- It is a prominent agency resource on all risk-related matters
- Maintain and enhance tools & methods to perform risk evaluations which support the agency's solutions to current and anticipated regulatory challenges.
- Organized in four branches: Probabilistic Risk Assessment Branch, Fire and External Hazards Branch, Performance and Reliability Branch, Human Factors and Reliability Branch.
- Main Objectives:
 - Grow the agency's RIDM capabilities
 - Be ready for future technologies
 - Completion of high-quality research products
 - Facilitate Transformation
 - Build and enhance staff capacity

Highlights and Observations (1/11)

Performance and Reliability Branch (PRB) Projects and Future Work

- **RIDM and PRA Guidance and Standards, Future Direction:** Support issuance of L1/LERF, ALWR, Level 2, Level 3, LPSD PRA Standards, and Regulatory Guidance on PRA Acceptability (Issue RG 1.247), *Enhance guidance on the treatment of uncertainty, Develop guidance on RIDM and on uses of non-PRA techniques, Develop a database of PRA standards and methods*
- **Data Collection and Analytics:** Directs the reviews and evaluations of OpE Information for the purpose of maintaining and updating models used in risk-informed decision-making
- **PRB3: ASP Program (Accident Sequence Precursors):** Evaluates U.S. NPP operating experience to identify, document, and rank operational events

Highlights and Observations (2/11)

Probabilistic Risk Assessment Branch (PRAB) Projects and Future Work

- **SAPHIRE and SPAR Models Future Directions:** SAPHIRE & SPAR Improvements, Expanding and Enhancing SPAR Model Scope, Cloud-based SAPHIRE, Application of IDHEAS-ECA
- **Level 3 PRA Future Direction:** Public Release of Reports, Knowledge Management and Risk Tool to Support Regulatory Decision-making, Using L3 PRA to support licensing advanced reactors
- **Dynamic PRA Future Direction:** Document model result (final report), Workshops/Training, Support Changing Environment

Highlights and Observations (3/11)

Fire and External Hazards Analysis Branch (FXHAB) Projects and Future Work

- **Improving Fire PRA Realism Future Directions:** Working with EPRI to advance and improve the realism
- **High Energy Arcing Faults (HEAF) Future Direction:** Exiting the Pre-GI 018 Aluminum HEAF and transferring back to research, working with EPRI, OECD/NEA to advance and understanding of the risk posed by HEAFs,
- **Probabilistic Flood Hazard Assessment (PFHA) Future Direction:** Pilot studies will be completed in 2022 and regulatory guidance will be completed in 2023
- **Subsurface Characterization and Waste Covers:** A New area develop to primarily support NMSS related environmental projects by providing expertise in the area of environmental hazard analysis including subsurface monitoring, radon barriers and evapotranspiration (ET) covers

Highlights and Observations (4/11)

Human Factors and Reliability Branch (HFRB) Projects and Future Work

- **Advanced Human Factors, Human Factors Licensing Review Guidance Updates Future Direction:** Part 53 Scalable HFE Review Guidance and Part 53 Scalable Operator Reactor Licensing Requirements
- **Organizational Factors, Agency Innovation and Culture Change Future Directions:** Utilize organizational factors expertise to drive innovation and culture change at the NRC, Enhance capabilities to perform external crowd sourcing for significant tech challenges
- **Human Reliability Analysis, Human Reliability Analysis Methods and Data Future Direction:** IDHEAS testing in NMSS Applications, Dependency/Recovery, Minimum Joint Human Error Probabilities, Uncertainty, More plant participants, International HRA Data Exchange

Highlights and Observations (5/11)

Key **Core** Competencies

- One of the objectives of the division is to build and enhance staff **core competencies**
- Shortage in core positions (reliability and risk engineers) over the next five years is anticipated due to retirements.
- Strategy to address this need includes hiring and training staff, rotational assignments, and staff developmental assignments:
 - Hiring entry level staff provides an opportunity to develop the competencies of greatest need.
 - Cross training staff across branches provides a greater flexibility in handling staff losses
 - Currently there is an effort to find ways to train non-human factors experts from different fields to become experts in licensing reviews of human factors issues. A training program is being developed and expected to be completed in the October. There is a plan to share materials from that training internationally through the Nuclear Energy Agency.

Highlights and Observations (6/11)

Collaborations

DRA leverage resources and skills through collaborating with others. Some of the current collaboration efforts, both international and domestic, are highlighted below, showing benefits from these interactions:

- Participation in the risk, external events, and human and organizational factors CSNI working groups with NEA. In particular, the working group on risk is currently working on an effort to look at PRA uncertainties, which could be useful in the support for advanced reactors.
- Bilateral arrangement with France's IRSN to collaborate on flood risk modeling where they are sharing some of their modeling capabilities on riverine floods and storm surges.
- Exchanging human performance data with the Czech Republic and South Korea to expand human performance database.
- Recently signed agreement to participate in a newly formed Halden project, looking at operator performance in digital control rooms, human performance in operation of small modular reactors, operator performance in highly automated plants, and the effects of adaptive automation on operator performance.
- EPRI and NIST have provided a lot of technical expertise and modeling support for our work on the aluminum HEAF issue.

Highlights and Observations (7/11)

Sunsetting Projects

Objective is **to complete several research projects, which include:**

- Aluminum Heat Issue (HEAF),
- Level 3 PRA Project, and
- Probabilistic Flood Hazard Assessment Project.

However, the work will continue in two of these projects:

- **Level 3 PRA Project** - There is an effort to leverage insights from the Level 3 PRA work to support licensing advanced reactors. For example, the Level 3 PRA Project is expected to provide insights on assessing the risks from multi unit sites and integrated site risks which could prove useful for licensing small modular reactors.
- **HEAF** project - Generic issue program has been exited, “not coming to a resolution in a timely manner”. The project is still ongoing: working with EPRI, OECD/NEA to advance and understanding of the risk posed by HEAFs, there are deliverables that will be coming due in FY22.

Highlights and Observations (8/11)

Future-Focused Research Project: Advanced Reactor Program

The advanced reactor program has picked up recently and is expected to increase over the next couple of years. Currently it includes:

- Developing PRA guidance that will be needed to support licensing non-light water reactors. This includes developing guidance to address PRA uncertainty (an important issue for non-light water reactors where we don't have operating experience).
- Conducting research on a graded approach to scale and target human factor engineering reviews for small and microreactors. This includes developing human factor engineering review criteria.
- Developing technology inclusive operator training and examination requirements.
- Future-focused research project on the use of dynamic PRAs which may have application for advanced reactors
- What about their decision to rely on EPRI/Vanderbilt University approach for SiD (using PHA); are there any gaps such as transportation of a module with a loaded core; spent fuel modules, etc., not being addressed?; how will MCA be identified?, expand efforts to develop potential non-LWR risk metrics; apparently, there is a SNL database for SFRs, do other labs have such databases? Are insights being communicated to those doing Part 53?)

Highlights and Observations (9/11)

Facilitate Transformation Innovation Activities

- DRA has an important role in the Agency's transformation effort through:
 - Overseeing the innovation activities (Innovate NRC 2.0), or
 - IDHEAS scale software.
- DRA is one of two places in the agency that has organizational factor specialists. There are some in the Office of Chief Human Capital Officer (OCHCO), and the rest are in the Office of Nuclear Regulator Research.
- When “the big push” in innovation started, multiple staff members in HFRB move into the EDOs office in a technical support role. They helped build the Innovate NRC 2.0. program. That includes infrastructure and the procedures and processes for maintaining and sustaining innovation.

Highlights and Observations (10/11)

“Innovative” Projects

- **Dynamic PRA** refers to PRA approaches that simulate system behavior and accident scenario development over time. As a supplement to commonly used event tree or fault tree methods, the use of dynamic PRA has the potential to provide additional useful risk insights for both advanced designs and operating plant designs and operations. The final report documenting dynamic PRA model results is expected in July 2022.
- Limited work on **artificial intelligence** that includes a scope and assessment of AI use within the industry. DRA recently signed a MOU with DOE to work with them on sharing information and insights on the use of AI techniques for analyzing operational data.
- Possible future projects:
 - Effects of extreme weather events.
 - Security area, support in the physical security area.

Highlights and Observations (11/11)

Dry Cask Storage Licensing Fuel Storage and Transportation Business

DRA is currently looking to expand their support to NMSS in areas of dry cask storage licensing, the spent fuel storage, and transportation, and decommissioning of low-level waste business lines, by

- Developing risk tools for dry cask storage licensing reviews,
- Providing environmental support for the decommissioning program,
- Developing risk tools to help scope future reviews of transportation packages,
- Developing risk tools for spent fuel dry storage - this work is nearly complete; a report was published last year. Additional support will be provided to NMSS during the implementation phase.

DRA Conclusions and Recommendations (1 of 2)

- DRA is sunsetting some projects and finding a new role for ongoing projects, for example using L3 PRA to support licensing advanced reactors, developing Part 53 scalable HFE review guidance and Part 53 scalable Operator Reactor Licensing Requirements. *We strongly support such utilization of already performed work.*
- DRA has a new and important role in the agency's transformation effort through overseeing the innovation activities by utilizing organizational factors expertise to drive innovation and culture change at the NRC. That includes building infrastructure, the procedures and processes for maintaining and sustaining innovation. *We support this substantial effort, but in this time we do not have enough information to evaluate how is being coordinated, and what have been accomplished.*

DRA Conclusions and Recommendations (2 of 2)

- DRA is investing an effort to develop guidance to address PRA uncertainties, in both, Regulatory Guidance on PRA Acceptability and HRA efforts. *We strongly support this effort, because there is a clear need for guidance how to utilize uncertainty results in the regulation. That is an especially important issue for advanced reactors, with new design features, where operating data are not available, and the modeling experience is somewhat limited.*
- DRA has a few new projects in the process: Dynamic PRA, support NMSS related environmental projects by providing expertise in the area of environmental hazard analysis including subsurface monitoring, radon barriers and evapotranspiration (ET) covers. DRA is also considering possible future projects: analyzing effects of extreme weather events, support in the physical security area. *While we can see a need for these projects, we notice lack of the project to support advanced reactors. Currently, more than 80% of DRA work is in the operating reactors business line, and less than 10% in advanced reactors. We would like to see these percentage changing in the upcoming years.* [this ties to my comments on

DSA Overview

- DSA plans, develops, and manages research programs to develop and maintain broad technical expertise, experimental data, computer codes, and knowledge needed to support
- DSA develops and maintains a wide spectrum of systems analysis computer codes that are state-of-the-practice and/or near state-of-the-art to support regulatory user and licensing needs
- Organized into four branches: Accident Analysis, Code and Reactor Analysis, Fuel and Source Term Code Development, and Radiation Protection
- Core competencies include neutronics and reactor physics, thermal hydraulics, fuel performance, severe accidents, source term and radiation health effects
- Developing competencies include advanced reactor behavior, data science and artificial intelligence

Activities to Address Prior ACRS Recommendations

- Staff implementation of non-LWR code IAPs:
 - Emphasizing simplified solutions for estimating source terms
 - Primarily focused on developing /maintaining in-house codes, capabilities, and expertise
 - Non-LWR reference plant evaluations to assess modeling capabilities and data gaps
- Staff developing longer-term (5 to 7 years, rather than 3 year) strategy for code maintenance, consolidation, and development, considering needs for emerging technologies (e.g., ATF)

Findings

- The breadth and depth of the capabilities in DSA are critical to providing the technical basis for reasonable assurance of adequate protection related to the safety of reactor designs as part of the overall licensing process.
- Numerous international collaborations used in the Division to leverage experimental capabilities around the world. These capabilities would cost the NRC hundreds of millions of dollars to replicate in the US. The codes used by all the groups have a large international set of users which is a testament to the quality and value of the DSA products to the international reactor safety community.

Findings

- The balancing of current needs and future needs (accident tolerant fuel, high burnup fuel, and advanced reactor applications) in the current ever evolving reactor technology environment is admirable.
- Preparation for advanced reactor applications is coming along well across a range of anticipated reactor technologies. More results are expected next year.
 - The Reference Plant Evaluations have helped identify data gaps, prioritize data needs and establish the adequacy of confirmatory tools.
 - Recent DOE funding awards have helped NRC prioritize its research activities.
 - This balancing is critical to performing “the right research at the right time.”

Findings

- The code investment strategy is sound. The process is a holistic assessment focused on key needs over a longer time period (5-7 years) to have the greatest impact to the agency.
- The new agency-wide data science and artificial intelligence initiative is a worthwhile endeavor. Good definitions, standards and use cases are critical to its value to NRC. The impact on reactor safety (e.g., autonomous control, vulnerability assessments) needs to be established. Getting started on this work early is laudable.

DE Overview

- Plans, develops, and directs safety research technology and engineering programs and standards development to enable the agency to become a modern, risk-informed regulator
- Organized in five branches: Regulatory Guide and Programs Management, Reactor Engineering, Materials Engineering, Instrumentation, Controls, and Electrical Engineering, Structural, Geotechnical, and Seismic Engineering

DE Overview (continued)

- Maintains competencies in the following core and developing areas:
 - Metallurgy, NDE methods, physical chemistry and materials science
 - High temperature materials performance, design methodologies, component performance, molten salt fuel cycle, material safeguards and physical security
 - Development, maintenance and deployment of advanced software tools
 - Project management of cross-cutting technical projects
 - Instrumentation, controls and electrical engineering
 - Structural, geotechnical and seismic engineering, including seismology and geophysics

Activities to Address Prior ACRS Recommendations

- Increase external engagement, including non-nuclear expertise, to prepare for emerging technologies, such as Advanced Manufacturing Technologies (AMT) and big data
- Progress to address Halden Gap (we had a briefing, but long lead times required to obtain data with limited facilities; need to publicize identified data needs)
- Progress related to on-going efforts:
 - DI&C IAP – we continue to review and provide comments on progress
 - Project sunseting – (the branch continues to evaluate and sunset projects at appropriate conclusion, for example Embedded Digital Device research)

DE Highlights and Observations

- Possible topics/questions:
 - Digital Twins current focus & recommendations
 - AMT focus & recommendations
 - Harvesting (expensive, is benefit appropriate? Noted that some activities in international programs were to emphasize areas of less interest to NRC)
 - Successes
 - Process improvements for RG updates, standard endorsement, and GSI closeout: Several key RGs issued or in-process (PFM, non-LWRs standards endorsements, such as HTGR components, PRA standard, etc.) Should we note that we support this effort and encourage early interactions with ACRS to increase effectiveness?
 - Project termination (PWSCC, cable aging, irradiation effects on concrete, and NDE – programs have accomplished much, but continue; perhaps termination or refocus needed? For example, NDE may need to be refocused to enable AMT?)
 - Future meetings? AI, AMT, Digital Twins, Materials Harvesting, RIPB Seismic Design?

DE Conclusions and Recommendations

We continued to be interested in:

- the development of Advance Manufacturing Technology in particular defining quality assurance requirements for safety related applications
- the progress and viability of Risk Informed Performance-based Seismic Design
- the development of Digital Twinning and lessons learned applied from years of simulation experience
- use of Material Harvesting to create prediction modeling capability versus using empirical data
- effectiveness and lessons learned from Future Focused Research process experience

Integrated Assessment Observations (1 of 5)

RES addressing **Agency** existing and near-term research needs

- Programs provide data and analyses required for regulatory decision-making
- Results facilitating ATF reviews
 - PIRT completed to identify data and modeling gaps
 - Some data gaps may be difficult to address without Halden-type capabilities
- Initiatives preparing agency for anticipated non-LWR reviews
 - Advanced Reactor Code IAPs enable independent non-LWR analyses and identify technical “gaps” in capabilities and data
 - DSA reference plant evaluations providing confidence about adequacy of selected computational tools and identifying data gaps; *Something about the DRA approach to rely on the Vanderbilt MSR SiD evaluation.*
- Important that gaps in models and validation data be communicated to DOE and design developers

Integrated Assessment Observations (2 of 5)

Core Competencies and Capabilities

- Recognized as significant challenge (affected ability to complete several projects such as Level 3 PRA and HEAF and to start new ones)
- RES divisions track current and pending core competencies and capability gaps
- Several actions being taken to address capability gaps
 - Access to high-performance computing through DOE laboratories
 - International collaborations established to address some Halden gaps
- RES employing methods to maintain /develop core competencies
 - Hiring prioritization
 - Virtual /in-person assignments and staff cross-training
 - Strategic partnerships to develop competencies in emerging fields (domestic and international)
 - Integrated University Program R&D Grants/ Leveraging university grants to emphasize areas of interest to RES; ACRS briefing planned on Integrated University Projects (IUPs)

Integrated Assessment Observations (3 of 5)

Prioritization and Process Improvements

- RES with input from other offices use systematic approach, emphasizing ‘enterprise risk’ for research project selection, evaluation, and termination
 - Many efforts, such as code maintenance, require continual support
 - Other projects, such as concentrated efforts to obtain data to support regulatory decisions, may be discontinued or redirected, if subjected to more rigorous evaluations.
 - We recommend that user-needs have a fixed end-date; revisions required to reflect redirection after original objectives achieved
- RES implemented several effective process improvements
 - Increased interactions with industry to emphasize prioritization of RG updates, GI closeouts, and consensus standard endorsements
 - Risk app for resident inspectors
 - Increased use of virtual platforms for RES agency seminars

Integrated Assessment Observations (4 of 5)

Efforts to Address Long-term **Agency** Research Needs

- Preparing to review New Technologies that enable Fleet Modernization
 - Data Science/ Artificial Intelligence (AI) Implementation:
 - DSA leading effort to develop agency strategy
 - Fostering partnerships with other domestic organizations (DOE, DoD, NIST, EPRI, IEEE, NASA, ASME, etc.) and international organizations (OECD, IAEA, JAEA, KINS, GRS, etc.)
 - Future Focused Research Projects:
 - DE managing to prepare agency for innovative technologies
 - We support the goal of having FFR becoming a sustained R&D program to improve agency knowledge on key topics (e.g., Digital Twins, AMT, AI, etc.)
 - Recommend project accomplishments of FFR be published annually

Integrated Assessment Observations (5 of 5)

Efforts to Address **Agency** Long-Term Research Needs (cont'd)

- Applaud effort to develop Agency Long-term (5-7 year) Code Investment Plan
 - Includes maintenance, modernization, and consolidation of agency tools and ensuring that staff has access to high performance computing capabilities
 - Work prioritized based on need for tool and impact if work delayed
- Substantial and sustained RES efforts required to address emerging technologies and code maintenance needs; implementation may require additional resources
- Planned CY 2022-2023 briefings will allow ACRS to monitor RES efforts addressing agency long-term research needs

Conclusions and Recommendations

- Current RES activities meet agency near-term needs for regulatory decisions-making and for anticipated near-term submittals.
- We continue to support the systematic approach implemented by RES to prioritize research emphasizing “enterprise risk” in project selection, evaluation, and termination.
 - International and domestic collaborations required to leverage limited agency resources
 - Additional measures, such as fixed end dates on user needs, may be needed to redirect resources when projects achieve original goals

Conclusions and Recommendations (continued)

- New RES-initiated efforts address longer-term agency research needs
 - The FFR projects are improving agency knowledge on key topics; progress should be published in annual reports.
 - RES developing strategy to prepare for reviewing fleet modernization technologies.
 - The integrated code maintenance and development plan should provide an important means to ensure that agency tools are available
 - Substantial sustained RES efforts required to address emerging technologies and code maintenance needs; implementation may require additional resources
 - Additional agency resources may be required

Conclusions and Recommendations (continued)

- Our review identified several risk-significant RES activities for which additional briefings are planned. Topics include:
 - FFR project progress
 - Progress on addressing Halden gap
 - Long-term strategy for code maintenance, consolidation, and development
 - Data science /AI strategy
 - Integrated University Projects (IUPs)
 - SiD/PHA approach for non-LWRs
- In addition, we will continue episodic reviews on activities, such as:
 - Level 3 PRA
 - HEAF
 - ATF
 - Non-LWR IAP codes
 - Reg Guide 1.247 (non-LWR PRA standard)
 - IDHEAS?
- We will continue to provide letter reports as needed.